

**November 8, 2010**

**Attached is Transcript  
of NRC Public Meeting  
held on October 26, 2010**

**submitted by  
Neal R. Gross and Company, Inc.**

# Official Transcript of Proceedings

## NUCLEAR REGULATORY COMMISSION

Title: Public Meeting on the Potential Changes to the  
Nuclear Regulatory Commission's Radiation  
Protection and Guidance

Docket Number: (n/a)

Location: Silver Spring, Maryland

Date: Tuesday, October 26, 2010

Work Order No.: NRC-508

Pages 1-238

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

## UNITED STATES NUCLEAR REGULATORY COMMISSION

(NRC)

+ + + + +

OFFICE OF FEDERAL AND STATE MATERIALS AND  
ENVIRONMENTAL MANAGEMENT PROGRAMS

+ + + + +

PUBLIC MEETING ON THE POTENTIAL CHANGES TO THE  
NUCLEAR REGULATORY COMMISSION'S RADIATION  
PROTECTION AND GUIDANCE

+ + + + +

TUESDAY  
OCTOBER 26, 2010

+ + + + +

The public meeting convened at 8:30 a.m.  
in Kennedy Ballroom of the Crowne Plaza Hotel, 8777  
Georgia Avenue, Silver Spring, Maryland, Dan Hodgkins,  
facilitator, presiding.

PANEL MEMBERS PRESENT:

ELLEN ANDERSEN, Nuclear Energy Institute  
ROBERT W. ATCHER, Society of Nuclear Medicine  
CHERYL ANN BEEGLE, National Institutes of Health  
MICHAEL BOYD, Environmental Protection Agency  
STEPHEN BROWNE, Troxler Electronic Laboratories  
KEVIN BUNDY, Canadian Nuclear Safety Commission  
KIMYATA MORGAN BUTLER, U.S. Nuclear Regulatory  
Commission  
DONALD COOL, U.S. Nuclear Regulatory Commission  
WALTER (LEE) COX, Organization of Agreement  
States/Conference of Radiation Control Program  
Directors  
PHILIP GIANUTSOS, Energy Solutions  
WILLIE HARRIS, Exelon Nuclear  
LARRY HAYNES, Duke Energy  
O. ERSKIN HICKMAN, JR., U.S. Nuclear Enrichment  
Corporation  
GEORGE MARSHALL, American Portable Nuclear Gauge

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

## Association

STEVE MATTMULLER, Society of Nuclear Medicine  
JOEL RABOVSKY, Department of Energy  
KATE ROUGHAN, International Source Suppliers and  
Producers/QSA Global  
DUANN THISTLETHWAITE, Triad Isotopes

FACILITATOR:

DAN HODGKINS, Consultant

## TABLE OF CONTENTS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

Opening Remarks .....	3
Overview of Day 1 .....	4
Issue No. 4: Incorporation of Dose Constraints .....	6
Brief Recess.....	21
Overview of Meeting To This Point .....	64
Question/Answer Period (Panel/Audience/Webinar Statements) .....	64
Overview of Meeting to This Point .....	66
Question/Answer Period (Panel/Audience/Webinar Statements) .....	108
Lunch Recess .....	109
Wrap-Up Question/Answer Session	
Question No. 1 .....	132
Question No. 2 .....	136
Question No. 3 .....	149
Question No. 4 .....	152
Final Thoughts (Panel/Audience/Webinar Statements) .....	161
Summary of What Happens Next .....	179
Verbal Feedback from Panel/Audience/Webinar .....	196
Closing Remarks .....	202
Adjourn for the day .....	208
	209

8:32 a.m.

1  
2 FACILITATOR HODGKINS: Okay. Good morning  
3 everybody. I think we are ready to start. Just some  
4 housekeeping because I think there are some new  
5 participants.

6 This is going to be somewhat informal, but  
7 using a formal process as far as we'll take questions  
8 and comments from our panelists first, then into the  
9 audience.

10 And today instead of frustrating the  
11 webinar participants by trying to do an audio  
12 question, we're asking everybody on the webinar to  
13 type their questions in. And then we will ask those  
14 questions or discuss those comments through the  
15 different speakers.

16 And so hopefully, the webinar participants  
17 will hear their comments at some point in the process  
18 as we move forward.

19 A couple other housekeeping issues.  
20 Bathrooms are out and to the right - oh, my God. It's  
21 my phone. And just another reminder, lots of  
22 background noise will interfere with the speakers.

23 So, we ask that you please turn off your  
24 pagers, phones, those kind of things and so as not to  
25 interfere. Background noises, side conversations make

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it real difficult for the webinar participants and  
2 there was lots of that yesterday.

3 The other thing is if you have a  
4 microphone beside you, please talk into the  
5 microphone. You can't use the microphone by the side.

6 Did you want to say something, Don?

7 DR. COOL: It turns out that these are very  
8 directional. And what I am told by the folks here in  
9 - the AV people, is you need to not only be close to  
10 it, you need to be directly in front of it. Being off  
11 to the side makes a world of difference.

12 So, it isn't the fact that you're leaning  
13 over towards it. Get the thing aimed right at you.

14 FACILITATOR HODGKINS: So, practice a  
15 little bit and make sure it's in front of you. And I  
16 think we have one free mic that we can use in case  
17 there isn't something close to you and if you're more  
18 comfortable using that.

19 Same thing with the microphones for our  
20 audience participants. Just make sure that you speak  
21 into the microphone.

22 You did a great job yesterday. You did a  
23 better job than our panelists did. Yeah, let's hear  
24 it for the participants. And make sure that you do  
25 that once again.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   With that, I think we'll turn it over to  
2 Don to kind of give us a review of today.

3                   DR. COOL: Okay, and good morning.

4                   (All respond.)

5                   DR. COOL: Okay. Well, that was so-so.  
6 There is coffee in the back of the room for those who  
7 are not yet awake.

8                   Okay. We made a great deal of progress  
9 yesterday. I was very pleased personally with how the  
10 discussion went. Particularly grateful to each of you  
11 for the way that you participated, how you jumped in,  
12 how you weren't shy about sharing your views. That's  
13 exactly what we need. We'd like to keep that up for  
14 today.

15                   We are ahead of the original draft  
16 schedule. So, that's good. That allows us to take  
17 all of the time that we need to take care of today's  
18 activities.

19                   So, we're going to do several things here  
20 briefly, go quickly over the things that happened in  
21 Day 1. We will work through Issue 4 on ALARA planning  
22 and dose constraints, which I think will bring up  
23 again some of the discussion that we had with regards  
24 to the dose limits.

25                   We have what we called Issue 5 a/k/a a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 placeholder for anything else that people have brought  
2 up. And I know of at least three items that were  
3 brought up yesterday. We put them in the parking lot.

4 Those were discussion of extremity dose.  
5 We talked a little bit about that yesterday. Just  
6 wanted to make sure that we had completed the  
7 questions that were raised on that.

8 There was some questions about our public  
9 dose limits versus the EPA's dose criteria in some of  
10 their standards.

11 And then there was a request to talk a  
12 little bit about what ICRP has been thinking on  
13 protection of the environment. So, we have those  
14 three at the moment as additional issues.

15 Yesterday we spent time talking about some  
16 of the underlying scientific basis, the dose  
17 coefficients and the actual expression of the limits  
18 as effective dose.

19 We then spent some time, actually quite a  
20 bit of time, talking about the dose limits themselves  
21 and what would be the impacts of various proposals  
22 there.

23 And then late yesterday afternoon or later  
24 yesterday afternoon we spent some time talking about  
25 exposures of special populations. That being things

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 related to occupational exposure of a declared  
2 pregnant woman, the exposure of the embryo fetus, and  
3 some questions related to exposure of members of the  
4 public if they are young children or the embryo fetus  
5 versus the normal requirements for exposure to the  
6 members of the public.

7 And I think, Dan, it might be good if the  
8 first thing we do is we sort of go around the room. I  
9 think we have at least one or two new people. And  
10 perhaps see if anyone having now had a chance to think  
11 about it overnight, if there's anything we wanted to  
12 add on those subjects before we went into the next  
13 one.

14 FACILITATOR HODGKINS: Sounds good.

15 One of the things - and, Kate, we're going  
16 to start with you, but just remember that - just  
17 introduce yourself like you did yesterday with just a  
18 quick, brief overview of your background remembering  
19 that there's webinar people out there.

20 And then if there is a topic or some  
21 lingering, you know, issue that you really want to  
22 revisit, you know, in the overview, then just give us  
23 that piece.

24 And I will just go around the table to do  
25 that if everybody is comfortable with that, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 starting with Kate.

2 MS. ROUGHAN: Kate Roughan, QSA Global  
3 representing industrial users for industrial  
4 radiography, oil well logging gauging and  
5 brachytherapy sources. And also representing ISSPA,  
6 which is the International Source Suppliers and  
7 Producers Association.

8 The biggest topic for us is probably the  
9 annual dose limits. Industrial radiography does  
10 certain activities that are critical to our  
11 infrastructure that demand that - or require that a  
12 higher dose be received during the performance of  
13 those activities.

14 So, it's crucial to that industry that we  
15 keep the annual dose at 5 rem.

16 MS. THISTLETHWAITE: Good morning. Duann  
17 Thistlethwaite representing Triad Isotopes and medical  
18 use licensees.

19 Basically just to reiterate from  
20 yesterday, to keep the whole-body dose at 5 rem and  
21 the other levels also the same.

22 FACILITATOR HODGKINS: Thank you.

23 MR. STAFFORD: Mike Stafford, Oak Ridge  
24 National Lab, UT Battelle. I come from a DOE-  
25 regulated environment. So, it's kind of unique as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 compared to the rest of you.

2 We - I guess one of the things reflecting  
3 on yesterday is I think all of us generally agree that  
4 we would like the idea of consistency in terms of  
5 terminology and some of the technical methods for dose  
6 calculation to bring some linearity there, but doesn't  
7 necessarily mean that we want to buy into some of the  
8 dose limits and other policies that we see in some of  
9 the other countries.

10 Being a DOE-regulated facility where we're  
11 already under ICRP 60-type recommendations, you know,  
12 we'd like to see greater consistency with our NRC  
13 brothers and sisters.

14 FACILITATOR HODGKINS: Thank you. Steve.

15 MR. MATTMULLER: Hi. Steve Mattmuller,  
16 chief nuclear pharmacist at Kettering Medical Center  
17 in Kettering, Ohio, and also for the Society of  
18 nuclear Medicine.

19 And we too as Duann said, would like the  
20 dose limits remain where it's at, which would be  
21 critical for our field especially for our production  
22 facilities for our staff that work there. Thank you.

23 FACILITATOR HODGKINS: Thank you.

24 MR. HAYNES: Good morning. Larry Haynes,  
25 Duke Energy representing power reactor sector. The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 flexibility issue is one that we talked a lot about  
2 yesterday. And however the limits would resolve  
3 themselves, having the flexibility and operational  
4 flexibility for our plants is critical for managing  
5 the specialty-type pieces of work that go on in our  
6 plants.

7 One thing I heard too yesterday, that even  
8 more than I already knew and am convinced that, you  
9 know, alignment with the international standards is  
10 important, but we're totally out of alignment in the  
11 U.S.

12 And I would personally like to see us try  
13 to align with both so that we don't have various  
14 standards based on ICRP 2 all the way up through 103.

15 It would be very helpful that those of us that deal  
16 with numerous regulatory authorities have consistency  
17 there too.

18 FACILITATOR HODGKINS: Thank you.

19 MR. MARSHALL: Good morning. George  
20 Marshall with APNGA dealing with portable nuclear  
21 gauges.

22 I wasn't here yesterday, so I'll be in a  
23 catchup mode here this morning. So, I'll pretty much  
24 hold off until a little later today.

25 FACILITATOR HODGKINS: Welcome.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. GIANUTSOS: Philip Gianutsos  
2 representing Energy Solutions. We're a full services  
3 hazardous and radioactive materials management company  
4 decommissioning waste processing/waste disposal.

5 I'm personally a health physicist and  
6 radiation safety officer at our processing plant in  
7 Oak Ridge, Tennessee.

8 Our view is pretty much consistent with  
9 what I'm hearing a lot of folks say that adopting  
10 effective dose and equivalent dose is a reasonable  
11 change to the regulations.

12 We think the models should be updated, but  
13 the end point, the final dose limit should remain at  
14 the current levels.

15 FACILITATOR HODGKINS: Thank you.

16 DR. RABOVSKY: I'm Joel Rabovsky,  
17 Department of Energy, Office of Worker Safety and  
18 Health Policy. Our office develops the department's  
19 occupational radiation protection regulations.

20 I'm here I guess as the alternate to  
21 Peter, Peter O'Connell, and I was very interested in  
22 the discussions that we heard yesterday. And once  
23 again we were pleased to have the opportunity to offer  
24 our experience in the implementation of the ICRP 60  
25 dosimetry system. And we'll continue to offer, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 guess, our perspectives as we continue today.

2 FACILITATOR HODGKINS: Thank you.

3 MR. COX: Good morning. Lee Cox. This  
4 morning I'm representing the Organization of Agreement  
5 States and also the Conference of Radiation Control  
6 Directors. Mike Snee couldn't be here this morning.

7 Our main concern is the possibility of  
8 dual regulation of radioactive materials and x-ray  
9 producing machines, a desire for no change in the dose  
10 limits. And if there is a change, operational  
11 flexibility would be preferred.

12 FACILITATOR HODGKINS: Thank you. Erskin.

13 MR. HICKMAN: Good morning. My name is  
14 Erskin Hickman.

15 (Feedback in the audio.)

16 MR. HICKMAN: Try that again.

17 My name is Erskin Hickman. I'm the  
18 radiation protection manager at the United States  
19 Enrichment Corporation, the gaseous diffusion plant in  
20 Paducah, Kentucky.

21 Our primary goal here is to align our  
22 regulations with our international customers. The  
23 administrative issues would cause us some work at the  
24 plant changing procedures and doing some training, but  
25 it wouldn't affect our operation. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BUNDY: Kevin Bundy with the Canadian  
2 Nuclear Safety Commission. We've had the ICRP  
3 recommendations in place for about ten years now, so  
4 I'm here to offer my - whatever experience I can in  
5 that respect.

6 I'd also like to encourage harmonization.  
7 It makes all of our lives a little easier I think.  
8 Thank you.

9 MR. BROWNE: I'm Stephen Browne  
10 representing Troxler Electronics and portable gauge  
11 users.

12 Portable gauge users are using devices  
13 that contain sealed sources that are very small. The  
14 dose rates are also very low. So, we're not really  
15 affected that much by a change in the dose limits.

16 However, any kind of a change in the  
17 regulations, limits, terminology, constraints would  
18 potentially require a lot of retraining and maybe a  
19 lot of other work for our portable gauge users.

20 And they're not professional health  
21 physics like all of us or most of us here are. So,  
22 these are not easy things for them to do and it has a  
23 major impact on them.

24 FACILITATOR HODGKINS: Thank you.

25 MR. BOYD: Mike Boyd, EPA's Office of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Radiation and Indoor Air Radiation Protection  
2 Division. I spent a lot of time last night thinking  
3 about what I said and what I wish I had said.

4 So, I'm going to take this opportunity to  
5 make one little point and I think that today's  
6 discussion when we get into constraints and  
7 optimization is where the real, you know, the rubber  
8 meets the road in terms of radiation protection.

9 I think it was really helpful to me a few  
10 years ago back when David Kocher was still at Oak  
11 Ridge National Lab and he spoke to the Interagency  
12 Steering Committee on radiation standards about what a  
13 dose limit is, and he had a turn phrase that I really  
14 liked. He said a dose limit should be a threshold of  
15 intolerability.

16 In other words, you under no circumstances  
17 would want to go over that numerical value without  
18 having thought about it and gotten a waiver and  
19 whatever. But in general, that's your threshold of  
20 tolerability.

21 In that sense, I certainly agree with the  
22 need for flexibility and I think 5 rem in any  
23 particular year is perfectly acceptable when the  
24 conditions demand it.

25 But I think what we have to look for is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the dose that a worker would accumulate over a  
2 lifetime and, you know, I think personally that a  
3 sievert is that threshold of tolerability right now.

4 So, I think we need to craft a new  
5 regulation in such a way that we do allow for the  
6 flexibility, we do allow for the necessary jobs  
7 whether it's the doctor working on a patient or  
8 someone doing vital work creating medical isotopes,  
9 but also to keep in mind that our job as radiation  
10 protection professionals is to keep doses as low as  
11 reasonably achievable and just build in flexibility  
12 and have an absolute limit of tolerability that you  
13 would rarely find it excusable to go beyond.

14 FACILITATOR HODGKINS: Thank you. Cheryl.

15 MS. BEEGLE: Good morning. My name is  
16 Cheryl Beegle. I work in imaging, hospital imaging at  
17 the National Institutes of Health for Nuclear Medicine  
18 and PET.

19 I don't think I have anything else to add  
20 this morning or comment on. Thank you.

21 FACILITATOR HODGKINS: Thank you.

22 DR. ATCHER: Good morning. I'm Robert  
23 Atcher. I'm past president of the Society of Nuclear  
24 Medicine. And in addition to Duann and Steve's  
25 representation of the radiopharmacy world, I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 representing the technologists and physicians and  
2 others who are involved in the practice of nuclear  
3 medicine both for diagnostic and therapeutic purposes.

4 I'm the director of the National Isotope  
5 Development Center which is a virtual center within  
6 the isotope program in the Office of Nuclear Physics,  
7 the Department of Energy. I'm also a professor of  
8 pharmacy at the University of New Mexico.

9 One of the things that I want to reiterate  
10 from yesterday - or two things I want to reiterate  
11 from yesterday.

12 One is that having standards that are  
13 based on solid scientific evidence is something that  
14 we all appreciate, but there seems to be this drift  
15 towards just less is better, less is better without  
16 having the appropriate scientific basis to support  
17 that standard.

18 Secondly, particularly for those of us who  
19 are practicing nuclear medicine in health care in the  
20 United States today, there is very limited  
21 opportunities for us to increase the cost of us doing  
22 business without specific and very clear benefit both  
23 to those who are doing the work, as well as to the  
24 patients who are doing those studies.

25 And I think it's very dangerous for us to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not take into account the fact that a lot of what we  
2 are proposing here has an economic penalty for those  
3 who are practicing particularly in nuclear medicine  
4 and in radiology that is not being adequately thought  
5 through.

6 FACILITATOR HODGKINS: Thank you.

7 MS. ANDERSEN: Good morning. My name is  
8 Ellen Andersen from the Nuclear Energy Institute. I  
9 was not here yesterday, so I don't really have  
10 anything else to add.

11 FACILITATOR HODGKINS: Thank you. Welcome.

12 Okay. And just as far as facilitator, so  
13 what we heard as we walked around - as we went around,  
14 those comments that you made, is there any follow-up  
15 that anybody feels like they need to make because  
16 someone did bring up something that they too wanted to  
17 add any particular mention to or follow up on those  
18 three issues that we've already discussed?

19 And I guess I'd like to just open it up to  
20 the audience, too. Some of you have been through the  
21 whole thing.

22 Is there anything from the audience that  
23 you want to add to follow up with yesterday's  
24 discussion or an overview?

25 Yes, please.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. DAVIDSON: Hi. Scott Davidson with New  
2 World Environmental.

3 Some people here are industrial gauge  
4 people and you'll have a whole group of people who are  
5 using gauges currently in the environment with a move  
6 towards becoming specifically licensed and now  
7 radiation workers. Those older designs may not be  
8 compatible, or to some degree maybe the people in that  
9 industry group could speak to how this might affect  
10 Sealed Source Device Registry changes, U.S. versus  
11 international, who may already be using more strict  
12 criteria and so on because I don't think they're  
13 represented here in that discussion.

14 FACILITATOR HODGKINS: Okay.

15 MR. DAVIDSON: Okay. Thanks.

16 FACILITATOR HODGKINS: Thank you.

17 Is there some comment the panelists would  
18 like to make after that summary? Pretty good?

19 Microphone 2.

20 MR. SMITH: William Smith with Southern  
21 Nuclear Company. One of the things I thought about  
22 later on at break was the timing and effective dates  
23 of new regulations coming in.

24 And if it's in the 2013 to 2014 time  
25 frame, that's about the same time that new plants such

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 as Vogtle will be developing procedures and programs  
2 which have already started now, but they will start  
3 operating 2016 at that time frame.

4 And on this scale, you would have new  
5 regulations being effective at the time you have new  
6 plants coming on line, and that would be a big impact  
7 on the programs. Thank you.

8 FACILITATOR HODGKINS: Okay. Panelists  
9 want to follow up with that at all? Any other further  
10 comments, concerns?

11 I'm going to say then at this point, are  
12 there any written comments from the webinar  
13 participants that need to be read at this point as far  
14 as follow-up from yesterday?

15 I know that they had some difficulty  
16 participating. I'm going to take that as a no. Okay.  
17 Terrific.

18 So, I think that what we've just done is  
19 summarized our work yesterday. And we're going to  
20 hopefully have the same success today as far as  
21 everybody having an opportunity to voice their  
22 opinions, their ideas with it.

23 I understand from Don, that this may be a  
24 little bit more meaty as far as the conversation. So,  
25 I'm going to turn it back over to Don.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: Okay. Thank you. I'm going to  
2 suggest that when we get to the additional issues, I  
3 wrote down a couple of things that we might want to  
4 come back to as we - before we complete the  
5 discussion.

6 One of them was to go back and explore a  
7 little bit more with everyone Mike Boyd's suggestion  
8 that we needed to have something that was limiting the  
9 lifetime dose.

10 I think we perhaps should explore that a  
11 little bit more in terms of practicality, how that  
12 would work in implications for people. So, we'll add  
13 that to the issues.

14 And then I think logically at the end, we  
15 also probably should be talking again about the time  
16 frame and schedule associated with the next steps and  
17 issues. So, I've written that down and hopefully we  
18 can address any of those questions.

19 With that, I think we go to Issue 4. And  
20 if you'll allow me a moment to try and get this  
21 computer to behave - where did it go?

22 All right. To provide a little bit of  
23 background on the incorporation of dose constraints,  
24 which is a metaphor, if you will, a particular item  
25 within the overall process of ALARA optimization,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reducing exposures to as low as reasonably achievable,  
2 this is probably one of the most major things that was  
3 strengthened/added as ICRP did the revision of their  
4 recommendations which came out as Publication 103.

5 The actual concept of a constraint was  
6 present in the Publication 60 recommendations. There  
7 wasn't a lot said about that. There was not a lot of  
8 detail about its implementation.

9 And what that sparked after 1990, was 15  
10 years of debate about exactly what a dose constraint  
11 was, is, should be, do and otherwise with  
12 approximately N plus two opinions where N would be the  
13 number of people in any particular discussion. So,  
14 there was a lot of variability and discussion going  
15 around.

16 So, as ICRP looked at revising this set of  
17 recommendations and consolidating and updating it, it  
18 devoted a lot of its time in that development process  
19 to the question of constraints.

20 Publication 103 places even more emphasis,  
21 if that's possible, on optimization. That is looking  
22 at what the best possible protection is that can be  
23 afforded under the prevailing circumstances for the  
24 particular exposure situation.

25 And it recommends that a licensee, a user

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 use "constraints," put that word in quotes, as a  
2 planning value for optimization.

3 Now, you say okay, well, how is that  
4 different from what many of you talked about yesterday  
5 that you have planning values and that you have things  
6 in your program to make sure that you don't actually  
7 run up to the limits?

8 Well, after a long discussion within ICRP,  
9 the end result is essentially that is exactly what  
10 they're talking about is formally making sure that you  
11 have some planning up front in the process to sort of  
12 bound the area that you want to keep the exposures in  
13 whether they're occupational exposures, whether they  
14 are public exposures.

15 As ICRP laid it out, and I'm just reciting  
16 ICRP at the moment, constraints are not limits.  
17 They're two very different things and ICRP would be  
18 very quick to tell you that a constraint would be a  
19 prospective value that you're using in the planning,  
20 not a limit which is judging the final outcome of the  
21 conduct of the activities.

22 Now, you say that's very nice and good.  
23 But when you do the planning, then you figure out  
24 where you are and then you look to see how you're  
25 doing versus the planning. And one of the biggest

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 questions that kept coming up was how do you avoid  
2 having constraints become defacto limits?

3 That is, in fact, an ongoing - I use  
4 "dialogue" here to try and be nice - discussion,  
5 various insundry things, which continues to be  
6 occurring in the international community and in  
7 various countries that are looking at this because  
8 this is an issue where we, the United States, are not  
9 alone in figuring out where we want to go or what we  
10 would want to do within the regulatory structure  
11 around this concept.

12 Everyone else is looking at it also. So,  
13 I'm going to put up a couple of slides. These are  
14 from draft materials. Although they are public, these  
15 are from draft materials.

16 The International Atomic Energy Agency,  
17 IAEA, most of you will mostly recognize this as the  
18 people who go around trying to figure out if Iran has  
19 bomb material and things like that.

20 One of the other major components of their  
21 work is safety and security worldwide. There are 163  
22 countries that are members of the IAEA. Many of them  
23 are very small countries, they don't have reactors,  
24 but they have medical uses, they have industrial uses.

25 And it is many of those folks for which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 these basic safety standards are it. It is their Part  
2 20, their Part 30 and everything else wrapped up into  
3 one. This becomes in many cases, adopted verbatim as  
4 their regulations.

5 IAEA for the past four years has been  
6 engaged in the process of updating the basic safety  
7 standards which were last published in 1996. One of  
8 the statements in that basic safety standards is that  
9 the regulatory body shall establish requirements for  
10 optimization, require documentation, establish or  
11 approve constraints or the process for establishing  
12 constraints that are used for optimization of  
13 protection and safety.

14 Now, there are other detailed  
15 requirements. I wasn't going to copy a lot of them,  
16 but I've highlighted for you several items that were  
17 there at the way IAEA is looking at it at the moment.

18 That there should be some requirements,  
19 there should be a requirement that protection is  
20 optimized. And by "optimized," IAEA means that you've  
21 gone through the process of looking at it, figuring  
22 out under prevailing circumstances what the best level  
23 of protection is, and then you've implemented that  
24 because there's been a whole other debate about can  
25 you ever be optimized because everything changes over

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 time.

2 And the answer is that's not where they're  
3 headed. It's that you've looked at it and you've  
4 implemented the result of that discussion.

5 So, a requirement to optimize, requirement  
6 to write it down so that you can show people what  
7 you've done and there's a way of checking to see  
8 whether or not you've had that as part of the program,  
9 and that there are established constraints either, in  
10 some cases, that the regulatory organization has  
11 actually approved them, often the case in exposure to  
12 members of the public as in what are going to be the  
13 values that are used for effluents and some of those  
14 things where there has to be a formal regulatory  
15 approval of levels that would be released. And those  
16 would be nowhere as close to the actual limits of  
17 exposure.

18 Or the process of establishing constraints  
19 as IAEA views that particularly in the occupational  
20 realm where it would be upon the user of the material,  
21 the licensee, the registrant, to have established  
22 their constraints, what kind of process they're going  
23 to use and how they're going to go about doing that so  
24 that there would be that systematic pattern of a  
25 radiation protection program. So, that's how IAEA is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 looking at this.

2 Let me emphasize again this is a draft.  
3 It's been under development for four years. This  
4 draft text will be discussed again in Vienna in  
5 December. It still has about three or four approval  
6 steps. The optimistic view over in Vienna is that  
7 this might be approved later next year. We shall see.

8 Another major group that I think a number  
9 of you who deal internationally have to work with is  
10 the European Commission, the European Union.

11 European Union also has a basic safety  
12 standards. Actually, a series of directives dealing  
13 with various items. And they are also in the process  
14 of revising those basic safety standards.

15 And, again, this is a draft of the  
16 material that's publicly available having been  
17 approved by their group of experts now undergoing  
18 review within the council itself still at least a year  
19 away from approval within the European Commission, but  
20 again another point of reference for us to think  
21 about, and they say that dose constraints shall be  
22 established.

23 A very high-level statement. You've got  
24 to have these somehow. Doesn't tell you exactly how.  
25 They give a little more detail and there's a lot of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 words on this slide, but the only thing I've chosen to  
2 really highlight for you at the moment is that phrase  
3 "established as an operational tool in cooperation  
4 between the employer and the undertaking."

5 By the way, in the European Union,  
6 "undertaking" means the conduct of the activity. So,  
7 if you're a radiographer in the European Union, you're  
8 in undertaking because you're undertaking work.

9 And in public exposure, that the  
10 constraints be set in such a way as to ensure  
11 compliance with the dose limit for the sum of the  
12 doses.

13 And this gets to the point that Mike was  
14 making yesterday about trying to make sure that you  
15 have a mechanism to ensure that any given member of  
16 the public from multiple sources is not going to get  
17 over what the limit is. But recognizing at least in  
18 some sense, that any particular user doesn't have  
19 control over the rest of the world.

20 So, this would be another piece of the  
21 constraint puzzle internationally, again I say as a  
22 point of reference, for establishing a radiation  
23 protection program.

24 Now, you say well, okay, that's very  
25 interesting. NRC, what's going on? Believe it or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not, the NRC regulations today already have  
2 constraints. You say oh, what? And you can put some  
3 stars and asterisks behind that if you want to,  
4 perhaps.

5 The NRC regulations do require a licensee  
6 to develop and implement a radiation protection  
7 program. That's been in place for a long time. All  
8 of you have that in place.

9 You're required to use procedures and  
10 engineering controls to achieve doses that are ALARA.  
11 You've have that in place for a long time.

12 The regulations do not have a requirement  
13 specifically to establish planning values as part of  
14 that radiation protection program or ALARA, but many  
15 of you do because it is the typical way, a good way to  
16 work through a program like that, but it's not  
17 mandatory.

18 So, some people will simply use the limit  
19 as their planning value. Some people will use values  
20 that are only a small fraction of the limit, but there  
21 is no requirement to have those planning values. As I  
22 said, there are planning values by many licensees.

23 Now, Part 20 actually defines a constraint  
24 in a nice, generic way. "A value above which  
25 specified licensee actions are required." It's taken

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 right out of the definition section of Part 20.  
2 Doesn't say what the actions are. Doesn't say what  
3 the consequences are.

4 The actual requirement for a constraint is  
5 only in one place. It applies to the airborne  
6 effluents from non-reactor facilities, was actually  
7 put in place by the NRC after a long series of work  
8 with the Environmental Protection Agency to avoid dual  
9 regulation under the Atomic Energy Act and the Clean  
10 Air Act so that the EPA could point to this  
11 requirement as a mechanism for saying in a legally-  
12 defensible way because EPA has stakeholders that just  
13 love to take them to court - Mike is smiling - that  
14 there is a structure in place to ensure that effluents  
15 remain under control.

16 So, this applies to airborne effluents  
17 from non-reactor facilities. It says that if those  
18 airborne effluents exceed 10 millirem, that there are  
19 certain actions that are necessary.

20 The actions are to tell NRC and look at  
21 the situation and take some appropriate corrective  
22 action.

23 A violation of the constraint as set up  
24 under this regime here, is not exceeding 10 millirem.  
25 That's not a violation. You can go over 10 millirem.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The violation is if you don't tell us or you don't do  
2 something about it.

3 So, unlike a limit where the violation is  
4 the numerical exceedance of the value for that  
5 particular thing, the violation is only associated  
6 with the procedural aspects of whether you've gone in  
7 and done something about it.

8 And so, in fact, there is a model that is  
9 in place today in this one very limited area for how  
10 constraints might work. And the staff at least  
11 initially has looked at this and said that fits pretty  
12 well with how ICRP has defined constraints.

13 Planning value, check yourself, go in and  
14 do something about it, but it's not a violation for a  
15 numerical exceedance of the particular criteria.

16 So, the question for us and for many other  
17 people is, should there be a change/addition to the  
18 regulations to strengthen, or otherwise, the  
19 requirements for the radiation protection programs in  
20 optimization?

21 Should there be consideration of making  
22 sure that people do planning, add the requirement for  
23 constraints in some manner?

24 Now, there are lots of possibilities for  
25 this. What we've listed here are a couple of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 bigger possibilities.

2 First, of course, you wouldn't have to  
3 change anything. You have a requirement for radiation  
4 protection program. You have a requirement to reduce  
5 exposures as low as reasonably achievable. Wouldn't  
6 have to necessarily do anything. Just continue to  
7 rely on best practice/industry practices to do the  
8 right thing in trying to reduce exposures.

9 Second possibility, change the regulation  
10 to specify that a licensee establish and use the  
11 constraint as part of the radiation protection program  
12 and the implementation of the ALARA requirement. In  
13 other words, require you to have some values and to  
14 write it down.

15 The initial thought there was that that  
16 probably isn't a requirement that's different from  
17 what many of you, perhaps most of you are already  
18 doing, but that there are some who may not be doing  
19 that and for which added structure could in fact have  
20 added benefit.

21 As several people observed yesterday, real  
22 radiation protection is this optimization process, not  
23 the limit.

24 So, one way to do this would be to add a  
25 requirement that people do planning to do what has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 become a good practice.

2 And then there's a third possibility which  
3 builds on that second possibility specifically for the  
4 occupational exposure area.

5 And this is where I'm going to suggest  
6 that some of you think about the discussion we had  
7 yesterday and think about the possibilities for how to  
8 align what happens in the United States and what  
9 happens internationally because one of the things that  
10 we had thought about and one of the things that we  
11 have heard already to date, is that a method to try  
12 and increase alignment is to say okay, licensee, you  
13 have to establish a constraint for occupational  
14 exposure and, licensee, you cannot pick a number  
15 greater than X.

16 Now, since everybody has been focused on  
17 the limit and the question of five versus two, one  
18 possibility would say the constraint that you pick  
19 could be the 2 rem such that the value of 2 rem is a  
20 value which you control. Your planning activities are  
21 associated with planning within that realm.

22 But if you go over 2 rem, the fact that  
23 you went over would not be the violation. It would be  
24 what did you do with it? Would you need to report it  
25 or not? Open question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   What sorts of things would be necessary?  
2                   What sort of additional analysis and justification  
3                   would be necessary to operate in that realm in that  
4                   activity?

5                   So, I think there are a number of  
6                   possibilities. And what I would really like for us to  
7                   discuss this morning is these three possibilities and  
8                   the extent to which that could work or not work within  
9                   your different kind of licensee programs, the fact -  
10                  the extent to which you may already be doing that and  
11                  this just writes it in the books as something you do,  
12                  or whether in fact - and whether in fact it would add  
13                  to some of the protection that's afforded.

14                  So, I've sort of summarized those  
15                  questions. I'll quickly lay them up there and then  
16                  we'll go back to a couple of the options.

17                  Are there benefits and impacts associated  
18                  with imposing the use of constraints?

19                  Instead of it just being a good practice,  
20                  say you've actually got to do planning. You've  
21                  actually got to write it down.

22                  Implementation impacts, and this gets to  
23                  the real what would the ink dot say, what would you  
24                  inspect? What would compliance look like? What would  
25                  we go looking for? What would you be expecting of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 yourselves, of your users and otherwise? What kind of  
2 reporting or not reporting?

3 Because the options there range from it's  
4 simply a part of your program, there's no need to  
5 report anything, it only happens if the NRC or a state  
6 were to come out and inspect it. They would expect  
7 you to have records that there, here's what you did,  
8 this is what we did, this was the circumstance, here's  
9 what we did with it. All of that, so perhaps there's  
10 no reporting. We need to discuss that a little bit.

11 The relationship of the limit and the  
12 constraints. Most of your yesterday again as  
13 summarized this morning, all arguing that there's no  
14 basis for changing the 5 rem from an underlying  
15 scientific standpoint and wanting flexibility.

16 This perhaps is a way to have some  
17 flexibility while still having numeric values which  
18 would seem to align with the international standards  
19 present within the regulatory structure.

20 And as I said, one of the questions that  
21 has been raised multiple times is what's the  
22 difference between a limit and a constraint, and what  
23 would a use like this look like that would avoid it  
24 being a defacto limit? Very important for the  
25 discussion.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Is it an appropriate insertion of the  
2 regulatory requirement?

3           I know we have some people who say well,  
4 you shouldn't just go codify best practice even if not  
5 everybody is doing it. So, that question has been  
6 raised. You need to think about how that works.

7           And then at this point, one of these  
8 times, Dan, I think it would actually be useful to go  
9 around the room and say okay, how familiar are the  
10 different groups? What are you actually doing in  
11 terms of your planning and activities as part of your  
12 radiation protection program?

13           Because part of what we're seeking to know  
14 now is the degree to which this is typical practice  
15 and this suggestion is, in essence, codifying that  
16 which happens today versus something that would have a  
17 new significant impact in the process.

18           So, are you using them today? What kind  
19 of numbers are you using today, if you are using them?  
20 How are you using them and how is that working for  
21 you?

22           Because this is an area where there's not  
23 a whole lot of information, and I know that sounds  
24 sort of - I mean, how is that for you? Was that good  
25 for you or not good for you?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Those really was the question that we'd  
2 like to try and ask today as we talk about this  
3 concept of constraints.

4           And so, Dan, with that, let's go to the  
5 discussion. Here we go.

6           FACILITATOR HODGKINS: Now, let me just ask  
7 the panelists does everybody feel like there's some  
8 issues that you want to take with this?

9           So, should we do round robin or do you  
10 want to just open it up and I expect that everybody  
11 would have a comment or two?

12           Round robin. Okay. Kate, because I  
13 started with you, I'm going to let you go this time.  
14 Right? You did the first one.

15           Ellen, new participant. Let's try going  
16 with you first. And for the sake of the webinar, if  
17 you would please say your name before you make your  
18 comment, thanks.

19           MS. ANDERSEN: Thanks. Ellen Andersen from  
20 the Nuclear Energy Institute.

21           The use of constraints is actually used  
22 within the power reactor sector as we speak.

23           FACILITATOR HODGKINS: Use that one.

24           MS. ANDERSEN: Is that better?

25           FACILITATOR HODGKINS: Better. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. ANDERSEN: Okay. Yeah, we do use  
2 constraints. We don't call them constraints in the  
3 power reactor sector, but we do have - we use them in  
4 probably two different areas.

5 The first one is we have administrative  
6 dose limits within each company which is less than the  
7 5 rem per year. So, we don't work beyond a certain  
8 number. And that varies from company to company, but  
9 it's quite a bit less than 5 rem per year.

10 The other area is the whole issue of ALARA  
11 planning. When we plan specific jobs, and that's  
12 basically every job in the plants, we actually  
13 estimate what that job is going to be from a dose  
14 perspective. And then we go ahead and actually have  
15 goals which is somewhat less than the estimate.

16 And for that reason if you were to look at  
17 the collective radiation exposure graph in the United  
18 States, you will see that it's been a downhill slope  
19 since - actually, for the last 15, 20 years because we  
20 have been using these ALARA techniques.

21 We have been pushing ourselves to reduce  
22 exposure as much as possible. So, we have actually  
23 instituted our own internal industry constraints.

24 So, I really don't think, to be honest  
25 with you at this point in time from a power reactor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 perspective, that we need to codify practices that  
2 we've already been implementing for years.

3 FACILITATOR HODGKINS: Thank you very much.

4 And I'm going to ask you to use the microphone  
5 because they are having difficulty. So, let's just  
6 pass it around.

7 DR. ATCHER: Robert Atcher, Society of  
8 Nuclear Medicine.

9 I've worked at two national labs, National  
10 Institutes of Health and about five universities, and  
11 I can't think of any one of those organizations that  
12 didn't have some sort of a formal ALARA program.

13 And as was pointed out, it's part of the  
14 NRC regulations and you can't have an ALARA program  
15 without monitoring what people's exposures are in  
16 tracking those who seem to be out of bounds in terms  
17 of radiation exposure. So, I think there's a danger  
18 here of just duplicating what's already in the  
19 regulations.

20 It's also very seductive to, you know,  
21 propose this as a constraint rather than a dose limit,  
22 but I'll go back to what I said at the beginning. And  
23 that is, is that if there's really no scientific basis  
24 for a 5 rem dose limit or anything below that, then  
25 this again is simply kind of a way of coming in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 back door with trying to institute those exposure  
2 limits.

3 So, you know, every organization I've been  
4 a part of has had an ALARA program, has done enough  
5 monitoring of the employees to be able to identify  
6 those whose exposures are getting out of bounds  
7 according to what the internal guidelines are, and I  
8 see this as duplicative.

9 FACILITATOR HODGKINS: Thank you.

10 MS. BEEGLE: Cheryl Beegle from the  
11 National Institutes of Health, but really speaking in  
12 terms of just imaging.

13 It's easy when you work in a large  
14 institution with - for example, at NIH we have a whole  
15 division of radiation safety that receives all our  
16 packages on campus, and then redistributes them to the  
17 various institute buildings that are using them and  
18 monitors our badge use and things like that. It's  
19 very seductive to get used to that kind of structure.

20 But in the smaller community hospitals  
21 that are all over the country and the trailers and the  
22 private radiology practices as few as they might be  
23 who may see a health physicists on a quarterly basis,  
24 it really falls to the lowest person in the structure,  
25 which is usually the technologist, as to how this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 compliance is dealt with.

2 And this is just for medical imaging  
3 isotopes and while I think there is that oversight  
4 from that contracted health physicist, it can be hit  
5 or miss and compliance can be with the spirit and not  
6 the letter of the law.

7 FACILITATOR HODGKINS: Thank you.

8 MR. BOYD: Thanks. I think I agree with a  
9 lot of what I'm hearing that -

10 FACILITATOR HODGKINS: Mike, can you  
11 introduce yourself again.

12 MR. BOYD: Mike Boyd, EPA.

13 I don't think a constraint is something  
14 that you can numerically quantify in a regulation. I  
15 think that's, you know, as Don, I think, pointed out  
16 very well, that would defeat the purpose of it. I  
17 think the importance is that you have a program that  
18 incorporates ALARA.

19 We - also, EPA recognized this in the 1986  
20 Federal Guidance for Occupation when we - and these  
21 were the recommendations that were signed by President  
22 Reagan in 1986 that established or recommended the  
23 establishment of 5 rem at that time as the worker  
24 limit.

25 But in those recommendations, we required

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that there be administrative control levels set where  
2 appropriate based on the kinds of doses and the kinds  
3 of work that might be done in your facility.

4 We actually implemented that at EPA when  
5 we set up our worker safety program for, you know, we  
6 only occasionally do site visits across the regions.

7 And so we looked at all the TLD data that  
8 we had for, you know, going back to the beginning of  
9 the Agency and found strings of less than detectables,  
10 you know, zeroes or, if you will.

11 So, we said there's no reason for an EPA  
12 worker to have to get more than five millisieverts or  
13 500 millirem.

14 So, we set that as an administrative  
15 control level, and then we built in all sorts of  
16 waivers that could allow you to get up to the full 5  
17 rem if it were, you know, supervisory approved.

18 The only time we would ever have to do  
19 that now is in our on-scene coordinator responses to a  
20 potential nuclear incident.

21 FACILITATOR HODGKINS: Thank you, Mike.

22 Stephen.

23 MR. BROWNE: Stephen Browne representing  
24 Troxler and portable gauge users.

25 Portable gauge users are a class of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 licenses that actually are probably one of the - in  
2 terms of numbers, probably one of the largest classes  
3 of licensees.

4 The doses from portable gauges are  
5 extremely low. So for portable gauge users, they have  
6 - they recognize ALARA, they practice ALARA, but there  
7 isn't any formalization of constraints in their  
8 radiation protection programs. And I would really  
9 question that there is a need for it.

10 Most of the doses for portable gauge users  
11 are probably less than minimum detectable almost all  
12 the time.

13 So, what happens is if a portable gauge  
14 user - and Troxler is in a unique position because we  
15 not only manufacture portable gauges, but we also  
16 provide a lot of services to the user community,  
17 including radiation monitoring services.

18 So, monitoring isn't required for these  
19 users because they're not going to receive 500, but  
20 many of them monitor their employees anyway.

21 Whenever they get a positive reading, I  
22 almost invariably get a phone call. Hey, I got a  
23 reading of 20. Should I be concerned?

24 So, there is a significant level of  
25 concern, but I don't think that there would be any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 enhancement or any value added by adopting formal  
2 constraints when we're talking about doses that are so  
3 low.

4 And I question how you would implement  
5 constraints anyway for a population of workers for  
6 whom monitoring isn't even required.

7 If they chose not to be monitored, how  
8 would they implement a program of constraints?

9 One of the big issues for portable gauge  
10 users is regulatory burden. It's a really big issue.  
11 It's a real issue.

12 Nuclear gauges are used for a lot of  
13 important infrastructure work in this country related  
14 to building of roads, the building of airports and a  
15 lot of other stuff.

16 The people that are doing this work are  
17 not professional health physicists. They're soil  
18 technicians and engineers, and there is a lot more  
19 technology, actually, that goes into building of our  
20 roads than I realized before I got into this.

21 I came from a nuclear power background,  
22 but there are ASTM standards written around the use of  
23 portable gauges. It's pretty much the gold standard  
24 for the kind of work that they do.

25 There are other methods, but they're not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 as precise or accurate or fast and the regulatory  
2 burden is actually, literally driving people away from  
3 the use of this important technology.

4 And I would really encourage that we not  
5 add more burden that would really frustrate these  
6 people and, you know, take away this really beneficial  
7 use of nuclear technology.

8 FACILITATOR HODGKINS: Thank you, Stephen.

9 MR. BUNDY: Kevin Bundy, Canadian Nuclear  
10 Safety Commission.

11 We do not have constraints incorporated in  
12 our regulations yet. They were only briefly discussed  
13 in ICRP 60. We didn't incorporate them at that time.

14 Although, we see much more detail in ICRP 103.

15 We do have in our regulations what we call  
16 an action level, which is very similar to the value  
17 that Donald showed up later for the NRC, except we  
18 apply it for right across the board. It can be  
19 applied for dose limits or effluents or even workplace  
20 monitoring concentrations.

21 So, it sort of works as a constraint in  
22 that respect, but it's more there to notify us or the  
23 licensee of a possible failure of control. So, it's  
24 not really a constraint in that respect.

25 And, actually, we expect that limit to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 exceeded a couple of times a year. So, I'm saying it  
2 should be set that low within the operational  
3 variability of whatever they're measuring.

4 With that comes some experience, though,  
5 because we find some licensees very reluctant to  
6 incorporate that value because they are judged, I  
7 guess, on the success of their program and how many  
8 times they have to notify the CNSC of an event.

9 And then that qualifies as an event, of  
10 course, and then they don't like that. So, they push  
11 back and try to have that value raised and it causes  
12 some concern.

13 We've also had issues with understanding  
14 what that value is, what the action level is and what  
15 tries to do. And although we have a guidance document  
16 on it, even some of our own people don't seem to quite  
17 understand what it is.

18 And I think even with the constraint  
19 itself, I think just listening to this discussion  
20 here, I think we're going to be at that same issue of  
21 communicating exactly what the constraint is and what  
22 you have to do to convince in what it's really  
23 supposed to do. And that will be a challenge when you  
24 bring it in.

25 I don't know if I mentioned it or not, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we don't have constraints in it. But our regulations  
2 are due for review over the next couple of years and I  
3 guess we'll be approaching whether to include them or  
4 not at that point.

5 We are waiting to see what happens, what  
6 comes out in the IAEA basic safety standards because I  
7 understand there's quite a lot of comments on the last  
8 draft. And I'm sure a few of them might be with  
9 respect to constraints. Thank you.

10 FACILITATOR HODGKINS: Thank you, Kevin.  
11 Erskin.

12 MR. HICKMAN: Erskin Hickman, United States  
13 Enrichment Corporation.

14 As Ellen stated, you know, most of us in  
15 the - or all of us in the nuclear sector, nuclear  
16 power sector, already implement these constraints  
17 through our administrative levels or administrative  
18 limits that we have established.

19 I think Dr. Cool asked what those levels  
20 are. We do an ALARA planning - formalized ALARA  
21 planning at a hundred millirem per individual or a  
22 thousand millirem collected dose for a job.

23 Not to steal Duann's line, but I'd like to  
24 vote for 4a because we already implement 4b and 4c.

25 FACILITATOR HODGKINS: Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Lee.

2 MR. COX: Lee Cox representing the  
3 agreement states and CRCPD.

4 I'm really not hearing anything new here.

5 It may be a new terminology, but what I'm hearing is  
6 what we call a radiation protection program, ALARA  
7 program.

8 Most of our licensees in most of the  
9 states require an investigational limit which is much  
10 below the 5 rem per year. It's typically 1 rem or  
11 less.

12 We would - the states would see this as a  
13 - just another bureaucratic burden on the states and  
14 the licensees on something that we're already doing.  
15 And I think I'd like to stress that the NRC, I think,  
16 is already addressing this in the appropriate way, and  
17 it's called a safety culture policy statement. Thank  
18 you.

19 DR. RABOVSKY: Joel Rabovsky, Department of  
20 Energy.

21 In our Department of Energy occupational  
22 radiation protection requirements in 10 CFR 835, we  
23 do, as NRC, have requirements to utilize the ALARA  
24 process as part of radiation protection programs.

25 In other parts, we do have design

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 requirements specifying that - or design goals. I  
2 shouldn't say requirements. We have design goals for  
3 new and modified facilities. And they're basically  
4 about 20 percent of the dose limits.

5 In guidance, we do have an administrative  
6 control level of 2 rem per year. And that would  
7 require the head of a DOE element to notify - to be  
8 notified if an individual working under that person's  
9 jurisdiction would exceed or was anticipated that  
10 individual would exceed 2 rem in a year.

11 And in DOE's environmental protection or  
12 environmental and public protection requirements,  
13 there is a 30 millirem, I guess you could call it a  
14 constraint on the total, I guess, all pathway releases  
15 from a facility.

16 And the purpose of that is if doses are  
17 controlled or releases are controlled at that level,  
18 then the operators of the facility don't have to do  
19 any more environmental dose assessments to account for  
20 all sources of DOE doses from any source that might be  
21 received by a member of the public.

22 But once again, you know, I think some of  
23 the questions are these are like constraint-like  
24 things. I don't know if they're exactly defined in  
25 the way that we've heard this morning, you know.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I think what we're talking about is  
2 administrative control levels that are part of ALARA  
3 programs that we've heard of historically different  
4 types of numerical triggers to have people think about  
5 things and relieve the effort of doing additional  
6 things.

7 But once again I guess in listening to  
8 this and having read a little bit of ICRP 103, I'm not  
9 quite sure if these quite qualify as constraints or if  
10 this is just a sort of - or if in this discussion  
11 we're using "constraints" in a very large and broad  
12 type of definition.

13 FACILITATOR HODGKINS: Thank you, Joel.

14 Philip.

15 MR. GIANUTSOS: Phil Gianutsos with Energy  
16 Solutions.

17 We've been operating under the effluent  
18 constraint now since, what, '97, '98. It does  
19 effectively become a limit.

20 In terms of facility inspections, facility  
21 audits, we were audited every week it seems. I get  
22 NUPIC, DOECAP, individual customer audits, American  
23 Nuclear Insurers, a variety of checklists. And almost  
24 without exception it is communicated as a question,  
25 how you doing against the effluent limit?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           When I look at even Part 20, it's laid out  
2 in 1101 as a constraint. The requirements are that if  
3 you exceed the constraint, you investigate, report and  
4 determine what needs to be done so it doesn't  
5 effectively happen again.

6           How does that differ from response to a  
7 citation?

8           I guess we don't write a check with it.  
9 That's part of it. But when you look at the reporting  
10 requirements, it points back to - what is it - 2201, I  
11 believe, which sandwiches that constraint between  
12 other license limits and a variety of other limit  
13 exceedances. So, it's effectively been placed into  
14 that category for purposes of reporting already.

15           As far as numerical guides go, a single  
16 value in Part 20 is not going to be a reasonable,  
17 equitable application.

18           What our occupationally-exposed workers  
19 are challenged with versus Stephen's, for example, are  
20 completely different. How would you apply the same  
21 numerical value with the expectation that it's going  
22 to have similar impacts? The cost is going to be  
23 excessive.

24           From there, we do administrative limits.  
25 And I believe administrative limits being exceeded has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 warranted some interaction with regulators maybe not  
2 desired, but an administrative limit has been viewed  
3 as a control point that is either met or not met.

4           Constraint is going to turn into a similar  
5 limit, so I really don't see the value when licensees  
6 are already implementing it.

7           For our facility, we start at 500  
8 millirem. As your annual exposure increases beyond  
9 that, the level of approval required to go  
10 increasingly higher becomes more rigorous and the  
11 justification becomes rigorous, and that's really  
12 what's required.

13           We'd argue that an appropriate review of  
14 the rad protection program is the place to  
15 individually analyze application of ALARA and of  
16 constraints for a particular licensee and not a  
17 wholesale approach for all.

18           FACILITATOR HODGKINS: Thank you, Phil.

19           George.

20           MR. MARSHALL: George Marshall, APNGA,  
21 portable nuclear gauges.

22           And, again, to kind of echo a little bit  
23 of what Steve and even Lee said, you know, we have a  
24 big industry in terms of number of licensees, you  
25 know. Tens of thousands, if not maybe over a hundred

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 thousand people out there using these gauges. A lot  
2 of them construction workers. They come and go.  
3 There's a lot of turnover in the industry, but my gut  
4 feel looking at this is that the program that's  
5 currently in place can be very effective.

6 Numbers aren't really an issue for us.  
7 We're not going to approach those numbers, but then  
8 individual cases in terms of methodology of using the  
9 gauge would be more, you know, the way you work around  
10 the gauge.

11 I see where there's opportunity for a lot  
12 of improvement in training. I am on the panel for the  
13 Culture Safety Initiative, and I hope that that  
14 initiative will at least for this industry be very  
15 beneficial in tapping into getting the leaders of the  
16 organization involved, as well as perhaps the RSOs.

17 And then, you know, another benefit I  
18 think would be in revisiting the training. There is a  
19 lot of material for these guys, the regulations to  
20 learn, but, you know, to have a champion within the  
21 organization like an RSO and to revisit the training  
22 with those individuals I think will, you know, we have  
23 what we have in place will be very effective.

24 FACILITATOR HODGKINS: Thank you, George.

25 Larry.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HAYNES: Larry Haynes, Duke Energy,  
2 power reactors.

3 Ellen and several others have talked about  
4 a few of the things I want to mention. As far as the  
5 power reactors go, you know, we do set administrative  
6 limits on an annual basis. Ellen mentioned that  
7 utilities sit at various levels. Typically, it's from  
8 1 rem to 2 rem per year is the admin limit.

9 We have processes and procedures. If a  
10 person needs to go above that, they will - we will go  
11 through that process to do an extension for those  
12 folks that would need to exceed that.

13 FACILITATOR HODGKINS: Can you hold the  
14 microphone up to your - yes.

15 MR. HAYNES: Okay. Is that better?

16 FACILITATOR HODGKINS: Better.

17 MR. HAYNES: Okay. We also in the planning  
18 process, we develop what will be the radiation work  
19 permit maximum set points or maximum limit for a  
20 specific job. And then the set points for that work  
21 is generally set below what the maximum allowable will  
22 be.

23 So, we're establishing ourselves with  
24 various - and "constraint" is probably the right word  
25 with maximum annual limit and then specific job

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 limits.

2 And then those set points, as I mentioned,  
3 are set on electronic dosimeters so that each specific  
4 job is controlled to its own planning level.

5 In refueling outages or during online  
6 periods, we set - we do ALARA planning. And those  
7 jobs are planned out for each task within that and  
8 mockups and other type things take place to optimize  
9 that work.

10 And then estimates are set for the overall  
11 job, and then challenge goals are set for that to try  
12 to minimize the dose for - in specific jobs.

13 And finally I'd mention within the reactor  
14 oversight process, we have the significant  
15 determination process. Built into that is a look at  
16 how did we do against our ALARA planning?

17 So, the NRC will come in. And when they  
18 run the inspection for the radiation protection  
19 program, look, how did you do against how you said you  
20 would do for your plans? And we're judged against how  
21 well we did that.

22 If we exceed the estimate by 50 percent,  
23 then there's questions. Why did you exceed that?

24 So, we constantly have a loop there of  
25 checking back on ourselves. And the last thing I'd

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mention there we have performance indicators within  
2 the reactor oversight process. And any dose a hundred  
3 millirem above what has been planned, and typically  
4 that would be the electronic dosimeter set point and  
5 unplanned exposure question, and we count those and do  
6 investigations. And actually at my utility, we do  
7 root cause analysis for why we exceeded that.

8 So, to all that I'm just to say that, you  
9 know, I believe that we've built this into our  
10 programs in the power reactors to a significant  
11 extent. And anything we would say about constraints  
12 in the regulations would really just be trying to  
13 reiterate what we already do for - from an excellent  
14 standpoint.

15 FACILITATOR HODGKINS: Thank you, Larry.

16 Steve.

17 MR. MATTMULLER: Steve Mattmuller.  
18 Listening to the comments and trying to understand  
19 what a constraint is in the ICRP publication, and then  
20 to think that it first came out in 1990, 20 years ago  
21 and everyone is still having trouble defining it, and  
22 so I'm concerned about that.

23 And then even more concerned how the NRC  
24 would develop a regulation for a constraint. And  
25 perhaps even more troubling would be when the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 regulation hits the road, how we would be inspected  
2 against this.

3 Really struggling with this concept and I  
4 keep going back to a radio program I was listening to  
5 on leadership and a leadership seminar. And it says  
6 if you want to be a good leader, you should study  
7 history to see like Churchill, how he succeeded. And  
8 even to study how leaders fail, to learn from that.

9 But the most dangerous leader is a leader  
10 with a new theory, and this really looks like a new  
11 theory to me because I'm really struggling to figure  
12 out how - or maybe this would be a question for the  
13 NRC: How you think incorporating constraint levels  
14 into the regulations would be more effective than what  
15 we're already doing with our ALARA program, and I  
16 can't see a benefit here.

17 And so it seems like we're going to be  
18 spinning our wheels a great deal here for no gain and  
19 potentially some harm in that in a real sense, the  
20 constraint becomes a new limit that was not intended.

21 Thank you.

22 FACILITATOR HODGKINS: Thank you, Steve.

23 MR. STAFFORD: Mike Stafford, Oak Ridge  
24 National Lab.

25 Yeah, Joel mentioned that 10 CFR 835, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 know, has ALARA processes optimization, but it's been  
2 an interesting evolution to get to 835 from DOE Order  
3 54.8011.

4 There was a transition document. We  
5 called it the Rad Con manual. And it was not  
6 codified. And in it there was a - the concept of the  
7 ACL, administrative control level, set at 2 rem.

8 And when 835 was codified, contractors  
9 were required to submit - we call them radiation  
10 protection programs or RPPs, which was the equivalent  
11 of our license.

12 And it became customary to insert language  
13 in our RPPs that set that ACL at 2 rem even though 5  
14 rem was still codified in 835. So, now I'm not sure  
15 if there are any DOE contractors out there that  
16 operate from a different ACL greater than 2 rem.

17 So, the ACL really became a limit for us  
18 and - or sort of a defacto standard for the DOE  
19 contractors. Now, the concept of a constraint sounds  
20 more lenient than the ACL that we're living under.

21 Now that being said, we at Oak Ridge  
22 National Lab operate - we call it an ALARA control  
23 level at 600 millirem and for maximum individual  
24 exposure. And it's been 600 for quite a few years.

25 And to my knowledge, we haven't had a year

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 yet where we haven't had at least a few people that,  
2 you know, we go through the process to grant approval  
3 to exceed the 600. And so it seems to be a healthy  
4 process.

5 So I, you know, Phil mentioned they use  
6 500 at Energy Solutions, you know. The idea of sort  
7 of establishing a threshold value that seems to fit  
8 your operation, your organization, you know, allowing  
9 us to have that kind of flexibility, and then take  
10 appropriate action, you know, to sort of manage that  
11 seems like a good thing and kind of even fits the  
12 constraint definition that we're all struggling with.

13 The idea where if I had to contact my DOE  
14 counterpart and make formal notification if someone  
15 was going to exceed 600, sounds distasteful to me.

16 So, anyway, the point, too, is that the 2  
17 rem ACL has sort of crept into the DOE community as a  
18 defacto standard. And so there is some danger of  
19 that.

20 FACILITATOR HODGKINS: Thank you.

21 MS. THISTLETHWAITE: Duann Thistlethwaite,  
22 Triad Isotopes.

23 I'll echo Erskin on his comment, but I  
24 wanted to add a couple of other comments. I'm very  
25 discouraged by the use of the word "constraint." I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 wondering who it's supposed to be a constraint for,  
2 the people filling out the forms or the regulatory  
3 agencies or the workers.

4 So, I don't like the negative connotations  
5 of the word "constraint." I'd rather use something  
6 like an action level, investigation level. It just  
7 seems like an odd word to have picked.

8 Also, on constraints to the environment  
9 and the public, on that I think it comes into the  
10 design and planning of the facilities and what you can  
11 do in that aspect.

12 In cyclotrons, we do volt analysis, what  
13 we can do to have any exposure coming from that. I  
14 think that sometimes the planning of that really isn't  
15 in the radiation protection program. It's somewhere  
16 else in the licensing.

17 So, I think that I guess the question  
18 comes up if - right now the way you apply for a  
19 license, it says do you have a radiation protection  
20 program? Yes or no, you know.

21 So, I think it's more maybe perhaps there  
22 could be guidance more on what is a good radiation  
23 protection program for sites that don't have total  
24 departments devoted to radiation protection, some  
25 guidance on that, what could be in the planning,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 what's a good planning, what's not? Maybe some  
2 workshops and things on that would be more helpful to  
3 the licensees.

4 I kind of heard that from Cheryl and what  
5 we could do to improve where we are. So, I think that  
6 could help us all bring our compliance up to another  
7 level.

8 My company now, and past companies, have  
9 always had investigational levels, action levels, what  
10 you do at certain levels. Is it a written  
11 investigation? Do you have a face-to-face  
12 conversation with people? How do you avoid certain  
13 exceedances of internal triggers?

14 So, I think that's there. I think it is  
15 in a strong radiation protection program or ALARA  
16 program.

17 Also, I think that there has to be that  
18 tie with upper management to explain what these levels  
19 are, what it means. And then to the workers  
20 themselves if you hit this, what does it mean?

21 You can sit and crunch numbers. And in  
22 quality we do a lot of graphing and data trends and  
23 things and we're all excited about that, but does it  
24 really mean something to the employees where they hit  
25 these levels or if we're all below levels?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So, I think it could be more of an  
2 educational opportunity for us all to improve our  
3 radiation protection programs. I don't believe it  
4 needs to be codified at all.

5           I think we do these things. I think we  
6 could probably do it better and help our other  
7 counterparts that don't have total divisions devoted  
8 to it.

9           FACILITATOR HODGKINS: Thank you.

10          MS. ROUGHAN: Kate Roughan, QSA Global and  
11 ISSPA.

12          As a manufacturer and distributor, we have  
13 a program where we have our corporate limits. Then we  
14 have a safety goal. And if you exceed that - need to  
15 exceed that safety goal, it needs specific approvals.

16          But even below that for the different class of  
17 workers depending on the job they do, each of the  
18 departments has very different average  
19 exposures/annual limits. So, take a look at the  
20 individual departments and review that quarterly.

21          If a new process is being introduced, we  
22 do one specific section of that is that you look at  
23 the ALARA ramifications. How can we design this  
24 process so that the workers receive as low a dose as  
25 possible?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So, I believe it's a very effective  
2 program. It gives us a lot of flexibility to work to  
3 reduce the worker dose, but not push us up against any  
4 regulatory limit or be assessed against the regulatory  
5 limit or a lower constraint level, I should say.

6           For the industrial radiographers, they all  
7 have ALARA programs very specific to the type of jobs  
8 they do.

9           A fixed facility is going to receive a  
10 much lower dose. So, their investigation level will  
11 be much lower than a temporary job site or a pipeline  
12 facility.

13           I just want to go - I found this  
14 interesting. Don, you put something up on the IAEA  
15 BSS. And I've participated in some of the IAEA  
16 activities and I find that most of the input is from  
17 the developed countries. And in the BSS, they are the  
18 ones giving the best guidance, best practices of how  
19 to implement the safety program for countries that  
20 aren't quite as developed.

21           So, the dose constraints recommendation, I  
22 don't want to stick with the word "dose constraint,"  
23 but the ALARA program is very effective and I think  
24 that's where it's been pushed.

25           But, again, I think it's been pushed by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the developed nations more so to give guidance to  
2 countries that need to implement the radiation  
3 infrastructure.

4 FACILITATOR HODGKINS: Thank you, Kate.

5 Now, what I want to do next is have you  
6 guys come back and forth where you agree, where you  
7 may disagree, where you feel like you need to echo or  
8 magnify a comment that was made.

9 However, we're having some difficulty with  
10 the sound system again for the webinar participants.  
11 So, we're going to take a ten-minute break - 15. 15-  
12 minute break.

13 And when we get back into the room then,  
14 we'll start that discussion. And that will give you  
15 all time to reflect and think real hard of how you  
16 want to respond to that.

17 So, right now I have 9:50. We will get  
18 back into this room at 10:05. Appreciate it.  
19 Coffee's in the back. Restrooms to the right.

20 (Whereupon, the proceedings went off the  
21 record at 9:50 a.m. for a brief recess and went back  
22 on the record at 10:04 a.m.)

23 FACILITATOR HODGKINS: All right. We're  
24 good. We're back at it. One thing is the hand-held  
25 mics work the best. So, let's forget about the ones

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at the table, and we'll just use hand-held mics.

2 And I appreciate your patience in coming  
3 back into the room with a discussion. I think I'll  
4 let Don then facilitate some of the discussion.

5 DR. COOL: Thank you, Dan.

6 As people come back into the room, we've  
7 gone around the table and let me offer a couple of  
8 reflections and then ask some questions.

9 I think that I've heard that everybody  
10 thinks it's a good idea to do planning. That most  
11 everybody does planning at some level. That you like  
12 to be in control of your own planning. That you don't  
13 want to have a requirement just for the sake of  
14 requirement. And that there's lots of folks probably  
15 not at the table, smaller organizations, institutions  
16 and otherwise that could probably do some increased  
17 planning and have protection, and it would be really  
18 nice to increase the guidance and strengthen the  
19 things that are out there so that there's a better  
20 implementation of the program.

21 Are those bits and pieces consistent with  
22 what you think you said?

23 There's some nodding up and down. Okay.  
24 And we're going to come out to the audience in a  
25 little bit, but I wanted to check those points because

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that then leads me to a couple of questions.

2 And the first is, okay, having some  
3 additional guidance is an interesting idea. We didn't  
4 have that up on the screen, but that's good. But one  
5 of the things you have to know is that a regulatory  
6 agency has to have a requirement to write guidance  
7 for.

8 And so I would like to explore - reflect  
9 back to you what kind of guidance that you would write  
10 and how you would point that back to something that  
11 you're actually implementing because I'm not quite  
12 sure how we would get there.

13 And I would like to come to Lee because  
14 Lee talked about what I suspect is probably North  
15 Carolina-specific, a requirement to do some  
16 investigation and sure sounded a bit like what we were  
17 talking about.

18 And the Department of Energy has an  
19 administrative control level, which is in fact the  
20 word used in the federal guidance. Mike Boyd reminded  
21 us of that. So, there's actually that sitting there  
22 and down in Oak Ridge that's turned into a limit.

23 So, I'd like to explore some of those - I  
24 won't call them discrepancies, but some things that I  
25 think we need to explore a little bit further to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 understand how to accomplish good protection, which we  
2 all agree has certain facets to it, in a way that's  
3 reproducible, consistent and visible to everyone  
4 because those are key principles of our regulatory  
5 structure.

6 And perhaps to start, ask Lee to expand a  
7 little bit on that little teaser you tossed out for  
8 us.

9 MR. COX: Lee Cox, OAS, CRCPD and from the  
10 state of North Caroline.

11 During the break, I did make some phone  
12 calls and confirm what I said. Thought that might be  
13 helpful.

14 (Laughter.)

15 MR. COX: In North Carolina, we don't have  
16 a rule that requires investigative levels, but we do  
17 have it in our licensing guidance. And we point all  
18 of our licensees to our website with that guidance.

19 So we do by that guidance, require all  
20 radioactive material licensees to have an  
21 investigative level that is below the 5R limit per  
22 year in their license application, and then we review  
23 it.

24 And typically what happens in one example  
25 is, one licensee, it's very flexible depending on what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the application is, what the material is, what the  
2 type of use is. One example is one licensee committed  
3 to an investigative limit of 250 millirem per quarter.

4 How we would enforce that is we would  
5 accept their commitment in the license application.  
6 During the routine inspection or an investigative  
7 inspection, we would go in and review their records,  
8 see if, number one, has anyone exceeded the 5R limit,  
9 and then have they had anyone exceed the 250 millirem  
10 per quarter limit, and how they investigated it.

11 I heard Larry say root cause analysis. We  
12 require them to do a root cause analysis. That would  
13 all be documented, which I hear is kind of an ICRP  
14 requirement or the proposal. That's already being  
15 done in the state of North Carolina and many other  
16 states.

17 It is not the same in our electronic  
18 radiation-producing machines yet. It is in the  
19 radioactive materials program. We're going towards  
20 that in x-ray, and all of this is going to be captured  
21 under an improved focus safety culture program that  
22 the NRC is working on a policy statement.

23 We're very interested in that and very  
24 involved in that, and we will incorporate that into x-  
25 ray and radioactive material programs in North

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Carolina. I think a lot of other states will too.

2 DR. COOL: Thank you.

3 MR. COX: Does that answer your question?

4 DR. COOL: Mostly. I'd like to come back  
5 and check on one thing so that the record is clear.

6 So, your requirement is in licensing  
7 guidance.

8 MR. COX: That's correct.

9 DR. COOL: So, it's not part of your  
10 regulation, but essentially nobody is going to get a  
11 license without having done that.

12 MR. COX: It becomes a commitment.

13 DR. COOL: It becomes a commitment.

14 So, playing devil's advocate for the  
15 moment, have you ever been challenged by a licensee  
16 because you can't point to something in the  
17 regulations or what do you point it to?

18 MR. COX: Not yet.

19 (Laughter.)

20 DR. COOL: Okay. Sorry. Maybe we'll  
21 expunge that from the record.

22 MR. COX: But usually, you know, they -  
23 most of the licensees feel that that's a good  
24 practice. And that they feel free in committing to  
25 that type of investigative limit, something below.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And it keeps them out of trouble from reaching the 5R  
2 limit.

3 DR. COOL: Okay. Very interesting.

4 Now, I'd like to come to I think perhaps  
5 Joel next, because you talked about what DOE has. And  
6 there the Regulation 835 has the 5 rem limit, but in  
7 your - and I don't know what the right term - it used  
8 to be the Rad Con manual, but I think the terminology  
9 has changed.

10 You have what amounts to a requirement for  
11 2 rem, and that going above that requires increasing  
12 approvals up to somebody in the secretary's office, as  
13 I remember. And Mike over here talked about how that  
14 was effectively a limit.

15 Can you help us understand a little bit  
16 more about the DOE model?

17 DR. RABOVSKY: Sure. As Mike said, things  
18 weren't done quite sequentially. The Rad Con manual  
19 came out in 1992. At the same time, DOE was in the  
20 process of codifying its DOE order on radiation  
21 protection 5480.11.

22 But I guess with what we have, I would  
23 start in the following way: We do have a requirement  
24 in our section on developing radiation protection  
25 programs, that says all radiation protection programs

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 shall, I guess, include formal plans and measures for  
2 applying the ALARA process to occupational exposure.  
3 And so I think that basically now sets an ALARA type  
4 of requirement.

5 To be more accurate, everything else we  
6 have in DOE has been carefully written to be guidance.

7 The Rad Con manual originally was to be a single  
8 document to serve as a model for programs at all DOE  
9 sites. As such, it included requirements and  
10 guidance.

11 When we codified 54.8011, turned it into  
12 10 CFR 835, part of the process in developing - well,  
13 part of the process was developing implementation  
14 guidance, one section of which was ALARA programs, and  
15 we also rewrote the Rad Con manual. We turned it into  
16 a DOE technical standard.

17 In that technical standard, we didn't  
18 include any new requirements. So, the statement for  
19 the ALARA or the statement for the administrative  
20 control level is guidance. So, I think hopefully that  
21 will clarify.

22 Now, approval level didn't have to go up  
23 to the Secretary of Energy. It went up to the head of  
24 the secretarial element that was responsible for  
25 managing a DOE site.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   So, let's say at Oak Ridge National  
2 Laboratory, in DOE that would be the DOE Office of  
3 Science.

4                   So, if somebody at Oak Ridge National  
5 Laboratory was - there was a chance that person would  
6 exceed this administrative control level of 2 rem,  
7 then they would - the guidance says they should get  
8 approval.

9                   I'll say that's should, because it is  
10 guidance, should get approval from the director of the  
11 Office of Science. I guess it's now the assistant  
12 secretary for the Office of Science that would be the  
13 approval level.

14                   With regard to the way these things work,  
15 you know, as I listen to our discussions, there were  
16 people who use the term "administrative control  
17 level," but there were just as many people who said  
18 "administrative control limit."

19                   In my own personal experience in radiation  
20 protection, one program years ago I worked with had a  
21 500 millirem administrative control level. However,  
22 everybody took that as a limit.

23                   And my lesson from that was if you give a  
24 number, people take it as a limit. Doesn't seem to  
25 make much difference what you call it and what you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 wrote it, how you wrote it. They take it as a limit.

2 So my unofficial, you know, superficial,  
3 however you want to describe it, take is that people  
4 latch onto numbers because it's an easy thing to do.

5 So, you know, I don't know if there's any  
6 way around that or I don't know if my experience is  
7 just limited and people look at that more broadly, but  
8 that's how I've seen it.

9 But I hope the rest of it is clarified,  
10 you know. The 2 rem number is guidance.

11 DR. COOL: Okay. Thank you.

12 I've actually got two hands. And if  
13 you'll give me just a minute, because Duann wants to  
14 respond to this, because now I'd like to try and  
15 explore some of these.

16 And I'll tell you very frankly I have no  
17 prejudice at the moment. You might be surprised that  
18 I have no prejudice towards number, not a number or  
19 otherwise.

20 What I'm interested in is how you have a  
21 regulation and guidance and implementation that has a  
22 systematic logic to it that people can do the right  
23 thing at the right way at the right time to improve  
24 protection that works easily for those of you for  
25 which this is the routine, you do it all the time,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you've got it down to the Nth squared degree, as well  
2 as all the folks that we don't ever get to these  
3 meetings, the small municipal places that Cheryl Ann  
4 was referring to and otherwise who need a little more  
5 something, I'm not even going to put a name on it, to  
6 help work on protection.

7 So, with that as a frame of the  
8 discussion, Duann.

9 MS. THISTLETHWAITE: Thank you.

10 You had asked about the guidance, what it  
11 points to in the regulation. It's basically the  
12 radiation protection program saying that you'll have a  
13 radiation protection program. That's a must. So,  
14 there's your basis of where this all is coming from.

15 But I would urge us to avoid putting the  
16 number 2 rem in there because, as someone said  
17 earlier, it's kind of a backdoor approach. We all  
18 agreed - well, not all, but I would like us all to  
19 have agreed, but -

20 DR. COOL: We're not going to agree today.

21 We're just going to put all this stuff on the record,  
22 but that's okay.

23 MS. THISTLETHWAITE: That 5 rem was the  
24 place to stay, but if you - I believe that, but if you  
25 - but if we believe that as all of us here, then you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 don't put 2 rem somewhere else as an administrative  
2 control limit because then you're saying - doing one  
3 thing and saying another and you're not all on the  
4 same page.

5 So, I'd stay away from the 2 rem even in  
6 the guidance. Like don't put such as 2 rem as your  
7 member that you're trying to meet, because that  
8 defeats the whole purpose of sticking with five and  
9 believing that we should stay with five, but then on  
10 the other page we put two. So, that seems a little  
11 bit backwards in my opinion.

12 But I think that just telling them to put  
13 limits in place lower than the actual limit, you could  
14 say something as broad as that.

15 I mean, we usually do a percentage, but  
16 it's based on, you know, how often the badges are  
17 changed.

18 Is it monthly? Is it daily? Is it  
19 weekly? Is it monthly? Do you set quarterly limits?

20 There is no quarterly ALARA limit. There's annual  
21 limits, you know, but then you could go down to say do  
22 we want to go that far? Do you want to be that  
23 prescriptive or not or leave it more broad?

24 I don't want to work us into a box, so -

25 DR. COOL: Okay. Good.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Lee.

2 MR. COX: Lee Cox, OAS, CRCPD. Just wanted  
3 to clarify something I said since I know your lawyers  
4 are in the background.

5 (Laughter.)

6 MR. COX: In North Carolina, we do have a  
7 rule that - like Duann said that points you to have -  
8 you must have an ALARA program commensurate with the  
9 scope of activity of use of radioactive material.

10 And what we do in North Carolina is give  
11 you guidance that tells you what a good ALARA program  
12 is.

13 We don't specify what the investigative  
14 limit below the dose limit should be. We let the  
15 licensees tell us that in the application and we  
16 review it, because each applicant is unique.

17 So, we don't hold you - we don't tell you  
18 in our guidance this is the administrative or  
19 investigative limit that you must have, but you must  
20 tell us what that level is. Thank you.

21 DR. COOL: Okay. Cheryl.

22 MS. BEEGLE: Mr. Cox, being a lawyer, that  
23 was exactly what I logged onto. I wanted to say don't  
24 do that, because it's not unusual for a PET  
25 technologist to go above 250 in a quarter.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COX: Yes. And I used that as - I use  
2 that as an example. That level, that's not what we  
3 tell people. That was just one example of a licensee  
4 use that limit in their application.

5 DR. COOL: Okay. I think I had both Phil  
6 and Steve. So, let's just sort of work our way around  
7 at the moment, because I must admit I don't know who  
8 was first.

9 MR. GIANUTSOS: Well, I just wanted to  
10 elaborate a bit on the licensing guidance.

11 Rather than a numerical value, NRC already  
12 has the NUREG 1556 series out there, a guidance for  
13 licensing for various specialties.

14 That's an existing document that could be  
15 easily revised to elaborate on what a rad protection  
16 program should include. Quarterly Radiation Safety  
17 Committee meetings, a demonstration of appropriate  
18 metrics for different types of licensees, that works  
19 very well.

20 Further, although there's not a regulatory  
21 driver for the ALARA program or for the intervening  
22 limits, we'll use that term, our licenses all have a  
23 specific condition that require procedures for the  
24 conduct of all operations involving radioactive  
25 materials. That is a license condition that you must

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 observe the requirements of those procedures.

2 So, by incorporation by reference, those  
3 are part of our license. If we set administrative  
4 control limits whether we call them constraints, admin  
5 limits, admin guides, I suspect the consequences would  
6 be the same upon inspection. Did you exceed those  
7 guidance values?

8 Further, I mentioned earlier the  
9 constraint that we currently have on airborne  
10 effluents. To be very clear, when my operations  
11 manager comes in and asks me how much tritium-bearing  
12 material can I incinerate for the rest of the year, I  
13 have an absolute limit to deal with.

14 It's not a constraint at that point. It  
15 is a limit for tritium carbon-14, whatever the  
16 volatiles are. So, it does in fact become a defacto  
17 limit.

18 FACILITATOR HODGKINS: Just for webinar  
19 participants and to echo kind of your comment, this is  
20 from Ann Troxler: Since most states already require  
21 commitments to action levels when they apply for a  
22 license, why not put the action level suggestion in  
23 NUREG 1556 documents, which is what you just said,  
24 that are being updated now?

25 Thank you, Ann.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: Thank you. Lee, I'll let you  
2 react to that, and then we'll come over to Steve.

3 MR. COX: I'll just say that we are now  
4 putting members of OAS on working groups to update  
5 1556 with the NRC. So, that's being done.

6 DR. COOL: It is an opportunity to look at  
7 it. And let me simply reflect part of the reason for  
8 discussing this, it's not only the fact that you have  
9 some international recommendations, see where we stack  
10 up against that, but what is the underlying basis for  
11 what we might say in the guidance.

12 And we've said several things here which  
13 perhaps lead to some sort of structure and let's  
14 continue to develop it. Steven.

15 MR. MATTMULLER: I just wanted to offer  
16 back when you started this session, you gave a nice  
17 summary of our discussion. And I was in agreement  
18 with everything except for your last point in regards  
19 to the small medical licensees.

20 While it's very true they don't have as  
21 extensive of a radiation protection program as a  
22 larger institution, I do think they have an  
23 appropriate size due to, I think, scope of practice.

24 And the smaller licensees, for example,  
25 they never - or usually never do therapy, or in some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cases it's limited to just one medical isotope with  
2 one radiopharmaceutical as far as like a cardiology  
3 imaging clinic might be.

4 So, my concern is, is that there seems to  
5 be an implication that they're in trouble and they  
6 need special attention, and I'm not sure that's true.

7 DR. COOL: Okay. Thank you. Someone else,  
8 I think it was Lee, said commensurate with the scope  
9 of activities.

10 Michael.

11 MR. STAFFORD: Yeah, Mike Stafford, ORNL.

12 I appreciate Joel's candor. And one of  
13 the things that I think is important to point out is  
14 DOE contractor relationship with Department of Energy  
15 in that, you know, we've learned to cope under a 2 rem  
16 ACL, but our relationship is such that we're funded  
17 by, you know, the same larger entity that also  
18 regulates us.

19 And so that funding relationship as well  
20 as a regulatory relationship, you know, there is a  
21 cost of doing business that is associated with  
22 operating under a lower dose limit. And DOE has  
23 recognized that and fund their contractors  
24 appropriately so that we're able to manage our  
25 business as such.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   So, that's a different relationship than  
2 most people in this room.

3                   DR. COOL: Cheryl.

4                   MS. BEEGLE: From an imaging standpoint -  
5 Cheryl Beegle - I wouldn't say the smaller licensees  
6 are in trouble. But what I would say is in the  
7 radionuclide area, it's not unusual for a smaller  
8 licensee to not even have their physician on site when  
9 they're performing procedures let alone if that  
10 physician is the RSO.

11                   And, therefore, it is possible that  
12 perhaps the only exposure the person who's operating  
13 in that facility has is the exposure they had when  
14 they were originally in there training and none beyond  
15 that.

16                   So, their guidance is coming from their  
17 quarterly HP person and there can be holes. So, I  
18 think their - not so much a guidance for a program,  
19 maybe, because they have the program. They have the  
20 program in place. It's the implementation. It's the  
21 daily implementation. It's the level of the paperwork  
22 and things.

23                   I see it on that level and it's not always  
24 there.

25                   DR. COOL: Thank you. Kate.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. ROUGHAN: Kate Roughan. I think in  
2 terms of the regulatory guidance it would be good if  
3 you did a graded approach. The manufacturers and  
4 distributors have a broad-scope license which allows  
5 them a good amount of flexibility within their own  
6 program under the Radiation Protection Committee.

7 For a larger licensee such as an M&D to  
8 commit to specific investigation levels, action levels  
9 as part of the license would basically constrain us in  
10 terms of our activities.

11 But again we do have a broad scope. So,  
12 it does give us a lot of flexibility within the  
13 radiation safety program itself. We can make changes  
14 without approval from the regulatory authority as long  
15 as we remain within the limits of our license.

16 For the smaller licensees where they don't  
17 have that flexibility, it may make sense to actually  
18 commit in the license commitments to an action level  
19 under the ALARA program.

20 And again, I think a graded approach  
21 looking to various types of licenses under the  
22 guidance for an ALARA program would be useful.

23 DR. COOL: Duann.

24 MS. THISTLETHWAITE: Duann Thistlethwaite.

25 I just wanted to add I don't want the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 words that I said to be twisted in just a little bit.

2 I think that having a radiation program protection  
3 box that you say yes, you have one, is a good idea for  
4 licensing.

5 I don't want to go back to the part where  
6 you put in your program and your program is approved.

7 Did you put in a level of, you know, 4,000 is going  
8 to be my level. Then if you want to change it, you  
9 have to have a license amendment to change it because  
10 it's part of your application.

11 I don't want to go back to that stage.  
12 So, I think that the NUREG guides would be the place  
13 to put it, but not so much in your license application  
14 so that you don't commit to it from that standpoint,  
15 but you have the guidance there. So, then you can  
16 develop procedures from there.

17 DR. COOL: Could you elaborate just a bit  
18 because my understanding, Lee can help us, is they're  
19 running on a model where it's actually a licensee  
20 commitment, which means a condition, which means it  
21 would require an amendment for change.

22 MS. THISTLETHWAITE: Right. I think there  
23 are so many different levels of - in the realm that I  
24 represent from the different aspects of the jobs, you  
25 would have probably ten different categories of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 people.

2 It could be a documentation issue of  
3 reporting all these things of which levels are what,  
4 you know, from couriers to cyclotron operators. You  
5 would have the different levels that are there.

6 I think sometimes when you codify that too  
7 much or you put yourself into that box, then you do  
8 become, you know, here's - write another check and  
9 change it again and change it again.

10 It just becomes - no offense there, but it  
11 just becomes very overwhelming in the effect of which  
12 license application did we put it in? Did you do it  
13 at this time? Was it this quarter? When did it cover  
14 of the time frame of when you're trying to track  
15 people?

16 So, I think sometimes it becomes too much  
17 of a bureaucratic burden in that way.

18 DR. COOL: Okay. So, let's dig into this a  
19 little bit more because this really becomes a question  
20 of what the regulation might require that the guidance  
21 then describes in a graded approach, I'll use that  
22 word, commensurate with the scope of activities. And  
23 then what that commitment is or is not that you go and  
24 inspect against.

25 Lee.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COX: Lee Cox, OAS, CRCPD. Duann, I  
2 just want clarification.

3 When you talk about your application and  
4 commitments, are you talking about the accelerator  
5 portion of the PET or are you talking about your  
6 radioactive materials? Are they one in the same? Are  
7 they two different licenses?

8 Because I think if you're talking about  
9 accelerator, that's not regulated by the NRC and that  
10 - a lot of states do that in a lot of different ways.

11 If you're talking about radioactive  
12 materials, I think you will find consistently across  
13 the states that commitments are made in licenses. And  
14 if you change those commitments in your application,  
15 then you would have to amend your license.

16 And I'm wondering if you're doing  
17 something different that I'm not used to or if you're  
18 talking about accelerator versus radioactive material.

19 MS. THISTLETHWAITE: Basically, I was just  
20 speaking broadly under both licenses and not kind of  
21 drawing a difference between them because I think they  
22 should be the same and not so different.

23 Because certain states as the NRC becomes  
24 more active in cyclotrons and cyclotron-produced  
25 products, I think they're crossing into that realm of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 - I call it the accordion effect. We all went to  
2 agreement states and now we're all coming back, you  
3 know, that kind of thing as we bounce back and forth  
4 for what's controlled by whom.

5 But I think that sometimes if you put  
6 yourself in a box in a license application or in a  
7 procedure, then it's very hard to wiggle out of that  
8 or to get out of that or to understand it.

9 So, I think if you have broad guidance on  
10 what you should do and what you should follow rather  
11 than saying, as we said earlier, if you put a number  
12 there, people are going to go by that number.

13 So, avoid those numbers because then it  
14 becomes if you're trying to track it from a regulatory  
15 body standpoint or from a regulatory department  
16 standpoint, how many people do you have over these  
17 limits if your numbers are always different. And  
18 sometimes it's important to report if someone's over 1  
19 rem. And then in other instances, it's important to  
20 report if they're over three-and-a-half rem. Then  
21 you're kind of - all your numbers are not jiving.

22 And when you go to upper management or  
23 when you go to the Commission and you're explaining  
24 all these different things, it just becomes the gloss-  
25 eyed look of how you're trying to say well, it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 important for these people to be at 1 rem, it's  
2 important for these people to be at 3.5. So, then  
3 it's just kind of not comparing apples to apples.

4 So, if you can just be as - give guidance  
5 and say you need to be less than the limit, but not be  
6 so specific in saying, you know, you have to be a  
7 hundred, you have to be 150 because the reporting  
8 aspect in the investigation becomes even confusing for  
9 the radiation safety officers because people's jobs  
10 don't always stay in that bucket, so to speak. They  
11 can jump from one to the other as they get promoted to  
12 different levels.

13 If they were out in the field doing  
14 something and then they go to administrative, maybe  
15 they still go back in the field. So, maybe their job  
16 title didn't get changed.

17 DR. COOL: Okay. So, let's dig into this a  
18 little bit more because to try and make sure that  
19 we're thinking along the same lines or perhaps that  
20 I'm understanding correctly.

21 The first one is NRC don't write a number  
22 in the regulation. Okay. And I think I've heard that  
23 message.

24 Okay. No promises, but let's go to the  
25 next one.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 DR. COOL: Okay. Might be appropriate to  
3 say, licensee, you need to establish something as part  
4 of your program. Then you're thinking about what the  
5 guidance is that implements you have to do some  
6 planning and establish administrative control level,  
7 constraint, investigation level or banana. Pick some  
8 non-obtrusive word at the moment to describe whatever  
9 that is.

10 Then the next question becomes what of  
11 those become numbers that ought to be established as a  
12 commitment that the licensee is actually committed to,  
13 to the regulator, I'm thinking about what Lee said  
14 here, versus numbers that we said we're going to have  
15 them, but a particular number, 500 millirem for X type  
16 of worker isn't necessarily part of the commitment.

17 And so I'd see if you've got some views on  
18 that and I actually want to come back to the reactors  
19 because I think that's sort of where the reactors are.

20 They have a very detailed program with  
21 lots and lots of different things down to the  
22 individual tasks and otherwise. Those are not part of  
23 your commitment as in they're not in the license or in  
24 the technical specifications, but they're recorded in  
25 some way under your control and you work each of them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and that sounds like the model that people are talking  
2 about.

3 So, Ellen, perhaps you could help us  
4 understand a little bit more and we can see if that's  
5 what people are really thinking. Ellen.

6 MS. ANDERSEN: I'm not quite sure of the  
7 question. I'm sorry.

8 DR. COOL: Oh, okay.

9 MS. ANDERSEN: Help me out.

10 DR. COOL: Describe a little bit more what  
11 is a commitment, what's in your tech specs, versus  
12 what's under your controls and how you deal with that  
13 within your administrative system.

14 Because although you're a large, very  
15 complex licensee, I suspect that that procedural  
16 approach may have smaller versions that may be what  
17 Duann and Lee and some of the others are talking  
18 about.

19 MS. ANDERSEN: Okay. Thanks.

20 Within our technical specifications which  
21 is our licensing basis, the only requirement we have  
22 is that we have procedures in place for our programs.

23 And what we do is, for instance,  
24 administrative dose limits, which again are below our  
25 annual limits, your annual limits, are established by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 each utility and are proceduralized.

2 Because they're proceduralized, draw it  
3 back to the licensing basis where our technical  
4 specifications is in the procedure as per our tech  
5 specs.

6 So, it's part - it's indirectly part of  
7 the licensing basis and that's for any procedure, any  
8 procedure that we have.

9 Okay. So, that's how that fits in the  
10 license. We don't have a license that says it will be  
11 this, this or this. It's we have procedures that  
12 document our procedures.

13 So, we do that, but I wanted to bring  
14 something else up that I thought was interesting was  
15 we were talking about - I think Duann was talking  
16 about the issue of employees in different buckets.

17 One of the things we haven't, I don't  
18 believe we've considered, is how we would if we were  
19 to establish a constraint with a number, how we would  
20 do that with our contractor employees that go from  
21 site to site, our contractor rad techs that go from  
22 DOE facilities to power reactors during refueling  
23 outages, and how example - and I'll just use it as an  
24 example because we've had this conversation, if we  
25 went to something like a 2 rem per year constraint and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we received a contractor employee from another site  
2 who's sitting at 1.8 rem and we as a licensee, take  
3 him to two or over two.

4 Now, we enter it into the corrective  
5 action program if this is just a constraint and not a  
6 limit. Now, we're doing basically - I would assume we  
7 probably would be doing root causes because we're  
8 violating - not violating, but in the eyes of the  
9 licensee we're violating something that's in a  
10 regulation.

11 So, even though we may not have given him  
12 the majority of the - he or she the majority of the  
13 dose, we are now as a licensee, responsible from an  
14 administrative perspective, to do something about  
15 that.

16 So, that's something I don't think we've  
17 thought about. I think we've been talking about  
18 people who work for us as licensees, they work just  
19 for us, but think about the folks that come in from  
20 other facilities.

21 DR. COOL: Lee.

22 MR. COX: I would just say you don't hire  
23 that person.

24 (Laughter.)

25 MR. COX: I don't have any comments other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 than that.

2 MS. ANDERSEN: Let me just follow up with  
3 that, Don, please.

4 Is that if any of you have had an  
5 opportunity to try to hire some of these, especially  
6 the contract rad techs right now, you'll find that  
7 there's a very - there's a shortage. It's ugly.

8 Okay. And so we are taking technicians  
9 from DOE sites and training them to the power reactor  
10 side of the house because it is a little different.

11 So, it is difficult and we are trying to,  
12 you know, obviously trying to pull the workforce that  
13 we can.

14 I think Larry had something too.

15 DR. COOL: Okay. I've got Michael. I've  
16 got Larry. We've got Joel. I've got Roger at the  
17 microphone out there.

18 So, lets cycle around. Michael.

19 MR. STAFFORD: Mike Stafford. Ellen, I'm  
20 glad you brought up that about trading technicians  
21 back and forth.

22 Now, it's rare, but we have an interesting  
23 interpretation of our 2 rem ACL when we're dealing  
24 with someone that comes from commercial and brings  
25 dose with them.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           What we do is we look at commercial dose  
2 sort of separate as DOE-acquired dose or dose acquired  
3 from a DOE mission. And so we would make sure that  
4 whatever happens, that person stays under 5 rem for a  
5 year, but then look at DOE dose and try to maintain  
6 that under 2 rem.

7           So, it becomes a little bit of a record-  
8 keeping hassle, but we've only had like two or three  
9 people that I know of over the past few years that we  
10 feel like we're talking a tightrope.

11           So, but that's how we manage it, you know.  
12 I don't know. There might be a better way.

13           DR. COOL: Larry.

14           MR. HAYNES: One thing we haven't mentioned  
15 for power reactors is the existence of INPO. And you  
16 talk about constraints and low levels of things to  
17 measure and report. We've got them.

18           Along the lines of 2 rem per year, INPO  
19 has - they're in the process of updating the radiation  
20 protection guidelines. We almost put in there that we  
21 would operate at 2 rem or less, and we agreed not to  
22 do that.

23           But one thing we did agree is that for an  
24 individual that is approaching 2 rem, that they should  
25 have a personal dose reduction plan.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   Now, I don't know how that works yet  
2 because the company that receives a technician from  
3 another utility that's close to 2 rem, the utility  
4 that receives him has to write the plan for a guy for  
5 a dose he's already received. So, we've got to work  
6 through that.

7                   But we are trying to build into the  
8 process with INPO, how do we manage within a lower  
9 limit from an excellence standpoint?

10                  And I think that's what ALARA plans are,  
11 is driving to excellence. And having excellence in  
12 the regulatory process doesn't really, I don't think,  
13 meet what we're after as some safety standard and  
14 below that. We operate and learn from each other with  
15 peer reviews and things like INPO.

16                  DR. COOL: Thank you, and that's another  
17 important component which exists in the reactor  
18 community which doesn't exist in all of the other  
19 communities, which is a forcing function outside of  
20 the regulation, but which maybe is bigger and badder  
21 than the NRC itself in some circumstances pushing  
22 towards excellence.

23                  And part of this discussion is how the  
24 regulator in assuring adequate protection and trying  
25 to foster an environment that is conducive to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 excellence and encouraging that, sets a predictable  
2 system so that that can happen. Even circumstances  
3 where there is not an INPO that's really driving you  
4 along.

5 And I have Joel, and then -

6 DR. RABOVSKY: Yeah, I was really going to  
7 only reiterate what Michael said. In DOE, the dose  
8 limit requires that all dose from DOE and non-DOE  
9 sources be accounted for.

10 So in a sense, you know, that would be a  
11 subset of just meeting the dose limit of being able to  
12 account for a worker's dose from all sources.

13 DR. COOL: Okay. Roger's at Microphone 2  
14 and perhaps this is the time to let some of you who  
15 have been eager in your seats on the outside of the  
16 table itself, come and add your thoughts to this  
17 discussion.

18 Roger.

19 MR. PEDERSEN: Yeah, Roger Pedersen, NRC.

20 I work in the Office of Nuclear Reactor  
21 Regulation, and I've been there for the last 25 years.

22 So, I have to admit I'm a little confused about the  
23 discussion of action levels and trying to draw the  
24 parallel between those and constraints.

25 In my mind, they're two different things.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1       Maybe they could be lined up, but I don't see that.  
2       In my health physics background, an action level is a  
3       value at which you don't ever expect to take a worker  
4       to. And if you do get there, that might be indicative  
5       of an event or some abnormal occurrence that you need  
6       to investigate to make sure that something worse  
7       hasn't happened like exceeding the dose limit.

8               A constraint from what I understand that  
9       the ICRP means, it's a tool that's part of your ALARA  
10       program in which you've predetermined that if you take  
11       an individual to that level, that you may not be  
12       ALARA.

13               It's not that you're exceeding the dose  
14       limit or that there's an event that's happened, but  
15       you might be operating in a mode that you're not  
16       providing doses to that individual that are ALARA.  
17       And at that point, you should do something about that.

18               That something, and that's I guess where  
19       the rubber meets the road here, what is that something  
20       that you have to do when you get to a constraint?

21               And I think that was underlying both Ellen  
22       and Larry's comments as to what it is you have to do.

23       If that constraint, you know, if the action statement  
24       at that constraint is just to do a more thorough ALARA  
25       planning or investigation to see if there's some other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 options that hadn't been considered, you know, that  
2 could fit well into the definition of what a  
3 constraint is in my understanding of the ICRP's  
4 application.

5 I think what we need to keep in mind what  
6 the purpose of the constraint is as opposed to some of  
7 these other things like planning levels and  
8 investigation levels.

9 FACILITATOR HODGKINS: Thank you. Michael,  
10 you want to take it for now? Hold on a minute.  
11 Michael.

12 MR. BOYD: Okay. I had a comment that goes  
13 to what I think Larry was saying about INPO and the  
14 nuclear power sector. I worked most of the '80s in  
15 nuclear power though it's probably not obvious, but  
16 I'm very familiar with the great success that that  
17 sector has had in bringing down worker doses.

18 And it makes me think of what Lee said  
19 earlier this morning about safety culture, and I  
20 haven't heard that repeated that often, but I think  
21 safety culture is something that you really can't  
22 write into a regulation.

23 I mean, you can require it nominally and  
24 have some paperwork exercise, but in my mind what  
25 safety culture really means is a lot broader. It's an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 empowered workforce. It's giving people that are  
2 actually doing the hands-on work the ability to make  
3 suggestions, make changes to reduce their doses,  
4 improve your productivity and your processes.

5 And this could only come from, you know,  
6 management, support and encouragement and I just think  
7 safety culture is where it's at, personally.

8 FACILITATOR HODGKINS: Thank you.  
9 Microphone 2, can you introduce yourself first?

10 MR. MECK: My name is Robert Meck. I'm  
11 representing the Science and Technology Systems.

12 Option 4b offers flexibility that hasn't  
13 been fleshed out here enough, and the flexibility is a  
14 graded approach. Kate mentioned this.

15 It's reasonable and safer that the brakes  
16 on our cars are not either full on or full off, but  
17 rather we can apply the brakes and avoid hitting  
18 somebody in front of us by a graded approach.

19 Similarly, when exposures are occurring in  
20 the workplace, the full stop is just before 5 rem.  
21 And if a situation occurs where exposures unexpectedly  
22 or rapidly approach that 5 rem, then a full stop is  
23 called for, but things can happen before that in terms  
24 of the management of exposures in your ALARA program  
25 that don't require reporting.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But for the sake of building safety  
2 culture as Mike was mentioning, if a situation occurs  
3 where exposure limit is almost exceeded and was  
4 approached unexpectedly, rapidly, then that could well  
5 be a case for requiring a report to build a database  
6 for better practices or best practices in a safety  
7 culture. Thank you.

8 FACILITATOR HODGKINS: Thank you.  
9 Microphone 1.

10 MR. WRIGHT: My name is Tim Wright. I'm  
11 with Duke Energy Power Reactor.

12 In my previous life with Duke, I was an  
13 ALARA supervisor. So, I've had many opportunities to  
14 spend about two weeks with regional NRC inspectors  
15 doing a refueling outage to take a look at my program.

16 And the fact to say that we don't have any  
17 defacto limits is really incorrect, because we do from  
18 the region's perspective in that my procedures require  
19 me to do a formal ALARA plan for any job that's 500  
20 millirem or greater.

21 My procedures require me to look at that  
22 job at 25 percent completion, 50 percent, 75 percent  
23 and so on. And we have experience with inspectors  
24 coming in and that if we had an estimate that went  
25 over by 25 percent, we received a ding if we did not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 change that estimate because we weren't using that  
2 estimate as an ALARA tool to help the workers and  
3 management to see that we needed to do something  
4 different with that particular job.

5 So, in fact, there is a defacto limit  
6 there, and I guarantee you with each region that may  
7 be a little bit different based off of what the  
8 different procedures are saying at the different  
9 utilities.

10 FACILITATOR HODGKINS: Anybody else from  
11 the audience? So, we go around. Your opportunity to  
12 step up to the microphone. I think we have one more  
13 from the webinar.

14 Here we go: Jenny Goodman in the webinar.

15 If we want to align with the international community  
16 and ICRP recommendations, although from the discussion  
17 of the industry representatives, it may cause an  
18 increase in mandatory reporting and regulatory burden.

19 How about use something similar to that as used in 10  
20 CRF 20 1403(e)(1) and (2). The decommissioning all  
21 controls fail close limit is a hundred rem except in  
22 certain circumstances where it can be 500 rems a year.

23 So, the industry medical uses where they could always  
24 go over 2 rem, they could establish their own  
25 constraint which may still be under 5 rem. But based

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on their operations and exposure histories, these  
2 constraints would have to have some basis which would  
3 be reviewed and approved by regulators.

4 Did I make sense when I read it?

5 No, huh?

6 DR. COOL: I think it was millirem, not  
7 rem, I suspect. It was. Okay.

8 FACILITATOR HODGKINS: Yes.

9 DR. COOL: All right. That's a view to add  
10 to your mix and we'll get some reaction. Microphone  
11 2.

12 MR. PAPERIELLO: I have three comments.

13 FACILITATOR HODGKINS: Name first?

14 MR. PAPERIELLO: Oh, sorry. Carl  
15 Paperiello, consultant.

16 First, 4a strictly speaking as written, is  
17 wrong. The NRC has lots of constraints built in its  
18 radiation protection framework.

19 There are decommissioning rules in Part 20  
20 that sits well under a hundred. There's limits in  
21 Part 40 based on EPA mill tailings. There's Appendix  
22 I in Part 50. There's limits in 60. I don't remember  
23 all the numbers. High-level waste and low-level waste  
24 that are well below 100.

25 So, they're not all in Part 20, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they're in other parts of the rules and they're  
2 limits. So, that's one point.

3 The fact is there are - and the numbers  
4 are pretty consistent with ICRP 103. And ICRP 103  
5 generally says, under general it just says less than  
6 100 millirem per year.

7 It has specific values for things like  
8 where the NRC has them, reactors, waste and  
9 decommissioning - or I think the words they use is  
10 exposure to long-lived isotopes.

11 Second comment is the law of unintended  
12 consequences. About five years ago NCRP of which I'm  
13 a counselor, revised a publication on the design of  
14 shielding for medical facilities.

15 And about the time they were ready to go  
16 to publication, they realized the design basis was a  
17 hundred millirem a year. And in - for other guidance  
18 that NCRP had, they had a constraint of 25 millirem  
19 per year per facility.

20 I was on the committee. How do I  
21 reconcile these differences? And we reconciled it by  
22 who is the - who do we - who do we include in the  
23 constraint? Is it a constraint to the maximally-  
24 exposed individual or the average?

25 And we decided that for a medical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 facility, the average member of the public was  
2 somebody who came as a patient. They were in the  
3 facility even if they were hospitalized for a short  
4 part of a year.

5 And that the design basis - and I'm not an  
6 expert on medical shielding at all. And I know there  
7 are occupancy factors for closets and rooms next to  
8 the - and all that sort of thing. That would be an  
9 employee of the facility. And that basically they may  
10 not be an occupational worker, but they are a worker  
11 in a medical facility.

12 And it was okay to leave the, you know, we  
13 would leave the design basis for an x-ray facility or  
14 a medical facility to a hundred millirem a year.

15 If there's a general constraint in Part 20  
16 in the order of 25 or 30 millirem per year, does that  
17 mean, and you have unintended consequences, that all  
18 of the medical facilities in the United States will  
19 have to have their shielding design to 25 millirem per  
20 year?

21 And lastly as I sit here and think about  
22 this rule, if a consequence of this rule is to achieve  
23 the limits or the constraint, we give - spread the  
24 dose over more people and you strictly believe in LNT,  
25 the overall number of cancers won't change at all.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Thank you.

2 FACILITATOR HODGKINS: Okay. Any other  
3 comment from the audience?

4 Panelists want to react to the audience at  
5 all?

6 Any other further comments from the  
7 participants around the tables? Hold on a minute,  
8 Michael. Stephen.

9 MR. BROWNE: Stephen Browne, Troxler.

10 I just wanted to go back and reemphasize  
11 one point that I think I had mentioned earlier, which  
12 is my feeling that there may be some lower level below  
13 which constraints may not make particular sense  
14 certainly for occupational workers, because there are  
15 thresholds for monitoring. And I have to question  
16 what would be the meaning of having a constraint below  
17 the level at which we're required to monitor  
18 individuals.

19 And again particularly for portable gauge  
20 users where the average exposure is really close to  
21 the minimum detectable level anyway, even if they're  
22 monitored it's - I'm not sure that constraints are  
23 adding any value at that level.

24 DR. COOL: Okay. If I could sort of ask  
25 you to dig into that just a little bit deeper? The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 discussion that we've had this morning has seemed to  
2 circulate around a good idea that there be planning  
3 values in some measure. We've used investigation  
4 level, we've used a number of planning values that a  
5 licenses is using within their particular program, but  
6 staying away from anything that quacks like a number.

7 Okay. How does that fit in?

8 If I say that that is how constraint  
9 perhaps ends up in a portable gauge activity to have  
10 some planning, do you have some planning?

11 Okay. Most of your people are not  
12 monitored, but there's some point where you're going  
13 to check yourself if something shows up.

14 Is that the equivalent and how would that  
15 play out within the typical programs that are doing  
16 portable gauges?

17 MR. BROWNE: Well, certainly right now most  
18 of the portable gauge licensees do monitoring, but not  
19 all of them. And they do it for reasons other than  
20 the fact that they're, you know, required to.

21 I think partly they're doing it so that  
22 employees feel that they're being protected for - and  
23 other reasons as well.

24 With the case of our portable gauges, I  
25 think that ALARA starts with the design of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 equipment itself and the user doesn't really have a  
2 lot of control over that. So, their responsibility is  
3 primarily in using the equipment in accordance with  
4 the way they are trained to use it.

5 And if they do that, then there should be  
6 no concern about their exposure being, you know,  
7 unreasonable or not being ALARA.

8 I wouldn't know how to incorporate a  
9 planning level for someone who doesn't have monitoring  
10 results.

11 DR. COOL: Okay. I know George is also in  
12 the industry, and I'm going to give Lee just a moment  
13 to think about this.

14 In terms of those kinds of licensees,  
15 because I know you have some, how what you've talked  
16 about as a requirement that you have in North Carolina  
17 works for that class of licensees?

18 MR. COX: Just to clarify a little bit, Lee  
19 Cox, OAS, all portable gauge licensees have to  
20 demonstrate that they don't meet ten percent of the  
21 limit if they choose not to badge.

22 So, how we do that in North Carolina is  
23 that if it's a new licensee, they have to wear a badge  
24 for 12 months.

25 We also have in our guidance what we've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 discussed earlier, investigational limits which we  
2 feel is a good practice in ALARA that they would have  
3 to commit to in their license application to get the  
4 license. Some investigational limits for portable  
5 gauges might - an appropriate limit might be 100  
6 millirem in a year.

7 As far as constraints, you have a  
8 radiation protection program. It might involve  
9 something you would put into your training of your  
10 users. I think you still have training programs. You  
11 have an online training program.

12 Those might be some things you would  
13 consider.

14 DR. COOL: Okay. Thank you.

15 George, is there anything you'd like to  
16 add from your perspective?

17 MR. MARSHALL: More on the same lines.  
18 Again that, you know, what the sheer number - and  
19 again we do have the issue that there are provisions  
20 again if they can prove that their exposures are at a  
21 lower level. They don't have to.

22 I actually am a proponent that they should  
23 use dosimetry, you know. And for different reasons.  
24 I view it as a tangible to look at radiation which is  
25 more of an intangible, but also getting back to this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 culture of safety keeping it fresh in your mind that  
2 there is radiation out there.

3 But again, you know, ALARA would - and  
4 constraints. And again for me, I'm kind of looking at  
5 constraints as a methodology, you know, just the way  
6 you use it and incorporating ALARA into that to just  
7 keep it down to that level.

8 But again there is no - well, in some  
9 cases there are - nothing to measure it against if  
10 they've gone that route other than the initial  
11 demonstration that they're going to be low in that  
12 regard.

13 So, I - for me personally again it has to  
14 do with ALARA and making sure they're properly using  
15 the gauge.

16 And again most of them still do use  
17 dosimetry. I think it's kind of a CYA thing for  
18 anything that might come back to haunt them later.

19 But again for me, I'd like to see it in  
20 use even though it is a very low level.

21 DR. COOL: Okay. Thank you.

22 So, I think what I'm hearing is that for  
23 uses like gauges which much of the safety is based on  
24 the design of the devices and equipment, that planning  
25 level may translate in some respects to dosimetry-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 required levels, but that there's still something, and  
2 it's not necessarily described in dose terms, which  
3 triggers the need to go look at your program because  
4 certain events happened or certain situations occurred  
5 that says I better go look at how we're behaving  
6 because it doesn't seem like we're behaving properly.

7 Is that a fair summary of this piece of  
8 the discussion?

9 Lee's nodding his head up and down.  
10 Stephen.

11 MR. BROWNE: Yeah, I think I could  
12 generally agree with that. I'm just very concerned  
13 about - again about there being an expectation of  
14 setting a numerical number - well, obviously a little  
15 bit redundant there, but a number that they have to  
16 measure themselves against when they're not required to  
17 make measurements of individual dose.

18 Now, in the design of equipment, ALARA -  
19 it certainly can be taken into account. And in the  
20 SSND process, you know, there can be, you know, goals  
21 set there for how much exposure a typical operator of  
22 the piece of equipment would receive. That would be  
23 more practical to address it at that point than I  
24 think through the radiation protection programs.

25 Training is important. Probably the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 single most important thing for a gauge operator in  
2 order to ensure that they're being ALARA with their  
3 exposure.

4 DR. COOL: Okay. Thank you. Mike Boyd.

5 MR. BOYD: Just because Stephen's right  
6 here and I can grab the microphone, I wanted to react  
7 to something that Roger said earlier about - and I  
8 think sometimes we need to just make sure we're all  
9 using the same glossary.

10 I assume from what Roger was saying that  
11 in NRC space, an action level is a relatively serious,  
12 you know, thing in terms of having to reach a dose  
13 that you might not have - that would require some  
14 corrective action or discussion with your regulator.

15 In the 1986 federal guidance, we use a  
16 term called - I think it's referenced "action level"  
17 in relation to the administrative control level. And  
18 if I said "limit" earlier, I apologize, but the  
19 reference action level is just a tool for really the  
20 first-line supervisor.

21 And the way we define it in the federal  
22 guidance is if you have - if you have a class of  
23 monitored employees, you know, with dosimeters and you  
24 historically don't see any real measurable dose, or if  
25 you do it's at the five, ten millirem a quarter level,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you might set a reference action level at 25 or 50  
2 millirem only because it's an excursion, it's out of  
3 the norm.

4 And all it says is that the supervisor  
5 should at least look into what did this guy do that  
6 none of my other employees are doing? How did he get  
7 this little bit of dose?

8 It doesn't mean that you've done anything  
9 at all wrong, but it is just a flag to generally a  
10 first-line supervisor. And that's what we were  
11 referring to in the federal guidance as a reference to  
12 action level, which would always be below your  
13 administrative control level, which would always be  
14 below your limit.

15 DR. COOL: Okay. Thank you for that  
16 clarification. That got Lee's hand waving.

17 MR. COX: Yeah, I would say - thank you for  
18 that, Mike.

19 I would say that's how we're implementing  
20 that in North Carolina, the administrative or  
21 investigative level. That's how we're administering  
22 it in our guidance and implementing it in our  
23 inspections and enforcement.

24 To my knowledge, there has never been any  
25 enforcement action if anyone has exceeded that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 referenced action level that Mike described.

2 DR. COOL: All right. Kate.

3 MS. ROUGHAN: Just to kind of, I think,  
4 emphasize what Stephen's saying, there's no - from the  
5 regulatory perspective, the users don't have to wear  
6 dosimetry. So, you have no measurement of where they  
7 are against the ALARA investigation limit.

8 So, how do you reconcile that?

9 MR. BROWNE: I don't think it's  
10 reconcilable. I mean, you can't have a number as a  
11 limit with no number to compare it to. And I'm not  
12 sure that it's necessary when the doses are as low as  
13 they are. That would be my other point.

14 If the regulations say that individual  
15 monitoring isn't required below this level, then I  
16 don't think it makes sense to set other - to set  
17 requirements for there to be other measurements made.

18 I mean, that becomes a defacto requirement  
19 to do monitoring for if you're getting one millirem.

20 MS. ROUGHAN: That's kind of the point I  
21 wanted to make is that, again, they're not required to  
22 monitor the users at those levels, and yet you're  
23 going to use the ALARA program. You need some number  
24 to measure against your progress against the ALARA  
25 program, and yet that number doesn't exist.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: I think Lee had a reaction, and  
2 then I'll come to Duann, because it sounds like we've  
3 had a little bubble up here that we need to poke at  
4 just a little bit.

5 MR. COX: Yeah, I would just like to  
6 clarify that there is a number - there is monitoring  
7 at the beginning, always. And we may disagree on  
8 that, but that's the way it's supposed to be and  
9 that's the way it is in North Carolina.

10 And the defacto limit is the ten percent  
11 of the dose limit. So, once they have gone a year and  
12 not met that administrative, in this case,  
13 investigative limit of ten percent of the dose limit,  
14 then they no loner have to - or they're no longer  
15 required to wear dosimetry.

16 So, they have demonstrated through their  
17 ALARA program, through their radiation protection  
18 program, that their policies and procedures are  
19 working for 12 months. And they're not seeing  
20 anything above minimum detectable level, so they can  
21 at that point drop their dosimetry.

22 So, at some point they are looking to  
23 demonstrate that they have an effective safety culture  
24 in an effective ALARA program.

25 DR. COOL: So, let me just ask a question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 That all sounds logical. Ten years later staff has  
2 turned over four times and the curious, not  
3 necessarily critical question is, how do you still  
4 know?

5 MR. COX: Well, that's a very good  
6 question. I'm not sure I have an answer for that, but  
7 I think the NRC is consistent with the way that we  
8 apply that rule as well. So, I don't know.

9 DR. COOL: I'm not saying we're not.

10 (Laughter.)

11 DR. COOL: You tossed that out there and it  
12 was sort of like the obvious - okay.

13 MR. COX: I did, and that's a good  
14 question.

15 DR. COOL: So, how do we know, Duann?

16 MS. THISTLETHWAITE: Duann Thistlethwaite.

17 I just wanted to add that in radiation protection  
18 programs it's not only administrative controls, but  
19 it's engineering controls.

20 And I think you had brought that out  
21 earlier about the design and I had mentioned that  
22 earlier today about the design and protection for  
23 workers for safety.

24 So, that's also part of the radiation  
25 protection program which even adds more emphasis to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 staying away from the number.

2 DR. COOL: Lee.

3 MR. COX: I have a better response for you.

4 We do that throughout the following years  
5 through inspections, routine inspections, through  
6 observations, through performance-based inspections,  
7 through looking at documents during those inspections  
8 to ensure that they are following the same policies  
9 and procedures and that we're not observing anything  
10 outside what we expect for a good safety culture and  
11 good ALARA program.

12 DR. COOL: Philip.

13 MR. GIANUTSOS: I just want to point out  
14 that for most TLDs, the lower limit of recorded dose  
15 is ten to 20 millirem.

16 So, depending on your aware interval if  
17 it's a month, you could be missing 120 to 240 millirem  
18 over a period of a year.

19 In all fairness to the other vendor,  
20 there's the aluminum oxide dosimeter that goes down  
21 considerably lower, but there's also the effective  
22 dose equivalent to look at there.

23 If you're looking at exposure from a very  
24 small source, is the gradient significant? Where do  
25 you wear it? How do you assign the dose?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: George.

2 MR. MARSHALL: I kind of came into this  
3 thinking about this issue, because I think we've  
4 stumbled onto something that you probably didn't  
5 anticipate, you know, this segment of the radiological  
6 world that you have down here.

7 And again this is something I'm talking  
8 about with the culture of safety, and hopefully Mr.  
9 Cox and I will talk about it a little bit, you know,  
10 as we get into implementation, but, you know, you  
11 don't have recurrent training.

12 You mentioned about turnover and the like  
13 and, again, that is an effective way to do it in  
14 inspection. But again, you know, I would like to see  
15 something along the lines of recurrent training. They  
16 get one shot in the beginning and that's it.

17 And typically they're highly influenced by  
18 the actions of the workers that are already out there  
19 and they pick up on those habits.

20 And you were talking about the design of  
21 the equipment, but again there are opportunities out  
22 there based on the methodology or the lack thereof  
23 that they can get - receive higher, you know, if  
24 they're exposing a source rod, if you have an open  
25 sliding block, something like that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   And, again, when you don't have dosimetry,  
2 when you don't have survey meters, how do you account  
3 for that?

4                   Again, kind of getting back to what I  
5 started with, you're down to something different a  
6 little bit now in terms of deciding at a number, you  
7 know.

8                   This isn't really - this is somewhat of a  
9 different factor, you know, from that. But if  
10 deciding where you're going to move that number to if  
11 you are at all, you know, we're down here at such a  
12 low level.

13                   But again, you know, ALARA is important.  
14 Every individual use is important, you know. And I  
15 think that's a bigger factor with ALARA than a given  
16 number up there again.

17                   DR. COOL: Okay. Microphone 2.

18                   MR. TAULBEE: Tim Taulbee, United States  
19 Enrichment Corporation, Portsmouth site.

20                   We have experience in this being low-dose  
21 sites, Paducah and Portsmouth, as well as we're also  
22 regulated by the DOE at the Portsmouth facility, and  
23 we're regulated by the state of Ohio and the state of  
24 Kentucky as well for our x-ray generation and other  
25 radioactive material possession. So, Erskin and I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 share a lot of regulations.

2 One, you have to perform monitoring. It  
3 just doesn't have to be individual monitoring. We do  
4 that. Leak checks, source checks, postoperative  
5 checks on x-ray units, radiography. Obviously, all  
6 those reports would be compiled.

7 Our experience is we still wear dosimeters  
8 at the sites, but the DOE at the Portsmouth site, they  
9 do not wear TLDs. Unless they are in specifically  
10 areas that it's required, they use area monitoring and  
11 other controls, but they have to demonstrate  
12 compliance still with those programs. So, we've seen  
13 that. We've experienced that.

14 Secondly, what I probably stepped up here  
15 initially for, I'm going to say the option on this is  
16 we don't need any further direction on constraints.

17 And if you read what 103 really says in  
18 the definition, you're going to start down a slippery  
19 slope that's going to compel a lot of these - your  
20 bigger programs, it's there. I've never been to a  
21 reactor site that doesn't have these great programs.

22 I'm thinking about these smaller companies  
23 that's going to be forced into something that we're  
24 going to raise the cost of our industry, and I don't  
25 think we technically have a problem out there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   So, that would be weighing in from the  
2 fuel cycle sector that you don't really need this.  
3 And go back and read 103 tonight and the whole thing,  
4 and it's a slippery slope when you step on it.

5                   FACILITATOR HODGKINS: Okay. Other views?

6                   DR. COOL: Anybody else from the audience  
7 participation?

8                   Anything from the webinar participants?

9                   We're good.

10                  FACILITATOR HODGKINS: We have one at  
11 Microphone 1.

12                  MR. DAVIDSON: Yeah, just a couple of  
13 things. Okay. Scott Davidson.

14                  FACILITATOR HODGKINS: Up close to the  
15 microphone, please. Thank you.

16                  MR. DAVIDSON: Scott Davidson, New World  
17 Environmental.

18                  With the North Carolina gentleman, you  
19 require monitoring. Do you have a badge exchange  
20 requirement of quarterly or something, or can they go  
21 annually and you don't really know when you have to  
22 realign your program?

23                  MR. COX: We allow licensees depending on  
24 the technology, I believe most of them have gone to  
25 quarterly badging requirements.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. DAVIDSON: When the requirement is  
2 annual monitoring, you don't have to have quarterly.  
3 So, for the first year use of monitoring devices,  
4 somebody could look at it and say I'll wear them, I'll  
5 get them read annually.

6 MR. COX: We haven't allowed that in North  
7 Carolina.

8 MR. DAVIDSON: So, you're proposing a  
9 shorter than annual year increasing the exchange  
10 requirement?

11 MR. COX: We - I'm not sure that we're  
12 imposing it. It may be technology. I'm not -

13 MR. DAVIDSON: There are some plants that I  
14 note I think that go annually.

15 MR. COX: I'm not aware of anything that's  
16 over quarterly right now that we allow.

17 MR. DAVIDSON: Okay. That might be because  
18 the vendor likes to get more money. I don't know.

19 My only experience with gauges when  
20 they've had doses, is when a person puts them on the  
21 side and was cleaning the mud out of them.

22 Other than that, I've never seen proper  
23 use result in the exposure of significance, but I have  
24 seen exposures.

25 I also seen exposures to TLDs when they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sit them on the front seat of a car, but that's a  
2 different one. Thank you.

3 DR. COOL: Thank you.

4 FACILITATOR HODGKINS: Thank you.

5 DR. COOL: So, perhaps to make sure that we  
6 have gotten some views, I'm going to flip each one of  
7 these questions up and reading these questions in  
8 light of the discussion today. So, take constraint  
9 the way we've talked about this and how people have  
10 interpreted this as a more general issue of some sort  
11 of planning values.

12 Is there any additional things that you  
13 would want to add related to this question? I'm just  
14 going to sort of flip through them and give each of  
15 you an opportunity to see if there's anything else  
16 that we perhaps missed as we've gone through this  
17 discussion and pulled these threads.

18 Microphone 1.

19 MR. CONWAY: Ken Conway, Babcock & Wilcox.

20 Given with constraints, you're essentially  
21 reducing the limits beneath what is actually  
22 regulatory required, I would anticipate that sooner or  
23 later employment will be denied or someone will be  
24 laid off because they do not have enough exposure left  
25 to be able to do a task.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   And that would be a Workmen's Compensation  
2 issue, and I would think a legitimate one. Thank you.

3                   DR. COOL: Steve.

4                   MR. MATTMULLER: Steve Mattmuller. In  
5 regards to your question, you having to screen, I'm  
6 having trouble even thinking of a benefit even - and I  
7 can't even go near a significant benefit.

8                   I only see a downside because I still  
9 don't see any advantage of this constraint model  
10 theory versus what we're already doing under ALARA.  
11 So, I see no benefit. Just additional cost.

12                   DR. COOL: Okay. Let's go to the next one.

13                   And I think we have addressed all these. I just  
14 wanted to make sure if there was someone who had  
15 another point beyond that, that we gave you the  
16 opportunity.

17                   Duann.

18                   MS. THISTLETHWAITE: I just wanted to speak  
19 to the reporting aspect if you put in constraints,  
20 that there would have to be an ubiquitous reporting  
21 method in order to get that to the states or the NRC  
22 itself.

23                   So, I see that as a constraint of the  
24 constraint.

25                   DR. COOL: Or perhaps no reporting. If I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 understand what Lee has said, there's no reporting.  
2 This is just an inspectible item the way you're doing  
3 it.

4 Is that correct, Lee? Lee's nodding his  
5 head up and down.

6 MS. THISTLETHWAITE: Okay. I must have  
7 missed that earlier about the reporting. But I feel  
8 that when the inspectors came out from the NRC, that  
9 they would be looking for your report of your  
10 investigation.

11 DR. COOL: Okay. Well, perhaps we need to  
12 clarify. Lee.

13 MR. COX: Yeah, I think the use of terms  
14 "reporting" and "documentation" is different. I think  
15 you're talking, Don, about reporting to the Agency,  
16 either NRC or the state. You're talking about  
17 documentation on site, and that is what we would look  
18 at.

19 As documentation on site, we would not  
20 require it from -

21 DR. COOL: Up close to the microphone,  
22 please, Lee.

23 MR. COX: I'm sorry. If you exceeded a  
24 limit, we wouldn't require that reporting to the  
25 state, but we would require documentation just like

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you're doing now with your dose and exposure.

2 MS. THISTLETHWAITE: I was actually  
3 speaking of both, but probably using the term "report"  
4 too many times. But, yes, documenting on site.

5 And then if there is reporting to the NRC,  
6 I know there's not to agreement states, but if there  
7 would be a reporting of constraints, because I figured  
8 if you're going to track constraints, then you'd need  
9 to report them.

10 DR. COOL: Any other thoughts on this one?

11 We'll move on to the next one which I  
12 think we've talked about a lot. Anybody want to throw  
13 a last thought in on that?

14 We'll go once. Twice. Duann.

15 MS. THISTLETHWAITE: There's more to the  
16 term "constraints." As someone had said, I see this  
17 as more - and I did use the term "constraint" as like  
18 an action level, an investigation, an engineering  
19 control instead of just a dose limit.

20 So, I think there's more to it than that.

21 And I fear that if we did tie it to something, a dose  
22 limit, it would be detrimental. And then it would  
23 also make us seem that we weren't being - we were  
24 being hypocritical in the way that we were saying two  
25 in one place and five in another.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: Okay. Thank you. Microphone 2.

2 MR. MECK: Robert Meck. In my comments  
3 earlier about a graded approach, the relationship to  
4 the action level or constraint, whichever term you  
5 want to use, is that it's actually the dose limit that  
6 would be the signal for perhaps an internal report  
7 that - of corrective action so that this doesn't  
8 happen again.

9 But I want to emphasize that I don't see a  
10 usefulness in a specified number other than the dose  
11 limit itself, but rather the ALARA program, or in this  
12 case the constraint, would look at how exposures are  
13 managed going up to that limit.

14 And if those aren't managed in a very  
15 well-controlled way such that you may have a surprise  
16 on an exposure that didn't exceed the limit, then you  
17 would write a report and corrective actions.

18 But I really want to emphasize that the  
19 only number that a graded approach in my mind that  
20 would be useful, is the dose limit itself.

21 DR. COOL: Thank you. Joel.

22 DR. RABOVSKY: Joel Rabovsky, Department of  
23 Energy.

24 I guess in this whole discussion this  
25 morning, one thing that's not clear to me, and maybe

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm the only one, is it seems as if we're talking more  
2 about ALARA programs and how you might want to modify  
3 ALARA programs almost - or more than actually  
4 addressing what was in 103, ICRP 103.

5           You know, your first few view graphs about  
6 the EC drafts and IAEA draft regulations talk about  
7 those constraints. But, you know, we've - because  
8 other panelists have said and members of the audience  
9 addressed all sorts of types of entities used in  
10 radiation protection programs that we call  
11 constraints, whether they are not once again in terms  
12 of ICRP 103 defined as what they consider a  
13 constraint.

14           Which if you read their language, they  
15 would say yes, constraint has to be less than the dose  
16 limit. That's what they wanted it for.

17           But I guess maybe in your writeup in White  
18 Paper, you know, they're getting - to me, it's more  
19 discussion about how ALARA programs work and how one  
20 would add more or not add more requirements and  
21 guidance regarding ALARA programs in general rather  
22 than the ICRP 103 constraint question.

23           DR. COOL: Okay. Kate.

24           MS. ROUGHAN: Kate Roughan. In terms of  
25 the relationship from the constraint to the dose

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 limit, I think it's very important that each  
2 individual license looks at their own activities and  
3 establishes their own inner limit, if you will, before  
4 the dose limit.

5 That's the most effective way to keep the  
6 doses as low as reasonably achievable, because you  
7 know - the licensee knows the activities, they know  
8 the different classes of workers and they can set an  
9 effective number that you're working towards.

10 You don't want to put across the board a  
11 dose constraint if it's some percentage of the dose  
12 limit, because that does not result in an effective  
13 ALARA program.

14 DR. COOL: Okay. So, the next question  
15 which again I think we've addressed in part if anyone  
16 else wanted to add any thoughts to this, what I'm  
17 hearing mostly is ALARA is important, planning is  
18 important, having some guidance that the licensee uses  
19 to bound their own activities is important.

20 And the question is how to write that in  
21 such a way that it doesn't become a numeric lock on a  
22 particular licensee, because every licensee is  
23 different. You may have multiple groups of  
24 individuals within the licensee and the programs in  
25 different activities. And so there's no single

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 number.

2 And in some cases, it's down in the  
3 monitoring range where there may not be a specific  
4 planned number other than the impact related to  
5 monitoring.

6 Are there other things that people would  
7 want to add or is that a reasonable synopsis of what  
8 most of you have been saying?

9 There's nodding of heads up and down and I  
10 don't think they're nodding off to sleep. Okay.  
11 good.

12 And I think we've concluded that everybody  
13 is very familiar with planning. Nobody understands  
14 the word "constraint" at least in a consistent manner.

15 But in terms of planning values, there is quite a bit  
16 of familiarity and discussion in the use.

17 Would anyone else want to add anything on  
18 your perspectives there?

19 And I think what's the last question, not  
20 remembering how many questions I had in my slide set  
21 right off the moment, but what I think I've heard is  
22 that most of you have something. You may not use the  
23 word "planning value," you may not use the word  
24 "constraint."

25 We've used a whole bunch of different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 terms. All of which, I think, has been rightly  
2 pointed out have somewhat different meanings, but all  
3 sort of gravitate around a central theme of guiding  
4 how you're looking at your program in your activities.

5 Any other insights you'd want to share  
6 there that would help our record as we're developing  
7 it to figure out what a good approach might be?

8 Duann.

9 MS. THISTLETHWAITE: I just wanted to add  
10 on to something that had been mentioned earlier about  
11 the safety culture.

12 I think this is where the aspects of  
13 safety culture can be brought forward. That it is a  
14 team approach. That it takes every person, the people  
15 on the front line all the way up to upper management  
16 working together to bring information forward and to  
17 be able to bring things to light that may be going on  
18 on the front line without repercussion.

19 So, I think that's very important that in  
20 the planning, that be involved. That input from all  
21 the employees all the way through management, and then  
22 reporting to management, be involved in that process.

23 DR. COOL: Thank you.

24 Any other thoughts that you'd like to add  
25 to this? This has been a tremendous discussion. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 congratulate you. It's been quite a long - and we  
2 followed lots and lots of threads. I very much  
3 appreciate it.

4 Dan.

5 FACILITATOR HODGKINS: You know, what we're  
6 going to do now is go to lunch a little early. Okay.

7 And then when we get back, we'll go ahead and finish  
8 up with our last area.

9 One of the things that happened yesterday,  
10 the feedback we got from the webinar folks is that  
11 they had planned to attend at a certain time for a  
12 certain topic.

13 And so in being respectful then to all the  
14 folks who are in the webinar, we want to keep to this  
15 particular agenda - wait a second, we have some - for  
16 the webinar folks.

17 So, we'll go to lunch a little early, but  
18 we'll come back at the same time. Which is I think on  
19 your agenda, one o'clock, correct?

20 So, we've got maybe 65, 70 minutes for  
21 lunch today as opposed to an hour-and-a-half that we  
22 had yesterday, but we'll keep to the agenda for the  
23 webinar participants.

24 Now, with that being said, I think we have  
25 one more question/comment from the webinar.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: We have a question on  
2 constraints, but it's fairly lengthy. Kim, rather  
3 than having it - having you try to write it all out,  
4 if I hand you the microphone, could you just read it  
5 off of the computer?

6 DR. BUTLER: It seems important for  
7 licensees and regulators to assure that limits are not  
8 exceeded and constraints, e.g., as established in the  
9 ALARA programs can assure that folks look at their  
10 programs. On the other hand, there is a point of  
11 diminishing returns where the doses are so trivial  
12 that spending time and money justifying small doses  
13 becomes merely a paperwork exercise and quickly  
14 becomes meaningless. It does seem that ICRP had meant  
15 to have constraints established separately from ALARA  
16 programs. My sense is that constraints would be  
17 established by project type and that this might be a  
18 radiation safety community effort.

19 And that was by Cindy Blown (ph).

20 FACILITATOR HODGKINS: So, all the comments  
21 from the webinar participants will be incorporated  
22 into the documents that - or the thought process that  
23 goes on there.

24 So, not to be discouraged if you haven't  
25 heard your comment during this particular performance

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 or part of the program.

2 So, we'll continue to try and be  
3 respectful of the webinar participants as we move  
4 through the day.

5 With that being said, I think we'll break  
6 right now and see you all at one o'clock. Look  
7 forward to it. Thank you.

8 (Whereupon, the proceedings went off the  
9 record at 11:45 a.m. for a lunch recess and went back  
10 on the record at 12:57 p.m.)

11 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

12 12:57 p.m.

13 FACILITATOR HODGKINS: Welcome back to the  
14 webinar folks, and welcome back to everybody in the  
15 room. And so at one o'clock, we're starting to do the  
16 wrap-up.

17 I think, Don, I'll just turn over the  
18 wrap-up to you. Do we have the slide for the agenda  
19 or -

20 DR. COOL: I'll have to get the computer  
21 for that.

22 FACILITATOR HODGKINS: Uh-huh. Can you get  
23 the computer? Would that be a disclosure of some kind  
24 of top secret -

25 SPEAKER: Try P-A-S-S-W-O-R-D.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 FACILITATOR HODGKINS: Yeah, that.

3 DR. COOL: If only it were so simple as  
4 Capital P-A-S-S-W-O-R-D with a number next to it.  
5 Although, I don't think that's the case.

6 Part of the problem that we suffer at this  
7 moment is all of our switching out of computers in  
8 technology to try and get our web folks on board, has  
9 resulted in the computer that we're using to display  
10 things actually being one of NRC's computers and one  
11 of the contractor computers doing the webinar now,  
12 because for some reason the internet would connect to  
13 their computer and not to ours.

14 Now, I suppose I could say something  
15 satirical about NRC IT related to that. I think I  
16 won't. But the shorthand is that since this is signed  
17 out to a particular individual and loaded with their  
18 profile, only that individual has whatever password  
19 they use for their NRC account. And I can guarantee  
20 you it isn't as simple as PASSWORD, much as we might  
21 like it to be or otherwise. So, we can't put that  
22 slide up on the screen.

23 However, the webinar people can actually  
24 see the slide. So, for the first time in two days,  
25 the webinar people have an advantage over the people

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in the auditorium. It's quite remarkable. And I can  
2 tell you some of the things that are going on.

3 What we wanted to do in this wrap-up, was  
4 to go to the items that people had raised that weren't  
5 specifically part of that discussion at the moment,  
6 and come back and discuss those a little bit further  
7 if we could see what those issues were.

8 And there were - I think I've got four of  
9 them at the moment. There was some questions about  
10 extremity dose and whether there were any other limits  
11 or otherwise that might be changing. So, that's one  
12 item.

13 There is the question of the NRC doing  
14 some changes versus other federal agencies. And the  
15 particular discussion there I think raised by Ralph  
16 Andersen of NEI was all well and good for NRC to  
17 update. What about some of the EPA requirements that  
18 are referenced by the NRC regulations and which still  
19 go back to ICRP 2?

20 I'm very glad that Brian is sitting back  
21 there in the back. He's smiling at me and trying to  
22 hide. Okay. So, that's the second one.

23 The third one raised by Mike Boyd this  
24 morning was the question of lifetime dose versus an  
25 annual dose limit or otherwise and how that might or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 might not play in and the implications of that. And  
2 if Willie can unlock the computer, we'll be good to  
3 go.

4 And then the fourth one was a request that  
5 we talk a little bit about what ICRP has been saying  
6 around protection of the environment and how that does  
7 or doesn't play into some of these discussions.

8 And as you'll see, we reveal no data,  
9 which we don't get into the computer either. Oh,  
10 voila. All right.

11 So, I don't actually see the slide that -  
12 okay. Well, we may need to do a little bit more here  
13 because I don't see the slide on this computer which  
14 had the Day 2 setup. Willie, help me out here.

15 Did you hide some of those somewhere?  
16 Because I know I had them set up for the webinar.  
17 There's a couple of these that we don't need the  
18 slides from.

19 So, we'll pretend for the moment that we  
20 are in Oz. We're going to pay no attention to the man  
21 behind the screen. You might not pay attention to the  
22 man in front of the screen. I'm not sure, but let's  
23 start with the extremity dose question, the issues of  
24 other dose limits.

25 And as I recall, that was a question we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 talked about effective dose and that applied to the  
2 sum of all the organ, whole-body types of activities,  
3 and were there things under consideration related to  
4 extremity dose, skin dose, eye dose or some of the  
5 other limits which are also in Part 20 and in the ICRP  
6 recommendations.

7 I'm looking around the panelists. Is my  
8 recollection correct? Mike - and I think we need to  
9 use the cordless microphones. That's the only way the  
10 webinar people ended up hearing us.

11 MR. BOYD: I'm just reminding us that I  
12 think the issue Vince raised yesterday was the  
13 question of lowering the lens - the dose to the lens  
14 of the eye. So, I think that's the one that was of  
15 most concern.

16 DR. COOL: Okay. Duann.

17 MS. THISTLETHWAITE: And I had asked the  
18 question about the extremity because I was wondering  
19 what was next.

20 DR. COOL: Okay. So, let me tell you what  
21 I believe is happening, and then we can see if there's  
22 any views/discussion that you might want to proceed  
23 with that.

24 Extremity dose in the recommendations of  
25 ICRP has not changed. So, that's still the 50 rem

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 value for extremities.

2 There is a difference between how ICRP  
3 looks at skin dose averaging area, one square  
4 centimeter of skin versus the way the NRC's  
5 regulations are which is ten square centimeters.

6 For those of you who are going so, how did  
7 that happen? The answer is because we actually went  
8 probably more than ten years ago now - Roger, help me  
9 remember exactly.

10 We actually - we, the NRC, went to the  
11 National Council on Radiation Protection and  
12 Measurements here in the United States looking for  
13 some specific advice related to effects on the skin  
14 because of some questions related to hot particles.

15 And NCRP came back to us with some  
16 alternative guidance which was in fact incorporated  
17 into the NRC regulations.

18 At this moment absent some other new  
19 information or push, the staff does not have a change  
20 of that on its agenda.

21 That doesn't mean that one of you couldn't  
22 ask for something to be looked at there, but it's not  
23 part of what we currently had in our planning.

24 And I see happy smile - no, don't go  
25 anyplace else. Don't go there. Okay. That's good.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 All right.

2 The other thing that we mentioned  
3 yesterday in terms of eye dose, and Vince Holahan who  
4 was here yesterday, was noting to you that there is a  
5 growing body of information that effects to lens of  
6 the eye are occurring at lower levels than previously  
7 estimated.

8 The ICRP has said that they are looking at  
9 it. It may in fact this week or next week, I'm not  
10 sure when the ICRP's main commission is meeting, but  
11 very shortly they will be looking at some  
12 recommendations that are being developed by one of  
13 their committees. And it may be that by the end of  
14 the year there are some draft recommendations for  
15 public consultation from them which would change the  
16 eye dose limit that's currently 15 rem to the lens of  
17 the eye.

18 We can't get anybody to officially say  
19 what the proposal may be. Although, we have heard  
20 that it would become five. But that and - what is it  
21 - \$4.25 gets you one of those fancy mochas at Dunkin'  
22 Donuts.

23 So, there is that to stay tuned to. And  
24 because it can come up during this development  
25 process, the NRC staff will, if we get such a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 recommendation, start to look at that as we continue  
2 to move forward towards a possible change in  
3 regulation.

4 So, while I'm not sure there's a whole lot  
5 you can say today, although I would welcome what sort  
6 of impact that might have for some of you, we have no  
7 proposal or even options at the moment on the table.

8 Microphone 2, Roger.

9 MR. PEDERSEN: Yeah, Roger Pedersen. I  
10 apologize, Don. You might have just said this, but I  
11 was zoned out a little bit.

12 The difference between the ICRP and our  
13 current regulations in terms of the area of the  
14 average over for shallow dose equivalent, I mean  
15 that's an accepted difference between us.

16 And as far as I know, there hasn't been  
17 any request to come in line with the ICRP to go back  
18 to one square centimeter. I mean, nobody has given us  
19 any reason to change back to that bases, right?

20 DR. COOL: I don't know of anyone who has  
21 asked us to change. I know there have been people who  
22 have asked if we were going to change since ICRP still  
23 says one square centimeter.

24 MR. PENDERSEN: Yeah, I guess I'm trying to  
25 clarify that to my knowledge, there's no intent to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 change at this point unless we get some requests,  
2 right?

3 DR. COOL: That's my understanding.

4 So, let me just look around the table for  
5 the moment. If we play the speculative game that  
6 there would be a change to the recommendation for eye  
7 dose, what might that mean in some of your  
8 organizations, if anything?

9 Does anybody even come close to that in  
10 your experiences? And I recognize that I don't think  
11 we've got anybody from the interventional communities  
12 here now.

13 Overwhelming silence with a few shaking of  
14 the heads no. So, I'm going to take it for this  
15 meeting at least that there's no one that's having  
16 experiences where you have individuals who are getting  
17 close to the values for the eye dose equivalent. Not  
18 in radiography or source manufacturing. Not in PET.  
19 Okay.

20 All right. Are there any of the other  
21 limits that are associated around occupational  
22 exposure or public exposure that people wanted to  
23 bring up?

24 Let's go ahead and see if there's anything  
25 else here on the panel or around the room in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 observers.

2 Lee.

3 MR. COX: How might these limits affect the  
4 limits in the medical event definition, and also  
5 decommissioning modeling?

6 DR. COOL: Let me take those in reverse  
7 order because I think the answer is simpler in  
8 decommissioning which was done just several years ago,  
9 and I don't know of anything in the new ICRP  
10 recommendations that would suggest a change there.

11 There is ongoing discussion within the  
12 Commission about some additional requirements  
13 associated with planning in minimizing contamination,  
14 but that's not related to the dosimetric criteria for  
15 decommissioning. It's related to trying to keep sites  
16 in a condition where decommissioning isn't so  
17 difficult 15, 20, 30 years down the road.

18 Medical events, don't know personally. I  
19 suspect there are people who do that probably are not  
20 here.

21 Philip.

22 MR. GIANUTSOS: There's also a requirement  
23 certainly in our state regulations and I believe it  
24 comes from NRC, is the planning threshold possession  
25 limits worst case accident exceeding 1 rem to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 public, requires a more sophisticated emergency  
2 planning requirement at least for our licenses.

3           Would that be impacted or pushed lower if  
4 the doses to the public are in fact decreased?

5           That's another one that's on the table  
6 that could have an impact if it's removed or lowered.

7           DR. COOL: Okay. That's a good question.  
8 My recollection, and I'm going to say a few words and  
9 let Mike Boyd collect his thoughts, my recollection is  
10 those numbers are actually driven more by when certain  
11 requirements in emergency planning and preparedness  
12 would be in place.

13           The 1 rem actually corresponds to the  
14 lower value of the range of planning thresholds for  
15 short-term actions of a number of response actions  
16 under EPA's protective action guidelines.

17           So, my first guess would be that that  
18 probably isn't going to be open for change. But now  
19 that Mike's had a chance to think about it, let me ask  
20 Mike to put in some views from EPA.

21           MR. BOYD: Okay. Since Roger just did  
22 this, I was zoning a little bit.

23           Could you repeat the question?

24           DR. COOL: Ah, you see? I will find you.

25           MR. BOYD: Yes, indeed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: Okay. The question really is  
2 emergency planning, there are requirements for  
3 licensees which add things related to emergency  
4 planning when the possibility of a dose off site  
5 exceed 1 rem.

6 Is that likely to change as a result of  
7 any of these discussions?

8 MR. BOYD: I don't think they would be  
9 affected by these discussions. That's a first  
10 impression.

11 We are - we have been trying for a number  
12 of years to update our protective action guides and  
13 hopefully someday those - that process will come to an  
14 end, but I have not heard that specific number  
15 discussed as being up for revision.

16 DR. COOL: Okay. But I - Philip, I take  
17 from your statement, and I'm going to put words in  
18 your mouth and ask you to either confirm or deny, that  
19 you would not suggest that that needed to undergo  
20 revision at that time - this time?

21 MR. GIANUTSOS: We don't think it needs  
22 revision. It is a sum of fractions and it would  
23 impact what our possession authorization is for the  
24 operation. So, that could have significant impacts on  
25 us and we don't see the need for that to be reduced in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 any way since it hasn't been applied.

2 DR. COOL: Anyone else want to jump in on  
3 that topic?

4 Larry.

5 MR. HAYNES: I don't know, but I would  
6 speculate that the impact may be through dose  
7 conversion factors backwards with the same number.  
8 And then, you know, how did that affect thyroid dose  
9 or total-body dose.

10 DR. COOL: Thank you. Okay.

11 Any other thoughts or any other of the  
12 subsidiary limits? I'm using the extremity dose  
13 agenda item here just as sort of a marker to see if  
14 there's any of those other issues that people want to  
15 put on the table.

16 FACILITATOR HODGKINS: There is a webinar  
17 comment.

18 DR. COOL: Okay. Good.

19 FACILITATOR HODGKINS: From Vince Holahan.  
20 It is believed that the use of leaded glasses will  
21 adequately protect fluoroscopy physicians.

22 DR. COOL: Okay. Thank you.

23 I suspect that when we are out in Los  
24 Angeles next week where at the moment we have, I  
25 think, almost all of the different major medical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 groups represented around the table, that this may be  
2 a much more interesting point of discussion because I  
3 know that the interventional folks have some issues  
4 around eye dose and protective aprons and things.

5 Duann.

6 MS. THISTLETHWAITE: I just had a question  
7 on dose, and it yields back to public dose. I know it  
8 was on the table if public dose is decreased.

9 I wondered how that would affect shipping  
10 of packages on commercial airplanes and things like  
11 that if it would affect the dose rate allowable on  
12 packages since the public dose rate if it were to come  
13 down, if that had been considered.

14 DR. COOL: Okay. Another very good  
15 question. Another correlated piece of the puzzle.

16 The transportation regulations have  
17 actually been updated more recently. In the United  
18 States, the regulations of the Department of  
19 Transportation and NRC are very closely aligned, and  
20 in fact very closely aligned with the international  
21 transportation regs because of not only interstate,  
22 but international commerce.

23 My understanding is that the dose values  
24 that are used already reflect the current dose for  
25 members of the public and a dose rate through a series

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of models.

2 Again as Larry pointed out, the place  
3 where there could be some changes perhaps could be  
4 some modification to the A1, A2 types, the amounts of  
5 different radionuclides after the dose coefficients  
6 have been updated. That's a possibility, but we won't  
7 know until they go through that.

8 I understand from IAEA based on a response  
9 to some of the comments on the basic safety standards,  
10 that they intend to go through and do a recalculation  
11 of all of the exemption levels and transportation  
12 levels for all the radionuclides once the new dose  
13 coefficients are available, which means that they will  
14 engage in that several years from now. That's what I  
15 understand. Good question though.

16 Anybody in the - oh, Larry. Sorry.

17 MR. HAYNES: Back to skin dose. I think I  
18 don't understand now. When we went from one square  
19 centimeter to ten, we started from the point that the  
20 limit was 500 rad to the skin, assumed to be one  
21 square centimeter. And, Roger, if I'm wrong on this,  
22 you straighten me out.

23 So, we said okay, to be consistent with  
24 the current skin dose limit of 50 rem, we'll just  
25 divide that by ten square centimeters to 500, and that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 got us to where we needed to be limit wise.

2 So, how does that line up with now 50 rem  
3 to one square centimeter in ICRP? What is the  
4 difference?

5 DR. COOL: I'm actually going to hand this  
6 off to Roger Pedersen from the NRC staff who deals  
7 with this much more frequently than I do. Roger.

8 MR. PEDERSEN: Without getting into too  
9 much of it, the ICRP has always recommended one square  
10 centimeter which was the bases for our dose limit for  
11 the skin prior.

12 When the hot particle issues came up in  
13 the early '80s and we were getting overexposures, skin  
14 overexposures, we looked at it because -

15 DR. COOL: Roger, get closer to the  
16 microphone. They're having trouble picking it up.

17 MR. PEDERSEN: Sorry. We revisited the  
18 skin dose limit back in the early '80s when hot  
19 particles were depositing a lot of dose in a very  
20 localized area and exceeding - when you average it out  
21 over one square centimeter, it was exceeding the dose  
22 limit. But the bases for that dose limit was the non-  
23 stochastic impact of having an ulcer on the skin.

24 So, we realized that that dose limit  
25 averaged over one square centimeter was very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 conservative, way too conservative, that these  
2 exposures that we were - actually the industry was  
3 experiencing, they weren't providing - they weren't  
4 even close to providing an ulcer on the skin. They  
5 weren't coming close to what would cause a non-  
6 stochastic effect.

7 So, we had the NCRP look at that and come  
8 up with a recommendation. The NCRP came back. They  
9 had done a very in-depth review of, you know, at what  
10 point this ulceration would - from hot particles from  
11 various small-point sources would occur.

12 And so, that's the bases for us changing  
13 the area that you average over to ten square  
14 centimeters. At that dose, a 50 rem dose limit  
15 averaged over the ten square centimeters, still  
16 provides a margin so you don't have a non-stochastic  
17 effect. It still meets the original intent of the  
18 bases of the limit.

19 Now, when we have the opportunity to  
20 comment on the draft versions of ICRP 103, we provided  
21 that NCRP report to the ICRP and recommended that they  
22 adopt the ten square centimeter, which of course they  
23 didn't.

24 So, you'll have to ask them why they  
25 didn't line up with what - but we feel that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 current limit is adequately protected, and that's why  
2 I haven't heard any intent to try to change that  
3 because it is adequately protected.

4 DR. COOL: All right. Any other items on  
5 here? Otherwise we will move on to the next question  
6 which is a geobiopolitic question, which is the  
7 relationship of the NRC regulations and the EPA  
8 regulations, and some of you would add to that the  
9 OSHA regulations, I suppose, because the fact of the  
10 matter is that today the NRC regs do reference certain  
11 EPA regulations particularly for the fuel cycle.

12 Those EPA regulations in 40 CFR 190 and  
13 perhaps a couple of the other ones of those series, do  
14 date back to 1960 methodology. The ICRP Publication 2  
15 methodology for whole-body and organ dose.

16 So, in fact, and I think it was Ralph who  
17 put this on the table, even if the NRC were to update  
18 - that's interesting.

19 Even if the NRC were to update to ICRP 103  
20 terminology and effective dose, there are still  
21 connections back to ICRP 2 methodology for compliance.

22 Okay. That's my understanding of where we  
23 are. And at the risk of putting my colleagues from  
24 EPA in the bright, glaring spotlight, I'll let Mike  
25 and perhaps Brian Littleton talk a little bit about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the discussions that are going on in EPA.

2 MR. BOYD: Right. And I will turn this  
3 over to Brian Littleton in a second, but I just wanted  
4 to say as I think I said earlier yesterday, that we  
5 are very interested in examining whether the time is  
6 right for revising Part 190.

7 I'm sort of being very cagy in what I say  
8 because just like NRC, that decision is, you know,  
9 quite a ways in the future. At least I would say, you  
10 know, many months.

11 But certainly we are, if anything,  
12 embarrassed that we still have ICRP 2-based dose  
13 limits and would like very much to fix that.

14 One thing that I would point out is the 75  
15 millirem dose to the thyroid is actually quite a  
16 restrictive dose compared to an effective dose of,  
17 say, a hundred millirem to the thyroid, which would  
18 be, you know, a couple of rem.

19 So, there - it's not always - when you  
20 start looking at the tissue weighting factor,  
21 sometimes you come up with some surprising answers.

22 But I'm going to let Brian, if he will,  
23 tell you a little about where we are.

24 MR. LITTLETON: I don't want to steal the  
25 show from tomorrow, but we are looking at revising 40

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CFR Part 190 so that in an ideal situation this won't  
2 be a problem. And, you know, you can - there are  
3 several ways that this may turn out.

4 But if we revise 40 CFR Part 190, one of  
5 the things that we are definitely going to look at is  
6 a revision of the dosimetry to bring it up to date to  
7 an effective dose type of a calculation.

8 We're not sure, you know - well, number  
9 one we're not sure if we're revising it or not. But  
10 even given that if we do determine that we're going to  
11 revise this standard, we're not sure how far we would  
12 go whether it would be up to an ICRP 60 methodology or  
13 an ICRP 103 methodology, but these are some of the  
14 things that we've had internal discussions about so  
15 far.

16 DR. COOL: Any further questions on that?  
17 Is that satisfactory for folks at the moment around  
18 the panel, around the room?

19 Okay. Mike.

20 MR. BOYD: Brian can correct me if I get  
21 this wrong, but I think when we mentioned whether we  
22 go to ICRP 60 or 103, I think that's reflecting  
23 whether the ICRP actually gets the updates to ICRP 68  
24 out timely or would we be dragging along for another  
25 five or ten years waiting on those.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So, the only reason that I can imagine  
2 that we would go with 60 would be that there's just  
3 simply nothing available for implementation.

4           Brian, am I right?

5           FACILITATOR HODGKINS: He's nodding his  
6 head.

7           DR. COOL: He's nodding his head yes.

8           Okay. If there's nothing else on that  
9 subject, let me come next to Mike Boyd's comment from  
10 this morning about the original basis of the ICRP  
11 changes to the occupational dose limits which was  
12 trying to find a practical mechanism to deal with what  
13 they viewed as being the ultimate goal of restricting  
14 an individual to approximately one sievert or 100 rem  
15 over their working lifetime.

16           Mike, let me turn to you to elaborate on  
17 what you were saying and how that might or might not  
18 play into the discussions that we would have on the  
19 dose limit.

20           MR. BOYD: I frankly don't know how this  
21 could be accommodated in a regulation. I haven't  
22 really thought through that.

23           I was merely making the point that if  
24 there's a need - there's clearly a need in certain  
25 situations for certain, maybe, exceptional cases or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not so exceptional depending on the industry, for a  
2 worker to get more than 2 rem, you know, 20  
3 millisieverts, in an occupational year.

4 And I was pointing out that the goal is  
5 not what you get in a year. The goal is to maintain  
6 exposures to an acceptable lifetime - we would say  
7 "risk" at EPA, but "dose" is fine, whatever that  
8 number is.

9 So, I think I was speaking to the  
10 flexibility that could be written into some  
11 regulations that would provide the latitude necessary  
12 for the occasional need. And yesterday you said you  
13 can only think of one or two examples where the extra  
14 5 rem has been requested from NRC.

15 But just to point out that the annual dose  
16 limit is a mechanism. It's a means to an end. It's  
17 not the end itself. The end itself is acceptable dose  
18 or risk over a worker's productive years.

19 Does that - does that help?

20 DR. COOL: I think that helps a little bit.

21 I mean, simply from my personal perspective, I think  
22 what was going on was a desire to see an overall risk  
23 level expressed in dose for a worker's lifetime, and  
24 then ICRP saying there's no practical way to do a  
25 lifetime limit.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           People have done - traditionally do sort  
2 of annual type things which is a small enough segment  
3 to try and deal with it.

4           And so if you take the average of that  
5 wanting to keep a relatively uniform distribution of  
6 dose over the life than that is equal to, and they did  
7 the calculation out that way.

8           MR. BOYD: Let me add one other point. If  
9 you accept - and for adult workers, I think the  
10 standard mortality number is four percent per sievert.

11           If you, you know, we're not - without  
12 debating on certainty around that number, but if you  
13 just accept that as a starting point for your debate,  
14 four percent lifetime risk is probably a bit outside  
15 most - what OSHA would consider most acceptable worker  
16 risk.

17           So, I mean, I'm not an expert on that, I  
18 don't do that, but my guess is that there is some  
19 number out there that would reflect what I call the  
20 intolerable maximum. So, just as a starting point for  
21 discussions on.

22           And then how you go about incorporating  
23 that into an operational level which sort of our of  
24 necessity is done on a yearly or quarterly or rolling  
25 average basis is another matter.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: Okay. Let me reverse the  
2 question a little bit. We've had a few people talk  
3 briefly about their knowledge of the doses of  
4 individuals in your work environments over the course  
5 of a period of time.

6 And I'm guessing that no one has actually  
7 done a retrospective look to see what the accumulated  
8 dose for your individuals over their lifetime is, but  
9 perhaps you have an idea of the extent to which you  
10 have individuals who are up in the three, 4 rem per  
11 year every single year.

12 Is there a significant number of those  
13 which in fact might be challenging the 100 rem over  
14 their lifetime in your areas?

15 Gauges are saying no. That doesn't  
16 surprise me. Radiographers?

17 MS. ROUGHAN: Very small. Perhaps a very  
18 small number, but I can't see that to be a large  
19 number that would be affected.

20 DR. COOL: Duann.

21 MS. THISTLETHWAITE: I think it's too soon  
22 to tell at this point. I think there could be and -  
23 but I think the medical use licensees have stayed  
24 within the 5 rem per year. So, you could say worst  
25 case scenario 5 rem per year for the entire lifetime

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of the workers.

2 DR. COOL: Which would be significantly  
3 over a hundred rem?

4 MS. THISTLETHWAITE: Correct. But there's  
5 no lifetime dose limits as it was removed from the  
6 books in '91.

7 DR. COOL: Okay. Other observations?

8 I think one of the things that we the NRC  
9 staff will take away, and I'm looking back at Doris,  
10 is perhaps see what we can extract from the database  
11 of those who do report to us just to see to what  
12 extent we actually have some information and where  
13 some of those lifetime doses might be for some folks  
14 that we can track.

15 That will mostly, I think, be folks that  
16 are in the reactor community.

17 Cheryl.

18 MS. BEEGLE: Speaking as to the medical  
19 side on this, when we're talking about lifetime dose  
20 because PET is relatively new, within a ten-year  
21 window commercially, not obviously research-wise, but  
22 ten years commercially, the younger people who are  
23 coming into the field at 24 and up who may work an  
24 entire 40 years, I don't think we know because their  
25 exposures are going to be significantly higher than

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1       ours traditionally have been in nuclear.

2                       And to go back to your database issue from  
3       yesterday about how we could track our exposures,  
4       unless you have something like that, you're never  
5       going to know what a person's lifetime exposure is and  
6       you're going to have to start with some little guinea  
7       pig first going out into, you know, their career and  
8       track them. It could be an experiment that could take  
9       your whole career.

10                      And to say that we can't do it because  
11       there's too many diverse bodies that would have to  
12       contribute, I think it's just because we haven't  
13       thought of a creative way that we could do it, but I  
14       think it is possible.

15                      Aside from the privacy issues, because I  
16       realize nobody wants to divulge their information, but  
17       there has to be a way because we've done it for other  
18       things when we've been trying to track data.

19                      And the only way to get evidence base is  
20       to track data.

21                      DR. COOL: Thank you. Microphone 1.

22                      MR. CONWAY: Kenneth Conway, Babcock &  
23       Wilcox.

24                      The EEOICPA program is widely used. Is it  
25       possible you could contact the people doing those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 admittedly conservative calculations and get a  
2 sanitized data set that would be biased high?

3 Because we really don't care if it's - it  
4 would give you an upper limit.

5 DR. COOL: That's a possibility.

6 Could you - for those of us for whom that  
7 acronym went blowing by way too quickly, including I  
8 think the gentleman doing the transcription, could you  
9 do it again more slowly and tell us what the letters  
10 were?

11 MR. CONWAY: Well, here's hoping that I  
12 actually remember. The - this is the act to  
13 compensate the veterans of persons involved with -  
14 remotely related to the atomic bomb work.

15 The acronym is EEOICPA. I'm just drawing  
16 a complete blank. I've dealt with the acronym so  
17 long. But essentially it's a NIOSH-run Department of  
18 Labor act that compensates persons found to have  
19 developed cancer with a 51 percent or greater  
20 probability from working with materials related to the  
21 atomic bomb program.

22 If anyone does know the acronym -

23 DR. COOL: I think Joel is going to be able  
24 to fill us in now from DOE.

25 DR. RABOVSKY: No, I actually can't fill

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you in. I know it's EE -

2 THE COURT REPORTER: Energy Employees -

3 DR. RABOVSKY: Right, Energy Employees -

4 THE COURT REPORTER: - Occupational  
5 Insurance Compensation Program Act.

6 (Applause.)

7 DR. COOL: See, we have very good people  
8 doing our transcription.

9 MR. TAULBEE: Actually --

10 DR. COOL: But the dose assessments though  
11 are --

12 MR. TAULBEE: Actually, I'm a member and I  
13 have my card because I am one, among other things.  
14 Energy Employees Occupational Illness Compensation  
15 Program.

16 DR. COOL: Thank you. Joel.

17 DR. RABOVSKY: Yeah, I guess it would be a  
18 bit of a biased estimate because the way that those  
19 types of programs are designed is to give all benefits  
20 to the claimants.

21 So, the uncertainties are calculated and  
22 then the dose at the - I think it's the 99th - upper  
23 99th percentile is what's used to estimate probability  
24 of causation on that whether it's greater than - more  
25 likely than not that the exposure caused the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 condition. So, I guess it would give some estimates,  
2 but they'd be sort of very high.

3 I know in the Department of Energy we do  
4 require recording of cumulative dose starting in 1989,  
5 going back to 1989. Primarily that's when we issued  
6 our first - well, not our first, but that's when the  
7 DOE order 5480.11 was promulgated. So, that sort of  
8 was the starting point for when we felt that we had a  
9 reliable collection of doses required throughout the  
10 DOE complex.

11 So, I mean, I guess a lot of DOE sites  
12 would have that, and couldn't some data be removed, I  
13 guess, taken out of the REIRS reports or the REMS  
14 reports that have been collecting data for many years?

15 DR. COOL: Yeah, the NRC staff is going to  
16 take a takeaway on that to have our contractor see  
17 what we can mine out of REIRS. And there's the DOE  
18 version of that too which we may be able to  
19 collaborate on.

20 Larry.

21 MR. HAYNES: A few years ago, maybe five,  
22 the U.S. utilities and other Canadians also  
23 participated in the IARC study, cancer research. And  
24 the reports may have a - and I don't remember exactly.

25 I think there's a table in there that talks about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 distribution of lifetime doses in that report that may  
2 be helpful.

3 DR. COOL: Thank you. Okay. Any other  
4 thoughts there?

5 Good place to go mine some data for future  
6 looks. Appreciate that. Don't want to cut off  
7 discussion, but I have the feeling that we've sort of  
8 wrapped that subject.

9 The fourth one I had on my list was a  
10 request to talk a little bit about protection of the  
11 environment. And I threw together early this morning  
12 a brief synopsis of the things that ICRP is doing on  
13 protection of the environment.

14 So, I'm going to give you this little bit  
15 of background and then we can see what, if anything,  
16 people want to discuss on that.

17 ICRP has over the years, modified a view  
18 which started with if humans are protected, the  
19 environment's protected, to we think that adequate  
20 protection of humans will almost always ensure  
21 adequate protection of other species, but many people  
22 want you to show it explicitly now rather than just  
23 taking the assumption.

24 Traditional environmental monitoring for  
25 certainly all of you that are involved in that,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 traditionally look at the trends for the radionuclides  
2 through the environment and you trace it back, but  
3 you're tracing it back to determine a dose to a human  
4 through various pathways of food, meat products,  
5 etcetera, for protection of humans.

6 So, that remained an anthropocentric - to  
7 use a nice, big word - view of the things as opposed  
8 to an ecological look.

9 And the ICRP was saying - has said that  
10 they were receiving increasing requests for an ability  
11 to demonstrate more directly and explicitly that the  
12 environment is being protected.

13 Now, as these discussions have gone along,  
14 it went from an initial view that we don't know, we  
15 have to find out, to we believe the protection is  
16 there, but we need to have methodologies to allow a  
17 more consistent demonstration, if that's the case, and  
18 to find out if there are any unique things going on in  
19 a particular circumstance.

20 So, what they said in ICRP 103 was that  
21 they were working to fill a conceptual gap, some  
22 science to look at the environment to figure out what  
23 was going on, and some methodology. So, that was a  
24 modified view.

25 In ICRP Publication 103, there is a total

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of - it's either two or three pages. And when you  
2 read it, you actually see what looks like a wonderful  
3 research plan.

4 It's not a set of recommendations in that  
5 sense at all. There are no numeric values or anything  
6 like that.

7 Things have moved along since then. ICRP  
8 Publication 108 is a document on reference animals and  
9 plants which got nicknamed RAPs, and which proposed  
10 that there would be a set of different wildlife  
11 groups, large terrestrial animals, small terrestrial  
12 animals - you can see them, I don't need to read them  
13 all there - which could be used as a mechanism of  
14 doing an assessment of possible impacts in the  
15 environment.

16 And this sort of made the assumption that  
17 somewhat paralleled to the way we do calculations for  
18 humans, that you could do some sort of calculation and  
19 look at end points for various types of animals and  
20 plants in the environment to see if there were any  
21 impacts that were associated with a radioactive  
22 material.

23 Now, I think part of what has happened is  
24 that people immediately moved from the wildlife group,  
25 a rather generic set of things which are present most

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 places one way or another, and everybody immediately  
2 focused on the fact that there is the reference duck,  
3 the reference frog, the reference bee and the  
4 earthworm, pine tree, wild grasses, and many people I  
5 know started to say, but I don't have a duck or I  
6 don't have a deer.

7 Just a couple of weeks ago in Vienna,  
8 Austria, I was in a meeting of the IAEA that was  
9 updating coordination on a number of these activities.

10 And there were several people from countries  
11 particularly in South America and Australia saying,  
12 don't have these critters. What do we do?

13 And part of the answer back from the  
14 individual who was there from ICRP, was this is not  
15 such a critical - you have some large terrestrial  
16 mammal, might be a kangaroo, for which you could then  
17 do some wealth generalizations and comparisons to go  
18 through this process.

19 So, they've been working on developing  
20 that. And with that, they developed an initial set of  
21 what they called derived consideration reference  
22 levels, DCRLs.

23 Now, I think there are several things  
24 important to note about this. One, they're very  
25 preliminary.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Two, they are not based on whether or not  
2 you're inducing cancer to the reference duck. It's  
3 actually based on other end points of continued  
4 viability of a population, reproductive success and  
5 things rather than affects to a particular individual  
6 of that species.

7           So, the underlying end points were very  
8 different, and there are huge degrees of uncertainty  
9 that are associated with this.

10           For many of these, the ICRP has said we're  
11 running - we're setting these out with a few studies  
12 which have lots of uncertainties. So, it's roughly  
13 there. Something in that band.

14           Now, I think what's interesting to note is  
15 that compared to where average annual backgrounds are,  
16 all of these are significantly above it. And, in  
17 fact, and unfortunately when I copied this slide, the  
18 black should have tried to translate over for a dark  
19 color background so you can't see it, those dose  
20 levels are significantly higher than any dose level  
21 that you would think about and are in per day, not per  
22 year.

23           So, in fact, those who had been doing a  
24 fair bit of work thus far in the analysis in the  
25 European Union and some other places, and including

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the Department of Energy who has been doing some work  
2 in some modeling, their people have not yet run into a  
3 circumstance, and I believe I'm stating this  
4 correctly, where if you have established a set of  
5 protection and established requirements for effluents  
6 and otherwise to restrict the movement of  
7 radionuclides in the environment, that you could  
8 achieve levels which would start to challenge these  
9 levels for reference animals and plants.

10 On the other hand if you have no humans  
11 present in any form, conceivably that is possible.  
12 And I will tell you very frankly perhaps not  
13 completely politically correct, much of this got  
14 started because of our friends in the former Soviet  
15 Union who, amongst other things, decided that a good  
16 way to dispose of a number of their reactors and subs  
17 a number of years ago was to put them at the bottom of  
18 the ocean.

19 And it got the folks in Norway and some of  
20 the other Scandianian countries more than a bit  
21 worried, because there were no humans there and no one  
22 could monitor what was happening to pretty significant  
23 quantities of material in the environment and perhaps  
24 uncontrolled.

25 So, much of the driving force comes from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 some of those considerations, and I think it's  
2 reasonable to understand why that would be a concern  
3 for them.

4 Now, what ICRP is suggesting, and they're  
5 still working on this, there's actually no  
6 publication, again I take this from discussions that  
7 were held in Vienna and some other places that I've  
8 sort of grabbed as quickly as I could, that they would  
9 believe or they think that it's possible to construct  
10 a system where you could do some assessments of  
11 materials in the environment for reference animals and  
12 plants somewhat parallel to the way that you would do  
13 it for people, as a way of being able to more  
14 explicitly demonstrate that the controls that you  
15 placed on a particular source for effluents and  
16 radiation were providing adequate protection.

17 Much of this is yet to be developed. So,  
18 you won't actually find that particular chart in any  
19 publication that's out there at the moment.

20 Let me transition just a bit, because  
21 there is a connection back to the NRC. There have  
22 been a number of issues over the last few years where  
23 this little tiny isotope called tritium in the  
24 groundwater on some facilities underneath some of the  
25 reactors. And that has gotten people at various

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 stages of interest and discussion and concern that  
2 resulted earlier this year in the NRC staff,  
3 assembling a task force to look at groundwater issues.

4 That task force prepared a report which is  
5 publicly available on the NRC website. It was  
6 released in June.

7 That report is now under examination by a  
8 senior management group chartered by our executive  
9 director for operations. And that group held a public  
10 meeting on groundwater protection on October 4th of  
11 this year just three weeks or so ago at the NRC  
12 headquarters.

13 I suspect the transcripts of that are  
14 available. I didn't have the opportunity to try and  
15 go look and verify that that was the case.

16 But the first of the four themes addressed  
17 in that day of discussion was the question of whether  
18 or not there should be a reassessment of NRC's  
19 regulatory framework for groundwater protection. And  
20 they asked the participants a series of questions.

21 And what I'm going to do now is I'm going  
22 to show you what each of those questions were so that  
23 you're aware of the questions that were described.

24 The first question was whether there  
25 needed to be any modification of the NRC's program to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 harmonize the approaches for groundwater protection to  
2 reply to different licensees under NRC regulations  
3 recognizing that in fact this is one of the places  
4 where NRC has multiple legislative mandates.

5 And so some of the things that the NRC  
6 looks at related to uranium mining and milling under  
7 the Uranium Mill Tailings Radiation Control Act are  
8 somewhat different than that which gets done for  
9 reactor facilities and some of the other things.  
10 There are some differences.

11 To what extent should those be harmonized?

12 To what extent should the NRC's programs  
13 accommodate or encourage industry initiatives?  
14 Because it is well known that the reactor community  
15 has taken a number of steps to try and look at their  
16 own programs and activities and to what extent should  
17 NRC be looking at those which may go beyond the  
18 specific requirements that are in the NRC regulations  
19 today.

20 How should the NRC programs address  
21 protection of the environment? And a couple of  
22 specific subset questions. Requirements related to  
23 prompt remediation of unintended releases of liquid  
24 effluents. And part of this comes from the question  
25 of where the material is.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           If it's on site and is controlled, it  
2 would have to be done at decommissioning. Some  
3 radiation protection arguments would argue if it's  
4 going to sit there and it's going to decay, don't burn  
5 a whole bunch of dose now to clean it up if it's going  
6 to decay away long before you're ever going to have to  
7 go into decommissioning.

8           On the other hand if it's going to move  
9 around, maybe you want to clean it up more quickly.  
10 What should be the requirements and what should be  
11 sort of the criteria for when you try to do prompt  
12 remediation versus making sure that material is  
13 controlled and dealt with at the decommissioning?

14           Should we try to modify Part 20 to address  
15 the portions of ICRP related to environmental  
16 protection?

17           That gets to the question of should there  
18 be any changes that would bring you to a recognition  
19 of other factors of protection, and I will tell you  
20 that there are two components of this.

21           First, you have what the NRC can do under  
22 the Atomic Energy Act which, in fact, by our  
23 legislative basis has to have an end point that does  
24 come back to human protection. We do not have as EPA  
25 does, separate legal authorities related to different

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 kinds of media in the environment from a legal  
2 standpoint.

3 On the other hand, we do have  
4 responsibilities under the National Environmental  
5 Policy Act and other legislatives, Endangered Species  
6 Act and some of those things to do environmental  
7 assessments.

8 And we comply with all those requirements  
9 and we in fact use tools similar to the things that  
10 ICRP is using, materials like what DOE has developed  
11 in RESRAD-BIOTA, to do assessments of the environment  
12 where radiation is looked at as one of the possible  
13 stressors.

14 Heat's a stressor. Construction is a  
15 stressor. Anything that potentially impacts the  
16 environment where a facility is all has to be part of  
17 that environmental assessment.

18 So, the question that was posed to members  
19 of the panel was whether there were any specific  
20 changes that the panel might suggest for addressing  
21 those. I will tell you there were no suggestions  
22 during that meeting for specific changes.

23 Should there be changes to the Reactor  
24 Oversight Program related to looking at leaks from  
25 pipes or plant releases or otherwise, and to what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 extent should any of these criteria be related to our  
2 public confidence issues as opposed to health and  
3 safety issues?

4 Because as you can well imagine for small  
5 quantities of radioactive material, many people would  
6 argue that there is no safety basis, but it is a  
7 concern to many people because it has happened.

8 And I won't try to put any other  
9 qualifiers on that, but there have been stressors. I  
10 guess that's the proper way to put it. There have  
11 certainly been comments to the Commission from both  
12 sides of that equation.

13 There was the specific question asked  
14 related to whether or not the Commission - the NRC  
15 Commission should consider a policy statement that  
16 would put together how we address some of these things  
17 in our expectations for licensees.

18 There was a question on whether or not we  
19 should be trying to further modify the framework to  
20 pull in some of the things that are undergoing develop  
21 in the International Atomic Energy Agency, some of the  
22 other international communities, the things happening  
23 in the Department of Energy.

24 And so I can tell you that there was some  
25 interesting feedback. You can go to the transcript

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and see the results of that. The senior management  
2 group is continuing their deliberations. So, there is  
3 no results to report to you at this time. Although,  
4 there will be at some point in the future.

5 So, that is a very not-quite-so-brief  
6 synopsis of some of the things related to protection  
7 of the environment.

8 And I would invite you for just a moment  
9 or two of any particular views or questions that you  
10 may have on that, we can take this portion of the  
11 transcript and any particular feedback and provide it  
12 to the staff that is working that issue for the senior  
13 leadership group.

14 Microphone 1.

15 MR. DAVIDSON: All right. Mic 1, Scott  
16 Davidson, New World Environmental.

17 Other than an omission, an oversight back  
18 when Appendix I and off-site dose calculation manuals  
19 were developed, is this any different than any other  
20 effluent?

21 DR. COOL: As far as I am aware, you could  
22 say the answer is no. But on the other hand,  
23 effluents are supposed to be identified, monitored and  
24 tracked.

25 The initial assumption of course for some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of these underground pipes and tanks was that there  
2 would be no leakage. That assumption has proved to be  
3 faulty.

4 So, in fact, there was a question raised  
5 not for this particular panel, but later in the day,  
6 with regards to whether such releases into the ground  
7 on a facility should be considered as effluents or  
8 not.

9 That was actually an open question for  
10 which I don't believe a decision has been reached by  
11 the Agency.

12 It's a good question.

13 MR. DAVIDSON: Again, it's all about  
14 capturing the dose to a receptor and combining it with  
15 others and showing that the combination of them  
16 collectively don't exceed some number.

17 But, you know, it didn't happen that way  
18 and it got huge, but we don't treat other effluents  
19 the same way until you decommission and then things  
20 get a little strange where you've already released  
21 things and they come back to haunt you. But that  
22 would be when you would deal with these buried pipes  
23 and everything else as well.

24 Okay. Had my say. Thank you.

25 DR. COOL: Mike.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BOYD: I wanted to point out - this is  
2 Mike Boyd, EPA - if we use the - I mean, if we use as  
3 a reference point the guidelines that have been  
4 published by either the IAEA a number of years ago or  
5 the NCRP which have BIOTA protection recommendations  
6 for terrestrial animals at around, you know, I think  
7 10 milligray or a rad a day, and for plants and marine  
8 life a tenth of that down at, you know, a milligray or  
9 a tenth of a rad a day, it's fairly easy to  
10 demonstrate compliance.

11 We - EPA helped fund a part of DOE's  
12 RESRAD-BIOTA Code which was an evolution of their  
13 BIOTA Dose Assessment Manual.

14 And in almost all instances I think when  
15 DOE facilities - and I'm not DOE. So, please correct  
16 me if I'm wrong, but I understand that in almost all  
17 cases this is a graded approach and you'd use a  
18 generic screening level. Very conservative. Very  
19 high-end estimate.

20 And if you don't meet that, then you can  
21 go to sort of a reference approach. And then there's  
22 even a third level where you can design your own  
23 receptor in the RESRAD-BIOTA Code. But it's my  
24 understanding that it's very rare that you wouldn't  
25 pass at the very conservative screening level at these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 levels.

2 Now, we at EPA have been interested in the  
3 work that's been done by the ICRP Committee 5 and the  
4 ERICA and FaSa programs which were funded by the  
5 European Commission and others both because it adds to  
6 the scientific knowledge, but also it improves our  
7 understanding of transfer coefficients for the very  
8 human-based assessments that you mentioned, you know,  
9 that we have used this data for.

10 A lot of times we have been using decades  
11 old data. And if scientists have the money and are  
12 willing to do the research to come up with better  
13 transfer coefficients and bioaccumulation data, it  
14 goes to the greater good as well.

15 So, I don't think this is going to be an  
16 impediment to any operational, you know, any radiation  
17 protection operations as are being done today. I  
18 don't think this is going to change that, but I may be  
19 wrong. This is my opinion.

20 DR. COOL: Thank you. Any other thoughts  
21 or questions?

22 As I said, the senior leadership group  
23 will eventually make some policy recommendations to  
24 our commissioners. They may at some point ask the  
25 staff to consider specific things related to this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I have no basis for predicting exactly  
2 what that is, but at some point that may occur.

3 Larry.

4 MR. HAYNES: Kevin, haven't the Canadians  
5 approached this in some direction?

6 MR. BUNDY: You mean the -

7 MR. HAYNES: Non-human biota.

8 MR. BUNDY: We have to a certain extent.  
9 We have participated - and UNSCEAR just came out with  
10 a large report on radiation effects on the environment  
11 we've contributed to.

12 With respect to tritium specifically,  
13 we've also gone through a large issue with tritium  
14 contamination of groundwater around facilities and  
15 we've just recently published six large reports on  
16 looking at tritium and the effects to the environment  
17 and health effects of tritium and that. And that's  
18 available on our website if anybody wants to download  
19 them.

20 Based on that, we are looking at providing  
21 design guidelines for tritium in-ground water for any  
22 new facilities. Not for existing facilities. But if  
23 they have a new facility for designing tritium - a new  
24 tritium-handling facility, then these guidelines would  
25 be appropriate.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   But they are just at the conceptual stage  
2 right now. They are not by no means in force yet.  
3 There will be some sort of - staff will prepare a  
4 guidance document and then it will come up for  
5 consultation.

6                   Did I answer your question or -

7                   MR. HAYNES: You did partially. What I'm  
8 thinking of is Dr. Speckins is part of the EPRI  
9 Advisory Committee that I participate in. And he is  
10 with some of the Canadian CANDU reactors. And he had  
11 talked about studies with tritium, carbon-14 and the  
12 environment and how that may be factored into the  
13 environmental protection side of effluents for  
14 nonhuman critters.

15                   And just thinking, you know, from what he  
16 said, it sounded to me like the Canadians had actually  
17 put some things in place that considers that.

18                   MR. BUNDY: Yeah, okay. We do have our  
19 environmental - Environment Canada has a number of  
20 CEPA documents, Canadian Environmental Protection -  
21 it's not association. I can't remember what the full  
22 acronym is again, but there are documents on that.  
23 And there was - there are limitations for uranium and  
24 tritium in those - in that series.

25                   And if something is considered CEPA toxic,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 then there are additional environmental constraints, I  
2 guess, for lack of a better word at the moment, that  
3 are placed on them.

4 At the moment, I can't think of any actual  
5 actions we've done along that line yet, but it's not  
6 an area I'm usually involved in. So, I just can't  
7 answer it. Sorry.

8 DR. COOL: Okay. Thank you.

9 Any other observations on this topic?

10 If not, I think now is the time for one  
11 last chance. I know that for myself if I were to look  
12 at a rule, there's always the PET thing that I would  
13 want to change.

14 And so I am going to now invite briefly  
15 you to consider if there's any other issue that you  
16 would like to put on the table for us to be  
17 considering.

18 And let's do the panel first, and then  
19 we'll go to the audience. And I don't actually want  
20 to do a roll call necessarily, but perhaps we do.

21 FACILITATOR HODGKINS: Kate, what do you  
22 think? Should we start with you? Why not? come on.

23 MS. ROUGHAN: I don't - right off the top I  
24 can't think of anything right this second. So, maybe  
25 if we continue down the path, maybe I can jump in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 later.

2 MS. THISTLETHWAITE: Duann Thistlethwaite,  
3 Triad.

4 The only other thing I could think of is  
5 if the rules do change, then inspectional guidance,  
6 what to expect from the inspectors, how they'd be  
7 trained on following the new rules such as constraints  
8 and how they would be enforced.

9 FACILITATOR HODGKINS: Okay.

10 MR. MATTMULLER: Steve Mattmuller. Since  
11 you've opened the door, I've been struggling with this  
12 and I'm going to ask because I keep thinking why are  
13 we here? And it, to me, comes back to people really  
14 believe in the LNT model and that's what's driven the  
15 lower numbers for the current ICRP.

16 So, I don't think there's a camera on  
17 anyone here, but could I just see a show of hands of  
18 people who really believe in LNT and think ICRP 103 is  
19 really right on the mark?

20 Okay. Thank you.

21 DR. COOL: For the record, there's a  
22 mixture. There are a few hands, and a number that are  
23 not.

24 MR. MATTMULLER: That's all I have. I'm  
25 sorry.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BOYD: Could I have a counterpoint  
2 here?

3 I don't think you can say - I don't think  
4 do you believe in LNT is a valid question. I raised  
5 my hand just to make a statement, but LNT is a - we  
6 think is a plausible mechanism, you know, supported by  
7 the biological research.

8 We know that there's an observable dose  
9 range that has nothing to do with LNT. It's observed  
10 cancers, excess cancers in well-studied populations,  
11 and how you extrapolate that is always going to be  
12 subject to the limits of the science.

13 So, LNT is probably not exactly right, but  
14 it's - and I think when we're talking about the levels  
15 above, you know, say above 10 rem, it's not a question  
16 of LNT. The risk is there.

17 DR. COOL: Thank you, Mike.

18 Let's continue around with Larry. Issues  
19 on the regulation.

20 MR. HAYNES: I don't have anything to add.

21 DR. COOL: Okay. George.

22 MR. MARSHALL: George Marshall. No  
23 comment. I'm fine.

24 DR. COOL: Okay. And that's perfectly  
25 okay. I'm not desperate for more issues. I think I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have plenty to work on.

2 Philip.

3 MR. GIANUTSOS: I'm not sure how far you  
4 want to open this. But in terms of Part 20 revision,  
5 I really think the negligible, individual dose as  
6 defined by NCRP should be factored into Part 20 for  
7 consideration of other activities released and so on.

8 DR. COOL: All right.

9 DR. RABOVSKY: Joel Rabovsky, Department of  
10 Energy.

11 I really don't have too much more to add.

12 I heard a lot of interesting viewpoints the last two  
13 days. I think the guidance is always the heart of any  
14 change. This is really how you're going to do it and  
15 make sure that everybody understands just what these  
16 concepts are, including the people who are going to  
17 enforce them, because that sort of is where a lot of  
18 issues come up.

19 I guess addressing Mike, we heard a lot  
20 about the validity of the scientific basis in the last  
21 two days. I'm not sure that is the issue.

22 As a regulator, we use LNT because it's a  
23 simple system to work with that's reasonable, plus I  
24 don't know that I believe - even though one doesn't -  
25 hasn't demonstrated health effects at the lower

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 levels, one, on the other hand, hasn't demonstrated  
2 the absence of health effects because we know that the  
3 tools right now aren't sufficient to make a definitive  
4 statement.

5 DR. COOL: Lee.

6 MR. COX: Lee Cox, OAS and CRCPD.

7 I'm hesitant because at lunch I was told I  
8 spoke too much this morning.

9 (Laughter.)

10 DR. COOL: Not true.

11 MR. COX: But speaking for the states, we  
12 have to keep in mind that we're talking about these  
13 decisions effect both material licensees and x-ray  
14 producing machines.

15 And I think before we go down the path of  
16 our European neighbors, we might want to learn more  
17 about the European occupational model and also, more  
18 importantly, the frequency of medical procedures in  
19 these European countries.

20 Having lived under social medicine in  
21 Australia, I would suggest that they are able to meet  
22 the lower dose limits of 2R per year just by the sheer  
23 less frequency of medical procedures in those  
24 countries if you believe that they are wearing their  
25 film badges.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I would also comment that probably the  
2 level of industrial radiography in those countries are  
3 not as robust as they are in this country, especially  
4 most recently with the stimulus package from the  
5 federal government.

6 So, we might need to learn more about how  
7 they're accomplishing this lower level before we dive  
8 into changing how we do business in this country.  
9 Thank you.

10 MR. HICKMAN: Erskin Hickman, United States  
11 Enrichment Corporation.

12 I really hate to throw this out. It may  
13 be showing my own ignorance, but is it a foregone  
14 conclusion that with this regulatory change that we'll  
15 be going to the SI units and doing away with the rad,  
16 rem and roentgen?

17 As an old-timer, I sure am comfortable  
18 with that.

19 DR. COOL: No, it is not a foregone  
20 conclusion. And if anything, I suppose I would have  
21 to say that the leaning is probably not to open up the  
22 government's metrication policy with this rule.

23 Because when you raise that issue and it  
24 has been raised before, you raise things which are  
25 much broader than the question of NRC's radiation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 protection regulations.

2 Kevin.

3 MR. BUNDY: Kevin Bundy, Canadian Nuclear  
4 Safety Commission.

5 Larry, since I thought of it a little bit  
6 longer, there is another environmental dose  
7 consequences. When we have environmental impact  
8 statements for new projects or changes to major  
9 projects, we do require of course impact on  
10 environment. And part of that now includes  
11 calculation of dose to biota.

12 So, that is included. I don't know if  
13 there's ever been an issue or not, but that dose is  
14 required.

15 One thought, Donald, that's come to me  
16 maybe hopefully not too late in the game, but is the  
17 radon - new radon risk coefficients part of this  
18 discussion too that are - that the ICRP's talking of  
19 changing?

20 DR. COOL: That's also a good question.  
21 Actually, the discussion on the radon coefficients and  
22 those programs resides mostly, and again I'm looking  
23 at Mike Boyd, in the EPA discussions, the indoor air  
24 program and some of their activities.

25 Because to the extent that I am aware,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 radon does not play a significant contributor for most  
2 all of the NCR licensees under our regulations. But I  
3 know that there has been active discussion in EPA  
4 around those coefficients and some of the changes.

5 Mike, I don't know if you'd like to jump  
6 in on that.

7 MR. BOYD: Well, I guess, you know, you  
8 have your Appendix B effluent guidelines which do  
9 include radon air emissions, but those would just  
10 change based on the ICRP methodology changes.

11 DR. COOL: Right.

12 MR. BUNDY: Just one other point with  
13 respect to the comment Lee made about the doctors and  
14 that. I was part of the original discussions with the  
15 BSS that got the current draft. And there was a lot  
16 of talk of lifetime doses at that time.

17 And it was just after ICRP 60 had come  
18 out. And there was a large contingent from the French  
19 medical doctors, cardiologists and radiologists that  
20 were pushing for the larger - keep the larger dose.  
21 The same sorts of things I'm hearing now.

22 DR. COOL: Stephen.

23 MR. BROWNE: You opened the door very early  
24 on with the potential for changing some terminology  
25 with regard to -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: Close to the microphone.

2 MR. BROWNE: You opened the door early on  
3 in the discussion yesterday with potential for  
4 changing the terminology regarding total effective  
5 dose equivalents to total effective dose. And it got  
6 me thinking about other terminology like deep dose  
7 equivalent and skin dose equivalent.

8 And if you look at the ICRP, they don't  
9 use those terms. And the terms they use are actually  
10 a little bit easier, I think, for a person to  
11 understand with respect to how they relate to  
12 applicable limits.

13 For example, they use effective dose to  
14 the whole body. They use effective dose to the skin.

15 And so that might be something to consider. I kind  
16 of suggest that hesitantly because that could have a  
17 lot of implications in terms of changing a lot of  
18 documents and records and things like that.

19 But it - for people that - for the average  
20 person that we train, deep dose equivalent and skin  
21 dose equivalent is always something that we have to  
22 explain what in the world that means whereas whole  
23 body and skin are something they can probably  
24 understand more easily.

25 DR. COOL: Thank you. Mike.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BOYD: Maybe to throw something out I  
2 don't think I've mentioned before, I think if I were  
3 to offer a suggestion for something new in Part 20 it  
4 would be - I mean, I think operational values almost  
5 have to be in either annual dose limits or for, you  
6 know, radionuclide concentration - activity  
7 concentration limits.

8 But for situations where you're regulating  
9 perspective doses from, you know, determining how  
10 clean is clean, the sort of things that EPA does  
11 through Superfund and other programs like that, I  
12 think you'll find that there's a lot of merit to risk-  
13 based approaches.

14 Because if you start from a nominally-  
15 accepted risk to a receptor over a period of time,  
16 then you're integrating. You're not, you know, you're  
17 allowing for decay, you're allowing for weathering,  
18 you're allowing for anything that could happen at a  
19 site over the period of future use and integrating  
20 that value to see what is a concentration today that  
21 could give you an acceptable lifetime risk.

22 And there are other, you know, the  
23 remediation is just one example. There are examples  
24 in emergency response and, etcetera.

25 So, I think risk as a unit of, you know,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 as a planning unit for setting clean-up goals and  
2 things like that which you might do under Part 20  
3 would be a useful thing to consider.

4 DR. COOL: Thank you. Cheryl.

5 MS. BEEGLE: Back to something we sort of  
6 talked about yesterday for limits for members of the  
7 public, and we didn't touch on this, sort of touched  
8 on it, when you're looking at individuals who  
9 participate in research treatments in the medical  
10 community, they sign, of course, consent agreements to  
11 participate in those protocols. And there is  
12 disclosure in those agreements as to the dose that  
13 they might receive from the various procedures.

14 And then those consents are actually -  
15 they're actually approved before they're used in the  
16 protocols by the institutional review boards and then  
17 provided to the patients.

18 And so I can see that if we get into  
19 lowering according to the ICRP the limits, that it  
20 could throw a huge monkey wrench into these disclosure  
21 issues.

22 Because as Mahesh and I were speaking  
23 about yesterday, and Mahesh isn't here today, the  
24 exposures to public individuals be it their family  
25 members or whoever or the individuals themselves, is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 huge when they're in these protocols. And I know  
2 there are some constraints as to whether it's their  
3 second - perhaps they're being treated for cancer.  
4 So, it's their exposure to developing a second cancer  
5 as opposed to their first cancer, but it could impact  
6 that area of health care also significantly.

7 DR. COOL: Okay. Thank you. One note at  
8 least my recollection, the public dose limits in Part  
9 20 in fact specifically exclude the dose to patients,  
10 the dose to individuals likely to be exposed to  
11 patients and released under the medical patient  
12 release criteria, and individuals receiving exposure  
13 under approved research protocols.

14 I'd have to go back and verify that, but I  
15 believe that that's currently part of the language  
16 that's in the public exposure limits.

17 MS. BEEGLE: Yeah, that's what I wasn't  
18 sure when I was looking back at this.

19 DR. COOL: Thank you.

20 MS. BEEGLE: Thank you.

21 DR. COOL: Ellen.

22 MS. ANDERSEN: My comment from the power  
23 reactor perspective - again, this is Ellen Andersen  
24 from the Nuclear Energy Institute.

25 My comment is more pragmatic because it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 has to do with implementation. If in fact you  
2 determine that you're going to make some of these  
3 changes, whatever those changes are, we want to ensure  
4 that we have an implementation period such that we can  
5 establish a good - I guess we'll use that word -  
6 change management plan so that we can properly train  
7 our workforce, we can budget for procedure revisions,  
8 for software changes, whatever needs to be done.

9 We don't want to do this haphazardly. We  
10 want to do it right. We want to do it right the first  
11 time. Don't want to get into a situation where we  
12 violate any of your regulations.

13 So, we do request that we have an  
14 implementation period that is such - such that we can  
15 do this right the first time.

16 DR. COOL: Good. Thank you.

17 Let me now come to the audience because I  
18 know there are a couple of people who wanted to speak.  
19 Come on up to the microphones.

20 MR. MECK: Robert Meck, Science and  
21 Technology Systems. It's my understanding that the  
22 Germans have legally defined levels of radioactivity  
23 that are not subject to regulatory controls and  
24 regulations.

25 They've implemented these. This would be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a useful thing for the NRC to reconsider.

2 DR. COOL: Thank you.

3 FACILITATOR HODGKINS: As the next persons  
4 coming to the mic, I do have a webinar issue that was  
5 submitted from Vince Holahan.

6 Development of a standard for the release  
7 of volumetrically contaminated material. No standard  
8 currently exists.

9 DR. COOL: Okay. Thank you.

10 Microphone 2.

11 MR. COLEMAN: Neil Coleman, ACRS staff.  
12 Just a couple of observations.

13 I guess I just have to put on the  
14 transcript it's a little bit disingenuous of all of  
15 the federal regulatory organizations, the kinds of  
16 doses and differences that we're talking about  
17 compared to the very sizable increases in diagnostic  
18 doses that the public is getting.

19 Whatever changes are made in the  
20 regulations, there needs to be more communication to  
21 the public about the actual risks of all of that  
22 diagnostic work.

23 Okay. Second point, something was kind of  
24 bothering me all day yesterday and I realized what it  
25 was. The discussion - and this is a comment on the 5

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 rem limit. 2 rem versus 5 rem limit.

2 There were three options that were  
3 presented early on yesterday, but you know the  
4 discussion was all guided by those three options.

5 First of all, were other options  
6 considered because there are many other options that  
7 could be considered that might be more favorable than  
8 the ones that were shown.

9 For example, why is a single limit number  
10 used?

11 In the technical world we live in, this  
12 does not reflect uncertainty at all. It does not  
13 communicate uncertainty.

14 It's one of the things, I think, that  
15 leads to the irrational fear that so many in the  
16 public have about all things radioactive.

17 So, one plausible alternative option would  
18 be a dose limit range, coincidentally, from 2 to 5  
19 rem.

20 Since we have no evidence whatsoever of a  
21 difference in risk between those numbers or, for that  
22 matter, 3 rem or 4 rem or 4.1, this would be a  
23 possibility because it has some sort of that and  
24 similar options, a certain elegance to them because  
25 you wouldn't really have to change models.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           It would embrace the limit from ICRP,  
2           which has no technical basis. But my former office  
3           director, Carl Paperiello, I don't know if he's still  
4           here, said it would be very nice to be able to embrace  
5           what ICRP has done and sort of have more consonance  
6           with the international community.

7           That's a way to do it, but what we do  
8           should be scientifically based. And two versus five,  
9           anything below ten, there's no real risk difference.

10          But also it's important to send a message  
11          to the public that there isn't a number above which  
12          people get sick and die. There's a very large  
13          uncertainty in all these numbers.

14          As long as you're below 10 rem, no  
15          difference in risk.

16          DR. COOL: Thank you. Anybody else from  
17          the audience then that would like to step up to the  
18          mic?

19          Here we go.

20          MR. CONWAY: Ken Conway, Babcock & Wilcox.

21          I understand that a significant part of  
22          the internal dose calculation redo will not be done in  
23          the 2014. I'd much prefer that if there is going to  
24          be a change, it be done all at once with a complete  
25          data set.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: Thank you.

2 FACILITATOR HODGKINS: Anybody else to the  
3 microphone? Any introverts having difficulty getting  
4 to the microphone?

5 DR. COOL: Do we have another web - we do  
6 have another statement from the last presentation.  
7 Okay.

8 This was a follow-up from Vince Holahan.  
9 We have at least one person who is contributing from  
10 the web, thank you, Vince, who I think just making a  
11 note to put on the record here that the IARC, the I-A-  
12 R-C study that was referenced - I'm not sure who put  
13 that on the record.

14 He said - his statement is that he does  
15 not believe that the study is useful because the  
16 methodology imposed excluded cumulative high-dose  
17 individuals. The maximum exposure was 500  
18 millisieverts with no neutron exposures.

19 So, we have a somewhat countervailing view  
20 to the statement put on here by someone that that  
21 perhaps might be another source where we could look at  
22 cumulative exposures. Certainly something that the  
23 staff would have to look at. Thank you.

24 Do we have any other web items?

25 Kim says yes. Perhaps I should give you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the microphone and let you read it off the screen.

2 Have you got it? Okay. Kim.

3 DR. BUTLER: The ICRP basis is related to  
4 lifetime dose of a hundred rem not so much indicating  
5 that there is a risk at 2 rem per year. It should  
6 also be noted that we are compensating folks who have  
7 received organ doses on the order of a hundred rem.

8 DR. COOL: Okay. And that statement was  
9 from Cindy Bloom. Okay. Thank you very much, Cindy.  
10 We appreciate that.

11 Let me wrap up -

12 FACILITATOR HODGKINS: Yes.

13 DR. COOL: - my piece very quickly because  
14 people are saying what's going to happen next?

15 I'm going to come back to a slide that I  
16 used way back yesterday morning to sort of reset this.

17 We are in the process of trying to assemble a few  
18 points and comments.

19 This was the first of three workshops. We  
20 will be in Los Angeles next week. We will be in  
21 Houston the week after. A very similar format and set  
22 of issues to gain further views and opportunities.

23 Each time you get a group of people  
24 together, you get some new bits and pieces, maybe some  
25 slightly different flavors, perhaps some things that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are similar. We're trying to get all of those and not  
2 just be here close to Washington, D.C.

3 There is an open record, and let me  
4 reemphasize and invite everyone to submit additional  
5 thoughts on the record. The comment period that we  
6 announced in our Federal Register Notice for these  
7 meetings is open until January 31st of 2011.

8 The NRC staff will be taking all of this  
9 information and will be trying to develop a set of  
10 policy recommendations for our commissioners by late  
11 next year, with pros and cons, what we've heard, all  
12 of the bits and pieces here around some of these  
13 issues, and provide that to the Commission and seek  
14 commission direction for next steps to take.

15 So, obviously I cannot stand here today  
16 and tell you that certain things will or will not  
17 happen.

18 When the Commission gives this direction  
19 on some key issues, the staff would need to complete  
20 some of the technical basis work. And some of that  
21 would certainly have to consider the availability of  
22 some of these numbers that ICRP and others are  
23 continuing to work on which could eventually lead to a  
24 proposed rule with whatever set of things the  
25 Commission concluded needed to actually move forward

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to rule making.

2 That would, of course, provide additional  
3 opportunities for public comment. I would fully  
4 expect it would be additional opportunities for public  
5 meetings as part of that process.

6 Now, you say so exactly how long is that  
7 going to take? Good question.

8 The crystal ball is a little bit foggy,  
9 but it sort of shimmers that the NRC staff is supposed  
10 to give its recommendations to the Commission late  
11 next year. That one is clear.

12 When the Commission comes back to us with  
13 their recommendations in the process that they use,  
14 not quite so clear, could be a couple months, could be  
15 longer, the Commission could choose to hold its own  
16 meeting or meetings on the subject. That has been  
17 known to occur.

18 Completion of the technical basis  
19 development and any proposed rule probably then looks  
20 like the earliest 12, maybe even a bit longer than  
21 that. With public comment and final rule, I would  
22 guess that you're probably in the vicinity of 13 to  
23 14, roughly. It gets murkier as you go out in time.

24 Now, that's not a short period of time.  
25 For someone like me who remembers the last time that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it was 12 years, it still sounds like a short period  
2 of time, but it does have some significant additional  
3 opportunities for comment and process.

4 There's at least one person who mentioned  
5 the fact that there would be some new reactors that  
6 are starting to be looked at for construction  
7 authorization permits looking at 14 to 16.

8 The staff is in fact aware of that and has  
9 talked about the fact that it would be nice to have  
10 the new system in place for the new reactors to  
11 operate on. But we also recognize that the licensing  
12 basis is the existing basis today, and the initial  
13 license would be on that. So, there are a whole  
14 series of those issues.

15 There's also the implementation issues  
16 that several have raised. Rightly so. Staff will  
17 have to look at that. The last time there was a  
18 revision of Part 20, there was a three-year  
19 implementation period between publication and when the  
20 rule actually became effective.

21 So, the staff will look at that and there  
22 is certainly precedence for providing additional time  
23 to make sure that guidance documents and other  
24 materials are in place.

25 So, all of that not in the sense of trying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to give you a warm fuzzy, maybe it's a sort of cold  
2 fog about how long it might take, but there will be a  
3 number of additional opportunities.

4 And the bottom line that I want to leave  
5 you with is when you walk out of here and you walk  
6 downstairs and you head back to the metro or you get  
7 in your car and you have that oh, I wish I had said  
8 that, write it in.

9 When they did the revision of Part 20 now  
10 a long time ago, the group that wrote that proposed  
11 rule had this little mantra. Now, this was back in  
12 the days of the internet and everything. And the  
13 little mantra they told everyone was keep those cards  
14 and letters coming.

15 I repeat that to you. You can add Emails  
16 to the list. Dan.

17 FACILITATOR HODGKINS: Thanks, Don.

18 Just before we leave, there are going to  
19 be two other conversations. Let's call them  
20 conversations. And through these two days that you  
21 participated, we've kind of buried the way we did the  
22 feedback.

23 And at first we thought you would all be  
24 very verbal and participatory, and it seemed like you  
25 were a little shy and got along quite well and just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 echoed each others' comments.

2 Then when we started the round robin, we  
3 did get more differences of opinions and thought ideas  
4 and those kind of things.

5 So, what would help us tremendously is an  
6 opportunity for you folks to give us some feedback  
7 especially for the next two, as far as what we did  
8 well and what we could improve upon. And we'll do the  
9 round robin as soon as the microphone on Number 2 gets  
10 a chance to have a comment.

11 MR. PEDERSEN: Yeah, just a real short  
12 comment.

13 Don, in the last couple of days you've  
14 invited people to provide additional comments and  
15 you've just finished another invitation, but I didn't  
16 see anything in the package that was handed out with a  
17 single contact point.

18 Do you want to give an Email address or a  
19 website that those - that would be the appropriate way  
20 of submitting those?

21 DR. COOL: Sure. You're right. The actual  
22 little last slide, we didn't include the Email  
23 address.

24 There are several ways to submit comments.  
25 All of those are in the Federal Register Notice which

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was actually in each of the notebooks and available  
2 for handout.

3 So, I'm not going to try and list all of  
4 those, but I will tell you there is a dedicated Email  
5 address and it's not mine.

6 The dedicated Email address is actually  
7 regs4rp. That's R-E-G-S, the number four, R-P at  
8 NRC.gov. And all of those Emails that come in are  
9 immediately sent to the docket and made part of the  
10 record.

11 But I would invite you to use any and all  
12 of the methods that are listed in the Federal Register  
13 Notice. Because as always, there's lots of ways to do  
14 it, but thank you, Roger.

15 FACILITATORY HODGKINS: And, Kate, in honor  
16 of you starting so many times, let's start with you  
17 once again.

18 MS. ROUGHAN: Well, maybe that's one of the  
19 general comments. Maybe you should mix up who starts.

20 Because when you're the first one, sometimes you  
21 haven't really thought the issue through, but I think  
22 the round robin is an effective way to do it as  
23 opposed to just waiting for someone to comment.

24 I think one of the reasons you didn't get  
25 a lot of contentious comments is that we're all in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 agreement of how we want this to go.

2 MS. THISTLETHWAITE: Duann Thistlethwaite,  
3 Triad Isotopes.

4 I would just agree with Kate. I like the  
5 round robin method. I would have liked to have had  
6 the PowerPoints beforehand. So, maybe sending those  
7 out to the future panelists so they could review the  
8 questions and things beforehand, that would be great.

9 MR. MATTMULLER: Hi. Steve Mattmuller. I  
10 guess my first thought would be to give you a lesson  
11 in medical ethics, and that would be first do no harm.

12 Because we are concerned on the medical  
13 side if the limits do get lowered, that this will have  
14 a severe economic effect on some of our important  
15 operations in PET and production centers.

16 So, you have - you say that you try to  
17 make risk-informed decisions. And so I would stress  
18 that you make sure you're well informed before you  
19 move the limit. Thank you.

20 MR. HAYNES: Larry Haynes, Power Reactors.

21 I personally enjoyed the format. I  
22 thought it was very helpful to have the various groups  
23 involved, various aspects of the regulatory  
24 environment.

25 I learned a tremendous amount about the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 business that you guys are in and how different it is  
2 from the power reactor side of the world. And I  
3 enjoyed it and I appreciate your leadership for the  
4 sessions.

5 MR. MARSHALL: George Marshall, APNGA.

6 Again, nothing new to add. I do agree  
7 with the round robin concept and again enjoyed this.  
8 I did learn to help me understand better for this  
9 segment of the industry.

10 MR. GIANUTSOS: Phil Gianutsos with Energy  
11 Solutions.

12 I'll echo Larry's comments. I see the  
13 whole issue in terms of our specialty and learned a  
14 lot just with the general discussion.

15 And again with the other folks' agreement,  
16 I guess the round robin is the effective way.

17 DR. RABOVSKY: Joel Rabovsky, Department of  
18 Energy.

19 I too learned a lot. Very enlightening.  
20 And I think the round robin is an effective way of  
21 getting various viewpoints.

22 MR. COX: Lee Cox, Agreement States and  
23 CRCPD.

24 As pointed out that I was representing 88  
25 states here today -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. COX: - maybe that's why I used the  
3 mic quite a bit, I really enjoyed this format. And  
4 both leadership of the NRC and your leadership was  
5 great. I thought the round robin really brought out a  
6 lot of diverse opinions. Some similar, some  
7 different.

8 I learned a lot about the various  
9 industries and I was encouraged to hear similar  
10 comments that the states are facing with this issue.  
11 Thank you.

12 MR. HICKMAN: Erskin Hickman, United States  
13 Enrichment Corporation.

14 Having participated in the new Part 20,  
15 now the 1991 old Part 20, this is a real good kickoff  
16 for the pending regulatory changes.

17 I don't remember us having this type of  
18 format back in the late '80s, early '90s, and I think  
19 this is a good introductory kickoff.

20 MR. BUNDY: Kevin Bundy, Canadian Nuclear  
21 Safety Commission.

22 I'd like to echo those comments. This is  
23 - I've never participated in a forum like this before  
24 and I'm sort of wondering if we shouldn't maybe use  
25 the same sort of forum as a kickoff when we start

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 looking at our own revision of the regulations.

2 And I do thank you for inviting us down to  
3 come down. I hope my comments have been appreciated.

4 And I have - another thing I'll be taking back is the  
5 verifier dosimetry wearing practices at our  
6 cyclotrons. Thank you.

7 MR. BROWNE: Yeah, I think the format was  
8 excellent and everything was very well run and I  
9 learned a lot.

10 MR. BOYD: If I can speak for EPA, which I  
11 really can't, but I think it - I really enjoyed the  
12 round table approach. And I am just excited that EPA  
13 and NRC are coming to similar viewpoints about it  
14 being the right time for considering the change to get  
15 rid of all these old hodgepodge of bases for our  
16 regulations and hopefully move to a consistent basis  
17 that's a little more coherent around the world too.

18 MS. BEEGLE: Cheryl Beegle speaking to the  
19 medical side of things. I wished I was going to LA  
20 with you all because I think it would be a wonderful  
21 meeting to attend from the medical side.

22 I'm sure you will get a lot of very  
23 pointed feedback about occupational exposures in the  
24 medical field especially from the cardiology and  
25 interventional radiology side.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   Very interesting to hear all the other  
2 sides. I particularly like the industrial radiography  
3 stuff.

4                   FACILITATOR HODGKINS: Are you saying we  
5 shouldn't do the round robin in LA?

6                   MS. BEEGLE: No, I would do it, but it's  
7 going to go on and on.

8                   MS. ANDERSEN: Ellen Andersen from NEI.

9                   I just want to thank you guys for the  
10 opportunity to sit on this panel and thank you on  
11 behalf of the power reactor section.

12                   In our industry, this is a great  
13 regulatory process and I hope that in the future we  
14 can provide more comments and assistance to you as you  
15 go forward with this.

16                   FACILITATOR HODGKINS: Thank you.

17                   Now, for the audience members, you all  
18 were sitting here because you needed to be here for  
19 one reason or another.

20                   Did you feel included, excluded, good  
21 process? How do you want to - should we proceed the  
22 same way involving you or do you just want to be left  
23 alone?

24                   This would be the part where the audience  
25 participates. Any comment? Please.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SMITH: It has been at least half an  
2 hour since I stood up here. So, yeah, I think that  
3 the audience participation, you get a wider variety in  
4 the audience than you do on the panel. And some of us  
5 have been through this before. I was around for the  
6 last revision of Part 20. And some of us are kind of  
7 new to this.

8 So, it's a bigger variation. So, I don't  
9 think you can force the audience any more  
10 participation than that.

11 You might want to try planting a few  
12 questions in the audience or getting some people in  
13 there to get that participation going in there.

14 And as far as the panel is concerned, you  
15 might also want to get Mike some assistance  
16 occasionally. He was here fighting the entire rest of  
17 the panel a few times.

18 FACILITATORY HODGKINS: I know. He's a  
19 good arm wrestler.

20 Anybody from the center part? Back table,  
21 you guys okay with everything? Any comments,  
22 concerns? Anybody else then?

23 With that, then I think we'll close.  
24 Having had that verbal evaluation, please fill out  
25 your evaluation because we really are trying our best

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to make sure that this process is one that really  
2 respects the differences that everybody has. And the  
3 feedback that we'll get is definitely going to be used  
4 at the next two round tables.

5 Anything else? Closing remarks.

6 DR. COOL: I just want to add my thanks to  
7 all of you for your active discussion and  
8 contribution. I greatly appreciate it.

9 There will be another day tomorrow for  
10 Part 50 Appendix I, the reactor effluents. So, I hope  
11 to see a lot of you back. We will use a similar sort  
12 of process to work through those issues.

13 And I understand, Kim, we have one bit of  
14 feedback from the web. Should I just let you read it  
15 rather than you trying to write it out?

16 You're shaking your head no. You got it.

17 She's quick. And this is from Cindy Bower (ph):  
18 Thank you for the webinar format. Although it wasn't  
19 perfect, it was nice to be included.

20 Wow. After the black mark of all of the  
21 frustrations that we've had, I very much appreciate  
22 that because we were just as frustrated here as I  
23 expect all of you on the web were.

24 And with that, my thanks. Safe travels.

25 (Applause.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

(whereupon, the proceedings were adjourned  
at 2:43 p.m.)