

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Reliability and PRA Subcommittee

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Wednesday, November 3, 2010

Work Order No.: NRC-530

Pages 1-204

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
(ACRS)
RELIABILITY AND PRA (SAFETY CULTURE)
SUBCOMMITTEE MEETING

+ + + + +

WEDNESDAY

NOVEMBER 3, 2010

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B3, 11545 Rockville Pike, at 1:30 p.m., Dennis C.
Bley, Chairman, presiding.

COMMITTEE MEMBERS:

DENNIS C. BLEY, Chairman

SAID ABDEL-KHALIK, Member

MARIO V. BONACA, Member

HAROLD B. RAY, Member

MICHAEL T. RYAN, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 ALSO PRESENT:

2 VALERIE BARNES, Renewable Energy Systems

3 LEE COX, Organization of Agreement States

4 MICHAEL GAFFNEY, PSEG Nuclear LLC

5 THOMAS HOUGHTON, Nuclear Energy Institute

6 G. KENNETH KOVES, Institute of Nuclear

7 Power Operations

8 DIANE SIERACKI, Office of Enforcement, NRC

9 DAVID SOLORIO, Office of Enforcement, NRC

10 ROY ZIMMERMAN, Office of Enforcement, NRC

11
12 NRC STAFF PRESENT:

13 MICHAEL CHEOK, NRR

14 JAMES FIRTH, FSME

15 DEREK WIDMAYER, Designated Federal Official

16
17
18
19
20
21
22
23
24
25
NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

CONTENTS

Opening Remarks

Dennis Bley.....4

Roy Zimmerman.....6

Proposed Commission Policy Statement on
Safety Culture and Associated Traits

Diane Sieracki.....10

Input on behalf of Agreement States

Lee Cox.....88

Break

INPO Validation Study

Ken Koves, Val Barnes.....108

Fostering a Strong Nuclear Safety Culture

Thomas Houghton.....167

Discussion

Adjourn

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

P R O C E E D I N G S

1:29 p.m.

CHAIRMAN BLEY: Good afternoon. The meeting will now come to order. This is a meeting of the Advisory Committee on Reactor Safeguards, I'm sorry, Advisory Committee on Reactor Safeguards Subcommittee on Reliability and Probabilistic Risk Assessment.

I am Dennis Bley, chairman of this Subcommittee on Safety Culture. ACRS members in attendance are Said Abdel-Khalik, I'll get it right Monday, Mike Ryan, Mario Bonaca, Harold Ray and that's all right now. We might have one or two others slip in later.

The purpose of this meeting is to examine the NRC staff proposed Commission policy statement on safety culture, and associated NRC and industry safety culture initiatives. A *Federal Register* noticed dated September 17th, 2010, contained the staff's proposed safety culture policy statement and associated trades.

The Subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for deliberation by the full committee. Derek Widmayer is the designated federal official for this meeting. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 rules for participation in today's meeting have been
2 announced as part of the notice of this meeting,
3 previously published in the *Federal Register* on
4 October 6, 2010.

5 A transcript of the meeting is being kept
6 and will be made available as stated in the *Federal*
7 *Register* notice. It is requested that speakers first
8 identify themselves and speak with sufficient clarity
9 and volume that they may be readily heard.

10 We have not received any requests from
11 members of the public to provide comments. We do have
12 an open phone line, I believe, and I think we should
13 have at least one person on the phone. Could those on
14 the phone identify themselves please? Is anyone on
15 the telephone line?

16 (No response.)

17 (Off mic comments.)

18 CHAIRMAN BLEY: Can we find out who's on
19 and then put it back in the listen mode. Thanks.

20 MR. FRIES: Hello?

21 CHAIRMAN BLEY: Hi.

22 MR. FRIES: Hi, this is Eric Fries. I
23 don't know if you heard me.

24 CHAIRMAN BLEY: Eric, no. We didn't hear
25 you before. Eric Fries?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. FRIES: Yes.

2 CHAIRMAN BLEY: And is there anybody else
3 on the line? Eric, we're going to put you on the
4 listen-only mode, and we'll open it up at the end of
5 the meeting once again. But if we can put the line
6 back in the listen-only mode. We'll now proceed with
7 the meeting.

8 We had a Subcommittee meeting a year ago,
9 and that had a lot of tutorial information as well as
10 the proposed language for the Commission policy. So
11 we look forward to hearing where we are now and all
12 the things that have happened in between.

13 I call upon Roy Zimmerman from the Office
14 of Inspection and Enforcement to open the
15 presentations. Roy?

16 MR. ZIMMERMAN: Thank you very much. Good
17 afternoon, Mr. Chairman. Good afternoon, members. I
18 am Roy Zimmerman. I'm the Director of the Office of
19 Nuclear -- the Office of Enforcement.

20 (Laughter.)

21 MR. ZIMMERMAN: I left that office. But
22 as the Director of the Office of Enforcement. To my
23 far left is Dave Solorio. Dave is the branch chief
24 who is responsible for the draft safety culture policy
25 statement, which we'll look to get to the Commission

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in the next couple of months and finalizing that
2 document.

3 We have Commission meeting coming up in
4 the end of January, late January time frame. To my
5 left is Diane Sieracki who works for Dave. She's a
6 senior safety culture policy manager and she'll be
7 doing the bulk of the staff's presentation shortly,
8 and both are from the Office of Enforcement.

9 I'd like to thank the committee for this
10 opportunity for us to be able to update you on the
11 progress that we've made in finalizing the draft
12 safety culture policy statement. As the staff just
13 mentioned, last November was our last opportunity to
14 brief you. We look forward, as I'm sure the external
15 stakeholders do as well, to bring you up to speed on
16 what's transpired over the last year.

17 There's been a lot in our minds that had
18 been accomplished, and you'll hear about that today.
19 Although the Office of Enforcement has the lead for
20 development of the safety culture policy statement, we
21 have had great support in a very collaborative
22 working environment with our partnering NRC offices.
23 This has been very much a collaborative activity both
24 internal and external to the Office of Enforcement.

25 We set up a steering committee and a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 working group within the NRC that provided very good
2 guidance and input to us in the development of the
3 policy statement, and that's been very useful, and
4 that's been comprised of nine offices that work
5 together and commiserated in the development of the
6 policy statement.

7 A number of those office representatives
8 and some of the members from that steering committee
9 and from the working group are here today, so if
10 there's questions that are beyond our scope and more
11 directly in the areas of those program offices, we
12 have people through the audience that will be able to
13 assist with that.

14 I also wanted to recognize Dr. Val Barnes
15 from the Office of Research, who will be making part
16 of the staff's presentation later on in this
17 afternoon. Similar to the collaborative working
18 relationship that we've had internally, we similarly
19 have had that type of an environment working
20 externally.

21 We've had very good input that has come in
22 from the industry, from our partners in the Agreement
23 States and from the public. As you know, it's a
24 challenge when we say that, when we talk about the
25 industry, because this activity is not at one venue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 It's not aimed at reactors or non-power
2 reactors. It's aimed at all that we regulate, and it
3 was that collaborative environment of bringing in
4 representatives from the industrial side, the medical
5 side, the reactor side together, and their ability to
6 be able to work for an overarching goal, that we give
7 them a lot of credit for how well they did in
8 accomplishing that.

9 We received very good comments from the
10 public. We had two public comment periods. We had a
11 three-day workshop last February on this topic, which
12 again the stakeholders work extremely well together,
13 and there's been public meetings across the country
14 that similarly provided good comments for it.

15 So we think we have a good base of
16 comments that we received, for us to be able to move
17 forward. We continue to view a strong safety culture
18 to be a key component to good safety performance. We
19 follow high profile events, whether they're in our
20 venue or not.

21 Things like the oil spill, the coal
22 accident in West Virginia, we're interested in being
23 able to learn from occurrences whether they're within
24 our sector or not, to see if there was a potential
25 role that safety culture played in those activities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So we have initiatives that we're working on in those
2 areas.

3 At that point, let me stop with
4 introductory comments, and let me introduce our
5 principal presenter for this afternoon, who is Diana
6 Sieracki. As I mentioned, she's a senior safety
7 culture program manager in the Office of Enforcement.

8 She has a Master's degree in Management and
9 Organizational Behavior.

10 She has over 25 years of experience in the
11 nuclear field, and for the past ten years has been
12 working the safety-conscious work environment and
13 safety culture fields. She came to the NRC recently.

14 She came here in early August from Dominion's
15 Employee Concerns Program, where she served as the
16 corporate fleet manager, and she's definitely hit the
17 ground running since she's been a member of the NRC
18 staff. So with that, let me turn the presentation
19 over to Diane.

20 MS. SIERACKI: Thank you, Roy. Good
21 afternoon chairman and members of the committee. A
22 couple of other people that I just want to introduce
23 in the room, and then we'll get started. Last year
24 when you met in November, Dave Solorio was the speaker
25 on this topic, as well as June Cai.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 She's in the audience as well, and a
2 couple of other members of our external safety culture
3 team. Maria Schwartz and Dr. Catherine Thompson are
4 here. They've been integral in this effort as well.
5 Thank you.

6 I do want to start where we left off back
7 in November of '09, but to get to that point, just a
8 quick refresher. This topic, safety culture, has
9 really been at the forefront for almost three years
10 now. It started with a directive by the Commission
11 back in February of 2008, and at that time, the
12 Commission wanted us to take a look at is it necessary
13 to strengthen anything we're doing in the reactor
14 community? How can we engage material, licensees,
15 getting Agreement States on board and really what
16 should we do about security and safety culture?
17 Should we have one policy, two policies, etcetera.

18 With that directive, the staff put out an
19 effort to have a workshop in February 2009, and those
20 topics were discussed. The results of that workshop,
21 along with staff input, resulted in a Commission paper
22 that went up in May of '09, basically letting the
23 Commission know that staff felt that the reactor
24 community, the efforts made in that arena were
25 effective for safety culture, based on the ROP,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 changes that had been made in 2006 and self-
2 assessments of the process etcetera, and also made the
3 recommendation that we have one policy statement.

4 The Commission took that direction and/or
5 took those recommendations and provided their
6 direction in October of 2009, for us to publish one
7 policy statement. I want to start with that basically
8 today, so can you go to the objectives, Dave? Thank
9 you.

10 I want to talk about that -- actually the
11 one before, please. I want to talk about the November
12 2000 FRN and the public comments that we received
13 after that effort, along with a number of outreach
14 activities that we've done, which have really been
15 instrumental in getting us from that point to where we
16 are today and ready to put up a proposed final safety
17 culture policy statement.

18 Those included the safety culture workshop
19 that Roy alluded to, as well as numerous other
20 outreach activities, including additional public
21 meeting, teleconferences, an additional FRN that we
22 put out in the *Federal Register* with a revised safety
23 culture policy statement just this past September; an
24 analysis of those public comments; and then how that
25 all of that rolled into what we will be bringing up to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the Commission in January.

2 Next slide. So that Commission directive
3 in October was for us to publish the one policy
4 statement. It also asked us to consider incorporating
5 suppliers and vendors, continuing to engage a broad
6 range of stakeholders, and then also seeking
7 opportunities to comport terminology, and really
8 there, we wanted to get to a common language for the
9 industry.

10 So that draft 2009 FRN had a definition,
11 and this is one of the areas where we actually started
12 looking at terminology and trying to see if we could
13 get some commonalities, and we took the INSAG
14 definition, which was really an advisory group to the
15 IAEA, made a couple of changes to that.

16 They had nuclear plant safety and we took
17 a plant, because we wanted this to be really effective
18 with our licensees as well, and call that nuclear
19 safety and also put in some words to capture security
20 as being very important.

21 CHAIRMAN BLEY: Now a year ago, when you
22 were with us, you were not -- I don't think you were
23 linked to the inside definition; is that right? Is
24 that something you added this year?

25 MS. SIERACKI: No. That was actually the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 definition that was in the --

2 CHAIRMAN BLEY: Is that right? I didn't
3 remember that.

4 MS. SIERACKI: Right. In the draft policy
5 statement. The eight characteristics that we had in
6 that policy statement came from the ROP, the 13
7 components, with some analysis done, really took those
8 down to eight, and we put this out for a 90-day
9 comment period.

10 Go ahead, Dave. This was the definition,
11 and again from INSAG. You can see that we have
12 nuclear safety in there and we've also talked about
13 security issues. So that's what went out when you
14 talked last November.

15 Next one. These were the traits, or I
16 should call them "characteristics." At the time, they
17 were listed as characteristics in that *Federal*
18 *Register* notice, and again this was a compilation of
19 some thought process that went through taking those 13
20 components down to eight.

21 Okay. What happened after that, while
22 this was out for comment, because the Commission
23 really wanted to engage a broad range of stakeholders,
24 we decided to put together an effort where we would
25 bring the stakeholders together and really get some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 work on the ground, to see what input we could get
2 from them.

3 I was actually a panel member. I
4 represented Dominion on that panel. So I was one of
5 16 individuals that came together, representing all of
6 the industries that we were looking at in the
7 regulated community. Medical facilities, fuel, cycle,
8 gauge folks, reactors, Agreement States, members of
9 the public. We had 16 people basically sitting around
10 a table.

11 We reached alignment. It was a three-day
12 workshop, and we reached alignment on a high level of
13 definition that we could all really gather around and
14 form consensus that this works for each of our
15 organizations. We also came up with eight traits.

16 Now we took the opportunity to again look
17 at terminology within the industry, so that we could
18 make sure that we're not really reinventing the wheel
19 but look at the INPO eight principles, looking at
20 NRC's 13 components, looking at the characteristics
21 that were out in the *Federal Register* notice, as well
22 as some other theory out there, Dr. Shein, etcetera,
23 who had, you know, been active in the field.

24 So this group of 16 stakeholders took a
25 look at all of that, and used that as our basis, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 came up with a definition.

2 Next one. This is the definition that the
3 16 members of that team came up with, and it starts
4 with nuclear safety because that was done
5 intentionally, and that was to give the connotation
6 that we recognize the nuclear is unique and special,
7 and so we wanted to call it "nuclear safety culture"
8 not just safety culture.

9 CHAIRMAN BLEY: Can I ask you for some
10 help to go through -- I know you're presenting this in
11 historical order. If you come to things like this and
12 they're actually where you are now, if you could just
13 highlight that, you know, the difference between
14 what's in process and what's -- where you've evolved
15 to, that would be nice.

16 MS. SIERACKI: Will do, and actually this
17 is -- that's a good point, good time for that, because
18 this is the definition that has stood the test of
19 time, and it is what you will see in our proposed
20 final safety culture policy statement or statement of
21 policy.

22 So let's go through safety culture. It's
23 core values and behaviors resulting from a collective
24 commitment by leaders and individuals to emphasize
25 safety over competing goals, to ensure protection of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 people and the environment. Along with that, these
2 are the eight traits. Now you'll notice that they've
3 changed from the term "characteristics" and now we
4 call them "traits."

5 That was to give this a little bit of
6 definition for itself, because we had components, we
7 had principles, we had characteristics, all sorts of
8 things out there, and decided since we were really
9 working on a common language, we would call them
10 traits.

11 So these were the eight traits that the
12 team developed. How we got here was a simple, sticky
13 exercise, if you know what I mean by that. People
14 just kind of came together and said what's important
15 in safety culture in your particular industry.

16 Went around, put those all up on the
17 board, and then we put them into bins, if you will,
18 things that were similar, and then we attached a name
19 to those. They looked very familiar, and I have a
20 chart coming up which will show you how they relate to
21 the characteristics that went out in that first draft
22 safety culture policy statement in the upper end.

23 You'll notice that I have a little caveat
24 there that says with revisions by the staff. When Roy
25 did his introduction, he talked about the program

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 office involvement, when we had a working group and a
2 steering committee internal to the NRC.

3 As we're moving through all of these
4 processes, those groups would meet to take a look at
5 things, and after this workshop and the eight traits
6 were put together, the program offices took a look at
7 the wording on those traits and just revised them very
8 slightly. It was really to provide clarity, and let
9 me give you a couple of examples.

10 The words that the workshop came up with
11 for the first trait was just simply leadership safety
12 behaviors, and the staff, through the program offices,
13 felt that leadership safety values and actions was a
14 better descriptor to what we were really trying to get
15 at. So very minor changes just in wording only, but
16 the words you see here are with those revisions from
17 the staff.

18 I also want to point out that these are
19 the traits as they still stand today. There's a
20 little bit of an addition, and we'll talk about that
21 as we move through the presentation. But at this
22 point, keep those in mind too, because those will also
23 go into the final, into the proposed final safety
24 culture policy statement.

25 Also note that these are not prioritized.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 They were not prioritized by the workshop members,
2 nor by the staff. The only thing that I can say is
3 that the leadership trait came out on top, and that
4 was because all of those involved felt as though
5 really leaders need to walk the talk that comes from
6 the top down, and that is the most important, is the
7 leadership safety values and actions.

8 So that is number one. The rest are not
9 prioritized in any order. They're all equally
10 important.

11 CHAIRMAN BLEY: Is there anything you can
12 say about -- now that's one that wasn't on the
13 original list, but the things that dropped off of the
14 original list, or did they all sort of slip into this
15 group?

16 MS. SIERACKI: If we go on to the next
17 slide, I'll describe how that happened.

18 CHAIRMAN BLEY: Okay.

19 MS. SIERACKI: Excuse me. A little more
20 difficult to see on the screen, but you do have hard
21 copies. On your left are the characteristics, the
22 eight characteristics that were in the draft safety
23 culture policy statement that was out in the November
24 '09 *Federal Register* notice. On the right are the
25 workshop safety culture traits, with the tweaks and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 language that the staff had provided.

2 You can see that there is a very good
3 line-up. We've got licensee decision-making and
4 leadership safety values and actions. When the panel
5 talked about leadership, decision-making was a key
6 discussion that we had under there. So those line up
7 very closely.

8 Personal accountability versus
9 accountability, work processes versus work planning
10 and control, continuous learning, continuous learning
11 environment, program identification resolution, pretty
12 much the same, program identification evaluation.
13 Environment for raising concerns means the same thing
14 as safety conscious working environment.

15 Now you'll notice where there's a little
16 bit of a difference. For the workshop traits, we had
17 effective safety communication and respectful work
18 environment, versus work practices and resources for
19 the characteristics in the draft safety culture policy
20 statement.

21 When the draft safety culture policy
22 statement went out in November of '09, there was short
23 descriptions on each of the characteristics, and the
24 characteristic under planning, work planning and
25 control actually did describe some communication

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 within that. So we felt that it's kind of absorbed in
2 the -- traces over to the effective safety
3 communication.

4 Work practices were discussed by the
5 workshop team when the work processes trait was
6 developed, so that could be absorbed within that.
7 Resources were also talked about by the workshop
8 panelists and under the leadership trait, and would be
9 absorbed in that.

10 The difference lies in the respectful work
11 environment. That was a trait that really came out,
12 especially by the workshop members who -- where this
13 is a new concept, where safety culture is really
14 something that they aren't as up to speed on as the
15 reactors, for example.

16 It was very important that respect and
17 trust was something that the panel members felt that
18 this was very important for individuals to feel within
19 an organization. Now you might say how would you
20 inspect something like that? When the workshop put
21 these traits together in the discussions that we had,
22 nothing was based on being in -- being able to be
23 inspected on that. This was really coming together
24 with a high level definition and traits of what does
25 it mean, what do you see in a culture that has a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 positive safety culture. So respectful work
2 environment is the one that you don't see a definite
3 tie to.

4 Okay. On the next page, this just gives
5 you a little pictorial view of how that workshop panel
6 put this together. It was really an overarching
7 definition that everyone could come to consensus on,
8 with a description of high level traits, and those you
9 will -- you saw those and you will see them in our
10 proposed final safety culture policy statement.

11 The third tier is really where it becomes
12 a real picture for each of the regulated communities.

13 That tier has not been developed yet. You can liken
14 it to the sticky exercise that I talked about. It's
15 really fleshing out what does continuous learning mean
16 in the medical arena? What does it mean to the gauge
17 people? What does it mean in the reactor community?

18 That needs to be fleshed out, and we
19 looked at that as a part of the implementation
20 process, once this policy statement is put in place,
21 how is that going to be implemented in those different
22 fields, and that's where Tier 3 will come into play
23 and need to be fully developed and bought into by the
24 regulated entities that we regulate.

25 Okay. The next page. This is just an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 example of some of the stickies that we came up with,
2 when the workshop panelists talked about the first
3 trait, which was leadership safety behavior and
4 values. Management's in the field, so there's a
5 visibility out there. There's a commitment to
6 maintaining your equipment.

7 They won't resolve conflict. They reward
8 safe behavior. The rewards and incentives and
9 sanctions are used to reinforce positive behaviors.
10 They respect differing opinions; their actions match
11 their words, so they walk the talk.

12 Their schedules are realistic and they
13 don't challenge safety standards. These are just a
14 handful of what the group talked about, but it gives
15 you a flavor of what we will be looking for in the
16 implementation phase as we move forward and really
17 flesh that out in each of the regulated communities.

18 So there was so much work done at this
19 workshop that staff felt that we needed to extend the
20 comment period.

21 We had originally had that November '09
22 FRN out for a 90-day comment period. We extended it
23 now by another 30 days, giving people 120 days total
24 to respond, because now we had all of this information
25 out on a revised definition and traits, and just what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 we were looking at from that perspective.

2 Okay, next slide. So at the end of March,
3 the comment period ended in March, and we had public
4 comments that came in, and they really were centered
5 around three themes, one being we're really concerned
6 about implementation. What is this going to look
7 like? Are you going to tell us that we, you know,
8 need to do procedures and do we have to do training,
9 whatever the case may be. But there's a lot of
10 concern out there about what is going to be required
11 of us when you implement this policy statement. So a
12 number of comments related to that.

13 So a number of comments indicating that
14 security should not be in the definition or traits,
15 and you may have noticed when you looked at the
16 definition and when you looked at the traits, you
17 didn't see the word "security."

18 That was actually done intentionally by
19 the workshop members, and the reasoning behind that
20 was, and this came a lot from some of the other
21 regulated entities rather than the reactors, was that
22 security is really no different than emergency
23 preparedness or radiological safety or some of the
24 other groupings that are out there, that are also of
25 equal importance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And especially in the medical arena, that
2 the life of the patient really takes precedence. Now
3 this would be -- you know, it's not something that's
4 every day, we're you're going to just toss the
5 radiation safety out the window and worry about the
6 patient.

7 But there could be a time when the
8 patient, the life of the patient takes precedence over
9 some of the security of medical equipment, that kind
10 of thing. So there was a definite we don't want to
11 see security in there. Responses that we got in the
12 public comments was we don't want to see security
13 carved out.

14 The last one that was a grouping was what
15 do you mean with policy statement versus something
16 that's enforceable or a rulemaking? So really, there
17 was some confusion out there by the members of the
18 public on just what does that mean.

19 So the working group and the steering
20 committee that we had inside the NRC, the program
21 offices, took these public comments and we needed to
22 decide what we were going to do with these. So this
23 is what happens next. We begin to meet on a pretty
24 routine basis, the steering committee and the working
25 group --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN BLEY: But before you leave this
2 one, I don't know if you've talked with the Commission
3 in between about this.

4 MR. ZIMMERMAN: We have.

5 CHAIRMAN BLEY: But I'm little curious
6 about, what do you mean about dropping the security
7 and how do you envision that? Do you envision that
8 that it's actually included under this umbrella; it's
9 just not carved out in the definition?

10 MS. SIERACKI: Yes, and I'm going to touch
11 on that too. It's actually, it does end up being
12 there, but these were the buckets that we had, and
13 then we had to do some resolution on these, because it
14 is very important for our agency, with the pillars
15 that we have of safety and security, to not just toss
16 that right out the window.

17 In addition to these three major areas of
18 comments, there was also support for the workshop
19 definition and traits, and there was support in
20 putting the traits into the statement of policy
21 itself. That was a question that we had in the
22 *Federal Register*.

23 So we really needed to go back to the
24 drawing board with the working group and the steering
25 committee to talk about security, and that became a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pretty big topic, because we wanted to make sure that
2 it was in there.

3 So what happened initially was the working
4 group and the steering committee made some word
5 changes on the traits, and wherever you see "safety,"
6 it said "safety and security," pretty much in each of
7 the traits.

8 So you could -- maybe if you want to back
9 up to the traits again. So I'm sorry on the next
10 page. Okay. You can see there are some little --
11 there are small descriptors there, the issue of safety
12 values and actions. Leaders demonstrate commitment to
13 safety. They basically said "Leaders demonstrate
14 commitment to safety and security."

15 So everywhere you see "safety" in there,
16 we added "security." So that was something that we
17 tried force, because we wanted to make sure that okay,
18 let's get security in here, and then let's bounce it
19 off of our stakeholders again. So what we did, and
20 we're not finished yet.

21 But what we did is we had another public
22 meeting, July 15th, and this was actually a public
23 meeting/teleconference, where we got those 16
24 stakeholders together again, along with other members
25 of the public who got onto the call, and we reviewed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the results of public comments we got from the
2 November 2009 FRN, the three bins, the implementation,
3 the confusion with the policy statement and the
4 treatment of security.

5 We really talked about security, because
6 we showed them the changes that we had, where we put
7 in safety and security in each of the traits, and what
8 we got out of that conversation was a continuing
9 endorsement of the workshop definition traits the way
10 that they stood, and they really didn't want to see
11 putting security into each of those.

12 Well again, this is very important to
13 staff as well as it is to the Commission, so working
14 group members and steering committee members met
15 again, and we came up with a preamble that we could
16 put in between the definition and before the traits
17 started, kind of a definition of what a trait was, and
18 then this is -- and we want to make sure that you
19 consider security in all these things. So it was a
20 preamble that we wanted to put in.

21 I'm going to get to that in just a minute,
22 but that ends up also being in the final safety
23 culture, the proposed final safety culture policy
24 statement and you'll actually see that in a couple of
25 slides. But I do want to point out that during the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 same time frame, where we did the public meeting and
2 the working group and steering committee is continuing
3 to meet, we're also doing a number of outreach
4 activities.

5 And your next slide shows that through May
6 and August, the program offices, as well as the
7 Office of Enforcement, participated in a number of
8 industry events, conferences, forums, panels that type
9 of thing, to get the information out on the safety
10 culture policy statement, as well as to get feedback.

11 You'll note there that one was a big
12 workshop that we had on vendor oversight in New
13 Orleans in June, and actually one of the panel
14 members, Bruce Williams, who's the rep from Shaw, he
15 did a presentation on the safety culture policy
16 statement at that workshop. We had other NRC folks
17 presenting as well. But we received positive feedback
18 on that.

19 In fact, there were two members on the
20 workshop that were vendors, one from Shaw and one from
21 AREVA. So we had a little bit of that involved as
22 well. Okay. At the same time, and I hope I'm not
23 confusing you, because all of this happened around the
24 same time. I'm trying to go chronologically and I
25 promise I'll hit security again, but the INPO

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 validation study was going on at the same time we were
2 doing outreach activities.

3 You're going to hear a presentation today
4 from Dr. Ken Koves from INPO and Dr. Val Barnes from
5 our Research here at the NRC on what really that
6 entailed. But in a nutshell, it was a survey that was
7 given to each of the utilities. So this is reactor-
8 specific. It was a survey that was given, based
9 around the eight traits that the workshop came up
10 with.

11 So essentially they grouped questions
12 around -- questions were based on the eight traits,
13 and they put those out in a survey to the reactor
14 community, and in a nutshell, it pretty much -- it
15 supported the traits as we had them. It didn't line
16 up completely --

17 CHAIRMAN BLEY: Just to see if these
18 organizations agreed with the traits, or to see if
19 they could evaluate the traits? What was the aim of
20 this?

21 MS. SIERACKI: It was really to see if
22 they had an validity, context validity and a number of
23 other things, I'm sorry, that D r. Barnes and Dr.
24 Koves can explain to you when they do their -- because
25 they are going to get through the whole thing this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 afternoon, so you can get into the technical needs --

2 CHAIRMAN BLEY: I'll be delighted to go
3 through that.

4 MS. SIERACKI: Yes. So it did show some
5 alignment between the traits and what they came up
6 with, just a little bit of different wording. The one
7 that really popped out was questioning attitude.

8 Although the panel talked about that, the
9 workshop panel talked about questioning attitude and
10 accountability as well as leadership, this came out to
11 be something that really rose to the level where staff
12 felt this might be something we want to add as a ninth
13 trait.

14 So what we did is we had -- we had Dr.
15 Barnes and Dr. Koves present to the steering
16 committee, I was referring to before, so they could
17 understand what this validation study was that
18 happened on September 2nd. We did another public
19 meeting/teleconference on September 16th, so that we
20 could provide that information to the workshop
21 panelists, as well as any other members of the public
22 who wanted to sit in on that.

23 Then because we had all of this
24 information; we had a workshop in February; we came up
25 with new definition, new traits. We had all this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 outreach activity that we had done. We did a couple
2 of other public meetings/teleconferences; we had an
3 INPO validation study, staff thought it might be a
4 good idea to put out another FRN, another revised
5 draft safety culture policy statement, to get some
6 input on all of this new information that we had.

7 Along with that, we wanted to give
8 stakeholders on the west coast an opportunity to
9 actually attend a meeting where they could really
10 discuss what had all happened in the past year.

11 So we came up with a plan to have a public
12 meeting out in Las Vegas on September 29th, and
13 concurrent to that, we put the revised draft safety
14 culture policy statement in the *Federal Register* on
15 September -- it's actually September 17th, and we had
16 the public comment period. We were looking at the
17 public meeting.

18 MR. ZIMMERMAN: Webstreamed it.

19 MS. SIERACKI: Webstreamed it, all kinds
20 of good stuff. Next one, and just to show you what
21 went into that revised draft safety culture policy
22 statement, it included the definition and traits that
23 I talked about. The term "security" was not included
24 in the revised definition and traits, but we did the
25 preamble, which I'm going to get into in a slide or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 two, so you'll get to see what it actually looks like.

2 Next one. It really defined the trait,
3 and remember that I said it was -- we had the
4 definition here. This is a read into the traits and
5 then the eight traits below. So it defined a trait as
6 a pattern of thinking, feeling and behaving that
7 emphasizes safety, and it also noted that although the
8 term "security" is not expressly included in the
9 traits, it is primary pillar of the NRC's regulatory
10 mission and we want you to consider both.

11 So if you go to the next page, you'll see
12 the exact wording on this. This was in the revised
13 draft safety culture policy statement and it will be
14 in the proposed final safety culture policy statement.

15 So you can read that.

16 Experience has shown certain personal
17 organizational traits are present in a positive safety
18 culture. A trait in this case is a pattern of
19 thinking, feeling and behaving that emphasizes safety,
20 particularly in goal conflict situations, such as
21 production versus safety, schedule versus safety and
22 cost of the effort versus safety.

23 It should be noted that although the term
24 "security" is not expressly included in these traits,
25 safety and security are the primary pillars of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 NRC's regulatory function. Consequently,
2 consideration of both safety and security issues
3 commensurate with their significance is an underlying
4 principle of the statement of policy.

5 So we had the program offices on board
6 with putting this all together, and this would satisfy
7 program offices and really us, the staff, the NRC,
8 that we're putting emphasis on security, and also
9 respecting the stakeholders in what they could gather
10 around and feel that this is a definition of traits
11 that we can live with.

12 CHAIRMAN BLEY: What's the definition and
13 the traits? Can you say, coming out of the workshops,
14 that was a consensus position or a majority position
15 or can you characterize it all?

16 MS. SIERACKI: It was consensus. You
17 know, there were some, and I'm not going to say that
18 everybody said that's perfect, you know, let's leave.

19 There were a few that we had to have some discussion
20 on as an overriding priority that safety received.

21 There were some that felt leadership
22 needed to play a bigger role in the definition. But
23 in the end, we left that meeting with a consensus that
24 this is something we can all live with, and especially
25 because these traits are going to go out to that Tier

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 3, where we can make this really good for our own
2 regulatory, regulated entity and customize them, yes.

3 Okay. Additional changes that went into
4 that draft safety culture policy statement in
5 September. The traits were included in the statement
6 of policy, and that was based on the feedback that we
7 had gotten from the November '09 draft policy
8 statement. It is applicable to vendors and suppliers.

9 You will remember that when we had the
10 direction by the Commission, they asked us to consider
11 vendors and suppliers. When we did the first -- when
12 we looked at the public comments from the first draft
13 safety culture policy statement and when we reviewed
14 those in March, there was support for putting vendors
15 and suppliers in, but there was some concern about
16 implementation.

17 We also did, we had a couple of vendors on
18 the panel, as I mentioned, from AREVA and from Shaw.
19 We did some outreach activities in the vendor
20 community, in particular the NRC workshop on Vendor
21 Oversight.

22 When we put out the last policy statement,
23 the revised draft safety culture policy statement, it
24 was in there and we asked people to take a look and
25 give us some feedback. We didn't receive anything

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 real negative, although there is concern, on the part
2 of the reactor community, as well as fuel cycle, that
3 really --

4 MEMBER RYAN: The vendor community?

5 MS. SIERACKI: Yes. That were really
6 talking about how are you going to implement this?
7 Are you going to make us responsible for things that
8 we don't have jurisdiction over, for working with
9 somebody in Japan, for instance? How is this all
10 going to work out?

11 So we'll look at that really as an issue
12 for the implementation phase, and something that when
13 we put the Commission paper up for the Commission,
14 that you know, we will recommend that there is an
15 approach that is kind of a step approach as we move
16 through implementation, because some areas are further
17 ahead than others such as reactors, and that when we
18 get to the vendors and suppliers, that that's
19 something that we really need to be concerned about,
20 what are the expectations and how are we going to
21 implement this.

22 CHAIRMAN BLEY: Have you thought far
23 enough about that to know if it extends all the way
24 down the supply chain?

25 MS. SIERACKI: That was the outcome. What

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we wanted to do, considering that this is a policy
2 statement, and everybody should have a positive safety
3 culture, and that includes anyone who's related to the
4 panel and the nuclear materials, and so that would
5 therefore include our vendors and suppliers, there are
6 ways to do this. You can put it in contract language.

7 We've got programs in place already at the NRC where
8 we're looking at our vendors.

9 So in answer to -- I think I'm answering
10 your question. If I'm not, please ask me again. Yes,
11 it would apply to the vendors and suppliers through
12 our licensees basically. They would be responsible
13 for making sure that they're working with vendors and
14 suppliers, who have a positive safety culture.

15 MEMBER RYAN: How far down did you go to
16 define safety-related components?

17 MS. SIERACKI: I don't think we really
18 defined them at all.

19 MEMBER RYAN: Well what I'm thinking about
20 is, you know, large bits and pieces in power plants or
21 other facilities that really are -- if this thing
22 breaks, we've got a real problem. It's clearly a
23 safety-related component. But I could get down to
24 where protective clothing is a safety-related
25 component.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So somewhere along the line, I just
2 wondered how you -- or did, when you say they didn't
3 deal with that?

4 MR. ZIMMERMAN: I think that's going to
5 come out more, again, in the implementation phase.
6 This is a mind set that we're working on, because
7 there's no requirements here. But it's a matter of
8 training and communication about the benefits of what
9 this would bring, if they had this as part of their
10 way of doing business.

11 So we see this as a long journey. This is
12 not like talking reactors that have been dealing with
13 this in the short term. This is going to take a
14 longer period of time if in fact the Commission
15 supports doing this.

16 But the benefit of it again, there will be
17 devils in the details and so forth, but what we want
18 to try to do is get those vendors and suppliers
19 thinking about the types of things that we've been
20 talking about, so when they have their staff meetings
21 and such, they're reviewing some of these activities
22 and talking about it, what it means to them.

23 That's where the Tier 3 comes in, because
24 it's tailored to their organization. Would it be
25 tailored differently to a hospital?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: Sure. Well, to follow up on
2 my example, you know, of safety and quality, i could
3 understand where a licensee would sort of specify
4 here's what we wanted to do, here's the performance
5 characteristics we needed to add. It's either in an
6 air-conditioned room or it's in a high heat area or,
7 you know, all these different things so you can pick
8 from the catalogue what the right things are to use
9 for those environments.

10 But I just think that's -- when you just
11 said "the devils in the details," that's the right
12 point, I think, is that you know, when you get safety-
13 related components in there, all of the sudden that
14 takes on almost a definition that's a term of art.

15 MR. ZIMMERMAN: My personal view, in this
16 area it's a go-slow approach, and come up for air
17 often, and talk to people that are involved and see
18 how it's -- seeing how it's being received, because
19 it's all about the delivery within their own
20 organization. If they link it to something that they
21 have to do, and they don't really take it to heart,
22 we're really not accomplishing what we're trying to
23 get done here.

24 And just to color that, while I've got the
25 floor for a minute, that's why we did the February

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 workshop in 2010 the way that we did it. It was a NRC
2 workshop, but we let them collaborate in a manner that
3 they probably never had before, so that you know, the
4 medical group, they were outspoken. They weren't
5 about to let the reactors have the floor for three
6 days.

7 In that interaction, you know, they came
8 up with something that generated buy-in for them.
9 This is all about buy-in in my mind. So that they
10 feel they participated in building this. We had to
11 make sure, since it's an NRC document, that it's
12 something that we can subscribe to to bring to the
13 Commission, because it ultimately is our document.

14 But if we can accomplish both, something
15 that we feel comfortable with, they felt they had a
16 part in buy-in, they have energy and excitement on
17 this issue, they believe it's important, that when
18 they go to their staff meetings to roll out these
19 traits and talk about the definition, they're not just
20 going through the motions, that this is just something
21 that somebody dreamed up and, you know, we've just got
22 to talk about it and then we'll be done and we'll get
23 back to real work.

24 This is aimed at trying to get their
25 hearts and souls to see the benefit of why this is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 important. So we really went after it in a way that
2 we feel was very important, since we're not talking
3 about regulation, to make sure they really bought into
4 it.

5 And again, I give a lot of credit to the
6 industry, that they did a lot of heavy lifting in this
7 and they really bought into it. There's still a lot
8 more to be done. Implementation is a challenging
9 hurdle in front of us.

10 But to this stage, I think there is energy
11 there on the part of the industry, because they
12 believe it's an important area, and that's why in my
13 opening remarks, I made the comment that we're going
14 to look at the Gulf oil and the West Virginia coal
15 mine and what's going on with Metro, and look at
16 reports that are done by investigative groups.

17 Not something that we're going to do, but
18 we're going to look at those and try to make safety
19 culture real, okay. We have examples in our industry.

20 We'll clearly use them and there are some and we
21 talked about them last November and so forth.

22 But it doesn't have to be in our industry.
23 It's trying to show that this isn't just words on a
24 piece of paper. This is what happens if potentially
25 we don't have a good safety culture. We're not going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to rush out and say that this, this, this, didn't have
2 an adequate safety culture.

3 But if the investigation results
4 demonstrate that, then we'll bring that up for own
5 internal training, and also in my vision, send it to
6 out to the industry, so they have real cases to bring
7 the points home when they talk about them at their
8 facilities.

9 MEMBER RYAN: Sure. Sounds good. Thank
10 you.

11 MS. SIERACKI: Okay. Other additions that
12 you would see in the revised draft safety culture
13 policy statement in the FRN for September, it also
14 indicated the Commission's, and "expectations" is
15 probably the wrong word to use here. It's really an
16 encouragement that the Agreement States and other
17 organizations develop and maintain a positive safety
18 culture.

19 This isn't rulemaking, and it was
20 something that, you know, we understand it's a policy
21 statement and we are going to very much encourage our
22 Agreement States to come on board. You are going to
23 hear from Lee Cox from the Director of the
24 Organization of Agreement States shortly as well.

25 In that FRN, we also asked whether the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 INPO validation study results should be considered,
2 and remember that I said that there were a couple of
3 places where they weren't exactly the same, and you
4 will hear about that. So all of that went out, and
5 while that was out for comment, we did the other big
6 public meeting out in Las Vegas.

7 We had six of our stakeholders from the
8 workshop in February come and present about outreach
9 activities that they had been engaged in in their own
10 areas, as well some concerns they might have about the
11 implementation phase.

12 So they came armed with some input to
13 provide to the public as well. Both Dr. Barnes and
14 Dr. Koves presented the INPO validation study results,
15 so that again we could get some good information.
16 There was a strong support again of the definition and
17 traits from the workshop, and most of the concerns
18 expressed were again related to implementation, and
19 just how is that going to look.

20 CHAIRMAN BLEY: You mentioned the
21 preamble. Is there consensus on that at this point or
22 --

23 MS. SIERACKI: The preamble, we have not
24 heard anything negative about the preamble.

25 CHAIRMAN BLEY: Or anything positive?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. SIERACKI: Did we get positive
2 results? You know, actually, from a public comment
3 standpoint, we didn't get anything.

4 CHAIRMAN BLEY: Any comments at all?

5 MS. SIERACKI: No, any comments at all as
6 we --

7 MR. ZIMMERMAN: I'm sorry. We've been
8 candid with our stakeholders, for them to understand
9 that internally, you know, we've wrestled a bit
10 internally with regard to security, and we thought the
11 preamble was a way to go, so that they understood why
12 we put it in.

13 If you were to do a word search in this
14 policy statement for security, you would see it in
15 many, many places. It's not like security doesn't
16 show there. What we did is take it out of the
17 definition, and consider to be under an overarching
18 safety, with a number of other significant items like
19 security that are underneath it.

20 But it really did not ring true for many
21 of the smaller organizations, and back to the question
22 that you asked when we had our Commission meeting last
23 spring time. It was a little bit of an odd Commission
24 meeting in that there were only two commissioners
25 there, one of which was the chairman.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 In that Commission meeting, the industry
2 stakeholders went over their rationale. The way I
3 read that meeting is that those commissioners thought
4 what was presented was reasonable. We have new
5 Commission now, and we'll see what occurs. But they
6 did do their argument directly in front of them, and I
7 thought it made sense to the commissioners that we
8 present.

9 MR. SOLORIO: I wanted to add, Dave
10 Solorio. At the September 28th public meeting, Ms.
11 Schwartz made the presentation for the changes we made
12 to the policy statement, and she did identify to the
13 audience that we included the preamble and my
14 recollection is people were aware of the change and
15 they supported the change. There was no negative
16 feedback on that change. They were okay with it.

17 CHAIRMAN BLEY: I'm also curious. At all
18 of these workshops, but particularly this last big
19 one out west, was most everyone there either
20 representing licensees or vendors, or did you have any
21 just general members of the public show up for these
22 things?

23 MR. SOLORIO: We did have a few general
24 members of the public. A lady from California drove
25 out. She was with Johnson and Johnson, and apparently

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 they were interested in learning about safety culture.

2 There was some agreement state representatives there,
3 and there was some members of the public on the line
4 and watching through the webstreaming. One of them
5 happened to be a former NRC employee.

6 CHAIRMAN BLEY: Okay, thanks.

7 MS. SIERACKI: And up on the screen right
8 now, just a little bit more about that public meeting.

9 We actually had two locations. We had people able to
10 be here also in Rockville. So Las Vegas, out in
11 Rockville and, as Dave Solorio mentioned, we had
12 webstreaming as well as being able to be on the phone.

13 So that was in the middle of the comment
14 period. We closed the comment period -- closed the
15 comment period on October 18th, and we assembled all
16 of the public comments. They pretty much fell into
17 two categories.

18 Basically, making, asking us to ensure
19 that we understand that there should be a distinction
20 made between the types of licensees and credit given
21 to those with existing safety culture practices.

22 For example, you know, the Joint
23 Commission does a lot of work. Some of the Agreement
24 States, they have practice sin place, and when you go
25 through their M, I think it's the IMPEP, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 inspection process that they do, they look at safety
2 culture.

3 So there are things that are already in
4 place out in some of these industries that aren't
5 reactors, that are not -- they're not starting from
6 ground zero, and they want to make sure that we're not
7 just going to throw everything out and have them start
8 over, but take into consideration that they do have
9 practices and policies in place at this point. This
10 would build on those.

11 Then the second was a request that we keep
12 these stakeholders involved, and that there's outreach
13 activities as we move through the implementation
14 phase, really just reiterating that they want to be
15 involved in Tier 3. They want to continue to help us
16 as we move forward in that implementation phase.

17 CHAIRMAN BLEY: Have you done any planning
18 for the implementation phase? Do you have a schedule
19 or anything out or workshops planned?

20 MS. SIERACKI: We don't at this point.
21 Each of the program offices have agreed that they will
22 work with their constituents as they move forward.
23 There are some very, on an overview basis and some of
24 the program offices, you know, reps are here today if
25 you have specific questions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But you know, obviously the reactors are
2 pretty far ahead with the ROP, and if this changes any
3 kind of language of any of that sort of thing, they
4 stand ready to do what they need to do. New reactors
5 from NRO, they're modeling that same kind of process,
6 the inspections that we do under the ROP.

7 FSME, with respect to some of their
8 material licenses, the NUREGs and some of those
9 procedures and policies that they had in place, to
10 look at those as they move forward. But specifics,
11 we'll really wait for the Commission to provide
12 direction.

13 But specifics, we'll really wait for the
14 Commission to find direction, and then get our
15 stakeholders involved.

16 (Simultaneous discussion.)

17 MEMBER RYAN: Maybe we're going to get to
18 this in a minute, or a little later on we'll hear from
19 the Agreement States, but having worked in an
20 Agreement States or several for a long time, that's
21 where the action is in terms of the number of
22 licensees, the number of programs, the variety of
23 programs. We keep talking about reactors. Well
24 that's 100, okay.

25 MR. ZIMMERMAN: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: Okay. Now there's 20,000
2 over here.

3 MR. ZIMMERMAN: Right.

4 MEMBER RYAN: So that's, I see that as two
5 very different tasks, and I'll be curious to hear your
6 thoughts on that now or later as we go along.

7 MR. ZIMMERMAN: One thing, we were
8 pleased, based on what you said, we were pleased we
9 were able to bring everybody together in February of
10 this year, and reach an overarching goal that
11 everybody felt very comfortable with.

12 MEMBER RYAN: Yes. Now when you say
13 "everybody," what size sample did you get from those
14 20,000 Agreement States --?

15 MR. ZIMMERMAN: Well, we used them as a
16 point of light, for them to be able to go out and to
17 be able to go to other conferences and continue to
18 talk about it. We didn't take the February outcome
19 and say "we're done," you know.

20 MEMBER RYAN: Right, right. So you're
21 expecting more feedback from that seed you planted --

22 MR. ZIMMERMAN: And the feedback that
23 we've gotten through the entire year is w hat you've
24 done thus far makes sense. However, we're concerned
25 about the implementation phase. Now a process piece,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I spoke earlier about the collaborative working
2 environment, both internally and externally, has been
3 very good.

4 When the policy statement wraps up, where
5 OE has lead with support from the program offices, it
6 flip-flops. The program offices go into the lead with
7 the materials organization, FSME. NMSS will have
8 their lead. NRR will have their lead. We go into a
9 support role for them.

10 So as they want to talk in these meetings
11 like in Vegas about implementation, it's telling me
12 two things. One, they don't have any real hard spots
13 with what we've done so far, the development work.
14 They've been giving us pretty good signs. We haven't
15 been getting a lot of cards and letters that are
16 negative.

17 The turnout in Vegas was not extreme. So
18 I think we've exhausted pretty well getting out the
19 steps to get the policy statement up to the
20 Commission. But their focus is on implementation.

21 The program offices did a great job. They
22 traveled with us to Vegas, and they were able to talk
23 about some of the initial thoughts, about how they
24 would look at rolling this out, and the key is slow
25 and methodology. We're not trying to, you know, run

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 something down somebody's throat here. This is --
2 again, it's policy. It's not a regulation, and to
3 work with them.

4 That's what the feedback to us has been,
5 to the NRC has been, is work with us on this. Some of
6 us are familiar, some of us are not. We're not going
7 to do it at the same speed. Vendors are not and the
8 small ma and pa shops are not going to do this as at
9 the same speed as the reactors are going to do it.

10 The dialogue that will occur with NRR
11 about the ROP and is there credit to be given for some
12 of this is a completely different dialogue than what
13 FSME will be having with the materials, going over
14 tell me some more about safety culture so I understand
15 it.

16 Because ultimately, as I was saying
17 before, the managers and supervisors have to
18 understand it in all these different locations, in
19 order to become believers and to be able to pass it on
20 their staffs.

21 MEMBER BONACA: IAEA has done a lot of
22 work in this area. Have you looked at some of their
23 work? I mean you already saw the --, but I imagine
24 that looked at those more and that was much work.

25 MR. ZIMMERMAN: We've had some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 interactions with international counterparts. I
2 expect that that is going to pick up. So we do want
3 to try to keep international partners aware of what
4 we're doing. We're always looking for best practices.

5 I think our main focus in what we've done in
6 developing this plan was to try to make sure that
7 those that going to potentially be impacted by it felt
8 they had a say from ground zero and will feel that
9 rather than hear it as a near-final form, do you have
10 any comments on this document?

11 We brought them in extremely early in the
12 process, and I think that that paid dividends. But we
13 did have some involvement with the international
14 community, and we do bilaterals and so forth to be
15 able to talk about it.

16 MR. FIRTH: This is James Firth, NRC
17 staff. I want to elaborate a little bit more on what
18 Roy had said relating to the Agreement States.

19 When we went out with the draft policy
20 statement, we asked the Agreement States to share that
21 information with their licensees, and we had a very
22 good response from the Agreement States in doing that.

23 So part of that's getting the education to agreement
24 state licensees, but we've also been trying to move
25 things along in terms of getting the Agreement States

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to buy into the process of the policy statement and
2 where we're going.

3 Some of our discussions with the Agreement
4 States is that some of what the policy statement would
5 involve doing, in terms of looking beyond just the
6 real large glaring errors and violations, that it's
7 going back practices that they had done before.

8 So there's an endorsement there that
9 there's value in terms of being a little more
10 thorough, to have that dialogue with their licensees,
11 whether it's on the entrance or exit interviews for
12 their inspections.

13 There's also been a number of Agreement
14 States that have already brought the discussion of
15 safety culture into Enforcement, where they have had
16 problems with their licensees. So it's even with what
17 we've done today, some of the Agreement States are
18 going through in terms of taking it to heart, looking
19 at how we'll help them work with their licensees for a
20 safer Performance.

21 Obviously, there's going to always be some
22 variety in terms of -- and diversity in terms of the
23 range of Agreement States. But what we've seen so far
24 is very positive in terms of the direction we're
25 trying to get in, in terms of reaching the wider

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 materials, set of materials licensees.

2 MEMBER RYAN: Is it -- am I reading that
3 maybe the larger licensees with more complex
4 facilities and more material on their license are the
5 places where you see any action here at this initial
6 stage, or are they over a range of licensee sizes and
7 license material quantities or what?

8 MR. FIRTH: Well, I think the
9 discussions, we were trying to capture in terms of
10 awareness out to all licensees. In terms of, and
11 that's an education component, and there's going to be
12 a value in terms of having that dialogue even after
13 the policy statement's out, so that it stays in the
14 forefront so people are continuing to think about it.

15 As we start moving towards implementation,
16 we are going to be looking in terms of size, risk,
17 what are the actual activities. So you had have some
18 larger licensees that have three different types of
19 risks than what you have in the medical area, where
20 because you're dealing with patients, there's a closer
21 proximity in terms of some of the hazards.

22 So the way things would be handled in
23 different types of licensees would be a little bit
24 different. So we'll be looking at that during the
25 implementation space.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: Okay, thanks.

2 MR. SOLORIO: I just wanted to add a
3 couple of more things on Dr. Ryan. James did a great
4 job explaining a lot of interest, interaction with
5 that. Also at the February workshop, we did invite
6 the Organization of Agreement States to be in the
7 audience. They did participate at various times.

8 So we had their input early on, and at the
9 March 30th Commission meeting we had this year, the
10 Organization of Agreement States actually spoke to the
11 Commission and provided their endorsement in principle
12 for what had come out of the February workshop.

13 So we've had an extensive -- they've been
14 in the process. We got a lot of feedback from them,
15 and we appreciate all their support in that area.
16 Then also Dr. Bonaca, just to add a little bit more
17 onto your question, you know, we started by surveying
18 international research and information on safety
19 culture when we started. But also as a part of the
20 validation study, or part of the work that Val Barnes
21 did to look at the INPO validation study, one of her
22 earlier tasks was to also survey current literature
23 out there on safety culture, to make sure there wasn't
24 anything new that we needed to take advantage.

25 In the prior couple of years, someone from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 my staff who has retired from the agency, but she was
2 frequently visiting IAEA to work on their SCART
3 guidance, and give comments on that. So we've tried to
4 be as plugged in as possible to everything out there,
5 to inform our thinking in this area. Thank you.

6 MS. SIERACKI: Okay. Next slide, Dave.
7 So that brings us to the proposed final draft safety
8 culture policy statement and the Commission paper. As
9 you know, it is in the works right now and we are
10 looking to have pretty close to a final version ready
11 for you by November 16th, which we'll give to you as
12 well as the full committee.

13 It will contain the definition and traits
14 in the statement of policy, so that we include it, and
15 they are the workshop definition and traits that you
16 saw in your packet. Questioning attitude is added as
17 a ninth trait.

18 The staff decided to do that. We wanted
19 to talk about complacency a little bit, and
20 questioning attitude, we felt because it came up so
21 strongly as an area that needed to be by itself in the
22 validation study, we looked at that and we agreed, and
23 the definition that we have or the statement that we
24 had in the statement of policy is that questioning
25 attitude, in which individuals feel comfortable to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 offer alternative approaches to management regarding
2 current practices, and a questioning attitude also
3 prevents complacency by empowering individuals to
4 challenge given conditions, in order to identify
5 discrepancies in the status quo that might result in
6 error or inappropriate action.

7 So we feel that although there's not a
8 direct causal relationship between complacency and
9 questioning attitude, if you have a healthy
10 questioning attitude it's going to help to get rid of
11 complacency in an organization. So we did add that as
12 a ninth trait. So we have the eight that you saw, as
13 well as the addition of the ninth trait of the
14 questioning attitude.

15 CHAIRMAN BLEY: I guess there's no real
16 effort or possibility to have the traits be orthogonal
17 in any sense. I've often heard people who advocate
18 strongly, learning organizations and continuous
19 learning, you know, really embed this as a key element
20 of the learning organization.

21 But it doesn't hurt to have it as a
22 separate one, and it sounds like we'll hear that it
23 might be especially important.

24 MS. SIERACKI: Yes, yes, and we did, just
25 for your information, we did discuss questioning

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 attitude, "we" meaning the panel members in the
2 February workshop. That was a discussion item.
3 Questioning attitude came out in a couple of different
4 places, you know, in continuous learning and
5 accountability.

6 So there were a number of areas where we
7 talked about questioning attitude, but we felt as a
8 staff that this came out as something that's important
9 enough for us to add it as a separate trait.

10 CHAIRMAN BLEY: Let me ask you a question.

11 At our last meeting, Harold, I'm going to quote from
12 you. Harold suggested it would really be important to
13 raise the issue of being aware of characteristics that
14 threaten safety culture, as well as that promote it,
15 and had some examples of where, although many good
16 things were going on at a particular utility, there
17 were some very bad things that went unnoticed.

18 Is it a hope that this is -- this
19 particular attribute or I forget what we call them
20 now, trait will attack that issue, or are there
21 others, or is that something that's --

22 MS. SIERACKI: Well, if I'm understanding
23 what the original question may have been or what
24 you're looking for, when you look at these traits,
25 each of them are aspects of a positive safety culture,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and when there are concerns in any of them.

2 Let's just take one that's very easy for
3 us, because we're all really familiar with safety-
4 conscious work environment, but that's one of them, an
5 environment for raising concerns, if you start to see
6 that your corrective action program isn't being used
7 like it was, if you start to see allegations come up
8 with the agency, there are data points that you can
9 take that will let you know that gee, this is
10 something that maybe we need to look at.

11 By itself, it doesn't mean that now your
12 safety culture isn't where you need it to be. It's a
13 data point. So you would need to look at each of
14 these areas and, you know, do some measurements, make
15 some assessments on what that means.

16 But really on each of these traits you
17 could take, you know, if you did interviews and people
18 are not willing to question the status quo because you
19 know, "hey what my supervisor says is it," that's
20 something that you need to look at. So rather than
21 making a list of these are the positive and these are
22 the negative, you really can look at those positive
23 traits, and when something's not right about them,
24 that's going to show you where you need to go in and
25 take a look.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. ZIMMERMAN: I'm sorry. Just at a high
2 level for a minute, the last meeting last November had
3 a very good discussion about incentives and directives
4 coming down from on high, and how they could
5 potentially undermine what we're trying to accomplish
6 with the definition of the traits and the way it ought
7 be thinking.

8 We align with that, it's what we're
9 looking at. So we very much benefitted from the
10 meeting last time and that issue coming forward. What
11 we're looking at is can that get rolled into the third
12 trait, you know, with our help of indicating that this
13 is the kind of items that we're looking for them to
14 include.

15 If it looks like it can, than this issue
16 of directives and incentives, you know, for capacity
17 factor or whatever else, you know. If we have to come
18 up with something higher level, because we're trying
19 to do it overarching, we'll have to make that decision
20 where that best goes.

21 But it's not our intent at this point to
22 lose that thought. That was a very important thought
23 that you all provided us, and we appreciated that. We
24 probably have a little bit more work that we need to
25 do with our stakeholders on that. We need that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 feedback about that third trait. Does that really
2 look like that's a good, workable way of doing this,
3 or there are better suggestions?

4 But it is not our intent to lose that
5 concept for that last meeting. That was clearly
6 value-added.

7 CHAIRMAN BLEY: Let me slip in one other
8 question, and maybe I should wait, but I'm not going
9 to. You decided these traits should be part of the
10 policy statement. The thing that kind of worries me
11 about that, and you must have talked about this, is
12 that you spent a long time working these out, the
13 definition and these traits, and in one sense that's
14 the easy part.

15 You've got a validation study that we'll
16 learn more about in a few minutes. It strikes me when
17 you get to implementation, is when you're going to see
18 how well these traits work.

19 If during the policy statement we're kind
20 of, I shouldn't say the word "stuck with," but in a
21 sense stuck with them for a long time, and if the
22 implementation phase begins to uncover that these
23 aren't quite the right set, they're kind of embedded
24 already in the world we're living in, and I just
25 wonder if you can talk about that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MS. SIERACKI: I would say that because
2 we've had so much outreach on this and so much input
3 into those traits, and so much emphasis that this is
4 really the way we want to go from all of the
5 stakeholders, all the feedback has been along those
6 lines, that I really do think that there -- I hate to
7 use the word "generic," but they're at a high enough
8 level that they can resonate with any of the
9 communities that we regulate.

10 In the statement of policy, we do have
11 words to the effect that these are the eight traits,
12 but they are not limited, that a safety culture, a
13 positive safety culture would be -- would include
14 these traits, but they're not all, you know, that
15 they're not limited to that.

16 That means that when we get to Tier 3 and
17 there's something else, potentially in the medical
18 arena that really resonates with them, they can add
19 something.

20 MEMBER ABDEL-KHALIK: If I may follow up
21 on this, in the preamble, for example, you speak of
22 personal and organizational traits, and when I saw the
23 list of traits that you had listed that will now be
24 embedded in whatever guidance, I was just wondering if
25 this list provides the appropriate balance between

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 personal and organizational traits and/or
2 responsibilities.

3 Do you believe that list provides the
4 appropriate balance between personal and
5 organizational traits?

6 MS. SIERACKI: I'm going to put them back
7 in front of me.

8 DR. BARNES: Might I speak to that?

9 MS. SIERACKI: Oh yes, yes Val. Please
10 do. Sorry.

11 (Simultaneous discussion.)

12 DR. BARNES: I'm Val Barnes with the
13 Office of Research and I've done something on this
14 safety culture activities with the NRC since about
15 2004.

16 We, the staff recognizes that, and I was
17 going to make this comment just a second ago before
18 you asked the question, recognizes that some of the
19 traits that are included in the policy statement don't
20 necessarily apply to some of our licensees or
21 certificate holders who are individual contributors,
22 people who work alone out of the back of their truck,
23 for example.

24 So our expectation, and there are words in
25 the final draft revised policy statement that indicate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that. We understand that concepts that rely on groups
2 like leadership, etcetera, aren't going to apply to
3 some of our individual contributors.

4 But we feel like we got a handle on a set
5 of traits, that we're really confident at this point
6 in time are useful and valuable in communicating about
7 what safety culture is across the array of
8 stakeholders and licensee, etcetera, we're dealing
9 with.

10 MEMBER ABDEL-KHALIK: I think you've
11 missed my question. I wasn't concerned about an
12 individual contributor who would be viewed as an
13 organization, inasmuch as he or she would contribute
14 individually.

15 I was looking at individual traits within
16 an organization, whether this list provides the
17 appropriate balance between the traits of an
18 individual within an organization and the collective
19 traits of the organization.

20 MR. HOUGHTON: Can I --

21 MS. SIERACKI: Sure.

22 MR. HOUGHTON: I'm Tom Houghton with NEI,
23 and I was one of the panelists, and that's a very good
24 question, because it gets at the individual's role and
25 the organization's role, and in looking at these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 traits, I think there is a balance. If one looks at
2 these leadership safety values and actions, we define
3 leaders as leaders and supervisors and individual
4 contributors who are leaders amongst their peers, as a
5 personal trait. Personal accountability gets at an
6 individual's activities. A respectful questioning
7 attitude, also as an individual, can be an individual
8 as well as an organizational trait.

9 A respectful work environment gets not
10 just that safety conscious work environment, but the
11 trust and the respect between individuals from
12 different organizations.

13 So I think, and then the rest of these,
14 work processes, continuous learning, the problem
15 identification and resolution system, safety
16 communication, perhaps lend themselves more to the
17 organizational side of the trait.

18 So I think there is a balance there when
19 you look at these. In addition, as these are
20 developed in more detail, there will be subtraits or I
21 don't know what we're going to call them, but they'll
22 be a sublevel below these which will amplify what they
23 mean, both in terms of the organization's role and the
24 individual's role. I hope that's helpful.

25 MEMBER ABDEL-KHALIK: Great. It just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 seemed to be too skewed towards organizational traits
2 versus personal traits, the way I looked at these, and
3 it just -- to me, it seemed unbalanced.

4 MR. ZIMMERMAN: I think --

5 MEMBER ABDEL-KHALIK: And that's why, you
6 know, I sort of agreed with the concern, that you sort
7 of get locked into a set of traits that may be
8 incomplete.

9 MR. SOLORIO: What's not here is
10 definitions for each one of these, which are a couple
11 more sentences to give you a better understanding. I
12 guess we could share that information with --

13 MS. SIERACKI: No, they are.

14 MR. SOLORIO: Oh, they're coming up?
15 Okay. We have that.

16 MS. SIERACKI: If you go to the one with
17 the two comparison.

18 MR. SOLORIO: Tables. Oh, okay.

19 MS. SIERACKI: Yes. That has --

20 MR. SOLORIO: Here. So we have more
21 information, you know, respectful work environment.
22 That's obviously an individual trait also. It's an
23 organizational trait, it's an individual trait.

24 MS. SIERACKI: But I think Tom did a good
25 job in explaining, you know, especially when we talk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about leaders, that really there are informal leaders
2 too. They could be individuals in your organization.

3 MEMBER ABDEL-KHALIK: But again, I view
4 that as an organizational trait, versus a personal
5 trait.

6 MR. ZIMMERMAN: The way I look at is this
7 provides an umbrella of pretty much all the items to
8 keep the rain out. The entity will then look to
9 customize this for their situation, because they may
10 say you're not keeping all the rain for this hospital.
11 It's a different situation.

12 This is very close. Again, it's got the
13 buy-in from all those different parties. But I expect
14 when things are done, that certain things will ring
15 truer than others for different organizations, and for
16 me, I'm okay with that, because this is all about
17 communications. It's all about getting it off the
18 paper and dialoguing it and understanding it and
19 believing it and buying into it.

20 So as they work these items down, they
21 won't look the same for the power reactors as they
22 will for the hospital or the pickup truck, and they
23 will have certain ones that will ring truer to them,
24 and it will become more customized.

25 But you ought to be able to roll it up and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cover it with these, and not have a whole lot of open
2 areas. It may not be perfect. Now if we miss
3 something at this level that's way ought, we don't
4 think we will, because we think we've vetted it well.

5 If we do, then we may need to revisit and see if we
6 need to make a revision based on --

7 MEMBER ABDEL-KHALIK: I'm just worried
8 about groupthink.

9 MR. ZIMMERMAN: Huh?

10 MEMBER ABDEL-KHALIK: I'm just worried
11 about groupthink, because people have been using these
12 same terms over and over again, and whether or not in
13 the process they have described there are gaping holes
14 that provide that balance between personal and
15 organizational traits and responsibilities.

16 MR. ZIMMERMAN: And maybe some of that may
17 have occurred, but when they go to Tier 3 and they
18 tailor it for their facility, I would hope that that
19 should deal with that issue.

20 I mean I think Tier 3 is a significant
21 part of this. Otherwise, you're taking a vanilla
22 statement that applies to everybody and not bringing
23 it down to what it means for this particular facility
24 in this location with this personality.

25 AA I'm not suggesting that you push these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 through a higher level of abstraction. I'm just
2 suggesting that you need to go perhaps to more level
3 of detail.

4 MR. ZIMMERMAN: And we may be talking past
5 each other, but that's what Tier 3 is. That's what
6 the next level is, to be done by the licensee or
7 certificate holder. That's where they customize it by
8 going down to that next level of detail. You can't
9 stop here. You've got to go down further, and we
10 can't do that for them. They have to do that and they
11 have to believe in what they're doing.

12 MEMBER RYAN: Well, to maybe pick up in
13 Professor Khalik's point, and definitely I've been in
14 a number myself and seen a lot of other ones. They're
15 really going to pick up in practical terms from my
16 experience on three programs that they already have to
17 create this.

18 It's going to be health physics program,
19 their industrial safety program and their quality
20 assurance program, because those are the people that
21 at least have the start of the thinking process on
22 safety culture and quality culture and, you know, and
23 so I think my experience is that I've been in a couple
24 of safety-conscious work environments and total
25 quality programs, and there's different names, where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 they tend to pull out the elements of those three
2 safety-related programs that they're required to have,
3 and begin to synthesize something like that.

4 So I think, to answer your question,
5 that's where they get some characteristics that are
6 more tangible to me, is that they begin to pull the
7 personality from the programs they already have, and
8 build something that augments and integrates, maybe to
9 some extent, what they already have.

10 Then you know, if it's successful it takes
11 on a character on its own and really does integrate
12 those programs into some consistent role. So I would
13 guess that if this begins to get successful, you'll
14 see a lot of that integration going on among those
15 three programs.

16 MR. ZIMMERMAN: I feel exactly the same
17 way, and along with that should come the ownership,
18 because they --

19 MEMBER RYAN: Well, yes. The fact that we
20 built that with our own tools and we did it on our
21 own. And that's why it will look different in the
22 hospital versus an industrial facility versus and
23 outdoor activity or remediation activities or
24 construction types.

25 MR. ZIMMERMAN: It's a different approach

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 than a regulation, where you shall do the following,
2 and they may not buy into it at all, but you know,
3 they've been told they've got to go do something.
4 This is one where they're going to carry the energy
5 forward. We have to do the training, you know.

6 There's some significant steps ahead of us
7 with regard to the roll out of this, but ultimately
8 they should become the believers, they should be doing
9 the training and carrying that forward.

10 MEMBER RYAN: And you know, I think
11 there's a good example of where I think it can be
12 veery helpful is a fellow named Bob Emory, who's in
13 Texas, did a study on incidents with downhill logging
14 sources, and they correlated it directly to new
15 entrants into the profession.

16 Now as new hires go up and people come on
17 board and there are a few incidences, and then there's
18 training and then there's things that go to improve
19 that, and the incident rate goes down. Then when the
20 next layoff comes, then it starts up again, we get
21 some more incidents. It correlated very well with the
22 rate of hiring in the oil fields.

23 So you know, it's -- as much as it is a
24 regulatory thing when something like that happens, it
25 really is how people get culture at their job or in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 their work.

2 MR. ZIMMERMAN: Right.

3 MEMBER ABDEL-KHALIK: So it makes a lot of
4 sense to me.

5 MR. ZIMMERMAN: I agree with you.

6 CHAIRMAN BLEY: I think it's time we move
7 on, because you've got a bit more to go th rough
8 before we're finished, and then maybe we can have some
9 more dialogue.

10 MS. SIERACKI: Okay. I think we hit on
11 most of these, the questioning attitude; complacency
12 was mentioned, as I said, with a questioning attitude.
13 The final policy, the proposed final policy statement
14 includes the preamble to address security.

15 Implementation is not directly addressed,
16 and what I mean by that is we're not saying you need
17 to do this, this and this. It simply says we're going
18 to work with you as we move forward in implementation.

19 There is a statement recognizing the diversity of the
20 regulated entities, and we did include suppliers and
21 vendors.

22 So next slide is again the same, this is
23 the same workshop definition. That's the one we're
24 going with. That's where we've gotten the support.
25 Next page --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN BLEY: As you leave that one, put
2 it back up again, if you would. At this level, Said,
3 the focus really is on --

4 MEMBER ABDEL-KHALIK: Individuals.

5 CHAIRMAN BLEY: On individuals. I'll just
6 say that. Now go on. We'll talk about the other
7 stuff later, I think.

8 MS. SIERACKI: And now we have the nine
9 traits, and go to the next one, including the
10 questioning attitude. So everything you saw there
11 before, and we now have the nine chart. So next
12 steps. Next one.

13 We will provide that proposed final
14 statement of policy to the Commission. That's
15 scheduled for -- a briefing with them is scheduled for
16 January 24th. We'll look for their direction and then
17 the implementation phase will be the stakeholder
18 involvement with program offices, basically the Tier 3
19 that we've been talking about.

20 Then with the Office of Enforcement
21 remaining as the focal point for coordination and as
22 Roy had mentioned previously, the lead would be with
23 each of those program offices, and we will be there to
24 just kind of coordinate the activities and make sure
25 that if we're doing some outreach over here and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 somebody else too, that somebody knows what's all
2 going on in a central location.

3 Key messages for today. It's a two-year
4 effort and actually we're coming up on three, with a
5 considerable amount of outreach. The definition of
6 traits have had almost unanimous support from our
7 various stakeholders, and that's what we have in the
8 proposed final safety culture policy statement, and we
9 will be requesting a letter of recommendation from the
10 ACRS to the Commission.

11 CHAIRMAN BLEY: And when do you -- are you
12 looking for that?

13 MS. SIERACKI: Your full committee meets
14 December 2nd. We need to have packages and everything
15 up to the Commission by the 18th, I believe, January
16 18th. So we would be --

17 CHAIRMAN BLEY: So you're looking for a
18 letter at our December meeting, but you're not going
19 to send us what we're going to be looking at.

20 MS. SIERACKI: You'll get it on the 16th
21 of November.

22 MR. WIDMAYER: Yeah, we're getting it on
23 the 16th of November.

24 MS. SIERACKI: You'll get it on the 16th
25 of November.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN BLEY: Two weeks, or are we
2 getting three?

3 MR. WIDMAYER: About three.

4 CHAIRMAN BLEY: We generally insist on a
5 month, but that's getting pretty tight for us too.

6 MS. SIERACKI: It is now in -- it's in the
7 rotation phase, going through the program offices for
8 feedback. So we've got this stuff pretty close to
9 being finished, but it needs to go through the
10 clearance process.

11 CHAIRMAN BLEY: Let me ask you a question
12 about it, because a couple of ideas came to mind with
13 what I had raised, what Said had raised, what Mike and
14 others have raised. In looking at comments from
15 people at our last meeting, we had one set of talking
16 about these different things, the personal versus
17 organizational things, cause versus effect.

18 Some of these traits are causes and others
19 are effects. Some of them kind of attitudes and
20 others are results. Are we ever going to get to
21 implement this, where we're really trying to shove
22 rounds pegs in square holes? You're pretty confident
23 with what you've got, and until we hear more about the
24 validation study, I won't have a good idea of how much
25 has been tested.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 But I know people have been involved who
2 have worked in this area for many years. Maybe that's
3 good. But is there -- it would seem to me, and maybe
4 it's too late for this now, that in the explanation
5 that goes with the policy statement, some of these
6 kind of issues could have been argued out and shown
7 how this set of traits really covers all of these
8 different things, and of a lower level why it's the
9 way it is.

10 I'm assuming there's something that gives
11 a bit of an explanation that's attached to it. Is
12 that true, like a white paper backing up the policy
13 statement or is it just the policy statement?

14 MS. SIERACKI: Well, we -- I'm not exactly
15 sure if I understand the question. Can you repeat it?
16 You're looking for -- are you asking really is there
17 some -- this is what I heard you say, that with this
18 definition and traits, do we have some language
19 included in the statement of policy that says these
20 are some examples, or this is how we think this should
21 -- is that what you're asking?

22 CHAIRMAN BLEY: Or an associated white
23 paper that explains more about why it's the way it is
24 and why that covers some of these alternative ways to
25 look at the implementation that will be coming.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MS. SIERACKI: Well, the Commission paper
2 has a lot of information in it itself, the --

3 MEMBER RYAN: One of things that would
4 help, I think, address Dennis' question is --

5 MR. WIDMAYER: They'll be getting it on
6 November 16th.

7 MEMBER RYAN: --is when do I know I'm
8 doing a good job with this kind of implementation? I
9 mean in any of these programs, any organization, bit
10 or small, is going to say how do we know when we're
11 hitting the ball?

12 CHAIRMAN BLEY: What are the criteria?

13 MS. SIERACKI: Pretty much you're talking
14 measurements sort of.

15 MEMBER RYAN: Well not necessarily
16 measurements. I mean to me, I'll just give you my
17 interpretation, I think where you touched on this a
18 bit, it's really measured by outcome at the end of the
19 day, right. It's people and then there's an outcome.

20 If I invest the time and resources for my
21 organization in this program, what am I going to get
22 for it? That's a reasonable question to ask. If it's
23 an improvement in safety, decreasing cost, the
24 increase in efficiency, increase in employee
25 satisfaction, take any one of six or a dozen measures

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that are like that, that you then say oh, I'm getting
2 better in these areas and maybe not this one so much,
3 but oh but there we've had some successes.

4 I think that's something to think about,
5 how you roll this out, because you're going to give
6 some people a vision of what they can expect to get
7 out of it. The requirements of the NRC is always a
8 good goal, and having this and having it up and
9 running in a demonstrable way that meets the
10 inspection criteria is terrific. But that's not
11 really where I think you'll want this to go.

12 CHAIRMAN BLEY: This isn't here for
13 compliance.

14 MEMBER RYAN: No. It's here for
15 improvement. So how do we, you know, and it's the
16 fact the Office of Enforcement is involved in this
17 sort of, you know. Sort of you know I mean
18 enforcement carries with it all the things --

19 MR. ZIMMERMAN: It gives the connotation
20 that --

21 MEMBER RYAN: That this is a compliance
22 program. So I'd just offer a caution that somehow
23 when you do all of that, that getting the idea this is
24 a positive improvement program, at least at the
25 beginning of it, that there's not necessarily a wrong

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 answer to get started and to get going. You know,
2 that might be something that --

3 MR. ZIMMERMAN: That's a good point.
4 That's a good point.

5 CHAIRMAN BLEY: Mario.

6 MEMBER BONACA: One thing that we may want
7 to bring up is that we have met a couple of times with
8 our peer in France, Germany and Japan. It's called
9 the Quadripartite meeting. It takes place every four
10 years, and four years ago, we discussed safety
11 culture.

12 The interesting thing was that everybody
13 presented pretty much these kind of attributes and
14 traits, okay. There was an agreement that culture is
15 so different from country to country and maybe you
16 cannot characterize it with similar traits.

17 When it came down to the bottom line,
18 everybody pulled out slides that showed that we all
19 use all the same traits, you know. So the expectation
20 may be different from the culture, but the traits were
21 very similar, and that's why I would suggest that
22 looking at what they had done.

23 SKI, for example, in Sweden, where they
24 have these traits. It may be helpful in a sense
25 because again, we all agree that it's not going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 have similar culture in different countries. It will
2 just happen that way. But there's potential for the
3 traits is the same, very similar.

4 MR. ZIMMERMAN: That's interesting.

5 MEMBER RAY: Let me try here for a
6 second. Roy, you mentioned an hour and a quarter ago
7 now, the Gulf Oil disaster. It seems to me like if
8 the aim is, as it has been described here now, this is
9 about the best you can do.

10 If on the other hand the effort is to
11 avoid outlier events, tail events which you could say
12 the Gulf Oil disaster was one, it's hard to not say
13 well, I can meet all these traits and still be
14 vulnerable to an event of that kind, TMI, Davis-Besse,
15 whatever you want to refer to.

16 Because what I'm trying to prevent really
17 isn't the sort of thing that these traits typically
18 are going to address. Now you've talked about Trait
19 3, which I think is the one that's most germane to an
20 outlier event. Maybe that's not fair.

21 Maybe there are other ones that are
22 equally so, but "Processes for planning or controlling
23 work activities are implemented such as safety is
24 maintained." I would agree with you, that that's
25 where the disincentives for safety probably exist.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Because if you look at the Gulf Oil event,
2 for example, and I know, I'm going to ask you in a
3 second what insight or what access you have to that,
4 but I understand there's so many tensions involved
5 there that you don't want to get too close to that
6 whole thing, that all you know is what you read in the
7 newspaper maybe, but maybe you've got some better
8 insight than that. I don't know.

9 But if -- I would almost guarantee that I
10 could go to any of the parties involved in that thing
11 and say I've got lots of things that demonstrate I
12 have implemented all of these traits having to do with
13 safety culture, and yet we know it was deeply flawed.

14 Now and I think probably in part, at least
15 as best I know, from what I read in the newspaper,
16 this Trait 3 is the one that would be more applicable
17 than others. After all, the CEO of BP was chosen
18 because of his commitment to safety.

19 I just wonder if at some point, and I know
20 you can't apply it to hospitals and people who make
21 Anti-Cs (ph) and all the rest of that kind of stuff.
22 But if you're really trying to avoid a major event, at
23 what point do you get more explicit and say this is
24 not acceptable?

25 Not just that you need to have work

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 processes that support the achievement of safety,
2 because I don't know anybody that ever wouldn't be
3 able to make an affirmative showing in that regard.

4 But you should not have things that can
5 lead to these, like I say, tail events. Not just
6 well I'll know when people are having safety concerns
7 that aren't being adequately responded to, for
8 example. That's a good metric and a good indicator of
9 bad safety culture, absolutely. So I'm not
10 diminishing that at all.

11 But I just wonder if we're recognizing
12 adequately in this whole process that we really need
13 to do is avoid those kind of events. And so that's
14 the question I have. I don't expect you to answer it
15 for me, but I just want you to know, that's, at least
16 as I think about us sending a letter up to the
17 Commission, what would I be concerned about.

18 It would be that well, you know, we'll
19 make it so we land the plane right all the time,
20 insofar as safety culture affects that. But the real
21 question is, is there something we're going to do that
22 on the low frequency scale results in a disaster, or
23 allows a disaster to happen that was avoidable would
24 be a better way to say it?

25 Now having said all of that, for whatever

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it's worth, what -- have you done anything to match
2 this up against what we know about the Gulf Oil
3 disaster?

4 MR. ZIMMERMAN: We're at the very early
5 stages of that. NRR has an op ed activity, operating
6 experience activity as well as other offices may have
7 something similar, and we're going to be starting an
8 effort to put together, through investigative reports
9 that are done, not news articles and things of that
10 nature, but through investigative reports being done
11 by Department of Interior or whoever, where we can use
12 that information to see what can we learn?

13 What was it that may have been a
14 contributor, and then we want to get that out
15 internally, and maybe through an information notice,
16 even if it's not our sector.

17 Because we've got to bring this to light.
18 Otherwise, it's another training session, and after
19 this one I've got to go this other training session.
20 So we've got to capture the hearts and minds that this
21 is really something that is worthwhile taking
22 seriously and talking about it, and recognizing do we
23 or don't we have a good safety culture? Do we need to
24 make some changes here?

25 A way of accomplishing that, we think, is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 by looking at some of these recent cases. They've
2 been given to us in this last year. They're right
3 there staring at us. So without saying anybody's
4 guilty of anything, let's go look at it and see if
5 there are learnings that can be shared.

6 That way, when these different entities of
7 reactors and hospitals and everything talk with their
8 staffs, and they're trying to explain why are we doing
9 this, why does the policy statement come out, they're
10 able to potentially point to a few of these cases and
11 see here's what's happened when we didn't have the
12 kind of safety culture, traits and attributes being
13 carried out that we think need to be done.

14 MEMBER RAY: Well, I really think that's
15 important. It's the old lessons learned thing.

16 (Simultaneous discussion.)

17 MEMBER RAY: Yes. It's just that I would
18 urge you to be willing to identify the negatives that
19 caused this to happen, not just the absence of a
20 positive.

21 MR. ZIMMERMAN: I basically agree with
22 that.

23 MEMBER RAY: That's the point, that --

24 MR. ZIMMERMAN: And I'm aligning. That's
25 the incentive and the directive issue, and I'm on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 board with that. Like I said, that was good value-
2 added that you gave us last time, last session.

3 MEMBER RAY: Okay. I don't want go over
4 that again. I just want to make sure that that was
5 still --

6 MR. ZIMMERMAN: That's not lost. That's
7 going to continue on. June, if that's okay.

8 MS. CAI: This June Cai. I just want to
9 add a little bit on what Roy was saying about looking
10 at these current events. We are starting this
11 initiative to see what we can learn, and we're in the
12 early planning stages of a RIC panel, and I think that
13 the way that's shaping up, we're hoping to look at
14 these traits that will be put in a policy statement
15 and apply it to some of these events, to see how these
16 traits, even though they were developed by the nuclear
17 industry, really transcend, you know, these other
18 industries.

19 Also, as part of some of our other
20 activities, we're doing some outreach to other
21 government agencies, and we had an interagency
22 roundtable back in August, where we shared our draft
23 traits and we heard a lot of agreement on, you know,
24 some of these elements are definitely common across
25 these industries, and we're doing some follow-up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 activities.

2 For example, tomorrow we have a meeting
3 with a couple of other agencies. So we are looking
4 and working with other government agencies across
5 these industries, to see how we can, you know, these
6 concepts do apply.

7 MEMBER RAY: Well, that's fair. I just -
8 - it's natural, just the way things are done, to say
9 something in a positive form, which this Trait 3 does.
10 It says it in a positive way, as I read it out.

11 But you don't really know well, what are
12 the negatives that are in conflict with that, that
13 people have really experienced and that have led to,
14 you know, really big screw-ups. The Con Air, whatever
15 the name of it, the airplane that crashed up in
16 Rochester. I mean that's been looked at very
17 carefully, things, and you know, you can say well,
18 people didn't have a positive attitude. Well, but
19 then they made dumb decisions or bad mistakes, and the
20 things that caused them to do that sometimes have
21 negative attributes that people need to understand.
22 That's all I'm going to say.

23 MR. ZIMMERMAN: And we understood the
24 point previously. We agree with it. There will be
25 some places where we may take the existing traits and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 add some negatives to it when we're evaluating, and
2 then there's the cases where we talked about, with
3 these directives and such documents that could run
4 counter to the traits.

5 But we want, my message is we want to
6 bring these alive. We don't want this to be dry. If
7 it's dry, we may not get a lot of progress here. We
8 may find ourselves in rulemaking and that's not where
9 we want to go.

10 We have too much positive energy from the
11 industry going on there. So if we supplement it with
12 some of the actual cases that are going on, I mean
13 hopefully they'll be believers, and that's going to be
14 in the implementation phase.

15 MEMBER RAY: Good. Thank you.

16 MR. ZIMMERMAN: But your points, Harold
17 you started last time, were well-received.

18 CHAIRMAN BLEY: Okay, well thank you. I
19 think we'll -- I suppose you're ahead of schedule.
20 We'll move on to the OAS.

21 MR. ZIMMERMAN: Thanks very much.

22 MS. SIERACKI: Thank you.

23 CHAIRMAN BLEY: Thank you, and we'll have
24 wrap-up at the end and go over some things.

25 MR. ZIMMERMAN: We'll be here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BLEY: I certainly hope you will,
2 because we want to talk about the full committee
3 meeting a little too. Right here. Right out in the
4 middle. Front and center.

5 (Off mic comments.)

6 CHAIRMAN BLEY: You don't have slides,
7 right?

8 MR. COX: I do not. I thought at this
9 point, you'd be tired of PowerPoints.

10 CHAIRMAN BLEY: Well, we do have that note
11 from you.

12 MR. COX: You do have my talking points?

13 CHAIRMAN BLEY: Yes, that's right.

14 MR. COX: Mr. Chairman, members of the
15 committee, thank you for having me today. I will be
16 presenting safety culture from the viewpoint of the
17 Organization of Agreement States. My name is Lee Cox.
18 I'm f rom the state of North Carolina. I started my
19 career in the early 80's in the nuclear power
20 industry. I've worked with Mr. Ryan on the failed low
21 level waste disposal site in North Carolina and have
22 been with the state ever since. So I thought I'd
23 point that out.

24 (Off mic comments.)

25 MR. COX: Let me reminisce a little bit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 While waiting for this meeting, I was next door at
2 the Hope Creek license renewal meeting, and I was
3 taken back to my reactor days. I forgot how many
4 folks in dark suits and how many three ring binders it
5 takes to run a nuclear reactor.

6 If I didn't know better, I thought I'd be
7 at an FBI convention. But I knew that it was Hope
8 Creek's license renewal party. But it also reminds me
9 that all of that is necessary to maintain core and
10 fuel integrity. So that's relevant, and with that,
11 I'd like to start my presentation.

12 Sitting next to me, they've spoken about
13 the different disasters that have taken place, the
14 Yemen terrorist plot, the BP oil spill catastrophe,
15 the *New York Times* bombing attempt and the massive
16 Toyota recall, have all emphasized the absolute
17 importance of a robust safety culture. It is also
18 pointed out where that culture is lacking.

19 That void magnifies the impact of the
20 highly improbable. It goes back to what Mr. Ray was
21 talking about earlier. Even prior to these events, I
22 think the NRC recognized this and the importance of
23 safety culture, and they began developing with
24 industry, the reactor industry and OAS partners, co-
25 regulator partners, on a new policy statement.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 While being responsible for regulating
2 over 85 percent of the nation's radioactive material
3 licensees, the Agreement States recognized the vital
4 role that a positive safety culture plays in the every
5 day use of radioactive material.

6 It is a culture that integrates, safety,
7 security and control in its efforts to protect the
8 public health and safety in the environment from all
9 hazards associated with radiation. It is important to
10 understand that implementation of such a culture is
11 imperative for success, but does not always guarantee
12 it, as it was pointed out by Mr. Ray earlier.

13 Past Commissioner McGaffigan's statement
14 of security is still relevant in today's safety
15 culture, when he stated that the mission was to
16 provide reasonable assurance of adequate protection,
17 not absolute assurance of perfect protection.

18 I think that's what we struggle with with
19 safety culture. Safety culture is always best
20 described as a work, always as work in progress. It's
21 a never-ending effort. These efforts have to be a
22 priority of leadership and prevalent throughout an
23 organization.

24 Last week, I was at the ICRP 103 panel
25 discussion, and Mike Boyd of the EPA coined the phrase

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 "safety culture is where it's at." I would like to
2 say that the Agreement States have modified that
3 phrase, to say that in their belief, that safety
4 culture is where it's always been.

5 Safety culture has always been the
6 preeminent thought and foundation in Agreement States'
7 programs and regulated community. Agreement state
8 licensing programs have evolved into the current
9 safety culture of vetting all policies and procedures,
10 facilities, material, devices and even most recently
11 vetting individuals.

12 The inspection process confirms and
13 verifies compliance of commitments, orders and
14 requirements. NMED, which is the Nuclear Materials
15 Events Database, NSTS, National Source Tracking
16 System, and the Sealed Source and Device Registration
17 in the increased security controls are all valuable
18 components of this current, existing safety culture.

19 With this strong foundation of safety
20 culture, the Agreement States absolutely look forward
21 to enhancing their programs, but we did not believe
22 that there is a need for a huge shift in the safety
23 pendulum. Agreement states' safety culture platform
24 has always included health, safety, environment and
25 security.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The proposed policy statement is clear in
2 its intent to include those same components. "The
3 Agreement States recognize that safety culture is not
4 a static component in an organization, nor for
5 personal individuals, and is in constant need of
6 evaluation and improvement.

7 With this belief and experience, the
8 states support the revised draft safety culture policy
9 statement, and believe that the policy statement is
10 the appropriate regulatory vehicle to convey safer
11 operations. As a policy statement, safety culture can
12 be implemented across all radioactive material uses in
13 an effective and efficient manner, while allowing
14 flexibility and encouraging buy-in from stakeholders.

15 All Agreement States are encouraged to
16 support the development of the safety culture policy
17 statement, in lieu of a formal regulation. One does
18 not have to look very far for states with looming
19 budget deficits. The creation of this policy as a
20 regulation would further strain already suffering
21 state resources, and would have no added value.

22 The Agreement States took a lead role as
23 co-regulators with the NRC, in informing its licensees
24 of the proposed safety culture policy. The states
25 shared and continue to share information with their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 licensees about the policy via numerous means such as
2 web, emails, information notices directly to
3 licensees, letters, phone, inspections and
4 conferences.

5 Main point is licensee leadership has been
6 given notice about the safety culture policy statement
7 during entrance and exit meetings of all radioactive
8 material inspections. I have personally presented the
9 proposed policy during this year's spring and fall
10 Health Physics Society meetings earlier this year to
11 our Radiation Protection Commission, and it was a
12 major topic at the OAS annual meeting in Portland.

13 All Agreement States stress health and
14 safety as a routine matter throughout their daily
15 interaction with the license community, while ensuring
16 that regulations related to health and safety are
17 implemented and enforced.

18 The Agreement States support on safety
19 culture definition, and believes the revised workshop
20 definition is appropriate, understanding that
21 Agreement States do not have the luxury of nuclear-
22 only focus and regulate other sources of regulation,
23 the states would prefer defining radiation safety
24 culture rather than nuclear safety culture.

25 This would be relevant to all sources in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the uses of radiation, rather than just nuclear or
2 materials. An example is we regulate all X-rays, CT
3 fluoroscopy, radon issues, all of that. The agreement
4 state position on the proposed safety culture policy
5 statement is very clear. The states believe that
6 their programs already possess a strong foundation in
7 safety culture, but are always open to improving
8 health safety and security with regards to hazards
9 associated with all forms of radiation exposure.

10 This policy statement would be one vehicle
11 to identify such improvements for consideration.
12 Agreement states are in favor defining safety culture
13 improvements in the form of a policy statement. They
14 are unanimously opposed to any rulemaking effort with
15 regards to safety culture, due to the fact that the
16 entire foundation of the agreement state programs rest
17 upon a firm safety culture environment.

18 The NRC should be mindful of
19 prioritization of this effort relative to other
20 regulatory issues and work closely with the Agreement
21 States in its implementation. The Agreement States
22 encourages the U.S. NRC to continue to enhance its
23 strong collegial relationships with the agreement
24 state co-regulators, in the further development and
25 the implementation of the always-changing safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 culture.

2 We believe that going forward, the
3 Integrated Materials Performance Evaluation program,
4 which is IMPEP, should continue to measure safety
5 culture performance as it has since its inception.
6 IMPEP should continue to be evaluated and modified to
7 ensure it is adequately measuring performance with
8 regards to the ever-changing safety culture and the
9 traits that you've identified today.

10 That's all I have, and thank you for the
11 opportunity to share our viewpoint with you, and would
12 be happy to address any questions that you may have.
13 Thank you.

14 CHAIRMAN BLEY: Thanks. I have two short
15 ones, and then we'll see what other people have. So
16 you were a participant in these workshops?

17 MR. COX: I was not.

18 CHAIRMAN BLEY: Some representative?

19 MR. COX: Yes. Shawn Seeley, who now
20 works for the U.S. NRC, who has a very deep Maine
21 accent, so you had to put up with my deep southern
22 accent today. But he was a participant.

23 CHAIRMAN BLEY: Okay. So the consensus we
24 heard about, you have consensus, it sounds like, on
25 everything except the name. You would much prefer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 radiation to nuclear?

2 MR. COX: There is a consensus, because
3 we realize this is a policy coming out of the NRC, and
4 they do not regulate other types of radiation.

5 So when the states implement this, they
6 will not just implement radiation safety culture
7 policy in the radioactive materials world. They will
8 also implement it across their entire program, which
9 encompasses X-ray and other things. So there is a
10 consensus. We understand why it's that way.

11 CHAIRMAN BLEY: Thank you.

12 MR. COX: But I will be remiss if I
13 didn't mention that for us, it would have been better.

14 CHAIRMAN BLEY: Fair enough. I understand
15 that. But before --

16 MEMBER RYAN: For your benefit Lee, it
17 might be useful to point out that from a worker
18 exposure point of view and a member of the public
19 exposure point of view, the medical area is where the
20 action is. So if they were to drop one out, then
21 having safety culture in the medical environment would
22 probably be more beneficial than just having it in the
23 --

24 MR. COX: I sure wouldn't argue with
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BLEY: The other one is you did
2 not mention the traits.

3 MR. COX: Yes sir.

4 CHAIRMAN BLEY: Everything's fine with
5 those as far as you can remember?

6 MR. COX: Yes. I think so. I've got
7 them listed here, not for you to see but for my
8 reference, and I went down the MPEP process of how
9 they audit the states, and every trait, and I've got
10 examples of how those traits are audited against the
11 state programs.

12 All of them except for the respectful work
13 environment, and I think that that's an easy inclusion
14 into that process. But we have no --

15 CHAIRMAN BLEY: You map to that already.

16 MR. COX: Yes, yes.

17 CHAIRMAN BLEY: Somebody over here was
18 trying to say something.

19 MR. FIRTH: Oh, James Firth, NRC staff.

20 I was going to add, in terms of the way the workshop
21 was structured, in terms of coming up with the
22 definition in the traits, the Agreement States took
23 more of a facilitative role and weren't part of the
24 panel that said, that made all the compromises on this
25 is what the definition should be, and these should be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the changes.

2 So when each of the stakeholders that were
3 represented on the panel said, made the evaluation
4 "can I live with it," since the agreement state
5 representative was not specifically on the panel in
6 that capacity, they did not weigh in at the time.

7 So they didn't want to take the position
8 of trying to influence what was coming out of it.
9 They wanted to let the stakeholders work on developing
10 what that definition was. So they didn't specifically
11 weigh in, so that part of the tension was not part of
12 the discussion that the panel had.

13 CHAIRMAN BLEY: Well, it sounds like it's
14 not a point of contention.

15 MR. COX: Yes. I want to say there's no
16 tension.

17 CHAIRMAN BLEY: Any other questions for
18 Mr. Cox? Yes.

19 MEMBER RYAN: Two. The Conference of
20 Radiation Control Program Directors is another
21 organization that overlaps almost completely with OAS,
22 except for the non-Agreement States, which represents
23 a small fraction of state licensees through the NRC.

24 MR. COX: Just one clarification. The
25 Agreement States are more focused on the material

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 side, because of the NRC and the CRCPD is probably a
2 little bit more focused on the X-ray side of the
3 house.

4 MEMBER RYAN: Fair enough, but very often,
5 it's the same person that licenses both organizations.

6 MR. COX: You're right, exactly right,
7 yeah.

8 MEMBER RYAN: So that's one organization
9 that might have some additional insights, particularly
10 into those areas where they may -- go ahead.

11 MR. FIRTH: James Firth, NRC staff. WE
12 did, as part of our meetings with different
13 organizations, we did meet with CRCPD, and we've also
14 been keeping them engaged on periodic telephone calls.
15 Some of the lessons specific also matches what we
16 heard from the Agreement States, in terms of the
17 machine-based radiation, that there are lessons
18 learned that also applied for the medical uses of
19 radionuclides.

20 So you can learn from both. What we've
21 heard from the states is that there's some value in
22 getting the lessons learned, but also to have what
23 comes out of it be easily transportable to those other
24 uses.

25 MEMBER RYAN: Have you also been in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 contact with the agency's Advisory Committee on
2 Medical Use of Isotopes?

3 MR. FIRTH: Yes, we have. We've briefed
4 them a couple of times already, and they're going to
5 be meeting again on the draft final policy statement
6 by teleconference in December, similar to ACRS.

7 MEMBER RYAN: That's great. Thank you.

8 CHAIRMAN BLEY: I'd like to thank
9 everybody for a very good presentation so far, and
10 We're ten minutes ahead. That's great. We will
11 recess for 15 minutes. Please be back at quarter
12 until 4:00.

13 (Whereupon, a short recess was taken.)

14 CHAIRMAN BLEY: We're back in session.
15 Wow, I like that little snap. Who's going to begin?

16 DR. BARNES: I'm going to begin.

17 CHAIRMAN BLEY: You're going to begin.
18 Okay, thank you.

19 DR. BARNES: Okay. I'm Val Barnes with
20 the Office of Nuclear Regulatory Research, supporting
21 OE in the development of a safety culture policy
22 statement, and I'm just going to set the stage a
23 little bit for the presentation and then turn it over
24 to Ken, and if we have time we'll get back to the
25 presentation that I have planned, Ken Koves with INPO.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BLEY: Oh, we'll have time.

2 DR. BARNES: We will? All right.

3 CHAIRMAN BLEY: We want to hear that.

4 DR. BARNES: Okay. I wanted to talk about
5 the approach that NEI and INPO took the construct
6 validation survey, and give a little bit of
7 introduction on, to give you an analogy that will
8 hopefully help understand the approach that was taken
9 and the methods that were used.

10 The idea of a construct validation study
11 is based on -- is a construct validation study is a
12 response to questions about a theoretical concept or a
13 construct, which safety culture certainly is, and it's
14 an effort to try to better define and understand the
15 theoretical concept that you're working with.

16 And the analogy that I wanted to use here
17 was the concept of intelligence, which everyone is
18 fairly familiar with, and there's been research going
19 on in that area, back to the 1940's or 50's, on how do
20 we define intelligence and what does it, what does it
21 tell us? How useful is it, you know? Does it predict
22 something in the future like academic performance or
23 success in the work world, etcetera, etcetera?

24 And in early days of intelligence
25 research, people who thought about that, mostly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 psychologists, Benet in particular, would pull
2 together groups of people that were interested in the
3 concept of intelligence and had some possible thoughts
4 about it that were a useful place to start thinking
5 about what intelligence is.

6 We're somewhat in that stage in our
7 thinking about safety culture as well, where we pull
8 experts together who have extreme knowledge and
9 experience about what leads an organization or an
10 individual to behave in what we consider a safe
11 manner.

12 But as we've experienced over the years at
13 the NRC, as has been experienced internationally, if
14 you pull two different groups of people together,
15 you're going to get some consistencies in what their
16 opinions are about the correct definition of your
17 concept, but you're going to get a lot of variability.

18 I mean I could imagine back in the 1950's
19 different groups of experts getting together and
20 saying no, it's verbal ability, and other people
21 saying no, it's quantitative ability that defines
22 intelligence, and then more recently we're seeing
23 research on emotional intelligence, you know. That's
24 what's important about intelligence and predicting are
25 going to succeed in school or in the workplace and so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on and so forth.

2 So the question to bring stability to the
3 definition of a concept is working on ways of
4 measuring it, and you know, and in intelligence
5 measurement, the researchers give people problems to
6 work on, whether it's reading comprehension or
7 mathematics problems or you know, a short essay to
8 determine whether or not they're able to comprehend
9 the written information, analyze it and come to
10 conclusions on the basis of it, to assess analytical
11 ability.

12 Through the kinds of research that NEI has
13 done and the NRC independently supported, but applied
14 to these intelligence measurement items, questions and
15 problems that are used to assess people's ability or
16 their intelligence is the intent, they put together
17 tests that they then measure, they then test again.

18 They continue working on these tests of
19 intelligence, to see whether or not they're reliable.

20 That is, if the same person is given similar problems
21 over the course of a lifetime, are their responses
22 going to be pretty consistent, you know, barring brain
23 injury or some other explicable reason for
24 differences.

25 You know, are measures of intelligence

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reliable? That's one question. Another question that
2 you want in any measure, in any attempt to measure a
3 psychological or sociological or anthropological
4 construct is, is it valid? Are we measuring what it
5 is that we think, that we want to be measuring here?

6 And in the social sciences, that question
7 is answered by taking the measure of intelligence or
8 safety culture in our case, and determining whether or
9 not, I mean there's a number of ways to do this, but
10 determining whether or not this measure of safety
11 culture is correlated and relates to other measures of
12 safety culture, that perhaps were collected
13 independently or using a different method, and then we
14 also want to look to see whether our measure of
15 intelligence or safety culture has predictive
16 validity.

17 For example, in the case of intelligence,
18 we're concerned, as I mentioned, about whether we can
19 predict academic performance or job performance. So
20 in the case of safety culture, our fundamental
21 hypothesis is does assessing safety culture or looking
22 at safety culture give us information that we don't
23 otherwise have? Is it useful information, and if we
24 correlate it in our case with safety performance, is
25 safety culture actually related to safety outcomes in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the ways that we expect that it would?

2 And so overall, those are the kinds of
3 questions that were asked in the NEI INPO construct
4 validation study, and while we're going to touch a
5 little bit and Ken, Dr. Koves will be touching a
6 little bit on the methods that we used in this first
7 attempt to apply the methods of social science to
8 understanding safety culture in the nuclear power
9 industry, we're hoping that we could not spend the
10 majority of the presentation talking about the methods
11 and how they work, and rather talking about what the
12 results were and how they relate to the policy
13 statement.

14 Of course, I'm happy to come back and talk
15 about methods. Dr. Koves has also volunteered to come
16 back and talk about methods. But that's hopefully not
17 something we'll need to spend a lot of time on today.
18 And then before Ken starts into his presentation on
19 what NEI and INPO did, and how it relates to the
20 policy statement, I just wanted to talk a little bit
21 about the relationships that were established to be
22 able to do this work.

23 We're grateful that NEI came forward and
24 offered to sponsor it and get it initiated, that INPO
25 agreed to participate. INPO developed the survey,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 which is what we use.

2 That's the standard for safety culture
3 research to date anyway. INPO first developed the
4 survey; NRC -- and then oversaw the administration of
5 it and they did the majority of the data analysis that
6 we're going to report today.

7 NRC and Office of Research and some of our
8 other safety culture experts reviewed and commented on
9 the survey, recommended adding items from the research
10 literature and from international sources, and other
11 parts of the nuclear industry, hospitals, etcetera,
12 and we also provided comments and recommendations to
13 INPO on the design of the study that they did.

14 Then we research contracted with Idaho
15 National Lab to come in and use the data that INPO
16 made available to INL, on-site down at INPO. INL
17 verified INPO's analyses.

18 We did some additional analyses using data
19 from the NRC, and the reason that we had INL doing
20 this was because there were sensitivities on both
21 sides, both on NRC and INPO's side, about wanting to
22 ensure that any information related to specific sites
23 was masked, so that INPO wasn't aware of, you know,
24 which site the data the NRC was using came from, and
25 vice-versa. So Ken.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN BLEY: Now before you go on?

2 DR. BARNES: yes.

3 CHAIRMAN BLEY: If by the end of the day
4 the committee, Subcommittee should feel we really need
5 to see some information on the methods, we don't have
6 a lot of time before staff wants something from the
7 full committee.

8 If you can point, is there an Idaho report
9 on what they've done, or are there some reports on
10 methodology you could provide to the committee, just
11 in case we need that? That would be helpful.

12 DR. BARNES: Sure.

13 CHAIRMAN BLEY: Maybe if you just give
14 them to Derek, that would be good.

15 DR. BARNES: Okay, certainly. There is
16 information. We don't have a report yet. We have
17 been, as you might imagine, scrambling to get the
18 survey and the data analyses done in time to be able
19 to provide a contribution, and you know, conducting
20 the survey across an entire industry is a challenging
21 and time-consuming activity.

22 So I don't have a report to forward to you
23 yet on the methodologies, but certainly can provide
24 you with background information and Ken also's going
25 to touch it briefly, to try to get some sense, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BLEY: Well, let's see if we need
2 anything. But we'll try not to push you too hard on
3 the methodology, but I'm sure we'll get some
4 questions.

5 It's better way that way and we'll try to
6 back off. I don't know that we could have the session
7 you two volunteered for any time before December.
8 That seems impossible to me right now, given the rest
9 of the committee's --.

10 DR. KOVES: I'm more than happy to, you
11 know, talk about methods. It's just a function of how
12 much time you want to spend on it, that's all really.

13 CHAIRMAN BLEY: We want to see the results
14 first.

15 DR. KOVES: My name is Ken Koves. First
16 of all, I want to thank the committee for the
17 opportunity to come talk about some of the research
18 that we did recently. My name's Ken Koves, and I've
19 been with INPO for six and a half years now.

20 Prior INPO, I was with Sprint for seven
21 and a half years, so I'm at a nuke, and also prior to
22 that I was in grad school at Georgia Tech, got the
23 Masters and Ph.D. in Industrial Organizational
24 Psychology.

25 Next slide. So what's our purpose here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 today, and/or my purpose? It is to present some
2 research results of two studies, and these research
3 results are primarily geared toward the question at
4 hand, and that is what does research say and indicate
5 in terms of what is the structure of the language
6 around safety culture?

7 Also, so there will be presenting the
8 results from the safety culture survey that was
9 administered across the power reactor survey, and then
10 there will also be a couple of slides, this is more
11 recent research, of a slightly modified version of
12 that survey that was administered within AREVA Fuels,
13 and the analysis that we did from that survey.

14 CHAIRMAN BLEY: So this went in in a more
15 general way. This isn't really hinged to the
16 definitions and characteristics we were talking about
17 the last two hours?

18 DR. BARNES: No, absolutely. It was one
19 of the additional purposes of the study, was to see
20 in, across the power reactor industry, the extent to
21 which an analysis of survey responses from people who
22 were responding to questions about their own
23 organization, yielded results that supported or were
24 consisted with the traits that came out of the
25 workshop.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN BLEY: Okay.

2 DR. BARNES: Okay, and then the AREVA
3 study Ken's going to talk about is, provides some
4 information about the applicability or
5 generalizability, the consistency of the traits that
6 emerged from industry-wide for power reactors, versus
7 a different kind of industrial setting, different
8 organization. What's the generalizability of the
9 results? It partial addressed, partially addresses
10 that.

11 DR. KOVES: Why include the study in the
12 discussion? First of all, because as Valerie
13 mentioned, most formulations of safety culture were
14 created by a small, relatively small group of experts.
15 You have a group of 10 to 20 individuals who are
16 considered experts in an area.

17 They come, they put their best ideas
18 together, and then that is, becomes the basis of what
19 is published. Whereas this is an attempt to
20 incorporate data from a much larger sample, many more
21 people, into the discussion.

22 I will just say that part of my own
23 personal motive around this was getting back to your
24 earlier concern about the traits getting put into the
25 policy statement, and then those being, I think you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 said "stuck with them."

2 What I was hoping to see was to see that
3 maybe some we felt fairly quick research could inform
4 this process, so that maybe research results in the
5 next few years would be -- what we did now would be
6 more in alignment with what the research might come
7 out with in a few years.

8 Okay. What are a couple of limitations of
9 the first study? First of all, obviously, as Val
10 mentioned, it's all power reactors. And secondly,
11 that this study is correlational. So therefore, it is
12 not predictive. It's real easy to slip in to talk
13 about well, this causes that and that type of thing.

14 But that is, you know, that is not the
15 point here. The point here is that this survey
16 relates to other measures of what we would consider
17 related to safety culture.

18 Next. Also there are a couple of
19 strengths. I think there are a couple regarding the
20 limitations. I think there are a couple of strengths
21 of it, and that is first of all, that it is industry-
22 wide, and also that overall the results were very
23 positive.

24 Regarding the questions of the study and
25 Val touched on these, they're worded a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 differently, but earlier she touched on them, and the
2 first one is how well do the factors from the safety
3 culture survey align with the safety culture traits
4 that were identified during the February 2010
5 workshop.

6 MEMBER ABDEL-KHALIK: How do you define a
7 factor in this statement?

8 DR. KOVES: Okay. It's based on principle
9 components analysis, and we can talk about that. That
10 comes up a little bit more later actually when we do
11 talk about the methodology. So but I wasn't planning
12 on spending a lot of time talking about it.

13 MEMBER ABDEL-KHALIK: If it comes out
14 naturally, that's fine.

15 DR. KOVES: Okay, let's see. And then the
16 second question of the study is okay, once we see what
17 the structure is within the results of the survey,
18 then do these results relate to other measures of
19 safety performance? Basically in the first one, the
20 first question is around construct validation, and the
21 other one is about criterion validation.

22 Next slide. So what this slide is about
23 is to go through exactly how the survey was developed,
24 and first of all, what we started with was the survey
25 that the Utility Service Alliance was using for their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 safety culture assessments and evaluations. That was
2 based entirely upon INPO's principles for a strong
3 nuclear safety culture. They had 73 items that are
4 associated with that survey.

5 Basically, I took that survey. I then
6 edited, did some type of editing on most of the items,
7 and then also reviewed those questions compared to the
8 workshop traits, and said okay, do I think that, you
9 know, do we have at least five or six questions in
10 this current survey that in my opinion related to all
11 of the traits.

12 Based on that, there were a couple of
13 traits that I felt weren't adequately addressed, one
14 of which being communication. So I ended up adding a
15 few more questions to the survey at that point. Then
16 I pass that off to the NRC, who reviewed it.

17 They went through a very similar process
18 comparing it to the traits, but also to the IAEA
19 characteristics and attributes, also comparing to the
20 ROP, the components and also a lot of the literature
21 search that they had done in the past.

22 The final version was 110 items, which is
23 about 50 percent more items than we started with, and
24 that is very long for a survey. However, this is also
25 a research survey and our goal is very intentional, in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 terms of trying to throw a very wide net, okay.

2 If we were going to be accused of
3 something, we didn't want to be accused of leaving
4 something out inadvertently. So that is why it was so
5 long at this point. Also regarding the scale, it's a
6 seven point Likert scale, ranging from strongly
7 disagree to strongly agree, with a "don't know" point
8 also.

9 And the idea here is that a, and you'll
10 see some examples of the items in just a moment, but
11 the respondent was to rate how they felt their
12 organization or their plant fell on this particular
13 item on this scale, from strongly agree to strongly
14 disagree.

15 Next please. Okay. Here's some example
16 items, just to give you an idea of what they look
17 like. People are treated with dignity and respect by
18 station leadership.

19 We have a strong quality assurance process
20 and organization. Our performance indicators help us
21 to stay focused on the right things. The procedures
22 at the site are generally up to date and easily used.
23 Staffing levels are adequate to meet work demands.

24 Next. At this station, people are
25 routinely rewarded for identifying and reporting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 nuclear safety issues. Dialogue and debate are
2 encouraged when evaluating nuclear safety issues. I
3 would not hesitate to take a concern to our Employee
4 Concerns Programs. Decision-making at the site
5 reflects a conservative approach to nuclear safety,
6 and supervisors are responsive to employee concerns.

7 So as you see, for each of these there
8 would be a scale, a rating scale, how, to what level
9 do they agree that this was the condition at their
10 site.

11 Regarding the administration. First of
12 all, it was administered online. It was administered
13 by a vendor that was financed by NEI. It basically
14 what happened was each of the stations sent a list of
15 their full-time employees and I'll call long-term
16 contractors to the vendor. The vendor randomly
17 selected about 100 individuals out of that site, and
18 then sent an invitation to those individuals.

19 We had 63 sites who participated, which is
20 97 percent of the industry. An average of 46
21 individuals participated from each site, and almost
22 3,000 individuals provided valid responses to the
23 majority of items. So when I talked about, you know,
24 we wanted a larger group of individuals, here we have
25 almost 3,000 individuals who are commenting in a way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on the structure that they see around safety culture.

2 CHAIRMAN BLEY: Ken, I don't want to hold
3 a dissertation on methodology, but tell me about your
4 background or somebody else that's involved in that,
5 that ensured that the questions in the survey were
6 free or as free as possible of bias and things you did
7 to ensure consistency in how people responded, maybe
8 counter kinds of questions to see if you're getting
9 the correct answer.

10 DR. KOVES: Okay. If you're talking about
11 negatively worded items, I mean I've done a lot of
12 survey research over the years, you know, some
13 recently at INPO and then particularly at Sprint.

14 If you're talking about negatively-worded
15 items, my experience with those is that -- or my
16 experience with surveys is that the majority of people
17 do not straight-line responses. Most of them they're
18 very thoughtful. You can see the variance in their
19 responses, and when you do have negatively-worded
20 items, you're throwing in something -- you're throwing
21 in another variable, all right?

22 So now, if you have a negatively-worded
23 item, okay, you have to ask the question well, and
24 that item falls out separately than where you might
25 have thought it would have, or you know, it's doing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 something strange, you're not sure if it's because
2 that item's bad, or you're not sure if it's because
3 that one was negatively worded, and that's why you're
4 getting these extraneous results.

5 So my experience with analyzing surveys
6 has been that negatively-worded items don't really add
7 a lot of value to your analysis, and that you're
8 bringing up a possible confound to the results.

9 CHAIRMAN BLEY: Okay.

10 DR. KOVES: Does that --

11 CHAIRMAN BLEY: No, not completely. I
12 would guess that nearly every one of those nearly
13 3,000 people had already seen INPO principles for a
14 strong nuclear safety culture. Is that correct?

15 DR. KOVES: Probably. I would think so.

16 CHAIRMAN BLEY: And therefore, even though
17 you expanded it to 110 items, all of those 110 items
18 are probably very familiar, inasmuch as they're just
19 slight variations or extrapolations of the original 70
20 items. Is that correct?

21 DR. KOVES: You know, I would say that
22 everyone has seen the principles and you know, if you
23 polled people and asked them at your typical plant,
24 they would probably be able to tell you what a few of
25 the principles were.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 But these items are all based at the
2 attribute level, which is Tier 3, and there are like
3 57. As I recall, there are like 50 or 60, 67
4 particular attributes. So if, you know, saying that
5 people would be biased because they have some type of
6 memory of that, I would be surprised.

7 CHAIRMAN BLEY: Well, I mean the plant is
8 kind of familiar with -- people are running around
9 with these books.

10 DR. KOVES: That's true, but they're not
11 memorizing them, and they're not memorizing all of
12 the, you know, the 60-some attributes that are inside
13 of there.

14 Plus also, and what you'll see from the
15 results, but also when you look -- if you were to
16 delve into the details around the IAEA
17 characteristics, because IAEA goes from -- you know,
18 we've been talking about Tier 1 and Tier 2, well, and
19 Tier 3 is next.

20 Well, IAEA not only does Tier 3, but also
21 Tier 4. And if you look into the details of the IAEA
22 characteristics, and you compare them to other
23 frameworks like the principles and like the
24 components, you're going to see a very large amount of
25 overlap in the concepts that are covered.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 There's a lot of agreement around, you
2 know, what this big thing is we're talking about,
3 that's when you get into the details that you're
4 getting some differences.

5 DR. BARNES: I think it's also important
6 to note that, as Ken described earlier, that the staff
7 also had significant input into the construction of
8 the survey items, and where we came up with -- and the
9 licensee personnel are not familiar with the ROP
10 components and aspects, which were derived from
11 research literature, as well as IAEA, and were
12 fundamentally nuclear-based.

13 But there's a number of concepts in the
14 ROP components and aspects, which is Level 2 and 3,
15 that aren't covered in the INPO principles, in
16 addition to which the large research literature that
17 Roy mentioned we had Idaho do, included data and
18 survey items that were publicly available, that had
19 been used in a variety of other domains, you know,
20 manufacturing, construction, hospitals, small
21 business, off shore oil and gas, chemical plants, you
22 know, a large range of industries, good items, and we
23 actually, for those that were publicly available to
24 use, purloined some of those and included them in the
25 survey as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So while there were good coverage of the
2 INPO principles and attributes, there was also good
3 coverage of the ROP, IAEA and then items from other
4 industries, and later on, when we get to my
5 presentation, I'll give you some information about how
6 our workshop traits line up with factors that have
7 emerged in similar studies from other industries.

8 So it wasn't based on -- I mean it
9 included the principles and attributes, but wasn't
10 based on them.

11 DR. KOVES: And you know, a question about
12 bias is a very good question. But we tried very hard
13 to have a starting point, but then to go beyond that
14 starting point.

15 CHAIRMAN BLEY: I had a question. How
16 come you had -- are you satisfied with 46 percent
17 participation?

18 DR. KOVES: It would have been nice to be
19 more. However, I think when you look at the results
20 and you compare the results to some of the other
21 research that we have, it was adequate.

22 CHAIRMAN BLEY: Adequate. But I mean
23 doesn't it tell you something, when this is a program
24 that's already been, you know, rolled out, I guess, at
25 plants and they all have their INPO --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 DR. KOVES: Well no. This was not --

2 CHAIRMAN BLEY: They don't want to
3 participate.

4 DR. KOVES: See, but this was -- this came
5 from a very different -- the communication, okay, that
6 was from the plants, it was very different, and it was
7 just coming out -- say from the typical person at the
8 plant, they would probably just see it as -- I mean
9 this was presented as safety culture research, okay,
10 that was being sponsored by NEI, and not part of the
11 INPO evaluations or anything like that.

12 CHAIRMAN BLEY: Interesting. I mean I
13 just would worry about self-selection bias there.

14 DR. KOVES: And that is always, you know,
15 when you don't have 100 percent, that is always a
16 concern, and if you look at the central limit theorem,
17 you know, what you're looking for is you're trying to
18 get over, you know, 30. So that was our goal, is to
19 get beyond 30 respondents.

20 But I think you know, per site. And we
21 were able to do that. But really, I think, and that's
22 a valid concern. But I think the proof ends up being
23 in the pudding, which are the correlations that we
24 talk about at the very end. They're very similar to
25 other research that we've done.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BLEY: Fair enough.

2 DR. BARNES: If your purpose is to draw
3 conclusions about the safety culture of an individual
4 organization, your response rate inside the
5 organization is something you definitely want to be
6 sure about.

7 For research purposes, this was adequate
8 to get a sense across the industry, and as Ken will
9 mention later, when they replicated the study within
10 one organization, you know, that study got a much
11 higher response rate, but probably also got a lot more
12 management attention and encouragement than this
13 effort did.

14 DR. KOVES: That's exactly right. A lot
15 of the stations saw this as kind of an additional
16 thing. So there was great variability in the
17 communication to/from within the station.

18 What did do for the analysis? We used
19 principle components analysis, and I wasn't planning
20 on talking much about this, other than just saying
21 that principle components looks at the variants of the
22 items, groups those items together, and shows you
23 which ones are related to each other, based upon the
24 responses of the individuals.

25 The next slide I just put in here, in case

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we did want to come back and talk about it, but with
2 the time limitations, I wasn't planning on talking
3 about it unless you want to come back. Go ahead.
4 Flip through it.

5 CHAIRMAN BLEY: One at a time.

6 (Laughter.)

7 DR. BARNES: Back up. Okay.

8 DR. KOVES: Oops. Back, forward.

9 DR. BARNES: Forward? Did I miss one?

10 DR. KOVES: There you go.

11 DR. BARNES: Oh, okay.

12 DR. KOVES: What I had --

13 DR. BARNES: You want to talk about your
14 picture, all right.

15 DR. KOVES: No. If we need to later, I'd
16 be glad to. These are the results of the factor
17 analysis, and what I would like to say about them is
18 that first of all, there are nine factors that we felt
19 came out of this, that were the most interpretable,
20 and what you're going to see is the order that they're
21 listed in, is the order of the variants accounted for.

22 And usually, these, the first factor out
23 in descending order are the ones that really account
24 for the most amount of variance in the survey, or the
25 most influential, have the most items. And so that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the first thing I want to say about it.

2 What was very interesting about this was
3 that normally in my experience, when you have
4 individuals, a few individuals who kind of go through
5 a similar type of grouping activity that the panel
6 did, and then you follow that with a factor analysis,
7 normally the number of groupings goes down.

8 So they are normally less factors than
9 there are that the individual comes up with and that
10 the human creates. Whereas this time, it was actually
11 a very similar number, and actually came out with one
12 more. So that is a bit unusual in terms of these
13 results, based upon a lot of other factor analyses
14 that I've done.

15 The first factor that came out was
16 management responsibility, and what we also did then
17 was we took a number for the factors that were larger.

18 We then took those items, ran them through another
19 factor analysis to come up with subfactors. I put
20 those subfactors on here just to help you understand
21 what are the items and what are the elements that are
22 comprising the factor.

23 So for management responsibility, we had
24 subfactors a respectful work environment, continuous
25 improvement, one subfactor about performance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 indicators, one about resources, and one about
2 rewards.

3 MEMBER RAY: The third and the fifth
4 would fall under a category of incentives, to me.

5 DR. KOVES: Yes. Yes. The third one is
6 really about you get what you measure, and the last
7 one is about you get what you reward.

8 MEMBER RAY: Well, but incentives can be
9 tied to performance indicators?

10 DR. KOVES: Exactly.

11 MEMBER RAY: So the two are related.
12 Generally, you don't give out rewards without somebody
13 having met some performance indicator that was set for
14 them?

15 DR. KOVES: Right.

16 MEMBER RAY: Having to do with their
17 work.

18 DR. KOVES: What's interesting here is
19 that came out as a management responsibility to manage
20 that, clearly.

21 MEMBER RAY: I think Roy's point that it
22 can also surface in that third one, which you'll get
23 to, is correct as well, because you can set up
24 basically organizational performance goals and
25 mandates, whatever you want to call them, in that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 domain, that has the same effect. You didn't meet
2 your schedule.

3 DR. KOVES: Right.

4 MEMBER RAY: All right. The schedule's
5 in three. You didn't meet as here in one.

6 DR. KOVES: Uh-huh, right.

7 DR. BARNES: The items that comprise the
8 performance indicators subfactor though here were --
9 are performance indicators, provide us useful
10 information, you know, "Our management pays attention
11 to our performance indicators." So these were at the
12 organizational level. They fell on this subfactor.

13 MEMBER RAY: Are you saying that the
14 Performance indicator would not include where I
15 achieved my goals for whatever my responsibilities
16 were?

17 DR. BARNES: No.

18 MEMBER RAY: Okay.

19 DR. BARNES: No, I wouldn't say that.

20 MEMBER RAY: All right.

21 DR. KOVES: The second factor that came
22 out was willingness to raise concerns, and there were
23 two subfactors, and that was about informally raising
24 concerns --

25 CHAIRMAN BLEY: But when you started this,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you said the ordering is by the highest on this list
2 at the least variance.

3 DR. KOVES: No, accounted for the most
4 variance.

5 CHAIRMAN BLEY: Accounted for the most
6 variance.

7 DR. BARNES: It was the biggest factor.

8 DR. KOVES: Right, and it's the biggest
9 factor.

10 CHAIRMAN BLEY: Okay. Go ahead. I'm
11 still trying to relate the questions, of which you
12 showed us a few examples, to these things and trying
13 to thin of what that means.

14 MEMBER RAY: Well Dennis, I may be
15 totally wrong, but I'm going to try this. A
16 respectful work environment, you'd expect to have a
17 lot of variance in that, because who the heck -- what
18 amounts to respect. Whereas rewards, they're very
19 easily measured and --

20 MEMBER RYAN: I get the bonus or I didn't.

21 MEMBER RAY: Huh?

22 MEMBER RYAN: I get the bonus payments or
23 I didn't.

24 MEMBER RAY: Yes. It's quantifiable,
25 metric and there's very little variance in what it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 means.

2 CHAIRMAN BLEY: We didn't have this list
3 of factors with people spreading out of them. We had
4 a set of questions that are sort of related to these
5 factors, or are related.

6 DR. BARNES: The question was are they --
7 how do the people's responses to these items, I'm
8 going to say this again, and it's not exactly right,
9 but here it goes. How do they clump together, you
10 know? What items in this survey are related, there
11 together? So you know, what are the ones that are
12 most closely related? That's a factor.

13 DR. KOVES: Go back to the previous slide.

14 DR. BARNES: Back to the picture? Okay,
15 here's the picture.

16 DR. KOVES: There's the picture. This is
17 the previous slide, and factor analysis, it looks at
18 these items in multi-dimensional space, that an effort
19 to try and explain what's going on here, what I've
20 done is I've -- actually this is two-dimensional, but
21 it's representing one dimension.

22 So if you take the mean score of each of
23 the items, okay, and you place them on a number line,
24 they're all going to drop in various and sundry places
25 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BLEY: Did each question
2 correspond to only one factor?

3 DR. BARNES: Each question was a question.

4 DR. KOVES: Right.

5 DR. BARNES: Yeah, and the analysis told
6 us which factor that question was related to, after it
7 had looked at the relationships between every item and
8 every other item in the survey.

9 CHAIRMAN BLEY: Because I start looking at
10 those questions, which are questions --

11 DR. BARNES: Right.

12 CHAIRMAN BLEY: I have a little trouble
13 seeing how you then say the analysis tells me the
14 factors that are related from those questions, because
15 a lot of those questions were --

16 DR. BARNES: Extracted from the questions?

17 CHAIRMAN BLEY: Like there was a question
18 on indicators. There may have been ten questions on
19 indicators. I don't know. You had a lot of
20 questions.

21 DR. KOVES: Yes, a lot of questions. If
22 you look at the example up there, I'm just going to
23 run through this quickly and hopefully that that will
24 help. If you were to match, if you were to take each
25 one of the questions and come up with a mean score

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 across the entire group for each one of those
2 questions --

3 CHAIRMAN BLEY: For each question, okay.

4 DR. KOVES: Okay, for each question, and
5 then to place all of those on a single number line.
6 Now this is not what happens, but I'm giving you this
7 as an example.

8 If you place them on a number line, you
9 might have something, and you know, I just randomly
10 made this thing up, that looked like this here, where
11 you have, you know, a lot of ones that are grouped
12 together and then there are spaces between them.

13 CHAIRMAN BLEY: Each dot is question?

14 DR. KOVES: Pardon?

15 CHAIRMAN BLEY: Each dot here is a
16 question?

17 DR. KOVES: Each dot is representing a
18 question.

19 CHAIRMAN BLEY: Okay.

20 DR. KOVES: And actually they would be on
21 a number line that obviously to squeeze them out, you
22 know, to give you an understanding of where they fall,
23 I've actually put them in two dimensions.

24 CHAIRMAN BLEY: Okay, I understand.

25 DR. KOVES: And so you see how you'd have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 groups of items on this number line, all right. Well,
2 what the principle components analysis or factor
3 analysis does is it looks for the distances between
4 these items, and then based on those distances, it
5 determines the clumps, to use the non-technical term,
6 how they all group together.

7 And so on this example you see F-1 would
8 be like Factor 1. So you have a large group of items
9 there, and then Factor 2, you have a secondary group
10 and Factor 3 might be a third one, and then you've got
11 some extraneous stuff left over --

12 CHAIRMAN BLEY: If this Factor 1 doesn't
13 mean anything, except it's an area of clumping?

14 DR. KOVES: Exactly.

15 CHAIRMAN BLEY: Of scores.

16 DR. KOVES: Exactly.

17 CHAIRMAN BLEY: Go ahead.

18 DR. KOVES: Exactly, and then in terms of
19 the subfactors, you take those particular items and
20 then you look and see if you come up with this type of
21 clumping or grouping again.

22 But what you end up with is you get the
23 mathematics are telling you which items are close
24 together and now, like I say, this is in one
25 dimension. But it actually goes into multi-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 dimensional space.

2 If you were to think of this as two
3 dimensions, but then to make it three, and you pull
4 that big group out and there was a separate group over
5 here, you'd say okay, all right, this might be another
6 factor. So as you go into multi-dimensions, you can
7 get more factors that way, you know, if it's
8 appropriate. Does that help?

9 CHAIRMAN BLEY: From this it's very easy
10 for me to see that you get clumps of things that have
11 essentially the same score, between I agree very much
12 and I disagree a lot.

13 DR. KOVES: Right, and then what it tells
14 you is it tells you, if you notice that large point
15 there, the kind of above each one of the F-1, F-2, F-
16 3? Okay. That's there to represent what might be the
17 central tendency of all these particular items.

18 So what the software does is it gives you
19 these list of items that it associates with this
20 point, and then also tells you how related it would be
21 to that point, if that point existed in reality.

22 CHAIRMAN BLEY: If it existed --

23 DR. KOVES: If it existed in reality.

24 CHAIRMAN BLEY: Okay.

25 DR. KOVES: But it's a theoretical point

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in this -- if you think of it as a cloud of points.

2 CHAIRMAN BLEY: That has questions clumped
3 around it.

4 DR. BARNES: Statistical points.

5 DR. KOVES: Yes.

6 CHAIRMAN BLEY: That have scores that are
7 approximately similar.

8 DR. KOVES: That are from --

9 CHAIRMAN BLEY: Similar.

10 DR. KOVES: Right.

11 CHAIRMAN BLEY: Okay. So now I have
12 theoretical points, but I don't have --

13 DR. KOVES: Okay, and you don't have
14 factors, right, and what is --

15 CHAIRMAN BLEY: Not physical, but --

16 DR. KOVES: You don't have factors.

17 CHAIRMAN BLEY: Yes.

18 DR. KOVES: And so what you then have to
19 do is you then look through these items --

20 CHAIRMAN BLEY: Okay.

21 DR. KOVES: And you apply intelligence to
22 it and say what do these all have in common?

23 DR. BARNES: The software provides
24 something called factor loadings, which tells you how
25 each item that's part of -- that's within this clump,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you know, for the factor, how that item correlates
2 with the factor slots.

3 CHAIRMAN BLEY: That's what I'm waiting to
4 hear.

5 DR. BARNES: Yes.

6 CHAIRMAN BLEY: So somewhere online, you
7 wrote all these questions, and then you related these
8 questions to our traits and subtraits or whatever
9 we're calling these factors, these organizational
10 factors or whatever you call these things.

11 DR. KOVES: It gave us a list of items,
12 and then you have to say what do these items have in
13 common. So therefore the --

14 CHAIRMAN BLEY: Like -- 3 has something to
15 do with honesty performance indicator.

16 DR. BARNES: Yes, as an example.

17 CHAIRMAN BLEY: And so do six other
18 questions that are in this clump?

19 DR. KOVES: Right, and so therefore it's
20 about --

21 CHAIRMAN BLEY: But there could be another
22 clump that has the same thing somewhere else, but
23 that's all right. So I got where you're going to.

24 DR. KOVES: It maximizes the distance
25 between the factors, decreases the correlation to try

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to help you get independent factors.

2 CHAIRMAN BLEY: And that map of questions
3 to these factors, characteristics, I don't like saying
4 factors because I mix them up with these factors,
5 that's something would be very interesting for us to
6 see.

7 DR. BARNES: Okay. Well, I can't say
8 okay. Your items.

9 CHAIRMAN BLEY: If I can't see that, I
10 don't know what this stuff means. I mean I really
11 don't. It's a big leap for me without seeing how you
12 organized --

13 DR. KOVES: How the items are grouped
14 together.

15 CHAIRMAN BLEY: The questions and to their
16 influences on the factors we're trying to organize and
17 understand. You don't need to show that to me now,
18 but I'd sure like to see the map that does that, that
19 your computer then looked at to perform these --

20 DR. KOVES: What the results that came
21 out, and how that came out.

22 CHAIRMAN BLEY: I mean that's got to be
23 the thing that guides.

24 DR. KOVES: I mean that drives -- you
25 know, that drives the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BLEY: The scores clump them, and
2 then that -- let's just see which things are coming
3 together.

4 DR. KOVES: Right.

5 CHAIRMAN BLEY: Go ahead. But that's the
6 thing I really want to be able to look at.

7 DR. KOVES: Okay, and then you look at
8 those items and you say what are these all talking
9 about, and you label them.

10 CHAIRMAN BLEY: And I understand. That's
11 a judgment thing.

12 DR. KOVES: That's a judgment thing.

13 CHAIRMAN BLEY: But it's the previous
14 judgment that's been systematized, that -- yes, it
15 would be important.

16 DR. BARNES: You want to know which items
17 loaded on each factor or subfactor, or do you want to
18 see the factor loading scores too, the correlations of
19 each item with the factor, and NEI were to give
20 permission for this?

21 CHAIRMAN BLEY: That would be interesting.
22 But the thing that's based on, which is each question
23 has some linkage to these factors?

24 DR. BARNES: Correct.

25 CHAIRMAN BLEY: That was input to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 calculation.

2 DR. BARNES: It's correlation.

3 CHAIRMAN BLEY: For the calculation. That
4 correlation is the thing I'm talking about.

5 DR. BARNES: You want to see the
6 correlations, from items to factors.

7 CHAIRMAN BLEY: Yes. Items to questions?

8 DR. BARNES: Items to questions, yes.

9 (Laughter.)

10 DR. KOVES: Yes, sorry.

11 CHAIRMAN BLEY: Okay, go ahead.

12 DR. BARNES: We want to see also the
13 results of the correlation.

14 CHAIRMAN BLEY: Well both. I'm seeing the
15 results, but I don't know how the results became the
16 results without understanding that a little bit, I
17 think, except for "trust me."

18 DR. KOVES: Right, well and what it --
19 like I said, what it does is it shows for each one of
20 the items that it groups together, it shows you
21 basically the factor loading of the correlation with
22 that theoretical point.

23 CHAIRMAN BLEY: And this then unraveling
24 around this point is actually a human interaction
25 judgment process of looking at the items.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. KOVES: Items, yes, and making, and
2 saying what -- and making a judgment as to what
3 they're talking about.

4 MEMBER RYAN: So this is an analytical
5 representation of a qualitative assessment?

6 CHAIRMAN BLEY: This part's analytical.

7 MEMBER RYAN: I know.

8 CHAIRMAN BLEY: On top of that --

9 MEMBER RYAN: Evidently it's a qualitative
10 assessment.

11 CHAIRMAN BLEY: Well, it's both. It's
12 both.

13 DR. BARNES: It's based on 3,000 people's
14 responses to each item in the survey.

15 MEMBER RYAN: Okay.

16 DR. BARNES: Okay. So there are 20,
17 almost 3,000 people's responses to each item in the
18 survey. So a factor score is a correlation, or the
19 factor loadings is the correlation of 3,000 people's
20 responses to that item, with the factor that the
21 software created.

22 So for a specific item, for a factor like
23 management responsibility, you might have -- the item,
24 an item might be -- our managers believe safety, you
25 know, our managers walk the talk, okay, with regard to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 safety, and if that -- if the 3,000 people's response
2 to that item --

3 MEMBER RYAN: Well just to make it easy,
4 if all 3,000 said it's fabulous, what would happen on
5 this graph?

6 DR. KOVES: Said what was fabulous?

7 MEMBER RYAN: That managers, you know,
8 that the thing is the managers walk the walk, and they
9 said yes, they all agreed?

10 DR. KOVES: Everybody gave it a 7.

11 MEMBER RYAN: What happened?

12 DR. KOVES: If everyone gave it a 7, then
13 it would depend upon all the other responses were. So
14 if you had other items that had, you know, all 7's,
15 they would all group together, okay. Then if you had
16 items that had a mean of 6.98, they would probably --

17 MEMBER RYAN: So all these get grouped by
18 the numerical scoring on one of these four points.

19 CHAIRMAN BLEY: Well no, no. On however
20 many points turn out to be.

21 MEMBER RYAN: Or turn out to be, okay.

22 CHAIRMAN BLEY: Right.

23 DR. KOVES: Yes. This is just --

24 MEMBER RYAN: I'm no Dennis. I need to
25 read it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BLEY: It looks for clumps.

2 DR. BARNES: That's what I always say.

3 MEMBER RYAN: It looks, yes.

4 (Simultaneous discussion.)

5 CHAIRMAN BLEY: So you can't -- so you
6 must have some measure of dispersion around a --

7 DR. KOVES: Well yeah. There's the output
8 and that tells you how the correlation between that
9 item and this theoretical factor.

10 CHAIRMAN BLEY: And just for example you
11 could look at F-2, and you might say gee, two of these
12 -- let's say there were only two items there. These
13 two items aren't related in any way. It just turned
14 out that they both had the same score.

15 DR. KOVES: Well, that's up to the person
16 who's -- if you look at Factor 4, Factor 4 is your
17 example.

18 CHAIRMAN BLEY: Okay.

19 DR. KOVES: Right there.

20 DR. BARNES: Right there.

21 CHAIRMAN BLEY: Exactly, okay. Or they
22 turned out that way. It could have been that they
23 were coming, but it turned out they weren't.

24 DR. KOVES: Exactly, and that's where you
25 have to use the interpretation properly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. BARNES: Is it interpretable? Does it
2 make sense? Is it talking about something?

3 MEMBER ABDEL-KHALIK: Now each one of
4 these red points is an arithmetic mean of 3,000
5 individual scores. There must be some standard
6 deviation associated with each one of these, and the
7 standard deviations can vary significantly within each
8 clump. So how do you handle the data points with
9 widely varying standard deviations in an individual
10 clump?

11 CHAIRMAN BLEY: For items within a clump.

12 DR. KOVES: Right. Okay, what it does is
13 it looks at the variance, okay. It analyzes the
14 variance. It doesn't -- see I used means. It does
15 not use means. It analyzes variance. This is just an
16 example to try and explain kind of what happens.

17 If you were a statistician or a
18 psychometrician, you'd probably throw up on this
19 example, okay. I get that. But it's trying to just
20 get the idea of how the things clump together. So it
21 does not use means. It uses variance.

22 MEMBER RYAN: So what statistic did you
23 use?

24 CHAIRMAN BLEY: Variance. They clump by
25 variance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: I mean just straight
2 variance?

3 DR. KOVES: Yes. It's a variance, a
4 standardized variance correlation, and so that's --
5 and what it does is it uses those -- it looks at those
6 as distances.

7 DR. BARNES: This analysis technique
8 there's, you know, software. There's statistical
9 packages for doing data analysis of, you know, large
10 data sets like this or, you know, that always include
11 how to, you know, software processes, programs to run
12 a correlation, run a multiple regression analysis, you
13 know, to run all the different statistical techniques
14 that are commonly used in the social sciences.

15 That's what was used is the standard
16 software package for doing this kind of statistical
17 analysis, that both INPO and Idaho, INL, the
18 statisticians and psychologists we had along from
19 Idaho used, for them to do the principle components
20 analysis that Idaho replicated and played around with.

21 So I mean this is standard run-of-the
22 mill, boring --

23 DR. KOVES: Typical survey analysis.

24 DR. BARNES: Yeah, yeah. It's just not
25 something that's commonly used in nuclear engineering

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 programs, I think perhaps. So you know, it's a --
2 that's why, and this discussion is what we had hoped
3 to avoid, but I understand why everybody wants to get
4 into the details here.

5 CHAIRMAN BLEY: I like statistics. I'm
6 interested.

7 DR. BARNES: Yeah, yeah.

8 DR. KOVES: Oh, that's okay.

9 CHAIRMAN BLEY: There's actually no
10 component location? It's only variance in the
11 clumping?

12 DR. KOVES: Yeah. It uses matrix algebra
13 to look at the -- you can set up to either use the
14 variance matrix or the correlation matrix. Typically,
15 you use the correlation matrix.

16 DR. BARNES: Okay.

17 CHAIRMAN BLEY: For me, you can go ahead.

18 DR. KOVES: Okay.

19 CHAIRMAN BLEY: I'm done.

20 DR. KOVES: All right, good.

21 DR. BARNES: Okay.

22 DR. KOVES: The only other comment that I
23 have about this particular slide is that you see the
24 respectful work environment, and then -- which is a
25 subfactor of management responsibility, and two, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 willingness to raise concerns. These were very much
2 aligned with two of the factors that came -- or two of
3 the traits, excuse me, that -- two of the traits that
4 came out of the February workshop.

5 If you had asked me before I had done this
6 analysis, I would have bet you a can of Pepsi, okay,
7 that those two would have folded together and come up
8 as one factor, okay, and yet they vary.

9 You know, this is one of the surprises.
10 This is why you do the research, okay. So that kind
11 of surprised me a little bit, that actually that they
12 did separate --

13 MEMBER ABDEL-KHALIK: Why would you have
14 expected these two to be combined?

15 DR. KOVES: When you looked at the initial
16 definitions and let the -- and what the panel had
17 done, when I first looked at them, I decided to sit
18 there for a while and understand the difference
19 between the two of them.

20 Plus I mean, you know, if the natural
21 linking of okay, well if you respect my opinion, the I
22 will be more open to just giving you my opinion and
23 raising concerns. If you respect me, you know, I feel
24 more open to raise concerns, and yet it came out
25 differently in the results.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So that was just kind of an interesting
2 point, side point. Next, the third factor that came
3 out was decision-making. There were no real clear
4 subfactors that came out of that. Basically, what did
5 that talk about? Decisions were conservative, timely,
6 safety-focused and engendered confidence in the
7 employees.

8 Supervisor responsibility was the next
9 one, and the subfactors there were about
10 communication, presence or availability of the
11 supervisor, the coaching and how much coaching and the
12 quality of their coaching, and then also how there was
13 one open that was separate, that was kind of that
14 alignment with management.

15 So you kind of asked the question about
16 well, what if you get an item here that's kind of out
17 on its own? That was was an example of one of those.

18 CHAIRMAN BLEY: So the real, the result of
19 this work, would it be fair to say is that this lets
20 you come down to given the way the questions were
21 worded, the minimum set of things that are not clearly
22 separable from each other and these traits?

23 DR. KOVES: I'm not -- I can give you an
24 answer, but I'm not sure it's really the answer for
25 the question that you asked. So if you'd try me again

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 --

2 CHAIRMAN BLEY: Well see, you've mapped in
3 a sense the questions for the traits. In the end, the
4 traits have to come out, unless somehow two or three
5 of them are indistinguishable and they settle in
6 together as a result of this work.

7 So you don't get more traits than you
8 started with, unless you hadn't identified them all
9 and you had questions that set up this one that
10 surprised you.

11 DR. KOVES: We have not compared -- at
12 this point in the process, and we're going through
13 chronologically, at this point in the process, these
14 have not been compared to the traits. You will see
15 that coming up, okay.

16 MEMBER ABDEL-KHALIK: If you had removed
17 the word "nuclear" from all the questions that you
18 asked, and given the same survey to 3,000 emergency
19 room nurses, would you expect the results to be any
20 different?

21 DR. KOVES: Probably, to some degree, but
22 that's actually where the AREVA study comes into play,
23 I believe helps to kind of answer that question. You
24 know, there are going to be -- there's going to be
25 some differences, but you know, what you want to do is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 look at over time and multiple research studies and
2 look and see what the continuity is across them.

3 So that's the importance of the AREVA
4 study as a part of this, because it is a different
5 environment that power reactors.

6 DR. BARNES: There's a handout that you
7 should have in front of you that is titled "Principle
8 Components From Other Domains," I think.

9 CHAIRMAN BLEY: Yes.

10 DR. BARNES: Okay. We've got --

11 CHAIRMAN BLEY: Well, it's Principles From
12 Non-Power Reactor Settings.

13 DR. BARNES: From Non-Power Plant
14 Settings. Okay. Those are the components that
15 emerged from principle component analyses of surveys
16 that are conducted and have been published from other
17 settings.

18 We've got ICUs in there. We've got
19 hospitals, we've got construction sites, different
20 kinds of manufacturing facilities, small businesses,
21 and so -- and each of those studies used the same
22 approach, developed survey items, administered them to
23 samples of folks in different organizations, ran the
24 principle components analysis to look how the items in
25 those surveys clumped together into factors. You can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 see the types of factors that emerged from those
2 studies.

3 MEMBER ABDEL-KHALIK: But conceptually,
4 one would not expect, big picture, that if you sort of
5 go to an appropriate level of extraction, that there
6 would be any difference between any of these groups.

7 DR. KOVES: Yeah, I would agree with that,
8 that although there may be some small -- actually,
9 there would be, and this number four here, where if
10 you were looking at the portable gauge, where they may
11 not be supervisors, where you don't have much
12 organization, that in that situation it might be
13 different.

14 But to a large degree, yeah I believe when
15 you get at an appropriate level of abstraction,
16 there's going to be a lot of similarity.

17 DR. BARNES: And something else I think
18 that is important to recognize is that in all of these
19 studies, safety culture is a fairly unitary concept.
20 Even though we go through a principle components
21 analysis and come up with factors that describe it,
22 there's like in the case of intelligence, there's a
23 great big G factor, you know, general intelligence.

24 When you do a principle components
25 analysis on an intelligence test, you'll turn up with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a verbal factor, a quantitative factor, an analytical
2 factor, but there'll be -- but they'll relate to each
3 other to one degree or another, and the variance that
4 verbal quantitative and analytical share is known as
5 the G factor for intelligence.

6 Well, that's what we're talking about
7 here. We've got safety culture. All of these
8 different items pretty well tap into something about
9 safety culture in these different organizations, in
10 different industries, and but then you go in and you
11 do the factor analysis, and you see well, you know,
12 management is a part of it; how I perceive my
13 supervisor behaving is a part of it; how free I feel
14 to raise concerns is a part of it in the organization,
15 but there's still this general safety culture thing.

16 So you'll get some variability in
17 certainly how the factors are worded, but I mean I
18 agree with you. The theory for safety culture is it
19 should pretty much be consistent across the
20 Organizational settings, to the extent that the
21 organizational settings are similar, in terms of the
22 relationships between people per se.

23 Okay. So decision-making? Oh,
24 supervisors we talked about.

25 DR. KOVES: Okay. A good factor that came

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 out was questioning attitude, and the subfactors
2 around that were situation problem awareness, process
3 use and plant knowledge.

4 I do want to take one moment and talk a
5 little bit more about that one, this particular
6 factor, and that is when we, as we go into the further
7 research where we do the correlations between the
8 other measures, in general a questioning attitude had
9 the highest and not for everything, but in general,
10 had what is the best correlate with the kind of the
11 majority of the indicators that we looked at.

12 And that was also very consistent with
13 some other research that we did at INPO about a couple
14 of years ago, where we took -- actually, it was not --
15 -- it wasn't our survey. It was actually a vendor's
16 survey, and one of their factors was not questioning
17 attitude, but it was really more about a passive
18 culture.

19 That was, had the best correlations with
20 our other variables that we compared to. So it lines
21 up with this questioning attitude correlating well
22 with other variables.

23 CHAIRMAN BLEY: When you say it that way,
24 that means if I get a -- if you give me a good score
25 on this one, that we have a strongly questioning

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 attitude, then the other things end up at the positive
2 end as well. Is that correlating?

3 DR. KOVES: It depends on what the other
4 measure is and how it's measured. Is it, you know, is
5 it measured so that high is good or that high is low,
6 and depending upon which way it's measured, it will
7 give you positive or a negative relation.

8 CHAIRMAN BLEY: Okay, fair enough.

9 DR. BARNES: And you know, we've called it
10 "questioning attitude." Those are buzz words in the
11 nuclear power industry. In the other studies that
12 where I've shown that factors that emerged, and in
13 other industries and in literature from other
14 industries, they talk about perceived risk in the
15 workplace, you know, how scary is my job, you know.

16 What are the -- how potentially risk is
17 the work that I performed, you know, of maintaining a
18 questioning attitude and a constant awareness of the
19 risk and hazard associated with the work that I do?

20 They just use -- they use different words
21 for questioning attitude and other environment.

22 CHAIRMAN BLEY: We've eaten up all our
23 extra time and now we're in negative time.

24 DR. BARNES: Are we on overtime?

25 CHAIRMAN BLEY: Yes. So I think if he can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 go through it quickly here.

2 DR. BARNES: Okay. I'll skip to the
3 factors.

4 CHAIRMAN BLEY: On the other hand, I'm not
5 sure where that leaves us as a subcommittee.

6 MEMBER ABDEL-KHALIK: Maybe it's about
7 Item No. 5. How does plant knowledge fall within that
8 questioning attitude?

9 DR. KOVES: Because that's where -- I mean
10 that was the question -- when I looked at the items,
11 that was the question I had too. But the plant
12 knowledge, the more knowledge I have of a plant, the
13 better questions and the more I can exercise a
14 questioning attitude.

15 If you were to take me into a nuclear
16 power plant and showed me, you know, showed me
17 something, I'd say "Oh, okay." But if you had someone
18 who was knowledgeable about a plant, they might say
19 "Wait a minute. Why is that like that?"

20 And so therefore, I mean plant knowledge.

21 If I have no plant knowledge, I can't ask good
22 questions.

23 DR. BARNES: And that interpretation of
24 this subfactor is consistent with the interpretations
25 and research in other domains that I was talking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 about. So you have to know what you're looking at.

2 DR. KOVES: Okay. I will start zipping through
3 these. So you saw communication. Seven was personal
4 responsibility. Here are the definitions,
5 prioritizing safety. And then lastly, training
6 quality. This was very narrow, okay.

7 This came out. These items grouped
8 together. They accounted for the least amount of
9 variance of all the ones who are interpretable, and it
10 was just very, very narrowly focused on training and
11 quality and support by management. So next slide.
12 Here is where --

13 CHAIRMAN BLEY: You had the good end
14 score, from the words you have here.

15 DR. KOVES: Yeah. Well, they're all
16 positively -- I mean all the items were positively
17 related, and these were -- I mean so these
18 descriptions are positively worded. Here is the
19 comparison between what the factors were and the
20 traits, and you'll see basically side by side there
21 was a lot of similarity between them.

22 It was not identical. However, you'll see
23 a lot of similarity. The leadership safety behavior,
24 which everyone agrees is very important, and the
25 management responsibility were the same.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 You'll see that the respectful work
2 environment under the traits, problem resolution and
3 metrics and continuous learning were really involved
4 in part of that continuous improvement, and in an
5 effort to move on, the one other noteworthy thing was
6 that the processes and procedures, as we thought, saw
7 it falling under a questioning attitude.

8 The next slide is this is my
9 interpretation, okay. Let me be very clear about
10 that. What I did was I took the survey factors and
11 then compared them to what my understanding of the
12 workshop traits, my understanding of the INPO
13 principles and also then my understanding of the ROP
14 components.

15 This is what's sometimes referred to as
16 kind of a cross-walk, kind of well okay, now if we
17 were to put these side by side, what might they look
18 like? But this is all my interpretation of them.

19 Moving on to the next slide, this is AREVA
20 fuel survey administration. Basically, what they did
21 was they took the survey as it was. They dropped out
22 one item. They modified a number of items, but not --
23 they were rather minor modifications.

24 So for example, the example I give here is
25 deleted the words "at this station." A lot of items

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 had that phrase in there, so they deleted that.
2 They're rather minor modifications.

3 CHAIRMAN BLEY: Basically the same
4 questions?

5 DR. KOVES: They were essentially the same
6 questions, except for one. They deleted one out.
7 They administered it online. It was administered by
8 their corporate. They invited all the employees in
9 the function, which was around 993. 813 responded.

10 A lot of them kind of started and then
11 dropped after like the first page of questions. So
12 there were about 673 that provided valid responses to
13 99 percent of the items, and that as 68 percent.

14 CHAIRMAN BLEY: And this was to give to a
15 Fuels Group?

16 DR. KOVES: Right. This was the Fuels
17 Group in AREVA.

18 CHAIRMAN BLEY: Developing fuels.

19 DR. KOVES: Yes.

20 CHAIRMAN BLEY: Through a factory for
21 research?

22 DR. KOVES: That's my understanding. I'm
23 not intimately knowledgeable of their organization.
24 Here is what you see in terms of the factor results.
25 Went through the exact same process that I earlier

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 described in terms of coming up with factors.

2 Once again, you see this whole leadership
3 safety behavior and management responsibility as being
4 most important. Just in summary, you'll see a lot of
5 the same things here that you saw with the trades, and
6 what was interesting about the AREVA fuel factors is
7 that when you looked at the reactor factors, it was
8 really pretty obvious as to what it was talking about.

9 These AREVA fuel factors were a little
10 muddier, and it was like you're actually taking a
11 little bit more interpretive liberty when I was
12 working with these factors.

13 MEMBER ABDEL-KHALIK: Why do you think
14 that is?

15 DR. KOVES: You know, I asked myself that
16 question, and you know, I'm not completely sure
17 whether it's the fact that they were all within one
18 kind of organization, as opposed to the power reactors
19 were a lot of, out of a lot of different sites.

20 My understanding that this is all one
21 particular site, and I'm not -- not really, not
22 completely sure. I'm sure that natural variants also
23 kind of came into play in part of that also.

24 MEMBER ABDEL-KHALIK: Is it related to the
25 nature of the job that these individuals make, which is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 probably more widely varying within this sample than
2 it was within the --

3 DR. KOVES: You know, that's a
4 possibility. It would really -- to answer that
5 question, you'd really have to dig into it and do some
6 additional research. Once again basically we see the
7 main -- the main point here is that once we're seeing
8 the traits again, only this is in a similar but
9 different, and in a population outside of the power
10 reactors.

11 Here, do the reactors relate to other
12 safety measures, and what we did was we correlated,
13 basically found the mean, okay. Well, I'll go into
14 the details in just a second, but calculated the
15 correlations of the factors and subfactors for each
16 site within INPO and then NRC measures, and correlated
17 them with a variety of other organizational
18 effectiveness and equipment performance measures.

19 Now this next bullet point is put in here
20 for the reason that if you -- it is my understanding,
21 I don't have an engineering background, but it's my
22 understanding that if you have an engineering
23 background, you're looking, used to looking at
24 correlations that are much higher than this.

25 In the social sciences, these were a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 couple -- not fact analysis. The meta-analysis
2 studies that looked at lots of different research, and
3 these were some of the -- these were kind of average
4 correlations they came up with, .22 and .31.

5 And that just the point of this is that if
6 you're looking at engineering calculations, my
7 understanding is they're typically quite a bit higher.

8 You just don't get those kind of correlations in the
9 social sciences.

10 MEMBER ABDEL-KHALIK: In fact, these kind
11 of things that behave almost independently in physical
12 systems.

13 DR. KOVES: So this is to look at some of
14 the factor and some of the specific validities that we
15 got, and these are the correlations between each of
16 these factors and various measures. We looked at a
17 lot more than this, but these are some of the measures
18 that we looked at.

19 And so this -- remember, the N here is 63,
20 okay, for these correlations, not 3,000. So you're
21 looking at a lot of correlations, .2. And then what
22 you see in these parens some of the subfactors. I
23 talked about the subfactors underneath some of these.

24 This is, you know, you would see like under
25 management responsibility and under emergency power

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 availability.

2 One of the subfactors of management
3 responsibility had a .3 correlation with emergency
4 power availability, even though the aggregate factor
5 had a .26 correlation.

6 CHAIRMAN BLEY: You have completely
7 confused me.

8 DR. KOVES: Okay.

9 CHAIRMAN BLEY: I mean the stuff across
10 the top are events in a power plant that we haven't
11 talked about at all so far.

12 DR. KOVES: Right, and these are -- the
13 first one is -- the first column is where the plant
14 falls in the ROP matrix.

15 CHAIRMAN BLEY: Okay.

16 DR. KOVES: The second one is the number
17 of unplanned critical scrams. The next one is
18 unplanned automatic scrams. The third one is the
19 system heat removal unavailability, emergency power
20 availability. The next one is an index that INPO
21 creates, a personnel safety index.

22 CHAIRMAN BLEY: And this was done across
23 all the plants that were in the study?

24 DR. KOVES: Right. The N is 63.

25 CHAIRMAN BLEY: For the values you looked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at for say the unplanned scrams is over how long a
2 time period?

3 DR. KOVES: These were the most recent
4 data that was reported to INPO by each of the plants.

5 MEMBER RAY: Fourth quarter.

6 CHAIRMAN BLEY: Fourth quarter of what
7 year?

8 MEMBER RAY: The following year.

9 DR. KOVES: Yes. Typically, it's a
10 rolling number. I think a year would be typical,
11 although I'm not -- I can't say for sure, for certain
12 that all of them are.

13 MEMBER ABDEL-KHALIK: And for each one of
14 these 63 plants and each one of the factors, you just
15 use the arithmetic mean of the score of the 40-some
16 odd people just participated from that site?

17 DR. KOVES: Yes. It's the arithmetic mean
18 of the scores of those 40, average 46 people, for each
19 one of the factors and subfactors, and that was why I
20 said, you had asked earlier about okay, is this enough
21 people? We've also done similar studies with -- INPO
22 administers an organization effectiveness survey
23 before each one of the evals.

24 There we had response rates that were much
25 higher. A smaller number of plants when we did the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 study, but the correlations were very similar, and
2 then you'll see that -- so that is -- the whole point
3 of that is that if you ask the question do these
4 survey results relate to other measures of safety, the
5 answer is in this domain yes, they do, and the relate
6 pretty well actually overall.

7 MEMBER BONACA: Go back to a previous
8 slide. Explain to me the numbers. Are they --

9 DR. KOVES: Those are correlations between
10 -- so for example, if you look under the factor
11 "management responsibility," if you take the average
12 aggregate score of all the items that came under
13 management responsibility for a particular site, and
14 then you correlate that with where that site fell in
15 the ROP matrix. It's that correlation out of the 63
16 sites.

17 So we have moved from an individual level
18 analysis up to a station level analysis here.

19 DR. BARNES: Because our theory is that
20 safety culture is somehow related to a plant's safety
21 performance.

22 DR. KOVES: Right.

23 DR. BARNES: Okay? That's what we --

24 MEMBER ABDEL-KHALIK: I know why you're
25 doing this, but you know, there is sort of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 philosophical difference between the rows and the
2 columns in this table. Perhaps the scores that you
3 get are more aspirational, whereas the columns
4 represent reality.

5 DR. KOVES: Right, exactly. But the point
6 is that what is, you know, what the survey and the
7 psychological construct is related to reality. I mean
8 if there were no correlations here, then we would say
9 the survey, either the construct or safety culture, is
10 hogwash, or the survey is hogwash. So you're
11 absolutely correct in that.

12 DR. BARNES: So this says that if people
13 at a site are perceive that the decision-making that's
14 done at that site is positive, you know, is supportive
15 of safety, then these correlations show that they're
16 going to be -- that organization is going to be
17 performing better on the ROP. They're going to have -
18 - these are actually negative correlations in most
19 cases.

20 They're going to have fewer numbers of
21 unplanned scrams. They're going to have fewer numbers
22 of unplanned automatic scrams. They're going to have
23 a higher capacity factor. That's what these
24 correlations are saying, yeah.

25 We're not saying causality and we're not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 predicting performance. Correlation is not causality,
2 and we're not predicting how they're going to perform
3 next year on these safety performance measures.

4 We're just saying out of this that how
5 people think about what's going on in their
6 organization is related to how that organization --

7 DR. KOVES: Actually performs.

8 DR. BARNES: Actually performs.

9 DR. KOVES: Did you have questions?

10 MEMBER BONACA: The reason why I asked the
11 question is that I participated in a number of studies
12 years ago, where we attempted to that, and the
13 remarkable thing was that we had a Plant X, which
14 was, had a bad reputation of performance at that time,
15 and yet that's why it was a system --. And we did not
16 find this correlation.

17 We had a look at it but surprisingly,
18 because it was quite -- the number of scrams. It was
19 difficult to see much more variance --. It's
20 interesting.

21 DR. KOVES: Yes, and there's a number of
22 reasons why you may not have found something. I
23 mentioned INPO's organization effectiveness survey. A
24 number of years ago they did some analysis and did not
25 come up with any correlations, and there were a number

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of reasons. I think personally that had to do with how
2 they analyzed the survey.

3 CHAIRMAN BLEY: Yes, I'm still a little --
4 one needs to see more than this to really get a good
5 idea. If I look at unplanned critical scrams, almost
6 all the plants are at zero. So this result might just
7 be that one plant had one scram in the last year, and
8 their people did score a little bit lower. That might
9 be all the information that's --

10 DR. KOVES: I'd have to, but because this
11 is an aggregate score over time, some of these I don't
12 know how long. You know, I don't know the details
13 around these measures to tell you how long.

14 CHAIRMAN BLEY: I picked one I know about.

15 DR. KOVES: Yes, and you know, so if it's
16 obviously if it's a longer time period, then you're
17 going to have more examples.

18 CHAIRMAN BLEY: It's still almost all
19 zeroes, unless you go back a lot of years, more than
20 ten.

21 DR. KOVES: I don't know. I'd have to --
22 I mean I've got the information on my laptop. I can
23 pull it up and show you the range of scores. But
24 that's --

25 CHAIRMAN BLEY: I mean the correlation is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 clearly there. On the other hand, what is it that's
2 driving that? It could be a single data point. And I
3 bet you on that scram one, it's no more than one or
4 two. It can't be more than one or two.

5 DR. KOVES: Well, you could very well have
6 a very restricted range. But I mean with the ROP
7 matrix, you've got a very restricted range. You've
8 only got four. That's your range there.

9 So you clearly have a restricted range
10 with unplanned critical scrams and still get a
11 correlation out of it, because you do that with the
12 ROP, and there aren't that many plants who are, you
13 know, two or three, yeah, who aren't down there. So
14 and you still get a correlation with them. Any other
15 questions about this?

16 Lastly, general conclusions. I think the
17 results support the existence of the workshop traits,
18 however, in a slightly different configuration.
19 Factors are consistent with research and other demands
20 and the sort of factors are related to other measures
21 of organizational effectiveness and equipment
22 performance.

23 I'd just go on to say that, you know, what
24 I was showing you were INPO measures. Val and the NRC
25 brought a whole bunch of data and looked at theirs and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 got similar type of results with their data. Very
2 similar?

3 DR. BARNES: Similar, yeah.

4 CHAIRMAN BLEY: But you don't have a
5 report from Idaho yet?

6 DR. BARNES: I had a presentation about
7 what we did. So you've got the slides from that.

8 CHAIRMAN BLEY: Yes, I do. I'll go
9 through them. I think, though, we have to hurry on,
10 and I just don't know what the committee's going to do
11 with this.

12 But I'm not also sure how relevant it is
13 to what we'll have to say about the policy statement.

14 But if we think it's very relevant, we've got to
15 understand this better, and we don't have much time to
16 do that.

17 So thank you very much. I wish we could
18 hear the rest of it. We should have had an all-day
19 meeting, I suppose. We just don't have time to absorb
20 it.

21 MEMBER ABDEL-KHALIK: So the message that
22 you're trying to convey to us is that the attributes
23 or the list of attributes --

24 DR. KOVES: Traits.

25 MEMBER ABDEL-KHALIK: Traits is the right

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 list?

2 CHAIRMAN BLEY: Or sort of.

3 (Simultaneous discussion.)

4 DR. KOVES: At this point in space, time,
5 they're probably a pretty good approximation.

6 MEMBER ABDEL-KHALIK: Okay.

7 DR. BARNES: Yes.

8 DR. KOVES: Thank you very much for your
9 time.

10 DR. BARNES: And they probably are useful
11 for the array of environments that we're trying to
12 talk about here.

13 CHAIRMAN BLEY: We appreciate you
14 volunteering to tell us more and come back. I just
15 don't know when we can do it.

16 DR. BARNES: I understand.

17 CHAIRMAN BLEY: And I wish we had been
18 here a lot sooner with this.

19 DR. KOVES: Well, we wish we could have
20 too also. Thank you very much for your time, and I'll
21 be more than happy to come back and spend time with
22 you. Thank you.

23 CHAIRMAN BLEY: Thank you. Who's up
24 first? Tom's up first, right?

25 MR. HOUGHTON: We'll try not to be so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sophisticated in our presentation, but sophisticated
2 enough. Mr. Chairman and members, thank you for
3 having us back. We were here a year ago and talked to
4 you about our safety culture policy, our safety
5 culture approaches and what we were trying to do.

6 We also spoke to the Subcommittee on
7 Operations in July. I'm going to lead off, and then
8 Mike Gaffney, who is from Hope Creek, will provide
9 some very specific details for how the program is
10 being implemented at Hope Creek.

11 At our previous meeting with the Ops
12 Subcommittee, we had an individual from South Texas
13 project who talked about how they did the work there.

14 I am the Director of Safety-Focused Regulation at
15 NEI. I've been with NEI for about 12 years.

16 When I first came there, I worked on the
17 development of the ROP as it came into fruition.
18 Previous to that, I had my own consulting business and
19 I was with Dr. Bonaca at Millstone when they were
20 going through their recovery back in the mid-90's.
21 Mid-90's, right, and actually brought some of the
22 metrics we used at Millstone into use in the ROP
23 process, as we developed it.

24 CHAIRMAN BLEY: Tom, as you go through
25 this, if you can relate what you're going to show us,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 some of which we've seen before I think, to what we've
2 been hearing for the last three or four hours, it
3 would be good.

4 MR. HOUGHTON: Right. Let me start off.
5 That's a good thing to start off with, because what
6 we've done in our process is we have taken the INPO
7 principles and attributes and used that as the lens
8 that we used for this program, okay, both for
9 assessing safety culture on an ongoing basis and
10 through a survey, which you've been hearing, the basic
11 survey around which the validation study was built.

12 The game plan, we support the NRC's
13 activities on the safety culture policy statement. We
14 have minor issues with it. We think it's on the right
15 track. We think that after the SRM comes out, that
16 we're well-positioned to work with NRR to develop
17 common language, which is one our main goals that we
18 started with here, was to have a common language.

19 So we think we're well-positioned for
20 that, and we think we see a success path for that with
21 the policy statement. So and I'll try to keep in that
22 regard.

23 The challenges that we see with the
24 existing situation. After Davis-Besse, the industry
25 really didn't take the lead on safety culture, and we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 think that we were derelict on that, and we want to
2 get back in front, where we are identifying the safety
3 culture problems and the NRC is overseeing what we're
4 doing.

5 We think that that's the correct path, and
6 that's what we do in QA and we do in every other area.

7 Our feeling is is that the inspection approach right
8 now of inspection findings is really a limited set of
9 data, and by that I mean that when we talk about
10 safety culture, we can talk about -- we can talk about
11 concepts of safety culture, but we can also look out
12 in the plant and we can see what's going on in terms
13 of maintenance backlogs, in terms of operator work-
14 arounds, in terms of observations in the field, self-
15 assessments, INPO looks.

16 We can collect a lot of data that can tell
17 us that there's something wrong, and we can look at
18 see if we think there are cultural aspects to what are
19 causing those incipient problems, okay.

20 Our feeling is that the NRC's approach is
21 limited, in that it only looks at a few inspection
22 findings over a year, and comes to a general
23 conclusion, which we don't think the limited data
24 allows for that. In any event --

25 MEMBER ABDEL-KHALIK: Have there been a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lot of situations where those findings were
2 inconsistent with assessments of the larger body of
3 data that you're referring to?

4 MR. HOUGHTON: The problem is that there
5 are only about 12 inspection findings at a plant a
6 year, and if four of them are assigned the same safety
7 culture aspect, the region meets and decides whether
8 the issue is important or not, based on those four
9 items, and either declares a substantive cross-cutting
10 issue or it doesn't.

11 Our feeling is that that's inadequate data
12 to do that. The licensee is really kind of under the
13 gun, because if he says "I don't think those four
14 aspects are a significant problem at my station," then
15 they're ignoring the problem. So it's a little
16 difficult to be in that regulatory position.

17 MEMBER ABDEL-KHALIK: I guess I'm asking a
18 different question.

19 MR. HOUGHTON: Okay.

20 MEMBER ABDEL-KHALIK: I'm wondering if
21 those findings, if one were to go back and analyze the
22 larger body of data that you're referring to, you
23 would arrive at the same conclusions?

24 MR. HOUGHTON: And you may, and that's
25 what our process is designed to do. In other words,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this process in NEI 0907 is designed to do exactly
2 that.

3 MR. CHEOK: I think the answer to the
4 question -- this is Mike Cheok from NRR. I think to
5 answer your question more directly, industry's only
6 done it at four plants, four pilot plants at this
7 point. So there is -- I don't think there's enough
8 data to answer your question, as to whether we have
9 sufficient data from all plant events to point to a
10 different conclusion, as to what the NRC would
11 identify plants with substantive cross-cutting issues.

12 MEMBER ABDEL-KHALIK: But he's not talking
13 about operator work-arounds, maintenance backlogs and
14 I'm sure all plants have a lot of data about that.

15 MR. CHEOK: Yes, they do.

16 MEMBER ABDEL-KHALIK: They religiously
17 keep all that.

18 MR. CHEOK: Yes.

19 MEMBER ABDEL-KHALIK: And now you have
20 that larger body of data.

21 MR. HOUGHTON: Right.

22 MEMBER ABDEL-KHALIK: And I'm wondering if
23 you were to use that data to try to check whether or
24 not the original findings that you claim is based on a
25 limited set of data is justified.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CHEOK: Correct, and they haven't done
2 that yet at this point, except at four plants.

3 MR. HOUGHTON: And that is what the pilot
4 plants have been doing for the past year, and will
5 expand it to the entire industry where we will do
6 that.

7 MEMBER ABDEL-KHALIK: Okay.

8 MR. HOUGHTON: Okay. The other issues is
9 that there isn't a consistent way of conducting
10 surveys and snapshot looks at the industry, and
11 finally, we've got this different terminology, which
12 is what the subject of this, part of the subject of
13 this meeting was, was the different terminology, and
14 we want to work towards that common terminology.

15 What are our objectives? Three
16 objectives. We want to have a repeatable, holistic,
17 integrated way of looking at all this data, and Mike
18 is going to talk about that in some depth so you can
19 understand how they did that at Hope Creek, so that to
20 have a process that NRC can oversee and look at and
21 see a consistent way of looking at information.

22 Okay. The second thing is to have a
23 common methodology for conducting a survey and a
24 snapshot assessment, and the third is the common
25 language. Okay, so those are our goals in our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 industry initiative. Any other questions to that
2 point?

3 (No response.)

4 MR. HOUGHTON: So what I'll do is turn it
5 over to Mike now and let him walk through -- oh, let
6 me just say, before he starts, we had four pilot
7 plants, one in each region. We had Hope Creek, we had
8 North Anna, Region II, we had South Texas project in
9 Region IV, and we had the Braidwood station in Region
10 III.

11 Each of these pilots started last
12 November. They're still implementing the process that
13 Mike's going to talk about, and they have had
14 observation by NRC, and we've had meetings with the
15 staff to discuss issues and findings and lessons
16 learned from that, and we've updated our guidance to
17 do this.

18 And in December, the SAIC, which is the
19 Chief Nuclear Officers, will be meeting to vote on an
20 initiative whereby if passed all plants in the country
21 would follow this NEI 0907 guidance. Michael.

22 MR. GAFFNEY: Thank you. Mr. Chairman and
23 members of the committee, thank you for the
24 opportunity to talk to you today about our learnings
25 from this pilot process. I am a Naval Academy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 graduate. I spent 30 years in the Navy. I commanded
2 two ships, the last being a nuclear cruiser, the USS
3 South Carolina. Came into the industry 13 years ago
4 and achieved an SRO license. Spent some time in an
5 operating crew as an SRO and then moved up to
6 management. I've been at Hope Creek as the reg
7 assurance manager for a little over three years.

8 We're excited about doing this pilot. I
9 think my main message to you is threefold. First, as
10 Thomas said, we looked at lots of data. Over a
11 rolling four quarters, there's over 250 data points
12 that we review, and that gives a broad view of safety
13 culture.

14 Now we all know culture. We've heard a
15 lot about it today. Culture is very hard to assess
16 and put your arms around, and so that's been a real
17 learning for us, to learn how to analyze this data.

18 Second, it's also provided our off-site
19 review committee, part of our QA program. We have a
20 nuclear safety review board. The opportunity to do
21 their assessment, safety assessment of us by looking
22 at this data also and sharing with us their views on
23 what they think the data means, and that provides
24 useful feedback to us.

25 Then thirdly and most importantly, by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 looking at this large amount of data from very minor
2 things going on at the plant to the most significant
3 things going on, we're able to have an early detection
4 of what we perceive to be are
5 the cultural aspects that may need some corrective
6 actions.

7 So what I'd like to do next is this is the
8 process, and I will step you through quickly how we
9 implemented it. Some of you have seen this before.

10 CHAIRMAN BLEY: The same to us last time.
11 The same, is it?

12 MR. GAFFNEY: Now I'd like to give you
13 some specifics about how they did it.

14 CHAIRMAN BLEY: Yes, okay.

15 MR. GAFFNEY: Now we have improved it
16 since July and made a couple of small revisions here.
17 But it's essentially the same process. So the basics
18 are that we took this process, and we do with
19 everything, we built a process that fits our station
20 around it.

21 So along with that, we used this nuclear safety
22 culture monitoring panel, which is in the middle
23 there, the pink. That's the working group of experts
24 that analyzed the data and assigned the issues to a
25 particular safety culture principle. They then decide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 what they believe that means, in terms of what the
2 safety culture's doing, and make recommendations to
3 the senior leadership team, the site leadership team.

4 So this monitoring panel is made up of
5 subject matter experts. The station CAP manager, th
6 corrective action manager, self-assessment
7 coordinators, the QA supervisor, the ECP program
8 manager of the individual process inputs, those
9 subject matter experts, analyze their own data.

10 We get together collectively as a group
11 and make, analyze that data collectively then and make
12 recommendations that go to the senior leadership team.

13 As I said in a process, the normal nuclear
14 process is we put it together as both in metrics and
15 then also in the data that supports those metrics, to
16 provide to the senior leadership team, that then looks
17 at that.

18 We have a challenging meeting where we're
19 both the panel is there and the site leadership team,
20 discuss it, and help to decide, them to decide what
21 the proper actions are for the issues that they see
22 coming out of that.

23 That then goes into our corrective action
24 program. It also goes to our off-site review
25 committee for their review and discussion at their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 next meeting, and then it goes out in communication
2 form to the entire site, to let them know how we think
3 we're doing, and as well as, as Tom said, we've had
4 the NRC observing this pilot.

5 So we've gotten valuable feedback from our
6 regional observers. As I think Mr. Ray said earlier,
7 you know, the culture is expressed through outcomes.
8 So this aspect of looking, as you see, those green
9 process inputs. We're looking at the minor corrective
10 action things that resulted in apparent cause
11 evaluations, common cause evaluations, root causes.

12 We're looking at our observation program
13 that looks at hundreds of observations of crew work a
14 month, and those go into our trending and our bubbled
15 up as issues, as what are the significant trends
16 there, as well as our NRC findings that we receive
17 each quarter.

18 So a lot of data gets reviewed and binned
19 to each of the principals. Then as part of that, we
20 then assign a level of consequence to it. In other
21 words, for the minor things that came out of an
22 apparent cause or a worker observation where you may
23 not have followed a procedure correctly, those we call
24 precursors. If it's something more significant, like
25 it resulted in a root cause or a common cause

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 identified several instances, we would call that
2 perhaps a near-miss.

3 If it's actually something that's a root
4 cause event that's directly attributable to a cultural
5 aspect, one of the eight principles, we would then
6 call that a finding. And so then those are taken and
7 put into a bar graph and we set thresholds of at what
8 point the number of precursors would you say you have
9 a problem, that you have to then go do something with.

10 So then that information goes to the
11 leadership team with recommendations. For example, we
12 did have, in the rolling 12 months when we first
13 started this, we had met the criteria for a cross-
14 cutter aspect in procedure use and adherence.

15 Our process told us that we had that
16 problem by looking at more data, identified a lot more
17 instances of the same kind of thing but at a lower
18 level than the five findings, I think, that we have
19 had in that 12 months. So in this case, the region
20 had not given us a letter, because we had already
21 taken action.

22 Now this pilot process came along after
23 that, looked at that and then evaluated the actions
24 that we were taking for that cross-cutting aspect, and
25 evaluated what else we needed to do about that and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 whether the actions that we were taking were adequate.

2 So in that way, it added a lot more data
3 to those five green NCVs that caused the cross-cutter,
4 and we were able then to look more broadly at why is
5 this. I think one of the learnings we have also from
6 doing this process is by having so much data from all
7 these sources, we're able to kind of drill down beyond
8 well okay, we have a procedure use problem, but why is
9 that?

10 What are the other aspects of that from
11 these other minor events that are occurring, that
12 would tell us why people are doing it, that would help
13 lead us to better corrective actions. So that's been
14 a benefit to this process, to be able to drill down a
15 little bit farther, and capture more instances, so
16 that common cause evaluations, when we do them, have
17 more examples to go after and look for.

18 Through the process, with the feedback
19 we've been given both from our offsite review
20 committee and the NRC, we've looked at, we've
21 established a threshold. Now we're looking at, going
22 forward, we've determined that each of the principles
23 shouldn't have the same threshold.

24 Everyone responsible for safety may have a
25 threshold that's higher than the one that says

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 decision-making reflects safety first, because of the
2 number of events we're seeing and the number of minor
3 things we're seeing.

4 So we're starting to probe into that. So
5 we set the right threshold, so that we do get the
6 early detection of the problem.

7 MR. ZIMMERMAN: Can I ask a question, sir?
8 Can I ask a question? Just I've seen this before,
9 and I think I understand. I'm trying to overlay, fast
10 forward a little bit, and assume for a moment that the
11 safety culture policy statement has been endorsed by
12 the Commission. Would that act upon this? Would that
13 change this in any way?

14 MR. HOUGHTON: No, it wouldn't change.
15 Whatever change, it's the lens we use to determine
16 what the safety culture problems are. In other words,
17 this is the raw data, okay, and when we look at the
18 raw data, we use the X number of principles and Y
19 number of attributes, and we say what is this data
20 telling us about decision-making, and what is it
21 telling us about trust in the organization, or what is
22 it telling us about accountability?

23 MR. ZIMMERMAN: So you'd put it th rough
24 some of the traits?

25 MR. HOUGHTON: Right, right, and the goal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is to have the same traits that NRC uses for its
2 violations, as we have -- that we're using in this
3 process, so that we can all use the same words.

4 MR. ZIMMERMAN: So that's the terminology
5 alignment you were talking about?

6 MR. HOUGHTON: Right, right. So we'll
7 have to update what we do when we have the final
8 wording, but it won't change the process itself.

9 MR. ZIMMERMAN: Did you see terminology
10 alignment having been gained over the last year in the
11 work that we've done on the policy statement, but we
12 still have misalignment when you apply it to the ROP.

13 MR. HOUGHTON: Yes. I mean we've got
14 three now. We've got traits, we've got compliments
15 and we've got principles. So in one way you can say
16 we've taken a half step back, in order to make
17 progress and make three strides forward to have the
18 common language.

19 MR. GAFFNEY: And I think one thing that I
20 would add in from our aspect is what has been very
21 helpful for us in using the INPO principles book, is
22 that we actually bin our individual issues to the
23 subattribute, the Tier 3 level, because it provides us
24 more clarity.

25 For example, in Principle No. 5, which is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 nuclear technology is special and unique, there are a
2 couple of subattributes there. One is that you'll
3 provide high quality procedures and processes. So we
4 actually then bin, when we have a procedural problem
5 that we find, we would bin it to that attribute.

6 That gives us again, drills down a little
7 bit farther beyond the principle, to say what in that
8 principle and so I think the Tier 3 work that is going
9 to be done is going to be important for us, and we as
10 a pilot group have talked about, that these attributes
11 that INPO developed were never meant to bin to metrics
12 on.

13 So it will be an opportunity for that Tier
14 3 group to be something that makes a lot of sense, if
15 people are going to ultimately try to quantitatively
16 go after this, to come up with some good criteria.

17 MR. ZIMMERMAN: Thank you.

18 MR. GAFFNEY: This slide is merely to
19 document kind of what I went over with the thing, but
20 I probably missed some points.

21 When we picked our monitoring panel team
22 and the senior leadership team, the monitoring panel
23 team, the group of subject matter experts, and then
24 the senior leadership team was obviously the chairman,
25 the station vice president and the plant manager and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the directors and managers of the line departments,
2 and we include security in that.

3 Hope Creek is a little different from
4 other stations, in that we have at our site, Hope
5 Creek and Salem have one common security group. So
6 the security group is included in all of our meetings
7 as well, and they're included in our analysis of
8 culture.

9 But we include quality assurance group and
10 we, much like South Texas, we're going to start using.

11 We have an advisor, a psychologist type advisor who
12 helps us with developments and succession plans, will
13 help to provide that organizational effectiveness
14 specialty look also.

15 All of these folks have to go through a
16 jobs familiarization guide, kind of a qualification
17 process, to make sure they understand both the NEI
18 process and our own process, and then an interview to
19 make sure that they understand it before they start
20 dealing with it.

21 And then just so we're clear we look at
22 rolling four quarters with the data, and there is
23 approximately 65 new items every quarter and at total
24 that we look a year of about 250. Just one of those
25 items can be the trend results from 200 field

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 observations by supervisors. So there's a lot of data
2 that's looked at in this, and I think it's important
3 to note that, because we are -- on the one hand, the
4 senior leadership team and even the subject matter
5 experts, are familiar with the data, from looking at
6 it through the normal process, the corrective action
7 process, the work management process, etcetera.

8 This provides that different lens, by
9 binning it to an attribute and to a principle. It
10 puts those, it groups those events and issues in with
11 a different lens on well, here's the outcome of that,
12 that it may affect this cultural principle.

13 So that is an important result of this,
14 and I think that's our overall perspective then is
15 that while the leadership team knows what's been going
16 on through their normal meetings, the corrective
17 action, the work management meetings and several other
18 meetings, they then look at this data that's grouped
19 in a separate way and a cultural principle way, so
20 that they're then looking at the data they're familiar
21 with, from the lens of well, how would this impact my
22 culture.

23 How does it impact everyone's responsible
24 for safety, decision-making, reflect safety first?
25 Then they're able to see how those impacts are made,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and it provides a means for well, what was handled,
2 how that individual issue was handled. It may take a
3 broader set of actions to go after the cultural thing.

4 MEMBER ABDEL-KHALIK: But this assumes
5 that this is correct?

6 MR. GAFFNEY: Yes, absolutely. It depends
7 on --

8 MEMBER ABDEL-KHALIK: So it can sort of
9 lead you to the wrong conclusion, if this binning is
10 done incorrectly?

11 MR. GAFFNEY: That is the challenge, and
12 that is why at Hope Creek we have done, we bring in
13 the monitoring panel team who did that binning, and
14 the leadership team has reviewed the data and then
15 it's a challenge board of why did you put that
16 apparent cause in safety culture principle No. 5. Why
17 didn't that go in No. 6?

18 We had that kind of a challenge meeting,
19 to try to come up with that. Then as a second phase,
20 which is the second bullet there, is when we present
21 to our off-site review committee, they do the same
22 type of analysis, and they challenge then the senior
23 leadership team of I've looked at the data. Why do
24 you say you don't have a problem with decision-making?

25 So they perform another -- their true

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 function of reviewing the performance of the plant and
2 related to nuclear safety, they're able to then look
3 at this data in a nuclear safety culture perspective,
4 and then challenge us on why we view it that way.

5 But it is important, and it is the most
6 difficult thing we do, and that throughout this year-
7 long process, it is each time we meet, we learn
8 something more about some of the attributes and why we
9 think we're putting them there, and is that the right
10 place, and it is an important part.

11 I think when the whole industry is
12 involved, we will take this to another level, because
13 we'll have everyone participating and providing
14 feedback, to where we'll learn from each other much
15 quicker. We've certainly learned; the four pilots
16 have weekly phone calls and have met almost every
17 quarter face to face, and have learned a lot from each
18 other through this process.

19 MEMBER RYAN: Mike, do you see after this
20 process of all the plants getting together, of the
21 binning becoming a finer set of bins that you use? I
22 mean you can solve the problem of which bin does it go
23 in by subdividing bins?

24 MR. GAFFNEY: Well, I think --

25 MEMBER RYAN: You mentioned you had looked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at that.

2 MR. GAFFNEY: I think that yes, what I've
3 seen in my time in the industry, we all are striving
4 for excellence and we look for best practices, and as
5 th four pilots have shared, we've kind of taken what
6 we view as the others' best practices. Remember, one
7 of the things about this process, if I can go
8 backwards safely, is this is the quarterly monitoring
9 that's going on.

10 Every two years we'll do this baseline
11 safety culture assessment, and then in the in-between
12 years, we have the INPO evaluation come in and look at
13 us, and evaluate safety culture. Those form
14 baselines, so that that -- our overall process in the
15 industry, as we strive for excellence and we look at
16 who's doing it best and then try to follow along, and
17 INPO helps drive us there.

18 So I think we'll see, as take the best and
19 keep refining this down to where we'll eventually be.

20 MEMBER RYAN: Practically speaking, does
21 that mean these green boxes at the bottom get finer,
22 more finely divided?

23 MR. HOUGHTON: Some people may have, and
24 in fact, the original thought I had had N, a box with
25 N in it, because different plants may have different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 metrics or different things that they want to look at.

2 MEMBER RYAN: So that makes it tough?

3 MR. HOUGHTON: Well, I mean this is saying
4 that --well, there's -- infinitely, we could take each
5 person in the plant and take every activity they did
6 every day, and I mean that's impossible, and then the
7 other is just to use --.

8 MEMBER RYAN: So you end with bins. I
9 understand all that. But I'm just trying to -- the
10 plant to plant comparison is where I'm stuck. If
11 everybody uses the same system, with kind of the same
12 bins, it makes a lot of sense as a system evaluation.
13 If everybody's got their own slant on the bins, you
14 may have apples and oranges.

15 MR. HOUGHTON: Yes. But the bins, though,
16 are the principles and attributes. So everybody has
17 the same -- they're binning this raw data into the
18 eight principles and the X number of attributes.

19 MEMBER RYAN: That's fine, but are they
20 doing it under the same criteria, so that if you bin
21 their data, you'll end up with the same distribution
22 that they did?

23 MR. HOUGHTON: Well, that's an astute
24 observation. It's the same one the NRC made at our
25 public meeting in July, that looking at the four

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pilots, we didn't all do it exactly the same, and
2 maybe that that would be an improvement. I think we
3 then got together and refined this process somewhat
4 and talked about that.

5 I think going forward, that's certainly
6 our desire, because we want to be able to compare
7 station to station.

8 MEMBER RYAN: You either end up with a
9 collective learning, where everybody is ultimately
10 doing the same kind of binning with the same sort of
11 results, or you'll end up with, you know, individual
12 plant histories that are okay linearly for that plant,
13 but are a little together to correlate.

14 MR. HOUGHTON: The game plan is to train
15 the entire industry using the pilot plants, and to
16 have recurring, recurring meetings for lessons
17 learned.

18 MEMBER RYAN: Yes. So you're working
19 towards that coherence goal?

20 MR. HOUGHTON: Yes.

21 MEMBER RYAN: All right.

22 CHAIRMAN BLEY: They started this -- I was
23 started to say this morning, it seems --

24 (Laughter.)

25 CHAIRMAN BLEY: They're going slow, and I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hope we can hold to that a bit, because we've got to
2 do some experimentation and working with it. You
3 can't set it up initially. From the one thing you
4 raised though, you might, if you're not getting things
5 right or this thing's off a little bit, you might not
6 be optimal in making things better.

7 But I can imagine that with all these
8 people within the organization focusing on these
9 issues and thinking about them, that you're not moving
10 ahead.

11 MEMBER RYAN: Well, this inter-comparison
12 step helps to overcome some of that if it's there too.

13 CHAIRMAN BLEY: If it's there.

14 MR. HOUGHTON: One of the comments that
15 the site-based president at North Anna made was is
16 that this provides -- this was the first opportunity
17 he had had to sit down with his direct reports and
18 talk about the culture of the station using data.

19 You know, he had lots of meetings to talk
20 about root causes and lots of meetings to talk about
21 trends and maintenance backlogs.

22 But this provided him a vehicle for
23 setting aside a couple of hours a quarter to sit down
24 and talk about what are the cultural implications of
25 what we're doing, and that's one of the key benefits

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we see from coming from this process.

2 MR. CHEOK: This Mike Cheok again. Just a
3 quick comment.

4 CHAIRMAN BLEY: Yes.

5 MR. CHEOK: I think a lot of the comments
6 that the committee's making now are very similar to
7 the comments that the staff has made to NEI and the
8 industry, and we would actually strongly encourage all
9 the plants and all the CEOs to adopt this initiative,
10 because we think it is an initiative that would lead
11 to safer plant operations, and you know, like as you
12 said also, that we need to go a little slower.

13 So what we're saying is, you know, we
14 would like to retain some kind of agency oversight,
15 some independent agency oversight on the process for
16 the next X years, and in X years we'll see what we
17 get, and then we will address the ROPS (ph) meeting.

18 MEMBER RYAN: So Michael, you get the same
19 question in your head then. How is this going to be
20 come more and more consistent and useable across the
21 industry over time?

22 MR. CHEOK: Correct, and which is why I
23 made the comment earlier that at this point, we have
24 four pilot plans, and so we need to see more data.

25 CHAIRMAN BLEY: How closely has staff been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 involved in following what's going on in the pilot
2 plans?

3 MR. CHEOK: We have observed the
4 activities in all four pilot plans.

5 MR. HOUGHTON: They've been at panel
6 meetings, senior leadership team meetings, and They've
7 been at the survey assessments that we've done at
8 three of the plants. We're happy with the coverage.

9 CHAIRMAN BLEY: So you're really staying
10 concurrent with every one of these major activities?

11 MR. CHEOK: Yes, we are.

12 CHAIRMAN BLEY: Yes, great.

13 MR. GAFFNEY: And they provide good
14 feedback to us. I'd be remiss if I didn't talk to Mr.
15 Ray's issue, which is our performance incentives for
16 our employees are linked to the safety culture
17 principles, and we have several links to them, not
18 only with the standard industrial safety, but also
19 with the development of people in the equipment
20 reliability and the -- which is reflected in the
21 principles, and of course in the human performance and
22 collective radiation exposure, etcetera.

23 So I leave you with again, we look at
24 much, a wide, diverse set of inputs, analyze, gives us
25 a broad safety cultural aspect. I think we've learned

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a lot from this process and we look forward to
2 continuing. Thank you.

3 CHAIRMAN BLEY: Mike, I'm getting the
4 strong impression you think this is really doable and
5 useful?

6 MR. GAFFNEY: I'm very excited about it.
7 I think, when I came into the industry, they embraced
8 human performance, the anatomy of an event, which
9 speaks to the bad, how to prevent bad outcomes. This
10 really takes us to the next level. Rather than
11 working an individual level, working at the cultural
12 level to take actions early to keep everybody focused
13 on the right behaviors.

14 CHAIRMAN BLEY: Thank you.

15 MR. HOUGHTON: Mr. Chairman, I had some
16 more examples from the other pilots, but I don't think
17 there's a need to plow through the additional data.

18 CHAIRMAN BLEY: I looked through them, and
19 I noted that a lot of the things we've heard earlier
20 are cropping up in those other examples. They aren't
21 quite arranged exactly the same way, but they're very
22 similar. So if that's okay with you, I think --

23 MR. HOUGHTON: So that's the end of our --
24 if there are any other questions, we'd be happy to
25 answer them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BLEY: Okay. I think we'll go
2 around the table. But first, are there any comments
3 from the public? Anybody out there need to say
4 something?

5 MR. SOLORIO: Do we need to get them off
6 of mute or whatever?

7 CHAIRMAN BLEY: Should we get Eric on? He
8 was the only one I knew we had. Could we take the
9 phone line off mute please?

10 MR. ZIMMERMAN: Eric is a future employee.

11 CHAIRMAN BLEY: I understand. He's,
12 that's very admirable to come in early and listen in
13 on this, and he'll be in this, in your group, right?

14 MR. ZIMMERMAN: Yes.

15 CHAIRMAN BLEY: Eric, can you hear us?

16 VOICE: Well, somebody's got to --

17 CHAIRMAN BLEY: Nobody's in the booth.
18 Okay. We'll be there in a second.

19 (Off mic comments.)

20 VOICE: Try again.

21 CHAIRMAN BLEY: It's open.

22 VOICE: Yes.

23 CHAIRMAN BLEY: Eric are you still there?
24 Anybody on the phone line?

25 VOICE: Maybe he just got tired.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BLEY: Or got tripped off.

2 MR. ZIMMERMAN: It would have been
3 admirable if he was still there.

4 (Laughter.)

5 MR. ZIMMERMAN: He was certainly there in
6 the beginning.

7 CHAIRMAN BLEY: All right. As we go to
8 the members, I'm going to start with Mike, because you
9 have some pressing things. Is there any comments you
10 want to leave us with and leave me with and the staff?

11 MEMBER RYAN: Well, I think the
12 implementation at the pilot studies has been really
13 informative, Mike. I'm encouraged by the fact that
14 it's working for you and it's getting better as you do
15 more and more of it. So that's very positive.

16 I think the fundamentals and the studies
17 that try and, that you implement, the culture and you
18 know, what you presented earlier is very interesting,
19 and you're clearly making a lot of progress.

20 I think it would be helpful to somehow
21 translate the statistical analysis data that's
22 familiar and loved by all statisticians, me included,
23 it would be good to translate that for the every man
24 or every person who is not going to understand, you
25 know, covariants and variants analysis of variants

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and, you know, all sorts of other statistical
2 analysis, so they can really understand a very simple
3 question: when are you confident and when are you not?

4 Because that's what they want to know.
5 You've got all this stuff. When are you confident
6 about it, and when are you not confident about it?
7 How does your confidence vary over, you know, various
8 aspects of the way data can change from one study to
9 the next.

10 Not just for non-statisticians, but I
11 think having a way to explain this complicated data to
12 the public will be very helpful, because the plants
13 ultimately are going to want to share this, I'm sure
14 in their public information programs and how they
15 measure their own success in this area of human
16 performance, and helping develop tools that easily
17 communicate the depth of the work that you've done,
18 and then how that can be related in a clearer way
19 would be very, very helpful. So thank you very much,
20 Mr. Chairman.

21 CHAIRMAN BLEY: Okay. Mario?

22 MEMBER BONACA: Well, it's interesting. I
23 mean I must say that, you know, what you have done has
24 been elusive for the whole industry for a long time,
25 and if it holds together, it would make one of our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 commissioners very happy.

2 (Laughter.)

3 MEMBER BONACA: Commissioner Apostolakis,
4 who has attempted to correlate the availability of
5 components with safety culture, to no avail until now.

6 So but it's a very interesting presentation and I
7 intend to go back and look at what you showed us.
8 Thank you.

9 CHAIRMAN BLEY: I think he ran out of
10 money. Harold?

11 MEMBER RAY: Well, I believe this is good
12 management practice. It's advancing the
13 professionalism with which all of the enterprises
14 affected will be managed, but especially nuclear
15 plants, and I'm certainly glad to see that what I in
16 my experience is a major disincentive for safety is
17 recognized by everyone as being an important factor.

18 The thing that continues to concern me, I
19 guess, and therefore I wouldn't in any way turn away
20 from what's being done or not support it fully, what
21 concerns me I've said already, and it was mentioned, a
22 better metaphor perhaps, was the black swan
23 phenomenon, and that is do we really achieve the most
24 important data that we have this way, and is there any
25 possibility that we contract from achieving it, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is to avoid major catastrophic events, such as the
2 Gulf coast event or many other events we can think of,
3 including within the nuclear industry.

4 You can say while we -- I know the
5 industry does say we're looking at precursors to those
6 kind of events, and as long as we manage those
7 effectively, we've done all we can to avoid them.
8 Perhaps that's true. I'm not sure.

9 But in any event, for the time being,
10 we'll have to assume it is, and the only thing I would
11 do potentially any differently than what's being
12 done, and I think Roy already said this would be done,
13 is to apply it to real events, where you can identify
14 the negatives that need to be -- the lessons learned,
15 so to speak, that need to be drawn from those events,
16 and make that information, build that in somehow to
17 this program.

18 So that we're not just looking at
19 improving the practice of management, but we're
20 actually trying to avoid repeating mistakes of the
21 past.

22 MR. ZIMMERMAN: We are intending on doing
23 that. We'll be coordinated with the program offices
24 to make that happen.

25 MEMBER RAY: Yeah. But you understand

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 why I say that. I mean you can get very wrapped up in
2 just trying to be better and better managers all the
3 time, comparing plants with each other, trying to
4 learn from them and so on and so forth.

5 All of that's good. I don't want to
6 denigrate it whatsoever. But at the end of the day,
7 we need to avoid the big events.

8 MR. ZIMMERMAN: Right.

9 CHAIRMAN BLEY: Okay. Said?

10 MEMBER ABDEL-KHALIK: As I said early on,
11 I'm sort of concerned about the completeness of the
12 set of traits. I'm also concerned about the sort of
13 bias in the study, where you start with the INPO
14 principles of strong safety culture, with which most
15 of the participants in the study are familiar, and the
16 question is are you getting correct information, or
17 are they just telling you what you want to hear?

18 MR. HOUGHTON: It is anonymous, sir.

19 MEMBER ABDEL-KHALIK: Pardon me?

20 MR. HOUGHTON: The surveys, of course, are
21 anonymous.

22 DR. BARNES: Yes. One of the --

23 MEMBER ABDEL-KHALIK: Yes, and --

24 DR. BARNES: Oh, I'm sorry.

25 MEMBER ABDEL-KHALIK: If I may, the third

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 point is that the pilot study, the binning is based on
2 the INPO principles and attributes, and in order for
3 this to be correct, that small booklet has to be not
4 only accurate but also complete. If it is not, if
5 it's either inaccurate or incomplete, that binning may
6 just lead you in the wrong direction. Those are my
7 concerns.

8 MEMBER RAY: Is it possible to --. It
9 might be.

10 (Simultaneous discussion.)

11 MEMBER ABDEL-KHALIK: Yes, a little.
12 Overlap, overlap.

13 CHAIRMAN BLEY: I'd like to thank everyone
14 who gave presentations and talked with us today. I
15 think they were great presentations and very
16 interesting interactions. I think you've made a lot
17 of progress and I look forward to seeing the policy
18 statement. I hope you could get it sooner rather than
19 later, and really backing us up on that.

20 I just have the one concern I raised
21 earlier. I don't know how important the validation
22 study is to what the committee's going to decide. If
23 we think it's important as we look harder and harder,
24 then we really need some details we can dig into to
25 understand it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm still, I know when we got to the
2 correlations at the end, the correlations are there.
3 I also know if you do regression, you sometimes see
4 good regressions and I need all the tests and then
5 you look at them.

6 You say what's that funny point out at the
7 end? Is that doing something? Then regression 30
8 years ago or more came up with Mallows' CP test, to
9 find if there's a pivot point or some funny point
10 that's really over-affecting the results.

11 There must be something like Mallows CP
12 for factor analysis, to see if there are a few points
13 that are dramatically affecting the results. I did a
14 quick look and saw there are some papers out there on
15 that. I don't know. But I'm suspicious of that from
16 those results.

17 So we really just ought to see more detail
18 on that, as soon as possible. If you've got reports,
19 if you've got things you can feed us on it, that would
20 be very helpful. It might turn out, you know, that
21 isn't the key hinge for us.

22 But if it is, we don't have much time to d
23 eal with that, and I wish we had had time to have
24 another meeting. We could learn a lot from you. But
25 I don't think there's a way to work that in. Overall,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 it was very good, and we look forward to seeing you at
2 the full committee.

3 I should say when you come to the full
4 committee, to not present it the way you did today. I
5 wouldn't start at the beginning and work all the way
6 through. I would tell very briefly a bit of the
7 history. I would emphasize the meetings you've had
8 and the workshops, and then give us one time the
9 preamble, the definitions and the traits. These are
10 the ones that came out of that process.

11 Then something of justification of the
12 traits, however you best do that. You may link that
13 to parts of the validation study, you may link it to
14 other things, and you might look at the questions that
15 came out of last year's meeting, again from our people
16 about the ways these could be grouped or compared to,
17 and the comments you heard today, to make a real
18 convincing case for those traits.

19 If you could work in, I know you haven't
20 done the implementation phase, but at least the flavor
21 of what it might look like and when it might begin to
22 come to past, given that the policy statement comes
23 out on time. So we'll probably get two hours, an hour
24 and a half? We don't know. We don't know yet. We
25 won't get a whole lot of time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 (Simultaneous discussion.)

2 CHAIRMAN BLEY: Well, I think an hour to
3 an hour and a half probably. So it's gotta be compact
4 and really tight. Thanks everyone for being here.
5 Sorry to keep you so late, but we went over a bit.
6 This meeting's adjourned.

7 (Whereupon, at 5:55 p.m., the meeting was
8 adjourned.)
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com



Draft Safety Culture Policy Statement

Diane Sieracki

Sr. Safety Culture Program Manager

Office of Enforcement

ACRS Subcommittee on Reliability and PRA

November 3, 2010

Objectives

- Provide information on activities concerning the development of the safety culture policy statement (SCPS)
 - 2009 FRN & public comments
 - 2010 safety culture workshop
 - Outreach Activities
 - Public Meetings
 - 2010 FRN & public comments
 - Final SCPS and SECY

2009 Commission Direction

- Publish the draft policy statement in the *Federal Register* for comment
- Consider incorporating suppliers and vendors
- Continue to engage broad range of stakeholders
- Seek opportunities to comport terminology with existing standards and references

Draft SCPS

November 2009 FRN

- Draft SCPS was published in the *Federal Register* in November, 2009
 - Definition based on the International Nuclear Safety Group's (INSAG), an advisor to the International Atomic Energy Agency (IAEA) definitions of safety culture
 - Eight characteristics based on the ROP, lessons learned, and benchmarking studies
 - 90 day public comment period

NRC Draft Safety Culture Definition

November 2009 FRN

That assembly of characteristics, attitudes and behaviors in organizations and individuals, which establishes that as an overriding priority, nuclear safety and security issues receive the attention warranted by their significance.

NRC Draft Safety Culture Characteristics, November 2009 FRN

- Licensee Decision Making
- Accountability
- Work Planning and Control
- Continuous Learning Environment
- Problem Identification and Evaluation
- Safety Conscious Work Environment
- Work Practices
- Resources

Safety Culture Workshop

February 2010

- Workshop was composed of a panel of 16 stakeholders with various affiliations (e.g., reactors, medical facilities, fuel cycle and gauge manufactures, universities, Organization of Agreement States) who worked together, and in breakout sessions with other attendees
- Panelists reached alignment on a definition and 8 traits of a positive safety culture using common terminology

February 2010 Workshop

Safety Culture Definition

Nuclear Safety Culture is the core values and behaviors resulting from a collective commitment by leaders and individuals to emphasize safety over competing goals to ensure protection of people and the environment.

February 2010 Workshop

Safety Culture Traits with revisions by staff

- Leadership Safety Values and Actions
- Personal Accountability
- Work Processes
- Continuous Learning
- Problem Identification and Resolution
- Environment for Raising Concerns
- Effective Safety Communication
- Respectful Work Environment

NRC's Draft Safety Culture Policy Statement characteristics November 2009 FRN	February 2010 workshop safety culture traits
Licensee Decision Making The organization's decisions ensure that safety and security are maintained.	Leadership Safety Values and Actions Leaders demonstrate commitment to safety.
Accountability Roles, responsibilities, and authorities for safety and security are clearly defined and reinforced.	Personal Accountability Everyone is personally responsible for nuclear safety.
Work Planning and Control Process for planning and controlling work activities are implemented such that safety and security are maintained.	Work Processes Processes for planning and controlling work activities are implemented such that safety is maintained.
Continuous Learning Environment The organization maintains a continuous learning environment in which opportunities to improve safety and security are sought out and implemented.	Continuous Learning Organizational learning is embraced.
Problem Identification and Evaluation The organization ensures that issues potentially impacting safety or security are promptly identified, fully evaluated, and promptly addressed and corrected commensurate with their significance.	Problem Identification and Resolution The organization ensures that issues potentially impacting safety or security are promptly identified, fully evaluated, and promptly addressed and corrected commensurate with their significance.
Safety Conscious Work Environment The organization maintains a safety conscious work environment in which personnel feel free to raise safety and security concerns without fear of retaliation.	Environment for Raising Concerns The organization maintains a safety conscious work environment in which personnel feel free to raise concerns without fear of retaliation.
- discussed in Work Planning and Control characteristic	Effective Safety Communication Effective communication is essential to maintain focus on safety.
	Respectful Work Environment Trust and respect permeate the organization.
Work Practices Personnel demonstrate ownership for nuclear safety and security in their day-to-day activities.	- incorporated into Work processes trait
Resources The organization ensures that the personnel, equipment, tools, procedures, and other resources needed to ensure safety and security are available.	- Incorporated into Leadership trait

Tiers for Development and Implementation of the SCPS

Tier 1

Definition

Overarching definition that applies to all of the nuclear industry

- Easy to understand
- Timeless
- Inclusive

Tier 2

Description

Set of high level descriptions of what constitutes a strong safety culture

- Applies to everyone who engages in NRC licensed activities
- Speak to all levels of the organization

Current activities – definition and traits

Tier 3

Application

Illustrates how the high level descriptions are translated to lower level descriptions that are implemented in different environments

- Describes programs, processes, procedures, practices, behaviors, etc.
- Details may vary depending on licensee type and environment (potential for different sets)

Next step –
implementation

“Leadership” Exercise

February 2010 Workshop

Example of Tier 3

- Management is in the field enforcing standards
- Commitment to maintaining equipment
- Resolves conflict
- Rewards safe behavior
- Rewards (incentives) and sanctions used to reinforce desired positive nuclear safety behaviors
- Respects differing opinions
- Actions match words
- Schedules are realistic and do not challenge safety standards

Evaluation of Public Comments on November 2009 FRN

- Comment period ended March, 2010
- Three main issues identified:
 - Implementation of policy statement needs clarification
 - Inclusion of “security” in definition and traits not recommended
 - Use of a policy statement which is not enforceable vs. a regulation

Public Meeting

July 15, 2010

- Conference call with February workshop panelists and members of the public
 - Reviewed results of public comments on the November 2009 FRN
 - Specifically addressed issue of security
 - Continued endorsement of the workshop definition and traits

Additional Outreach

May - August, 2010

- NRC staff attended or participated in industry forums
 - Health Physics Society; Fuel Cycle Information Exchange; Institute of Nuclear Materials Management; National Conference on Radiation Control; NRC workshop on Vendor Oversight, etc.

INPO Validation Study

- Study results presented to the:
 - NRC steering committee on September 2, 2010
 - workshop panelists during a public meeting/conference call on September 16, 2010
 - workshop panelists and members of the public during the Las Vegas public meeting on September 28, 2010
- Results demonstrated reasonable alignment between the traits identified in the study and those developed at the workshop
- Suggested adding “questioning attitude” as a ninth trait

NRC Revised Draft Safety Culture Policy Statement

September 2010 FRN

- Includes use of 2010 workshop definition and revised workshop traits
- The term “security” not included in revised definition or traits
- A preamble was added prior to the list of traits to address the significance of security

Preamble Added to the NRC Revised Safety Culture Traits

- Defines a trait as a pattern of thinking, feeling, and behaving that emphasizes safety
- Notes that although the term "security" is not expressly included in the traits, as the primary pillars of the NRC's regulatory mission, consideration of both safety and security issues, commensurate with their significance, is an underlying principle of the Statement of Policy

Preamble addressing security

Experience has shown that certain personal and organizational traits are present in a positive safety culture. A trait, in this case, is a pattern of thinking, feeling, and behaving that emphasizes safety, particularly in goal conflict situations, e.g., production vs. safety, schedule vs. safety, and cost of the effort vs. safety. It should be noted that although the term “security” is not expressly included in these traits, safety and security are the primary pillars of the NRC’s regulatory mission.

Consequently, consideration of both safety and security issues, commensurate with their significance, is an underlying principle of this Statement of Policy.

Additional Changes

Revised Draft Safety Culture Policy Statement

September 2010 FRN

- Traits are included in the Statement of Policy (rather than included in the Federal Register to support the Statement of Policy)
- Is applicable to vendors and suppliers of safety – related components
- Indicates Commission's expectations that the Agreement States and other organizations interested in the safe use of nuclear materials develop and maintain a positive safety culture
- Asked whether the INPO Validation Study results should be considered.

Public Meeting

September 28, 2010

- Two locations (Las Vegas as the focal point and Rockville as a second location) with attendance through webstreaming
- Presented the INPO Validation Study results
- Stakeholders representing different industries presented their views – 6 of the February workshop panelists presented.
- Expressed support for the definition and traits from the workshop
- Expressed concerns with implementation phase

Evaluation of Public Comments on September 2010 FRN

- Comment period ended October 18, 2010
- Two main issues identified:
 - Distinction should be made between different types of licensees in the SCPS, and credit given to those with existing safety culture practices
 - Stakeholders requested continued involvement, through workshops and other outreach methods, during the implementation phase of the policy statement.

Proposed Final Draft Safety Culture Policy Statement/SECY

- Definition and traits of a positive safety culture are in the Statement of Policy
- “Questioning Attitude” added as a ninth trait
- Complacency is mentioned in the description of “Questioning Attitude”
- Preamble to address security
- Implementation is not directly addressed
- Recognition of diversity of regulated entities
- Vendors and Suppliers are included

Proposed Final Draft Safety Culture Policy Statement/SECY

- Nuclear safety culture is the core values and behaviors resulting from a collective commitment by leaders and individuals to emphasize safety over competing goals to ensure protection of people and the environment

Proposed Final Draft Safety Culture Policy Statement/SECY

- Leadership Safety Values and Actions
- Personal Accountability
- Work Processes
- Continuous Learning
- Problem Identification and Resolution
- Environment for Raising Concerns
- Effective Safety Communication
- Respectful Work Environment
- Questioning Attitude

Next Steps

- Provide proposed Final Statement of Policy to the Commission
- Commission Direction
- Implementation Phase
 - Stakeholder involvement with program offices for “tier 3”
 - Office of Enforcement remain as the focal point for the coordination of activities in the implementation phase

Key Messages

- Two year effort with considerable outreach to stakeholders
- Definition and Traits have been almost unanimously approved by the various stakeholders
- Requesting a letter of recommendation from ACRS to the Commission



David Walter, Chair, Alabama
Cheryl Rogers, Chair-Elect, Wisconsin
Ann Troxler, Past-Chair, Louisiana
Mike Snee, Treasurer, Ohio
Pat Gardner, Secretary, New Jersey
Mike Welling, Director, Virginia
Lee Cox, Director, North Carolina

October 22, 2010

Diane J. Sieracki
Sr. Safety Culture Program Manager
Office of Enforcement
Two White Flint North
11545 Rockville Pike
Rockville, MD 20852

RE: Organization of Agreement States (OAS) Talking Points on Safety Culture for the November 3, 2010 Advisory Committee on Reactor Safeguards Meeting of the Subcommittee on Reliability and PRA

Dear Ms. Sieracki,

I offer the following talking points for the above meeting on Safety Culture Policy:

1. Reasonable Assurance of Adequate Safety, Not Absolute Assurance of Perfect Safety

Imperative for success but does not guarantee it.

Safety Culture best described as always “a work in progress.”

A priority of leadership in which performance is demonstrated by being prevalent throughout an organization.

2. Existing Agreement State Risk-Informed Safety Culture

Current pre-licensing visits, licensing, inspection, investigations, increased controls, regulations, licensee commitments, NMED, NSTS, SS&D evaluations are all part of the existing culture.

No need for a huge shift in the pendulum.

Safety goals and expectations differ within industries and types and quantities of material.

Differing expectations specified in sub-tier language of traits and characteristics of a clear and concise policy.

3. Policy Being the Appropriate Regulatory Vehicle

All AS support the development of the safety culture policy statement in lieu of a formal regulation.

Formal regulation would further strain suffering budgets.

Alabama, Arizona, Arkansas, California, Colorado, Florida, Georgia, Illinois, Iowa, Kansas, Kentucky, Louisiana, Maine, Maryland, Massachusetts, Minnesota, Mississippi, Nebraska, Nevada, New Hampshire, New Jersey, New Mexico, New York, North Carolina, North Dakota, Ohio, Oklahoma, Oregon, Pennsylvania, Rhode Island, South Carolina, Tennessee, Texas, Utah, Virginia, Washington, Wisconsin

4. Agreement States' Safety Culture Outreach Activities

35 states shared and continue to share information with their licensees about the policy.

5. No One Material or Use of Material to be the Preeminent Thought

Defining "Radiation Safety Culture."

States not having the luxury of nuclear only focus.

6. Agreement State Position on the Proposed Safety Culture Policy Statement

Strong foundation of all Agreement State programs.

"Nuclear Safety Culture" (although not necessarily by that name) the preeminent thought in development and implementation of the Agreement State programs and their regulated community.

Awaiting a final policy statement for consideration.

7. Implementation Phase

Continue to work with the Agreement States as co-regulators on clear policy guidance.

Integrated Materials Performance Evaluation Program (IMPEP) currently evaluates performance with regard to safety culture.

Collegial relationship should be path forward.

Thank you and I look forward to sharing the Agreement States' perspective with regard to the proposed Safety Culture Policy.

Sincerely,

W. Lee Cox, III

W. Lee Cox, III, OAS Director
NC Radiation Protection Section
3825 Barrett Drive
Raleigh, NC 27609
919-571-4141 ext. 201
lee.cox@ncdenr.gov



Institute of Nuclear Power Operations

Safety Culture Traits Validation Studies

ACRS Public Meeting

Washington DC

03 November 2010

G. Kenneth Koves, Ph.D.

Presentation Purpose

- Present research results of two studies
 - Safety culture survey administered across the power reactor industry
 - Slightly modified version of the safety culture survey administered within AREVA Fuels



Why Include these Studies in the Discussion?

- Most formulations of safety culture (IAEA, NRC, INPO) were created by a small group of experts
- This is an attempt to incorporate data from much larger groups into the discussion



Limitations of the First Study

- Only power reactors
- Correlational, not predictive



Questions of the Study

- How well do the factors from a safety culture survey align with the safety culture traits that were identified during the Feb 2010 workshop?
- Do the factors relate to other measures of safety performance?



Survey Development

- Started with the Utility Service Alliance survey based upon INPO's Principles for a Strong Nuclear Safety Culture (73 items)
- Edited and added questions to accommodate workshop Traits
- NRC reviewed and suggested edits and additional items based on Traits, IAEA, ROP, and literature
- Final version was 110 items (51% more items)
- 7-point scale (strongly disagree to strongly agree w/ Don't Know)



Example Items

- People are treated with dignity and respect by station leadership
- We have a strong quality assurance process and organization
- Our performance indicators help us to stay focused on the 'right things'
- The procedures at this site are generally up-to-date and easy to use
- Staffing levels are adequate to meet work demands



Example Items

- At this station, people are routinely rewarded for identifying and reporting nuclear safety issues
- Dialogue and debate are encouraged when evaluating nuclear safety issues
- I would not hesitate to take a concern to our Employee Concerns Program
- Decision-making at this site reflects a conservative approach to nuclear safety
- Supervisors are responsive to employee questions



Survey Administration

- Online survey
- Administered by a vendor
- Randomly selected sample of 100 personnel from each site
- 63 nuclear reactor sites participated (97%)
- An average of 46 individuals participated from each site
- 2,876 individuals provided valid responses to the majority of items




Survey Analysis

- Principal Components Analysis performed to identify the “factors” within the data



PCA/Factor Analysis

- Need: to reduce the set of variables (items) in a dataset
 - Intuitive factor analysis
 - PCA/Factor analysis



Reactor Factor Results

1. Management Responsibility

- Respectful Work Environment
- Continuous Improvement
- Performance Indicators
- Resources
- Rewards

2. Willingness to Raise Concerns

- Informally
- Formally



Reactor Factor Results

3. Decision Making

- Decisions are conservative, timely, safety-focused, and engender confidence

4. Supervisor Responsibility

- Communication
- Presence/Availability
- Coaching
- Management Alignment



Reactor Factor Results

5. Questioning Attitude

- Situation/Problem Awareness
- Process Use
- Plant Knowledge

6. Safety Communication

- Safety communication is broad and includes plant-level communication, job-related communication, worker-level communication, equipment labeling, operating experience, and documentation



Reactor Factor Results

7. Personal Responsibility

- It is my responsibility to report concerns and practice nuclear safety

8. Prioritizing Safety

- Nuclear safety is a priority that is seen in meetings, expectations, coaching, and decisions

9. Training Quality

- Training is high quality, supported by management and encourages nuclear safety



Reactor Factors vs. Traits

- Management Responsibility for Safety
 - Respectful work environment
 - Continuous improvement
 - Performance Indicators
 - Willingness to Raise Concerns
 - Supervisor Responsibility for Safety
 - Questioning Attitude
 - Procedure Use
 - Communication
 - Personal Responsibility for Safety
 - Decision Making
 - Prioritizing Safety
- Leadership Safety Behaviors
 - Respectful Work Environment
 - Problem Resolution and Metrics, Continuous Learning
 - Encouraging Report of Problems
 - Processes and Procedures
 - Effective Safety Communication
 - Personal Responsibility and Attitudes



Training Quality

Reactor Factors, Traits, Principles, & ROP

Survey Factors	Workshop Traits	INPO Principles	ROP Components *
Management Responsibility	Leader Safety Respect Work Environment Problem Res & Metrics Continuous Learning	2. Leader Demonstrates 3. Trust Permeates 7. Org Learning 8. Nuc Under Cons Exam	2. Resources 5. CAP 6. OE 7. Self & Ind Assessment 8. Environ Raise Concerns 10. Accountability 11. Cont Learn Environ 12. Org Change Mgt
Supervisor Responsibility			
Personal Responsibility	Personal Accountability	1. Everyone Personally Responsible	
Decision Making		4. Decision Making Reflects Safety First	1. Decision Making
Communication	Effective Safety Comm		3. Work Control
Training Quality			
Questioning Attitude	Work Processes	6. Ques Att is Cultivated 5. Nuclear Tech is Unique	
Willingness to Raise Concerns	Environment for Raising Concerns		9. Preventing Retaliation
Prioritizing Safety			13. Safety Policies

AREVA Fuels Survey Administration

- Slightly modified power reactors survey
 - Deleted 1
 - Slightly modified 39 (e.g. deleted 'at this station')
- Online survey
- Administered by AREVA corporate
- Invited all employees in the function (~993)
- 813 responded (82%)
- 673 individuals provided valid responses to 99% of items (68%)



AREVA Fuels Factors vs. Traits

- | | |
|---|--|
| <ul style="list-style-type: none">• Management Responsibility for Safety<ul style="list-style-type: none">– Addressing Concerns– Process/Proc Use and Quality– Continuous improvement– Questioning Attitude– Decision-making and Communication– Training• Positive Work Environment<ul style="list-style-type: none">– Respectful Work Environment– Clear Focus/Performance indicators– Information Sharing– Employee Input– Staffing Levels• Personal Responsibility for Safety<ul style="list-style-type: none">– Reporting Issues– Plant Knowledge– Security• Supervisor Responsibility for Safety<ul style="list-style-type: none">– Responsiveness– Presence• Prioritizing Safety• Raising Concerns• Co-worker Procedure Use | <ul style="list-style-type: none">• Leadership Safety Behaviors• Problem Resolution and Metrics, Continuous Learning• Effective Safety Communication• Respectful Work Environment• Personal Responsibility and Attitudes• Encouraging Report of Problems• Processes and Procedures |
|---|--|



Do the reactor factors relate to other safety measures?

- Calculated correlations of the factor (and subfactor) for each site with INPO and NRC measures related to safety culture/organizational effectiveness and equipment performance
- Average correlations in previous meta-analyses were .22 and .31 (Clarke, 2006; Christian, et al, 2009)



Factor-Specific Validities *

Factor	ROP	Unpln Critical Scram	Unpln Auto Scram	Heat Remo Avail	Emer Power Avail	Per Safe Idx	CY Idx	HU Err Rate
Mgt Responsibility	.30	.29	.34	.18	.26 (.31)	.23 (.31)	.27 (.39)	.38
Raising Concerns	.25	.17	.24	.19	.27	.22	.22	.37
Decision Making	.32	.28	.38	.22	.24	.25	.28	.36
Sup Responsibility	.28 (.35)	.15	.22 (.40)	.35	.30	.19	.14 (.32)	.40
Quest Attitude	.18	.27	.26 (.44)	.16	.37	.32	.26 (.32)	.28
Safety Comm	.20	.32	.34	.16	.27	.27	.28	.39
Per Responsibility	.05	.16	.21	.20	.14	.25	.27	.21
Prioritizing Safety	.21	.24	.30	.23	.17	.22	.21	.25
Training	.12	.33	.40	.14	.15	.13	.30	.19

(Subfactor scores in parentheses)

* Correlations absolute values

General Conclusions

- Results support the existence of the workshop traits, however in a slightly different configuration
- Factors are consistent with research in other domains
- Survey factors are related to other measures of organizational effectiveness and equipment performance in nuclear power plants



Q&A

- Questions
- Plus/Delta
- koveskg@inpo.org





NRC Independent Evaluation of INPO's Safety Culture Traits Validation Study

Valerie Barnes, PhD

Office of Nuclear Regulatory Research
ACRS Subcommittee on Reliability and PRA
November 3, 2010

Purposes of the Study

- Independently evaluate INPO's approach and data analysis decisions
- Assess whether the factors from INPO's safety culture (SC) survey correlate with other measures of SC and equipment performance the NRC has available

INPO/NEI/NRC Roles

- Nuclear Energy Institute funded the data collection
- INPO developed the survey, oversaw administration, performed majority of the analyses
- NRC reviewed/commented on survey items and study design
- Idaho National Lab, under contract to NRC, independently verified INPO's analyses, conducted additional analyses

Examples of NRC Measures

- Number, source and type of allegations
- Performance indicators maintained under the Reactor Oversight Process (ROP)
- Inspectors' assignment of SC aspects to inspection findings
- Location and movement in the ROP Action Matrix
- Cross-cutting and substantive cross-cutting issues identified during mid-year and year-end performance assessments

Overview of Criterion Validity Results

- Correlations between the factors/subfactors and NRC 2009 measures were satisfactory and in the expected direction
- Correlations between factors/subfactors and NRC 2008 measures weaker but also in expected direction

Example SC Correlations*

Factor	Variable	Correlation
Mgt Responsibility	HP Aspects	.31
Raising Concerns	Substantiated Allegations	.40
Decision Making	PI&R Aspects	.38
Supv Responsibility	Total Aspects	.30
Questioning Attitude	HP Cross-cutting Issues	.35
Safety Communication	Total Aspects	.30
Personal Responsibility	HFIS Communication Issues	.26
Prioritizing Safety	HFIS Work Practices/Procedures	.27
Training Quality	Total Aspects	.29

* Correlations are absolute values

Example Correlations w/ Equipment Performance*

Factor	Variable	Correlation
Mgt Responsibility	Power Changes/7000 hrs	.38
Raising Concerns	Power Changes/7000 hrs	.27
Decision Making	EDG Actuations	.38
Supv Responsibility	Findings related to Initiating Events	.39
Questioning Attitude	Forced Outage Rate	.43
Safety Communication	Forced Outage Rate	.34
Personal Responsibility	Unplanned auto scrams	.30
Prioritizing Safety	Forced Outage Rate	.32
Training Quality	EDG Actuations	.43

* Correlations are absolute values

Consistency with Research from Other Domains

Workshop Traits	PCA Results from Non-nuclear Domains
Leadership Values/Actions	Hospitals, construction, manufacturing, small business
Personal Accountability	Construction, manufacturing, small business
Work Processes	Hospitals, small business
Continuous Learning	Hospitals, small business
PI&R	Part of Continuous Learning in hospitals, small business
Envi for Raising Concerns	Hospitals, construction, manufacturing, small business
Safety Communication	Hospitals, small business
Respectful Environment	Hospitals, construction, manufacturing, small business
Questioning Attitude	Hospitals, construction, small business

NRC Conclusions

- INPO methods, data analyses and interpretations appropriate
- Workshop traits supported by either a factor or subfactor from INPO survey
- Stronger correlations of Questioning Attitude with SC and equipment performance measures support its inclusion as a trait
- Similar traits identified in non-reactor settings

Fostering a Strong Nuclear Safety Culture

Challenges with the Existing Situation

- Industry is responsible and needs to take the lead
- Inspection findings, with cross-cutting aspects, are a very limited set of data
 - Value of Substantive Cross Cutting Issues is unsubstantiated
- Industry has not taken full advantage of all the possible indications of safety culture weakness
- There is no industry-wide guidance for conducting safety culture assessments
- Different NRC/INPO terminology creates confusion

Industry Objective: Achieve A Strong Nuclear Safety Culture

- **Establish a repeatable, holistic approach (NEI 09-07) for sites to use in assessing safety culture on a continuing basis**
 - **Integrate all data available**
 - **NRC provide appropriate and transparent oversight**
- **Establish a common methodology for conducting surveys and snapshot assessments (NSCA)**
- **Work with NRC and other stakeholders to develop a common language of nuclear safety culture**

PSEG Hope Creek Pilot Results

STP Results

- **Improvement Opportunity identified against Principle 3, *Trust Permeates the Organization*.**
 - Personnel in some organizations lacked confidence that some concerns would be fully addressed by their supervisors.
 - This issue did not deter individuals from expressing nuclear safety concerns in each organization.
 - Actions were put in place to improve supervisory behaviors that build trust.
 - This issue had the potential to impact the safety culture if not addressed at a low threshold.

STP Results

- **Communicate more clearly to station personnel the relationship between the STP Incentive Compensation Plan and nuclear safety**
- **Improve manager and supervisor visibility in the field**
- **Improve strategic benchmarking**
- **Resolve relationship issues between organizations that are hindering station performance**

Braidwood SLT Semi-Annual Review

- **Identified safety culture improvement opportunities**
 - **Principle 3 – Organizational Trust**
 - **Long-term issues not being resolved**
 - **Communication challenges**
 - **Principle 5 – Nuclear is Recognized as Special**
 - **Cross-functional human performance issues**
 - **Principle 7 – Organizational Learning**
 - **Investigation and issue resolution weaknesses**

Braidwood Results

- **Monitoring Panel identified safety culture weaknesses in specific departments and with specific site issues**
- **Monitoring Panel binning and focus areas were consistent with independent NSCA observations**
- **SLT review challenged sites actions / progress related to resolving NSCA negative observations**
- **SLT review identified Improvement Opportunity in Principle 7 – Organizational Learning**
 - **Consistent with Oversight / Offsite Review Board feedback of recent decline in CAP performance**
- **NSCA and SLT review noted effective site action and improvements in decision making – consistent with recent NRC feedback related to existing SCCI**

North Anna Results

- **Provided Training, and other actions to address issues identified in panel and SLT meetings**
 - Results tracked by CAP
 - Davis-Besse and Strategic and Action Planning leadership training
 - Managing Risk and Proceeding in the Face of Uncertainty leadership training
 - QVV (Question, Validate, Verify) leadership training
 - Change Management (Who, What, When) leadership training
 - Importance of adhering to nuclear standards and personal accountability leadership training
 - Collective significance review of items binned under INPO principle #7, (Organizational Learning is Embraced)
 - Passive Design Features training for the entire staff

Conclusion

- **The NEI 09-07 process:**
 - **Provides a method to identify nuclear safety culture issues and take action**
 - **Provides a forum for perception issues (i.e., faint signals) to be addressed**
 - **Is transparent**
 - **Is well-defined and repeatable**
 - **Promotes management accountability for nuclear safety culture**



Hope Creek Generating Station, PSEG Nuclear LLC


Mike Gaffney,

Regulatory Assurance Manager and Safety Culture Project Lead

November 3, 2010

Hope Creek Safety Culture Pilot Project

Site Nuclear Safety Culture Process



Hope Creek Safety Culture Pilot Project

Pilot Implementation

- Developed a procedure
- Compiled a cross-functional Nuclear Safety Culture Monitoring Panel (NSCMP) Team
- Trained NSCMP and Senior Leadership Team (SLT)
- Identified severity levels for the process inputs
 - Precursor
 - Near Miss
 - Event
 - Strength
- Established metrics and thresholds to evaluate results
- Held quarterly NSCMP and SLT team meetings
 - NRC observed the meetings
 - NSRB reviewed the results
- Incorporated lessons learned

Perspective after four quarters of review process:

- Process provides a different view of familiar plant issues that generates healthy discussions, reflection and comparison to SLT's perspective
- Offsite Review Committee engaged in reviewing process and provides valuable perspective
- Process classifies low level issues and allows early, proactive action

Conclusions

- Large number of diverse plant inputs analyzed provide a broad view of safety culture
- The SLT perception of plant issues were validated through cultural data analysis and discussions with Nuclear Safety Culture Monitoring Panel
- Process allows early identification of cultural issues