

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
 Westinghouse AP1000 DCD Subcommittee
 Open Session

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, November 2, 2010

Work Order No.: NRC-529

Pages 1-73

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

WESTINGHOUSE

AP1000 DCD SUBCOMMITTEE

OPEN SESSION

+ + + + +

TUESDAY

NOVEMBER 2, 2010

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B1, 11545 Rockville Pike, at 1:41 p.m., Harold B.
Ray, Chairman, presiding.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

SUBCOMMITTEE MEMBERS:

HAROLD B. RAY, Chairman

SAID ABDEL-KHALIK, Member

J. SAM ARMIJO, Member

DENNIS C. BLEY, Member

MARIO V. BONACA, Member

JOY REMPE, Member

MICHAEL T. RYAN, Member

WILLIAM J. SHACK, Member

JOHN D. SIEBER, Member

CONSULTANTS:

THOMAS S. KRESS

GRAHAM B. WALLIS

DESIGNATED FEDERAL OFFICIAL:

WEIDONG WANG

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C-O-N-T-E-N-T-S

Other Chapter 19 Applicant	5
Chapter 9 Applicant	15
Chapter 9 Staff	32
Action Item Presentations	58
Adjournment	75

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1

2

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

P-R-O-C-E-E-D-I-N-G-S

1:41 p.m.

1
2
3 CHAIRMAN RAY: On the record. I will take
4 a break, but I just think it's too soon to do it right
5 at the moment. Those of you who must have your
6 laptops in front of you -- normally that would be me -
7 - may go one at a time and get your -- Not supposed to
8 be in the room we were told.

9 MR. WINTERS: Excuse me, Chairman.

10 CHAIRMAN RAY: What do you need?

11 MR. WINTERS: There was a question about
12 the Westinghouse presentation. It is marked security
13 related information.

14 CHAIRMAN RAY: Yes.

15 MR. WINTERS: That is not safeguards.

16 CHAIRMAN RAY: Yes.

17 MR. WINTERS: It is SRI only. So you can
18 handle them as you normally would handle security
19 related, not safety.

20 CHAIRMAN RAY: Okay.

21 (Off the record comments.)

22 MR. SISK: Was the answer we were going to
23 talk about 19?

24 CHAIRMAN RAY: Yes, the answer is we're
25 going to talk about 19.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SISK: Okay. We've got the people
2 coning right over.

3 CHAIRMAN RAY: Thanks.

4 (Off the record comments.)

5 Okay. All of this babble will be on the
6 normal transcript I guess.

7 Let me ask Westinghouse also. There was a
8 comment that there was a corrected copy of the report
9 that Sam looked at yesterday and some of the others
10 have looked at it.

11 MEMBER ARMIJO: En route.

12 CHAIRMAN RAY: It will be here and you
13 will let us know when it arrives, will you?

14 MR. CUMMINS: That is correct.

15 CHAIRMAN RAY: Thank you.

16 MEMBER REMPE: Would it just be today that
17 we have access to look it over? Or will it be here
18 for today and tomorrow or what's the plan?

19 CHAIRMAN RAY: May we have it for whatever
20 remains of today when it gets here and tomorrow
21 morning?

22 MR. CUMMINS: Yes.

23 CHAIRMAN RAY: Thank you. Okay. We're
24 getting the telephone line opened.

25 (Off the record comments.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Okay. We're getting ready to begin the
2 open session now of today's AP1000 meeting. We need
3 to have the telephone in listen only mode.

4 Thank you guys for standing by and coming
5 in at our request. Sorry we're running a little late
6 today.

7 MR. ANDERSON: No problem.

8 CHAIRMAN RAY: We would like to have the
9 slides up and running, but in the interest of time
10 we're ready when you are. So if you've got any
11 introductory comments or we can run off of these
12 handouts that are being passed around.

13 (Off the record comments.)

14 Mr. Anderson, are you going to start?

15 5 OTHER CHAPTER 19 - APPLICANT

16 MR. RAY: Actually, I'm going to give the
17 presentation this time.

18 CHAIRMAN RAY: All right.

19 MR. RAY: Everybody have a copy of the
20 slides?

21 CHAIRMAN RAY: Yes.

22 MR. RAY: Okay. So this is the AF SER
23 review for Chapter 19. We've already come for the
24 original SER with open items. This is basically just
25 closure of the five open items and I'm going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 briefly cover them. I actually will very briefly
2 cover the seismic margin 1 and the AIA because they've
3 already been discussed.

4 CHAIRMAN RAY: Yes.

5 MR. RAY: This is just Chapter 19
6 overview. Chapter 19 has the PRA, the asbestos severe
7 accident phenomenon, equipment survivability,
8 obviously we're been talking about it all more, the
9 malevolent aircraft impact, shutdown evaluation, and
10 there is some assessment of the AP1000 design
11 features.

12 With me to make sure I introduce him is
13 Rick Anderson from Westinghouse. He's got the PRA
14 lead for the AP1000 and Andrea Maioli from
15 Westinghouse also. He helped with the seismic margin
16 and is also here providing support.

17 There were as we discussed five open items
18 that were identified in the SER with open items. I
19 just listed here. I'll actually go over each one as
20 we go through the slides.

21 The first one was a request for a more
22 detailed resolved and requantified PRA model and any
23 DCD updates that may have been necessary for this open
24 item. You'll notice as we go further if you look at
25 the two different open items there's a Number seven

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and Number 13. They're very similar. Number seven
2 deals with the at-power PRA and Number 13 deals with
3 the low power and shutdown PRA.

4 For this, originally the DCD Rev. 17 did
5 not reflect the new I&C model provided in the PRA. So
6 the PRA was requantified. Results for the at-power
7 requantification show that that the core damage
8 frequency and the large release frequency are very
9 similar along with the top cut sets were very similar
10 to what was in there before. So there were no DCD
11 changes required for that requantification of the PRA.

12 For Number 12, we've already discussed
13 this. This was the seismic margin analysis and
14 pulling the DCD and putting a lot more information
15 into Chapter 19.55 to be in compliance and the
16 guidance provided in ISG-20.

17 Thirteen, again this was the shutdown PRA
18 risk. We did provide more detail in the DCD Chapter
19 19.59-5 to reflect the results and insights of the
20 requantified low power shutdown PRA. We discovered
21 that when we did this requantification the results
22 were different enough that we should update the DCD.
23 So this is actually now a confirmatory item. The
24 staff has gone through and reviewed it as part of
25 their audits for Chapter 19. They agree with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 numbers for the requantification.

2 MEMBER BLEY: And this will be in Rev. 18.

3 MR. RAY: Eighteen, that's correct. Yes.

4 Fourteen, this was actually there was some
5 discrepancy and I'll say confusion on one of the
6 calculations we had that discussed containment
7 inventory radionuclides. So this was basically an
8 open item for more information.

9 Also they wanted mechanical hatches and
10 gaskets into the environmental assessments which we
11 agreed upon. We said, "Yes, they should have been in
12 there."

13 And there were some confusing terms in our
14 severe accident words in Chapter 19 related to how the
15 hydrogen monitors would be used in a severe accident.

16 We actually -- There was some stuff in Rev. 17 that
17 wasn't correct anymore with the design. And we needed
18 to correct those words.

19 So we updated it. And again, that's a
20 confirmatory item. DCD Rev. 18 will fix the section
21 related to hydrogen monitors.

22 And the last one is the open item on the
23 AIA based on -- The open item was left there based on
24 needing the new guidance provided in the draft guide.

25 At the time we issued the SER with open items, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 draft guide wasn't finished. That's why the open item
2 stayed. And we already discussed. They had issued us
3 RAIs before the inspection. But we updated Chapter
4 19F or 19 Foxtrot on.

5 MEMBER BLEY: Now I don't want to bring up
6 things we can't talk about here. But there were
7 things identified in response to the violation on the
8 AIA that were design changes. I don't know where they
9 show up in the DCD or where they will show up Rev. 18.

10 MR. RAY: Chapter 9.

11 MEMBER BLEY: They'll be in Chapter 9.

12 MR. RAY: That's correct.

13 MEMBER BLEY: All right.

14 MR. RAY: There were -- And it's not even
15 SRI in Chapter 9.

16 MEMBER BLEY: Okay.

17 MR. RAY: There were barriers originally
18 for the RAIs that we had sent. They requested -- They
19 sent us an RAI. They requested more information
20 related to some of the barriers, the five PSI
21 barriers. And we said okay. So we put two in for
22 Chapter 9.

23 While Westinghouse is going through and
24 preparing for the AIA inspection, realize that there
25 actually needed to be three more barriers in a wall.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 A design change was done right prior to the inspection
2 and it was just a matter of timing. The design was
3 done I think the Thursday or Friday before they came.

4 So when they came they saw all the new updated
5 design. And as part of that we said we will advise
6 one of the RAIs that they'd originally asked us to
7 include those extra three barriers so that the DCD
8 does have all five.

9 MEMBER BLEY: And there were seals on
10 airlocks going into the annulus that would change or
11 were going to be changed so that they'd seal from
12 outside in rather than inside out.

13 MR. RAY: I can't off the top of my head
14 remember if those were part of the five that were
15 added to Chapter 9.

16 MEMBER BLEY: I think not, but maybe they
17 will be eventually. I think that response hasn't been
18 sent. That's good enough.

19 CHAIRMAN RAY: There was also a matter of
20 door closure timing. Again, by the way, I should
21 mention I should have had a -- while we're still in
22 safeguards -- thorough review of what all the action
23 items were. I didn't do that. We will have to do
24 that.

25 But I think my question was similar to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 one that Dennis just asked here. During our
2 discussion there was a question about ability to
3 affect door closure and the comment that I noted was
4 that it hadn't been decided yet how to address that.
5 Does that go in Chapter 9 or not? This is during
6 refueling outage.

7 MR. RAY: I'm not certain if that would go
8 in nine at all.

9 CHAIRMAN RAY: I see. Okay. Because it's
10 still an item that we didn't resolve during the
11 discussion and it was just indicated.

12 MR. RAY: Yes, I'm not certain that that
13 guidance would be a level of detail that would go into
14 the DCD.

15 CHAIRMAN RAY: Okay.

16 MR. CUMMINS: Ed Cummins. I think if you
17 wanted to make that guidance part it would be in
18 Chapter 16 in Tech Specs if it was that important.
19 And that's a judgment a bit.

20 CHAIRMAN RAY: All right.

21 MEMBER BLEY: If it's not in Tech Specs,
22 it's hard to imagine how the operating folks would
23 pick it up.

24 DR. KRESS: On your open item 14, what was
25 the additional information that you supplied for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 radionuclide inventory for equipment survivability?

2 MR. RAY: The radionuclide inventory
3 actually was not -- We had --

4 DR. KRESS: It's specified in NUREG 1465.
5 So did you use that?

6 MR. RAY: Yes. It was not more
7 information that we put in the DCD. There's nothing
8 extra that we put in the DCD. It was clarifying
9 information that we gave to the staff.

10 DR. KRESS: I see.

11 MR. RAY: Because there was confusion on
12 what we had in some --

13 DR. KRESS: Okay.

14 CHAIRMAN RAY: Any other questions?

15 Okay. This then constitutes Item 5 on our
16 agenda, correct?

17 MS. McKENNA: Yes.

18 CHAIRMAN RAY: And we'd follow that with
19 Item 6, Eileen, or

20 MS. McKENNA: We actually did Item 6
21 before the lunch break.

22 CHAIRMAN RAY: Okay. That was what was on
23 the beginning of that discussion.

24 MS. McKENNA: Correct. And staff picked
25 the two of those five open items that we thought were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of most importance and we covered those with the
2 Committee fairly briefly but very extensively
3 obviously.

4 CHAIRMAN RAY: Yes. I remember Malcolm's
5 discussion.

6 MS. McKENNA: Yes.

7 CHAIRMAN RAY: And so that's --

8 MS. McKENNA: And that's what we intended
9 to cover on Chapter 19.

10 CHAIRMAN RAY: All right. Thank you.

11 So we're ready for Chapter 9, I believe.

12 DR. KRESS: I think you're pretty close to
13 schedule.

14 CHAIRMAN RAY: Well, except that I do need
15 at the end of the day and please don't let me forget
16 we'll go back to the safeguards things. So make sure
17 we've got the list of to-dos done correctly.

18 We'll move onto Chapter 9 now. Hear from
19 the Applicant, take a break and then we'll hear from
20 the staff and then hopefully we'll get either two or
21 three action items addressed. That's my quota for
22 every day from here on.

23 (Off the record comments.)

24 7 CHAPTER 9 APPLICANT

25 MR. LOZA: Good afternoon. I'm Paul Loza

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with Westinghouse. We're here to discuss Chapter 9 in
2 the ASFER closure. And with me is.

3 MR. SANDERS: Mitch Sanders with Auxiliary
4 Equipment.

5 MR. MORROW: And I'm Rob Morrow with
6 Auxiliary Equipment as well.

7 MR. LOZA: All right. We have several
8 other people available on the phone should you have
9 questions. Everyone couldn't come with the schedule
10 being jockeyed around. We appreciate your cooperation
11 with this.

12 CHAIRMAN RAY: Absolutely.

13 MR. LOZA: All right. Chapter 9 covers
14 auxiliary systems including the fuel storage and
15 handling, water systems, process auxiliaries, HVAC and
16 fire protection.

17 In the Chapter 9 SER with open items we
18 had 11 open items identified. We have closed them all
19 satisfactorily with the staff. There were two
20 sections not covered in the SER with open items.
21 Those dealt with the fuel rack seismic analysis for
22 the new and spent fuel racks. We had additional RAIs
23 on those. They are now closed satisfactorily.

24 And rather than go through the 11 open
25 items, we've chosen three topics to discuss. That

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would be the spent fuel pool criticality -- we had an
2 open item on that -- the work that we did with the
3 fuel racks seismic analysis and zinc addition which we
4 propose for the AP1000.

5 First --

6 MEMBER BLEY: Since they're closed the
7 fuel racks don't come up again, do they, except in the
8 seismic concern?

9 MR. LOZA: Right.

10 MEMBER BLEY: I'm just curious because I'm
11 not familiar with the Metamic stuff. I know we've had
12 trouble with other materials. Is there a reason to
13 believe we'll have less trouble with this material?
14 Has it been used extensively?

15 MR. LOZA: Rob, do you want to speak on
16 that?

17 MR. MORROW: I believe it is in use. I'm
18 not sure how extensively but I know HOLTEC is the one
19 who designs these racks. They've been using Metamic
20 for the past several years for numerous re-rack
21 projects.

22 MEMBER BLEY: So we'll find out some time.

23 MR. MORROW: We'll find out. We do have a
24 group on monitoring program for these racks.

25 MEMBER ARMIJO: I looked at the testing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that was done to qualify the Metamic and it seems like
2 it's very limited. It was 90 day test at a couple of
3 hundred degrees F compared to the lower service
4 temperature water. But it's --

5 Even Boral would have done just fine with
6 such a test. Now we're having a lot of grief with
7 Boral. I just wonder if you're going to do additional
8 testing so that you don't rely on coupons when you're
9 already made a major commitment to the use of this
10 material.

11 MR. MORROW: I'm not sure.

12 MEMBER ARMIJO: The worst that can happen
13 is that you're going to have to take it out if it's --
14 But I just didn't see a lot of testing that would
15 qualify this material in the material you provided to
16 us.

17 MR. MORROW: I'm not sure that any
18 additional testing is planned.

19 MEMBER ARMIJO: Because it's just aluminum
20 boron alloy, right?

21 MR. MORROW: Right. It's a little bit
22 different. It's a homogenous mixture of the two
23 materials mixed completely through.

24 MEMBER ARMIJO: Yeah, but you'll pull
25 precipitates. Boron aluminum precipitates in there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and then that's exposed to the water and that inside
2 some stainless steel. And that's exposed to the water
3 and unless you have a lot of experience or a good
4 testing program that says we're sure this won't have
5 the same problems the Boral had I just don't
6 understand how you've accepted that as a solution.
7 Maybe your HOLTEC guys could provide more information.

8 MR. MORROW: Yes, provide more
9 information.

10 MEMBER ARMIJO: Are they here?

11 MR. LOZA: I believe we have Chuck Bullard
12 on the phone. If we could have the phone line opened
13 up.

14 MR. WANG: The phone line is already open
15 to the public.

16 MR. LOZA: The phone line is open. Chuck
17 Bullard, are you available?

18 MR. WANG: Maybe he's on mute.

19 (Off the record comments.)

20 MR. WANG: The phone line is open.

21 CHAIRMAN RAY: Speak again, Paul.

22 MR. LOZA: Chuck Bullard, are you
23 available? We're trying to take you off mute. Stand
24 by.

25 (Off the record comments.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LOZA: Come back to this question
2 please.

3 CHAIRMAN RAY: Sure. We can table it
4 until you get the right guy.

5 MR. LOZA: Let me get through these
6 questions and see if we can get his answer for us.

7 The first issue we wanted to talk about
8 was the spent fuel pool criticality. Between DCD 15
9 and up now to 18, we want to increase the capacity of
10 the spent fuel pool by 50 percent, 619 to 889
11 locations. We designed and installed -- We designed
12 new racks to handle this. The NRC staff was
13 concerned, however, with the industry issue on the
14 treatment of depletion calculations uncertainties in
15 the spent fuel pool criticality analysis.

16 We reanalyzed the spent fuel pools as
17 requested. HOLTEC did the analysis for us. And the
18 staff concluded that our methodology and analysis were
19 acceptable. My statement here on the no-burn-up
20 credit in the interim we had designed a checkerboard
21 pattern which would not need a Region II burn up
22 credit. But it would have our spent fuel pool
23 capacity. But we had that as a plan B on the side.

24 So the staff concluded our methodology and
25 analysis were acceptable and the open item that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have is closed.

2 MEMBER ARMIJO: So you can go to full
3 capacity.

4 MR. LOZA: We plan on having full
5 capacity, all assemblies, all locations. We're good to
6 go.

7 The second issue we wanted to touch on was
8 the fuel rack seismic analysis. Again with the
9 increase in the number of assemblies, 600 to 900, the
10 higher capacity we needed a new rack design and we
11 also had a new SSE spectra. So we had to update our
12 analyses, the structural, dynamic and stress analyses
13 from DCD Rev. 15.

14 And in addition, we're trying to save our
15 customers some trouble. We wanted to close to two COL
16 information items. One was for the spent fuel rack
17 and the other was for the new fuel rack. We wanted to
18 perform the analysis for them.

19 We hired HOLTEC again. We had multiple,
20 structural evaluations performed. The 3D seismic and
21 all three dimensions. We handled our fuel drop
22 accident, analyzed the stuck assembly withdrawal and
23 we also look at the rack to wall impact.

24 As it turns out the new fuel rack as
25 analyzed when it was all said and done, the new fuel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 rack does not hit the wall. The spent fuel rack they
2 do have impact, but it's within acceptable limits.

3 We updated our technical reports, TR44 and
4 54 we refer to them as. We updated them to include
5 the revised and the additional analysis. And we also
6 did sensitivity studies during these studies dealing
7 with friction, the new fuel rack on the floor, a
8 number of the assemblies in the various racks on the
9 gaps between them to make sure that we had covered all
10 the bases.

11 The staff has concluded these fuel racks
12 are acceptable for both the spent and the new fuel
13 pools. And we closed both COL information items.

14 (Off the record comments.)

15 CHAIRMAN RAY: Sorry.

16 MR. LOZA: That's okay. The third issue
17 we wanted to touch on is zinc injection to the RCS and
18 we've spoken to the staff on this before about a year
19 ago. Zinc addition is shown to be a good thing. It's
20 shown to reduce personnel exposure, surface corrosion
21 and the potential crud induced power shifts. It
22 reduces the amount of crud that you have and if it's
23 released the power doesn't shift by plating out in
24 other areas. The personnel exposure is due to having
25 less nickel and cobalt in the crud.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We wanted to resolve the staff's concerns
2 that they presented in an open item to us. They
3 wanted us to make sure if is our AP1000 core
4 considered High Duty per EPRI standards. At the time,
5 there was not as much High Duty core operating
6 experience to refer to. And they were concerned about
7 the potential for excessive crud deposit on the fuel
8 and the same crud induced power shifts were on the
9 zinc addition started later in the core or fuel life.

10 MEMBER ARMIJO: I thought that in BWRs
11 it's not the amount of crud but the chemistry of the
12 crud that's favorable when you add zinc. You don't
13 need to increase the amount of crud in the core. But
14 it's you keep the bad stuff in the core and not on
15 your system. So I think it's the same unless you know
16 differently. It shouldn't be a problem.

17 MR. LOZA: As I understand the zinc
18 provides a thinner crud film and it doesn't -- If you
19 start it early enough in life you don't have the crud
20 problems that plants without zinc have had.

21 After discussing this with the staff, they
22 concluded our zinc injection design was acceptable.
23 We'll do cycle specific reload analyses to coordinate
24 the addition to minimize our crud thickness. In fact,
25 we're going to start before time zero with the fuel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and have addition during hot functional testing.

2 We want to reduce the corrosion on the RCS
3 and the primary side of the steam generator. We're
4 going to then reduce our level of zinc. Operating
5 levels should be similar to the currently operating
6 plants and we will do the inspect per EPRI's fuel
7 reliability guidelines. And this open item is also
8 closed.

9 So we chose these three open items to
10 present. I have the remainder of them. If there's
11 questions on any of the others. There were 11 in
12 total.

13 MEMBER ABDEL-KHALIK: How many were there?

14 MR. LOZA: Eleven.

15 MEMBER ABDEL-KHALIK: Eleven. I don't
16 remember what the others were.

17 MR. LOZA: Any questions?

18 CHAIRMAN RAY: Okay. Thank you.

19 Well, would you like him to --

20 MEMBER ARMIJO: I'd just like to hear if
21 there is --

22 MR. LOZA: The experience.

23 MEMBER ARMIJO: Either experience with
24 Metamic or a justification why that testing program
25 that's cited in the materials that were sent to us was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 adequate. It just seems to me like it's not.

2 MR. SISK: The subject matter expert we
3 would like to have to address that issue is not
4 readily available right now. But we're going to take
5 an action. We should be able to get you that answer
6 before I'm going to say we're done tomorrow.

7 MEMBER ARMIJO: Okay. Sure. Thank you.

8 MR. LOZA: All right. Are there any other
9 questions?

10 CHAIRMAN RAY: Did you also want to see
11 the complete list of formerly open items?

12 MEMBER ARMIJO: I just wondered if we
13 missed something.

14 CHAIRMAN RAY: No.

15 MEMBER ARMIJO: If they're kind of small
16 or.

17 MR. LOZA: I have a list of the open
18 items. Here's the first six. We did touch on the
19 criticality. We've got -- We had one on the minimum
20 water shielding height, the storage rack density with
21 respect to cooling, DK heat levels versus the critical
22 time for boil off. We had a discussion on the thermal
23 analysis versus the suction line elevation.

24 MEMBER ARMIJO: You couldn't drain the
25 pool.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LOZA: Several minor piping diagram
2 changes. Can I scroll down?

3 MEMBER ARMIJO: Yeah.

4 MR. LOZA: We've changed our spent fuel
5 pool to be from a single level to a band. We revised
6 the instrumentation for that. We had a question on
7 the spent fuel pool saturation towards boiling and the
8 required operator actions at certain times. A general
9 question on fuel move components. And we talked about
10 the heavy loads handling program. And again at the
11 bottom we've talked about the zinc addition.

12 We can entertain questions on any of
13 these.

14 MEMBER ARMIJO: Thank you.

15 CHAIRMAN RAY: Anybody have anything else
16 on Chapter 9 for the Applicant?

17 Okay. We have yet to hear from staff on
18 Chapter 9. So that they don't have to wait until
19 after we get back from our break are they ready to go,
20 Eileen?

21 MS. McKENNA: Yes, they are.

22 CHAIRMAN RAY: All right.

23 MR. LOZA: Thank you very much.

24 CHAIRMAN RAY: Thank you.

25 (Off the record comments.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BULLARD: Hi, this is Chuck Bullard at
2 HOLTEC.

3 CHAIRMAN RAY: Stand by just a second
4 please.

5 Paul.

6 MR. LOZA: Good afternoon, Chuck. Paul
7 Loza with Westinghouse.

8 MR. BULLARD: Hi. Good afternoon, Paul.

9 MR. LOZA: Thank you for taking the time
10 to come on here.

11 MR. BULLARD: Yeah. Sorry for the delay
12 or the mix-up. Our email has been down all day.

13 MR. LOZA: That's okay.

14 MR. BULLARD: And it's still down.

15 MR. LOZA: I appreciate you taking the
16 time to do this. We have a question from one of the
17 ACRS members about the valid operating experience with
18 Metamic material.

19 And, sir, if you want to repeat the
20 question specifically.

21 MEMBER ARMIJO: Yes. The information that
22 we had to review provided some information on the
23 experience with Metamic and the testing program done
24 to qualify it for use. So that's all the information
25 I read. And all I found was that there was a test

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 performed. I don't know who did it. Maybe it was
2 HOLTEC. A 90 day test with Metamic in water at about
3 200 degrees F and nothing bad happened. And then an
4 addition, there was some surveillance of this material
5 in other applications.

6 So my first concern is that the testing
7 that was done was very limited, surprisingly limited.

8 But there may be a lot of experience. What I'm
9 looking for is what's your basis for saying that this
10 stuff will be better than the Boral.

11 MR. BULLARD: Well, there's a couple
12 important documents. There is an SER from the NRC
13 staff on the use of Metamic in west storage
14 applications. So there was a topical report submitted
15 on the use of Metamic for fuel storage racks. And the
16 NRC issued an SER.

17 MEMBER ARMIJO: When was that done?

18 MR. BULLARD: I would have to look it up,
19 but I'm going to say that it was in the 2006-2007 time
20 frame.

21 MEMBER ARMIJO: Okay.

22 MR. BULLARD: And then beyond that, I mean
23 that topical report presented a lot of test data,
24 tests that were done both by HOLTEC and independent
25 tests that were done by EPRI and they included the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 various corrosion tests and thermal aging tests,
2 different temperatures, different lengths of time, I
3 think different pH levels.

4 MEMBER ARMIJO: Okay.

5 MR. BULLARD: Simulating a number of
6 different conditions. So there is that information,
7 the EPRI testing, the HOLTEC testing and the SER
8 document as well as the topical report.

9 And then at least operationally there is
10 Metamic is currently in use at several nuclear plants
11 in their spent fuel pools. Currently I know at Diablo
12 Canyon and Clinton and there's others. But those two.

13 MEMBER ARMIJO: How many years of
14 operating experience do you think there is out there?

15 MR. BULLARD: I think Metamic classic has
16 been used in spent fuel rack applications for
17 approximately four or five years. I'd have to check
18 to see when the first racks were installed. But four
19 or five years plus or minus a year.

20 MEMBER ARMIJO: Okay.

21 MR. CUMMINS: This is Ed Cummins. I'd
22 maybe like to clarify your question a little bit. I
23 think in the AP1000 application the Metamic is in a
24 sheath of stainless steel. So it never really sees
25 the spent fuel water.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: It does because it's got
2 holes in it.

3 MR. CUMMINS: Oh. The sheath has --

4 MEMBER ARMIJO: Yes.

5 MR. BULLARD: It is vented. Yes.

6 MEMBER ARMIJO: It has to be vented. You
7 know the incubation time for problems with Boral was a
8 long, long time before something happened. And I do
9 recognize a value of accelerated tests and I think
10 HOLTEC tried to accelerate whatever problems might
11 happen by running at a higher temperature albeit for a
12 very short time. So I'd be --

13 MR. BULLARD: Yes, and there's more
14 testing that's been done beyond that.

15 MEMBER ARMIJO: Okay.

16 MR. BULLARD: I mean the fundamental
17 advantage of Metamic over Boral is that it is a
18 homogenous material. It's fabricated based on a
19 powder metallurgy process. So it has very low
20 porosity and good homogeneity in its finished product
21 which you know with Boral because of the fact that it
22 was a layered material.

23 MEMBER ARMIJO: Low density.

24 MR. BULLARD: Yes. And higher porosity.
25 You know the water was able to find its way into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Boral and then eventually you know those gases would
2 expand or blister the Boral.

3 But Metamic just based on its
4 manufacturing process and characteristics is much less
5 vulnerable to that type of mechanism. And there's a
6 lot of discussion regarding that in the SER at the top
7 of the list board.

8 MEMBER ARMIJO: Okay. Well, look I
9 appreciate that because the background testing. I
10 wasn't aware of the SER and the supporting
11 information.

12 MR. BULLARD: I will try and look at that
13 up as well on the phone to give you some references.

14 MR. SISK: This is Rob Sisk with
15 Westinghouse. And just to help out on the discussion,
16 in Section 9.5.4.3 of the SER for the DCD, References
17 1 and 2 refer to the HOLTEC report with regard to use
18 of Metamic and fuel pool applications. That includes
19 the ML number to pull it up off the site. But the
20 documentation is referenced there for you to get a
21 hold of.

22 MEMBER ARMIJO: Okay.

23 MR. SISK: I can provide it here for you,
24 too, later.

25 MEMBER ARMIJO: Thanks a lot. Appreciate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that. I'm fine with that.

2 CHAIRMAN RAY: Anybody else have anything
3 they want to say on this subject?

4 Okay. Well, with that and the additional
5 -- Thank you, gentlemen.

6 MR. LOZA: All right. And thank you,
7 Chuck Bullard.

8 CHAIRMAN RAY: How long do you need?

9 MS. McKENNA: Well, I think the staff had
10 planned to cover more or less the same three issues
11 that Westinghouse did and it's relatively --

12 CHAIRMAN RAY: All right. Let's go ahead.

13 MS. McKENNA: Okay. Thank you.

14 8 CHAPTER 9 STAFF

15 MR. BUCKBERG: Good afternoon. My name is
16 Perry Buckberg. I'm a Senior Project Manager in the
17 AP1000 Licensing Branch. The staff will now present
18 the evaluation of AP1000 DCD Chapter 9 Changes.

19 I list most of the technical staff or some
20 of the technical staff. There is input from many
21 members of the technical staff. Several of those who
22 are joining me today is Chris Van Wert, Eduardo
23 Sastre, Pravin Patel and there are others in the
24 crowd to join in if needed.

25 Chapter 9 of the SER open items was issued

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 last September 2009 with 11 open items but without the
2 evaluations of the fuel rack seismic analyses, new and
3 spent fuel. I realize you've heard some of this
4 before.

5 The advanced final SER that was just
6 issued includes these analyses as well as information
7 regarding the closure of the 11 open items. The staff
8 presentation will include the open items, spent fuel
9 pool criticality, zinc addition and the seismic
10 analyses.

11 And we did choose by some chance the same
12 open items to present that Westinghouse did. We will
13 start with Chris Van Wert with criticality.

14 MR. VAN WERT: Thank you for the
15 introduction. My name is Chris Van Wert. I'm a
16 Reactor Systems Engineer within the Reactor Systems
17 branch. And my open item is related to the use of
18 burn-up credit within the Region 2 of the spent fuel
19 pool criticality analyses.

20 This first slide is capturing the history
21 and statuses of the last meeting that we had in
22 November of last year. And that simply was that the
23 original analysis was a fully loaded analysis and did
24 use burn-up credit from Region 2.

25 And then at that time since there was some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ongoing questions that the staff had both within my
2 office as well as NRR on the other side regarding the
3 handling of the depletion calculation uncertainties.
4 There was a plan B that was submitted which was a
5 checkerboard loading pattern to just get us beyond
6 that point. So that was the status as of last year.

7 And then subsequently the plan's changed.

8 The applicant did return to the original full loading
9 analysis. And this was partially based on recent
10 developments in the review of other analyses that had
11 come in using very similar approaches and methodology
12 and design. After further consideration, the staff
13 agreed and concluded that the applicant met all the
14 current changes using the current guidance. And this
15 conclusion was based on the technical review that we
16 had performed on both the analysis and also review of
17 the current precedences that were available.

18 MEMBER ARMIJO: Was some degree of burn-up
19 credit included, required, to meet --

20 MR. VAN WERT: Region 2, yes.

21 MEMBER ARMIJO: Yes.

22 MR. VAN WERT: For Region 1, no. And we
23 did review their calculations and methods associated
24 with that calculation.

25 So we now consider this open item to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 closed and that's pretty much the sum of the review of
2 this open item.

3 MR. BUCKBERG: Thank you. Questions?

4 We'll move onto zinc addition, Eduardo.

5 MR. SASTRE: Good afternoon. My name
6 Eduardo Sastre. I'm a Chemical Engineer in the Company
7 30 branch in the Office of New Reactor.

8 Our open item is about the additional zinc
9 to the RCS DCD system. When we presented last year,
10 the only concern that we had was that there wasn't
11 enough operating experience on high duty core. And we
12 sent the applicant with some RAIs about it.

13 In their response, they stated that they
14 followed EPRI HDCI guidance calculating AP1000 was
15 hydrogen core on the calculations. It came out that
16 it was actually a small to medium duty core. And we
17 performed a complimentary calculation and we had the
18 same results. But for they're going to consider it to
19 be a high duty core to be more conservative.

20 But they also presented some operating
21 experience that of high duty core reactors that have
22 used zinc additions since 2003 and they haven't had
23 any problems with crud or fuel performance related to
24 the zinc.

25 The other problem was that we had was the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 crud induced power shift. The applicant stated that
2 they're going to follow the approach that operating
3 plants are using which is follow the modeling VIPRE
4 BOA is recommended by the EPRI Axial Offset
5 guidelines.

6 And also to consider the CIPS problem,
7 they presented that they're going to use a fuel
8 surveillance program which is going to take a look at
9 the crud problem in the fuel. And based on this
10 response we find it acceptable and the staff considers
11 this open item closed.

12 CHAIRMAN RAY: Okay. Questions?

13 We'll move onto the storage racks seismic
14 analyses with Pravin Patel.

15 MR. PATEL: Hi. My name is Pravin Patel,
16 Structuring Engineering branch, NRO. I have two
17 gentlemen sitting also Mr. Morante from Brookhaven
18 National Laboratory and Mr. Braverman, also from
19 Brookhaven.

20 Westinghouse choose to close the core line
21 information item that was in the DCD. Westinghouse
22 Technical Report 54 which is a Spent Fuel Storage
23 Racks Structural and Seismic Analysis.

24 If you look at the timeline that we
25 started from 2006 to 2010 we'll discuss in slide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 number 13 why it took so long because a lot of changes
2 the applicant made. Based on the technical
3 evaluation, the staff concludes the core line
4 information item is completely closed and based on TR-
5 54, Rev. 4 and all the other reviews we have done for
6 the calculation and other miscellaneous reviews of the
7 RAIs. The DCD Revision 15 core line information item
8 9.1-3 is no longer needed.

9 New fuel storage racks, similar situation
10 for new fuel storage racks. TR-44 was issued and that
11 core line information item was there which is also
12 closed by the similar path that Westinghouse choose to
13 do, submit this design of the new fuel rack.

14 In the structural evaluation of the fuel
15 racks, the loading conditions analyzed the three
16 directional seismic excitation plus dead weight. The
17 fuel assembly accidental drop over the spent fuel pool
18 there were three conditions that they used it to
19 analyze about this spent fuel pool, the accident of 36
20 inch height and drop as one on top on the rack, once
21 through the empty shell and the third one is empty
22 shell impact with the base plate. So there are three
23 conditions they analyzed. Staff has concluded that
24 structural assembly during the removal of this rack
25 upward load of 5,000 pounds. We used it for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 upward load to analyze how much -- is going to be
2 experience by the assemblies, also racks. Sorry.

3 Impact load on the spent fuel pool steel
4 liner to concrete fall during the seismic they
5 analyzed and based on that there are bounded
6 conditions. The impact force was 329 kips, K sorry,
7 not kips and 570 kips for the Region 2 fuel racks.

8 The primary analysis method HOLTEC
9 proprietary computer code DYNARACK for nonlinear
10 dynamic analysis of free-standing fuel racks subject
11 to seismic plus deadweight loading, they used it.
12 Another one is the LS-DYNA nonlinear dynamic analysis
13 for the accidental load drop of a fuel assembly. We
14 already talked about what is a drop, how they
15 consider. LS-DYNA nonlinear analysis for the worst-
16 case rack-to-rack impact loading at the top of the
17 spent fuel rack. There is a -- of that acting on the
18 side at the top. ANSYS using the nonlinear analysis
19 using ANSYS for cell wall compressive loading at the
20 bottom of the new rack and spent fuel racks.

21 If you guys are interested I can show you
22 the figures -- I have the material available for the
23 figures -- how it looks. We can go over that. Slide
24 number 12.

25 The staff issued 44 RAIs for TR-44 with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the spent fuel pool racks and 31 RAIs for TR-44 which
2 is new fuel pool racks. The seismic analysis of
3 applicant done with the HOLTEC help and that's Mr.
4 Chuck Bullard on the phone. The coefficient of
5 friction they used 0.2, 0.5 and 0.8 analyzed between
6 the bottom of the fuel rack and the supporting
7 surface. Now the --

8 DR. WALLIS: Now they're not attached at
9 all. They just rest down there.

10 MR. PATEL: Yes. And the coefficient
11 friction is in the spent fuel pool is between wet
12 surface stainless steel to stainless steel contact and
13 the mean value they use is 0.5. And the limiting
14 value they use is 0.2 and 0.8. So they bound all the
15 conditions. So they use it for the analysis.

16 Number of fuel assemblies in the fuel
17 racks at the time of the seismic event, three cases
18 analyzed. And those cases are with the cool VAC --

19 DR. WALLIS: Now presumably this friction
20 coefficient is uniform. The problem would be if some
21 of them would have a low coefficient and some have a
22 high coefficient so that they move relative to each
23 other. Do they do that or just have a uniform?

24 MEMBER ARMIJO: They're stainless to
25 stainless.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. PATEL: Stainless to stainless.

2 MEMBER ARMIJO: Probably.

3 DR. WALLIS: So it shouldn't vary.

4 MEMBER ARMIJO: It shouldn't.

5 DR. WALLIS: So why do you have a
6 variation like this, the 0.2 to 0.8.

7 MEMBER ARMIJO: Probably the uncertainty.

8 MR. BRAVERMAN: Excuse me.

9 DR. WALLIS: Yes.

10 MR. BRAVERMAN: Let me try to answer that
11 question. Based on the actual testing, there's a
12 reference. I forget the reference. They've done
13 testing stainless steel immersed in water on stainless
14 and believe it or not it have a very wide variation
15 and coefficient of friction. And that's been the
16 typical numbers used in the past for fuel rack
17 analysis and design.

18 The upper bound is 0.8. The lower bound
19 is 0.2 and 0.5 is representative of the medium
20 bounding.

21 DR. WALLIS: So you assume they're all the
22 same though.

23 MR. BRAVERMAN: Yes. For each --

24 DR. WALLIS: Even though you know they
25 vary.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BRAVERMAN: They assume that they're
2 all 0.2. They do another analysis all 0.8 and then
3 0.5.

4
5 MEMBER ARMIJO: Why would you assume that?

6 MR. BRAVERMAN: The 0.2 maximizing the
7 sliding. The 0.8 maximizes rocking and tipping and
8 impact forces. And ultimately the envelop that
9 results from all three cases for design.

10 CHAIRMAN RAY: Could you identify yourself
11 please.

12 MR. BRAVERMAN: I'm sorry. Joseph
13 Braverman.

14 DR. WALLIS: It does seem possible that
15 some of them could have 0.2 and some could have 0.8.

16 MR. BRAVERMAN: Theoretically, you could
17 have an infinite number of --

18 DR. WALLIS: In that case you would have
19 relative motion, wouldn't you? They would hit each
20 other or something.

21 MR. BRAVERMAN: I'm sorry, sir.

22 DR. WALLIS: They wouldn't hit each other
23 if they weren't 0.2 and 0.8 here?

24 MR. BRAVERMAN: Yes, but you could have an
25 infinite number of permutations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Yes.

2 MR. BRAVERMAN: And so to bound the
3 problem, the industry typically does all of them at
4 the upper end, all at the bottom and then a medium.
5 But you're right. You could have many permutations.

6 MEMBER ARMIJO: But I think the question
7 is a bound to assume that they all move the same way
8 or might it be more serious if they're moving relative
9 to each other?

10 MEMBER BLEY: Well, ones are bound.

11 MR. BULLARD: If I could add, this is
12 Chuck Bullard at HOLTEC. Each of the racks within the
13 pool are individually modeled. And the fuel within
14 each storage rack is modeled as a separate series of
15 lumped masses with their own degrees of freedom that
16 are free to rattle within the rack.

17 So in the course of the time history
18 simulation what you see is that the racks they don't
19 move perfectly in phase just because of the rattling
20 of the fuel and the phasing of the three earthquake
21 components. The racks exhibit motions that fall
22 somewhere between perfectly in phase and perfectly out
23 of phase. And in the numerical model we have set up
24 impact springs as we refer to them to track any
25 potential closures of the gaps between racks and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 monitor if there are any rack-to-rack impacts that
2 occur due to out-of-phase motion that develops.

3 And Joe was correct. He cited there is a
4 reference. There's a study performed by a professor.

5 I believe that it was at MIT and he concluded that
6 for stainless steel and water there's a mean value.
7 It has a mean value based on a series of tests of
8 around 0.5 and a standard deviation of 0.125. So
9 historically spent fuel rack seismic analyses have
10 been done considering upper and lower bound values of
11 0.2 and 0.8 which envelopes two standard deviations
12 from the mean.

13 DR. WALLIS: Now suppose half of them are
14 0.2 and half of them are 0.8. Does this give you a
15 problem?

16 MR. BULLARD: I mean if they are all 0.2
17 again we do -- you tend to see more sliding and less
18 rocking. But it's not as though they all -- All the
19 racks move simultaneously in phase. So we're
20 maximizing the sliding displacement on the low side
21 with 0.8 and potential rocking of 0.2.

22 I would not -- We would obviously have
23 slightly different set of results if we mixed 0.2 in
24 half the racks and 0.8 in the other. But the
25 conclusions would not change as far as -- At least

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that's my own opinion. The conclusions would not
2 change in terms of the maximum stress levels within
3 the rack, pedestal forces, etc. It would be within
4 the bounds of the simulations that we've already
5 performed.

6 DR. WALLIS: But they would be more likely
7 to collide.

8 MR. BULLARD: Not necessarily. They may
9 or may not.

10 DR. WALLIS: That's an obvious answer, but
11 it covers everything. It would be interesting to do
12 an analysis where you let some of them have a
13 different coefficient and see how much variability
14 that gives you.

15 MEMBER ARMIJO: Yes. Randomize.

16 DR. WALLIS: Well, maybe it's up to the
17 staff to figure out if they want to ask them to do
18 that. It is a possibility since it varies so much
19 that some would slide more than others and there would
20 be more collisions.

21 CHAIRMAN RAY: Do you have any further
22 comment either from the Applicant or HOLTEC or staff?

23 MR. PATEL: I think we can ask that
24 question to Westinghouse.

25 CHAIRMAN RAY: We're not in the business

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of asking questions of Westinghouse.

2 MEMBER ARMIJO: But is this a pretty
3 common design that has been licensed before using this
4 kind of an approach?

5 MR. BULLARD: Yes, absolutely.

6 MEMBER ARMIJO: Okay.

7 DR. WALLIS: But they haven't been shaken
8 by a seismic event.

9 MR. BRAVERMAN: Folks, also I'd like to
10 add something that I didn't get to. HOLTEC did nine
11 different permutations of other parameters which we'll
12 talk about such as fully loaded, partially loaded,
13 varying the impact spring constants, integration time
14 step. There are nine different runs and the envelope
15 in all of the runs. Now in the real world you're not
16 going to necessarily have all of these conditions
17 occur.

18 So what we're trying to do with a very
19 highly nonlinear response is to do bounds, less case,
20 sensitivities, and to envelope all the results. So I
21 guess we felt that that should address some of the in-
22 between parameters that you're raising.

23 DR. WALLIS: Well, just to try and finish
24 this up, when they do a 0.2 the things slide. And
25 when they do a 0.8 they slide with a different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 amplitude. Are those amplitudes very different?

2 MR. BULLARD: Yes. When it's 0.8, what
3 you tend to see is that the sliding motion at the base
4 is suppressed but that the rack tends to tip or rock
5 more. So the displacements at the top of the rack --

6 DR. WALLIS: So you could look at fixing
7 some of them -- slide with 0.2 and seeing if they
8 collided.

9 MEMBER ARMIJO: But you've got several
10 support points on each rack and each one of us could
11 have a 0.2 or a 0.5 or a 0.8. Who knows what it would
12 be.

13 DR. WALLIS: Right.

14 MR. BULLARD: Yes. Each track has four
15 individual pedestals.

16 DR. WALLIS: It seems to me it's worth
17 investigating by somebody.

18 CHAIRMAN RAY: Okay. Go ahead.

19 MR. PATEL: All right. The number of fuel
20 assemblies in the fuel racks at the time of seismic
21 event, three cases analyzed as we talk about that one
22 is possible that rack might be all empty. One is
23 completely full. And one is partially full. So it's
24 those three conditions taken.

25 In-situ gaps between the adjacent spent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fuel racks and two cases analyzed.

2 Impact spring value due to the local
3 flexibility of the fuel assembly cell wall, three
4 values analyzed. And the three cases were analyzed to
5 evaluate the sensitivity of the fuel rack response to
6 the variation in the impact spring at the top and the
7 bottom of the racks. Base case is -- One is a base
8 case. One is at 20 percent higher. And one is at 20
9 percent lower.

10 Sensitivity of the DYNARACK solution to
11 reduce -- sorry -- reduction of the integration time
12 step by a factor of four in order to convert the
13 solution, the analysis.

14 Now this is the one I'm coming back to why
15 it took so long, the seismic loading with new and
16 spent fuel racks was re-defined by two times during
17 the course of the staff's review, re-analysis each
18 time the racks.

19 Staff confirmed that the final analysis
20 loading is consistent with the Auxiliary and Shield
21 Building re-analysis SASSI analysis which was all
22 represented during the Chapter 3 presentation at the
23 ACRS. That all the modeling errors and those related
24 to the buildings and analysis.

25 Applicant made several design changes to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 strengthen the rack-to-rack impact loading due to the
2 seismic excitation of spent fuel racks.

3 The staff determined that the applicant
4 applied methods and procedures contained in the NRC
5 regulatory guidance document and previously accepted
6 by the staff for qualification of fuel racks. In
7 other words, the GDC-2 and GDC-4 per SRP Section 3.84
8 the staff concluded that the NRR, that design for both
9 spent fuel and new fuel racks, are acceptable.

10 Currently all technical issue are
11 resolved. Two confirmatory items require revision
12 which will be reviewed in DCD 18. One confirmatory
13 item requires revision of TR-54 and DCD to show the
14 final gap and tolerance dimensions between the racks
15 and the spent fuel pool wall.

16 And the third one is like a New Fuel Rack
17 Design also contains all the issues are resolved. Five
18 confirmatory items require revisions of the DCD.
19 That's it. Any questions?

20 CHAIRMAN RAY: Well, yes. I think that
21 there's been a question raised by a consultant for the
22 committee here about whether or not this comment on
23 page 13 concerning rack-to-rack impact loading is
24 sufficient. I mean design changes were made as noted
25 here. But the question is whether or not the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 variation in this friction factor has been adequately
2 enveloped.

3 And I guess if you want to say anything
4 more about that, why this is the time to do it. The
5 answer is no. You don't -- You think it's adequately
6 enveloped. Is that the case?

7 MR. PATEL: Yes. Based on I think Joe's
8 talk about it and HOLTEC, I think this is adequate
9 because all racks are if you look at in a spent fuel
10 pool right now if I can show the figure, one of the
11 figures.

12 CHAIRMAN RAY: Sure.

13 MR. PATEL: All racks are very close at
14 the base. So there is no gap. Only the gap is
15 between the -- So I think --

16 CHAIRMAN RAY: Well, why did they make the
17 modifications that you refer to here?

18 MR. PATEL: Modifications? What
19 modifications they made? Yes. There are -- I'm
20 sorry. Which page are you talking about?

21 CHAIRMAN RAY: Third bullet on slide 13.

22 MR. PATEL: Yes. What they did is there
23 is a buffer plate on the racks. When the original
24 design -- When they started to design, then they made
25 a bumper to stand on this rack because they found out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that the new loading change with the seismic because
2 the soil there and they found out that they need to
3 add a small standing to the design. So those are the
4 design changes.

5 And then during the review we found that
6 it wasn't sufficiently addressed. So they did re-
7 analysis again for some error that they fixed on SASSI
8 analysis on Chapter 3. So those are the design
9 changes they made on the reactor design.

10 CHAIRMAN RAY: Yes, but the question is
11 whether or not the impact loadings are sufficiently
12 addressed. Your point is I think they made changes.
13 At least that's what you say here.

14 (Off the record comments.)

15 MR. BULLARD: This is Chuck Bullard again.
16 The one thing I can add or point out I've got the
17 calc package or the HOLTEC report open. I'm looking
18 at it now. There are among the nine runs that were
19 performed there are three runs that are identical
20 except for the fact that the coefficient of friction
21 in each of those three runs is changed from 0.8 to 0.5
22 to 0.2.

23 And when you look at those results
24 specifically in terms of rack-to-rack impacts and
25 rack-to-wall impacts the trend is fairly clear that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the maximum rack-to-rack and the rack-to-wall impacts
2 are resulting from run number one which is when the
3 coefficient of friction is highest, 0.8.

4 Because what happens is that at that
5 coefficient of friction level the base of the rack
6 essentially remains stationary. And all of the racks
7 tend to rock and tip. So you get much larger
8 displacements at the top of the rack than you do in
9 the opposite extreme when the coefficient is 0.2. And
10 that exaggerated rocking at the top of the rack is
11 what is causing the rack-to-rack and rack-to-wall
12 impacts.

13 DR. WALLIS: Well, it's a rack-to-rack
14 impacts even though they all have the same
15 coefficient. So if some have a coefficient which makes
16 them rock more than the others one it would enhance
17 the rack-to-rack impact, would it not?

18 MR. BULLARD: Not necessarily because
19 when all of the racks are at 0.8 --

20 MEMBER ARMIJO: It's worst case.

21 MR. BULLARD: -- the tendency is that when
22 the coefficient of friction is 0.8 the trend is that
23 the top of rack displacements are at their maximum.

24 DR. WALLIS: Yes.

25 MR. BULLARD: So if you take a run and you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 change one of the racks in that run to 0.2, then the
2 top of rack displacement for that particular rack will
3 be attenuated because it will tend to slide more and
4 the very top of that -- displacement will very likely
5 be less than what it was when the coefficient of
6 friction is 0.8.

7 DR. WALLIS: So what happens? Does it
8 then hit a neighboring rack or not?

9 MEMBER BLEY: Depends on whether they're
10 in phase or not. There's a real mix of phases here.

11 MEMBER REMPE: Is it difficult to do one
12 rack with a different coefficient than the others in
13 the way that the computer model is set up?

14 MR. BULLARD: It is -- There have been
15 cases run, you know, previous studies that have been
16 done with varying coefficients of friction.

17 MEMBER REMPE: So it's possible. The
18 model.

19 MR. BULLARD: It is possible. Yes, it's
20 within the capabilities of the program.

21 MEMBER REMPE: Okay.

22 MEMBER BLEY: Any idea what you saw when
23 you did that variability in previous cases?

24 MR. BULLARD: Usually --

25 MEMBER BLEY: You vary lots of things so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that the idea that you didn't vary this one just seems
2 a little odd. It could have an impact. I'm sorry.
3 Go ahead.

4 MR. BULLARD: In my experience in past
5 cases where we've looked at you know variability and
6 the coefficient of friction within a given simulation
7 the results tend to be comparable or slightly less
8 than the 0.8 case. The maximum pedestal loads or the
9 maximum impacts if we were to postulate some random
10 coefficient of friction distribution throughout the
11 layout, my previous experience is that the maximum
12 pedestal loads and the maximum rack impacts will be,
13 you know, the peak loads that is will be comparable of
14 the same general magnitude or order as the constant
15 value 0.8 coefficient of friction case.

16 DR. WALLIS: But you could do a run where
17 you simply had a random distribution of coefficients
18 of friction and see what happens.

19 MR. BULLARD: It could be done, yes.

20 DR. WALLIS: If it were done, then we'd
21 have a quantitative answer instead of speculation.

22 MR. BULLARD: I can't deny that, yes.

23 CHAIRMAN RAY: Okay. Anything else?

24 MEMBER ARMIJO: I have an educational
25 question. What is the big advantage of having these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 things slide as opposed to locking them down to the
2 floor of the pool? Is that to avoid this banging or
3 be able to pack them tighter or what?

4 MR. BULLARD: Yes, I mean if you have --
5 if they're anchored to the floor, then you've got to -
6 -

7 MEMBER ARMIJO: Allow for the banging.

8 MR. BULLARD: You have other challenges.
9 You have to design an appropriate anchorage to the
10 floor. There might be --

11 CHAIRMAN RAY: Or chance of leakage.

12 MR. BULLARD: There might be stresses due
13 to restraint of thermal expansion or thermal growth,
14 those types of things. Our HOLTEC at least has been
15 successful designing and analyzing the racks as
16 freestanding structures because we think it definitely
17 lends itself to if you're re-racking a pool where
18 you're removing all racks and having to install new
19 racks.

20 MEMBER ARMIJO: Just pick them up.

21 CHAIRMAN RAY: But it also at the same
22 time has allowed us to maximize the storage capacity
23 within the pool since they're free-standing
24 structures.

25 MEMBER ARMIJO: Sure. Okay. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RAY: All right. At this point
2 it seems like there's a clear question that there's no
3 point in us belaboring it further. Anything else?

4 MR. BUCKBERG: That's it for Chapter 9.

5 CHAIRMAN RAY: Okay. All right. We'll
6 take a break now until 3:10 p.m. We will try and
7 close as many open items as we can before the end of
8 the day. But at the end of the day we'll go off the
9 record. We'll return to a mode in which we can
10 discuss safeguards information in order to finalize
11 our takeaways from the morning presentation on
12 aircraft impact.

13 MR. BULLARD: Could I just --

14 CHAIRMAN RAY: Yes.

15 MR. BULLARD: If I may before the break,
16 could I just add? I wanted to point out a few numbers
17 relative to rack impacts and the change in coefficient
18 of friction. I think it might help everyone get a
19 little bit better sense of the results.

20 For the three runs I was mentioning where
21 the coefficient of friction has changed from 0.8 to
22 0.5 to 0.2, as I mentioned before, there are impact
23 springs throughout the model and we've tracked these
24 springs to see if they close and if they do close what
25 is the magnitude of the impact. And for those three

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 runs I just described, looking specifically at the
2 maximum rack-to-rack impact load, when the coefficient
3 of friction is 0.8 the maximum rack-to-rack impact
4 load is 328 kips. And what we see when the
5 coefficient of friction is reduced from 0.8 to 0.5
6 maximum impact load drops down to 242 kips. And then
7 further when it reduces to 0.2, the impact load drops
8 down to 89 kips.

9 So even though you would expect the most
10 sliding when the coefficient of friction is 0.2, that
11 doesn't necessarily correspond to the maximum
12 displacements at the top of the rack which is really
13 the driving force behind these rack-to-rack impacts.
14 I think on the basis of those results there is reason
15 to believe and to expect that if in a postulated and
16 random coefficient of friction distribution that it
17 would still be bounded by the constant 0.8 coefficient
18 of friction case.

19 CHAIRMAN RAY: Well, reason to believe
20 and a convincing basis for belief are maybe two
21 different things. I mean you know we're faced with
22 the fact that this has been an issue. There were some
23 design changes made as a result of needing to
24 strengthen for rack-to-rack impact loading as at least
25 is what we're told. It's a reasonable question to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ask. Isn't it possible that a varying coefficient
2 could affect that in an adverse way? That is to say I
3 think what most people have in mind is something in
4 which things move together with a consistent friction
5 factor but might be out of harmony so to speak with a
6 variable one. It's hard to say.

7 Intuitively what you suggest sounds
8 plausible. But normally that's not why we find them
9 acceptable. So, in any event, I think we've exhausted
10 the subject right now unless there's something more
11 that you can add. I'd be happy to listen to it.

12 MR. BULLARD: No, I just wanted to share
13 those results just to put things in a little better
14 perspective.

15 CHAIRMAN RAY: That's fine. Well, those
16 are substantial loadings. And so not something
17 insignificant.

18 MR. PATEL: One thing I want to point out
19 that the highest loading that he mentioned, 328 kips,
20 the factor of safety at that point was 1.57. And
21 Region 2, the factor of safety is 1.75. So quite a
22 bit of a factor of safety is there.

23 CHAIRMAN RAY: Okay. All right. But that
24 having been said, nevertheless it was necessary to
25 strengthen them to achieve that factor of safety I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 guess. That's what you say anyway.

2 So with that we will take a break. We'll
3 resume at 3:10 p.m. We will address as many open
4 items as I can persuade my colleagues to do and that
5 we have material available. And the last thing we'll
6 do is return to a safeguards environment and make sure
7 we have identified the takeaways from this morning's
8 meeting. With that, we'll recess for 15 minutes. Off
9 the record.

10 (Whereupon, the above-entitled matter went
11 off the record at 2:59 p.m. and resumed at 3:13 p.m.)

12 CHAIRMAN RAY: Okay. We'll go back on the
13 record.

14 9 ACTION ITEM PRESENTATIONS

15 CHAIRMAN RAY: We have an action item to
16 resolve and it just so happens it's one that's of
17 interest to one of my colleagues here at the table.

18 Are you going to be presenting it?

19 MR. BROCKHOFF: Yes, sir.

20 CHAIRMAN RAY: All right.

21 MR. BROCKHOFF: Chuck Brockhoff from
22 Westinghouse System Design. And on the phone I have
23 Andy Gagnon and Dave McDevitt who have done the
24 analysis for us. And I'll go through the presentation
25 and they can answer any questions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Can you guys hear us, Andy and Dave?

2 MR. GAGNON: Yes. We're good.

3 MR. McDEVITT: Yes.

4 MR. BROCKHOFF: You guys are on hot mike.
5 You don't have to talk loud.

6 (Off the record comments.)

7 The issue was a question that came up in
8 the July 8th meeting on Chapter 14 for the test
9 program related to RWSP and the potential for gas
10 intrusion. So we've met and presented to the ACRS in
11 February on our approach for the gas intrusion to
12 address Generic Letter 2008-01 and also the draft ISG
13 that had been issued. And we discussed at that
14 meeting the four high points, the changes, we would
15 put in for the IRWST in some other locations.

16 We ultimately implemented Change Notice 66
17 which added four high point locations in the IRWST
18 lines, redundant level indication and hard pipe vents.

19 That's the reactor coolant side of the squib valve
20 basically and I'll show you it in a second.

21 We also added eight other high point
22 locations and used test connections at several other
23 locations. Primarily this is IRWST and core makeup
24 tank discharge lines.

25 And there was one open item from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 February meeting. We provided a sensitivity analysis
2 looking at core mixture level and Dr. Wallis asked us
3 to do a heat up calculation which we've done. And
4 I'll show you the results of that. So that's
5 primarily why we came back to give you an update on
6 that.

7 If you remember, this is a configuration.

8 The IRWST comes down from 103 to about 97 and goes up
9 to 100. Then it drops down to about 93 or so and then
10 DVI is about 100.

11 So the potential was if you didn't do
12 correct maintenance venting here you could have a
13 voided leg. And that voided leg then would need about
14 3 psi pressure change that we would have to additional
15 vent before IRWST injection started. This is a fixed
16 elevation head. So you would have to overcome that.
17 So in the event of improper maintenance venting.

18 Now again our change was to put monitors
19 up here to monitor for gas intrusion there. But the
20 only real mechanism that we would postulate since the
21 change would be improper maintenance venting. So the
22 current safety analysis didn't consider that because
23 we assumed that we would properly vent the system.

24 And they went back and did an analysis.
25 And really the concern here is for events where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there's not a large break that would contribute to the
2 venting and get us depressurized. We turn the IRWST
3 on at about 28 psia roughly.

4 So the two events we looked at were a two
5 inch cold break and an inadvertent ADS. And we
6 predicted that we would get uncoverly but it wasn't
7 substantial and the timing is relatively short. But
8 we went back and looked and we did a peak cladding
9 temperature calculation using SBLOCTA.

10 And the results of that were beforehand we
11 would initiate RWC injection at about 3200 seconds for
12 a two inch break. An inadvertent ADS obviously starts
13 sooner. As soon as the event starts, it's venting.

14 With the additional 3.4 psi it takes about
15 another 115 seconds. We get about 2.9 feet of
16 uncoverly and PCT temperature was about 650 degree.

17 For the inadvertent ADS it's a little bit
18 deeper uncoverly and a little bit longer uncoverly
19 period. And it goes up to about 1300. But the end
20 result is that accounting for these we're well below
21 the 10 CFR limits for this. So that was really the
22 answer to the question was asked of what temperatures
23 we get to.

24 DR. WALLIS: I thought this void was
25 automatically vented by some alarm system that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 measured it.

2 MR. BROCKHOFF: No, what we did is we put
3 a pipe stub on each of these. These actually come
4 down and connect lower. We have four pipe stubs with
5 high point --

6 DR. WALLIS: But someone has to go and
7 vent them. It doesn't vent by itself.

8 MR. BROCKHOFF: No, it's not self-venting
9 because there's not a credible postulated mechanism
10 unless you didn't do a vent on start-up properly. And
11 the alarm, it's the same approach as the core makeup
12 tank and PRHR high points. So if there some mechanism
13 that would come up we would get an alarm to indicate
14 the operators to go in.

15 And that's the reason it's hard pipe so
16 they can just go in. It's an accessible region in
17 containment. They open two manual valves in it and
18 then they're done. And we size the discharge orifice
19 in there to vent.

20 DR. WALLIS: So there is an alarm and they
21 would go and vent it.

22 MR. BROCKHOFF: Tech spec alarm.

23 DR. WALLIS: Right.

24 MR. BROCKHOFF: Yes, sir.

25 DR. WALLIS: So they have to have failed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to vent.

2 MR. BROCKHOFF: You would check for that
3 alarm before you vent. But that's the mechanism that
4 we would have postulated as they were doing
5 maintenance on the squib valve for some reason and
6 didn't vent that properly.

7 MEMBER ABDEL-KHALIK: So this would be a
8 periodic venting this has to go into the containment.

9 MR. BROCKHOFF: Only if you did
10 maintenance. If you think about this, once this is --
11 This is a squib valve here and this is pretty much
12 intact. Once you vent this, we did -- If you recall,
13 we did the accumulator line up here. This was our
14 original sketch.

15 Now it's moved up here. There's credible
16 maintenance or accident, operations or accident event.

17 Gas is up here. So this is really a deadheaded line.

18 The reactor vessel stays filled as long as you have
19 fuel in there. And even when you defuel you don't
20 drain it. So there's no real mechanism.

21 That's a big line and there's nothing down
22 there to do anything on. You don't drain it, take it
23 apart and fix anything. The only time you would do it
24 is if you did an inspection of the valves here on some
25 relatively long interval. And then when you're done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you put the valve back together and you vent it
2 properly and verify it.

3 Now the other thing, the Generic Letter
4 2008-01, requires the utilities to go through a
5 confirmatory inspection program on some periodicity
6 and basically the results if you pick a time that
7 there are no voids in there then you've obviously
8 picked a good interval for your inspection. But
9 that's an operational program.

10 The current utilities do it for their pump
11 systems. And we would do it for our passive systems.

12 DR. WALLIS: You have to put the high
13 point there because there's a wall there or something.

14 MR. BROCKHOFF: We put the -- We needed
15 flexibility in the piping for thermal growth and
16 conditions in containment that would exist potentially
17 in an event if you have flood up and you heat that.
18 So we needed for the pipe stress consideration to put
19 those in. Also routing considerations too.

20 DR. WALLIS: Routing. I don't know why it
21 has to go up. You could go sideways for the stresses.

22 MEMBER ARMIJO: What kind of monitor do
23 you use to detect gas accumulation?

24 MR. BROCKHOFF: The monitor is a heated
25 RTD. I called it a pressure -- a level switch and you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 guys had asked questions about it. It's really a dual
2 heated RTD.

3 I actually have it in a backup slide. But
4 there's -- They plug in. They have dual RTDs and one
5 is heated and one is not. So as long as there is
6 water there, there will be a difference. And then if
7 the water goes away it works like a switch. But it's
8 really an RTD and there are matched set of RTDs.

9 They've been around since the '70s on
10 many, many applications. Probably 25 plants. I've
11 actually brought some sheets with me. But there's a
12 good bit of historical performance on this.

13 MEMBER ARMIJO: You can rely that they're
14 going to be --

15 MR. BROCKHOFF: Yes, sir.

16 DR. WALLIS: So they could actuate a vent,
17 could they? You don't need an operator. You have an
18 automatic venting.

19 MR. BROCKHOFF: There is no automatic
20 vent. When you get the alarm, we consider the IRWST
21 line inoperable. We have that as tech spec and the
22 operators have an action time to go in and manually
23 vent that which I think is about eight hours, I mean,
24 if I looked at the specs.

25 DR. WALLIS: So this should really never

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 happen.

2 MR. BROCKHOFF: We don't anticipate it.

3 No, sir.

4 CHAIRMAN RAY: Anything else?

5 MEMBER BLEY: Once you put a high point in
6 somewhere.

7 MEMBER ARMIJO: It's a little automatic.

8 DR. WALLIS: There are all sorts of
9 troubles.

10 MEMBER BLEY: Yes.

11 MR. BROCKHOFF: Well, those would be class
12 B valves. And you have to come up with an I&C system
13 and then you have to maintain it for something you
14 really would not need to do only at maintenance
15 periods.

16 DR. WALLIS: Well, it's just that the
17 devil's in the details, with the pipe if it doesn't
18 show the high point, then you missed something.

19 MR. BROCKHOFF: Yes, sir.

20 CHAIRMAN RAY: All right. Action item two
21 will be closed then.

22 MEMBER ABDEL-KHALIK: There's still a part
23 that deals with the ITAAC.

24 CHAIRMAN RAY: Oh, I'm sorry. I thought
25 we did that in February.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BROCKHOFF: The last -- I'm sorry.
2 The last question, there was a follow-up. This was
3 not during the meeting but at the end. What ITAAC is
4 needed and change 66 was incorporated by adding a
5 substantial amount of information to 6363 that
6 discussed the ISG approach and how we did and our
7 mitigation features.

8 So really looked at three things. It
9 committed the ISG in the generic letter. It described
10 our program for gas intrusion and it described the
11 features we put in which I just described. And we
12 added a section that specifically said we need to look
13 at design sloping during design construction and
14 fabrication.

15 And so based on our discussion with the
16 staff we didn't identify an ITAAC as being required
17 for this. We didn't have one for the high point
18 monitoring, for the core make up tanks or PRHR either
19 because this is a before an accident kind of a
20 function. You make sure that it's not there. It's
21 kind of like an accumulated level before an event.
22 Make sure it's there and it's acceptable performance
23 during the event. So it's not the mitigation feature.

24 It's a preparatory feature.

25 MEMBER ABDEL-KHALIK: If you had specific

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lines local requirements how would you verify the as-
2 built condition then?

3 MR. BROCKHOFF: Well, we're not doing it
4 after the fact. We're doing it -- We designed the
5 module and make the lines sloped to the high point
6 vent in the module. And then in the plant we place
7 module and module correctly. And then we slope the
8 lines while we're fabricating.

9 The problem is if you do an as-built
10 reconciliation if you find you have a high point you'd
11 have to put a line in and we can't in the module in
12 particular afford to go after the fact and find we had
13 a misconstruction. So we have to verify it while
14 we're building. So the ITAAC if we had a miss, we may
15 not necessarily be able to put a vent in.

16 So this commitment in 6363.2 says while we
17 constructed in the factory on the module, when we set
18 each module to module and when we run the lines while
19 we're running them, we're doing verification of the
20 slope that specified both in the P&IDs and specified
21 in the isometric drawings. So it's a little bit --
22 After the fact is too late to solve the problem.
23 Plants that do it after the fact as-built
24 reconciliation end up putting in five or ten or 20
25 vents maybe and we can't afford to do that in our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 design. So we have to do it as we build it.

2 DR. WALLIS: These are very gradual
3 slopes, are they?

4 MR. BROCKHOFF: They're relatively --
5 They're horizontal lines, but the manufacturing
6 tolerance can be a little bit one way or the other and
7 we have to make sure that where we drill the hole if
8 there's any slope it's towards the hole. So I don't
9 have a hole here and I ended up building it with a
10 high point.

11 DR. WALLIS: There is some specification
12 about how steep the slope has to be.

13 MR. BROCKHOFF: The slope is generally
14 specified as zero but there will be a manufacturing
15 tolerance. And it always says it has to slope uphill
16 to the high point for the line segments of interest
17 only for the specific ones we were interested in.

18 DR. WALLIS: But does it say by how much
19 it has to slope up?

20 MR. BROCKHOFF: No. The slope limit -- We
21 design it to be horizontal. But if in the
22 manufacturing when they actually place it, if there's
23 any slope it has to slope towards the vent.

24 DR. WALLIS: It's very hard to measure
25 zero.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BROCKHOFF: Not with a laser.

2 DR. WALLIS: It must sit in a tolerance of
3 some.

4 MR. BROCKHOFF: Well, the tolerance is in
5 the design specs. But when they get it done those
6 specs are specified in like a module drawing or the
7 piping drawing.

8 DR. WALLIS: I'm not sure that you can
9 measure that slope if it's very small.

10 CHAIRMAN RAY: But he's saying they don't
11 need a slope, Graham. He's just saying if there is a
12 slope it has to be at the high point.

13 DR. WALLIS: I don't have to know what
14 that slope is. I'm just saying can you measure that.

15 CHAIRMAN RAY: What?

16 MEMBER SHACK: You know the sign of it
17 anyway.

18 PARTICIPANT: The direction.

19 CHAIRMAN RAY: Yes, of course.

20 DR. WALLIS: How do you do that?

21 MR. BROCKHOFF: Well, they do laser. We
22 have an expert that's actually done the assessment for
23 the current plants, but they do laser leveling of the
24 piping and they have to obviously if there are some
25 different rooms they have to reference a point. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it's that critical. Because if you have a 50 foot
2 segment that's sloped to half inch by the end of it.

3 DR. WALLIS: That's what I'm getting at.

4 MR. BROCKHOFF: Yes. So it's very precise
5 and it's during the construction that we would do it,
6 not after the fact you want to measure because it's
7 too late to fix it.

8 MEMBER SHACK: But why wouldn't you pick
9 something like one inch in 100 just to give yourself -
10 -

11 DR. WALLIS: Just to know what you've got.

12 MEMBER RYAN: And what is your tolerance
13 for construction?

14 MR. BROCKHOFF: I don't know the specific
15 ones. It's a field installation policy. I'm not
16 familiar with it.

17 MEMBER RYAN: Okay. That's fine.

18 MR. BROCKHOFF: But we place the modules -
19 - Within the module there's a construction tolerance
20 of let's say plus or minus an inch. From module to
21 module it's whatever the installation tolerance is and
22 then the piping has a separate tolerance. But
23 regardless of the tolerance in those, when they lay
24 them out if we have a vent in a location, the line
25 cannot slope uphill any higher than that location. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that becomes an absolute location over the line
2 segment of interest being vented by that location.
3 But we're trying to specify horizontal lines typically
4 except in a few cases like the RHR suction line.

5 DR. WALLIS: But they're not necessarily
6 straight, are they? I mean 100 foot of line can have
7 wiggles in it.

8 MR. BROCKHOFF: If it does it can have a
9 high point that can't be vented by the location and
10 that will be an installation tolerance.

11 MEMBER RYAN: So the highest high point in
12 all these laser measurements is where you would stick
13 the vent.

14 MR. BROCKHOFF: Well, actually what we do
15 is we specify that to be the high point and everything
16 else has to be downhill. We don't go after --

17 MEMBER RYAN: Well, I mean I'm picking up
18 on Graham's point.

19 MR. BROCKHOFF: Yes, sir.

20 MEMBER RYAN: If you have 100 foot run and
21 there's a few high points relative to the rest of the
22 pipe you would pick the highest of the high points.

23 MR. BROCKHOFF: We would try to make that
24 the highest of the high points. Yes, sir. We have
25 several locations, but we would want the high point

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 where the vent is to be when we're placing it we make
2 sure. So as we level it if we have a high point as
3 we're going along clamping it we would make sure we
4 adjust that so that it's higher than the other
5 locations.

6 MEMBER RYAN: All right. So there is a
7 little adjustment capability as you go along.

8 MR. BROCKHOFF: There has to be.

9 MEMBER RYAN: There has to be.

10 MR. BROCKHOFF: If you have two hangars
11 that are off a little bit you have to be able to --
12 That's why you have to be able to adjust them.

13 MEMBER RYAN: So you're using something
14 like a rotating laser light or some kind of feature
15 like that to level this up.

16 MR. BROCKHOFF: Yes.

17 DR. WALLIS: So you take what you've got
18 and then you fix it.

19 MEMBER RYAN: Yes.

20 DR. WALLIS: Rather than saying you're
21 going to make sure that we have one inch in 100 foot
22 design and we make it happen. You take whatever you
23 get and then you fix it.

24 MR. BROCKHOFF: You adjust it as you're
25 doing it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RAY: Okay. Anything else?

2 Thank you. We'll close item two.

3 MS. McKENNA: The next item does contain
4 some proprietary information. So we --

5 CHAIRMAN RAY: This one does?

6 MS. McKENNA: Yes.

7 CHAIRMAN RAY: All right.

8 MS. McKENNA: So we need to make some
9 appropriate adjustments to the audience.

10 (Off the record comments.)

11 CHAIRMAN RAY: We'll close the phone line
12 please and we ask that --

13 PARTICIPANT: We need Rick Ofstun on the
14 proprietary phone line.

15 CHAIRMAN RAY: All right. We'll take a
16 minute. Go off the record until we get that set up.
17 Off the record.

18 (Whereupon, at 3:30 p.m., the above-
19 entitled open meeting was closed to go a closed
20 session.)

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

AP1000 Design Control Document Amended Design

Chapter 19 11/02/10

Chapter 19 Overview

- Probabilistic Risk Assessment
 - Internal Events
 - External Events
- Ex-Vessel Severe Accident Phenomena
- Additional Assessment of AP1000 Design Features
- Equipment Survivability Assessment
- Shutdown Evaluation
- Malevolent Aircraft Impact

- Licensing Lead: Thom Ray
- Technical Lead: Rick Anderson and Andrea Maioli

Chapter 19 Open Items

Five Open Items were identified and subsequently closed:

- OI-SRP19.0-SPLA-07 – More detail of resolved and requantified PRA model and any DCD updates that may be necessary.
- OI-SRP-19.0-SPLA-12 – Maintain acceptable seismic margin for Hard Rock High Frequency sites.
- OI-SRP19.0-SPLA-13 – More detail of the shutdown PRA risk and any DCD updates that may be necessary.
- OI-SRP19.0-SPLA-14 – More information on the containment inventory of radionuclides used for survivability evaluation.
- OI-SRP19F-SPLA-01 – Open Item for review of Appendix 19F, “Malevolent Aircraft Impact.” Staff was Awaiting Regulator Guidance for review of Section.

Chapter 19 - OI-SRP19.0-SPLA-07

- **Issue:**

- More detail of resolved and requantified PRA model and any DCD updates that may be necessary

- **Final Resolution**

- DCD Rev. 17 did not reflect the new instrumentation and control (I&C) modeling provided in the PRA model. The PRA was requantified and the results for the at power PRA indicated that the at power CDF and LRF values and top cutsets closely compare with these items documented in the DCD. No further DCD updates were necessary for the at power PRA.

Chapter 19 - OI-SRP-19.0-SPLA-12

- **Issue:**

- Maintain acceptable seismic margin for Hard Rock High Frequency sites

- **Final Resolution**

- The response provided more information for the Seismic Margin Analysis based on guidance provided in ISG-20. Chapter 19.55 of the DCD (PRA-based Seismic Margin Analysis) was revised to reflect the current site parameters for the standard design of AP1000 and design modifications from DCD Rev. 17 and 18.

Chapter 19 - OI-SRP19.0-SPLA-13

- **Issue:**

- More detail of the shutdown PRA risk and any DCD updates that may be necessary

- **Final Resolution**

- More detail was provided in DCD Chapter 19.59.5 to reflect the results and insights of the requantified low-power/shutdown PRA.

Chapter 19 - OI-SRP19.0-SPLA-14

- **Issue:**

- More information on the containment inventory of radionuclides used for equipment survivability evaluation.

- **Final Resolution**

- Information was provided to give more details on the containment inventory of radionuclides used for the equipment survivability evaluation, inclusion of mechanical hatches and gaskets into the environmental assessment, and additional information by which the licensee COL information item is addressed. The DCD Section 19D.8.2.4 was revised to clarify how the hydrogen monitors are used in severe accident conditions.

Chapter 19 - OI-SRP19F-SPLA-01

- **Issue:**

- Open Item for review of Appendix 19F, “Malevolent Aircraft Impact.”

- **Final Resolution**

- NRC performed review in accordance with new guidance provided in DG1176, “Guidance for the Assessment of Beyond-Design-Basis Aircraft Impacts.” In response to NRC requests, DCD Section 19F was updated to provide more information on the descriptions of the design features and functional capabilities required by NEI 07-13 “Methodology for Performing Aircraft Impact Assessments for New Plant Designs”.

Questions?

AP1000 Design Control Document Amended Design Review of Chapter 9 AFSER

November 2-3, 2010

1



Chapter 9 - Auxiliary Systems

- Subject Matter Experts
 - Rob Morrow - Components and Materials
 - Chuck Bullard – HOLTEC International
 - Jeff Secker - Core Technologies
 - Phil Mathewson - Turbine Building Layout
 - Mitch Sanders - Auxiliary Equipment
- Licensing – Paul Loza

2



Chapter 9 - Auxiliary Systems

- Chapter 9 describes Auxiliary Systems, including
 - **Fuel Storage and Handling**
 - **Water Systems**
 - **Process Auxiliaries**
 - **Air-Conditioning, Heating, Cooling, and Ventilation System**
 - **Fire Protection Analysis**

3



Chapter 9 – Open Items

- Open Items:
 - Eleven OIs identified in the SER with OIs
 - All are closed
 - Additional RAIs on Fuel Rack Seismic Analysis are closed

4



Chapter 9 - Discussion Issues

- **SFP Criticality (OI-SRP9.1.1-SRSB-08)**
- **Fuel Racks Seismic Analysis**
- **Zinc Addition (OI-SRP9.3.6-SRSB-01)**

5



Chapter 9 - SFP Criticality

- **AP1000 issue:**
 - Increased capacity from 619 storage locations to 889
 - Staff concern with the industry issue on treatment of depletion calculation uncertainties in SFP criticality analysis

6



Chapter 9 - SFP Criticality

- **Resolved:**

- SFP criticality reanalyzed using methods of recent similar fuel pools SERs
- No burnup credit needed for Region 2 (High density)
- Staff concluded methodology and analysis are acceptable
- **OI-SRP9.1.1-SRSB-08** is closed

7



Chapter 9 - Fuel Rack Seismic Analysis

- **AP1000 issue:**

- Update structural dynamic and stress analyses from DCD R15
 - higher SFP capacity
 - new rack designs
 - new SSE spectra
- Two COL Information Items desired closed – WEC to perform these analyses for the new and spent fuel racks

8



Chapter 9 - Fuel Rack Seismic Analysis

- **Resolved:**

- Multiple structural evaluations performed
 - 3D seismic, fuel drop, stuck assembly, rack/wall impact
 - HOLTEC performed WEC analyses
 - TR-44 and TR-54 were updated to include revised and additional analyses
- Staff concluded fuel racks are acceptable
- Two COL Information Items closed

9



Chapter 9 – Zinc Injection to RCS

- **AP1000 issue:**

- Zinc Addition is shown to reduce personnel exposure, surface corrosion, and potential for crud induced power shifts (CIPS)
- Resolve staff concerns:
 - AP1000 core considered High Duty per EPRI
 - Small High Duty core operating experience
 - Potential for excessive crud/CIPS when zinc addition is started later in core/fuel life

10



Chapter 9 – Zinc Injection to RCS

- **Resolved:**

- Staff concludes AP1000 Zinc injection acceptable:
 - Cycle reload analyses will coordinate zinc addition strategy to minimize crud thickness
 - Addition starts during hot functional testing to reduce corrosion on the RCS and primary side steam generator surfaces.
 - Operating levels similar to operating plants, and inspection to be per EPRI fuel reliability guidelines
 - **OI-SRP9.3.6-SRSB-01** is closed

11



Questions?

12



(backup slides)

13



Chapter 9 - Open Items

OI-SRP9.1.1-SRSB-08 - Criticality analysis consistent with current burnup credit methodology

OI-SRP9.1.2-SBPA-09 - SFP minimum water shield height

OI-SRP9.1.2-SBPA-14 - SFP storage rack density

OI-SRP9.1.3-SBPA-04 - SFP decay heat levels vs. critical time values

OI-SRP9.1.3-SBPA-08(b) - SFP thermal analysis - suction line elevation

OI-SRP9.1.3-SBPA-10 - SFP piping diagram changes

14



Chapter 9 - Open Items (cont.)

OI-SRP9.1.3-SBPA-11 - SFP level alarm changes

OI-SRP9.1.3-SBPA-13 - SFP saturation and required operator actions

OI-SRP9.1.4-SBPA-03 - Fuel Move Components

OI-SRP9.1.5-SBPB-01 - Heavy loads handling program

OI-SRP9.3.6-SRSB-01 - Zinc Addition to RCS during operation

15



Chapter 9 - OI-SRP9.1.1-SRSB-08

● Issue:

- Potential restricted SFP loading pattern due to Fission Product and Actinide Inventory Uncertainties

● Final Resolution: Issue closed

- Burnup credit methodology revised to match currently operating reactors / Kopp memo
- No burnup credit needed for Region 2 (High density)
- Meets the requirements of GDC 62 / 10 CFR 50.68

16



Chapter 9 - OI-SRP9.1.2-SBPA-09

- **Issue:**

- SFP minimum water shield height

- **Final Resolution: Issue closed**

- Adjustments made to maximum lift height and SFP water level maintain the dose rate to the bridge operator within safe limits

17



Chapter 9 - OI-SRP9.1.2-SBPA-14

- **Issue:**

- SFP cooling with high density storage racks

- **Final Resolution: Issue closed**

- AP1000 SFP cooling removes decay heat during all plant operation modes, regardless of location
- Satisfies GDC 61 requirements

18



Chapter 9 - OI-SRP9.1.3-SBPA-04

- **Issue:**

- SFP decay heat levels vs. critical time values

- **Final Resolution: Issue closed**

- Clarified conditions and assumptions of each calculated range of decay heat levels
- Specified each refueling off-load condition as representative or limiting
- Now a Confirmatory Item

19



Chapter 9 - OI-SRP9.1.3-SBPA-08(b)

- **Issue:**

- SFP Thermal Analysis – Suction Line Elevation

- **Final Resolution: Issue closed**

- SFP boiloff calculation revised to correct the draindown height
- SFP level is changed to a normal operation band
- Now a Confirmatory Item

20



Chapter 9 - OI-SRP9.1.3-SBPA-10

- **Issue:**

- SFP piping diagram changes

- **Final Resolution: Issue closed**

- Several corrections were made to represent the actual SFS on DCD Figure 9.1-5
- None of these corrections change the safety conclusions

21



Chapter 9 - OI-SRP9.1.3-SBPA-11

- **Issue:**

- SFP level alarm changes re: level is changed to a normal operation band

- **Final Resolution: Issue closed**

- High and Low SF Pool level alarms are moved from safety related sensors to a non-safety related level transmitter, allowing accurate level maintenance
- The Low-Low safety-related setpoint remains on the safety-related sensors. No safety evaluation are affected.

22



Chapter 9 - OI-SRP9.1.3-SBPA-13

- **Issue:**

- SFP saturation and required operator actions

- **Final Resolution: Issue closed**

- Description and TS reflect assumed water sources and operator actions for several offload scenarios
- Maximum 140F temperature clarified regarding available equipment and ambient wet bulb temperatures

23



Chapter 9 - OI-SRP9.3.6-SRSB-01

- **Issue:**

- Zinc Addition to RCS during operation

- **Final Resolution: Issue closed**

- Cycle specific reload analyses will coordinate zinc addition strategy with the plant and core design to minimize crud thickness
- Zinc to be added during hot functional testing to reduce corrosion on the RCS and steam generator surfaces. Zinc levels are lowered on fuel load similar to operating plants
- Fuel inspection to be per EPRI fuel reliability guidelines

24



Chapter 9 - OI-SRP9.1.4-SBPA-03

- **Issue:**

- Fuel Move Components

- **Final Resolution: Issue closed**

- Clarified the use of and the restrictions on each Fuel Handling Machine (FHM) hoist
- FHM hoists have mechanical stops to limit height of fuel lift within safe bounds
- Add New Fuel Elevator to Figure 9.1-4

25



Chapter 9 - OI-SRP9.1.5-SBPB-01

- **Issue:**

- Evaluate Equipment Hatch Hoist Loads on Containment Vessel

- **Final Resolution: Issue closed**

- The analyzed load set on Containment Vessel is acceptable for all conditions and service levels, including seismic

26





United States Nuclear Regulatory Commission

Protecting People and the Environment

Presentation to the ACRS Subcommittee

AFSER Chapter 9 Auxiliary Systems

**Westinghouse AP1000 Design Certification Amendment
Application Review**

November 3, 2010

Staff Review Team

- Technical Staff
 - Pravin Patel—Structural Engineering
 - Chris Van Wert—Reactor Systems
 - Raul Hernandez—Balance of Plant
 - Gordon Curran—Balance of Plant
 - Larry Wheeler—Balance of Plant
 - Thinh Dinh—Balance of Plant
 - Brookhaven National Laboratory
 - (R. Morante, J. Braverman)
- Project Management
 - Perry Buckberg

Overview

- Chapter 9 of the SER with Open Items (OIs) included 11 Open Items
- Fuel Rack Seismic Analyses Sections Were Not Issued Until the AFSER
 - Several RAIs were Resolved Summer 2010
- All Open Items & RAIs are now Resolved
- OI Resolutions Being Presented
 - OI-SRP9.1.1-SRSB-01
 - OI-SRP9.3.6-SRSB-01
- Fuel Rack Seismic topics will be presented

OI-SRP9.1.1-SRSB-01

- OI-SRP9.1.1-SRSB-01 tracks an issue related to the use of burnup credit in the spent fuel pool criticality analysis.
 - Original analysis assumed full rack loading and included burnup credit for Region 2 storage.
 - Staff questioned the handling of uncertainties related to depletion calculations.
 - To resolve the issue, the applicant proposed a checkerboard pattern limitation so that burnup credit was not necessary.

OI-SRP9.1.1-SRSB-01 (cont.)

- The applicant subsequently returned to the original fully loaded analysis.
 - Recent LAR approvals of similar designs/methods.
- Based on the staff's technical review and recent precedents, the staff finds that the applicant meets all current regulations regarding spent fuel pool criticality.

OI-SRP9.3.6-SRSB-01

- Option to Inject Zinc Added to DCD
 - For Dose Reduction; Not Credited For PWSCC Mitigation
 - No Adverse Effects on RCS Pressure Boundary Materials or Chemistry (Operating or Post- Accident)
- Insufficient High Duty Core Industry Experience
 - To Rule Out Excessive Crud, or Crud Induced Power Shift (CIPS)
 - OI-SRP 9.3.6-SRSB-01 Related to Effects on Fuel

OI-SRP9.3.6-SRSB-01

- OI Related to Effects on Fuel
 - AP1000 core design classified as a low to medium duty plant.
 - Confirmed by staff calculation
 - High duty plants have successfully operated with zinc addition
 - CIPS risk analysis is performed using EPRI guidelines(VIPRE BOA)
 - Fuel inspection program will look at crud build-up
- Staff finds the Response Acceptable
 - AP1000 CIPS risk is bounded by current OE
 - Modeling plus fuel inspection provides additional assurance CIPS risk is minimized

Spent Fuel Storage Racks

- Westinghouse Technical Report TR-54 (APP-GW-GLR-033), “Spent Fuel Storage Racks Structural/Seismic Analysis”, addresses DCD Revision 15 COL Information Item 9.1-3:

Perform a confirmatory structural dynamic and stress analysis for the spent fuel rack, as described in subsection 9.1.2.2.1. This includes reconciliation of loads imposed by the spent fuel rack on the spent fuel pool structure described in subsection 3.8.4.

- TR-54, Revision 0, was submitted in July 2006.
- TR-54, Revision 4, was submitted in May 2010.
- Based on its technical evaluation, the staff concludes that the substance of the COL Information Item is completely addressed by TR-54, Revision 4.
- DCD Revision 15 COL Information Item 9.1-3 is no longer needed.

New Fuel Storage Racks

- Westinghouse Technical Report TR-44 , (APP-GW-GLR-026) “New Fuel Storage Rack Structural/Seismic Analysis”, addresses DCD Revision 15 COL Information Item 9.1-1:

Perform a confirmatory structural dynamic and stress analysis for the new fuel rack, as described in AP 1000 DCD subsection 9.1.1.2.1. This includes the structural adequacy of the proposed AP 1000 New Fuel Storage Rack under postulated loading conditions and effects on the structure described in subsection 3.8.4.

- TR-44, Revision 0, was submitted in May 2006.
- TR-44, Revision 5, was submitted in August 2010.
- Based on its technical evaluation, the staff concludes that the substance of the COL Information Item is completely addressed by TR-44, Revision 5
- DCD Revision 15 COL Information Item 9.1-1 is no longer needed.

Fuel Racks Structural Evaluation

- Loading Conditions Analyzed
 - 3 Directions of Seismic Excitation + Dead Weight
 - Fuel Assembly Accidental Drop over the Spent Fuel Pool
 - Stuck Fuel Assembly, during removal from rack
 - Impact Load on the Spent Fuel Pool Steel Liner/Concrete Wall

Fuel Racks Structural Evaluation

- Primary Analysis Methods
 - HOLTEC proprietary computer code DYNARACK, for nonlinear dynamic analysis of free-standing fuel racks subject to seismic plus deadweight loading
 - LS-DYNA nonlinear dynamic analysis, for accidental drop of a fuel assembly over the spent fuel pool. Two scenarios: drop on top of a fuel rack and drop through a cell to the rack bottom plate.
 - LS-DYNA nonlinear analysis, for worst-case rack-to-rack impact loading at the top of a spent fuel rack
 - ANSYS nonlinear analysis, for cell wall compressive loading at the bottom of the new and spent fuel racks.

Fuel Racks Structural Evaluation

- The staff issued forty-four (44) RAIs for TR-54, and thirty-one (31) RAIs for TR-44.
- For the seismic analysis, the applicant's contractor (HOLTEC) conducted the following sensitivity studies, several in response to staff RAIs:
 - friction coefficient between the bottom of the fuel racks and the supporting surface; 0.2, 0.5, 0.8 analyzed.
 - number of fuel assemblies in the fuel racks at the time of a seismic event; three cases analyzed.
 - in-situ gaps between adjacent spent fuel racks; two cases analyzed.
 - impact spring value due to local flexibility of the fuel assembly cell wall; three values analyzed.
 - sensitivity of the DYNARACK solution to reduction of the integration time step, by a factor of 4.

Fuel Racks Structural Evaluation

- Seismic loading on the new and spent fuel racks was re-defined two (2) times during the course of the staff's review; re-analysis each time.
- The staff confirmed that final seismic loading is consistent with the Auxiliary and Shield Building (ASB) re-analysis (SASSI modeling errors and SB design changes).
- Applicant made several design changes, to strengthen for rack-to-rack impact loading, due to seismic excitation of the spent fuel racks.
- The staff determined that the applicant applied methods and procedures contained in NRC regulatory guidance documents, and previously accepted by the staff for qualification of fuel racks.
- Based on the staff's in-depth review of the applicant's detailed calculations, during a series of audits, and the results of the applicant's sensitivity studies, the staff concluded that the spent and new fuel rack designs are adequate to withstand the postulated loading

Fuel Racks Structural Evaluation

- SER Section 9.1.2.2.1 “Spent Fuel Rack Design Change” documents the staff’s evaluation of TR-54.
 - All Technical Issues are Resolved.
 - Two (2) Confirmatory Items require revision of the DCD.
 - One (1) Confirmatory Item requires revision of TR-54 and the DCD, to show the final gap and tolerance dimensions between the racks and between the racks and the spent fuel pool wall.
- SER Section 9.1.1.2.1 “New Fuel Rack Design Change” documents the staff’s evaluation of TR-44.
 - All Technical Issues are Resolved.
 - Five (5) Confirmatory Items require revision of the DCD.

ACRS Meeting

Impact of Gas Intrusion on IRWST Makeup Water Injection in the AP1000

November 2010


Chuck Brockhoff
David McDevitt

Nuclear Systems Design
Nuclear Safety Analyses


AP1000 Gas Intrusion Assessment

- A question on the potential for gas intrusion during In-Containment Refueling Water Storage Tank (IRWST) passive injection was asked during the July 2009 ACRS Meeting discussion on Chapter 14 (Initial Test Program)
- Westinghouse provided an update to the ACRS in February 2010 on the AP1000 gas intrusion assessment following the operating plant guidance in NEI 09-10 to address GL 2008-01 considerations (now required for advanced plants per draft ISG-019)
- Resulted in three design changes initiated by CN66
 - Added 4 high point pipe stub locations / redundant level indications / hard piped vents
 - Added 8 other high-point vent valves (and used existing test connections at 9 other locations)
 - Moved the accumulator discharge line connection to the direct vessel injection line
- One Open Item (2b) from the February 2010 ACRS meeting was to supplement the sensitivity analysis (core mixture level) provided with a core heatup calculation

IRWST Injection Path - No Void Present



IRWST Injection Path - Void Present



[NOTE: (IRWST Valve Elevation – IRWST Injection Tee Elevation) * Density of IRWST Fluid ≈3.4 psi]

SBLOCA Gas Intrusion Simulations

- Current Safety Analysis NOTRUMP Small Break LOCA Evaluation Model (EM) does not explicitly consider gas intrusion
 - Potential delay in onset of IRWST injection
- During February meeting preliminary NOTRUMP simulations were discussed
 - IRWST injection delayed to simulate non-condensable gas accumulation
 - Impact is most significant for smaller breaks and no-break simulations (Inadvertent ADS, INADS)
 - Break in RCS assists in depressurization characteristics
 - 2 inch cold leg break and INADS examined
 - Core uncover predicted
- Peak Cladding Temperature (PCT) response requested
 - SBLOCTA code utilized

NOTRUMP Simulation Results

- Simulations indicate base model IRWST injection begins with a DVI line pressure of approximately 28 psia
 - 2-inch indicates IRWST Injection at ~3197 seconds
 - INADS indicates IRWST Injection at ~2474 seconds
- Accounting for gas intrusion requires additional depressurization to achieve IRWST injection
 - With maximum IRWST line void (~7.9 ft) assumed an additional ~3.4 psia depressurization required
 - 2-inch indicates ~2.9 ft uncover over ~115 seconds
 - 654°F PCT
 - INADS indicates ~4.3 ft uncover over ~346 seconds
 - 1305°F PCT
- Accounting for gas void with DCD modeling assumptions results in partial core uncover
 - PCTs well below 10 CFR 50.46 limit w/ maximum IRWST line void considered

Response to ACRS Question 2a

What ITAAC is Needed?



- CN66 changes evaluated as part of SER Chapter 23
- CN66 SER inputs are complete – No further action
- Added DCD Subsection 6.3.6.3 (discusses Mitigation of Gas Accumulation)
 - Includes a discussion of the ISG-019 / GL 2008-01 gas intrusion assessment
 - Summarizes the gas mitigation design features
- DCD Subsection 6.3.6.3.2 (System Design Features to Mitigate Gas Intrusion) includes specific line sloping design / construction / fabrication requirements
- A new ITAAC is not required