

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
 AP1000 Reactor Subcommittee Meeting
 Open Session

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Thursday, November 18, 2010

Work Order No.: NRC-558

Pages 1-49

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

5 (ACRS)

6 AP1000 REACTOR SUBCOMMITTEE MEETING

7 OPEN SESSION

8 + + + + +

9 THURSDAY

10 NOVEMBER 18, 2010

11 + + + + +

12 ROCKVILLE, MARYLAND

13 + + + + +

14 The Advisory Committee met at the Nuclear
15 Regulatory Commission, Two White Flint North, Room
16 T2B1, 11545 Rockville Pike, at 8:30 a.m., Harold B.
17 Ray, Chairman, presiding.
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 COMMITTEE MEMBERS:

2 HAROLD B. RAY, Chairman

3 J. SAM ARMIJO, Member

4 SANJOY BANERJEE, Member

5 DENNIS C. BLEY, Member

6 MARIO V. BONACA, Member

7 CHARLES H. BROWN, JR., Member

8 JOY REMPE, Member

9 MICHAEL T. RYAN, Member

10 WILLIAM J. SHACK, Member

11 JOHN D. SIEBER, Member

12 NRC STAFF PRESENT:

13 RALPH LANDRY, NRO/DSRA

14 EILEEN MCKENNA, NRO

15 JOHN MCKIRGAN, NRO/DSRA

16 BRIAN THOMAS

17 WEIDONG WANG, Designated Federal Official

18 PRESENT FROM WESTINGHOUSE:

19 TIM ANDREYCHEK

20 ED CUMMINS

21 JOHN DEBLASIO

22 CESARE FREPOLI

23 ANDRE F. GAGNON

24 DANIEL GOLDEN

25 JASON KARNS*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

PRESENT FROM WESTINGHOUSE:

TOM KINDRED

MEGHAN LESLIE

DONALD LINDGREN

PHIL MATHEWSON

MIKE MELTON

RICHARD ORR

JAMES PARELLO

NIKOLAY PETKOV

THOMAS RAY

GERALD RIEGEL

GIUSEPPE SCADDOZZO, Ansaldo Nucleare/WEC

TERRY SCHULZ

BOB SEELMAN

ROB SISK

LEE TUNON-SANJUR

AMIT VARMA, Purdue University/Westinghouse

RON WESSEL

ALSO PRESENT:

AMY AUGHTMAN, The Southern Company

EDDIE R. GRANT, NuStart

THOMAS S. KRESS, ACRS Consultant

GRAHAM B. WALLIS, ACRS Consultant

*Present via telephone

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

C O N T E N T S

Opening Remarks and Objectives.....	5
Action Item 55 (Continued Discussion).....	7

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

P R O C E E D I N G S

(8:32 A.M.)

CHAIRMAN RAY: The meeting will now come to order.

This is a meeting, the second day, of meetings for the AP1000 Reactor Subcommittee, a standing committee of the Advisory Committee on Reactor Safeguards, and I'm Harold Ray, chairman of the subcommittee.

ACRS members in attendance today are Mario Bonaca, Charles Brown, Joy Rempe, William Shack, Michael Ryan, Sam Armijo, and Sanjoy Banerjee, and Jack Sieber.

We also have the benefit of ACRS consultants at the table with us, Tom Kress and Graham Wallis.

Weidong Wang is the designated federal official for this meeting.

The meeting is a part of the ongoing review to the Proposed Amendment to the AP1000 Pressurized Water Reactor Design Control Document. We've had eleven multiday meetings in the past. This meeting will continue the review of the safety evaluation reports for Revision 17 of the AP1000 DCD.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 It's a three day meeting, during which we'll review
2 Chapters 315, 23, and action items, and the other
3 matters that I have mentioned previously, concerning
4 AIA, GSI-191.

5 We will hear presentations from the
6 Applicant, Westinghouse, and the NRC staff. We have
7 received no written comments or requests for time to
8 make oral statements from members of the public
9 regarding today's meeting, and as shown on the
10 agenda, some presentations will be closed in order to
11 discuss proprietary information. Other portions will
12 be closed to discuss classified information.

13 During the proprietary sessions,
14 Westinghouse representatives, and NRC consultants,
15 staff, and those individuals and organizations who
16 have entered into appropriate confidentiality
17 agreement with them may be in attendance. Otherwise,
18 we will need to confirm that we have only eligible
19 observers and participants in the room for the
20 proprietary closed portion.

21 The subcommittee is gathering information
22 and will analyze relevant issues of facts and
23 formally propose positions and actions, as
24 appropriate, for deliberation by the Full Committee.

25 The rules for today's meeting, for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 participation in today's meeting, have been announced
2 as part of the notice of this meeting, previously
3 published in the Federal Register. A transcript of
4 the meeting is being kept and will be made available,
5 as stated in the Federal Register notice. Therefore,
6 we request participants in this meeting use the
7 microphones located throughout the meeting room when
8 addressing the subcommittee.

9 The participants should first identify
10 themselves, and speak with sufficient clarity and
11 volume, so that they may be readily heard.

12 And we will now proceed with the meeting.

13 As I say, previously, this is a continuation of a
14 discussion that concluded the day yesterday and it
15 will address our action item identified as Item 55,
16 having to do with squib valve functional testing, and
17 Don, the floor is yours.

18 MR. LINDGREN: Okay. Good morning. Once
19 again, my name is Don Lindgren. I'm from
20 Westinghouse Electric. Gerry Riegel is beside me.
21 He is our lead engineer on the squib valve design
22 procurement testing. In the audience, I have Ron
23 Wessel and Jim Parello, who are in the EQ area. I do
24 have a response which I've written out, which is
25 mostly just this information again. So we'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 continue. I've written down the questions we got on
2 squib valves, testing of squib valves, verification,
3 qualification program, IST, from Dr. Banerjee.

4 Details of how many tests, what's the configuration,
5 what about the steam pressures, and et cetera, aside
6 from how do you test them once they are in service.

7 Our squib valve design and development
8 includes functional testing, lot acceptance testing,
9 equipment qualification testing, and in-service
10 testing. We're going to talk about all of it.

11 The design and development program
12 includes functional testing of the design and extreme
13 conditions. Variables include propellant loads,
14 material properties, environmental conditions, and
15 machining tolerances.

16 Seventeen tests have been completed with
17 prototype valves, with all the valves opening.

18 Propellant loads ranged from--generally
19 ranged from 80 percent of the nominal load to 20
20 percent of the nominal load, and in a couple of
21 cases, higher.

22 MEMBER BROWN: Is that part of the
23 design? Excuse me. The manufacturing, is that--does
24 that reflect their quality control in terms of
25 propellant loads, or is that just--

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. RIEGEL: No; it's just prototype
2 testing, and it was--part of the testing was to
3 develop the actual propellant loads. That's why some
4 of the tests were actually higher--

5 MEMBER BROWN: Okay. So this is to
6 identify what it took to make, again, whatever the
7 environmental pressure conditions, pipe conditions,
8 whatever you would be facing, that was to find what
9 loads you needed to make sure that you had reliable
10 opening?

11 MR. RIEGEL: Exactly.

12 MEMBER BROWN: Now in the manufacture, I
13 presume there's some way to confirm that your well--

14 MR. LINDGREN: There is a lot acceptance
15 test of the charges.

16 MEMBER BROWN: Okay. You're going to
17 talk about that?

18 MR. LINDGREN: Yes.

19 MEMBER BROWN: Okay.

20 MR. LINDGREN: Shear cap thicknesses
21 include nominal, minimum, and maximum thicknesses,
22 and the tension bolts, which are also broken, are as
23 part of the opening.

24 MEMBER BROWN: Before you flip, your test
25 pressure's up to 450. Is that--

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LINDGREN: That's higher than--these
2 are the Stage 4 squib valves, and they open at a much
3 lower pressure. You know, they're the fourth stage,
4 so the first, second, and third stage have opened and
5 relieved most of the pressure by that time,
6 incidentally, if you ever have to use them.

7 DR. WALLIS: But they will be subjected
8 to higher pressure.

9 MR. LINDGREN: They will sit at higher
10 pressure but they don't have to open.

11 DR. WALLIS: They will have experienced
12 that pressure for a long time--

13 MR. LINDGREN: They will experience that
14 pressure, yeah, in service, but the opening pressure
15 is--and of course the opening--the pressure tends to
16 push them open, once you start the process.

17 MEMBER BANERJEE: Do you have, just to
18 remind us, a little sketch of what this thing looks
19 like?

20 MR. RIEGEL: This actually walks through
21 the operation of the squib valve. There's two
22 different types. There's the ADS valve, which has
23 one shear cap, essentially, and then the 8-inch
24 valve, the injection valves, and there are
25 circulation valves just of a slightly different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 design. If you scroll through it, it walks through
2 the operation, so the tension bolt broke there and
3 then--

4 MEMBER BANERJEE: Can you tell us,
5 explain what is what here?

6 CHAIRMAN RAY: And you'll have to speak
7 more loudly because we are making a transcript here.

8 MEMBER BANERJEE: Yes. You can't--you
9 need to be miked.

10 MR. LINDGREN: Here. Run the cursor.

11 MR. RIEGEL: So this is the valve body.
12 We have a bonnet up here. Not shown here is where
13 the--what we call the actuator, it's where the
14 propellants are kept, and there will be electrical
15 leads that come into it. Once it's initiated,
16 pressure builds up above the piston, the tension bolt
17 will break, the piston will come down, impact the
18 shear cap. At the end of the shear cap, it has this
19 clamp mechanism on it to retain it, and then it will
20 flop down. There's pins in here that retain the
21 shear cap and that clamp mechanism, and there's a
22 position indication switch down here that will
23 indicate that--

24 MEMBER BROWN: Can you do that again. Is
25 that open volume where the propellant is? Is that an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 enclosed--I see a little light line up there. So it
2 goes into an enclosed volume to get the force to push
3 that piston down? Hopefully.

4 MR. RIEGEL: Yes. This is actually a
5 older design. During the testing, there were some
6 modifications to the piston. This volume is a lot
7 smaller now. But yes, this is the volume that--

8 MEMBER BROWN: So it's that little odd
9 volume that you're talking about?

10 MR. RIEGEL: Right here; yeah.

11 MEMBER BROWN: Okay. And the connection
12 between--the propellant then gets its charge and
13 blows it into that volume?

14 MR. RIEGEL: Yes.

15 MEMBER BROWN: Okay.

16 MR. RIEGEL: And the tension bolt breaks
17 at this design failure spot.

18 DR. WALLIS: That was very quick.

19 MR. RIEGEL: How it breaks off is not
20 clear.

21 How it breaks off is the gas builds up
22 above the piston here--

23 DR. WALLIS: No. How does the shear
24 stuff breaks off when it gets hit?

25 MEMBER BROWN: Point to the areas down

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there where things happen.

2 DR. WALLIS: They were suddenly lying on
3 the floor. But how does it actually rip off

4 MR. RIEGEL: The shear area is--this here
5 is the shear cap and it's one continuous piece
6 machined out of bar stock, and there's a very--not
7 very--there's a thinned area here. When the piston
8 impacts, it breaks right on this small area here, it
9 shears off, and, yeah, there's no in-between step but
10 it--

11 MEMBER BROWN: It's hinged in that lower
12 corner.

13 DR. WALLIS: Go backwards to the
14 beginning one again.

15 MEMBER BROWN: Okay. So the light brown
16 goes down and pounds that little oddball thing that
17 goes around, that purchases that downwards--

18 MR. RIEGEL: Yeah.

19 MEMBER BROWN: --breaks the--

20 MR. RIEGEL: Guillotine.

21 MEMBER BROWN: --little connection
22 higher, that's on the left.

23 MR. RIEGEL: Correct.

24 MEMBER BROWN: And then it's the working
25 fluid that knocks it into place?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. RIEGEL: The working fluid assists in
2 knocking it into place. It's designed, that it'll
3 fall without any pressure behind--

4 MEMBER BROWN: Even with gravity, it'll
5 just fall?

6 MR. RIEGEL: Yeah.

7 MEMBER BANERJEE: So where is the working
8 fluid?

9 MEMBER BROWN: To the left.

10 MEMBER BANERJEE: To the left?

11 MR. RIEGEL: Yes. This is the pipeline,
12 coming in here. So this is all full of fluid. And
13 it's designed for the reactor pressure.

14 DR. WALLIS: What's all that other stuff,
15 which is holding that--

16 MR. RIEGEL: This here stuff, here?

17 DR. WALLIS: The stuff on the right.
18 There. All that stuff. What's all that stuff?

19 MR. RIEGEL: This here is--

20 DR. WALLIS: It's a hinge?

21 MR. RIEGEL: Yes; it's hinged. There's
22 a--you can't necessarily see it but there is an L
23 bracket here, and a pin here, that retains all this
24 inside the valve, so that we don't generate--

25 DR. WALLIS: And the pin doesn't break?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. RIEGEL: No; the pin does not break.

2 DR. WALLIS: But it has to move?

3 MR. RIEGEL: Yes.

4 MEMBER BROWN: And you're only cracking
5 this thing at the top? Or does it crack all the way
6 around, kind of force?

7 MR. RIEGEL: Cracks all the way around;
8 yes.

9 MEMBER ARMIJO: So it's like--it's a
10 circular cap; right?

11 MR. RIEGEL: Yeah.

12 MEMBER BLEY: So it's got some lateral
13 movement as it breaks.

14 MEMBER BROWN: Okay. So you push down on
15 it and that breaks the seal, right in there.

16 MEMBER BLEY: Breaks that tube, actually.

17 MEMBER ARMIJO: It breaks the end cap off
18 the-

19 MEMBER BROWN: So is that a cap that's
20 inside of that thing there? I still don't get it.

21 MR. RIEGEL: This here is all one piece,
22 through here.

23 MEMBER BANERJEE: So in the testing, that
24 when you say sheer cap thickness included nominal,
25 minimum, maximum, where was it minimum/maximum?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. RIEGEL: So for the sheer cap, we did
2 analysis to take into account material variabilities,
3 temperature, fluid pressures, everything we could
4 think of, and since we didn't want to do all the
5 separate tests, we adjusted this thickness to account
6 for all those different properties.

7 MEMBER BANERJEE: So it's that thickness
8 as--which you showed the--

9 MR. RIEGEL: Yes. This thickness here is
10 what we varied.

11 MEMBER BROWN: Right--oh, I'm sorry.

12 MEMBER BANERJEE: And that's very
13 critical for--that's the critical thickness?

14 MR. RIEGEL: Yes.

15 MEMBER SIEBER: How much pressure does it
16 take to fracture that without the actual actuation of
17 the charge? What's the hydrostatic test pressure of
18 the--

19 MR. RIEGEL: We hydrostatic test these
20 to--the design pressure is 2485, 2, 485 TSI.

21 MEMBER SIEBER: Okay.

22 MR. RIEGEL: So that we pressure test to
23 1.1 times that.

24 DR. WALLIS: What's the minimum charge--

25 MR. RIEGEL: 1.1 time that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: What's the minimum charge
2 which will break this?

3 MR. RIEGEL: 80 percent.

4 DR. WALLIS: Only 80 percent? You only
5 have a 20 percent margin in charge?

6 MR. RIEGEL: We did test to ensure that
7 80 percent will break. It may break at less than
8 that.

9 DR. WALLIS: 60 percent might not break
10 it?

11 MR. RIEGEL: 60 percent may not break it.

12 DR. WALLIS: So it's reasonably marginal.

13 MEMBER BROWN: Yes.

14 DR. WALLIS: Yeah. I just wondered what
15 the probabilistic spread is in the breaking of this.

16 MR. RIEGEL: It's 80 percent, we know
17 will break it. We will never load a cartridge in the
18 plant at 80 percent. I mean, they will always be
19 loaded at nominal, and what we did--

20 DR. WALLIS: So it means that the force
21 to break it is within that range, is 20 percent, plus
22 or minus 20 percent or something?

23 MR. RIEGEL: Yes.

24 MEMBER BROWN: So this thing slides down
25 vertical and breaks that--it's got to have vertical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 motion and then it rotates?

2 MR. RIEGEL: If there's no pressure
3 behind it, yes, that is what happens. If there's
4 pressure behind it, it will start to rotate before it
5 ever reaches the bottom.

6 MEMBER SIEBER: Now what form is the
7 charge in? Is it like gunpowder, or-

8 MR. RIEGEL: Essentially. Yes.

9 MEMBER SIEBER: So you pour it in as
10 crystals?

11 MR. RIEGEL: There's several different
12 forms. There's an initial form--I don't know how
13 much I can talk about it. There's two different
14 types of propellant. One's an initiating and the
15 other one is the gunpowder type, and it's actually in
16 two stages, a powder and a granular type.

17 MEMBER SIEBER: Are they separated by
18 some kind of membrane?

19 MR. RIEGEL: Yeah. They're separated by
20 a thin metal membrane.

21 MEMBER BANERJEE: And they're
22 electrically activated here?

23 MR. RIEGEL: Yes.

24 MEMBER BANERJEE: So the combustion is
25 electrically--

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. RIEGEL: It's initiated by an
2 electrical current that heats up a bridge wire and
3 ignites the propellant, the initial propellant, and
4 that propellant ignites the next stage, and the next
5 stage, and then increases the gas that actuates the
6 valve.

7 DR. WALLIS: Well, I'm not familiar with
8 this, but if you--there must be a probabilistic curve
9 for the probability of this thing popping with
10 various loads. And I don't know how big--how wide
11 the tails are. But there must be some plus or minus,
12 and 80 percent seems a little lower margin for me.

13 MR. RIEGEL: What we did--

14 DR. WALLIS: I would like to have it hit
15 with something--three times what would break it,
16 rather than the 20 percent more than what would break
17 it.

18 MR. RIEGEL: The 80 percent is on the
19 cartridge load. What's not in that 80 percent is--so
20 when we use the 80 percent cartridge load, this
21 thickness here is larger than it will normally be, to
22 account for material variations, and all the other
23 tolerance backups, and everything else.

24 DR. WALLIS: But it has to break that pin
25 at the top as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. RIEGEL: Yes; it has to break this
2 pin at the top.

3 DR. WALLIS: So there's a statistical
4 spread of that breaking as well.

5 MR. RIEGEL: Yes.

6 DR. WALLIS: I just wondered, have you
7 done any kind of uncertainty analysis on this?

8 MR. RIEGEL: That was taken into account
9 in the prototype testing as well. We varied the
10 diameter here, as well as other factors in it, to the
11 minimum break strength and the maximum break
12 strength.

13 DR. WALLIS: But you could do an
14 analysis, which would give us some idea of what's the
15 probability of it not working.

16 MR. LINDGREN: This design is mostly
17 empirical.

18 MR. RIEGEL: Yes.

19 MR. LINDGREN: The manufacturer's
20 experience.

21 CHAIRMAN RAY: On that point, maybe you
22 could tell us where these things are used elsewhere,
23 how long they've been in service for whatever
24 applications they're used in, that sort of thing.

25 MR. RIEGEL: Valves of this size have not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 been used elsewhere. There was another design, very
2 similar to this one, that was developed for the
3 Department of Energy and GE, but it was never put
4 into production. There are lots of valves of these
5 types, that are of a smaller type, up to two inches,
6 that are used in aerospace and military applications.

7 CHAIRMAN RAY: Okay. Well, tell us about
8 that, because, you know, this is something we've
9 never, most of us never encountered before. Just
10 tell us about their use in other aerospace
11 applications.

12 MR. RIEGEL: I'm not the expert on that.
13 My boss would have been a better--

14 (Laughter)

15 MR. RIEGEL: My experience is mainly with
16 the design of these. What I have gathered from
17 working on these is that the aerospace industry uses
18 them in things such as canopy ejection for fighter
19 jets. I know commercial jets use similar things for
20 air bag deployments out of the exit doors. The
21 initiator that's used in this is also very similar to
22 the initiates that are used in automobile and the air
23 bag system.

24 CHAIRMAN RAY: Okay. Well, that's useful
25 information.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: So this scaling, in
2 terms of size, is what order? Would be a factor of
3 four in charge, or ten, compared to this experience?

4 MR. RIEGEL: I--

5 CHAIRMAN RAY: Compared to air bags in a
6 car, it's probably a hundred, but--

7 MR. RIEGEL: Yeah.

8 MEMBER BANERJEE: Air bags in a car. But
9 I'm talking about aerospace applications.

10 MR. RIEGEL: I couldn't answer that.

11 MEMBER BLEY: Let me ask you a different
12 question. This shearing mechanism that you use in
13 this large valve, is that the same physical
14 arrangement that's used in--and I think they use
15 squib valves a lot in the processed chemical industry
16 too. But is that the same style that's used in all
17 of the other BWR applications and in the aerospace
18 business?

19 MR. RIEGEL: It's the same basic
20 function, that it has a--

21 MEMBER BLEY: Machined tube with a
22 banging on one side to shear it off?

23 MR. RIEGEL: Yeah.

24 MEMBER BONACA: But it is much larger.

25 MR. RIEGEL: These are much larger.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: I presume the explosive
2 charge is similar, chemically and physically, to
3 gunpowder?

4 MR. RIEGEL: Yes.

5 MEMBER SIEBER: Okay. So the
6 repeatability should be the same as a hand lever would
7 get measuring velocities for a given charge. I've
8 done a lot of that, so that's pretty accurate.

9 MR. RIEGEL: It's pretty repeatable. I
10 agree.

11 MEMBER BANERJEE: So this is much more
12 repeatable than what the chemical industry normally
13 uses, which is rupture disks for emergency relief,
14 multiple rupture disks. So that's why you're using
15 this rather than that.

16 MR. RIEGEL: This is used--well, no, see,
17 we--this normally sits at reactor coolant pressure.
18 So when we do fire it, it's the fourth stage, so
19 you're down around--

20 MEMBER BANERJEE: Yeah. So you can't use
21 the--

22 MR. RIEGEL: So you can't use--

23 MEMBER BANERJEE: --emergency relief
24 system--

25 MEMBER SIEBER: The higher the pressure,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the better off you are.

2 MEMBER BANERJEE: Right.

3 CHAIRMAN RAY: It's not a relief valve.

4 MEMBER BANERJEE: It's not a relief
5 valve. Thank you.

6 CHAIRMAN RAY: Well, we brought you off
7 onto the valve, which is all very interesting, maybe
8 we'll come back to that, but let's try and finish--

9 MEMBER BANERJEE: There's 17 tests--
10 sorry.

11 MEMBER BROWN: I have one other--maybe
12 two other questions. You said this is--there's three
13 other--there's three other valves. Are they al the
14 same?

15 MR. LINDGREN: No; no.

16 MEMBER BROWN: And I know they're
17 different sizes.

18 MR. LINDGREN: First, second, and third
19 stage are--they're motor-operated valves.

20 MEMBER BROWN: Okay. They're not squib
21 valves.

22 MR. LINDGREN: They are the valves that
23 sit on the top and pressurize it.

24 MEMBER BROWN: Okay. All right. They're
25 not squib valves.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. LINDGREN: They're not squib valves.

2 MEMBER BROWN: Then go back to the other
3 one again. We had a note down at the--keep going--
4 down at the--yeah. The last one. You say travel
5 before impact was two inches. Then you say the
6 production design has four inches.

7 MR. LINDGREN: Yes.

8 MEMBER BROWN: What does that mean? Does
9 that mean the prototype only had two but the
10 production's going to have four?

11 MR. RIEGEL: The first round of prototype
12 testing we did, we have initially started with a two-
13 inch travel to reduce the loading that was seen on
14 the piping. Because of the actuation of these
15 valves, we made some adjustments, and one of the
16 adjustments was to increase the travel before impact.
17 That reduced the amount of propellant we needed and-
18 -

19 MEMBER BROWN: If it has to go farther,
20 you need less charge?

21 MR. RIEGEL: Yes. You have time to speed
22 up.

23 MEMBER BROWN: So it's strictly the
24 acceleration that you're dealing with.

25 MR. RIEGEL: Yeah.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: Now when you ran through
2 all your tests, which did you use? The two inch or
3 the four inch?

4 MR. RIEGEL: We used the two inch for the
5 first six tests in the last 11 tests. So that
6 number's right.

7 MEMBER RYAN: Just so I understand the
8 scale, what's the height from the bottom of the valve
9 to the top of the--

10 MR. RIEGEL: Here is 32 inches, so this
11 is probably about fifty, something. 60 inches.

12 MEMBER RYAN: Sixty inches, round
13 numbers, just to get a--thanks.

14 MEMBER BANERJEE: And the upstream pipe?
15 Remind us.

16 MR. RIEGEL: There is no upstream pipe.

17 MEMBER BANERJEE: No. I mean, on this
18 left side.

19 MR. RIEGEL: Oh, okay. This is a 14-inch
20 pipe.

21 MEMBER BROWN: Okay. Now back to the
22 other question. You said six of the, your
23 qualification or quantification tests--

24 MR. LINDGREN: These are development
25 tests.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: Development tests. Are
2 those same tests repeated now in the production
3 design, to make sure that whatever you used in the
4 development side is repeated in the production, to
5 make sure you're got prototypical--

6 MR. LINDGREN: I've got a test matrix.

7 MEMBER BROWN: I don't know whether I can
8 answer that from looking at your matrix.

9 (Laughter)

10 MEMBER BROWN: But anyway, more than
11 willing to work up a matrix, but I think I'm going to
12 need you to tell me.

13 MEMBER BANERJEE: You guys are well-
14 prepared

15 CHAIRMAN RAY: While he's passing it out,
16 we're using different terms here, I think.

17 You have your functional testing and lot
18 acceptance testing. That's what you meant by
19 development testing and--

20 MR. RIEGEL: We have what we call the
21 functional testing, is the prototype testing we did
22 during the design development phase. There'll be some
23 lot acceptance testing during production.

24 CHAIRMAN RAY: I was trying to go back to
25 what Don had said. He used the word "development,"

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and I was trying to figure out, is that the same as
2 functional testing?

3 MR. RIEGEL: Yes, I believe, in the
4 context.

5 MR. LINDGREN: Yes.

6 MEMBER BROWN: So the functional tests
7 you're talking about here are really development
8 tests, not what you would call production--not
9 production test.

10 MR. LINDGREN: Yeah. We've got three
11 more types of tests to tell you about.

12 MEMBER BLEY: Let me get at one of
13 Graham's questions in a slightly different way.
14 These things are modeled in your PRA. How did you
15 get from a handful of tests to a failure rate for
16 this valve to use in the PRA?

17 MR. LINDGREN: I do not know that answer.

18 MR. CUMMINS: This is Ed Cummins. This
19 question was investigated, significantly in the
20 AP1000 design cert. So we had a Sandia expert come
21 to say--and basically, the process was one where the
22 key is the actuator. And we did by, I'll say
23 mechanics, say if the actuator works, everything will
24 work. And so what is the probability of the actuator
25 working?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And they had millions of actuations, huge
2 amounts of data of the same kind of actuator, and
3 they had--I don't remember the exact numbers--but
4 very good reliability, extremely good reliability.

5 So this turns out to be more reliable
6 than--I'll say any of our--I'm not sure absolutely--
7 but any of our other valves, because if you can
8 accept that when the actuator works, that the valve
9 opens, than that's what we used in the PRA for the
10 probability of the valve working.

11 MEMBER BLEY: Okay. And if I go back to
12 the original certification, I'll find that
13 information?

14 MR. CUMMINS: I think--yes. We had
15 presentations to the ACRS about the prob--what the
16 actual probabilities were, and what the justification
17 was. Yes.

18 MEMBER BLEY: Okay. And got into things,
19 like this variability in charge, or the variability
20 in strength of the--

21 MR. CUMMINS: I would say not so much as I
22 recall. Most of it was proved to me that the
23 actuator actuates, and tell me what--show me that
24 your data is relevant to this application.

25 MEMBER BLEY: To this larger valve; okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: By actuator, you mean the
2 charge and--

3 MR. CUMMINS: The piston.

4 MEMBER ARMIJO: So the mechanical design
5 and all of that, it does not go into your PRA number?

6 MR. CUMMINS: No; it didn't.

7 MEMBER ARMIJO: Okay.

8 MEMBER SHACK: He bounds that
9 uncertainty, you know. I mean, you deal with
10 uncertainties in different ways. In this one, they,
11 you know, they rebound that, and then they're left
12 with the one thing they can't bound, which is the--

13 MEMBER BANERJEE: So by actuator
14 activating, it means you need to break that--

15 MR. CUMMINS: The electronic device, when
16 you put the electricity on it, it's like a firing cap
17 or--you can say it better, I'm sure, but--

18 MR. RIEGEL: Yes. There's a small
19 resistor, and when you put the current through it, it
20 heats up and ignites the initial propellant.

21 MEMBER BANERJEE: But it's not actually
22 breaking that thing up there. That's not--no, that
23 little--

24 MR. RIEGEL: This here?

25 MEMBER BANERJEE: Yes. That's not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 included in the actuator actuating?

2 MEMBER BLEY: It's not--

3 MR. RIEGEL: No. An actuator is, does it
4 go off? and does it produce the amount of gas it's
5 supposed--

6 MEMBER BANERJEE: As long as we
7 understand what, precisely, it was.

8 MEMBER BROWN: Okay. Can I--are you all
9 finished with that? I want to go back, still trying
10 to figure out what tests you did on the two-inch
11 valve, and now you're going to build a four inch
12 impact, or travel. What's--that's not in this. So
13 you've got a set of tests that were done on a non-
14 prototypical valve. And how do you determine that
15 those tests are valid, relative, and not have to
16 repeat all of them? I can't tell from this matrix
17 what the--

18 MR. RIEGEL: We did several rounds of
19 testing. The first rounds, like I said, were done
20 with this two inch travel. Then we did another
21 round, and the first round was, I believe, six tests,
22 and then the second round was the additional 11
23 tests, and they were done--they were done with the
24 14--or the four inch travel.

25 MEMBER BROWN: Are they the same tests

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that were the first six?

2 MR. RIEGEL: No. The first six were
3 mainly a proof of concept.

4 MEMBER BROWN: What does that mean?

5 MR. RIEGEL: Ensure that the way we are
6 designing it, and the loads we have, will actuate the
7 valve.

8 MEMBER BROWN: But they're going to be--
9 aren't they going to be different, if you've got a
10 four inch travel as opposed to a two inch?

11 MR. RIEGEL: Yes, they are, and that's
12 why we did another round of testing, to ensure that
13 all the changes that we made because of the first
14 round of testing still actuated the valve and the
15 valve functioned properly.

16 MEMBER BROWN: Did you do it with the
17 same 80 percent, 120--

18 MR. RIEGEL: Yes.

19 CHAIRMAN RAY: The pressures, all the
20 other "schefaffe" that goes along with this.

21 MR. RIEGEL: Yes.

22 MR. CUMMINS: So this is Ed Cummins.
23 These tests were not tests that we would call
24 qualification tests. They are tests that let us
25 figure out how to do the design of the valve.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: Okay.

2 MR. CUMMINS: So they're development
3 tests, and we can adjust--based on the results of the
4 tests, we keep adjusting the design of the valves
5 until we get it to where we want. Then once we have
6 the design, then we do a qualification test.

7 CHAIRMAN RAY: What's the status of that,
8 Ed?

9 MR. CUMMINS: We haven't started
10 qualification test.

11 CHAIRMAN RAY: Okay.

12 MEMBER BROWN: Are you going to discuss
13 the qualification tests you intend to run?

14

15 MR. RIEGEL: Yes.

16 MEMBER BROWN: Okay. I'll stop now.

17 (Laughter)

18 MEMBER BONACA: Once everything's
19 approved, you put it in place, you leave it for 60
20 years?

21 MR. RIEGEL: No; no.

22 MEMBER BONACA: You are testing to do a
23 replacement?

24 MR. RIEGEL: We'll cover that also.

25 MEMBER BROWN: Are you going to address

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the aging of gunpowder?

2 MR. RIEGEL: Yes.

3 MEMBER BONACA: That's what I was
4 thinking.

5 CHAIRMAN RAY: So now with that, we'll
6 get back to the--

7 (Laughter)

8 CHAIRMAN RAY: See what happens. That
9 was very useful.

10 MR. LINDGREN: I was--it was my fault. I
11 said we would breeze through this. I know better
12 than that.

13 CHAIRMAN RAY: Well, I'm glad you had the
14 stick with you, cause I think that helped a lot.

15 MR. LINDGREN: Okay. We've beat that one
16 to death. Okay. We do lot acceptance testing of the
17 production lots of the critical one-time valve
18 internal parts. These are the shear caps and the
19 tension bolts. For the current production orders,
20 there were a total of 22 full-scale tests for the
21 various sizes and configurations of valves, and these
22 were all done with actuator loading at 80 percent of
23 nominal.

24 The actuators also have a sample size of
25 10 percent, that are tested as part of lot acceptance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 testing.

2 CHAIRMAN RAY: Now you're going to get to
3 qualification testing or--

4 MR. LINDGREN: Yeah. We'll get here.

5 CHAIRMAN RAY: All right.

6 MEMBER BROWN: But when you talk about
7 lot, I mean, how many--there's not a whole lot of
8 valves in here, so a lot--

9 MR. RIEGEL: A lot of material--so we buy
10 a lot of material and it all goes through a machining
11 process in one timeframe. So that batch of shear
12 cap, or that batch of tension bolts, is what is
13 tested.

14 MEMBER BROWN: I mean, when you say you
15 buy a lot of them, does that mean a thousand, or a
16 hundred? Or ten, in which you test one?

17 MR. RIEGEL: It depends. Right now, we
18 have ten plant works, and there's 12 valves in each
19 plant, so--

20 MEMBER BROWN: But you test ten or
21 twelve, or something. That's 120 times 10 percent
22 would be--

23 MR. RIEGEL: Of the cartridges. The
24 other materials, the sheer caps and tension bolts,
25 we'll test one out of each lot.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Could you put it kind of
2 in perspective. What's the size of this cartridge?
3 Equivalent to a .30 caliber cartridge? A .50 caliber
4 cartridge? A stick of dynamite? What's the size?

5 MR. RIEGEL: The analogy I received from
6 our propellant experts was it's--I believe he said a
7 100 grams is equivalent to 30 shotgun shells.

8 MEMBER ARMIJO: Thirty...?

9 MR. RIEGEL: Shotgun shells.

10 MEMBER ARMIJO: So these are 100 grams of
11 your propellant?

12 MR. RIEGEL: It varies.

13 MEMBER SIEBER: Your loadings have been
14 from 80 grams to 590 grams in your test cases.

15 MEMBER ARMIJO: 590. That's a lot.

16 MR. LINDGREN: Yes.

17 MEMBER SIEBER: So that's more than
18 twelve gauge.

19 MEMBER ARMIJO: More than any twelve
20 gauge I've ever shot. It's a mortar.

21 MR. LINDGREN: Okay. We already include
22 in our IST table, in the DCD, that these valves will
23 get a charge test fire of 20 percent every two years.
24 A full 20 percent of them out every two years, and
25 the squib valve is removed and it's test-fired

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 outside of the valve. Squib valves are not exercised
2 for in-service testing. This is consistent with--
3 there are actually ASME OM requirements on--for these
4 types of valves.

5 There is also a charge lifetime; right?

6 MEMBER BANERJEE: Sorry. I missed the
7 frequency.

8 MR. LINDGREN: Shelf life.

9 MEMBER BANERJEE: Is every two years?

10 MR. LINDGREN: Every two years. You have
11 to charge--you have to test-fire 20 percent of the
12 actuators. There is also a shelf life for these
13 actuators, and w hen you read the end of the shelf
14 life, you have to remove them, and now you're dealing
15 with a new batch.

16 MEMBER BANERJEE: And hat is that shelf
17 life?

18 MR. RIEGEL: There is an in-service life
19 of eight years. With the amount of charges in the
20 plant, they'll all be replaced before then.

21 MEMBER BANERJEE: And 20 percent are
22 tested every two years.

23 MEMBER SIEBER: How many valves are
24 there? Six?

25 MR. RIEGEL: Twelve.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Twelve. Okay. Great.

2 MR. LINDGREN: Westinghouse will provide
3 additional in-service inspection and testing
4 recommendations to utilities, as appropriate, as we
5 continue and complete our design and development
6 activities. They are also subject to equipment
7 qualification testing for the guidance--

8 MEMBER BANERJEE: Let me just ask you a
9 question. Is there any potential corrosion path for
10 these--you know, the whole thing is hanging on this
11 relatively small thickness of material. Can--

12 MR. LINDGREN: The shear cap.

13 MEMBER BANERJEE: Yeah. Can that
14 corrode, or--

15 MR. RIEGEL: Everything's made out of
16 corrosion-resistant materials as well as the tension
17 bolt part, that you're talking about, is also chrome-
18 plated, part Armoloy.

19 MEMBER ARMIJO: But the tension bolt
20 isn't exposed to the coolant?

21 MR. RIEGEL: No.

22 MEMBER ARMIJO: But the shear cap, it's
23 not welded, right? It's machined out of a--

24 MEMBER BANERJEE: Single cap.

25 MEMBER ARMIJO: --tube that--so it's not-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 -doesn't have any--the worst thing could happen, it
2 corrodes, it was a little weaker, and--

3 MEMBER SHACK: It's not going to corrode.
4 He's going to stress corrosion, correct, I mean, you
5 know--

6 MEMBER ARMIJO: But not if it's machined
7 out, you know, a weld--

8 MEMBER SHACK: Well, they're picking a
9 resistant material, obviously, but I mean the mode of
10 failure you would worry about would be stress
11 corrosion. You know, this is stainless steel, it's
12 not going to corrode in a general sense but--

13 MR. RIEGEL: It's actually in 690.

14 MEMBER SHACK: Oh, 690.

15 DR. WALLIS: Another mode of failure
16 would be thermal fatigue. Thermal fatigue. If you
17 have some way in which a dead end had some
18 circulation of hot and cold fluid, it's got a thermal
19 fatigue problem with it.

20 MR. RIEGEL: That's been--

21 DR. WALLIS: Which has happened in other
22 places in reactor circuits.

23 MR. RIEGEL: Those analyses have been
24 done.

25 DR. WALLIS: You've done that analysis?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: So this is how far up
2 from the hotleg? The vertical structure moves in and
3 out. Is there possible thermal fluctuations that it
4 would be exposed to?

5 MR. RIEGEL: There is a cold track in
6 front of this. It's not extremely big. So there are
7 some fluid--there is some circulation there. But
8 we've done those analyses and we know what
9 temperatures will be seen, and we've designed for
10 those.

11 MEMBER BANERJEE: This was done as part
12 of the original certification, I imagine. Can you--

13 MR. CUMMINS: The thermal analysis was
14 done; yes.

15 MEMBER BANERJEE: Yeah.

16 MR. CUMMINS: The development of the
17 valve is--wasn't--we are just developing the valves
18 now. I mean, we had functional requirements for the
19 valves at the time of the certification. So now it's
20 time to deliver.

21 MEMBER BLEY: If I understood it right,
22 though, you pull out the charge and test those. But
23 the body of the valve, and the little hinge, and all
24 that stuff, that keeps things from going downstream,
25 is there for the life of the plant. Forty, sixty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 years, it's going to sit there with nobody every
2 looking at it. That's right? Did I understand that
3 right?

4 MR. LINDGREN: I believe we have not got
5 that into our schedule. As I said, we're still
6 evaluating that. That's--

7 MEMBER BLEY: Okay.

8 MEMBER BANERJEE: There's no inspection
9 procedure to the valve itself, only testing of the
10 charge. Is that--

11 MR. LINDGREN: We've not committed to any
12 inspection. These valves are actually removed to do
13 a system test every ten years.

14 MEMBER BANERJEE: Oh, they are?

15 MR. LINDGREN: Yes. That's why they're
16 flanged. And that they could be inspected at that
17 point.

18 MEMBER BLEY: I mean we have had, you
19 know, hanging, you know, swinging check valves that
20 disconnect and end up blocking the pipe somewhere in
21 the--

22 MR. LINDGREN: Yeah, but those in the
23 fluid, and these, of course, aren't in the fluid.
24 And that is in fact why we have the hinge, is so that
25 the shear cap doesn't become a missile, or get caught

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 some way.

2 MEMBER BLEY: Understand that.

3 MEMBER SIEBER: Well, the hang-up in the
4 Velan valve is just getting caught inside the case.
5 From the drawing that was here, it looks like the
6 downstream portion is the same diameter, or larger
7 than the plug itself. And there's no opportunity for
8 it to hang up on the thing.

9 CHAIRMAN RAY: Let's try and get through
10 the balance of what you wanted to say.

11 MR. LINDGREN: Okay. Anyway, there is
12 environmental qualification testing for the--

13 MEMBER BROWN: I'm sorry, Harold. You
14 say you test 20 percent of the charges every two
15 years?

16 MR. LINDGREN: Yes.

17 MEMBER BROWN: Okay. So if you do that,
18 theoretically, if you test old stuff, if you take old
19 ones out every time, you would replace them every ten
20 years. You've made a comment that the service life
21 of the charge was only eight years.

22 MR. RIEGEL: I believe our averages are
23 every 18 months, so, in fact, we'll be taking them
24 out sooner. And the 20 percent is for each type. So
25 the math works out that every eight years--before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 eight years, they will be--

2 MEMBER BROWN: So every--that's what I
3 was just trying to get to. Every eight years, you
4 would end up with a total replacement. But the first
5 ones you replaced would be ready to be taken out and
6 tested, the next 18 month cycle, whatever it is.

7 MR. RIEGEL: Correct.

8 MEMBER BROWN: Okay. All right. The
9 comment didn't add up until you changed it.

10 MR. RIEGEL: Okay.

11 MR. LINDGREN: Okay. I'll try again.
12 The actuators are subject to environmental, seismic
13 and design basis accident simulations and EQ test,
14 and the non-metallic components and valve functional
15 testing and flow testing is also part of the
16 equipment qualification testing.

17 The NRC Component Integrity Branch has
18 been very much involved in this process. They've
19 audited our equipment qualification methods. They've
20 audited our squib valve design specifications.
21 They've attended, which really means "participated
22 in," our design reviews.

23 They've witnessed some of the valve
24 testing that we've done. Our manufacturer is in Erie,
25 Erie, Pennsylvania, so it's relatively easy to get to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there. So we have had a great deal of participation
2 by the staff on this item.

3 MEMBER BROWN: From a seismic standpoint,
4 after you've gone through the seismic tests, do you
5 then perform a full-bore test, to make sure it still
6 actuates, by firing the charge, and just make sure it
7 doesn't break? I mean, you know, about physically
8 break.

9 MR. LINDGREN: Mr. Wessel.

10 MR. WESSEL: Hello. I'm Ron Wessel. I
11 met you yesterday. I'm the EQ lead for the squib
12 valve. After each sequence in the IEEE testing of
13 the actuator, a set of the actuators will be fired,
14 to see if there's been any change from the baseline
15 tests, when we started the program, all the way
16 through to design basis accident. During the
17 seismic, we don't want it to go off. So that's our
18 goal, of showing that the valve--the actuator won't
19 go off during a seismic. But after the seismic
20 simulation, we will take a cartridge and fire it, to
21 make sure that it's still viable to--

22 MEMBER BROWN: Why wouldn't you take a
23 valve and test it, to make sure it still actuates and
24 it hasn't been bent, deformed, or what have you? I
25 mean--

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WESSEL: Well you don't fire the
2 valve until the design basis accident. So you don't--
3 --you know--

4 MEMBER BROWN: Well, you want to make
5 sure it does. I mean, that's--

6 MR. WESSEL: Oh, yes, that's right. But
7 you also have all the ASME code that--design reports
8 that have already analyzed, including the seismic
9 loading in the valve. So you don't necessarily have
10 to show that. Now we will be doing QME1 testing at
11 the end, where we will actually be firing the valves,
12 the full valves, with cartridges, and doing full flow
13 testing with them.

14 MEMBER BROWN: It had been seismically
15 tested, or the production--my point being is you've
16 got--you don't necessarily shut down a plant after a
17 seismic event, if everything's okay.

18 MR. WESSEL: That's correct.

19 MEMBER BROWN: Am I correct?

20 MR. WESSEL: That's correct.

21 MEMBER BROWN: So you'd like to know that
22 the valves for subsequent operation didn't have some
23 other deformation, or mechanical deformation, or
24 mechanical, internal, that you couldn't see, such
25 that the charge goes off--

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WESSEL: But you don't do that with a
2 motor-operated valve. You don't test the whole
3 seismic--

4 MEMBER BROWN: I'm not talking--I'm not
5 working on motor-operated valves right now.

6 MR. WESSEL: I understand that, sir.

7 MEMBER BROWN: I'm only working on squib
8 valves.

9 CHAIRMAN RAY: Wait a minute. I think
10 he's clearly said--

11 MEMBER BROWN: Question.

12 CHAIRMAN RAY: And we've gotten the
13 answer.

14 MEMBER BROWN: They don't test it.

15 CHAIRMAN RAY: That's right.

16 MR. WESSEL: We do not test the size of
17 the valve--

18 MEMBER BROWN: I've got that. It doesn't
19 make sense to me. That's all--

20 MR. WESSEL: The actuator, we do test.

21 MEMBER ARMIJO: In your test matrix, all
22 of the tests are done at ambient temperature and
23 ambient pressure in his matrix. So how do you
24 account for the actual correct--or the actual
25 temperature and pressure that this valve would have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to operate at.

2 MR. RIEGEL: The temperatures were taken
3 into account, and as I said, we varied the thickness
4 of the shear cap. So the temperature affects on the
5 materials were added to the thickness, to account for
6 any temperature--

7 MEMBER ARMIJO: But you don't do a
8 complete integral test, at prototypic conditions,
9 anywhere along in this development program?

10 MR. RIEGEL: Not in the development
11 program. In the equipment qualification test that
12 Ron just spoke of, when we--

13 MEMBER ARMIJO: Will do that then?

14 MR. RIEGEL: --do the valve test, it'll
15 be at temperature and pressure.

16 MEMBER ARMIJO: Okay.

17 MR. WESSEL: And that will be a
18 production valve, not a prototype valve.

19 MEMBER SIEBER: Now the igniter itself is
20 like a blasting cap?

21 MR. RIEGEL: Essentially, it's like an
22 electronic blasting cap.

23 MEMBER SIEBER: What voltage does it
24 take? Is it 100 volts, or something like that?

25 MR. RIEGEL: Which one do you--we can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 talk about that?

2 MR. LINDGREN: Yeah; you can talk about
3 it.

4 MR. RIEGEL: It's a very low current, is
5 what we require. Three point something, I think. I
6 don't know the voltage offhand.

7 CHAIRMAN RAY: You're done?

8 MR. LINDGREN: I'm done.

9 CHAIRMAN RAY: I see.

10 MR. LINDGREN: You're done?

11 CHAIRMAN RAY: Well, I don't know. Let's
12 see. Sanjoy, the question that we had was to
13 understand the program, both for verification and
14 qualification and for in-service testing. Did we
15 satisfy--

16 MEMBER BANERJEE: You have answered my
17 questions.

18 CHAIRMAN RAY: Okay. Thank you. And the
19 other question we had was, Charlie, the details of
20 the test, how the test is conducted, and basically
21 what--the information that's associated with in-
22 service testing. Have we gotten the information we
23 were looking for there?

24 MEMBER BROWN: They provided an answer;
25 yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN RAY: Okay. Thank you. All
2 right. So we'll close this item. If we have any
3 open items as a result of any further concerns, we'll
4 let you know.

5 (Whereupon, at 9:20 a.m., the open
6 session was concluded.)
7
8
9
10
11
12

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com