

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

9

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35

Title: Advisory Committee on Reactor Safeguards
ABWR Subcommittee on STP COLA

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, February 8, 2011

Work Order No.: NRC-696

Pages 1-14

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

MEETING OF THE ABWR SUBCOMMITTEE ON STP COLA

+ + + + +

TUESDAY

FEBRUARY 8, 2011

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B3, 11545 Rockville Pike, at 1:00 p.m., Said Abdel-Khalik, Chairman, presiding.

COMMITTEE MEMBERS:

SAID ABDEL-KHALIK, Chairman

DENNIS C. BLEY, Member

CHARLES H. BROWN, JR., Member

JOHN D. SIEBER, Member

JOHN W. STETKAR, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ACRS STAFF PRESENT:

MAITRI BANERJEE, Designated Federal

Official

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

T-A-B-L-E O-F C-O-N-T-E-N-T-S

Opening Remarks 4

NRO/STPNOC Staff Introductions 6

STP COLA FSAR Chapter 7 SER with No
Open Items 5

Discussion of ACRS Action Items 126

Opportunity for Public Comments 142

Subcommittee Discussion and Closing Remarks 142

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

12:59 p.m.

CHAIRMAN ABDEL-KHALIK: The meeting will now come to order. This is a meeting of the Advanced Cooling Water Reactor Subcommittee of the Advisory Committee on Reactor Safeguards.

I'm Said Abdel-Khalik, Chairman of the Subcommittee. ACRS members in attendance today are Charlie Brown, John Stetkar, Dennis Bley and Jack Sieber. Ms. Maitri Banerjee is the designated federal official for this meeting.

All through last year, we were briefed by the Applicant, STPNOC, now called NINA Nuclear Innovation North America, and the NRC staff regarding the South Texas project combined license application, and the corresponding safety evaluation report prepared by the staff. The full Committee was briefed in July and wrote an interim letter to the Chairman.

In today's meeting, we are scheduled to discuss Chapter 7, I&C. This chapter was presented to us before when the SER had open items. Today, the staff will discuss how they have resolved those open items. The staff and the applicant may also discuss follow-up action items from previous ABWR Subcommittee meetings.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The rules for participation in today's
2 meeting were announced in the *Federal Register* on
3 January 28th, 2011, for an open/closed meeting. Parts
4 of this meeting may need to be closed to the public,
5 to protect the information proprietary to the
6 Applicant or other parties.

7 I'm asking the NRC staff and the Applicant
8 to identify the need for closing the meeting before we
9 enter in such discussion, and to verify that only
10 people with the required clearance and need to know
11 are present.

12 We have a telephone bridge line with the
13 public and stakeholders to hear the deliberations.
14 This line will not carry any signal from this end
15 during the closed portion of the meeting.

16 Also, to minimize disturbance, the line
17 will be kept in a listen-in only mode until the last
18 15 minutes of the meeting. At that time, we will
19 provide the opportunity for any members of the public
20 attending this meeting, in person or through the
21 bridge line, to make a statement or provide comments.

22 As the meeting is being transcribed, I
23 request that participants in this meeting use the
24 microphones located throughout this room in addressing
25 the Subcommittee. Participants should first identify

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 themselves and speak with sufficient clarity and
2 volume, so that they can be readily heard.

3 We will now proceed with the meeting, and
4 I call on Mr. Mark Tonacci of NRO to begin the
5 presentation.

6 MR. TONACCI: Thank you Dr. Abdel-Khalik
7 and members of the Committee. I hope that today we
8 have a good dialogue, and productive dialogue, and
9 that in the end, we've addressed all the questions and
10 concerns that you may have. That is really the full
11 extent of my opening comments, and I am ready to
12 begin.

13 CHAIRMAN ABDEL-KHALIK: We'll move on to
14 the Applicant, Scott.

15 MR. HEAD: Okay, thank you very much.
16 Yes, today we're going to brief you on Chapter 7.
17 Here's the proposed agenda for today. As you noted,
18 we did brief last year on May 20th on Chapter 7.
19 Discussion points for today, we want to discuss
20 setpoint methodology, current Reg Guides and codes and
21 standards applied to Common Q, and then this new FSAR
22 Tier 2, Appendix 7 DS that we created, and go over
23 that in some detail for you today.

24 The attendees shown on this slide. I will
25 go ahead and use this moment to clarify the NINA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 perspective. On January 24th, the project
2 transitioned from STPNOC being the applicant to NINA
3 being the lead applicant, with STPNOC basically, S-T-
4 P-N-O-C being the secondary applicant.

5 What that means is that NINA will be
6 responsible, obviously after NRC approves, NINA will
7 be responsible for the licensing, design and
8 construction of the project, and at the 103(g) point
9 in time, it will transition the STPNOC, S-T-P-N-O-C,
10 to operate the plan. So that's the application that
11 we now have in front of NRC. It came in in Rev 5 of
12 the COLA.

13 With respect to maybe of more interest to
14 you, your review and the staff's review, and
15 individuals like myself, Mike Murray, Coley, others,
16 STPNOC employees and right now loaned employees to
17 NINA, and we will be continuing to fulfill the
18 licensing role that we have had and we'll just be
19 basically seeing that through.

20 So in terms of interactions and
21 interactions with the staff, you should not see any
22 change from that perspective. So that's the important
23 message out of this transition, and the transition
24 really reflects NINA's desire to not only build 3 and
25 4, but to be involved in building future units also,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 assuming our success.

2 CHAIRMAN ABDEL-KHALIK: Thank you for that
3 clarification. That's very helpful.

4 MR. HEAD: Okay, and with that, I'm going
5 to turn it over to Mike Murray.

6 MR. MURRAY: I'm Mike Murray. I'm the IC
7 manager for NINA in the STP 3 and 4 effort. When we
8 say setpoint methodology, we have discussed it in
9 previous meetings, but there was one open item, one
10 item that needed to be addressed, and that was in the
11 setpoint methodology, we had referenced a post-COL
12 stability methodology report.

13 What we did was we moved the methodology
14 into the -- that we would have expected to see in the
15 stability report. We moved those type of calculations
16 into the setpoint methodology. So that the setpoint
17 methodology now incorporates the oscillation power
18 range monitor, which was the follow-up item. So
19 that's been completed.

20 Next slide. We continue to, and this next
21 one is on the Common Q platform. Originally, our
22 perspective was that we would use the original Reg
23 Guides and industry codes that were when the Common Q
24 platform was approved.

25 CHAIRMAN ABDEL-KHALIK: Can we go back to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the previous slide?

2 MR. MURRAY: Certainly.

3 CHAIRMAN ABDEL-KHALIK: It doesn't specify
4 which code will be used to generate the DIVOM curve,
5 the methodology.

6 MR. MURRAY: I don't know the answer to
7 that. The question is what code issues will the
8 methodology?

9 CHAIRMAN ABDEL-KHALIK: Right. What code
10 will be used to generate the DIVOM slope for this OPRM
11 trip setpoint?

12 MR. MURRAY: We can get you that answer.
13 Okay. I don't have that with me. Any other
14 questions? The original Rev 4 guides that we had in
15 our response was to use the original platform guide
16 that were -- or the original guides that were in place
17 when the platform was approved.

18 Since then, what we've done is we've gone
19 through and we've eliminated those exceptions to the
20 Common Q platform. So the Common Q platform, as we'll
21 apply it to STP 3 and 4, we've committed to use the
22 codes and standards in effect six months prior to
23 submittal of the COLA. So it will be using the same
24 codes and standards as the other digital platforms
25 being developed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER BROWN: What's the date of that?

2 MR. MURRAY: When did we make that change?

3 MEMBER BROWN: Yes. You say six months,
4 and I've forgotten what the dates were.

5 MR. HEAD: That MOA was -- I believe it's
6 mid-March '07.

7 MEMBER BROWN: March '07.

8 MR. MURRAY: Well, what we've got now is
9 alignment of the technical standards through all the
10 digital I&C systems.

11 PARTICIPANT: Yes.

12 MEMBER BROWN: Ed, which -- I've got three
13 revisions of the WCAT-1, 01 and 2. Which ones are you
14 --

15 (Simultaneous speaking.)

16 MR. ED BROWN: This is Ed Brown from
17 Westinghouse. It is Revision 1. Revision 2 has been
18 submitted to the NRC. It has not been reviewed and
19 approved.

20 MEMBER BROWN: Okay. So Revision 1 is the
21 one you're all operating under?

22 MR. ED BROWN: Yes.

23 MEMBER BROWN: Okay, thank you.

24 MR. TONACCI: And Mr. Brown, your question
25 was when was the COLA submitted?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: Well, when you said six
2 months prior to submittal of the COLA, and so I just
3 asked what was the date of the submittal of the COLA,
4 and you said March '07.

5 MR. TONACCI: No. It was September '07.

6 VOICES: September 2007.

7 MS. BANERJEE: September 20th, '07.

8 MEMBER BROWN: Thank you.

9 MR. TONACCI: Six months prior to that is
10 when you get into the March time frame.

11 MR. MURRAY: Okay. Any other questions
12 sir? Next slide. Okay. We've also, throughout our
13 processes, we received feedback where there was a
14 simple task to find all the information on the digital
15 I&C platforms.

16 MEMBER BROWN: Excuse me.

17 MR. MURRAY: Yes sir.

18 MEMBER BROWN: On the platform revision, I
19 didn't want to read all three of them. Is there a big
20 difference between 1 and 2? I looked at a few areas,
21 and a couple of areas between Rev 2 and Rev 0, and I
22 just wondered if it was a massive revision, or was it
23 just cleaning up loose ends and consolidating some
24 stuff?

25 MR. ED BROWN: In Revision 2, there are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 some additional information. For example, it
2 discusses changes in equipment that since the original
3 revision. That's one of the differences. Another
4 difference is it describes the process used to
5 evaluate changes to the hardware and software, to
6 screen it for prior approval by the NRC, and those, I
7 believe, were the major changes.

8 MEMBER BROWN: It came another way at the
9 communication scheme, the whatever the memory thing
10 was between AC, you know, and all that. Potentially it
11 stays in that concept?

12 MR. ED BROWN: Yes. Functionally, it
13 still operates the same, exactly the same, Charlie.

14 MEMBER BROWN: Okay, thank you.

15 MR. MURRAY: Move on to the next slide.
16 So let's discuss -- what we did is we developed the
17 appendix for the FSAR. We call it seven delta S or
18 seven DS is what I refer to it as. Our purpose there
19 was to consolidate information from various parts of
20 the COLA, applicable technical reports and topical
21 reports regarding the design principles, redundancy,
22 independence, determinism, diversity and discretion on
23 simplicity.

24 What we included or described, there were
25 no new design changes or departures, and it was just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 consolidation of information. The scope included is
2 the reactor trip isolation system and the safety-
3 related neutron monitoring system, as well as the
4 engineered safety logic and control system, which is
5 implemented by the Common Q platform.

6 MEMBER BROWN: Do you expect the FSAR,
7 this appendix to be implemented or included in the
8 FSAR prior to receiving approval of your --

9 (Simultaneous speaking.)

10 MR. MURRAY: Yes sir, yes sir.
11 Additionally, where we've had sections in the write-
12 up, where we've had areas that have covered either
13 ITAACs or DACs, what we've done is we've mapped over
14 the specific design criteria as we discussed them, and
15 made a table that relates it to inspectable DAC in the
16 area there.

17 So that's the purpose of our seven DS.
18 What we're going to do now is we're going to
19 transition into discussions on the two platforms,
20 specifically our overview, an overview of it,
21 redundancy, independence, determinism, diversity.

22 What you have is a set of slides that are
23 brought up. What I've got is for your convenience,
24 the diagrams. So if we pass one, you can have it to
25 look at as we continue the discussions through for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 convenience. So there should be a set of acronyms, as
2 well as a set of slides, the slides that are in the
3 presentation.

4 Okay. So let's go ahead and go on to the
5 picture there. Okay. So you have a slide there.
6 I'll just go to the slide, and it's better to see the
7 picture as we work through this. We have the digital
8 trip function, which is up at the top, and the digital
9 trip function, and in this case what it does, and this
10 is for the RTIS and NMS platform, it takes the -- it
11 does the digital conversion from the hard-wired
12 sensors into a digital space.

13 It compares the signals, the setpoints and
14 determines the sensor trip status, trip and status.
15 Then the next block down is the trip and logic
16 function. It receives the sensors. It receives the
17 input from the digital trip functions, and takes them
18 in and performs the two out of four voting
19 determinant. There's an automatic divisional trip
20 required.

21 It sends the divisional trip and output
22 information to the, what's shown there as an OLU,
23 which an operating, output logic unit. The output
24 logic unit then receives the automatic trip and
25 divisional data, and then it redistributes it to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 load drivers for reactor trip, and it does it for main
2 steam isolation.

3 So that's the simplified picture of how
4 the RTIS works.

5 MEMBER BROWN: If everybody didn't notice,
6 I don't -- you didn't specifically state it, but the
7 entire RTIS and the NMS is field-programmable data
8 array implemented, there's a little word here on the
9 previous page.

10 MR. MURRAY: That's correct.

11 MEMBER BROWN: You're just amplifying it?

12 MR. MURRAY: That's correct. Okay. So if
13 you all use this, as we continue this out, keep your
14 bearings on where we are. Some of the information is
15 going to be redundant, in the fact that when you get
16 into independence and redundancy, some of it overlaps
17 in that area.

18 MEMBER BROWN: Is the overlap?

19 MR. MURRAY: Pardon?

20 MEMBER BROWN: Is the overlap new in FPGA?

21 MR. MURRAY: No sir. It's required not to
22 be. Is that correct?

23 MEMBER BROWN: Is that explicitly stated
24 in the FSAR?

25 MR. MURRAY: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. DITTMAN: This is Kyle Dittman. I'm
2 NINA's supervisor, I&C supervisor. The OLU is due to
3 D-3 as a diverse type of logic. In this case, it's
4 gated logic.

5 MEMBER BROWN: Just demand more data and
6 all that kind of stuff? Okay.

7 MR. IKEDA: This is Jun Ikeda from
8 Toshiba. What we have is based on the solid state I&C
9 technology and the real logic.

10 MEMBER BROWN: Okay.

11 MR. MURRAY: So platform redundancy. In
12 the NMS, there's four independent redundant divisions,
13 it takes the -- brings the signals to, develops the
14 trip signals and status to the divisions of RTIS.
15 RTIS has four independent redundant divisions as well.
16 Each includes DTF, TLF and OLU. We have some of the
17 functions are divisions of sensors bypass, and also
18 trip logic output bypass.

19 Get the divisions bypass, you go to a two
20 out of three vote logic to accomplish the functions.
21 Each division is an independent and redundant power
22 sources. So the division 1 feeds division 1 channels,
23 two power sources, two, three. So there are four
24 complete redundant divisions there. Any question on
25 redundancy?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Let's talk about platform independence,
2 and we're still talking reactor trip isolation and
3 neutron monitoring system. Four independent
4 divisional power sources, independence from non-safety
5 systems. Any communication to a non-safety system is
6 isolated and independent.

7 Electrical isolation and physical
8 separation, following the criteria that the design
9 criteria is is isolated between the divisions as well
10 as non-safety systems. Four independent RTIS and NMS
11 sensor divisions, and that determines sensor
12 divisional signals, trip signals. There's no
13 communication between the sensor divisions.

14 If you look at the block diagram again,
15 you'll see that the DTFs do send the signals to the
16 TLFs, but they don't communicate amongst themselves.
17 The only trip and status information is communicated
18 across the division boundaries, and that's for the two
19 out of four voting logic functions.

20 There are four independent RTIS, TLFs and
21 OLU's. So trip logic function and the output drivers
22 are full of those. Communication isolation and
23 independence is maintained there, as well as
24 electrical isolation and physical separation. Any
25 questions?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 (No response.)

2 MR. MURRAY: Now we'll discuss more about
3 the independence of communication and the RTIS across
4 the divisions. As we discussed, the DTS, when it
5 sends their signals to the TLFs of the other
6 divisions, communicates trip and status information in
7 fixed link, fixed content and predefined format, and
8 that's very important for finding errors in the
9 messages.

10 It's qualified, isolated, point-to-point,
11 unidirectional fiber communication, and each
12 communication link has its own buffer for a memory
13 buffer. Yes sir.

14 MEMBER BROWN: Okay. The -- make sure I
15 get the question right. So this is like a field which
16 us from the DTF to the other division, TLFs. So and
17 I'm trying to think this through. It's not the
18 equivalent of a dry contact open and closed. It
19 actually has other intelligence, such as a header and
20 footer and something in between that's supposed to
21 contribute or communicate?

22 MR. MURRAY: It does have a header, but
23 when you get into the message, it's almost like a
24 contact, because in specific locations, it is either -
25 - one is in that specific location. So once you get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 through identification of the message, then there's a
2 predefined place for each command, and that command
3 can either -- or not command; that's a bad term.

4 Piece of information. It's either a one
5 or a zero, which gives you the trip status of that
6 particular function, or the point status. It gives
7 the vote.

8 MEMBER BROWN: Okay. Let me ask again.
9 You've answered the question. Okay so, this is a
10 single fiber optic wire cable that goes from channel,
11 Division 1 to Division 2's TLF.

12 MR. MURRAY: Okay.

13 MEMBER BROWN: It goes into fixed
14 locations, not like it has to be scanned or sampled.

15 MR. MURRAY: No.

16 MEMBER BROWN: It goes from Point A, like
17 you say and has to go out of the other one.

18 MR. MURRAY: That's correct.

19 MEMBER BROWN: Yes, whatever the
20 filtering, the buffering you do. What is the purpose
21 of that header or is something giving it something.
22 It sounds like an address as opposed to something
23 that's not necessary to this.

24 MR. FUKUMOTO: I am Akira Fukumoto with
25 Toshiba again. We do have a header or pipe header to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 identify the data piping, and then we do have some
2 master coding here, and then we do check some goal to
3 identify it. If we can't find the header, we will
4 find something wrong in the communication.

5 So with this header we have a set of files
6 containing the information. Those are the ones going
7 to one to zero, showing trip status or other status.
8 Did that answer your question? No?

9 MEMBER BROWN: Oh you probably did, but I
10 didn't, I won't say I understood it, and you know it's
11 coming out of Division 1 and it's going to the other
12 divisions, three divisions, and it's a yes or no,
13 respectively, and yet you're sending information in
14 advance of the actual piece of critical information,
15 which is a trip or non-trip.

16 I guess I'm trying, I was trying to figure
17 out a reason, and as to why you did that, and I didn't
18 know whether it was related to the synchronous
19 operation within each divisions have PGA, they have
20 PGA, they have PGA.

21 In other words, you have to coordinate and
22 synchronize within that in order to get your data
23 transfers and hand-offs, to stay deterministic, I
24 think. I'm not an expert on this stuff. So I'm
25 liable to say a lot of wrong things.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 When you go division to division, you're
2 not synchronized between divisions, and so one of my
3 questions later was how do you achieve a satisfactory
4 data transfer between non-synchronized divisions? I'm
5 trying to relate a little bit of the header, why you
6 do it this way? It just seems an over-complication.
7 And I'm not questioning that it won't work. That's
8 not the point. I was just trying to get a better
9 understanding of how it operates.

10 MR. FUKUMOTO: Each divisions in FPGA
11 modules and the areas, and then you are right. We are
12 not doing a synchronization among the divisions. When
13 we send the data from DTF in the division to other
14 three divisions across one more division, that's solid
15 division.

16 This is the data by all fiber optic cable.
17 That's all sending by in 20 seconds, and then the
18 FPGA runs. For example, typically for full function
19 it takes let's say a few, maybe 20 seconds. So the
20 data transmission rate is very slow the second time
21 because of processing. It's very time consuming.

22 So the transmission is made a signal, and
23 if you look at those other divisions, other
24 transmission is done in signals. In a receiving mode,
25 you will attach the header to getting the data to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 bottom.

2 From that point, the synchronization among
3 the modules stops.

4 MEMBER BROWN: Within the TLF?

5 MR. FUKUMOTO: Yes, yes.

6 MR. MURRAY: So the header was the
7 question. What is the purpose of the header; correct?

8 MEMBER BROWN: Well, it's varying the
9 other question of how do you transfer the data, to get
10 it to work properly? Looks like you did talk about
11 within the division, you have to synchronize and
12 orchestrate so the next FPGA doesn't do these things.

13 I was told that there's data available, okay, so but
14 it's got to have proper plugging that it comes and
15 looks for it at the right time, every cycle.

16 So I'm just -- so I was trying to figure
17 out, because I presume you don't have headers all
18 through the division. You only do it when you go from
19 division to division? Is that, or just --

20 MR. FUKUMOTO: Let me explain.

21 MEMBER BROWN: It's starting to look more
22 like a microprocessor, if I start throwing headers and
23 footers and other stuff like that into it. That's
24 all.

25 MR. FUKUMOTO: Here's a receiver, here's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sender. Sender don't know what is the status of the
2 receiver. So this sender send the data periodically
3 based on this synchronization. This one is really for
4 the header, and knowing the header, it's diagnosed
5 that is coming. So based on that information, this
6 receiver take that data into the buffer. It's all
7 deterministic by the hour.

8 And if this receiver complete getting the
9 data from the transmission line to the buffer, then
10 this guy send a pulse to the next FPGA. So that is
11 how the divisions work.

12 MEMBER BROWN: So it's a non-synchronous
13 synchronization at the time of data transfer. Is that
14 -- I'm trying to simplify this down to something my
15 simple brain can comprehend. Did I say that wrong? I
16 mean it sounds like you're providing an ad hoc
17 synchronization, but not requiring the other divisions
18 be synchronized. You're starting it out when you want
19 it to.

20 MR. FUKUMOTO: No synchronized.

21 MEMBER BROWN: All right. Why don't we go
22 on?

23 MR. MURRAY: Yes. The next point we'll
24 talk a little bit more about that as well, Mr. Brown,
25 on the self-diagnostics, and I think that's where this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 package also plays in, that header plays into the
2 self-diagnostic as well.

3 So the next point that we want to make is
4 on the communication, includes that self-diagnostic
5 function. It does the quality checks of the data when
6 it comes in, and it continuously monitors for proper
7 communications. So that's done in the receiving and
8 the sending areas.

9 If it detects a failure, the division is
10 marked inoperable. So if it doesn't get the right set
11 of framing and communication as it's doing its parity
12 and framing checks, then it will mark the division as
13 -- that particular division as inoperable and then
14 provide a fail-safe trip condition for the -- and the
15 operator additionally is alerted.

16 MEMBER BROWN: Okay. I read that in the
17 appendix.

18 MR. MURRAY: Right.

19 MEMBER BROWN: So that when -- is that
20 within the divisions or the Division 1 or say Division
21 2, if Division 2 TLF detects that the data sent to it
22 is wrong? I didn't read that as having a cross-
23 division. That would just be one data, one of four
24 pieces of data that would be focused, and you would
25 still operate on two out of three. So, you know, in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 terms of that division of voting?

2 That's -- but the trip function was if you
3 get something within the division that's incorrect,
4 then the division itself would be declared out of
5 service?

6 MEMBER STETKAR: Suppose Division 2 now,
7 okay, receives an identified corrupt packet from
8 Division 1. Does Division 2 then interpret that as a
9 Division 1 trip input signal to Division 2, such that
10 within Division 2, you then need a coincidence of trip
11 from Division 2 or Division 3 or Division 4 to satisfy
12 a Division 2 output signal? Is that the way it works?

13 MR. MURRAY: That's correct. The message
14 comes in and it's gone through, it goes through and
15 gets the quality checks on the message, and at that
16 point the quality checks are successful. Then it will
17 flag that data --

18 MEMBER STETKAR: Division 2 data.

19 (Simultaneous speaking.)

20 MR. MURRAY: That's correct.

21 MEMBER BROWN: Thank you. That's what I
22 was --

23 MR. MURRAY: Is that what you were looking
24 for?

25 (Simultaneous speaking.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MURRAY: On each input that is
2 monitoring the quality of the data that's received,
3 and if it's not, if it doesn't meet the quality
4 checks, then it flags it as bad data, doesn't accept
5 that data --

6 MEMBER STETKAR: So it's like in principle
7 that Division 2 is looking at all four divisions. If
8 it sees corrupt data from Division 1 and Division 3,
9 that would satisfy the Division 2 output decision.

10 MR. MURRAY: If you had two divisions that
11 gave the bad data, you would meet that --

12 MEMBER STETKAR: You wouldn't necessarily
13 trip the reactor if the other three divisions are
14 reading something as correct/incorrect. I don't know
15 how that happens, but --

16 MEMBER BROWN: Going to one of the
17 questions before, if Division 1 is sending its data to
18 four different TLFs.

19 MR. MURRAY: Right.

20 MEMBER BROWN: And is it sent over four
21 separate -- I presume it's sent over four separate
22 fiber links.

23 (Simultaneous speaking.)

24 MEMBER BROWN: Yes, well yes.

25 MR. MURRAY: This is where the figure, if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you look in the upper part, where the DTFs are sending
2 to the TLFs, they say there that it's sending to its
3 own divisional TLF, and then separate fiber optic
4 links to each of the other TLFs.

5 MEMBER BROWN: Yes.

6 MR. MURRAY: Okay. So they are separate
7 lines, separate receives, separate buffers. The
8 diagnostics looked at each one of the --

9 (Simultaneous speaking.)

10 MEMBER BROWN: Okay. That gives --

11 MR. MURRAY: Did I get you there?

12 MEMBER BROWN: Yes. That's what I was
13 expecting, based on my --

14 MEMBER STETKAR: And each division is
15 physically separated --

16 MEMBER BROWN: I just didn't know whether
17 they had a common, a common connection going through
18 it. It just wasn't obvious.

19 MR. MURRAY: Okay. Starting into the
20 discussions, so we finished the independence
21 discussions. We're talking to determinism in the FPGA
22 platforms. The FPGAs are -- they're a synchronous
23 clock-sequential circuit. Each FPGA, it only starts
24 processing if it's seen a completed, completion from
25 the previous, so they work in a series.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So each only starts when the data is
2 transferred into the FPGA, and sends the data to the
3 next module when the process is complete. So it's a
4 set up with timing. Changes in state occur only at
5 selected control timing signal. This is within that
6 functional unit.

7 All FPGAs perform a signal processing
8 functions. Modules are monitored by a watchdog timer
9 looking for timeouts and it's a hardware-based
10 watchdog timer that will again sense that if there's a
11 stoppage in that process, it will sense it. When it
12 times out, it marks the module as inoperable again, if
13 it's a trip signal in for that particular function,
14 and the operator is alerted.

15 MEMBER BROWN: Okay. I think that answers
16 one of my other questions, but let me make sure that -
17 - you didn't explicitly state that the diverse
18 hardware-based, because I don't remember reading that
19 or not. So you answered the question here about it,
20 but it's not --

21 One of my questions is is that going to
22 be, is it built -- it's not part of the FPGA. You
23 say it's diverse. To me, that means it's a separate
24 piece of hardware that monitors the FPGA; is that
25 correct or not?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. FUKUMOTO: Each module has a watchdog
2 timer, and watchdog timer is included in the IC, not
3 FPGA. That watchdog timer is in the module.

4 MR. MURRAY: It actuates -- is it a
5 contact actuation within the module? The contact
6 actuation within the module hardware?

7 MR. ED BROWN: Yes. It's a circuit. So
8 it's a circuit in the ICs.

9 MEMBER BROWN: Okay. Well, page eight is
10 where you talk about that in the first paragraph, and
11 that's it. There is no other reference in there, and
12 I couldn't find it anywhere else in chapter, in FSAR.

13 So I mean the issue of being a separate hardware and
14 watchdog timer that's not built into the FPGA function
15 itself.

16 It's part of the module where they're
17 housed, but it's not embedded in the FPGA itself.
18 It's not addressed. Either that or am I reading it
19 incorrect?

20 MR. MURRAY: I see what you're saying. We
21 did discuss the watchdog -- we did discuss the
22 watchdog timer in that paragraph, that's right.

23 MEMBER BROWN: And I didn't -- I went off
24 in key word. Hopefully, I got the right key words.

25 MR. MURRAY: You looked at the hardware?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: I did not find anything in
2 the rest of the FSAR that discusses the diverse
3 hardware-based functionality of that, which I think is
4 important to the overall operation.

5 MR. MURRAY: Okay. Did we answer your
6 question on that?

7 MEMBER BROWN: Yes. Yes, you did.

8 MR. MURRAY: Okay.

9 MEMBER BROWN: As long as it gets
10 incorporated somewhere.

11 MR. MURRAY: I understand.

12 MS. BANERJEE: Are we taking -- this is
13 Maitri Banerjee. Are we taking any action item on
14 this?

15 MR. MURRAY: Yes. We'll respond to that.

16 MR. HEAD: Do we intend toward revising
17 that?

18 MR. MURRAY: No.

19 MR. TONACCI: This is Mark Tonacci. I'm
20 sorry. I didn't catch what the request and the action
21 is going to be there. Can you repeat that please?

22 MEMBER BROWN: One of my questions, based
23 on reviewing the appendix and the other parts of the
24 FSAR Rev 4 that was sent out with Chapter 7, was to
25 look at the watchdog timer and was it independent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 hardware and diverse from the FPGA itself, and the
2 answer is yes. So I went and looked and say is that
3 anyplace? I asked that question, so I looked in the
4 other locations. Now whether I found them all, I
5 don't know. If it's in the FSAR, that's fine. If
6 it's not, the need for it to be independent and
7 hardware-based and diverse ought to be in the FSAR.
8 That's the question.

9 MR. TONACCI: So you're asking for us to
10 put that information in the --

11 MEMBER BROWN: If it's not there, yes. If
12 it's not there.

13 MR. TONACCI: And I think I heard STP
14 saying they're willing to do that.

15 MR. MURRAY: We will.

16 MEMBER BROWN: I didn't hear them say
17 that.

18 MR. MURRAY: Yes. We agree, that if
19 that's a bullet factor which we also agree the
20 hardware diversity there is, that we will take an
21 action to incorporate it.

22 MEMBER BROWN: Now does the part, does the
23 watchdog timer, all that uses is just solid state
24 logic circuits. I take it the watchdog timer ceased
25 their operations with the FPGA, or did they -- is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there anything in the entire division that you can,
2 you know, for completing -- I probably think it
3 would, but I'm just asking the question. Does it stop
4 at the watchdog timers, the modules that have the FPGA
5 circuits.

6 MR. FUKUMOTO: Watchdog timer, we put the
7 watchdog timer in the module. Which through the
8 essential central processing for safety conscious, and
9 in watchdog timer, it operates with the --

10 (Simultaneous speaking.)

11 MEMBER BROWN: Okay. So it feeds -- if it
12 doesn't, if you have a watchdog timer operation, it
13 feeds the OLU and says hey, go do something?

14 MR. FUKUMOTO: Yes.

15 MEMBER BROWN: But the TLF has a watchdog
16 timer as part of it, since it's FPGA?

17 MR. FUKUMOTO: Yes.

18 MEMBER BROWN: Okay, and the operation of
19 the watchdog timer doesn't bypass the OLU and go
20 directly to the load drivers? It goes into the OLU
21 and then to the load drivers in terms of triggering a
22 trip?

23 MR. FUKUMOTO: Let me confirm with my
24 Japanese authority, sorry.

25 (Off record discussion.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. FUKUMOTO: Yes, sorry. The output of
2 the, you know, watchdog timer goes to TLU, and TLU
3 commands, you know.

4 MEMBER BROWN: Well, the TLU is really a
5 TLF.

6 MR. FUKUMOTO: TLF, TLF.

7 MEMBER BROWN: But the TLF is also in
8 FPGA. So I presume it has its own watchdog timer.

9 MR. FUKUMOTO: That's right, it does.

10 (Simultaneous speaking.)

11 MEMBER BROWN: So look at something after
12 that. So it can't feed itself. It's got to do
13 something else. I'm just trying to figure out where
14 the watchdog timers execute the designation of the
15 division as being a trip.

16 MR. MURRAY: And send that to the OLU, is
17 what I understood from he just, Mr. Fukumotoson said.

18 MEMBER BROWN: All right. Just a standard
19 solid state line and then you allow process after
20 that. Okay, all right. You can go on. Thank you.

21 MR. MURRAY: And then the last bullet on
22 this particular slide is that the timing is verified
23 by analysis and simulation during the design process.

24 So in platform diversity, RTIS/NMS
25 platforms are diverse from the engineered safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 features.

2 MEMBER BROWN: Oh, I might as well cover
3 this one as well, since we're talking about the
4 timing analysis.

5 MR. MURRAY: Okay.

6 MEMBER BROWN: That's also covered on page
7 eight, and you refer to Notes 8 and 10 in the table,
8 which you refer to, where it performs the correlation
9 over to the ITAAC and back, and those two particular
10 notes reference DAC 8G and H, and number 11. In
11 looking at those, there was no change in those from
12 the old, original DCD approval document in 1993.

13 So they're very, very general and process-
14 oriented. There's no reference to timing. You won't
15 find the word in there anywhere, in terms of
16 confirming the overall timing analysis, which is
17 critical for a deterministic type performance.

18 All I'm saying is that the deterministic
19 nature or that need to verify does not explicitly
20 state it in those DAC items. Now I went back and read
21 this. The only ones that change are something like
22 three and four and 11 and 12 or 12 and 13, and this
23 number 8 and number 10. It's number 8, number 11, and
24 neither of those had any modifications at all relative
25 to the whole change in FDDI multiplexing and to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 platforms you have now.

2 MR. MURRAY: And the reference to Note 16,
3 you just said it was on page eight also?

4 MEMBER BROWN: Yes. You'll see a little
5 note, second paragraph, the little superscript.

6 MR. MURRAY: Yes.

7 MEMBER BROWN: And then on the next one,
8 it says superscript 10. If you go into find it, it
9 refers you to the DAC paragraphs and so I went and
10 looked at those.

11 MR. MURRAY: And what we've done there is
12 we've provided the criteria in the FSAR, that's about
13 the timing and the existence of the timing report. We
14 pointed it to that DAC, so that you can make that
15 match back to say --

16 MEMBER BROWN: But you use in these
17 paragraphs --

18 (Simultaneous speaking.)

19 MR. MURRAY: That is correct, that is
20 correct.

21 MEMBER BROWN: --to those particular DAC
22 requirements.

23 MR. MURRAY: Right. So the FSAR will say
24 these are the important pieces for this particular
25 design criteria, and it quotes to the DAC. Then you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 can cross back and say where can I find the answer to
2 this question? You go back to the FSAR section, and
3 it gets you to those, the timing test, description of
4 the timing. Those are the areas that we cover for
5 meeting that requirement.

6 MEMBER BROWN: Okay. So by incorporating
7 this cross-reference table in here to that effect, but
8 you do include the --

9 MR. MURRAY: That's correct.

10 (Simultaneous speaking.)

11 MEMBER BROWN: Okay.

12 MR. MURRAY: That's fine. So it points
13 back to the critical reference -- okay. So now we're
14 moving on to platform diversity. We talked, I think,
15 first where ESF and reactor trip and makes the
16 isolation in neutron monitoring, and the systems are
17 diverse in the ESF function.

18 The RTIS and NMS is diverse for non-safety
19 balance of plant functions. They're not the same type
20 platforms. So they're diverse as well. RTIS is
21 diverse also, as required, from the ATWS circuitry as
22 well, which is done with relays and relay logic. Any
23 question on diversity?

24 (No response.)

25 MR. MURRAY: Simplicity, these are our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 thoughts on simplicity of the system. Separation of
2 the safety and non-safety functions. There are no
3 non-safety functions that are going on in the safety
4 platforms.

5 Complex activities for calculation of, for
6 reactor core physics type calculations, they're not
7 done in this system. It's done in the non-safety
8 system, so it doesn't complicate or make this system
9 complex.

10 Uses the non-rewritable FPGA technologies.
11 Its function uses fixed gate and deterministic
12 timing, and that timing can't change short of the
13 design process and redesigning --

14 MEMBER BROWN: But you changed -- I just
15 wanted to confirm. You changed the design or one of
16 your algorithms that you used to burn the FPGA. You
17 want to do that, a modification. You then have to
18 take the FPGA out and put a new one in.

19 MR. MURRAY: That's correct.

20 MEMBER BROWN: That's my understanding. I
21 just wanted to make sure of that.

22 MR. MURRAY: You would design the module
23 to take the place of that functional module that you
24 were using previously, and it would be redesigned to
25 implement those modified functions that were required.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And there's interdivisional
2 communications. It's only, only where it's necessary
3 to get two of four coincident logic, from a
4 simplistic perspective. Any questions?

5 (No response.)

6 MR. MURRAY: I'd like to transition now
7 into the ELCS platform, and again, this is --I'll go
8 through an overview of redundancy and talk about
9 independence, determinism, diversity and simplicity
10 also.

11 In here, I'll bring focus to the diagram's
12 page 18 slide that you have on your supplemental
13 slides there, and page 19, which are 7 delta S-3 and 7
14 delta S-4. So let's move to four, or to the next
15 slide, Craig, and then we'll back up to here, because
16 we don't need to talk too much about this slide.

17 We just wanted to make sure, because of
18 the fact that when we get into the ESF area, it's a
19 little different in the fact that we've got sensor
20 divisions. We have four sensor divisions, but then it
21 goes into three ESF divisions. So that's the purpose
22 of this slide, and also it shows the interrelationship
23 there. Any questions on that? Again, four sensor
24 divisions. Signals go into the SLS for the three ESF
25 divisions, to carry out the three divisions of ESF

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 functions.

2 Okay. So now we back up to the other one,
3 if that's okay. Okay. Now in here, looking through
4 the flow of it, the simplified flow here, we have the
5 digital trip function, remote digital logic
6 controllers. These will be in remote locations, and
7 they do data acquisition. This where the conversion
8 from analog to digital will happen.

9 That's set to the digital trip function,
10 which it compares, and this is the point where the
11 predetermined setpoints are compared to the process
12 values, and the safety function initiation status for
13 that division is developed.

14 Then it sends all of the divisions, the
15 four sensor divisions then send it into the sets of
16 SLFs, which are division order as well. So the DTFs
17 send their signals to the SLFs. The SLFs then do the
18 two out of four vote function.

19 Then get back then, progressing down
20 through it, if the safety logic function remote
21 digital controller, it receives the system level, the
22 system level automatic and manual system actuation
23 signals to the -- from the SLFs.

24 Then it provides the logic to determine
25 the component actuation, control functions, commands

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to the final vote function, which is shown at the very
2 bottom, okay. In the final vote function, it receives
3 the individual inputs from the -- for the component
4 actuations and controls, and it also performs the two
5 out of two where necessary, and we've had that
6 discussion previously.

7 MEMBER STETKAR: And that's documented in
8 Chapter 16, those drawings?

9 MR. MURRAY: Right. We had had that
10 previous discussion about where --

11 (Simultaneous speaking.)

12 MEMBER STETKAR: Right. That's not all of
13 them.

14 MR. MURRAY: Not all of them, that's
15 correct. So we want to make sure we pointed that out
16 in the presentation. Okay.

17 MEMBER BROWN: Just a minute. Not all the
18 -- not all functions are two out of two.

19 MEMBER STETKAR: Not all safety functions.

20 MR. MURRAY: That's right.

21 MEMBER STETKAR: That's the point. ADS,
22 for example, is definitely two out of two.

23 MR. MURRAY: That's correct. Those
24 consequential --

25 MEMBER STETKAR: Some others are one out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of one.

2 MR. MURRAY: And some of the voting, two
3 out of two voting is done with component and valve,
4 for example, that it may not be with the voting in the
5 final device, but by system voting. It has to have
6 both, to this and that, in order to do the function.

7 MEMBER STETKAR: Well, each individual
8 component might be just a single signal.

9 MR. MURRAY: That's correct.

10 MEMBER STETKAR: A single signal to start
11 a function, but if the valve doesn't open to --

12 MR. MURRAY: That's correct, and some will
13 be two of two voting to the components. That's right.
14 You have a good understanding from our previous
15 discussions.

16 (Simultaneous speaking.)

17 MR. MURRAY: Yes sir?

18 MEMBER BROWN: I want to make sure I
19 understood how that worked. Within your picture up
20 here, all of the SIMs operate based on a two out of
21 two of the two RDLCS.

22 MR. MURRAY: This typical picture we show,
23 that you would -- it looks for two of two out of the
24 SLF RDLCS.

25 MEMBER BROWN: All of those have to go in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 order to tell the SIM to actuate a safety function
2 from that, one of those three divisions?

3 MR. MURRAY: And that's correct. If one
4 of the, for example, logics are bypassed, then the SIM
5 is in a one out of one logic when it has that bypass.

6 MEMBER BROWN: Yes. I got that. Now each
7 division feeds some number of safety functions,
8 whether it be an ADS command to actuate or a HP
9 something, whatever, that other thing --

10 MR. MURRAY: High pressure core flooders.

11 MEMBER BROWN: Yes, core flooders or
12 whatever the number of them are, and you made the
13 comment in the FSAR that -- in the appendix, that not
14 all of them, not all of the safety functions are fed
15 by all three divisions. I can --

16 MR. MURRAY: Right.

17 MR. SWANNER: Yes, that's correct.

18 MEMBER BROWN: What I meant by that is
19 like the ADS thing. Apparently only two divisions --

20 MR. MURRAY: Two divisions.

21 MEMBER BROWN: --would give a parallel
22 command to start, for the ADS function to operate.

23 MR. MURRAY: Right.

24 MEMBER BROWN: Others may require all
25 three, may have three divisions to command. I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 know --

2 (Simultaneous speaking.)

3 MR. MURRAY: There are some --

4 MEMBER BROWN: I'll have to find a list of
5 saying which functions have required two divisions,
6 which ones require only one, which ones require three.
7 I couldn't find it.

8 MEMBER STETKAR: They pointed us, I think
9 -- let them answer.

10 MR. SWANNER: There's actually, I think,
11 two questions here, but there's maybe more. But we'll
12 start with these two. The first question is how many,
13 you know, where are the functions of ECCS and how many
14 divisions there are, and which divisions are on which
15 division of ELCS.

16 ECCS is broken into three divisions,
17 excuse me, lower pressure core flooders is in all three
18 divisions. There are three divisions of that. There
19 are three divisions of diesel, so they're in each of
20 the divisions.

21 In ADS, there's only two divisions
22 necessary, so they only operate on SLF-1 and 2, and
23 then there is no ADS function on SLF-3, because there
24 --

25 MEMBER BROWN: SLF-3?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SWANNER: Well, the third division of
2 ELCS.

3 MEMBER BROWN: You mean the third division
4 of ELCS?

5 (Simultaneous speaking.)

6 MR. SWANNER: Yes, that's correct.

7 MR. MURRAY: Yes, division.

8 MEMBER STETKAR: It might help, if you
9 don't have the figure, there's a Figure 7.1-2 --

10 (Simultaneous speaking.)

11 MEMBER STETKAR: That shows what you're
12 talking about now.

13 MR. SWANNER: That's exactly what --

14 MEMBER STETKAR: That's the easiest to see
15 the allocation of functions among divisions.

16 MR. SWANNER: FSAR and what Member Stetkar
17 said was FSAR, Tier 2 Figure 7.1-2 provides a listing
18 of which ESF functions are on which division of ELCS.

19 (Simultaneous speaking.)

20 MR. SWANNER: That say -- basically it
21 shows, and let me get to here. It shows Division 4
22 without any ELCS. Okay.

23 MEMBER BROWN: I understood that. That
24 part I understand. There's only three divisions that
25 actuate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SWANNER: And your next question,
2 moving a little bit forward, was which functions
3 require a two out of two vote, and which functions
4 require only one out of one vote, and that's a
5 different question. Each function like low pressure
6 core flooder, Alpha initiation of that pump, all these
7 functions are listed in the technical specifications,
8 in Section -- Tech Spec Section 3314.

9 In that section, in the bases for the tech
10 spec, it identifies which function has redundant
11 voters and which has only one voter.

12 MEMBER STETKAR: Yes. Now the reference
13 is you don't have any more figures. It's Chapter 16,
14 tech spec bases, Figures B.3.3.1.4-1 through -5.

15 MR. SWANNER: Yes. I apologize for that.

16 (Simultaneous speaking.)

17 MEMBER STETKAR: -- to try to figure it
18 out.

19 MEMBER BROWN: Well, I think you found the
20 low pressure core flooder even listed in the 7.1-2.
21 So there's no LP.

22 MR. SWANNER: It's probably called in that
23 figure RHR, for residual heat removal.

24 (Simultaneous speaking.)

25 MEMBER BROWN: Oh, okay. All right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SWANNER: Those pumps have multiple
2 functions, one of them being residual heat removal,
3 one of them being low pressure core flooders.

4 MR. MURRAY: So the assigned functions are
5 distributed through the division, D division for the
6 assigned function off of the -- from the SLFs that are
7 required to complete those functions.

8 MEMBER BROWN: Okay.

9 MR. MURRAY: So then we start asking why -
10 -

11 (Simultaneous speaking.)

12 MEMBER STETKAR: Well, there's apparently
13 a reason. I understand ADS, okay.

14 MR. MURRAY: So what we covered just then
15 was basically Slide 17 that we passed by, which is
16 this. We just went through the flow using the diagram
17 for explanation, because it was just easier to follow
18 the diagram.

19 So with that, let's move to Slide 20,
20 thank you, and let's talk about ELCS redundancy.
21 There's four, again four independent redundant sensor
22 divisions, as we discussed, three independent ESF
23 divisions, and it does safety function system level
24 initiation as well as actuation and control for that
25 particular division's components.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Four independent redundant divisional
2 power supplies. They're the power supplies that feed
3 -- power sources, excuse me, that feed the Division 1
4 are independent and from the Division 2 power sources
5 3 and 4. Any questions?

6 (No response.)

7 MR. MURRAY: 21. ELCS independence, and
8 as we come down, we'll transition into the
9 communication independence. There will be another
10 slide that we'll transition into for that section.

11 MEMBER BROWN: Well, let's go back one.

12 MR. MURRAY: Okay, yes sir.

13 MEMBER BROWN: I think.

14 MR. MURRAY: Redundancy, Slide 20?

15 MEMBER BROWN: No. It's on bypass. Go to
16 the figure on that one.

17 MR. MURRAY: Sure.

18 MEMBER BROWN: Okay. I'm going to have to
19 wing it and write it down. You talk about bypass of
20 sensors and how that takes out a division, in terms of
21 visibility, to develop an actuation signal.

22 MR. MURRAY: Yes sir.

23 MEMBER BROWN: And then bypass of sensors
24 to me means the first little circles of X's and the
25 next box, the DTF.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Simultaneous speaking.)

2 MEMBER BROWN: If you think of what you're
3 taking out, they'll do the voting from all the other
4 divisions.

5 MR. MURRAY: That's correct. You do
6 bypassing of the sensor portion of it. So I could
7 bypass Division 4 sensors and the Division 1, 2 and 3
8 would then be voting on 2 and 3, develop signals,
9 completely completing the functions.

10 MEMBER BROWN: Okay. If a -- is there a
11 bypass for the entire division?

12 MR. MURRAY: There's a separate bypass for
13 the logic, the SLF down. There's a separate bypass
14 for it, and there's -- in this case, you could bypass
15 either SLF Alpha, shown in that drawing. I'll just go
16 back to the other ones. It's probably easier to see.

17 If you go SLF down, you could bypass that
18 logic for the ESF, and then you could also bypass the
19 Bravo side. So you can bypass those separately. So
20 if I bypass the Alpha side, I'd have functionality
21 through the Bravo side that's shown there, to complete
22 the function as well, and when this is bypassed, I
23 think it goes to one out of one on the SIM.

24 So I have the ability to test and bypass
25 the logics with the redundancy, and I also have the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 ability to go to one out of one if that bypassed
2 logic. So I can take -- since there's two different
3 defined bypasses, sensor function bypass, which is
4 what we describe first when you asked your question,
5 and then there's the logic bypass.

6 MEMBER BROWN: Okay. There's a -- is
7 there a circumstance under which a division could be
8 out of service, and still remain, the plant could
9 remain operational? In other words, you don't have
10 any other. Can you operate under that circumstance?

11 MR. SWANNER: Yes, yes.

12 MEMBER BROWN: Are those safety functions
13 which only have two actuations, that's the EDFs, that
14 would mean that I don't have redundancy.

15 MR. MURRAY: The technical specifications
16 have those rules. That's where you go. You drive
17 down to the technical specifications. It has rules
18 for out of service logic bypass, and then it would
19 have rules for basically your requirements for, I'm
20 trying to remember the term, and I've lived in
21 operating plants so much.

22 MR. SWANNER: Limited conditions for
23 operations.

24 MR. MURRAY: Limited conditions for
25 operations. So that's where it drives you, what those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 requirements are.

2 MEMBER BROWN: I'm going to go back to the
3 original DCD, Chapter 14.

4 VOICES: Sixteen.

5 MEMBER BROWN: Sixteen, and I'll have to
6 admit I thought of this late enough that I was not
7 able to gain a good understanding. I finally found
8 the one on Instrumentation, OOSs and stuff.

9 But I couldn't find the delineation of a
10 whole division. I found the breakdown on the sensors.

11 I never saw the whole division and that's -- if it's
12 -- I'm going to have to take your word for it, I
13 guess. But that's not a negative comment.

14 MR. MURRAY: I understand that was Craig.

15 (Simultaneous speaking.)

16 MEMBER BROWN: A whole division is out of
17 service. Somewhere that's specified in that chapter.

18 MR. MURRAY: It may be function by
19 function specified.

20 MEMBER BROWN: Well, I wouldn't look at
21 the functions, you know. I picked one or two of them,
22 the ADS and then I look at the HDCF, not knowing which
23 ones was which, which ones just had two, or the HPCF,
24 and those are under the functional safety aspects and
25 really didn't address the instrumentation system being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 out of service.

2 Although I guess if you think about one,
3 it now takes one -- it takes one of the redundant
4 paths out. Maybe that's -- but the date, the time for
5 those was long. It was like days, as opposed to some
6 of the other stuff was in the category of hours to be
7 out of service, on the instrumentation side.

8 And it seemed incongruous to have an ADS
9 system out of service for seven days or something like
10 that, or HDCF out of service. Anyway, we can go on.
11 I can do it. I guess I can have somebody explain that
12 to me out of this meeting.

13 MR. COLEY: We need to understand maybe a
14 little bit more about the question. So when you ask -
15 -

16 MEMBER BROWN: A whole division of
17 instrumentation is out of service. Say it's the ADS
18 and it feeds the ADS. So that means you've only got
19 one ADS division that can actuate the ADS. So you
20 don't have redundancy for it. If you have, if you're
21 operating with that out of service, you now can assume
22 one of the other ones failed.

23 MR. COLEY: Well, there should be an
24 instrumentation spec that covers ADS function, as well
25 as an ECCS specification that covers ADS.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: Yes, and they are. They
2 are there. I just said I couldn't find one that
3 covered the whole division being out of service. I
4 didn't have --

5 MR. SWANNER: There are some.

6 MR. COLEY: They're broken down by
7 function, and if you take ADS as an example, it's
8 broken down by function. So you can look at the level
9 function, you can look at the drywell pressure
10 function that ties in, for example.

11 MEMBER BROWN: So if I look for ADS out of
12 service, a whole system out of service, that would
13 give me my answer?

14 MR. COLEY: If you look at the
15 specification, for example, 3.3.1.1, 3.3.1.2, I forget
16 where it is exactly, the functions are delineated and
17 will show what that function's for. So if we lost a
18 division or an entire division of sensors, then it
19 would impact a number of functions, and those
20 functions would be used to determine the operability
21 of the systems.

22 MEMBER BROWN: Yes, I can look.

23 MR. SWANNER: Sensor channels are in
24 3.3.1.1. The actuation for ESF is in 3.3.1.4.

25 MEMBER BROWN: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SWANNER: Okay. When you try to pull
2 those, when you try to pull a full division out, it's
3 in ECCS. That's a separate specification. That's in
4 3.6.1, and it permits various different pumps, you
5 know, pumps, whole trains to be out. So if you take
6 out a full division, that's a specification that would
7 end up --

8 MEMBER BROWN: Yes, I saw that, and I
9 looked at that, and I finally figured out I wasn't
10 looking for that, and then I never got back to it.
11 But I finally figured out what I was looking for.

12 MR. HEAD: And John, you should I think
13 help us here. I mean interpreting the tech specs and
14 what you -- what action statement you're in, you can
15 be in different places, and you could take some out
16 and have a number of different functions out, and the
17 time would be limited to whatever the sort of time
18 frame is.

19 So there's, somehow the tech specs are
20 going to work exactly like the current operating
21 specs, and the operators are going to have to go in
22 and say okay, this is inoperable. I may be in this
23 ECCS spec, I may be driven by something else. The
24 time would be whatever is the shortest that they'll be
25 dealing with.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SWANNER: That's right.

2 MR. MURRAY: To restore that function
3 that's specified. Go ahead and move on?

4 CHAIRMAN ABDEL-KHALIK: Yes, move on.

5 MEMBER STETKAR: I know what? I looked at
6 this a long time ago and I've forgotten --, but as
7 long as Charlie raised the question, the tech specs do
8 allow me to have a sensor division out of service
9 coincidentally with a logic channel in another
10 division. For example, I would have Division 1
11 sensors bypassed and Division 2 logic bypassed
12 simultaneously, right? Is that true? Are they
13 explicitly prohibited --

14 MR. HEAD: I never offer an opinion
15 normally on tech specs, unless I'm looking at them.
16 That's just my training.

17 (Simultaneous speaking.)

18 MEMBER STETKAR: -- I believe you
19 understand what I was talking about.

20 MR. HEAD: Well, right. But you still,
21 you wouldn't trust what I said, I'm sure, unless we
22 were both staring at them. So that's, you know.

23 I would imagine as time has moved forward
24 since the 80's, that some of the risk insights would
25 allow certain configurations to happen for certain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 periods of time, just because, you know, we've applied
2 the risk insights as to the probabilities during those
3 time frames and the remaining functionality of the
4 rest of the equipment.

5 But actually I wouldn't offer on what's
6 actually in there right now, unless I was staring at
7 it.

8 MR. MURRAY: From a practical perspective,
9 having the sensor division out, you still have three
10 functional sensor divisions to carry about that
11 function, and with the logic out, you still have the
12 other two channels that have got --

13 MEMBER STETKAR: I'm just interested, you
14 know, in terms of the tech spec, since we're talking
15 about tech specs, what is sort of the minimal
16 configuration that the tech specs will allow you to
17 legally be in, you know.

18 You obviously can't have ten sensor
19 divisions out at the same time, if I recall that. I
20 think that's true. I'm not quite sure if that's true.

21 Anyway, that's -- and I'm trying to look up things
22 real time here.

23 (Simultaneous speaking.)

24 MEMBER STETKAR: The tech specs are 155
25 pages between the changes and --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: Are we going to have -- I
2 think there's a change to Chapter 16. Is there going
3 to be another meeting on Chapter 16?

4 MS. BANERJEE: Yes. I think it's next
5 month, if I remember correctly.

6 MEMBER STETKAR: It seems so. I've only
7 got Rev 3 and 16 also is my problem. I don't have Rev
8 4.

9 (Simultaneous speaking.)

10 MEMBER STETKAR: So we'll get a chance to
11 --

12 MEMBER BROWN: That's why I said we ought
13 to go on, and I can try to --

14 CHAIRMAN ABDEL-KHALIK: We'll look at
15 Chapter 16 on March 9th.

16 MEMBER BROWN: In March? Okay. Oh, March
17 9th. I'll be back.

18 CHAIRMAN ABDEL-KHALIK: Please continue.
19 What page are we on?

20 MR. MURRAY: I'm on page 20.

21 (Laughter.)

22 MR. MURRAY: So we've discussed, I think
23 we've discussed all of this slide, that we have the
24 independent redundant divisional power sources, I
25 think, is where we are going to. Actually on 21 is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 where we need to be now.

2 So we're getting into the ELCS
3 independence discussion, and the independent power
4 sources again fit into the picture, as well as the
5 independence from the non-safety system, electrical
6 isolation, physical separation from non-safety.

7 Four independent ESF sensor divisions,
8 we've discussed that. Three independent safety
9 functional actuation systems with electrical
10 isolation, physical separation. So we've discussed
11 that. In the communication independence, we'll
12 transition into the next few slides that talk more
13 about that. The safety-related communications are
14 isolated in independent, and non-safety related
15 communications are isolated in the independent as
16 well. These are fiber optics.

17 So in this next slide, we'll talk a bit.
18 In it, we're talking about the communications, and
19 once you have a picture of it, it's a very simplified
20 diagram that we consider non-proprietary, of how an
21 ELCS controller functions.

22 MEMBER STETKAR: Mike?

23 MR. MURRAY: Yes.

24 MEMBER STETKAR: Before we get too deep
25 here, I'm trying to look ahead. Are you going to talk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 about the maintenance and test platform communications
2 at all?

3 MR. MURRAY: We didn't have a slide for
4 that.

5 MEMBER STETKAR: Okay. Let me ask you
6 about that then, while I'm interrupting.

7 MR. MURRAY: Okay.

8 MEMBER STETKAR: Each division has its own
9 maintenance and test panel that's online, continuously
10 connected operating; is that correct?

11 MR. MURRAY: That is correct.

12 MEMBER STETKAR: Reading in the appendix,
13 that thing, that panel seems to provide several
14 functions, and it also seems to communicate with both
15 ELCS and the normal plant information control system.

16 Is that --

17 MR. MURRAY: It is the conduit of
18 information out of the ELCS system that goes through
19 the isolation from the maintenance and test panel to
20 the first status indications out to the plant computer
21 system.

22 MEMBER STETKAR: From what I read about
23 it, if you're going to change setpoints, trip
24 setpoints, for example, in the ELCS, this is the place
25 where a technician will enter those new trip

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 setpoints. Is that also true?

2 MR. MURRAY: That is correct, with the
3 system out of service. It has to be out of service,
4 and that's the point where that entry will be made.

5 MEMBER STETKAR: Is there something that
6 prevents the maintenance and test panel from
7 surreptitiously inserting? I understand
8 administratively how it doesn't do it, but I'm --
9 since it's online and continuously communicating.

10 MR. MURRAY: I think there's switch
11 permissives that have to be made, in order for those
12 functions to be enabled. The continuous online is the
13 communication monitoring. Isn't that correct, Ed?
14 Make sure that I'm correct with this.

15 When you get into the testing, you have to
16 put it in test configurations, and when you get into
17 changing setpoints, you have to go into those
18 configurations, and it requires actual physical switch
19 manipulations on the maintenance and test panel.

20 MEMBER STETKAR: You also use the
21 maintenance and test panel to change setpoints or
22 control algorithms for the normal plant information
23 control system --

24 MR. MURRAY: No. Remember, maintenance
25 and test panel is only for ESF functions, okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER STETKAR: Well, but since it
2 communicates from A to X, it's just --

3 (Simultaneous speaking.)

4 MR. MURRAY: All that goes out of there to
5 the non-safety systems --

6 MEMBER STETKAR: The communications is
7 just a conduit to --

8 MR. MURRAY: It is a one-way
9 communication, and it doesn't look for acknowledgment
10 from the plant information system.

11 MEMBER STETKAR: I was just curious
12 whether from that panel you could somehow affect both
13 trip setpoint signals into a safety division, and
14 controls signals or algorithms out into the normal
15 plant control system. It wasn't -- it's clear that
16 it's a conduit from PLCS out to PICS -- it was used
17 otherwise.

18 MR. MURRAY: There's no shared function
19 between the ELCS and the ESF, and the non-safety
20 functions.

21 MEMBER STETKAR: I'm thinking of things
22 like steam generator level, trip actuation, EFW,
23 emergency feed water actuation on steam generator
24 level and, for example, algorithms to control feed
25 water flow out in the non-safety part of the plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Does that somehow affect both of those things from the
2 same place?

3 MR. MURRAY: I can only speak from my
4 analog background in that, and those functions were
5 diverse there as well. The controls were in a NSSS
6 group that did the controls, that used the control
7 signals that came in to control. But I couldn't
8 change the algorithms from the protection sets. So it
9 was diverse in that, and it's very similar here, is
10 the -- only in the actual signals, make sure I'm right
11 with this, the plant information control system's not
12 using the data out of ELCS for decision-making or
13 control algorithms anywhere.

14 MEMBER STETKAR: I understand that, but
15 I'm not quite sure that -- I might not be
16 communicating very well here. I'm concerned that if -
17 - let me ask it this way. If I want to change the
18 steam generator level program out in the secondary
19 side of the plant, the thing that's -- I'm sorry.

20 (Simultaneous speaking.)

21 MEMBER STETKAR: The reactor vessel level
22 control. That's, sorry --

23 PARTICIPANT: He can do that one too.

24 MEMBER STETKAR: I can be stupid. I'm
25 allowed to be stupid.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MEMBER BROWN: It's a steam generator.

3 MEMBER STETKAR: It's a steam -- yes,
4 that's -- a good steam generator.

5 (Laughter.)

6 MEMBER STETKAR: Anyway, reactor vessel
7 level program or heat up/cool down or something like
8 that, out, you know, which is a secondary -- well, I'm
9 not sure it's reactor vessel level control. I'm
10 trying to think of a secondary function that would add
11 a program, let's say --

12 MR. MURRAY: Feed water control.

13 MEMBER STETKAR: Turbine, you know, feed
14 water control is a good one. Yes, boiler level,
15 reactor vessel level feed water. Is that information,
16 how is that information entered into the -- you know,
17 you have digital feed water controls, part of the
18 PICS.

19 How do you enter a new algorithm for
20 changing, you know, bias, for example, on a feed water
21 flow control valve? Is that entered through this same
22 maintenance and test panel?

23 MR. MURRAY: That vessel. Well, that
24 would be in feed water control system, where you would
25 actually go in and it's a non-safety system. There,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you would take and make this algorithm, control
2 algorithms changed if you needed to change the tuning
3 parameters for that particular function.

4 MEMBER STETKAR: Okay, okay. That's
5 basically what I was looking for. I'm looking for
6 common points where I can affect control and
7 potentially protection things. Thanks.

8 MR. MURRAY: Okay.

9 MEMBER STETKAR: Sorry about the --

10 MR. MURRAY: You have a question.

11 MEMBER BROWN: Yes. I could take it
12 somewhat more simplistic. It's a very complicated
13 thought process, and I thought that the MTP, it may be
14 a misconception; that's why I'm asking the question.
15 While it's there and online all the time, it's all --
16 by being online, it's in the receive mode from the
17 ELCS, as opposed to an active transmit mode, unless
18 into the actual safeguards processing of all these
19 core divisions.

20 MR. MURRAY: I'm going to try to answer
21 that, because --

22 MEMBER BROWN: Unless you turn those
23 switches. That's, I thought it was isolated.

24 MR. MURRAY: For testing and taking it in
25 bypass, you have to use the switches, and you need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 remember that in the control room, you have flat panel
2 displays, okay. The flat panel display commands come
3 back through the maintenance and test panel. I mean
4 that's why it's on the AF-100. That's wrong. Thank
5 you. So it is in a receive mode until it's --

6 MR. ED BROWN: It's in a receive mode, I
7 mean other than transmitting information for the
8 control room for certain displays. I imagine you can
9 monitor it up there.

10 MEMBER BROWN: It doesn't do that either?

11 MR. ED BROWN: It does it only for
12 diagnostic alarms. It's sitting there passively in
13 the system. It does do one active thing for the ABWR.

14 There's a function called and automatic ESF logic
15 channel bypass, that's as a result of a diagnostic
16 failure, and the MTP will be utilized for that
17 function.

18 MEMBER BROWN: So it sends a fail signal
19 or initiates a trip or --

20 MR. ED BROWN: No. It analyzes failure,
21 which is usually reported multiple times. It ensures
22 that the redundant feature on the channel is not, and
23 it's a logic channel only, so there's two redundant
24 logic channels. But the redundant channel is
25 operable, and then it will allow an automatic bypass.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: You're talking about the A-
2 B?

3 MR. ED BROWN: Yes.

4 MEMBER BROWN: Sequence, the SLFs and the
5 RDLCs?

6 MR. ED BROWN: Right. It will allow one
7 of those two to be automatically bypassed if there's a
8 failure in one, if there's a fatal error.

9 MEMBER BROWN: But does it initiate that
10 bypass itself?

11 MR. ED BROWN: Yes. The diagnostic is set
12 to it, and it will allow that automatic bypass. The
13 operator can disable the automatic bypass feature, and
14 use only the manual bypass feature. That's been a
15 design feature of the original DCD since day one.

16 MEMBER BROWN: So it senses, it senses
17 some problem with the information it's receiving.

18 MR. ED BROWN: Right, receiving.

19 MEMBER BROWN: Relative to the SLFs and/or
20 the RDLCs, for either A or B in all four --

21 MR. ED BROWN: No, only in one. One MTP for
22 each division.

23 MEMBER BROWN: Oh. So it only looks at
24 one division. Okay. So it can't communicate an
25 allowance mode to all four divisions, based on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 erroneously obviously, but it couldn't -- okay. I
2 guess I didn't understand that. That's a nuance.
3 I'll probably forget that one.

4 MR. ED BROWN: That's unique to the ABWR.

5 MEMBER BROWN: I understand what you said.

6 Thank you.

7 CHAIRMAN ABDEL-KHALIK: Okay.

8 MR. MURRAY: So focusing back on the
9 diagram we have up there, this is an ELCS controller.

10 Within the ELCS controller is two microprocessors.
11 One is the communication processor; the other is the
12 application processor. A communication comes in, a
13 message comes in and it comes in on a unidirectional
14 serially fiber-isolated signal.

15 It has a fixed periodicity transmissions,
16 and it has fixed length, fixed format. The data
17 mapping is fixed and data redundancy is also provided
18 in those messages, and then also the cyclical
19 redundancy checks, CRC check is done in that
20 diagnostics.

21 So the message comes in and the
22 communication processor looks at it and does the
23 diagnostics, to see if the message is an acceptable
24 message. Acceptable message, it takes the
25 information, put it in the shared memory buffer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The application processor that is running
2 and is on cycle, not dependent on the communication
3 processor, will go read these, the shared memory and
4 use the data to perform its applications.

5 If faulty data comes in, use the word
6 "corrupt" or bad data is the best word for it, if bad
7 data's coming in, the diagnostics that were described,
8 which is -- it will flag that data as bad. It will
9 take in the right-hand side of the picture, as you're
10 looking at it, it will take its last good data, read
11 it to the shared memory buffer, and it will also carry
12 the bit that says "this data is bad."

13 The application processor sees that, says
14 the data that's in the register or the data coming in
15 from this particular area is bad data. Then it goes
16 from its local memory and extracts out a predetermined
17 value that it uses for those calculations.

18 At the same time, the operator is notified
19 of bad data through watchdog parameters and the data
20 diagnostics. So a bad message comes in. First, the
21 communication processor will detect it, analyze it,
22 detect it as such. It would then flag the data as bad
23 for that particular input. The application processor
24 would not react to bad data. It would only take the
25 data that comes in.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 It would see bad data coming from that
2 particular location, and for that location it would
3 then use a predetermined value. So the data coming in
4 bad doesn't make it to the application processor.

5 MEMBER BLEY: So when you say a
6 "predetermined value," that's some value that's deemed
7 to be safe under most conditions?

8 MR. MURRAY: It's according to what the
9 function is, but that's correct.

10 MEMBER BLEY: I'm sorry?

11 MR. MURRAY: It's according to what the
12 function is, whether it's a fail/safe or fail as is.

13 MEMBER STETKAR: Well, all of this is fail
14 as is.

15 MR. MURRAY: I can't answer that. There's
16 a part that is finessed. The DCD requires --

17 MR. SWANNER: LDS.

18 MR. MURRAY: That LDS, link detection is
19 actuate, right.

20 MEMBER STETKAR: So in some cases, if I
21 can just call it true and false, true being a trip
22 actuate and false being do not actuate the trip. In
23 some cases, function let's say. In some cases that
24 bit would be set to true, and in other cases it would
25 be set to false, based on whatever function is being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 evaluated.

2 MR. MURRAY: Correct, on the application
3 side.

4 MEMBER STETKAR: On the application side.

5 MR. MURRAY: On the application side.

6 MEMBER STETKAR: Because I was confused.
7 You know, the words in the appendix just says "a
8 predefined value based on the desired failure state,"
9 which to me doesn't say anything.

10 MR. MURRAY: Right. You get into whether
11 it's fail as is or --

12 MEMBER STETKAR: Does that predefined
13 failure state then, in the application bring the
14 renewed coincidence log to a one out of three, if I
15 understand how it works?

16 MR. MURRAY: This is a single one of the
17 SLFs, and it was four. So you still would go out, and
18 you'd still have the two out of the four vote. So
19 you'd still have to take -- excuse me, two out of
20 three vote. So you'd have a two out of three vote
21 with one set of bad data. Is that correct Ed?

22 MEMBER BROWN: That's going to have a two
23 out of four vote.

24 MR. MURRAY: Let Ed answer this one.

25 MR. ED BROWN: It's essentially two out of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 three, except for LDS, which would be one out of
2 three. You'd have one LDS that would be in because of
3 the predefined state. So another --

4 MEMBER STETKAR: So Ed, let me see if I
5 understand this. For LDS, you're saying that they
6 remain -- if we talk about divisions, if Division 1
7 SLF, you know, receives bad data input from Division
8 1, let's say. For LDS, you would then get an actuate
9 signal if you had a valid actuate signal from any one
10 of the three remaining divisions. Is that correct?

11 MR. ED BROWN: Yes. This is Ed Brown,
12 that's correct.

13 MEMBER STETKAR: Okay. But for example,
14 for high pressure core flood, under the same
15 conditions, Division 1 would require two of three
16 valid signals from the remaining three divisions; is
17 that correct?

18 MR. ED BROWN: That's correct sir.

19 MEMBER STETKAR: Okay.

20 MEMBER BLEY: Something that I hadn't
21 thought about as you go through this. The old
22 systems, if we have a logic failure and we get a trip
23 or whatever, the operators respond to the trip and
24 carry on. Now in the control room, we have a signal
25 saying what's going on now is due to bad data.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 If you guys thought through two things.
2 One is do you have any idea how often bad data signals
3 come in? Two, what are you telling the operators to
4 do when they see this thing coming in?

5 MR. ED BROWN: You are telling them that
6 there is a failure, and this is Ed Brown from WEC.
7 You're telling them that there's a failure.

8 MEMBER BLEY: Are we writing any
9 procedures about this?

10 MR. MURRAY: It would be Annunciator
11 Response Procedures, which are typically you would
12 expect to go --

13 MEMBER BLEY: So wherever we go we'll have
14 those Annunciator Procedures.

15 MR. MURRAY: In fact, the human factors
16 team is looking at the response to those particular --
17 that's part of their function, looking at response and
18 making sure that it's properly -- one, what level is
19 responding, making sure that the operator has the
20 right information to provide the right decisions, just
21 what you're talking about.

22 MR. SWANNER: But it's important to also
23 understand the frequency, so that it doesn't become a
24 distraction. You have intermittent pieces, so they
25 have the capability to disable, you know, disable a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 sensor that was causing an alarm, or if the alarm has
2 failed, then they can take it to a failed state.

3 But that it's not, it's managed. It's
4 information that's managed, and Human Factors are
5 looking at that and it can be the programs and
6 procedures will be in place should those evolve.

7 MEMBER BROWN: But that won't be in place
8 until much later in the process?

9 MR. MURRAY: That's correct.

10 MEMBER BROWN: After the COLs. Okay.

11 MR. MURRAY: Ed, did you have something
12 that you needed to add on the operator experience.

13 MR. ED BROWN: Yes, just the operating
14 experience of the system, which has been in service in
15 a number of safety-related applications in the U.S.
16 and Europe. It's a very infrequent occurrence, and
17 typically occurs when a module failure occurs, and
18 typically fails hard. So you very seldom get bad
19 data, because the transmission medium is fiber optic.

20 MEMBER BLEY: But you'd see something.
21 Any valid idea of how often you see it in a plant?

22 MR. ED BROWN: The key words are very
23 infrequent. Very few.

24 MEMBER BLEY: Once a month?

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ED BROWN: I would say less than once
2 a month.

3 MR. MURRAY: But that's an opinion from
4 operating experience.

5 MR. ED BROWN: Where else would they come
6 from?

7 MR. MURRAY: So in looking at it, this is
8 what we try to get the points across, of how the data
9 is managed through the processors. So going into
10 the, and we'll repeat some of the same information
11 again. I'm on Slide 23, and here, the DTF transmits
12 the trip signals the SLFs, and it's unidirectional,
13 serial-linked, fiber.

14 It's fixed periodicity of transmission.
15 All the data's transmitted. Even if it's not changed,
16 it doesn't do different reporting. It basically
17 transmits it again, cyclic processes there. It's
18 fixed link, fixed format. The data map is the same
19 data point, the same position. The data redundancy is
20 provided in the message and the CRC functions are
21 being reported there.

22 This all supports the detection of
23 corrupted data, and preventing it from being carried
24 forth into the system. I just wondered if you had a
25 question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER BROWN: I already had my robust
2 discussion with Warren in several other meetings, and
3 I'm not going to repeat that discussion again.

4 MR. MURRAY: Okay, okay.

5 MEMBER BROWN: I won't get to the
6 inability to lock up all the processes. It's still
7 there. But it's all good stuff, and this system is
8 the same configuration, a similar configuration. So
9 you'd have to make the same argument. It is a fail,
10 fundamentally fail as is, and you have to -- except
11 for the LDS function.

12 My fundamental thoughts are, you know,
13 you've got to have a backup to it. We haven't gotten
14 to that point. There is -- maybe I'll just ask the
15 question. If after going through everything, there is
16 no diverse, automatic diverse actuation system in this
17 design. It's all manual, from what I could gather.
18 It's all manually actuated by somebody.

19 MR. MURRAY: It is hard-wired.

20 MEMBER BROWN: It's hard-wired, but it's
21 going to be somebody to actually do something.

22 MR. MURRAY: Right.

23 MEMBER BROWN: And you -- and I couldn't
24 find any real analysis that said, or a reference to an
25 analysis that said there's enough time for a manual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 backup based on a realistic, not a worst case
2 analysis, but based on a best estimate of realistic,
3 or a PRA or something like that, that says hey, the
4 operators have enough time before you do some damage.

5 It's just that's the way it is. That's
6 the design as it's been explicitly defined. With no
7 other backup for critical functions, and/or an
8 analysis that says the manual is okay. That raised a
9 little bit of question, that if they all locked up,
10 nothing happens. You've got to, somebody's got to
11 figure out to go do something, and hopefully the
12 timing is okay.

13 So that's -- but we can go on, but that's
14 just the way it is.

15 MR. ED BROWN: Mike?

16 MR. MURRAY: Yes, Ed.

17 MR. ED BROWN: We do not believe that all
18 the processors can be locked up.

19 MEMBER BROWN: Oh, I know that. I just
20 don't want to go through that again. I've had to
21 argue -- I've had that discussion with Warren at least
22 twice, and there's no reason to work ourselves back
23 through that one again.

24 I mean I've had personal experience where
25 everything locked up on me, and it actually created

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 two things: an over-speed trip device to say I'm not
2 going to trip, and a command to have the turbines to
3 speed up simultaneously.

4 Everybody said it never happened and it
5 did happen, and we just barely caught it before it
6 exceeded 150 percent RPM and almost killed people. So
7 when people tell me something's never going to happen,
8 I don't really -- but I've accepted it. So if you
9 want to move on, you can. I really won't work on this
10 one anymore.

11 MR. MURRAY: So let's go on through the
12 discussion and --

13 MEMBER BROWN: Yes, I can go on. I just
14 want to make sure you knew I just hadn't changed my
15 position. That's all. I'm consistent, even if you
16 think I'm wrong.

17 MR. MURRAY: We've completed -- okay. So
18 we're on Slide 24 now. The SLF, when it receives the
19 data communication, the communication processor,
20 application is communicating through shared memory, as
21 we discussed previously. Communication receives. Its
22 link failure diagnostics are checked, provides error
23 status for bad messages.

24 Additionally, the CRC diagnostics provides
25 error status for bad message. Data redundancy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 diagnostics provides error status, and stores the
2 message in a unique location in the shared memory, if
3 it's acceptable data.

4 The application processors reads the
5 message. Bad message status causes the data to be
6 replaced by a predetermined value. We've already
7 discussed that, and then the alarm message is sent to
8 the operator. That's where it's detected, if there's
9 a problem with the data.

10 Next slide, 25. Okay. The ELCS
11 application processor. The application processors has
12 no external interrupts. It does have clocks and it
13 has internal but not external interrupts. The
14 internal clock uses a precision timer, cyclic
15 execution of the application software, based on the
16 timing, predetermined fixed execution cycles. Maximum
17 processor load is maintained at less than 70, and it's
18 actually reinforced by continuous monitor, a self-
19 diagnostic that verifies that it's less than 70
20 percent loading on the processor.

21 The buffer from external communication,
22 the read and write data buffered the memory on the
23 fixed cycle, and it's independent communication on the
24 interface data system. Communication interfaces flags
25 -- the interface flags the corrupt data, as we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 discussed previously. Then the application uses then
2 again the predetermined value for bad messages.

3 Diagnostics will provide an operator
4 alarm. The watchdog hardware timer output would be
5 monitored by an independent controller, and overrun of
6 cyclic execution times is monitored by self-
7 diagnostics and then communication also is monitored
8 by the application.

9 Slide 26. Determinism of the
10 communication processor, it uses a deterministic
11 protocol, which will be described further down in the
12 billets, and all data, again, is transmitted, even if
13 none is changed. It's doesn't, it's not doing
14 exception transmission. Fixed link, fixed format
15 message is mapped. Redundancy checks and CRC checks
16 on it.

17 Deterministic intervals, based on the
18 fixed, the internals of the application processor
19 requests that messages be sent. Deterministic
20 reception intervals based on fixed message. Again,
21 reception intervals and transmitting are in from
22 transmitting controllers.

23 The communication process is buffered from
24 the application processor by shared memory, and then
25 basically the diagnostics again provides operator

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Annunciation, watchdog, loss of communication and
2 message diagnostics is communicated to the operators
3 for status and conditions.

4 In the determinism, response time analysis
5 is done. The criteria is based on the safety analysis
6 requirement for the system. It includes all delay
7 elements, and in the criteria, both the minimum and
8 the maximum acceptance criteria, the response time out
9 is established for the validation testing. This is
10 all documented in a report.

11 Then validation testing itself validates
12 the analysis and is documented in a report.

13 MEMBER STETKAR: I understand, you know,
14 that this will be done on day one, zero minus or
15 whenever, for the original system.

16 If you make changes to the application
17 software or communications protocols or whatever, does
18 that then -- this is not post-installation. Does that
19 then trigger need for a new timing analysis, to verify
20 that that timing is still, and where is that
21 requirement documented anywhere?

22 MR. MURRAY: I would answer it would, but
23 where it's documented I'm not certain.

24 MR. ED BROWN: It's documented in the
25 project's software management plan, which states the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 requirements for software changes, configuration
2 control throughout the entire process.

3 MR. MURRAY: And it would be through a
4 design change modification process also. Any other
5 questions on this slide?

6 (No response.)

7 MR. MURRAY: Diversity and ELCS. Are we
8 on, am I on the right one? Next slide. I was. ELCS
9 diversity. Diverse equipment accredited for
10 mitigation of ELCS failure and it's the diverse
11 equipment that's hard-wired. Then there's diversity
12 between the RTIS and NMS in the microprocessor base
13 and then also from the FPGA and microprocessor bases,
14 system are diverse.

15 It is also diverse from safety-related
16 control systems. Different microprocessors are used
17 in different software, different communication
18 technologies and equipment.

19 MEMBER BROWN: I did have a question on
20 there. You made a comment about hard-wired switches,
21 manual switches to do this, and in your Appendix 7C,
22 there's a, I don't know if it's a contradiction or
23 not, and it talks about -- let me get the right words.

24 It says "control switches for individual
25 control pumps and valves are transmitted from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 operator's control stations to the SSLC, and then
2 through ECF, as stated above." Yet the statement's
3 been made, is that those switches someplace, I
4 couldn't find it, but the switches go directly to the
5 actuating component.

6 I couldn't find an explicit statement in
7 the FSAR or in the appendix, the new appendix that you
8 submitted, that explicitly stated that those switches
9 go directly to the components, like the pumps or the
10 valves, etcetera. That's on page 7C-3 under "Common
11 Mode Failure Analysis."

12 Now it's under a header that talks about
13 June 1993, but yet you have changes to it, based on
14 the last -- this is Rev 4 of the FSAR.

15 MR. MURRAY: Right.

16 MEMBER BROWN: So that there seemed to be
17 a conflict or an inconsistency between the -- which
18 implied to me that the switches go into the SLL, and
19 then get transmitted down to the OLU.

20 Now if you look at your picture at 7,
21 there's another figure you can look at also, and that
22 figure shows manual switches going to the SLF, and it
23 shows something else going down to what looks like an
24 either/or gate for the components. That's why I'm
25 asking the question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MURRAY: Okay. So let me try to
2 explain that then. From ELCS, from a control room
3 perspective, even if it's one of the diverse
4 components, high pressure core flooders. Charlie, is
5 that right? Let's use that for an example.

6 The operator has full capabilities of
7 operating it in the ways that he would have for Bravo,
8 for example, in the control room, to go --

9 MEMBER BROWN: What do you mean for Bravo?

10 MR. MURRAY: For which it doesn't have
11 diverse, okay.

12 MEMBER BROWN: You mean just different
13 components?

14 MR. MURRAY: Different components. He has
15 the ability to interface with the ESF system, to start
16 and stop the pump and those functions. In the event
17 of the loss of the system, then you go to the remote
18 shutdown control function of it, which basically
19 isolates the digital system inputs and you use the
20 manual hard-wired control of the device, which is as
21 described.

22 MEMBER BROWN: So there's a nuance. If I
23 look at Figure 7C-1, where that -- in other words,
24 there's a set of manual controls that go into the
25 SLFs, and then there's another set of manual controls

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that go directly to the components?

2 MR. MURRAY: I'd like to see the figure.
3 Let me make sure I understand it. That is correct, in
4 that the SLFs -- in other words, operator ability to
5 control the component from the control room, he has
6 the ability to start and stop it with logic that's
7 carried out through the ESF -- ELCS system basically.

8 In the event of an ELCS failure, and he
9 has to go to the remote operation of it, there is --
10 you basically have to transfer it to a set of
11 independent switches that can perform start/stop
12 functions off that same high pressure core flooder,
13 and monitor it with diverse indications.

14 MEMBER BROWN: So that's in the remote
15 shutdown procedures?

16 MR. MURRAY: Remote shutdown systems.

17 MEMBER BROWN: In another location?

18 MR. MURRAY: That is correct, outside
19 control room location.

20 MEMBER BROWN: So that's the difference.

21 MEMBER STETKAR: But from the control
22 room, that comes through the SLF, not to the output.

23 MEMBER BROWN: That's what's implied by
24 the ELCS. Now that I've heard this --

25 MR. MURRAY: Ed, you want to clarify

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 something there?

2 (Simultaneous speaking.)

3 MR. ED BROWN: Yes. I believe the diverse
4 controls are in the control room, and the control
5 circuit is wired, is that the manual control will
6 defeat the ELCS control.

7 MEMBER BROWN: Or bypass it or whatever?

8 MR. ED BROWN: Well, defeats it. For
9 example, if the ELCS control sends "stuck pump," it
10 disconnects that part from the --, so there's no
11 conflict. It's all hard-wired.

12 MEMBER STETKAR: That's, for example, for
13 high pressure core flood sealing. Let me take like
14 RHR Train B, which doesn't have a diverse actuation,
15 is that true?

16 MR. ED BROWN: As far as I know.

17 MR. MURRAY: Yes, that's true.

18 MR. SWANNER: That's correct. There is no
19 diverse.

20 MEMBER STETKAR: If I'm an operator, I
21 push a button that says "start RHR Pump B." That
22 signal goes to the SLF four division, two I guess it
23 would be.

24 MR. SWANNER: That's correct.

25 MR. ED BROWN: If you're going to manually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 an individual component, it goes, using the F-100, it
2 goes directly to the SLF RDLC and starts that pump.
3 It bypasses the --

4 MEMBER STETKAR: Does it go to the SLF,
5 which now communicates through the ELCS?

6 (Simultaneous speaking.)

7 MR. ED BROWN: Yes. It does through the
8 SLF RDLC.

9 MEMBER STETKAR: Only that's not what this
10 drawing says.

11 MEMBER BROWN: Well, there's only three
12 functions shown: the RCIC, the CUW and the HPSF.
13 Those are the only ones shown that have a direct
14 connection to the hardware.

15 MEMBER STETKAR: Because those are the
16 diverse -- I'm trying to get to non-diverse. I'm
17 trying to figure out what a divisional SLF failure
18 prevents me from doing manually.

19 When I put, if I had a Division 2 SLF
20 fail, and I'll just call it failed, not there, and I
21 push a button to start RHR Pump B, will it start from
22 the control room?

23 MR. ED BROWN: You have -- let me just
24 clarify. This is Ed Brown from WEC. Let me just
25 clarify the question for a second. I have RHR to an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Alpha and a Bravo SLF. If one of those SLFs has
2 failed, the operator can manually bypass that SLF, or
3 he can -- it will be automatically bypassed by a
4 diagnostic.

5 The logic will change to the other logic
6 channel, one out of one. So that the system level
7 controls will still operate. The manual control, an
8 individual component with a flat screen display, soft
9 control, that does not go through the SLF. The SLF is
10 for system level functions.

11 Individual component control goes from the
12 flat screen through the AF-100, down to the area where
13 component control was done, which is the SLF RDLC, and
14 it controls that component. So a malfunction of the
15 SLF --

16 MEMBER STETKAR: Will not prevent that way
17 of--

18 MR. ED BROWN: Will not prevent.

19 MEMBER STETKAR: I may have to circle the,
20 you know, I may have to open three valves separately
21 and start a pump, but I can still do that, for
22 example.

23 MR. ED BROWN: That's correct.

24 MEMBER STETKAR: Okay.

25 MEMBER BLEY: Because we almost had an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 opposite comment, and I thought --

2 MR. HEAD: Could I suggest maybe at the
3 break we look at this drawing and make sure that we're
4 all in agreement, and then we'll report back after the
5 break, to make sure if there's any clarifications?

6 CHAIRMAN ABDEL-KHALIK: We're getting
7 close to the end of your presentation. But is this a
8 good time to take a break, or should we wait --

9 (Simultaneous speaking.)

10 MR. HEAD: I'd like to suggest a few
11 minutes before we take a break.

12 CHAIRMAN ABDEL-KHALIK: Great, thank you.

13 MR. MURRAY: So we were on Slide 28, where
14 we talked about the differences between the non-safety
15 and the -- the non-safety systems from the out
16 system. So in page 29, like simplicity, separation of
17 the non-safety. There are no shared votes again.
18 ELCS controls are performed in ELCS, within ELCS.

19 No non-safety digital control
20 communication links have -- we don't use any priority
21 modules in our design. So that's a point of
22 simplicity. Unidirectional serial links, automatic
23 and manual isolation, ESF safety functions simplify
24 the architecture. We minimize inter-divisional data
25 communication as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The next slide was, and we've already
2 talked through an example of this, by the way, of the
3 discussions we've had. But this was an example of one
4 of the attributes out of the 7 delta S. For example,
5 if there's a -- this happens to be a Tier 1, Table
6 2.75. ITAAC-2 requires deterministic communication.

7 So in the FSAR section, we basically
8 bracketed the area that was applicable to
9 deterministic communication, and have mapped that over
10 to the ITAAC in this case, so that they point back and
11 forth as we discussed previously. We just wanted to
12 show one example of this.

13 So coming to a summary in this, we had an
14 Action Item 7 from the May 20th discussion, which was
15 to further discuss the need on the application of
16 Common Q independence and determinism. I feel that
17 we've, the explanation in the Tier 2 appendix 7 delta
18 S and the ELCS presentation information, we feel that
19 we've explained the data corruption does not
20 compromise communication and independence.

21 We feel we've explained the
22 interdivisional communications and compliance with the
23 independence and determinism requirements, and also
24 explained the compliance to determinism requirements
25 additionally, okay. So in our opinion, we feel that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the platform has overall compliance with the design
2 requirements.

3 CHAIRMAN ABDEL-KHALIK: Thank you. Before
4 we take a break, I think we ought to capture the
5 briefings that you need to clarify. Number one,
6 you're going to go back and look at Figure 7C-1, 7C-1
7 to try to answer John's question; is that correct?

8 MR. HEAD: Yes sir. We'll do that on
9 break.

10 CHAIRMAN ABDEL-KHALIK: The other thing, I
11 guess Charlie had a question about incorporating the
12 statement regarding the watchdog timer.

13 MR. HEAD: Yes sir.

14 MEMBER BROWN: Yes, the explicit.

15 CHAIRMAN ABDEL-KHALIK: Right, an explicit
16 statement.

17 MR. HEAD: Specifically that it's a hard-
18 wired device.

19 MEMBER BROWN: That it's hard-wired
20 diverse. Just replicate what they said in the slide.

21 MR. HEAD: Right.

22 CHAIRMAN ABDEL-KHALIK: And the third
23 thing, you were going to find out which code is going
24 to be used to generate the DIVOM slope, to set the OPR
25 intercept point.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HEAD: Yes, sir, and my proposal is
2 that after the NRC presentation, that we would, you
3 know, review on that.

4 CHAIRMAN ABDEL-KHALIK: On these three
5 items?

6 MR. HEAD: Right, and then -- yes. Well,
7 yes. We will certainly cover that, and the other item
8 is that's a commitment to adjust our appendix, and
9 we'll do that. The fourth one I've got is a future
10 action item, I guess, is in our tech spec discussion
11 on Chapter 16, we need to have some discussion --

12 MEMBER STETKAR: Be aware of that. We
13 won't let you off the hook.

14 MR. HEAD: Well, yes. No, no. We will
15 have some stuff in front of us just to show what can
16 be out of service and the time frames and
17 configurations that could be -- we could continue to
18 operate and then maybe some configurations obviously
19 would require an immediate shutdown.

20 MEMBER BROWN: One more item that I didn't
21 bring up, because it wasn't germane. On the
22 determinism side, the Common Q platform deterministic
23 behavior was based on a less than seven percent load,
24 and similar to what we discussed before, there ought
25 to be some explicit test for that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Once they have their application defined
2 and all that other type stuff, put it in there, load
3 it up, and then make sure it meets their actual,
4 whatever their time response is when we're looking at
5 similar, previous comments we've made.

6 There's no ITAAC or DAC for that right
7 now. It's not explicitly called out. We did that
8 before.

9 CHAIRMAN ABDEL-KHALIK: We can bring this
10 point up when the staff makes the presentation --

11 (Simultaneous speaking.)

12 MEMBER BROWN: Yes, we'll bring it up. It's
13 a matter for us to determine as a committee what we
14 want to do with that, when we get to the point of
15 writing the letter or what have you.

16 CHAIRMAN ABDEL-KHALIK: About the 70
17 percent load.

18 MEMBER BROWN: The 70 percent, that's
19 right.

20 CHAIRMAN ABDEL-KHALIK: Okay. All right.
21 Let's take a 15 minute break. We'll be back at ten
22 after three.

23 (Whereupon, the above-entitled matter went
24 off the record at 2:58 p.m. and resumed at 3:16 p.m.)

25 CHAIRMAN ABDEL-KHALIK: We're back in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 session. At this time we'll hear from the staff.

2 MR. MUNIZ: Good afternoon. The staff is
3 here today to present the Chapter 7 Advance SER of the
4 STP COLA. My name is Adrian Muniz, the Chapter 78
5 Project Manager. Here with me today is Dinesh Taneja,
6 the lead technical reviewer for Chapter 7. Our
7 presentation will be focused on an open item related
8 to the instrument setpoint methodology, and a
9 discussion of a revised response to RAI 7.01-14.

10 The staff will also address an ACRS action
11 item related to the Common Q platform, as well as
12 evaluation of the Appendix 7 Delta Sierra, 7DS. With
13 that, I would like to turn it over to Ian Jung, who
14 has some remarks to make before we go into the
15 technical presentation.

16 MR. JUNG: I am Ian Jung, and branch chief
17 for the Instrumentation Control Branch in the Division
18 of Engineering. I just have a couple of comments
19 before Dinesh Taneja starts his briefing. We thank
20 the Committee for this opportunity today, and we came
21 before you in May in 2010, and this a follow-up to
22 that meeting.

23 We'd like to be covering some of the open
24 issues at the time and the progress that we've made.
25 Two comments. We thank the Committee for your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 continuous and valuable advice on instrumentation
2 control over the last couple of years.

3 You really helped us, working with the
4 Applicant, and also for the staff ourselves, we have
5 become the beneficiary of your comments. So we really
6 value that and appreciate that.

7 Another note that we note that South Texas
8 Project has been very, very responsive to both the
9 ACRS, as well as the staff. As you know, South Texas
10 has voluntarily participated in design acceptance
11 criteria pre-fuel inspections, which is very valuable
12 to both South Texas as well as the staff.

13 So I just want to recognize that, and we
14 hope to receive your recommendation on Chapter 7
15 through this meeting, as well as the full Committee
16 meeting coming up. So thank you. With that, Dinesh.

17 MR. TANEJA: So Slide 4. I'm Dinesh
18 Taneja. You know, I've been involved with the review
19 of this Chapter 7 from the start. So I've been
20 familiar with the history, where we were and where we
21 are going with the design here.

22 There was an open item we had in our May
23 2010 presentation, and in that open item was related
24 to the setpoint methodology document, which was
25 submitted as part of the setpoint control program

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 under Chapter 16.

2 In that document, there was a reference
3 made to a Westinghouse stability methodology topical
4 report, which is a report that is being prepared for
5 the fuel amendment, which is a post-COL activity,
6 okay.

7 So we saw that in the methodology and we
8 questioned it, saying that how can that be referred to
9 if it is -- most of the design is based on the
10 existing fuel design.

11 So that was retracted as a result of that
12 RAI, and they put in the typical setpoint values in
13 the methodology for coming up with the OPRM setpoints,
14 and that methodology is based on what we already have
15 in our certified design. So they didn't depart from
16 that essentially.

17 CHAIRMAN ABDEL-KHALIK: But the point is
18 the setpoints for the OPRM require the cycle-specific
19 calculation of the DIVOM slope, and if they do not
20 make any changes or do not have any departures from
21 the current statement, the question is do they have
22 access to GE codes that would allow them to calculate
23 those DIVOM slopes?

24 MR. TANEJA: Yes. What the existing
25 design is based on a BWR owners group stability

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 analysis methodology, which is a owners group
2 document, and you know, being part of the BWR owners
3 group, you know, that was one of the documents that
4 they do have access to. I think we looked into that.

5 CHAIRMAN ABDEL-KHALIK: But that was shown
6 to be inadequate through a Part 21.

7 MR. TANEJA: Apparently, I think the OPRM
8 methodology part of it, I went and I had discussion
9 with our Systems Group people, and you know, about
10 specifically on that methodology portion of it. I
11 forget it was Method 2 or Method 3 in the OPRM.

12 CHAIRMAN ABDEL-KHALIK: It's Option 3.

13 MR. TANEJA: Was it Option 3? And they
14 felt that, you know, that was okay, the Option 3
15 method. I don't know whether -- I'm not familiar
16 with the Part 21 on that one. I did have a discussion
17 with our Systems people on that one.

18 CHAIRMAN ABDEL-KHALIK: Are you going to
19 have a discussion of this later on? Okay.

20 MR. TANEJA: So yes. So you know, I had,
21 you know, up to that level. I went and I discussed
22 with them, and they said well, this is what we already
23 have in the certified design, and it's not a
24 departure, and if they are staying with that.

25 I think the underlying reasoning is that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you know, as soon as this thing is done, there's going
2 to be fuel amendment, and then we are reviewing this
3 other methodology, WCAP, yes. But right now, you
4 know, looking at, you know, it's exactly --

5 Assuming that we are staying with the
6 certified fuel design, the BWR owners group
7 methodology Option 3 is what is being used to
8 demonstrate that they are going to use that for the
9 OPRM calculation.

10 CHAIRMAN ABDEL-KHALIK: But that requires
11 a cycle-specific calculation.

12 MR. TANEJA: Right.

13 CHAIRMAN ABDEL-KHALIK: For the DIVOM
14 correlation, and that requires a specific code. The
15 question is do they have access to the code that was
16 specified for determining that DIVOM slope?

17 MR. TANEJA: Okay.

18 CHAIRMAN ABDEL-KHALIK: And that's -- we
19 just have to focus on the task at hand.

20 MR. TANEJA: All right, understand. I
21 think I understand.

22 CHAIRMAN ABDEL-KHALIK: Rather than saying
23 we'll look at it when the fuel amendment comes in.

24 MR. TANEJA: Yes. I understand that.

25 CHAIRMAN ABDEL-KHALIK: At any rate, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will address this later on today. Thank you. Let's
2 move on.

3 MR. TANEJA: You know, but from the design
4 of the logic, you know, that design, you know, we
5 looked at the design as for the logic. The settings
6 come from that analysis, and the design was looked at.

7 Next slide. This one also, you know, the
8 Common Q platform that's being used for the ELCS
9 application, it's already been reviewed and approved
10 by the NRC, and our review was done based on a topical
11 report dated 2000.

12 The basis for our review was the SRPs and
13 the IEEE standards that were, you know, in effect at
14 the time of our review. So in the initial part of the
15 COL application, the Applicant was, you know, staying
16 with the standards and SRPs and Reg Guides at the
17 time.

18 Since then, you know, this one basically
19 commits to meeting the current regulations and current
20 Reg Guides and standards, which we were okay with, and
21 we found that to be acceptable, and it's being tracked
22 as a confirmatory item.

23 You know, from that May 2010 meeting, we
24 came away with this one ACRS action item, which was
25 very specific to the application of Common Q platform

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 for the ELCS, and specifically I think there were two
2 items of interest at that time, is the independence
3 and determinism implementation of the Common Q
4 platform.

5 You know, the Applicant has submitted
6 that 7DS and we've looked at it. It consolidates the
7 information and you know, what we had presented back
8 then, I'm going to just go a little bit more, you
9 know, into the same information, and hopefully we can
10 address these two issues of independence and
11 determinism.

12 So speaking of the independence, what
13 there are in the Common Q system, there are -- it's a
14 communication independence is a key issue here, what
15 we felt, and that's really what I want to focus on, is
16 that there are three or four different ways that the
17 Common Q platform communicates.

18 One method for the inter-division
19 communication is done by a unidirectional point- to-
20 point fiber optic communication, okay. That is done,
21 you know, they went over that slide this morning,
22 which shows that a processor module has two sections.

23 It has a processing section, and then it has the
24 communications section. The communication processor
25 is a separate processor which validates the signal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 adequacy and it does all kinds of checks, right?

2 Then the dual-coded RAM that is used as a
3 buffer between the processing and the communication
4 processors is a means of providing independence
5 between the processing section and the communications
6 section, okay. Now on the upstream of that processing
7 module is the IO bus, okay. So all the IO data from
8 the field and going out of the component is
9 communicated on that bus.

10 That bus is totally independent of the
11 point-to-point communication that's occurring inter-
12 division, okay. So we have that communication. That
13 has no relationship with the inter-channel
14 communication, right.

15 Now each processor is limited to one
16 output, okay, and it only can receive two outputs. So
17 when I'm doing three out of four ruling, right, I have
18 multiple processors.

19 Now, you know, I thought about the
20 question that you brought up Charlie, about corrupt
21 data, and I really, I looked at the topical report
22 and, you know, I have taken the training, Common Q
23 training. So I have the training manual, and for the
24 last couple of weeks I've been really studying that.
25 How can a corrupt data come in and take all four

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 divisions out, right?

2 Data input comes into the communication
3 part of the processor, right, which does all the
4 checking, and after doing all the checking it places
5 the data in a specific location of that dual-coded
6 RAM.

7 The processor multiple is a cyclical
8 operation. It looks at the IO bus for the new
9 information; it looks at the dual-coded RAM, reads
10 that information and does the processing of that
11 information.

12 Now if that data, like explained this
13 morning, if that data is going to be corrupt, that
14 data is alarmed. Corruption is alarmed, and then it
15 works to a known fail safe value, which is used by the
16 processor at that time.

17 If it's a fail as is, then we are down to
18 doing a two out of three essential voting on that,
19 right. Now if a corrupt data did come in from a
20 Division 1, right, it's going to go to a multiple
21 different processors, okay. Plus it has to go through
22 the communication processor, and it has to do that.

23 Now for me to have failures in all of
24 them, all four of the communication processors have to
25 go screw up, okay. Now if a data formatting is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 restricted, if it is of a certain structure, you know,
2 I think I'm looking at multiple failures, not a single
3 failure then, you know, if that is to happen.

4 You see, each division has not only --
5 even for voting purposes, you know, it is going to be
6 more than one processor. Each processor is capable of
7 only taking one input, so you have to use multiple
8 processors.

9 So you know, for me to make that scenario
10 work, I cannot. I can sit down with you outside of
11 that; I can walk you through that, you know. I mean,
12 I've got notes and I've got red lines and white lines,
13 and I essentially could not get to that conclusion,
14 that there is a corrupt data that's going to lock up
15 all three processors.

16 MEMBER BROWN: Okay.

17 MR. TANEJA: All right. We can do that,
18 you know. I mean but that was my thinking that, you
19 know, I have these barriers, and you know, this is
20 what we've seen over ISG-4 also. This is an
21 acceptable means of providing, you know, independence
22 between two different communications, okay. So that
23 is on the inter-division communication part of it.

24 Then on the next slide, you know, we're
25 talking about the inter-division communication. Now

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that inter-division communication occurs on the admin
2 field bus, which is a different communication
3 controller that's plugged into the rack, the 19-inch
4 rack.

5 Now the inter-division was happening on
6 the processor controller itself, on the high speed
7 links. There are two ports of high speed links right
8 on the microprocessor bolt, you know, plugs in, right.

9 For the AF-100 bus, the admin field bus
10 100, whatever. It's a proprietary field bus. There
11 are two separate communication modules that got
12 plugged into that rack, okay, to come up with a
13 redundant communication network.

14 Now on that redundant communication
15 network is your nodes for the -- I believe there are
16 two nodes in the control room for each division, for
17 the human machine interface, the operator control
18 console. So each of them is on that same node.

19 Now each division is independent, right.
20 So we have -- each division has a separate, you know,
21 human interface on two separate controllers. Then
22 also on that controller resides the MTPs, the
23 maintenance test panel, okay. That's a separate node
24 that's not -- it doesn't have the same functionality
25 as the operator control console, okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So that bus really works very
2 independently of the inter-channel communications,
3 okay. It's totally independent. It works off of it,
4 and that communication I believe occurs, and I wasn't
5 able to clarify that information, but that
6 communication occurs from the back plane of those, you
7 know, of the rack.

8 You know, there is really -- that's the
9 only way it communicates with the processors through
10 the back plane in a global memory location, because
11 there is no wires that jump over from the controller,
12 right. So a means of independence is there for even
13 that bus from that bus. So I corrupt that bus or that
14 controller, my processor continues to function. It
15 doesn't have any --

16 MEMBER BROWN: I never disagreed with
17 that.

18 MR. TANEJA: Okay. So that part of it is
19 what I came up with, the conclusion. Now we have
20 another communication occurring, which is a
21 communication through text, okay. Now that happens
22 through the MTP. So MTP that the field bus has
23 actually a dedicated bandwidth for the data
24 communication, which is deterministic.

25 Then it has other communication feature

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that's happening on the field bus. That's one part of
2 it, and then there is a separate communication coming
3 out of the MTP through a fiber optic cable, one-way
4 isolated communication going out the back. That's
5 strictly one where there's nothing coming back.

6 Now that is a transmit-only function, so
7 it doesn't read anything back into that network. So
8 we felt that that was, you know, adequate for
9 maintaining, you know, independence for non-safety
10 systems.

11 MEMBER BROWN: I didn't have a real
12 problem with that part of it. My concern on the
13 safety to non-safety aspects are when it leaves the
14 PICS area, that function area and gets sent out like
15 the technical support center in the EOL, which then
16 has a set of what's called secure, I've forgotten the
17 full name, secure communication -- I don't know.

18 Secure something. I have to go back and
19 look at the figure and see what the word is. Secure
20 something box, and then there's some words in the FSAR
21 and the appendix, whichever one it was, that says "For
22 example, a firewall."

23 Well, I don't think I've ever seen a
24 firewall that couldn't get hacked, and that's what
25 takes it into the corporate network.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. TANEJA: Yes.

2 MEMBER BROWN: So they even started
3 talking about that. I think that's a cyber security
4 issue.

5 MR. TANEJA: Right, it is.

6 MEMBER BROWN: I don't know how we do
7 that, so I hadn't brought that up in the context of
8 this particular discussion, relative to the operation
9 of the retention system and the ELCS. I'm not looking
10 at it from a corruption of getting down into the
11 plant. It's only in terms of the communication
12 between, you know, the situation between the main
13 control room and the advice that may be gotten from
14 technical support center folks, and are they looking
15 at the same information.

16 In other words, if someone's able to done
17 so, be it hack in via the corporate bus, -- that data,
18 severed what this very sophisticated worm did and the
19 destruction-type thing, okay. And we've had that
20 discussion in another context. So I hadn't addressed
21 that issue. But within the plant, I don't have any
22 big particular problem with the -- unless John and
23 Dennis have found something. I didn't see --

24 MR. TANEJA: From the safety system
25 perspective, right, you know, we're looking at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 independence of safety system from non-safety.

2 MEMBER BROWN: Yes. I didn't --

3 (Simultaneous speaking.)

4 MR. TANEJA: That one, you know.

5 MEMBER BROWN: I saw that seemed to be
6 fairly healthy. I thought about it in terms of a 571.

7 I thought that was kind of a Level 4 type
8 differentiation. I didn't see where that was getting
9 communicated back in. Now it may be because I don't
10 understand all that much, and as I think about that
11 some more, but I just haven't got to that point yet.

12 MR. TANEJA: You know, so you know, that I
13 think is another area that probably, you know, the
14 cyber area. It's outside, but I think right now we
15 are trying to figure out what belongs within the
16 Chapter 7 purview, and what belongs in Chapter 13, you
17 know.

18 (Simultaneous speaking.)

19 MEMBER BROWN: I mean that's why --.

20 MR. TANEJA: So here, you know, my focus
21 was, you know, hey. Is there anything in non-safety
22 side that could propagate into safety and make it, you
23 know, do an adverse impact to it, and I didn't find
24 anything in their design, in that respect of it.

25 I am not a cyber expert. I wouldn't be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 able to answer that question right now. I mean I have
2 to become one, but not right now. I wouldn't be able
3 to.

4 You know, we do have, you know, that
5 document, 7DS, does a pretty decent job of mapping to
6 the ITAACs, you know, and the different features of
7 the, critical features of the design. But we do have
8 an ITAAC Item 3 in Table 2.75 that requires testing to
9 verify that only one-way data transfer occurs from
10 safety to non-safety related systems.

11 Then we have another ITAAC, you know, Item
12 5 in that same table, that requires testing to verify
13 that any loss of data or any bad thing happening in
14 one division doesn't result in a transient or an
15 erroneous signal, you know, going in and corrupting
16 the other things.

17 MEMBER BROWN: Well, that's always -- but
18 that depends on our data set. You can't test all
19 possible data sets.

20 MR. TANEJA: True.

21 MEMBER BROWN: So you'll test multiple
22 data sets within some, whatever you determine
23 reasonable.

24 MR. TANEJA: And you know, what we are
25 hoping is given that these data sets are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 prestructured data sets, you know, that it's not
2 unlimited, you know, we could do a pretty decent
3 amount of testing on that one. But that's up to, you
4 know, that ITAAC activity is really, you know,
5 something that they have show us, you know, how
6 they've done it and we have to buy into that.

7 Next slide, number nine. On the
8 deterministic performance, you know, one thing that we
9 saw in their design is that they don't have any
10 external interrupts coming into the processor, okay.
11 There is a number of allocation of these ECCS
12 functions occurring. I think there is within a
13 division, there may be an allocation of ECCS functions
14 between the low pressure and the high pressure. So
15 they're allocated to a different processor. They're
16 not running on the same processor, right.

17 Then within a processor, you know, the
18 task manager, which has the highest priority, and then
19 the control modules, which are running on that thing,
20 that design, which requires that priority functioning
21 to be allocated with the timing of the priority of
22 running those controls, with no external interrupts.

23 The only interrupt that I saw in their
24 design is the internal interrupt, which essentially
25 interrupts these overhead tasks to start the necessary

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tasks that need to be performed in a given cycle.

2 MEMBER BROWN: I've forgotten what the
3 time is, we had that discussion, I think Warren and I
4 did, when he explained the timing in another aspect.
5 But every two or five milliseconds, whatever it is,
6 that task is interrupted and it's going and stopping
7 whatever's going on and it's looking, do I need to do
8 something else, yes or no, it's a higher priority, and
9 then it restarts again, and you just keep on going.

10 MR. TANEJA: Right.

11 MEMBER BROWN: But there is an interrupt
12 every two to five milliseconds.

13 MR. TANEJA: There is. There is.

14 MEMBER BROWN: So that is an interrupt
15 that stops everything, and every time an interrupt
16 occurs, you have -- that's an opportunity to have
17 something not work right. You've got to go back,
18 you've got to return.

19 MR. TANEJA: Right, right.

20 MEMBER BROWN: That's one point, and he
21 went through the whole drill and that's why I -- my
22 focus on the other thing was when they find that's the
23 way it is.

24 MR. TANEJA: That is a design of this
25 processor, right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER BROWN: That's the way it is, and
2 the key feature there is to take the application
3 program, make sure you meet the metrics that are
4 called out, and that they test to meet and show that
5 they meet it with the 70 percent loading, in terms of
6 all the stuff, and he figured out some way to do that.

7 So I walk away happy; their specific thing stated to
8 resolve the issue and that was the discussion. So
9 that is -- do you want to amplify that?

10 MR. ODESS-GILLETT: Yes. This is Warren
11 Odess-Gillett. My name is being used here.

12 (Simultaneous speaking.)

13 MEMBER BROWN: And you weren't satisfied?

14 MR. ODESS-GILLETT: Well, no. It's just
15 that I just wanted to clarify in the other project
16 that we, to the best of our ability, let's say we're
17 moving unessential IO modules, that we'll try to
18 maximize the CP load to the best we can. But to get
19 to 70 percent, there's no guarantee we can get to 70
20 percent without actually manipulating validated
21 software.

22 MEMBER BROWN: I accepted your resolution
23 with some fuzzballs in there because you said there
24 might be another platform in some time, and you
25 couldn't define whether there would be a different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 number, and therefore you didn't want to use that
2 number.

3 So I walked away that you were going to do
4 it on this one to get to the 70 percent, even though I
5 understood the methodology. So maybe I should have
6 been more persistent.

7 MEMBER BLEY: I think you had the same
8 caveat the last time.

9 MEMBER BROWN: Yes. I don't remember
10 that. I told you I'm too old to remember that stuff,
11 whether it's a day or an hour away with something like
12 that. Thank you, Warren.

13 MS. BANERJEE: So we don't have an action
14 item?

15 MEMBER BROWN: Yes, you do.

16 MS. BANERJEE: Okay.

17 MEMBER BROWN: You've got the same thing.
18 They've got a whole set of different applications
19 over here than what you're going to be running in the
20 other --

21 CHAIRMAN ABDEL-KHALIK: Let's let the
22 staff continue, please.

23 MR. TANEJA: Right. You know, processor
24 loading is, you know, one of the functions of assuring
25 deterministic behavior. Now limiting the load to an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 acceptable limit, I mean that is, you know, that is a
2 given, okay, that we have to do that, and part of the
3 -- you know, part of the exercise here is that for
4 each of the applications, there is going to be an
5 application-specific timing analysis, you know.

6 That is it's a formal analysis, a
7 documented analysis, you know, and that analysis is
8 validated by a formal testing, okay, and that's a
9 given. Then you know, we do have ITAACs already in
10 place which requires the communication protocols to be
11 deterministic, okay, and this is -- in the certified
12 design already we have those ITAACs.

13 (Simultaneous speaking.)

14 MEMBER BROWN: -- getting up to the 70
15 percent as close as possible.

16 MR. TANEJA: Now you see, if they have --

17 MEMBER BROWN: I love the analysis, but
18 that's where the rubber hits the road.

19 MR. TANEJA: And I'm sure you've seen the
20 topical report on the Common Q that, you know, the NRC
21 staff has already looked at and approved, and there is
22 a specific discussion in there about the loading to 70
23 percent in that topical report as well. Let's see.

24 So you know, we felt that we already had
25 what we needed, you know, as far as the acceptance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 criteria, to assure deterministic performance of its
2 controller.

3 MEMBER BROWN: If all you need is 22
4 percent and you need it, then that's what you -- you'd
5 meet the performance and that's not good enough if
6 you're at 50 percent or 60.

7 MR. TANEJA: Right.

8 MEMBER BROWN: So you don't know if future
9 changes will run it up, what that will be --

10 (Simultaneous speaking.)

11 MR. TANEJA: Well, you know, there is a
12 process in place for future changes, okay. The future
13 changes have to be done formally. They cannot just be
14 done ad hoc. There's a 5059 process that requires a
15 thorough analysis of all these impacts, and then there
16 is anything that is software, we have a software in a
17 management plan, which has a formal, you know,
18 modification to the software as a formal
19 reverification process that has to be gone through,
20 you know.

21 So it's not like an ad hoc that somebody's
22 going to go and make a change. I mean we have a
23 program that is already developed, verified, tested
24 and locked in. Now you have that, you're running the
25 plant. The change that you're going to make, whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you bring in new inputs or whether you put in new
2 functionality, is going to require a formal change
3 process.

4 So it's not something that is just done,
5 you know, by an operator or a technician out in the
6 field or anything like that, you know.

7 So you know, so we had looked at this
8 topical, and here I went through all of the discussion
9 on the deterministic performance, and looked at how
10 the tasks are handled and how they are located, and
11 this is part of the inspection that we'll do, you
12 know, as part of the ITAAC inspection and DAC
13 inspection, when they are actually developing and
14 building these systems for STP-3 and 4.

15 MEMBER BLEY: Charlie's point there is
16 that, and I'm going to rephrase it a little
17 differently.

18 MR. TANEJA: Okay.

19 MEMBER BLEY: Even if you have a formal
20 analysis process, if the requirement in the regulation
21 and this will be essentially a regulation, is 70
22 percent loading, then when you do your calculations
23 and they do their calculations, as long as they aren't
24 approaching that 70 percent, they're meeting all the
25 requirements.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The point that was raised if you've never
2 tested the device up to that point, you don't know for
3 sure if it's going to happen when you get there. So I
4 think all of the safeguards aren't safeguarding
5 against the point Charlie raised in the beginning.

6 MR. TANEJA: So what, I mean you know, I
7 guess the worst case loading, you know, we could not
8 figure that out, I mean what the worst case loading
9 would be on the processor. There's a maximum/minimum
10 times that we know that would be needed to complete
11 that cyclical function that it needs to perform,
12 right.

13 So we are setting up a cycle time for each
14 of the applications that needs to run on a given
15 processor, right. We have this logic diagram, okay.
16 Typically, you know, if I look at a lot of logic, you
17 know, the way it reads, it goes from left to right,
18 you know. It will start here and I'll start looking
19 at this input, this input, this input and on this
20 function block, then it runs this function block, this
21 function block.

22 From start to finish, from grabbing the
23 input to generating an output, you know, it's going to
24 take a certain time, right. So that timing, okay, I
25 can test that timing. When I design it, I can run

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that on a simulation and I can look at that timing,
2 right.

3 MEMBER BLEY: Yes.

4 MR. TANEJA: So I can look at that time
5 and make multiple runs and say, you know, I can come
6 up with a minimum/max under various conditions. So
7 you know, the 70 percent, there was a white paper that
8 I read. This task allocation, it said, you know, if
9 we keep it below 70 percent, it will show the
10 deterministic performance of a given processor.

11 It's just, you know, that margin is not
12 really the margin for future changes, I don't think.
13 That margin is just to assure that I can get a
14 deterministic performance. Now if I want to build in

15 --

16 MEMBER BLEY: And what Charlie has said is

17 --

18 MR. TANEJA: If I build in capacity --

19 (Simultaneous speaking.)

20 MEMBER BLEY: --for that point, all you
21 have is an analysis. You don't know for sure.

22 MR. TANEJA: No, no, no, no. The testing
23 is part of the ITAAC that we have. It requires, ITAAC
24 requires a test. It's not only an analysis. So there
25 is a formal analysis, and that analysis is validated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 by a test.

2 MEMBER BLEY: Let me try something with
3 what might sound like a stupid analogy, but it's the
4 only way I can do this. We traditionally, in the old
5 days, required strict time testing for motor operated
6 injection valves. People did that under zero EP
7 conditions. They met all of the things and the motors
8 didn't over-torque.

9 Yet we had events when the valve had to
10 stroke with actual real world EPs, and the valves
11 didn't work, because we'd never designed the test to
12 verify that indeed the equipment would perform its
13 designed function under its design basis conditions.
14 We just didn't do that.

15 This to me sounds like an analogous
16 situation. We're not testing the system under its
17 design basis conditions as specified in the regulation
18 or the rule. So we don't know how it's going to work,
19 the same way that we didn't really know, we convinced
20 ourselves we know how those valves were going to work,
21 but we were wrong.

22 MR. TANEJA: Well, I guess that's where
23 some of the operating experience comes in. I would
24 probably ask Westinghouse what's their experience has
25 been with these type of issues, you know, because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 they've had application in Korea of the Common Q
2 platform.

3 MEMBER BLEY: And I think, from what we've
4 heard, they've never loaded them anywhere above 25-30
5 percent.

6 MR. TANEJA: That's fine then, right.

7 MEMBER BLEY: No.

8 MR. TANEJA: I mean, I'm just saying --

9 MEMBER BLEY: I don't think we're
10 communicating.

11 (Simultaneous speaking.)

12 MEMBER BLEY: It's right now. It's fine
13 right now, but when --

14 MR. TANEJA: So what you're saying is, you
15 know, we don't know what the maximum load it can take
16 and still perform, right?

17 MEMBER BLEY: That's what we're saying.
18 If you test it at 70 percent load, then you'll know
19 that, and if later people loaded up to 50 percent, you
20 won't have any qualms.

21 MR. TANEJA: Yes. That's a very valid
22 point, you know. I mean I guess --

23 MEMBER BLEY: And what will all those
24 analyses --

25 (Simultaneous speaking.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: --loaded over 70 percent.
2 That's all.

3 MR. ED BROWN: This is Ed Brown from
4 Westinghouse.

5 MEMBER BLEY: Yes.

6 MR. ED BROWN: We have run tests at loads
7 of 70 percent during the original qualification of the
8 platform, and the equipment worked satisfactorily at
9 70 percent. We do have some applications that run 65
10 percent, the time. The more correct analogy is like a
11 setpoint versus the safety analysis limit.

12 Seventy percent is a maximum, and anything
13 you run below 70 percent is margin. So typically you
14 don't test your system by eating into your margin.
15 The system will run satisfactorily at 70 percent load.
16 That's been demonstrated through the original
17 qualification testing.

18 MEMBER BLEY: Well, see now I don't recall
19 ever hearing --

20 (Simultaneous speaking.)

21 MEMBER BROWN: There's no report of any of
22 that testing --

23 MEMBER BLEY: Well, at least that's come
24 through, through anything we've seen.

25 MEMBER BROWN: That's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: This is the first time we've
2 heard that --

3 (Simultaneous speaking.)

4 MEMBER BROWN: You know, we've only seen
5 the topical report.

6 MEMBER BLEY: Or that you've got some
7 running somewhere at 65 percent. Never heard that
8 before. That's brand new information.

9 MEMBER BROWN: We haven't seen the actual
10 test results.

11 MEMBER BLEY: It would be nice to see the
12 test results. That would probably go a long way.

13 MEMBER BROWN: If the platform and its
14 configuration have been tested at 70 percent, and the
15 data is available to demonstrate, then I wouldn't have
16 asked the question. But it's not there, or hasn't
17 been presented to us.

18 MR. ED BROWN: Well, the data was
19 presented during the original review in the 2002 time
20 frame. I'm sure we can resurrect the data, and
21 resurrect --

22 MEMBER BROWN: I'm open to any technical
23 presentation that demonstrates that the thing
24 performs.

25 MR. TANEJA: Now you know, to go back to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 your --

2 MEMBER BROWN: Let me make one point,
3 in that that was in the configuration of the
4 specific controllers that were being used, the AC-
5 160s, etcetera, etcetera, with whatever
6 configuration, those components or those assemblies
7 had at that time.

8 MR. ED BROWN: That's correct.

9 MEMBER BROWN: If in the ensuing eight
10 year, nine year period, the constituency of those
11 assemblies has changed somewhat, based on
12 components that are either available or not
13 available, even though the module and assembly
14 stays the same, have each of those substitutions
15 been tested to ensure that you still maintain the
16 same performance?

17 That's another open question that
18 comes along. But the concept of how the controller
19 works is kind of universal, but is also somewhat
20 dependent on the constituency and the types of
21 devices, whether it's the memory devices or the
22 processors or the blah blah blah. So you can get
23 changes, just due to the nuances within the
24 processors themselves.

25 MR. ED BROWN: Well, you have to test

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the larger configuration with more applications to
2 get to the 70 percent load. I guess that's the
3 quandary. For the validated and verified software,
4 unless it's changed, you can't change it above what
5 its loading is at that time.

6 However, you can take a test
7 configuration that's larger, has more software in
8 it, and make it 70 percent and verify that it
9 operates at 70 percent.

10 MEMBER BROWN: That's what we've asked
11 for.

12 MR. TANEJA: See, the position would
13 be -- Charlie, for the way the DCD right now is
14 written, okay, the configuration for the safety
15 system as it's configured is required to be tested,
16 okay. It's required to be tested and verified to
17 be deterministic. Now the question is if they do
18 make a change and increase the loading on that, it
19 has to go through the same validation and
20 verification process just like the original design.

21 You're not just going to arbitrarily
22 add load to it. It's going to have to go through
23 the same testing process all over again if you were
24 to change that loading. That's the way I
25 understand the software program manual to be, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 know.

2 CHAIRMAN ABDEL-KHALIK: I think
3 several points have been made. Let's continue.
4 This is an open issue that will be revisited. It's
5 one of the four or five open items that we have.

6 MR. JUNG: Mr. Chairman, just to add,
7 to wrap up, it's not clear and the staff's not
8 against adding 70 percent capacity to that. I
9 think it's, the burden should be on the South
10 Texas.

11 I wonder if South Texas is willing to
12 modify 7DS to include more specifics on 70 percent
13 loading, to verify that either the loading is below
14 70 percent or, when it's in 70 percent or above,
15 demonstrate through the testing there's a report
16 that exists that demonstrates these functions.

17 It should be on South Texas to propose
18 a solution for this.

19 CHAIRMAN ABDEL-KHALIK: It may be that
20 the old data, the old tests that were run at 70
21 percent may satisfy the issue here. But we need to
22 look at it. I'm sorry.

23 (Simultaneous speaking.)

24 CHAIRMAN ABDEL-KHALIK: If you were to
25 resurrect that data and present it, that may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 satisfy that, I'm sure. But for the time being,
2 this remains open. We're not going to resolve it
3 here and now. Please continue.

4 MR. TANEJA: You know, the specific
5 ITAAC that I was talking about is the Table 2.75,
6 Item 3, which requires the testing of all the
7 communication functions for deterministic
8 performance, you know. There is a, it's a broad
9 ITAAC, but all these specifics fall within that
10 category.

11 You know, the point that I think is a
12 slight dilemma, you know, this is really going back
13 to the Common Q topical report, that we have a
14 proprietary copy of that we had reviewed and
15 approved as part of the overall Common Q
16 qualification.

17 And you know, in that SER that we had
18 also concluded in that SER that the operation of
19 the AC-160 was determined to be a deterministic
20 operation, and it met the guidance of BTP 7-21.
21 In that SER, we have a plant-specific action item,
22 6.6, which also requires the licensee to review the
23 timing analysis and validation tests, in order to
24 verify that it specifies the plant-specific
25 requirements for a system response and display

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 response time presented in Chapter 13 action
2 analysis.

3 So we have these specific requirements
4 even in the SER for a very specific test that needs
5 to be performed. I just wanted to, you know.

6 Slide 12. We had the opportunity to
7 go through the Appendix 7DS, and you know, what we
8 found in that is that it took and it consolidated
9 the information that's already there in various
10 different sections of the application. You know,
11 it's a good, you know, piece of document. It's
12 very helpful, you know. It actually helped me and
13 you know, to --

14 But you know, we didn't find anything
15 that would change our SER, you know. So it's a
16 good addition to the COLA, with no impact to the
17 SER.

18 Now if you guys would like, you know,
19 the backup slides I have, our discussions from the
20 May 2010 meeting, and at that time we talked about
21 that the worse backup design that is part of the
22 original certified design. I know, John, you had
23 some questions about the hard-wired controls, and I
24 can shed some light on that from my perspective,
25 you know, what I know about that design. If you'd

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 like.

2 MEMBER STETKAR: That's up to you and
3 the rest of the Subcommittee.

4 MR. TANEJA: I'm just offering that
5 information.

6 MEMBER STETKAR: Waste time to --

7 CHAIRMAN ABDEL-KHALIK: I think at
8 this time, I'd like to move to next item on the
9 agenda, which is a discussion of ACRS action items,
10 unless there are some questions from the
11 Subcommittee to the staff on the Chapter 7 material
12 that has been presented. Any questions to the
13 staff on Chapter 7 material that has been
14 presented?

15 (No response.)

16 CHAIRMAN ABDEL-KHALIK: Okay, thank
17 you. We'll move on to the next item on the agenda,
18 which is discussion of ACRS action items.

19 MEMBER BROWN: While they're setting up,
20 could I ask one question? This is for Ed or
21 Warren.

22 MR. ED BROWN: Yes.

23 MEMBER BROWN: This is about the
24 Common Q platform. Do you expect it from a -- the
25 advertising is that the 70 percent allowed you to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 meet the deterministic behavior, okay, and was
2 predictable in the field. As the bus loading --
3 this is an information question. As the bus
4 loading increases, does the response time of the
5 platform increase?

6 MR. ED BROWN: No, it does not.

7 MEMBER BROWN: It stays the same. So
8 when you say it maintains its original performance
9 characteristic over that 70 percent range, based on
10 your own testing. So if the response time for that
11 platform is advertised at 250 milliseconds, just to
12 pick a number, that you can load it to at least 70
13 percent, and it will demonstrate that response each
14 time, or within that range?

15 MR. ED BROWN: Yes, sir.

16 MEMBER BROWN: It may move around a
17 little bit, which it most certainly will, because
18 of the interrupt-driven nature of the processors,
19 but it will still --

20 MR. ED BROWN: No. Actually, it will
21 stay the same. The only reason that the response
22 time would change is if the timing of the event
23 relative to the cyclic nature. In other words, if
24 an event occurs and the system has just read the
25 process data before the event, it will have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 longer response.

2 MEMBER BROWN: Right. I got that, and
3 that's sometimes hard to achieve when you're
4 inputting data. You've got to run a series of
5 tests. I don't know. That's what I used to have
6 to do. I used to go on multiple tests, because I
7 knew I wasn't sure where the timing cycle I was
8 getting.

9 MR. ED BROWN: That's how we get the
10 maximum --

11 MEMBER BROWN: Yes.

12 MR. ED BROWN: It occurs just before or
13 just after.

14 MEMBER BROWN: Okay, thank you.

15 CHAIRMAN ABDEL-KHALIK: Okay.

16 MR. HEAD: Before we went into the
17 action items, we were going to address some of the
18 issues or action items from the previous
19 discussion.

20 CHAIRMAN ABDEL-KHALIK: Yes, sir.

21 MR. HEAD: Mike, did you want to say
22 anything about the 70 percent discussion?

23 MR. MURRAY: Yes, I do. I want to
24 present our position on the 70 percent discussion,
25 but understanding that the qualification of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 platform was qualified at 70 percent, and in
2 expected configurations of the platform.

3 We'll design it to be less than 70
4 percent. We'll test and verify that we are less
5 than 70 percent. We'll test, and those are normal
6 configurations expected of the platform, and as we
7 go through our development processes, we
8 continually test for that loading.

9 If we were to do a test to 70 percent
10 for our design, we would not test our design, is
11 the point to be made, okay. We would have to
12 configure a design that is not our design, that is
13 not expected performance of our system, in order to
14 make a test like that.

15 So on our position, we feel that
16 understanding the continuously monitored 70 percent
17 diagnostics, along with the design of the system to
18 maintain less than 70 percent than is normally
19 expected configurations, we feel is adequate for
20 that particular --

21 CHAIRMAN ABDEL-KHALIK: What is
22 missing in this argument is the first point you
23 made, which is --

24 MR. MURRAY: The qualification.

25 CHAIRMAN ABDEL-KHALIK: That the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 platform was qualified at 70 percent. We haven't
2 seen that data.

3 MR. MURRAY: You haven't seen that
4 then. Okay.

5 MR. ED BROWN: The committee might
6 have seen that ten years ago, but this committee --

7 CHAIRMAN ABDEL-KHALIK: Has not.

8 MR. ED BROWN: Hasn't seen it, hasn't
9 been able to resurrect it.

10 MR. HEAD: Okay. So that now, I would
11 say, is a discrete action item that we have, to
12 present that in a future discussion.

13 CHAIRMAN ABDEL-KHALIK: To show that
14 the platform was qualified at 70 percent.

15 MR. HEAD: At 70 percent. That's what
16 we're going to do.

17 CHAIRMAN ABDEL-KHALIK: Okay.

18 MR. HEAD: Is that all right?

19 MEMBER BROWN: Yes. The 70 percent.
20 Yes. I thought I'd brought the SER with me for the
21 Common Q platform, a copy of it, which had a very
22 explicit statement at the end that said if anything
23 changes, the NRC has the right to revoke.

24 CHAIRMAN ABDEL-KHALIK: Yes, but I
25 understand the logic of your argument.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Simultaneous speaking.)

2 CHAIRMAN ABDEL-KHALIK: We're just
3 trying to make sure that all the pieces are there.

4 MR. HEAD: We understand, okay. Thank
5 you. So the first one I propose is to go back to
6 Figure 7C-1, which we have on the board, excuse me,
7 on the board, sorry.

8 MR. SWANNER: On the large screen TV
9 everywhere. Okay, and I think I could repeat Member
10 Stetkar's question, which was how does the diverse
11 actuation equipment work with, and what are the
12 requirements of it? Basically, one of -- there are
13 several diverse components that are in place in the
14 design, in the original certified design, to
15 mitigate common cause failure.

16 One of those is HP Charlie, or excuse
17 me, HPCF Charlie. There's a manual start. That
18 push button is in the control room, and it can
19 start hard-wired, as shown here, the HPCF. It can
20 start the pump, open the injection valve, close the
21 test return valve, close the test bypass valve and
22 it can auto start.

23 MEMBER STETKAR: And that's in your
24 jargon a system level manual action?

25 MR. SWANNER: That's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER STETKAR: One button, all of
2 those things happen, the switch --

3 MR. SWANNER: That's correct. The
4 same thing we were asked about where do the manual
5 controls from the control room come into it. If
6 there were a system level actuation, it would come
7 into the SLF right here as shown. On a component
8 level, if they just wanted to actuate a valve or a
9 pump, it would actually come into the RDLC.

10 So that's where -- that was the
11 confusion in the response. So and the other manual
12 controls, as shown here, are similar. There's a,
13 you know, RCIC steam supply inward isolation valve.

14 You can control that manually, hard-wire directly
15 from the control room to the component, as well as
16 the cleanup system, inboard containment isolation
17 valve as well.

18 And the components needed to safely
19 shut the reactor down in the event of a common
20 cause failure, all of that equipment and the
21 diversity is listed in two places in the
22 application. One is in Tier 1, 3.4 Charlie, and
23 the other is in Tier 2, Appendix 7 Charlie.

24 One thing to point out is essentially
25 these were incorporated by reference from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 original ABWR DCD design. So if you just look at
2 the COLA application, which only has the change
3 paragraphs, you won't get much of the text there.
4 So the actual requirements for the diversity are
5 listed, you know, if you combine the documents.

6 MEMBER STETKAR: The question I had
7 today didn't relate to the diverse equipment.

8 MR. SWANNER: Sure.

9 MEMBER STETKAR: It was making sure
10 that the normal equipment could indeed be operated,
11 albeit individually, perhaps starting several pumps
12 and opening several valves individually. But still
13 the operators had that capability to do that from
14 the main control panel somehow, under a condition
15 where ESLF itself, where you didn't have the system
16 level --

17 MR. SWANNER: I understand.

18 MEMBER STETKAR: And, thanks. That
19 helped.

20 MR. SWANNER: No problem.

21 MR. HEAD: Okay. The next one I think
22 we'd like to discuss is the DIVOM question.

23 CHAIRMAN ABDEL-KHALIK: DIVOM.

24 MR. HEAD: Excuse me. That's what I
25 wrote down, sorry. And I sense from the discussion

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that it's, at least initially, the GE7 aspect of
2 it.

3 CHAIRMAN ABDEL-KHALIK: Well, there's
4 a GE method.

5 MR. HEAD: Yes.

6 CHAIRMAN ABDEL-KHALIK: A GE set of
7 codes that have been approved by the staff to do
8 this, and the question is do you have access to
9 those codes.

10 MR. HEAD: Well, we're a member of the
11 owners group, and those, the analysis that's done
12 is, you know, core-specific, and that's something
13 that we would be expecting to do post-COL. If we
14 decided to stay with the GE7 fuel, then that's what
15 we would have to go do, and we would expect GE to
16 have fixed their Part 21 issues.

17 Sorry. I was headed to where I think
18 you were going, that they would have addressed
19 their Part 21 issues. Now for what -- we obviously
20 plan to make that irrelevant by what our plans with
21 respect to Optima-2, and that we expect to being
22 calculated with POLCA-T, and that's one of the
23 codes that we presented to you back in October as
24 part of the fuel --

25 CHAIRMAN ABDEL-KHALIK: The fuel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 amendment aside, let's just look at your
2 application right now, with GE7 fuel, what you're
3 telling me that if you need to contract with GE to
4 generate the DIVOM correlation, if that's what is
5 needed, that's what you'll do.

6 MR. HEAD: Yes, sir.

7 CHAIRMAN ABDEL-KHALIK: Is that the --

8 MR. HEAD: Yes, sir.

9 CHAIRMAN ABDEL-KHALIK: Okay, I accept
10 that.

11 MR. HEAD: Okay. Then I believe, as a
12 result of the Chapter 7 discussions, I now have
13 five action items. Oh, excuse me, there were five.

14 One is the watchdog, which is -- we've agreed to
15 correct. One is the tech spec discussion that
16 we'll have on Chapter 16. The DIVOM I believe
17 we've just answered.

18 The seven, Figure 7C-1, I believe
19 we've just answered, and the 70 percent loading is
20 a new one that we will carry and address in a
21 future discussion. Okay. Maitri, is that --

22 MS. BANERJEE: So we have three?

23 MR. MURRAY: Correct.

24 MR. HEAD: Yes. Okay, so with that, I
25 will turn it over to Coley to go through the two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that we would like to talk about today.

2 CHAIRMAN ABDEL-KHALIK: All right,
3 thank you. Thank you very much.

4 MR. COLEY: So this is our
5 presentation that covers a couple of action items,
6 basically a recap of an action item, and also a
7 look ahead as to how we might address a future
8 action item that is related to some of the
9 discussions that this group has been involved in.

10 We have our same personnel up here,
11 and we'll cover these two action items. Next slide
12 please. So this is a recap of the inter-channel
13 communication and determinacy for the FPGA and
14 Common Q platform. This was Action Item 7 that was
15 on the list, that we covered and summarized in the
16 Chapter 7 presentation.

17 I know we have some additional action
18 items that came out of the overall discussion, but
19 this is intended to see if we've covered all the
20 pieces, and then also the redundancy and diversity
21 of the overspeed on the turbine generator.

22 So we had a, I'll give a brief
23 discussion on that as well. So slide, please. All
24 right. So this is the question that we were
25 carrying forward as an action item, dealing with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 independence and determinacy, specifically for
2 Common Q. I know we got into some pieces. So we
3 captured all of the follow-on discussion from this,
4 and can we consider this particular item close to
5 those follow-on action items at this point.

6 CHAIRMAN ABDEL-KHALIK: From my
7 perspective they have, but other Committee members
8 may feel differently. The question has been posed.

9 MEMBER BROWN: Yes. The only items
10 are confirming the 70 percent issue and the FPGA
11 watchdog timer implementation, and other than --

12 MEMBER STETKAR: There's essentially
13 no more information that they can -- we understand
14 how that works.

15 MEMBER BROWN: Yes.

16 MR. HEAD: So our proposal would be
17 since we have the two new ones, can we say that
18 we've addressed this one?

19 MEMBER BROWN: I don't care how we do
20 it administratively.

21 (Simultaneous speaking.)

22 MR. HEAD: Okay. I mean we'll just
23 open two new ones, you know. We'll trade you two
24 for three.

25 (Simultaneous speaking.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HEAD: Well, this was a big one.
2 We had two very -- okay, all right. Now I feel
3 better. All right.

4 MR. COLEY: The next one, quite the
5 opposite. We're not attempting to close this one
6 at all, but we want to give an update. Based on
7 the meeting that we had with the staff last
8 Wednesday to discuss some turbine overspeed RAIs,
9 we discussed the acceptance criteria at this
10 meeting for the SRP. We also discussed ITAAC and
11 we've come out of that meeting with more
12 understanding about how we're going to revise those
13 RAIs.

14 So we'll put additional information in
15 the FSAR, additional information that will explain
16 how the SRP acceptance criteria is met, and provide
17 more detail that supports the ITAAC. We expect
18 those RAIs, we said in that meeting that we have
19 RAIs to the staff for them to look at by next
20 Wednesday.

21 So that's the time frame associated
22 with that. I understand Chapter 10's coming up, so
23 we wanted to give you an update as to this
24 information. It will be available soon.

25 CHAIRMAN ABDEL-KHALIK: Chapter 10

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will be discussed on April 6th. So that should be
2 plenty of time for you to provide that information.

3 MR. COLEY: I believe that's the
4 current schedule, yes, sir.

5 MR. HEAD: Did you summarize the
6 middle -- do you want to summarize the middle
7 paragraph?

8 MR. COLEY: I just -- yes, I didn't
9 read. I mean we have, this is all stemming from a
10 departure, in which we replaced the primary
11 overspeed mechanically with the second electrical
12 overspeed.

13 CHAIRMAN ABDEL-KHALIK: You sort of
14 had some hesitation about the April 6th date.

15 MR. COLEY: I have heard that it may
16 not be certain, but that's all I know.

17 MEMBER BROWN: It may not be what?

18 MR. COLEY: Certain.

19 MR. HEAD: We're striving to make it
20 certain.

21 MR. COLEY: Okay.

22 (Laughter.)

23 MR. HEAD: If you get your stuff to
24 us, it will be certain.

25 MR. COLEY: Exactly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Simultaneous speaking.)

2 MEMBER BROWN: I'm presuming, I mean
3 I'm looking at our action item list, and there was
4 -- I mean I had the question, and I think John also
5 asked the question at the time. I'm frankly
6 working the details --

7 (Simultaneous speaking.)

8 MEMBER BROWN: And we were kind of
9 said hey look. In September, we were told this
10 would be resolved later, and so we said okay, we'll
11 wait. I presume we'll get this information prior
12 to the meeting.

13 MR. HEAD: Yes.

14 MEMBER BROWN: Okay, all right.

15 MR. HEAD: Well, I mean --

16 MEMBER BROWN: That's not your action.
17 That's their action.

18 MR. HEAD: Yes, part of the chapter.
19 But when the RAI response comes in, that will be
20 the detail of our position. So --

21 MR. COLEY: So I'm feeling very
22 confident about April 6th.

23 CHAIRMAN ABDEL-KHALIK: That's really
24 great to hear.

25 MR. COLEY: Okay. I think that's it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Are there any additional questions? That's just
2 an update on action items.

3 CHAIRMAN ABDEL-KHALIK: Are there any
4 question to the Applicant regarding these two
5 items? Charlie.

6 MEMBER BROWN: Not to the Applicant.
7 Just a comment to the staff on one of them.

8 MR. TONACCI: Go ahead.

9 MEMBER BROWN: And that just you all
10 commented that -- the comment was that we would see
11 it with the final SEI with no open items. That was
12 45, the turbine overspeed trip, and all I would
13 like to see is to make sure that we just don't see
14 the safety evaluation that says we accepted the
15 RAI and we agree with its conclusions.

16 I'd like to actually see the RAI
17 performance. That's all. That was just an
18 execution item, but that's all.

19 MR. TONACCI: Maitri, if we can amend
20 that, so that we won't forget to see the RAI.

21 CHAIRMAN ABDEL-KHALIK: Anything else
22 regarding these two items? Okay, so thank you very
23 much. Is the staff prepared to present any
24 discussion of any ACRS action items? No. Thank
25 you. Okay. At this time, I would like to open the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 phone bridge line, in case there are any members of
2 the public.

3 MS. BANERJEE: Yes. I was told last
4 time that we have six people attending through the
5 bridge line.

6 CHAIRMAN ABDEL-KHALIK: Well, let's
7 open the bridge line and see if any members of the
8 public would like to make a statement.

9 MEMBER STETKAR: This is always an
10 uncertain process.

11 CHAIRMAN ABDEL-KHALIK: What was that?

12 MEMBER STETKAR: This is always an
13 uncertain process. You typically have to ask
14 somebody to make some sound.

15 CHAIRMAN ABDEL-KHALIK: Is the line
16 open? Okay. Are there any members of the public
17 on the phone line?

18 (No response.)

19 CHAIRMAN ABDEL-KHALIK: Okay, let me
20 ask it again. Do we have anyone on the phone line?

21 MR. PINTO: Yes, you do.

22 CHAIRMAN ABDEL-KHALIK: Yes, sir.
23 Could you please identify yourself?

24 MR. PINTO: Yes. This is Johnny
25 Pinto, Sarasota, Florida.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ABDEL-KHALIK: Okay. Let me
2 ask the question in a little more specific way.
3 Are there any members of the public who wish to
4 make a comment or a statement?

5 (No response.)

6 CHAIRMAN ABDEL-KHALIK: Okay. Hearing
7 none, then I guess that item is closed. So we will
8 close the phone line again, please. Before we
9 conclude the meeting, are there any additional
10 comments or questions that members of the
11 Subcommittee would like to make?

12 MEMBER SIEBER: Nothing from me.

13 CHAIRMAN ABDEL-KHALIK: John?

14 MEMBER STETKAR: No. I think I'd like
15 to congratulate STP. Good presentations.

16 CHAIRMAN ABDEL-KHALIK: Charlie?

17 MEMBER STETKAR: Oh NINA, I'm sorry.

18 (Simultaneous speaking.)

19 MEMBER BROWN: Yes. I'd just like to
20 amplify that, that the Appendix 7DS I thought was
21 extremely valuable, in terms of providing a raft of
22 clarifications that weren't available in any other
23 piece of paper or documents that you have, and
24 they're pretty well presented. So I wanted to
25 congratulate you. I thought that was a good job

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and I appreciate the effort that went into that.

2 MR. HEAD: Thank you.

3 CHAIRMAN ABDEL-KHALIK: Well, thank
4 you very much. The meeting's adjourned.

5 (Whereupon, at 4:20 p.m., the meeting
6 was adjourned.)

7

8

9

10

11

12

13

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.


WASHINGTON, D.C. 20005-3701

South Texas Project Units 3 & 4

Presentation to ACRS Subcommittee

Chapter 7

Instrumentation and Control Systems



Agenda

Chapter 7 was discussed at ACRS ABWR Subcommittee on May 20, 2010.

Discussion points for status update since last meeting:

- Setpoint Methodology
- Current RGs and Codes and Standards applied to ELCS (Common Q)
- FSAR Tier 2 Appendix 7DS
 - Four Design Principles
 - Simplicity

Attendees

Mike Murray (NINA)

Scott Head (NINA)

Coley Chappell (NINA)

Kyle Dittman (NINA)

James Cook (NINA)

Akira Fukumoto (Toshiba)

Hiroshi Sakamoto (Toshiba)

Kiyotaka Wakita (Toshiba)

Jun Ikeda (TANE)

Ed Brown (WEC)

Warren Odess-Gillett (WEC)

Bob Quinn (WEC)

David Herrell (TANE)

Craig Swanner (TANE)

Instrument Setpoint Methodology

- Response to RAI 07.01-16
- WCAP-17119-P Revision 2, “Methodology for South Texas Project Units 3 & 4 ABWR Technical Specification Setpoints” submitted on July 29, 2010
- Included a summary of methodology application and typical setpoints for the OPRM trip function

Current RGs and Codes and Standards applied to Common Q Platform

- Revision 2 to Response to RAI 07.01-14
- Westinghouse Common Q Platform (WCAP-16097) approved applying RGs and industry codes and standards in effect at the time
- NINA has committed to apply the RGs and codes and standards in effect 6 months prior to submittal of the COLA for all safety related DI&C platforms including ELCS (Common Q)

FSAR Appendix 7DS

- Consolidates information from various parts of COLA and applicable technical or topical reports regarding
 - Four Design Principles (redundancy, independence, determinism & diversity)
 - Simplicity
- Includes or describes no new design changes or departures
- Scope includes safety-related DI&C
 - Reactor Trip and Isolation System (RTIS) & safety-related Neutron Monitoring System (NMS) using Field Programmable Gate Array (FPGA) based platform
 - Engineered Safety Features Logic & Control System (ELCS) using Common Q based platform
- Maps Design Principles to applicable ITAAC and DAC

RTIS/Safety Related NMS


- Overview
- Redundancy
- Independence
- Determinism
- Diversity
- Simplicity

RTIS/NMS Platform Overview

- Digital Trip Function (DTF)
 - Analog to digital conversion of hardwired sensor input
 - Compares signal values to setpoints to determine sensor division trip and status
- Trip Logic Function (TLF)
 - Receives sensor division trip and status information from four redundant DTFs
 - Performs 2-out-of-4 voting to determine automatic divisional trip
 - Sends divisional trip to Output Logic Unit
- Output Logic Unit (OLU)
 - Receives automatic divisional trip from its divisional TLF
 - OLU distributes trip outputs to Load Drivers (LDs) for reactor trip and Main Steam Isolation Valve (MSIV) closure

RTIS/NMS Platform Overview

(Figure 7DS-1)



Notes:

- 1) RTIS-RPS Division I shown; other divisions typical. RTIS-MSIV equipment similar.
- 2) Not all communication links shown.
- 3) Figure 7DS-1 derived from Tier 1 Figures 2.2.7b and 3.4b and Tier 2 Figures 7.2-8 through 10.
- 4) Fiber Optic communication is denoted by dotted lines and hardwired communication is denoted by solid lines.

RTIS/NMS Platform Redundancy

- NMS has four independent & redundant divisions that provide trip and status to each division of RTIS
- RTIS has four independent & redundant divisions
 - Each division includes a DTF, a TLF, and an OLU
 - Division-of-Sensors bypass
 - Trip-Logic-Output bypass
- Each division has independent & redundant power sources

RTIS/NMS Platform Independence

- Four independent, divisional power sources
- Independence from non-safety systems
 - Communications isolation and independence
 - Electrical isolation and physical separation
- Four independent RTIS/NMS sensor divisions to determine divisional sensor trips
 - No communication between sensor divisions
 - Only trip and status information is communicated across division boundary to support 2-out-of-4 voting function
- Four independent RTIS TLF and OLU divisions
 - Communication isolation and independence
 - Electrical isolation and physical separation

RTIS/NMS Platform Independence – Communication

- RTIS Communication Across Divisions
 - Communicates trip and status information of fixed length, fixed content, and predefined format
 - Qualified, isolated, point-to-point, unidirectional fiber optic communication links
 - Each communication link has its own independent buffer
- Communication to Other Systems
 - Qualified, isolated, point-to-point, unidirectional fiber optic communication links
 - Each communication link has its own independent buffer
- All communications include Self-Diagnostics functions
 - Continuously monitor proper communication performance
 - Upon detection of failure, division marked as inoperable (i.e., tripped) and operator is alerted

RTIS/NMS Platform Determinism

- Each FPGA is a synchronous, clocked sequential circuit
 - Each FPGA only starts processing data when data is transferred into that FPGA, and sends data to the next FPGA or module when processing is complete
 - Changes of state occur only at selected times, controlled by a timing signal
 - All FPGAs performing signal processing functions on a module are monitored by a diverse, hardware based watchdog timer
 - Watchdog timer time out marks module as inoperable (i.e., tripped) and operator is alerted
- Timing is verified by analysis and simulation during design

RTIS/NMS Platform Diversity

- RTIS and NMS platforms diverse from the Engineered Safety Features (ESF) Control and Logic System (ELCS) which actuates ESF functions
- RTIS and NMS diverse from non-safety and balance of plant I&C systems
- RTIS diverse from Anticipated Transient Without Scram (ATWS) mitigation equipment

RTIS/NMS Platform Simplicity

- Separation of Safety and Non-Safety Functions
 - Non-safety functions are not performed in safety related equipment
 - Complex activities (e.g. cross channel checks and historian functions) are performed in non-safety equipment
- Non Re-Writable (NRW) FPGA
 - Functionality implemented in fixed gates with deterministic timing that cannot be changed
- Minimization of Interdivision Communication
 - Communication across division boundaries limited to trip and status information for 2-out-of-4 coincidence logic


ELCS

- Overview
- Redundancy
- Independence
- Determinism
- Diversity
- Simplicity


ELCS Overview

- Digital Trip Function Remote Digital Logic Controller (DTF RDLC)
 - Remote data acquisition of Engineered Safety Feature (ESF) sensor signals
- Digital Trip Function (DTF)
 - Compares signal values to setpoints to determine division ESF safety function initiation status for one division
- Safety Logic Function (SLF)
 - Performs 2-out-of-4 coincidence logic to determine system level automatic initiation status
- Safety Logic Function Remote Digital Logic Controller (SLF RDLC)
 - Receives system level automatic and manual system level actuation signals from SLFs
 - Provides logic to determine component actuation and control commands to Final Vote Function
- Final Vote Function
 - Receives individual component actuation and control commands
 - Performs 2-out-of-2 coincidence logic (where necessary) for component actuation and control

ELCS Platform Overview (Figure 7DS-3)



ELCS Redundancy (Figure 7DS-4)




ELCS Redundancy

- Four independent & redundant sensor divisions
- Three independent & redundant ESF Safety Function Actuation divisions
 - ESF safety function system level initiation
 - ESF component actuation and control
- Four independent & redundant divisional power sources

ELCS Independence

- Four independent power sources
- Independence from non-safety systems
 - Electrical isolation and physical separation
- Four independent ESF sensor divisions
- Three independent ESF Safety Function Actuation divisions
 - Electrical isolation and physical separation
- Communications Independence
 - Safety related communications are isolated and independent
 - Non-safety related communications are isolated and independent

ELCS Controller Simplified Diagram



NON-PROPRIETARY VERSION OF FUNCTIONAL ARCHITECTURE FIGURE,
SECTION 6.2.1.2.1.2 OF COMMON Q TOPICAL REPORT WCAP-16097-P-A

ELCS Independence

Inter-division Communication

- DTF to SLF Communication
 - DTF transmits trip status to SLFs
 - Unidirectional Serial Link with fiber optic isolation
 - Fixed periodicity of transmission
 - All data transmitted, even if none has changed
 - Fixed length, fixed format message
 - Fixed data mapping – same data point in same position
 - Data redundancy provided in message
 - Cyclic redundancy check (CRC) data provided in message
 - Supports detection of corrupt data

ELCS Independence

Inter-division Communication (cont'd)

- DTF to SLF Communication (cont'd)
 - SLF receives DTF communication
 - SLF has a communication processor and an application processor that communicate through shared memory
 - Communication processor receives message
 - Link failure diagnostic detects failed link
 - Provides error status for bad message
 - CRC diagnostic provides error status for bad message
 - Data redundancy diagnostic provides error status for bad message
 - Stores message in a unique location in shared memory
 - Application processor reads message
 - Bad message status causes the message data to be replaced with predetermined value
 - Alarm message sent to operator

ELCS Determinism

- ELCS Application Processor
 - No external interrupts
 - Internal clock uses precision interval timer
 - Cyclic execution of application software modules based on precision interval timer
 - Predetermined fixed execution cycle
 - Maximum processor load of 70% – enforced by self-diagnostic
 - Buffered from external communication – read and write data from buffered memory on a fixed cycle, independent of communication interface status
 - Communication interfaces – flag corrupt data as bad message
 - Application uses predetermined values in place of bad message
 - Diagnostics provide annunciation to operator
 - Watchdog timer hardware output monitored by independent controller
 - Over-run of cyclic execution time monitored by self-diagnostic
 - Communication self-diagnostics monitored by application

ELCS Determinism

■ ELCS Communication Processor

- Deterministic Protocol
- All data transmitted, even if none has changed
- Fixed length, fixed format message
 - Fixed data mapping – same data point in same position
 - Data redundancy provided in message
 - Cyclic redundancy check (CRC) data provided in message
- Deterministic Transmission Intervals
 - Based on fixed intervals of application processor requests to send messages
- Deterministic Reception Intervals
 - Based on fixed message reception intervals from transmitting controllers
- Communication process is buffered from application processor by shared memory
- Diagnostics provide annunciation to operator
 - Watchdog timer hardware output monitored by independent controller
 - Loss of communication monitored by controller receiving the communication
 - Message Diagnostics – CRC and data redundancy monitored by the controller receiving the transmission

ELCS Determinism

■ Response Time Analysis

- Criteria based on Safety Analysis requirements
- Includes all delay elements
- Determines minimum and maximum acceptance criteria for response time validation testing
- Documented in a report

■ Validation Testing

- Validates analysis
- Documented in a report

ELCS Diversity

- Diverse from equipment credited to mitigate ELCS failure
 - Diverse equipment is hard wired
- Diverse from RTIS and NMS
 - ELCS is microprocessor based
 - RTIS and NMS are FPGA based
- Diverse from non-safety control systems
 - Different microprocessor and software
 - Different communications technology and equipment

ELCS Simplicity

- Separation of Safety and Non-Safety
 - ELCS control is performed within ELCS
 - No non-safety digital control communication links with priority modules
- Simplicity of Communication
 - Unidirectional serial links for automatic and manual initiation of ESF safety functions simplify architecture
- Minimization of Interdivision Digital Communication
 - Only system level coincidence logic function uses interdivisional digital communication links

Mapping of Design Principles to Applicable ITAAC

- Example Supporting Information provided in Appendix 7DS

- Tier 1 Table 2.7.5 ITAAC 2 requires deterministic communications protocols

Table 2.7.5 Data Communication

Inspections, Tests, Analysis and Acceptance Criteria		
Design Commitment	Inspections, Tests, Analysis	Acceptance Criteria
2. The ECFs use deterministic communication protocols	Tests of the ECFs communications protocols will be conducted in a test facility	The ECFs use deterministic communications protocols

- Section 7DS.2.3.2.2 describes all steps in ESF communication timing
- Section 7DS.2.3.2.2 statement “{Each step in the process is predictable and repeatable. This is the time response that is designed to meet the Safety Analysis requirements.}¹⁶” points to Note 16 in Table 7DS-1
- Table 7DS-1 Note 16 links the bracketed description back to Tier 1 Table 2.7.5 ITAAC 2.

ACRS Action Item Summary

Action Item 7 from May 20, 2010 ACRS Meeting

- Further discussion was needed on the application of Common-Q platform, independence and determinism

Response to Action Item 7

- Explanation in FSAR Tier 2 Appendix 7DS and ELCS Presentation Information
 - Explains that data corruption does not compromise communication independence
 - Explains inter-division communication compliance to independence and determinism requirements
 - Explains the compliance to determinism requirements

Chapter 7

Questions and Comments




Acronyms

ABWR	Advanced Boiling Water Reactor
APRM	Average Power Range Monitor
COLA	Combined License Application
CRC	Cyclic Redundancy Check
DAC	Design Acceptance Criteria
DI&C	Digital Instrumentation and Controls
DIV	Division
DTF	Digital Trip Function
ECCS	Emergency Core Cooling System
ELCS	Engineered Safety Features Logic and Control System
ESF	Engineered Safety Features
FPGA	Field Programmable Gate Array
FSAR	Final Safety Analysis Report
HSL	High Speed Link
I&C	Instrumentation and Controls
I/O	Input / Output
ICRC	ITAAC Closure Requirements Checklist
ITAAC	Inspections, Tests, Analyses, and Acceptance Criteria
LD	Load Driver
LDS	Leak Detection and Isolation System

Acronyms (cont'd)

LPRM	Local Power Range Monitor
MCR	Main Control Room
MSIV	Main Steam Isolation Valve
NINA	Nuclear Innovation North America
NRW	Non-rewritable
NMS	Neutron Monitoring System
OLU	Output Logic Unit
OPRM	Oscillation Power Range Monitor
RAI	Request for Additional Information
RDLC	Remote Digital Logic Controller
RG	Regulatory Guide
RPS	Reactor Protection System
RTIS	Reactor Trip and Isolation System
SLF	Safety System Logic Function
SRNM	Startup Range Neutron Monitor
SSLC	Safety System Logic and Control
TANE	Toshiba America Nuclear Energy
TLF	Trip Logic Function
WEC	Westinghouse Electric Corporation

RTIS/NMS Redundancy (Figure 7DS-2)





Presentation to the ACRS Subcommittee

South Texas Project Units 3 and 4 COL Application Review

**Chapter 7 Advance SER (with no Open Items)
“Instrumentation and Controls”**

February 8, 2010

STP 3 & 4 COL Chapter 7 Staff Review Team

- **Project Managers**
 - George Wunder, Lead PM, DNRL/NGE2
 - Adrian Muñiz, Chapter PM, DNRL/NGE2

- **Technical Staff**
 - Dinesh Taneja, Reviewer, DE/ICE2
 - Jack Zhao, Reviewer, DE/ICE1
 - Eugene Eagle, Reviewer, DE/ICE2
 - Sang Rhow, Reviewer, DE/ICE2

Summary of Technical Discussion Points for STP 3 & 4 COL Chapter 7 Review

SER Open Item 07.01-16	Open item 07.01-16 in the SER with OI (Phase 2)
RAI 07.01-14	2 nd revised response related to applicability of NRC Regulatory Guides and Industry Standards to Common Q platform used for ELCS
ACRS ABWR Subcommittee Action	Application of Common Q platform, independence and deterministic implementation
Appendix 7DS	Staff evaluation of Appendix 7DS, “Digital Instrumentation and Control Design Verification for Safety-Related Systems”

SER Open Item 07.01-16

- Reference to post-COL document in COLA
 - In the setpoint methodology report (WCAP-17119-P, Rev. 1), a reference was made to WCAP-17137-P, “Westinghouse Stability Methodology for the ABWR,” for OPRM setpoints. This topical report is a part of the planned post COL fuel amendment activity, and can’t be referenced in the COL application.
 - In response to RAI 07.01-16, the applicant has agreed to remove the reference to WCAP-17137-P from the setpoint methodology report, and include typical setpoint values and associated uncertainties for the OPRM.
 - The staff finds this RAI response acceptable.
 - Proposed changes to the FSAR and WCAP-17119-P are being tracked as **Confirmatory Item 07.01-16**.

RAI 07.01-14 2nd Revised Response

- Applicability of regulatory guides and industry standards to Common-Q platform used for ELCS
 - On September 23, 2010, the applicant provided 2nd revised response to RAI 07.01-14, which commits to meeting current NRC Regulatory Guides and industry standards for the Common-Q platform used for ELCS
 - This RAI response includes proposed changes to the FSAR Table 1.8-20, “NRC Regulatory Guides Applicable to ABWR,” and Table 1.8-21, “Industry Code and Standards Applicable to ABWR”
 - The staff finds this 2nd revised RAI response acceptable
 - Proposed changes to the FSAR are being tracked as **Confirmatory Item 07.01-14**

ACRS ABWR Subcommittee Action Item

- Application of Common Q platform, independence and deterministic implementation
 - Microprocessor-based Common Q platform is used for Engineered Safety Features (ESF) Logic and Control System (ELCS)
 - The following ELCS data communication design features described in the FSAR demonstrate **independence**:
 - Unidirectional serial point-to-point fiber optic isolated data links utilizing deterministic protocol are used to communicate ESF safety function information
 - Communication is buffered by the communication processor, which is independent from the application processor (sending and receiving end)
 - Separate communication equipment is used for interdivisional communication
 - Predefined formatting and data redundancy within the message minimize the possibility of malformed message from being used by the receiving controller

ACRS ABWR Subcommittee Action Item (continued)

- Each ELCS division includes an intra-division network that performs the following functions:
 - This network is separate from the ESF safety function communication
 - Loss of intra-division network does not affect the division's ability to perform ESF safety function
 - Communication with dedicated safety flat panel displays in the control room for ESF components control and status information
 - Communicate self-diagnostic information for display and alarm in the main control room
 - Provides detailed diagnostic information and the capability to conduct surveillance testing at the Maintenance and Test Panel (MTP)
- Each ELCS division has a unidirectional communications interface to non-safety Plant Information and Control System (PICS)

ACRS ABWR Subcommittee Action Item (continued)

- A division of ELCS will accomplish its safety functions regardless of the operation or failures of other safety divisions, or non-safety systems
- Tier 1 Table 2.7.5 Item 3 **ITAAC** requires **testing** to verify, in part, that only one way data transfer from SR to NSR system or devices is permitted
- Tier 1 Table 2.7.5 Item 5 **ITAAC** requires **testing** to verify that loss of data communication in one division does not result in generation of transient or erroneous signals
- In response to RAI 07.01-2, the applicant confirmed that the DI&C-ISG-04 is applicable, and the SSLC design conforms to the ISG-04 guidance

ACRS ABWR Subcommittee Action Item (*continued*)

The following ELCS data communication design features described in the FSAR demonstrate **deterministic performance**:

- ELCS response time for all ESF safety functions is predictable and repeatable, therefore it is deterministic
- Formal timing analysis documents the response times, which is validated by formal test
- Communications processor supports deterministic performance of the unidirectional serial data link communications
- Input communications are sent by a cyclic deterministic process from the transmitting processors

ACRS ABWR Subcommittee Action Item (*continued*)

- Scheduling of the execution of the application software is based on internal clock and is fixed by design
- There are no application processor interrupts that are driven by external process signals
- Output communications are initiated by the cyclic and deterministic application processor
- Each step in the process (input – application processing – output) is predicable and repeatable
- Tier 1 Table 2.7.5 Item 3 **ITAAC** requires **testing** to verify that the essential communication functions are implemented with a deterministic communications protocol

ACRS ABWR Subcommittee Action Item (*continued*)

- Westinghouse Common Q platform design has already been evaluated by the NRC and found suitable for use in safety-related applications (ADAMS Accession No. ML003740165). In the Common Q SER:
 - The staff concluded that design features, operation of the AC160 PLC system, and Westinghouse’s commitments to perform timing analyses and tests provide sufficient confidence that the AC160 will operate deterministically to meet guidance in BTP 7-21
 - The plant-specific action item 6.6 requires the licensee to review Westinghouse’s timing analyses and validation tests in order to verify that it satisfies its plant-specific requirements for system response and display response time presented in the Chapter 15 accident analysis

STP 3 & 4 FSAR Appendix 7DS

- **STP 3 & 4 FSAR Appendix 7DS, “Digital Instrumentation and Control Design Verification for Safety-Related Systems”**
 - On January 19, 2011, the applicant provided a site-specific FSAR appendix 7DS, which:
 - Consolidates information regarding key design features of safety-related digital I&C platforms
 - Facilitates mapping of applicable DAC and ITAAC that would verify implementation of these key design features
 - Does not change the SSLC design as already described in the STP 3 & 4 COLA
 - Information provided in appendix 7DS does not have any impact on Staff’s safety findings documented in the Chapter 7 Advance SER

Overview of STP RCOL Chapter 7

Discussion/Committee Questions

Backup Slides

Independence of Data Communication Functions

- Brief description
 - Data communication functions are inherent to each of the SSLC digital I&C platforms and therefore separate and independent from each digital I&C system and division within the systems. These data communication functions are designated as ECF (essential communication Function).
- Specific items of interest
 - The following data communication design features that demonstrate independence are described in the STP 3 & 4 FSAR that will be inspected and/or tested by ITAAC in Tier 1 Table 2.7.5:
 - ECFs are implemented through dedicated equipment in each of the divisions, with no direct electrical interconnections among divisions.

Independence of Data Communication Functions (*continued*)

- Specific items of interest (*continued*)
 - Data communication design features (*continued*):
 - Data communication is provided between redundant safety-related divisions to support coincident logic functions.
 - Data communication is implemented through fiber optic based data links to ensure interdivisional isolation.
 - All communication is checked to prevent a division from impacting the performance of other divisions.
 - Each division has independent control of data acquisition & transmission.
 - System timing is asynchronous among divisions.
 - Loss of data communication in a division of equipment implementing the ECFs does not cause transient or erroneous data to occur at system outputs.

Independence of Data Communication Functions (continued)

- Specific items of interest (*continued*)
 - Data communication design features (continued):
 - Communication between safety-related (SR) and non safety-related (NSR) systems use isolating transmission medium and buffering devices. When the equipment is in service, data cannot be transmitted from NSR side to SR side.
 - Each division of ECF equipment is powered from its respective division's Class 1E UPS.
 - All equipment within Reactor Protection System (RPS) and Leak Detection and Isolation System (LDS) is designed to fail-safe, i.e., fail into a trip initiating state on loss of power or input signal.
 - All equipment within Engineered Safety Feature (ESF) Systems is designed to fail as-is, i.e., system controllers continue to operate based on the last command.

Independence of Data Communication Functions (continued)

- Specific items of interest (continued)
 - Tier 1 Table 2.7.5 Item 3 requires **testing of equipment** implementing ECFs to verify that only one way data transfer from SR to NSR system or devices is permitted, and no control and timing signal are exchanged between SR and NSR systems or components.
 - Tier 1 Table 2.7.5 Item 5 requires testing to verify that loss of data communication in one division of equipment implementing ECFs does not result in generation of transient or erroneous signals.
 - In response to RAI 07.01-2, the applicant confirmed that the DI&C-ISG-04 is directly applicable, and the STP 3 & 4 SSLC design is in accordance with the guidance provided in this ISG.

Independence of Data Communication Functions (continued)

- Conclusion
 - The staff found reasonable assurance that the STP 3 & 4 data communication functions conform to all applicable regulations and guidelines, specifically, IEEE Std 603-1991 and IEEE Std 7-4.3.2-2003.

Deterministic Features of Data Communication Functions

- Brief description
 - A deterministic algorithm is an algorithm which behaves predictably. Given a particular input, it will always produce the same output, and the underlying machine will always pass through the same sequence of states.
 - In STP 3 & 4 I&C design, RTIS and NMS platforms are based on the FPGA technology with hardwired I/O. Interdivision communication uses isolated optical data links with deterministic communication protocol.
 - In STP 3 & 4, ELCS is designed with Westinghouse Common Q Platform based on deterministic communication protocol.

Deterministic Features of Data Communication Functions (continued)

- Specific items of interest
 - In response to RAI 14.03.05-4, the applicant confirmed the following I&C design elements:
 - Safety-related I&C systems are deterministic.
 - Response times for the system elements, including architecture, communications (including timing and loading) and processing elements will be analyzed in accordance with BTP 7-21 to verify that the systems' performance characteristics are consistent with the safety requirements established in the design basis for these systems.
 - Tier 1 Table 2.7.5 ITAAC Item 3 requires testing to verify that the essential communication functions are implemented with a deterministic communications protocol.

Deterministic Features of Data Communication Functions (continued)


- Specific items of interest (continued)
 - In the Common Q SER, the staff concluded that the design features, the operation of the AC160 programmable logic controller (PLC) system, and Westinghouse’s commitments to perform timing analyses and tests provide sufficient confidence that the AC160 will operate deterministically to meet guidance in BTP 7-21 and is, therefore, acceptable.
 - In the Common Q SER, the plant-specific action item 6.6 requires the licensee to review Westinghouse’s timing analyses and validation tests in order to verify that it satisfies its plant-specific requirements for system response and display response time presented in the Chapter 15 accident analysis.

Deterministic Features of Data Communication Functions (continued)


- **Conclusion**
 - The essential communication functions of the STP 3 & 4 SSLC are implemented with a deterministic communications protocol.
 - Response times for the system elements, including architecture, communications (including timing and loading) and processing elements will be analyzed by STPNOC in accordance with BTP 7-21 to verify that the systems' performance characteristics are consistent with the safety requirements established in the design basis for these systems.
 - An ITAAC in the COLA requires testing to verify that the essential communication functions are implemented with a deterministic communications protocol.

Diversity and Defense-in-Depth

- Brief description
 - The certified U.S. ABWR design provides for diverse backup hardwired capabilities for reactivity control (reactor trip), core cooling (ESF actuation), containment isolation, and supporting diverse displays to cope with a postulated worst-case event, i.e., undetected 4-division common mode failure of all communications or logic processing functions in conjunction with a large break LOCA.
 - STP 3 & 4 COLA incorporates by reference (**IBR**) the diversity and defense-in-depth consideration and resulting diverse backup design features of the certified ABWR design **with no departures**.



ABWR DCD Figure 7C-1 Implementation of Additional Diversity in SSLC to Mitigate Effects of CMF



COLA Figure 7C-1 Implementation of Additional Diversity in SSLC to Mitigate Effects of CMF

Diversity and Defense-in-Depth (continued)

- Specific items of interest

–For the purpose of ABWR I&C design diversity analysis, design basis events (DBE) described in Chapter 15 were analyzed with the following modeling assumptions:

- A worst-case postulated common mode failures (CMF) of the digital safety systems was considered concurrently with each of the design basis events.
- The analyses were done using “realistic” modeling as opposed to standard “licensing basis” modeling.
- The analyses took credit for operator actions at the Remote Shutdown System (RSS) after one hour, but prior to that one hour period, all operator actions were limited to those which could be performed in the main control room, using equipment that was independent of the postulated CMF.

Diversity and Defense-in-Depth (continued)

- Specific items of interest (continued)
 - In the certified ABWR design, EMS is common to all digital I&C systems within a division.
 - Loss of EMS (A worst-case postulated CMF of the digital safety systems) adversely impacts the entire division of safety-related I&C systems (SSLC), thereby potentially rendering both RPS and ESFAS inoperable. Note that RPS is a fail-safe design, therefore any failure in the RPS (including EMS) would result in a division trip signal.
 - STP 3 & 4 I&C design provides for independent and diverse RTIS and ELCS with inherent communications capabilities. Therefore, this I&C design is not subject to total loss of a safety division (i.e., both RTIS and ELCS) due to any postulated CCF of digital I&C systems.

Diversity and Defense-in-Depth (continued)

- Specific items of interest (continued)
 - In STP 3 & 4 I&C design, the hard wired diverse features are independent of all digital I&C systems as illustrated in STP 3 & 4 FSAR Figure 7C-1.
- Conclusion
 - Although STP 3 & 4 I&C design has reduced concerns with CMF in digital I&C systems, it incorporates diverse backup design features of the certified ABWR design with no departures.

Simplicity of I&C Design

- Brief description
 - Safety system logic in the certified ABWR:
 - Uses only simple gating and interlock functions and does not require processing of complex algorithms.
 - Uses state-of-the-art program design methods to achieve highly reliable software.
 - These program design methods use simple data structures and modular, top-down programming to produce easily verifiable and testable programs that provide predictable performance.
 - STP 3 & 4 COLA incorporates by reference (IBR) this simplicity of I&C design concepts.

Simplicity of I&C Design (continued)


- **Specific items of interest**

- Examples of simple safety system I&C design features:

- Each SSLC division is independently controlled from a set of dedicated safety FPD (flat panel displays) in the main control room.
 - Only one-way communication is allowed from SR to NSR components.
 - Microprocessors are used for making “simple” logic decisions.
 - Software is developed as a structured set of simple modules.
 - Each module performs a prescribed task that can be independently verified and tested.

- **Conclusion**

- STP 3 & 4 digital I&C design follows the philosophy of simple design employed in the certified ABWR design.



ABWR DCD Figure 7A-1 SSLC

- Legend:
- APR – Auto Power Regulator
 - ATLM – Auto. Thermal Limit Monitor
 - CI – Communications Interface
 - DPU – Digital Processing Unit
 - DTF – Digital Trip Function
 - ELCS – ESF Logic & Control System
 - EOF – Emergency Operations Facility
 - ESF – Engineered Safety Functions
 - GW – Gateway
 - I/O – Plant Input & Output Units
 - LT – Level Transmitter
 - LV – Level Control Valve
 - MCC – Motor Control Centers
 - MCP – Main Control Panel
 - MRBM – Multichannel Rod Block
 - MTP – Maintenance & Test Panel
 - NMS – Neutron Monitoring System
 - NBS – Nuclear Boiler System
 - OLU – Output Logic Unit
 - PDN – Plant Data Network
 - PICS – Plant Information & Control Sys.
 - PRNM – Power Range Neutron Monitor
 - RCIS – Rod Control & Info. Sys.
 - RDLC – Remote Digital Logic Controller
 - RFC – Recirculation Flow Control
 - RPS – Reactor Protection System
 - RTIS – Reactor Trip & Isolation Sys.
 - RWM – Rod Worth Minimizer
 - SLF – Safety Logic Functions
 - SPTM – Suppression Pool Temp. Monit.
 - SRNM – Startup Range Neutron Monitor
 - TLF – Trip Logic Function
 - TSC – Technical Support Center





Fig. 7.9S-1 Data Communication Interfaces

- Notes:
1. Redundancy of Network & Control Components not shown
 2. Communication Interfaces shown are typical and not all inclusive
 3. Colored lines indicate safety related communication
 4. Black lines indicate non-safety related communication


- — — Fiber or wired communication
- — — Fiber communication
- — — Non-digital communication



- NOTES:**
1. EMS ARRANGEMENT SHOWN IS A SIMPLIFIED EXAMPLE FOR ONE DIVISION. ACTUAL QUANTITY AND INTERCONNECTIONS OF RMUs AND CMUs WILL BE DETERMINED WITHIN SCOPE OF EMS DESIGN. THERE ARE NO SLUs, CMUs, OR RMUs IN DIV. IV.
 2. A. OUTPUTS TO PROCESS COMPUTER, ALARMS OR DISPLAYS ON DEDICATED FIBER OPTIC DATA LINKS.
 B. CONTROL SWITCH INPUTS TO SSLC NOT SHOWN.
 C. INPUTS FROM NMS AND PRRM NOT SHOWN.
 D. INTERDIVISIONAL COMMUNICATIONS USE FIBER OPTIC DATA LINKS.

OBSOLETE

ABWR DCD Figure 3.4b SSLC Block Diagram



NOTES

- ARRANGMENT SHOWN IS A SIMPLIFIED EXAMPLE FOR ONE DIVISION
- NOT ALL CONTROL SWITCH INPUTS SHOWN.
B. INPUTS FROM NMS AND PRM NOT SHOWN.
C. INTERDIVISIONAL COMMUNICATIONS USE FIBER OPTIC DATA LINKS.

3. **SAFETY SYSTEM LOGIC FUNCTION (SLF)** FOR ECCS FUNCTIONS IS IMPLEMENTED WITH REDUNDANT CHANNELS WITH A MINIMUM 2/2 VOTE OF THE OUTPUT SIGNALS TO PREVENT INADVERTENT COOLANT INJECTION OR DEPRESSURIZATION DUE TO SINGLE SLF ELECTRONICS FAILURE. THE OUTPUT VOTE MAY BE ACCOMPLISHED EITHER BY DIRECT VOTE OF SLF OUTPUT SIGNALS OR BY A SYSTEM VOTE WHERE BOTH VALVE AND PUMP ACTUATION IS REQUIRED TO INITIATE SYSTEM ACTION. BYPASS OF A FAILED SLF CHANNEL MAY BE PROVIDED AS LONG AS THE REMAINING OPERATIONAL CHANNELS PROVIDE A MINIMUM OF TWO SLF CHANNELS FOR ECCS FUNCTIONS.


4. **SAFETY SYSTEM LOGIC FUNCTION (SLF)** FOR SOME ISOLATION AND SUPPORTING ESF FUNCTIONS MAY BE IMPLEMENTED WITH REDUNDANT CHANNELS WITH A NORMAL MINIMUM 2/2 VOTE OF THE OUTPUT SIGNALS WHERE INADVERTENT ACTUATION OF THE FUNCTION MIGHT REQUIRE UNREASONABLY SHORT REPAIR TIMES TO ELIMINATE OPERATIONAL IMPACT. FOR THESE FUNCTIONS, OPERATIONAL CONTROLLED BYPASS TO ALLOW OPERATION WITH A FINAL 1/1 VOTE IS PERMITTED.

5. EACH FUNCTION MAY BE ACCOMPLISHED BY MULTIPLE PROCESSORS TO MINIMIZE THE HARDWARE AND SOFTWARE COMPLEXITY OR OPERATIONAL IMPACT OF HARDWARE FAILURES, PROVIDED THE MINIMUM REDUNDANCY OF NOTES 3 AND 4 IS MAINTAINED.

STP COLA Figure 3.4b SSLC Block Diagram

South Texas Project Units 3 & 4 ACRS ABWR Subcommittee Presentation

ACRS Action Items



Attendees

Scott Head	Regulatory Affairs Manager, NINA
Mike Murray	I&C Manager, NINA
Coley Chappell	Regulatory Affairs, NINA

Agenda: Action Items for Discussion

- (#7) Inter-channel communication and determinism for FPGA and Common-Q platform (Recap)
- (#45) Provide RAI responses regarding redundancy and diversity of turbine overspeed sensors including power supply – ITAAC very general in scope (Update)

Action Item #7 (Recap)

Address FPGA (field-programmable gate array) in more detail, e.g., inter-channel communication and determinancy. Consider application of Common Q platform, e.g., independence and determinancy.

Response: Based on 5/20/10 meeting, action item as related to FPGA is closed.

Application of Common-Q platform including independence and determinancy, and protection from corruption via data communication between divisions, were discussed with the preceding Chapter 7 presentation.

Action Item #45 (Update)

Provide RAI responses regarding redundancy and diversity of turbine overspeed sensors including power supply – ITAAC very general in scope. (Also addressed in ACRS letter 8/9/10.)

Response: On 2/2/11 NINA met with NRO staff to discuss issues related to redundancy and diversity of the turbine overspeed system. As a result, RAI responses related to SRP 10.2 will be revised, and will supersede those provided in STPNOC letter 10/15/10 (U7-C-STP-NRC-100231).

NINA will submit additional details for the STP 3 & 4 departure to use two electrical overspeed systems, to be included in the FSAR as needed to further explain how the redundancy and diversity of the overspeed systems meet the SRP acceptance criteria, and how the design will meet the ITAAC inspections and acceptance criteria.

Based on EDO letter 9/10/10, resolution will be presented with final SE with no OI.

ACRS Action Items

Questions and Comments

