

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Decommissioning Funding Workshop
Breakout Session 1

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Wednesday, March 2, 2011

Work Order No.: NRC-742

Pages 1-94

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 STAKEHOLDER WORKSHOP ON DECOMMISSIONING FUNDING
5 FOR POWER REACTORS

6 + + + + +

7 BREAKOUT SESSION 1

8 + + + + +

9 WEDNESDAY

10 MARCH 2, 2011

11 + + + + +

12 ROCKVILLE, MARYLAND

13 + + + + +

14 The Breakout Session convened at the
15 Nuclear Regulatory Commission, One White Flint North,
16 Commissioners Hearing Room, 11555 Rockville Pike, at
17 10:00 a.m., Brian Anderson, Facilitator, presiding.

18 NRC STAFF PRESENT:

19 BRIAN ANDERSON, Facilitator

20 CLAYTON PITTIGLIO

21 THOMAS FREDRICHS

22
23
24
25 ALSO PRESENT:

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

NICK CAPIK, ABZ Consulting
SARAH HOFMANN, state of Vermont
RALPH ANDERSON, NEI
BILL HORIN, Winston and Strawn
JOHN SIPOS, New York Office of the Attorney General
ADAM LEVIN, Exelon
JAEGER SMITH, Entergy
JIM HEMPSTEAD, Moody's Investor Service

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A G E N D A

COST TRENDS IN DECOMMISSIONING5

Nick Capik, Consultant

ISSUES RELATED TO DECOMMISSIONING FUNDING 36

John Sipos, Assistant Attorney General

WHAT EVERY REGULATOR SHOULD CONSIDER IN A
POST-YUCCA WORLD 62

Sarah Hoffman, Director of Public
Advocacy

CREDIT IMPLICATIONS ASSOCIATED WITH NUCLEAR
GENERATION FOR U.S. UTILITIES 74

Jim Hempstead, Senior Vice President

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(10:02 a.m.)

1
2
3 FACILITATOR ANDERSON: Welcome back,
4 everyone. If we could go ahead and take our seats,
5 we're ready to start Breakout Session 1. I'm glad to
6 see that some people actually stayed to be here with
7 us for Breakout Session 1.

8 Before we get started with the first
9 presentation, I'd just like to briefly remind
10 everybody of ground rules from earlier. I appreciate
11 all of your patience and support in working with us
12 here, but as a reminder, please continue to speak into
13 a microphone. That not only helps people on the phone
14 to hear what's being said, but that also helps make
15 sure that we have a clear transcript of the
16 discussions and comments that are provided here today.

17 Please also continue to speak just one
18 person at a time. And I continue to appreciate
19 everyone's ability to be concise in making comments,
20 providing presentations, and asking questions. And I
21 also appreciate your continued support in respecting
22 differing viewpoints that you might hear during the
23 course of the discussions.

24 So, with that, we'll start with the first
25 presentation. ABZ Consulting has a presentation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. CAPIK: Good morning. My name is Nick
2 Capik. I work with ABZ. We're one of the firms that
3 do decommissioning cost estimates. We also do a lot
4 of litigation work with the IRS on decommissioning
5 with the Department of Justice on spent fuel, and with
6 the Rate Commissions on fund collections for
7 decommissioning.

8 I'd like to talk a little bit about
9 actual cost. To put it in perspective compared to the
10 formula amounts, if we can go to the next slide,
11 please. One of the first things we need to do, though,
12 is talk about terms.

13 The utilities use the term
14 "decommissioning" to mean all costs incurred after
15 shutdown. From their perspective, that makes sense.
16 They no longer have revenue coming in, they need to
17 pay all the expenses.

18 The NRC uses the term differently, and
19 it's defined in the CFR to be just radiological
20 decommissioning. As we know, second bullet, there are
21 three types of costs the utilities have to be
22 concerned with. One is NRC defined decommissioning.
23 The second is storage of spent fuel until it's
24 transferred to DOE. And the third is site
25 restoration.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Site restoration includes a number of
2 things. It includes hazardous waste removal. It
3 includes demolition of the buildings, if that's what
4 the utilities choose. It can also include other
5 things like cleanup to meet EPA groundwater standards.

6 One of the problems with these three
7 types of costs is there is no regulation which defines
8 for a given cost which of the three categories that
9 cost goes in. And let me give you a couple of
10 examples. If I have a constrained site, and they want
11 to remove some clean buildings to facilitate
12 radiological decommissioning, is it a site restoration
13 cost, or is it a radiological decommissioning cost?
14 The regulations don't say one way or the other.

15 Another example, I'm storing spent fuel
16 on site after shutdown. I have operator requirements
17 for storage of fuel. Yet, those people are working in
18 decommissioning. Are they a decommissioning cost, or
19 are they a spent fuel storage cost? Asking guidance on
20 how to divide these costs, the utilities use its own
21 resources to decide where to put these costs. If we
22 could go to the next slide, please.

23 Okay. I want to go through each of these
24 three categories just quickly, as a reminder for
25 everyone. NRC defined decommissioning, it's removal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of all radiologically contaminated material or
2 activated material only to meet the site termination
3 criteria.

4 Now, as Larry mentioned earlier, there
5 really are two, one is 25 millirem per year to the
6 exposed worker in whatever scenario the utility
7 decides. The second is ALARA, or As Low As Reasonably
8 Achievable. That can be more demanding than the 25
9 millirem per year, if it's reasonable for the utility
10 to do. Again, a very undefined standard, simply
11 ALARA.

12 As well as removal of material, it can
13 also include decommission of structures, and
14 demolition of structures if they're no longer
15 structurally sound following decontamination. An
16 example where that would come in is if I'm removing
17 entire walls from a structure. I can't leave the
18 structure standing, so now I have to demolish it as
19 part of radiological decommissioning.

20 Offsite disposal of radioactive waste.
21 As Larry mentioned, there's a growing issue there not
22 only with waste generated during decommissioning, but
23 also with waste stored on site during operation. And
24 there are categories of waste that most people don't
25 include in that, that they need to.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 For example, refueling tools, tools that
2 the operator uses every refueling shutdown are stored
3 on site and need to be stored on site. Yet, during
4 decommissioning, they need to be disposed of. So, the
5 radioactive waste is not only that waste that's
6 generated during decommissioning, but anything that
7 happens to be on site at final shutdown. Go on to the
8 next slide, please.

9 Slide 4, spent fuel storage. Again, the
10 utility is responsible for safe storage of the fuel
11 until it's transferred to DOE. The utility is
12 required, as Larry mentioned, under 10 CFR 50.54(bb)
13 to explain how it's going to pay for that storage five
14 years prior to shutdown.

15 They have two methods currently to store
16 the fuel. One is to leave it in the spent fuel pool,
17 the other is to put in the dry storage. I think every
18 estimate I've seen includes the cost of spent fuel
19 storage, because it is an obligation the utility has
20 to incur after shutdown. If I can go to the next
21 slide.

22 Two pictures here, just so everyone can
23 see them. On the left is a storage pool for spent
24 fuel. The checkerboard at the bottom of that pool is
25 the racks that actually holds the spent fuel, so the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 assemblies are 14 or so odd feet long, and they fit in
2 those racks on the bottom of that pool. There's about
3 20 feet of water on top of those racks. And that's a
4 facility that has to be maintained as long as fuel is
5 stored in the pool.

6 On the right-hand side of this picture is
7 one of the examples of a dry storage facility. That
8 particular design is a NUHOMS design, and the fuel is
9 stored in metal canisters that are horizontally placed
10 in those structures.

11 The NRC doesn't have a preference as to
12 which way to store fuel. It has to be one of these
13 two, wet or dry. Although, most utilities have found
14 that dry storage is more economical in the long run.
15 If I can go to the next slide, please.

16 The third piece is site restoration.
17 Again, site restoration is not required by the NRC at
18 all. It may or may not be performed by the owner. It
19 depends on what they intend to do with the site, and
20 whether they want to reuse some of the buildings, or
21 leave them on the site.

22 Most of the facilities that have
23 decommissioned so far have removed all the structures
24 that they did not need to continue to store fuel. Two
25 notable exceptions, the Trojan Reactor is not yet done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 dispositioning concrete that's on site. And Rancho
2 Seco has not yet decided to remove the buildings, so
3 they're still standing. Next slide, please.

4 Okay. Just for a little bit of review,
5 Larry talked about this. The NRC has a formula for
6 its portion of the decommissioning costs, just
7 radiological decommissioning. The numbers were
8 expressed in regulation in '86 dollars, \$85 million
9 for a PWR, \$115 million for a BWR. Those numbers were
10 never intended by the NRC to cover all decommissioning
11 costs. They were intended to provide assurance that
12 the bulk of the funds would be available. People often
13 confuse that. It was never intended to be every
14 dollar of decommissioning costs, simply the bulk of
15 the funds. Go ahead and go to the next page.

16 Larry mentioned the three escalation
17 factors, and his Slide 9 provides the equation for
18 applying them. Again, three factors; labor, energy,
19 and burial. They're, as he mentioned, provided in
20 NUREG-1307 for burial, and Department of Labor for
21 labor and energy. Go ahead and go to the next slide.

22 This slide shows what those factors have
23 done over time, starting in 1987 the first year that
24 they were published. And what I've plotted here is
25 the percent change from year to year. Okay? There

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 are a couple of interesting points on this graph. The
2 first one is '92-93, for anyone who's familiar with
3 the industry, the State of South Carolina in that time
4 period imposed a tax on burial of low-level waste at
5 the Barnwell facility. The initial tax was \$200 a
6 cubic foot. Thus, there's a huge growth in the formula
7 amounts in that year, because of the change in burial
8 costs.

9 The second bump on this graph in 1997 is
10 when, as a result of Barnwell imposing these fees,
11 people looked for avenues to reduce their burial cost.
12 And Barnwell countered those avenues by shifting from
13 a rate structure which was dependent on the volume of
14 waste, to a rate structure that was dependent on the
15 weight of the waste.

16 Most of the ways people attempted to
17 counter the costs were by compacting the waste, and
18 making it take up less space. But by compacting it,
19 we didn't change the weight at all. So, thus, the
20 bump in '97, with the new weight-based rules. Go
21 ahead and go to the next slide, please.

22 This is one example of the calculated
23 rule amounts in 10 CFR 50.75. There are three lines on
24 this graph. The top line is for direct disposal to a
25 full service facility, like Barnwell. As you can see,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this is for a Pressurized Water Reactor. I used the
2 northeast region for labor, starts at \$105 million in
3 1986 dollars, and escalates from there. The last year
4 on this, 2010, the PWR cost is slightly over \$800
5 million.

6 The line below that, again Larry
7 mentioned in 1998, the NRC offered the option for use
8 of a waste vendor. And the green line indicates the
9 option in the current version of the NUREG, and back
10 to '98 for selection of a waste vendor. So, either
11 material is going through Clive, or going through some
12 vendor that's processing the waste prior to disposal.

13 And, as Larry mentioned, I think his
14 slides say about a \$350 million difference in the
15 current formula amounts. And you can see that by
16 looking at 2010, the difference between the green line
17 and the blue line is about \$350 million.

18 I added the red line just because most
19 people in their decommissioning cost estimate funding
20 analysis assume some average rate of inflation. And
21 from our review of those over the years, 2-1/2
22 percent, 3 percent are typical numbers. The red line
23 shows cumulative inflation at a 2-1/2 percent rate.
24 So, you can see in real terms how much the formula
25 amounts have exceeded that 2-1/2 percent compound

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 inflation from 1986. Go to the next slide, please.

2 This is the same curve, simply for a
3 Boiling Water Reactor. Again, northeast region for
4 labor rates, starts at 135 in 1986, and the escalation
5 similar since then. If you attempted to plot an
6 overall compound escalation rate, and I'll use the
7 blue line for an example on both of these graphs,
8 going back to 1986, it's about 9 percent per year. If
9 you looked simply after Barnwell imposed the huge tax
10 in '94, it's about 5 percent per year. Either way, 9
11 or 5, it's still significantly higher than general
12 rates of inflation that are assumed by people in
13 funding analysis. Turn to the next slide, please.

14 Okay. What are some of the risks with
15 funding? The first one is that your funding analysis
16 is planned on shutdown at a certain point in time. If
17 I don't make it to that time, I may not have collected
18 all the money, and I may not have had sufficient time
19 for it to grow to meet my target. So, if a plant
20 shuts down prematurely, it's generally not fully
21 funded at the time of shutdown. For all of the plants
22 that have shutdown prematurely so far, that has been
23 the case. None of them were fully funded at time of
24 shutdown.

25 Second risk is that the cost estimate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 assumes a certain scope of work. When it comes time
2 to actually dismantle the facility, that assumed scope
3 may or may not reflect the work that has to be done.
4 And I've listed a couple of examples here of where the
5 scope changed from that assumed in the estimate. And
6 let's talk about the first one for a moment.

7 Tritium is a radioactive isotope of
8 hydrogen. It's formed by the sun, and the atmosphere.
9 It's also formed in a nuclear reactor. It forms with
10 water, or forms with oxygen to form water, and
11 diffuses readily through concrete. As a result, some
12 of the concrete in a power plant is contaminated with
13 tritium. Now, it's not -- it's a beta emitter. It
14 doesn't have a large radiological consequence, so most
15 analyses assume that the tritium-contaminated concrete
16 stays on site at shutdown.

17 Thus far, any of this concrete that's
18 been disturbed during decommissioning has ended up
19 being removed. So, the assumption in the estimate that
20 this concrete stays on site may or may not be
21 something a utility can realize when it comes time for
22 decommissioning.

23 The second one I listed here, and I
24 believe Larry gave an example, termination criteria.
25 As I said, the NRC has two; 25 millirem per year to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the most exposed worker, also ALARA with no further
2 definition of what ALARA truly means. The EPA has
3 different requirements for things like tritium
4 contamination. So, what the exact requirements an
5 owner is going to have to meet during decommissioning
6 is undefined for most plants.

7 Each of the plants that underwent
8 decommissioning had negotiations with the regulators
9 to decide what criteria they were going to clean up
10 the site to. Again, as was mentioned before, there's
11 costs associated with that differing standard for
12 termination criteria.

13 Next bullet, schedule delays. Let me
14 give you a couple of examples. Two of the plants that
15 decommissioned hired contractors to run the
16 decommissioning, basically, as a turnkey approach.
17 They turn over, let the contractor run the
18 decommissioning. Two of those projects, they had
19 issues with the contractors, one declared bankruptcy,
20 one there were differences of opinion about the
21 performance under the contract. In both cases, the end
22 result was delay, and delay equals cost. So, in both
23 cases, neither estimate accounted for that added time
24 during decommissioning.

25 Last two, just financial assumptions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Again, there's always risk that the trust fund won't
2 earn what was projected, or that the tax rates will
3 change in the future. Similarly, there's always risk
4 that the escalation that was assumed in the funding
5 analysis for cost will not be adequate to cover the
6 real growth of costs. Go to the next slide, please.

7 One other issue I'd like to mention, and
8 this became much more visible in the last couple of
9 years with some recent NRC action. The NRC since the
10 '90s has required that utilities account for costs for
11 these three categories separately. Now, through the
12 early part of last decade, I think the utilities were
13 somewhat remiss in doing that, or reporting that.
14 Often, they collected money for all three categories,
15 and reported a single amount, which the NRC then
16 compared against the formula amount.

17 The NRC has made the rules clearer
18 several years ago, that if the utility is funding for
19 more than radiological decommissioning, it has to
20 account for those funds separately. They can either do
21 that with separate sub-accounts, or they can do that
22 by keeping an account, but either way they have to
23 account for the three funds separately. And if you
24 want to use something that's not for its intended
25 purpose, you need a waiver of 10 CFR 50.82 to do that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I'm not aware of any waivers being granted at this
2 point other than one special case where the fund was
3 restructured to make that in accordance with the fund.

4 This could be a significant problem in
5 the future, because this means not only you have to
6 estimate the total cost, but you have to estimate how
7 much will be attributed to each of these three
8 categories. And, as I said earlier, there are no
9 rules right now defining how a cost is divided amongst
10 these three categories. Go to the next slide, please.

11 I'd like to look at some of the actual
12 costs. There's one error in this chart, and you'll
13 see it in the next two, as well. The Rancho Seco
14 estimated cost should be \$618 million in 2010 dollars.
15 These are public costs mostly in the license
16 termination plans. They don't always -- they're not
17 always comparable to each other, and let me give you
18 two examples to explain what I mean.

19 The SONGS unit shutdown in '92, but
20 decommissioning started in earnest later in that
21 decade. So, it's unclear for some of the costs
22 incurred between '92 and the start of decommissioning
23 whether they're included in decommissioning costs, or
24 not. Other plants have similar issues. Some of the
25 prematurely shutdown plants took as long as a year to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 decide whether or not to enter decommissioning.
2 Rancho Seco went into SAFSTOR for a decade before it
3 started decommissioning. So, one has to be careful
4 looking at actual costs, because it's often unclear
5 exactly what the scope of those costs are.

6 As I mentioned earlier, the Rancho Seco
7 number, which should be \$618 million, includes no site
8 restoration. The buildings are still standing. There
9 are also different assumptions about fuel storage in
10 every one of these numbers. So, I'm presenting them
11 here in the next few slides to give you some idea of
12 the magnitudes of the numbers, but you have to be
13 careful in using any of this data to make sure you
14 understand exactly what has been included in the data.

15 Now, I've done the apples-to-oranges
16 comparison here. The second column is the rule amount
17 per 10 CFR 50.75. That assumes direct disposal to a
18 full service facility, and that's as of the end of
19 last year. The next column is the licensee's estimated
20 total costs for all of the work they intend to do, so
21 that includes fuel storage, and that includes site
22 restoration, if they intended that, or planned to do
23 it in the future. Again, not apples-to-apples. I've
24 compared a rule amount, which is just radiological
25 decommissioning, to total site costs. But I did it to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 show you the magnitude of the total site costs.

2 As you can see, if some funds just to the
3 rule amount, it's likely they won't have enough money
4 for all of the costs they will incur after shutdown.
5 Turn to the next slide.

6 Same graph. If you remember the curves,
7 this is the green curve. This assumes waste
8 processing in Clive, Utah. The vendor rule amounts
9 are substantially lower than the previous slide.
10 Estimated costs are the same. Again, Rancho Seco here
11 should be \$618 million. And now if you look at the
12 last column, if a plant funded just to the rule
13 amount, they wouldn't have anywhere near enough money
14 to pay all the costs incurred after shutdown. One
15 more slide, please.

16 This last slide on costs is an apples-to-
17 apples comparison. It's the vendor rule amount, the
18 lower of the two rule amounts compared to just license
19 termination costs. And, once again, I apologize, one
20 more error on this slide. The Rancho Seco numbers
21 should be 502 for the license termination cost, and
22 the vendor rule amount should be the same number that
23 was on the previous page, which is 584.

24 This is apples-to-apples. If you look at
25 the third column, you'll see if someone funded just to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the vendor rule amount, how they could have compared
2 looking just at license termination costs. And, in
3 this case, several people would have sufficient funds,
4 several people would be substantially underfunded.

5 Again, as I said, these numbers all come
6 from public sources, generally, the license
7 termination plans. As Larry pointed out, the SONGS
8 number here was accurate in 2009. He gave an updated
9 number for 2010, which is \$490.4 million, which puts
10 them much closer to the vendor rule amount. One more
11 slide, please.

12 Just in conclusion, there's significant
13 uncertainty in the scope of decommissioning. Everyone
14 has -- well, most people have site-specific estimates
15 done, and they use the number as if it's a certainty.
16 Yet, it's not. There are many things that cannot and
17 will not be determined about scope until the
18 activities are actually started.

19 Similarly, there is no guidance right now
20 on how to divide costs amongst those three categories.
21 I can see several reasons a utility may want to use
22 one category preferentially compared to another, but
23 what actually happens, or if the NRC provides
24 guidance, it's not there today.

25 A third option, and I think Larry spoke

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to this, too. I, personally, don't believe the 100
2 percent vendor option to be a realistic formula
3 amount. I think it's low, because I don't think 100
4 percent of the waste has and can go to vendors.

5 Historically, if you look at license
6 terminations compared to those costs, I think,
7 historically, the data has shown that they are lower
8 than will actually be the case.

9 Last one I'd like to mention again, this
10 was referenced earlier today. Most people think
11 SAFSTOR is the solution to all funding problems. If I
12 allow the trust fund to grow for a longer period of
13 time, I'll make more money, and I'll be able to cover
14 the increased, or the shortfall in funding that I
15 have. There's two problems with that. Number one, we
16 looked at escalation in the rule amounts. And, as I
17 said, the escalation rates range from 5-9 percent. So,
18 if that trend continues in the future, that means your
19 after-tax earnings have to exceed that 5-9 percent for
20 the trust fund ever to gain over the escalation of
21 decommissioning costs.

22 The second thing is, as Larry pointed
23 out, I have storage costs to maintain that facility
24 and storage. So, not only does the trust fund have to
25 grow faster than the escalation, I also have to have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 enough money to pay for the storage, or that has to
2 come from some other source. So, a lot of people want
3 to use SAFSTOR as the solution to problems. In
4 reality, that may or may not be a solution. One has to
5 look at the individual assumptions, and see if they
6 make sense. And that's it, I'll open up for
7 questions.

8 FACILITATOR ANDERSON: Larry, let me
9 bring you a microphone.

10 MR. PITTIGLIO: Let me make a couple of
11 comments. First of all, I know you talked about a
12 rule amount, but recognize that -- we all recognize
13 that the formula is the minimum amount of financial
14 assurance. The regulation is clear in the sense that
15 it says under 50.75 that within five years, you have
16 to come in with site-specific cost estimate. And you
17 have to come in with a mechanism for adjusting the
18 amount that you currently have. Recognizing, and it's
19 a concern we have that maybe you don't even have in
20 five years enough time, because the formula may be
21 significantly under, and you may be two or three
22 hundred million dollars lower than the actual
23 decommissioning costs. So, we're looking at the five-
24 year number, we're aware of that. 50.82 also states
25 that "No later than two years prior after shutdown you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 have to come in with a site-specific, and look at
2 detail." And that one will supplement the five-year
3 out, and have some very specifics in it, so I agree
4 with you. We're concerned about it, and that's why
5 we're looking at the formula, and looking at the
6 vendor ratio.

7 And let me make another comment, that
8 we've seen happen, that you mentioned, and that's the
9 spent fuel costs and SAFSTOR costs. As we've reviewed
10 several of the site-specifics, depending on if there's
11 a shortfall or not, initially, we'd see maybe a \$5-6
12 million total cost for an annual SAFSTOR cost, and it
13 would be split 50-50. Now, depending on what's in the
14 trust fund, you may see 75 percent associated with the
15 spent fuel cost, and somebody's played the number game
16 and pushed the annual cost of the plan in SAFSTOR to
17 make sure that the trust fund covers enough of it. So,
18 we have a concern about how those numbers are divided
19 out. Right now, the spent fuel costs are covered only
20 under the fact that they have to submit a plan under
21 50.54(bb). So, that's a concern that we're also well
22 aware of.

23 And I will make another observation. With
24 Fort St. Vrain, as you mentioned, the site cleanup, it
25 was interesting. There was a rail sprint that came

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 into the site. Fort St. Vrain did go back and
2 decommissioned, and then converted the natural gas
3 turbines into -- the HTGR to natural gas turbines. But
4 they had the rail area where it was refueling, and
5 when they went in to put the new diesels and the new
6 generators in, they had 300,000 cubic feet of diesel
7 fuel that had saturated into the soil that they were
8 required to clean up. I mean, it wasn't an NRC cost,
9 but it certainly was a problem, that there are a lot
10 of things that come under the site cleanup cost that
11 is outside of NRC's area.

12 MR. CAPIK: Just one comment, if I can
13 add it. Talking about uncertainty in decommissioning,
14 I recognize the requirement five years prior to
15 shutdown for a site-specific estimate. If I look at a
16 lot of the prematurely shutdown plants, a lot of the
17 surprises that they had in scope happened actually
18 during decommissioning.

19 I know there are other efforts underway
20 at the NRC to deal with things like groundwater, and
21 soil contamination. And I think as time goes on, we'll
22 become better at our estimating techniques. But
23 there's still the potential that even five years prior
24 to shutdown, I still don't have a good handle on the
25 scope of decommissioning, that I'm still surprised.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. PITTIGLIO: Well, I agree with you.
2 We are concerned about soil contamination, especially,
3 as a potential issue. And you may or may not even be
4 aware of it until you start taking the plant apart.
5 And you may wind up taking buildings down that are
6 clean just to get to the contaminated soil under them.
7 I think that the recent numbers we saw for Indian
8 Point indicated several million cubic feet of
9 contaminated soil in their site-specific that came in
10 for Indian Point II and III that were within five
11 years.

12 MR. CAPIK: Other comments, questions?

13 MS. HOFMANN: Sara Hofmann, State of
14 Vermont. I just want to make sure on Table 16 that I
15 understand what goes into the columns. So, on the one
16 marked "License Termination," you took out spent fuel
17 management, and site restoration, and then this is
18 just radiological decommissioning?

19 MR. CAPIK: That's correct.

20 MS. HOFMANN: Okay. Thank you.

21 MR. CAPIK: And, again, that was done
22 using public data was the best we could do. One
23 always has to be careful with actual costs absent a
24 full understanding of exactly what's included in the
25 scope.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. ANDERSON: Ralph Anderson with NEI.
2 Keeping that same table up there, a couple of
3 questions, and maybe NRC needs to confirm those.

4 Correct me if I'm wrong, but the license
5 is actually terminated for each and every one of those
6 sites, or not SONGS Unit 1 yet?

7 MR. CAPIK: Well, let's back up to all of
8 them. Anyone with a general Part 72 license still has
9 their Part 50 in effect. So, when you say the license
10 is terminated, I believe the areas were shrunk, or the
11 area that the Part 50 applied to was shrunk, but the
12 Part 50 remains in effect.

13 MR. ANDERSON: I'll say it differently.
14 The NRC Part 50 license for operating a nuclear power
15 plant is terminated.

16 MR. CAPIK: With the list that's up
17 there, the only one that I believe -- I'm not sure
18 about Rancho Seco. Rancho Seco and Trojan, I believe
19 the Part 50s are both terminated. The rest of the
20 Part 50s are still in effect.

21 FACILITATOR ANDERSON: Larry, hold on
22 just a second. It's important that we get you on the
23 microphone to make this comment. Thanks for bearing
24 with the process.

25 MR. PITTIGLIO: I know for Trojan, they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have a site-specific Part 72 license and terminated a
2 Part 50. But if I'm not mistaken, Yankee Rowe and
3 Maine Yankee may still have the general Part 50
4 license as the mechanism for the dry cask storage
5 facility, so they still have a Part 50 that's isolated
6 into the very small area that's simply the spent fuel
7 dry cask storage facility, but it is under the general
8 Part 50.

9 Rancho, I'm not sure where they are.
10 They may not have terminated a Part 50 yet, and that
11 may be due, again, to the fuel issue as to whether
12 they're going to go to a site-specific Part 72, or
13 keep a general Part 50.

14 I mean, the problem is the fuel. Fort St.
15 Vrain was able to get rid of the fuel because of the
16 agreement with DOE. Shoreham got rid of the fuel
17 because it was almost new, and worked out an agreement
18 with, I believe it was -- they sold the fuel or gave
19 the fuel and \$150 million to one of the plants, and I
20 forgot who it was, because that was how they were able
21 to get rid of the fuel. So, DOE hasn't taken
22 possession of any fuel other than Fort St. Vrain.
23 Okay? So, it's clearly the licensee's elected to
24 either go to a site-specific Part 72, or reduce. And
25 I guess Maine Yankee gave away hundreds of acres, and,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 basically, the site is about six acres is all that
2 remains, which is the dry cask storage facility.

3 MR. ANDERSON: Thanks for that
4 information. Probably, the website for NRC
5 oversimplifies things. It has sort of a scorecard,
6 and it actually shows all of those having terminated
7 their licenses, which I assume from that meant that
8 the radiological decommissioning for everything except
9 for the onsite storage of spent fuel and greater than
10 Class C waste had been accomplished. And I think it
11 does mean that, in fact.

12 So, simplistically, I was wondering, I'm
13 not aware that any of these -- I'll say it
14 differently. If, in fact, it's true that they
15 completed the radiological decommissioning at these
16 sites, I'm only aware of one site that had to go back
17 and get more money, that was Haddam Neck. Maybe I'm
18 off base on that, but what I'm trying to reconcile in
19 my head is, in fact, did these sites successfully
20 terminate their licenses with the funds that they had
21 set aside for that purpose, despite the fact that they
22 had all operated substantially less than the predicted
23 40 years that they were going to operate?

24 MR. CAPIK: I think to answer your
25 question, and I'm not familiar with Trojan, I know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 none of the plants on this list were fully funded at
2 time of shutdown. I know that SONGS was fully funded
3 when it started active decommissioning in '99. And I
4 know the remainder, and I'm not sure about Trojan,
5 collected funds during decommissioning. In fact, some
6 of them just stopped the last year, or so. So, I
7 don't think -- I know none of them were fully funded
8 when they shut down.

9 MR. PITTIGLIO: Ralph, you are correct,
10 though. None of them had, even though they did not
11 have sufficient funds, had a problem with coming up
12 with the funds necessary to clean the plant up. And,
13 in reality, although it has the Part 50 license in
14 some cases, it's only because of a small area,
15 especially in the northeast that elected to use the
16 general Part 50 license, rather than the Part 72. And
17 that's all that's left of the plant.

18 FACILITATOR ANDERSON: There is at least
19 one other question or comment at NRC headquarters.
20 Let me check in with people on the phone. Does anyone
21 on the telephone have a question or comment?

22 MR. HORIN: Hi, Bill Horin with Winston
23 and Strawn. We've alluded to this fact a couple of
24 times, but I want to make sure we're all fully aware
25 of the way the regulatory process is set up with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 respect to the status of the NRC's decommissioning
2 formula amount.

3 The NRC's regulatory process is
4 established to provide reasonable assurance that
5 there'll be adequate funds available to decommission
6 the plant when you need the funds. And the NRC, when
7 the regulation was adopted back in 1988, made
8 abundantly clear that that reasonable assurance is
9 comprised of several different steps. The first is
10 the funding formula amount, the minimum certification
11 amount, and the efforts to -- and then the different
12 mechanisms that are available to fund toward that
13 amount.

14 In addition, we have the updates that
15 take place every two years. We have the five-year
16 before shutdown preliminary cost estimate, and then we
17 have the cost estimate, the site-specific cost
18 estimate that is to be completed within two years of
19 shutdown, along with mechanisms for being able to
20 adjust additional collections, as needed. And,
21 whereas, we may have some uncertainty with respect to
22 any one of those, overall, the regulatory scheme has
23 been very comprehensive, and has worked well. And I
24 think that we need to bear in mind that if we -- when
25 we say that well, this has this factor, and this has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this factor, and it's not -- maybe it's not perfect.
2 The point is that they all work together, so we can't
3 say that, for example, well, this formula amount is
4 off by X percent. It's only part of the overall
5 scheme, so let's make sure we're all fully aware of
6 that, as we talk about this.

7 FACILITATOR ANDERSON: Ralph.

8 MR. ANDERSON: In my role at the Nuclear
9 Energy Institute, this is Ralph Anderson at NEI. I
10 happen to be a health physicist, that's what I do. I
11 think an overlooked part -- the word SAFSTOR, I've
12 observed, seems to be getting more and more of some
13 sort of negative connotation.

14 A major justification that went into the
15 rulemaking for SAFSTOR was not only the issue of the
16 potential for growing funds. A major input to it was
17 the fact that radiation, unlike most other hazardous
18 pollutants, decays naturally to lower levels over
19 time. And those radionuclides that most contribute to
20 worker exposure during decommissioning happen to have
21 relatively short half-lives that decay away over the
22 period of SAFSTOR. In fact, this had a lot to do with
23 defining the period that would be encompassed in
24 SAFSTOR, is it happens to encompass the amount of time
25 that most radionuclides contribute to worker exposure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 actually decay away to nearly zero over that period of
2 time.

3 There was a safety component in that
4 consideration, so please keep that in mind,
5 potentially, later through this discussion, when we
6 start throwing rocks at the SAFSTOR concept. It does
7 have a safety component for real people that come in
8 and do that decommissioning. I've been one of them in
9 the past, and I kind of appreciate that possibility.

10 MR. CAPIK: I didn't mean to say that
11 SAFSTOR was not a desirable option. I just want to
12 speak solely to the financial reasons people want to
13 rely on SAFSTOR. And to caution people that those
14 financial reasons may or may not play out the way they
15 think they will.

16 I agree wholeheartedly that from a
17 radiological standpoint, the delay allows decay of
18 radionuclides, and, obviously, has less exposure to
19 people during the process. There are risks associated
20 with that, however, on waste disposal, and what the
21 costs will do. But I agree, one ought to look at all
22 aspects of SAFSTOR.

23 FACILITATOR ANDERSON: Thank you. Are
24 there any more questions or comments here in the NRC
25 headquarters auditorium?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. ANDERSON: Sorry to keep making
2 repeated comments like this. One that's missing from
3 the list that I find intriguing, I'm sure it wasn't by
4 intent, is the Big Rock Point plant. That's a plant
5 that worked -- operated almost its full operating
6 term. I've not looked closely at the funding issue,
7 so they might look different on this chart. I'm not
8 sure. Also, they're a very small reactor, which would
9 be another offshoot.

10 But the more important issue I wanted to
11 raise is, there they actually developed a very
12 significant alternative for waste disposal, rather
13 than sending it to a waste disposal site at all. Much
14 of the low activity waste, in fact, was disposed of in
15 a RCRA facility through agreements with local
16 stakeholders and the state, and it goes to the ALARA
17 point that you had raised.

18 It would not have been cost-effective to
19 remove the material in that ALARA consideration, and
20 ship it halfway across the country to a low-level
21 waste disposal site, but by working with local
22 stakeholders, it became very cost-effective to dispose
23 of it much cheaper, and much more efficiently, and
24 actually greatly reduced the amount of residual
25 radioactivity that was less to the site.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I only say that because I think we get
2 caught up in this linear thinking that there's a
3 certain way things will be done, but of all people, in
4 your game, what you know is, as soon as you start
5 changing the cost of service, people start changing
6 the approach to adjust to that. In low-level waste,
7 our approach during operation, for example, has to
8 reduce -- has been to reduce the volumes of waste by
9 more than 90 percent over the last 20 years because of
10 market changes.

11 I would expect and surmise the same thing
12 will happen to decommissioning, if, as you say, the
13 waste costs keep going up. People will figure out
14 ways to change the types of waste to adjust to that.
15 And they can. Those technologies are already there.
16 So, that needs to be taken into account, too. These
17 aren't rigid linear processes. They're very
18 interactive like any marketplace. So, I'd just offer
19 that to the thought process.

20 MR. CAPIK: If I can add two thoughts to
21 that. One, on the risk of low-level waste, you
22 mention that it was less hazardous to dispose of it
23 locally. One of the risks that most people ignore is
24 the transportation risk. Highways deaths are real.
25 The risk of shipping this low activity waste all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 way across the country has larger consequences from
2 the shipping perspective than it does from the waste,
3 itself.

4 The other is, as many of us involved in
5 decommissioning know, disposal of waste is
6 opportunistic. A utility will obtain favorable rate
7 structure from a disposer, wherever that is, and
8 that's what drives the actual activities. It's
9 something we can't predict when we do estimates. You
10 have to predict what published rates are. But if
11 opportunities present themselves, whether it's a local
12 disposal site, or whether it's one of the large
13 disposal sites that is looking for volume that year,
14 that's how decommissioning is really done. You take
15 advantage of those opportunities.

16 MR. PITTIGLIO: Larry Pittiglio. Let me
17 make one last comment. Also not included was probably
18 the least contaminated, but most expensive plant in
19 existence, which was Shoreham that wasn't included on
20 that list. But, also, point out that some of the
21 numbers -- Yankee Rowe and some of those plants
22 started under the old Reg Guide 1.86. At that time,
23 25 millirem ALARA wasn't the regulation. And in their
24 free release of material, that had a significant
25 problem, because some of the states had a zero

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 detectible, not 5000 dpm. And that had an impact on
2 the waste cost, also.

3 FACILITATOR ANDERSON: Thank you, Larry.
4 I think in the interest of time, we probably need to
5 make that the last comment or question, but I will
6 check in with those on the phone one more time. Does
7 anybody on the telephone have a comment or question on
8 this topic? Great. Thank you for the presentation.

9 MR. CAPIK: Thank you.

10 (Applause.)

11 FACILITATOR ANDERSON: The next
12 presentation is from a member of the New York State
13 Attorney General's Office.

14 MR. SIPOS: Good morning. My name is John
15 Sipos. I'm an Assistant Attorney General from the
16 State of New York. With me here today is a colleague
17 of mine, Assistant Attorney General Adam Dobson, and
18 another colleague of our's, Charlie Donaldson, is at
19 the other breakout session.

20 First, I'd like to thank NRC for inviting
21 the State to come to this presentation. We certainly
22 appreciate being here, and being included in the
23 process. It is a process that, perhaps, previously
24 the states and other local governments have not been
25 included in, as much as they should be, and we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 certainly appreciate that here.

2 A little bit of background about the
3 office that I come from, the Attorney General's
4 Office, and the Environmental Protection Bureau,
5 probably for the last 35 years, we've handled a number
6 of large-scale environmental remediation projects
7 involving sites within the state, including Love Canal
8 with Hooker Chemical. Right now we're working with --
9 we're working on the Hudson River issues with General
10 Electric. And we've also -- we've had a whole host of
11 other moderate-size sites with varying degrees of
12 environmental complexity, and with various responsible
13 corporate parties.

14 We've also had a great deal of experience
15 with bankruptcy. Perhaps of all the states, we have
16 some of the most experience in bankruptcy, also
17 including the federal government. Yesterday, there was
18 a hearing General Motors bankruptcy. It will be
19 continued on tomorrow. We've gone through -- we've had
20 issues with Mirant and a number of other companies. So
21 hopefully, our comments that we provide today come
22 with some experience, some real world experience of
23 having dealt with some complex issues. That was just
24 by way of background.

25 Also, before we actually get into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 slides, perhaps an overarching theme today of the
2 presentation that we would like to give is that the
3 State of New York has concerns that there is a -- that
4 there may be a shifting of uncertainty and risk
5 through this whole decommissioning process, and
6 however one wants to define that. Shifting
7 uncertainty and risk onto states, localities, and
8 tribal governments. And it's certainly something that
9 the state is concerned about.

10 We are going to be discussing, or I hope
11 to be discussing a number of lessons learned from the
12 recent financial crisis that we've experienced here.
13 But I want to make clear that although there are
14 lessons to be learned from that, those are not the
15 only lessons that we wish to present here today
16 concerning bankruptcy, excuse me, concerning
17 decommissioning, that there are other systemic,
18 perhaps even larger issues that are motivating the
19 state's concerns. And while there are lessons from
20 what happened in the last two years, there are broader
21 lessons, as well.

22 So, having said all that, if we could go
23 to the first slide. This is just an excerpt from the
24 recent FCIC report, which makes pretty good reading,
25 both the Minority and Majority reports, very good

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 read. And the state is concerned that there is
2 potential for a looming crisis here with
3 decommissioning of the facilities. And that a number
4 of the observations made throughout that report could
5 well be applicable here, and we urge the NRC to review
6 that report. We brought a copy of it with us today,
7 and to apply some of the lessons learned from that in
8 going forward in decommissioning. If we could go to
9 the next slide.

10 New York has experience, or has eight
11 power reactors. We've listed them here. They have
12 various -- they had various operating license terms.
13 A number have been renewed. Indian Point is going
14 through the process now, and then the one at the
15 bottom has been alluded to several times today,
16 Shoreham. And just to note that -- I mentioned General
17 Motors, I mentioned GE. We've also gone through the
18 Shoreham experience. If we could go to the next slide.

19 Another experience that we also want to
20 bring to the table and underscore is the experience
21 that we've had with the West Valley site. I'm sure
22 folks here are well aware of that. It is, obviously,
23 not a power reactor, not pretending otherwise, but the
24 costs for the remediation of that site are
25 substantial. I think that's an understatement to say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 how expensive that is. And right here, we're
2 referring to federal government reports. We have the
3 DOE Environmental Impact Statement, we have the GAO
4 report. That is going to be a substantial financial
5 commitment to clean that up. And, again, it informs
6 the state's concern in this area. If we could go to
7 the next slide.

8 Again, we think there are lessons to be
9 learned from the financial crisis. We understand that
10 there were some shortfalls in various accounts over
11 the last -- various decommissioning accounts over the
12 last two years. But, again, the state's concern is
13 that folks not say oh, it's just the financial crisis
14 in 2008, and everything can go back -- everything has
15 restored itself, everything is honky dory, and we
16 don't have to worry about it. But we do think there
17 are some lessons there, and we've outlined them, and
18 we hope that they can inform the NRC process here.

19 Again, listen to those who identify the
20 risks, identify the unintended consequences. I think
21 we've heard today from a number of the presentations
22 already, including Ed Abbott's just recently
23 concluded, that there are a number of uncertainties, a
24 number of risks, a number of unknowns.

25 Insure transparency, the State of New

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 York is always concerned about insuring transparency
2 in dealing with decommissioning, and in dealing with
3 these matters, in general. And avoid unnecessary
4 complexity. If we could go to the next slide.

5 Taking some of these themes forward in
6 some more detail, when the NRC posted the notice of
7 today's meeting, it identified a number of topics that
8 it thought might be -- folks might want to consider
9 discussing, and we're going to get to them in a little
10 bit more detail; parent companies, SAFSTOR, and the
11 funding formula, itself. If we could go to the next
12 slide, please.

13 State has concerns about the parent
14 guarantee mechanism, in general. And, as we know, if
15 a guarantor falls out of compliance, it is
16 questionable, it is unlikely, perhaps, that the
17 guarantor will have the financial capacity to fund the
18 shortfall. And there are also within the parent
19 guarantee paradigm, there are other risks that the
20 state is also concerned about. Corporation
21 reorganization, we've just been through a process
22 along with the State of Vermont for a proposed
23 corporate reorganization for one of our licensees in
24 which several Merchant plants were proposed to be spun
25 off from a larger corporation into a new corporation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that was just going to be the Merchant plants in the
2 northeast. And that is the Enexus proposal.

3 Although NRC approved that proposed
4 corporate restructuring, the States of Vermont and New
5 York, separately, raised concerns before their Public
6 Service Commissions, or their respective Public
7 Service Commissions. And, ultimately, those
8 regulatory bodies decided it was not in the public
9 interest for that to go forward. But therein lies
10 another issue here of Merchant plant -- of concern for
11 the states, which is the Merchant plants.

12 When Connecticut Yankee, Haddam Neck
13 needed money, my understanding is that it was able to
14 go to its rate payers to make up the shortfall. It is
15 not clear what a Merchant plant that has ceased
16 operation, and has only the assets of its structures,
17 what it can do. And that does pose additional risks.
18 And regarding the comment, I think, from Winston and
19 Strawn earlier about the 1988 rulemaking, I do think
20 that that rulemaking preceded a large trend in the
21 energy sector towards to deregulation. At least in New
22 York State it did, before we had these Merchant
23 facilities, so that is a concern.

24 Bankruptcy is another concern. I'll
25 touch on it just briefly. As I said in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 introduction, we are well versed in the drill in
2 bankruptcy, and what can and what is, and is not
3 possible in bankruptcy. And it is a substantial
4 concern on the state's part. And we, respectfully,
5 suggest that it should also be a concern for the
6 federal government, and for the NRC.

7 Ultimately -- also, not on this list, but
8 we'll touch on it a little bit later, as well,
9 SAFSTOR. It's another way, it's another uncertainty,
10 it's another question mark. It's, essentially,
11 another potential risk which ties into are these
12 corporations, are these Merchant plants, are these new
13 co, or old co, or bankrupt estates, where are they
14 going to be in 60 years? How is the obligation to
15 fund one's decommissioning, how is that going to get
16 transferred three generations out, six decades out?
17 It would seem prudent to insure that the monies are
18 set aside, and are set aside in a manner that protects
19 them from bankruptcy, and protects them from corporate
20 reorganization, so that the tribal governments, the
21 localities, and the states are not left with a very
22 difficult choice down the road, facing a company that
23 maybe cease to exist, or a company that no longer has
24 sufficient assets, and leaving a site as an
25 unremediated site that can't be developed, can't be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 returned to society, or having to pay for it. That is
2 a choice, that is a situation that the local
3 government should not have to be placed into.

4 If we could go to the next slide about
5 net present value. I know NRC asked for some
6 thoughts. I know this has been an issue at the staff
7 level, and at the Commissioner level. I know NEI has
8 weighed in on this.

9 The State of New York's position is, we
10 have concerns about the parental guarantee, and we
11 question why one would go forward with the net present
12 value. There are a number of variables here, and from
13 the state's perspective, all of them are unknown. And
14 while it may be appropriate in financial markets for
15 investment purposes, the state submits, respectfully
16 so, that this device, this mechanism should not be
17 used for something as important as insuring that these
18 sites are cleaned up.

19 Just to run through the variables here.
20 And, again, they're on the PowerPoint. There are a
21 number of uncertainties. The date the parent
22 guarantee may be called, the amount, and the discount
23 rate. All of these are uncertain, and they build on
24 other factors, which are also unknown, including on
25 this slide and the next slide, which we could go to.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The labor costs, the waste disposal costs, the
2 transportation costs, and the growth of the fund, and
3 I think Mr. Abbott's presentation of a few moments ago
4 touched on those. And I don't want to belabor it, but
5 why a regulatory regime would bring on additional risk
6 for something this important? It seems that there's
7 no basis for it. And we, in the State of New York,
8 would urge the Commission staff, and the
9 Commissioners, not to go down the net present value
10 route in this situation for decommissioning. If we
11 could go to the next slide.

12 Reporting. Again, providing some comments
13 on RIS-2010-XXX. The state suggests that instead of
14 looking at snapshots, and running into the problems
15 that were identified in the recent financial crisis,
16 that there be an average that will avoid the
17 possibility of people moving monies around, so having
18 accounts seem appropriate one day, and then
19 restructuring them, or moving them on for another.

20 There's been some discussion today about
21 funding or obligations that are outside the NRC
22 decommissioning realm. And the state would again
23 respectfully suggest that the NRC and the industry not
24 use the word "may." May means it's not going to
25 happen. We think it must happen, that the items which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 go beyond the NRC decommissioning issues, but could
2 touch on state site restoration issues, or other
3 issues, we think they have to be disclosed.
4 Otherwise, the states and the localities are at a
5 great disadvantage, and it really does not foster any
6 type of collaborative relationship, or cooperative
7 federalism, if you will, for there not to be
8 disclosure about that. If we could go to the next
9 slide.

10 Again, I know these issues have been
11 discussed both at the staff level, and the
12 Commissioner level. The state still has a concern
13 that the current structure will allow for there to be
14 lack of compliance for up to three years. And moving
15 on to transparency, and, again, that is something the
16 State of New York is very committed to.

17 The decommissioning fund estimates must
18 be served on the states and the localities, and they
19 must be immediately posted on ADAMS. Having it come
20 to the NRC, and not being publicly available is not
21 assisting the states at all. It's, frankly,
22 frustrating the states.

23 And tying on -- if we could go to the
24 next slide, tying into the next slide, and coming back
25 to the issue about site restoration, and state

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 regulation, there have been a number of NRC staff
2 circulars out to the industry discussing issues, such
3 as commingling, or moving funds from state restoration
4 accounts into the NRC-regulated decommissioning
5 account. The State of New York has a substantial
6 concern about this, and has had some experience with
7 that, as well. In a corporate sale of assets for the
8 Indian Point facility, it appears that certain funds
9 that were set aside for state-regulated site
10 restoration were moved, or no longer exist, and were
11 moved into federal-regulated decommissioning funds.
12 We have tried to raise this issue a number of times
13 over the last two years, and have not yet received an
14 explanation as to what happened. And, in fact, in
15 some instances when the question has been raised, I
16 believe by someone at the New York State Public
17 Service Commission, they were told that that was not a
18 matter of their concern, and there was no response
19 provided.

20 That's just unacceptable to the State of
21 New York. The state has a right to know what happened
22 to that state-regulated site restoration account, and
23 it's also entitled to have that money back. And it
24 would also be appropriate, we submit respectfully to
25 the NRC, to understand whether the NRC decommissioning

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 account was somehow inflated as a result of that
2 transfer.

3 The next bullet point on this slide is
4 about the use of decommissioning trust funds. And I
5 know the State of Vermont will speak to that, perhaps
6 in more detail. I don't want to belabor the point,
7 but the State of New York is very concerned about that
8 use. I think as we heard in the colloquy here this
9 morning between both sides of the meeting room here,
10 my understanding from that colloquy is that the NRC
11 does not view spent fuel management as being
12 encompassed within the decommissioning funding. And
13 if I'm wrong that, I'd love to be corrected on that,
14 but I'm getting a few nods around the room.

15 From the state's perspective, we wonder
16 why one would take from Peter to pay Paul. There
17 appear to be a number of risks and uncertainties, and
18 unknowns about decommissioning even as the NRC
19 describes it, so why folks would take money for spent
20 fuel management away from decommissioning, and leaving
21 those funds further underfunded raises substantial
22 questions to the state.

23 And if there are any thoughts or requests
24 to do that, or initiatives, the state would certainly
25 wish to be included in any preliminary discussions, in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 any requests, and have advance notice of that. If we
2 could go to the next slide, please.

3 Moving towards an issue about Monte
4 Carlo, the state does have some concerns about the use
5 of models, and how they work out, and how they don't
6 work out when subject to various stress tests, or
7 shocks. I was thinking in preparing my remarks today,
8 what have I encountered in my life in terms of
9 financial uncertainty, and I was going back to Black
10 Friday in October 1987, long-term credit management,
11 dot.com, World Com, Enron, the real estate bubble, and
12 everything else that has happened in the last few
13 years, and the models didn't always work.

14 There's a book out now, I think it
15 actually makes a nice bookend to the FCIC report, it's
16 by Scott Patterson, who's a Wall Street Journal
17 reporter, it's called "The Quants," always a good
18 Scrabble word. And he details the problems with the
19 mathematical models that were used by a number of
20 private equity folks, and how they did not always work
21 out in extreme market situations.

22 And there is also discussion in there
23 about how the SEC, essentially, let the banks off the
24 hook from a regulatory perspective. And we would --
25 we, in the state, would hope that that -- again, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 those lessons could be learned. But this is really a
2 way to segue into the next slide, and if we could have
3 that up on the screen.

4 Monte Carlo, I know there's been another
5 presentation this morning that we weren't able to
6 attend. I'm looking forward to hearing what happened
7 there. But the state has concerns about that, and
8 suggests that the NRC and an outside auditor perform
9 the evaluation. Perhaps it could be GAO, perhaps it
10 could be another independent body, but to insure that
11 the assumptions that go into these models are
12 understood, and understood to everyone, not only the
13 licensees, but to the rating agencies, the host
14 communities, the states, so that everyone has a good
15 idea of what's going on. If we could go to the next
16 slide. Again, this goes back to will the models always
17 work? And there are -- the state does have concerns.
18 If we could go to the next slide, please.

19 There's also a discussion -- we've heard
20 a lot of discussion about SAFSTOR today. I heard NEI
21 saying they don't -- they're not too pleased. They
22 think about -- they do not wish to hear SAFSTOR be
23 criticized. And the state does, however, have
24 concerns about SAFSTOR.

25 The state understands that SAFSTOR came

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 about for radiological exposure purposes, and that was
2 it. And it was not meant, or was not initially
3 intended as a device to grow decommissioning accounts.
4 And, again, we would respectfully suggest that using
5 SAFSTOR to grow an account that's underfunded, taking
6 it out 60 years, is not within the spirit, and is not
7 within the intent of SAFSTOR. And we would encourage
8 the NRC to make that clear, that as we move out on
9 time, as we move out on the time line that is going to
10 increase the risk. And, again, we're going to get
11 into situations where we're talking six decades, three
12 generations down the road. And there could be great
13 uncertainty, and great risk involved in that. Next
14 slide, please.

15 Again, one reason we think the NRC and an
16 outside neutral evaluator should be discussing, or
17 analyzing these models is so that everyone, including
18 the licensee, including the financial markets,
19 including the rating agencies understand what is going
20 on. Next slide, please.

21 As the state has tried to make clear in a
22 number of comments in a recent rulemaking, which I
23 believe is available on ADAMS, the state does have
24 concerns about the funding formula, and that the
25 funding formula does not, necessarily, take into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 account subsurface contamination.

2 Subsurface contamination is, most
3 assuredly, an issue that the State of New York is
4 concerned about. The Indian Point facilities have
5 experienced long-term subsurface releases. I don't
6 think that's a surprise to anyone in this room. And
7 in a recent 2009 request for additional information,
8 the NRC staff noted that there could be a million or
9 more cubic feet of contaminated soil that would be
10 swept into the decommissioning, or the site
11 restoration of the facility, and how is that going to
12 be paid for? I totaled up the paragraphs just before I
13 -- I think it was something like 1.7 million cubic
14 yards, just in that RAI alone. So, we respectfully
15 submit that this formula, which was promulgated some
16 time ago, does not, necessarily, take into account the
17 situations where we have subsurface contamination,
18 especially long-term subsurface contamination. Next
19 slide, please. And we have seen that subsurface
20 contamination can materially effect decommissioning
21 costs.

22 In the most recent TLG report prepared
23 for Indian Point, there is even an acknowledgment of
24 that. And we've also seen that, we understand, at
25 Yankee Rowe, and Connecticut Yankee. And there are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 other plants in New York in which that also has taken
2 place.

3 So, I know we want to stay on schedule,
4 and if I could sum up, we have a conclusion, if we
5 could go forward. The State of New York is very
6 concerned about being faced with a choice 10 years
7 from now, or 60 years from now, where it must choose
8 between two unpalatable alternatives, between leaving
9 a contaminated site where there was insufficient funds
10 unremediated, and, essentially, unused for a very long
11 time, or paying out scarce state resources to clean up
12 a site, when, in fact, here and now there is a
13 responsible party that could pay for it.

14 In concluding, just if I could sum up,
15 we're very concerned about the conversion diversion of
16 state-regulated monies. And we, frankly, think there
17 should be a disgorgement order returning those monies
18 back to the state. We're concerned about the net
19 present value. We're concerned about SAFSTOR. We're
20 concerned about the straight-line formula that we see
21 back in 50.75. And it should not be -- while there
22 are many opportunities for industry, we, at the state,
23 have not seen in any clear or transparent manner what
24 is motivating the net present value. We don't
25 understand it. We see multiple uncertainties in that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 formula, and we don't think a case has been made for
2 it. In fact, we think recent events over the last 10
3 years in terms of site restoration, and subsurface
4 contamination would argue strongly against it. So,
5 lastly, the state submits that it should not -- the
6 risk of uncertainty should not be transferred on to
7 the state, or to the localities, to the host counties,
8 or to tribal nations where applicable. I'd be happy to
9 take any questions.

10 FACILITATOR ANDERSON: John, thank you
11 for that presentation, your comments, and concerns. I
12 see one hand up in the NRC auditorium. Are there any
13 other immediate comments or questions?

14 MR. HORIN: Thank you. John. Bill Horin
15 with Winston and Strawn. Thank you for the
16 presentation. That very clearly laid out several
17 concerns that the State of New York has. And, also,
18 thank you for pointing out that my comment with
19 respect to the 1988 rule was, in fact, before the
20 changes in the industry when we went to a more
21 deregulated environment. So, let me supplement my
22 earlier comment.

23 There were, subsequent to the 1988 rule,
24 at least three major rulemakings, including an NRC
25 policy statement issued to address the issue of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 deregulation and Merchant plants. And there were
2 several changes that were made to the regulations for
3 that specific purpose, including the eliminating the
4 sinking-funds funding approach, establishing more
5 specific criteria for the merchant plants with respect
6 to investment criteria, notification of the NRC with
7 respect to the use of funds. And, in addition, the
8 NRC guidance was amended to assure that in the event
9 of a shortfall, merchant plants were to make that up
10 more quickly than a regulated utility. So, there were
11 a number of changes in the overall intent, and I think
12 it has served well, was to assure that we continued to
13 have a regulatory scheme that provided reasonable
14 assurance with merchant plants, as well as the
15 regulated plants.

16 MR. SIPOS: I guess I would just say in
17 brief response, we still think at the end of the day,
18 if you have a merchant facility that's, essentially,
19 on its own, no lifeline, and for whatever reason, for
20 a business reason it decides to cease operations, and
21 its decommissioning funds, and its site restoration
22 funds are not up to par, so to speak, or doesn't take
23 into account subsurface contamination ,we wonder if
24 the state is going to be given a fait accompli.
25 Here's the 500, 800 million, and it's going to cost

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 1.5 billion. Good luck, and we don't want to be in
2 that position.

3 MR. ANDERSON: Ralph Anderson, NEI.
4 Could we, possibly, return to Slide 19? I, actually,
5 just had two questions about it. I thought I was
6 reasonably familiar with the decommissioning of
7 Connecticut Yankee, so I just wanted to make sure I'm
8 reading the slide right. The slide is saying that the
9 radiological decommissioning at Vermont Yankee cost
10 \$1.2 billion?

11 MR. SIPOS: Connecticut Yankee. I have
12 seen documentation where the total cost, and I cannot
13 -- as I stand here right now, I can't break it down,
14 but that the total costs have exceeded \$1 billion.

15 MR. ANDERSON: Yes. I'll just offer that
16 probably both of us ought to go back and look at the
17 data. I just tell you on the outset that that --
18 knowing what the site was funded at, I can assure you
19 the State of Connecticut did not go to the rate payers
20 for \$800 million. That did not happen.

21 MR. SIPOS: I, actually --

22 MR. ANDERSON: And the licensee has
23 terminated, so I have to assume that somehow the
24 monies have all been spent. So, we should both go look
25 at the information. That was my second question, is I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 just wondered what -- oh, were you also inferring that
2 that was because of subsurface contamination?

3 MR. SIPOS: Yes. And I know from a public
4 meeting, and forgive me, I can't recall which one, but
5 I know recently that NEI has said that if there was
6 subsurface contamination, that its component -- it was
7 a small pie wedge.

8 MR. ANDERSON: Right.

9 MR. SIPOS: I have seen that.

10 MR. ANDERSON: Again, the State of
11 Connecticut has that information. It was about \$24
12 million.

13 MR. SIPOS: I'm sure --

14 MR. ANDERSON: If you contact your
15 counterpart, he can probably get that information.

16 MR. SIPOS: Right. We could both go to
17 the State of Connecticut, or its Attorney General, or,
18 I guess, Senator and ask.

19 MR. ANDERSON: That's where I went. \$24
20 million was the number they gave me.

21 MR. SIPOS: I know there was a pipe that
22 was leaking, that hadn't been detected for, I think,
23 many years. I'm going out on a limb there, but I
24 think it was not quickly found. And that there was a
25 plume under that facility. My understanding is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they discovered it during decommissioning.

2 MR. ANDERSON: Yes.

3 MR. SIPOS: And I know there were
4 differences of opinion between Bechtel and the owner
5 of the plant. I saw a Hartford Current article where
6 FERC did have to arrange for a large rate increase for
7 the Haddam -- for Connecticut Yankee. So, I know that
8 their decommissioning costs greatly exceeded what they
9 had in the bank, so to speak, for that facility.

10 MR. ANDERSON: Yes. Again, I don't have
11 a slide, and I wasn't invited to make a presentation,
12 so I'll just offer up that my understanding from
13 talking to the State of Connecticut was that the
14 additional monies that had to be recovered were on the
15 order of \$40 million, and that \$24 million of that was
16 to address the contamination situation that you
17 described, which, in fact, was leakage from the spent
18 fuel pool, actually, directly underneath the reactor
19 building, which they neither knew about it, nor when
20 they got to it, could they continue further until they
21 tore the whole building up. And it does represent, in
22 a sense, kind of a worst case of undetected
23 contamination; at least, as a lesson learned operating
24 experience was the way we've been looking at it.

25 We had to resolve that, because,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 obviously, if your numbers are right, then we've got a
2 totally wrong view of the impact of subsurface
3 contamination. And although I'm skeptical, I'm
4 willing to go back with an open mind and look at the
5 data.

6 FACILITATOR ANDERSON: Are there any
7 other questions or comments in NRC headquarters for
8 John?

9 MR. FREDRICHS: This is Tom Fredrichs
10 from NRC. And I can comment on Connecticut Yankee to a
11 certain extent. In fact, that was my first job when I
12 came to the NRC for the three years, was the initial
13 decommissioning at Connecticut Yankee. And the \$1.2
14 billion would include spent fuel costs, and some other
15 remediation costs outside of the NRC costs, but the
16 same time, if you go back and look at some of the
17 reports that Connecticut Yankee sent to us, as I
18 recall, it came out to around seven hundred some
19 million dollars, which they are talking about as the
20 radiological decommissioning, which was far above the
21 formula amount.

22 The amount of contamination in the soil,
23 they don't have to give us very detailed information.
24 And looking through our records, and looking through
25 FERC records, I tried to piece it together, and my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 best guess was that there was somewhere in the 30 or
2 40 million dollar range for that particular point.
3 And if you read through the full record, it's rich in
4 anecdotes about what happened, and trying to
5 coordinate several independent parties to get that
6 cleaned up. But I can say with confidence that the
7 radiological portion all together was much above what
8 our cost estimate was.

9 The other thing I wanted to ask, John, is
10 you mentioned about bankruptcy. And one of the
11 concerns that I'll talk about later with the parent
12 company guarantee is, when you try -- in a bankruptcy
13 situation, exactly what could a party expect to
14 recover given that they did have a guarantee. And
15 then when you think about the net present value of it,
16 it has a lower face amount. I mean, if you could
17 comment on what might be recoverable given a parent
18 company guarantee.

19 MR. SIPOS: Right. Our understanding --
20 actually, let me retract that. I'll give my personal
21 view for this one question. My understanding is that
22 in a bankruptcy context, that the parent guarantee
23 scenario is -- from a regulatory creditor perspective,
24 is not as strong as you might like as a regulatory
25 creditor. Again, depending on how it's structured, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 could toss out a lot of hypotheticals. But that a
2 regulator may be in a weaker position, if that regime
3 is being used in bankruptcy, and how it is structured.
4 I don't know if that's -- well, why don't I just say,
5 I think it's a position that is not a position of --
6 there are stronger positions for bankruptcy to make
7 it more -- to make it ironclad so that one is not
8 seeing claims diluted to dimes, or quarters on the
9 dollar. And I'd be happy -- we could talk about that,
10 also.

11 FACILITATOR ANDERSON: All right. We're
12 running a little bit short on time. Let me check in
13 briefly with those on the telephone. Are there any
14 comments or questions on the phone? Okay. We'll go
15 to Larry Pittiglio, you have one last quick comment or
16 question.

17 MR. PITTIGLIO: Yes, one last comment.
18 With regard to the costs that you see up there, PNNL
19 and I have been looking at all of the reactors that
20 have gone through decommissioning, including those.
21 And I will tell you that the numbers are confusing.
22 We have looked at several different descriptions of
23 the same plant, and the numbers are very
24 significantly, and it's very difficult to find out
25 what the number consists of.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Tom mentioned the numbers have been
2 higher than the formula, but many of them include
3 green-field spent fuel costs, and, historically, a lot
4 of those have occurred more than 10 years ago. And
5 we've had significant problem in really trying to
6 breakout what it really reflects.

7 MR. SIPOS: If I could just follow up on
8 the last three comments. I know there's been a whole
9 discussion about groundwater contamination, an
10 Executive Task Force on that. And I've seen comments
11 in the colloquies there where folks say okay, well, if
12 one is not going to do prompt remediation of a leak,
13 it's going to come later. It's going to come in
14 decommissioning. So, it can't be both ways. It can't
15 be not clean it up immediately, and then under fund it
16 for decommissioning.

17 FACILITATOR ANDERSON: Thank you, John.

18 MR. SIPOS: Thank you very much.

19 (Applause.)

20 FACILITATOR ANDERSON: The next
21 presentation is from the Vermont Public Service
22 Commission.

23 MS. HOFMANN: Hi. The first thing I'll
24 say is, I'm Sarah Hofmann. I'm from the Public
25 Service Department, and there is a difference. We're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the advocacy arm of the Administration, and the Public
2 Service Board is what you would think of as the
3 Commission, just so there's no confusion about who I
4 represent.

5 I first want to say thank you to the NRC
6 for inviting me today. It was really nice. Tom
7 reached out to the states, and wanted to get some
8 input. And, frankly, sometimes Vermont is critical of
9 the NRC, so I really wanted to say it was really
10 wonderful that you would still reach out and say we
11 want you to be heard. And we want to thank the NRC.

12 I also hope there are some -- you know,
13 states don't get to travel any more. You know, we
14 never get to travel, so NRC was very kind to actually
15 help us with our travel. But I do hope there are some
16 states on the phone, because I see really that the
17 room is full of industry. And I just hope there are
18 some more states listening, because they really need
19 to hear this, and understand what's going on, because
20 it affects their states directly.

21 And the final thing is, before I head
22 into my presentation, is that I'm actually -- for
23 those who are concerned that I'm advocating that spent
24 nuclear fuel be included in the decommissioning
25 funding assurance, that's not what I'm saying today.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I'm actually saying it's a concern, it needs to be put
2 somewhere, but not, necessarily, in the
3 decommissioning fund. So, first slide.

4 So, everybody here is familiar with the
5 new Waste Confidence Rule. And, basically, if we're
6 talking about the new plants, or the re-licensed
7 plants, we're talking about, basically, 80 years, 20
8 years plus another 60 years. And then the next slide,
9 I know you're all really familiar with this material,
10 is that it also says that the Commission believes
11 there is a reasonable assurance of a geological
12 repository, basically, when necessary. So, that takes
13 me to my third slide, which you don't get much humor
14 here at NRC.

15 This is, if you don't recognize it, it's
16 Yucca Mountain, and there is the geological repository
17 fairy, and she's going to make it possible when the
18 time comes. But it really does bring up a serious
19 point, which is, we don't have a geological
20 repository. We don't really even have a plan. I know
21 the Blue Ribbon Commission is working very hard to
22 come up with a plan, but it's not going to also be a
23 siting body, either. So, we really don't have anything
24 for spent nuclear fuel. So, for me, this has brought
25 this issue to the forefront, that what are we going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 do about spent nuclear fuel, when there really isn't a
2 geological repository fairy, or a Yucca Mountain on
3 the horizon.

4 We really, at this point -- next slide,
5 please. There really isn't any repository on the
6 horizon, and the states may have spent nuclear fuel on
7 site for an indefinite period of time. And what I am
8 advocating is that you, as licensees, and the states
9 as the regulators, and NRC need to make a plan for the
10 spent nuclear fuel management by your licensee
11 indefinitely.

12 And I know you're going to say oh, it
13 doesn't have to be indefinitely, and we actually hope
14 that's true. We hope that there is something on the
15 horizon soon, so we all know that there is nothing
16 indefinite about it. But, right now, we don't have a
17 plan. And because we don't have a plan, I am actually
18 calling on the states, and the NRC, and the licensees
19 to make sure that there is adequate planning for what
20 we're going to do about spent nuclear fuel management
21 in the next 20 to 100 years. Next slide, please.

22 I don't want to at all make you think
23 that the states are taking on this responsibility. It
24 is the operator's responsibility to take care of spent
25 nuclear fuel until the day that the Department of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Energy actually comes and takes it. But what I am
2 suggesting is that the states are responsible, and the
3 NRC is responsible for making sure that you, the
4 licensees -- I want you to be responsible for
5 yourselves, and I think that's where you're at, as
6 well. That you want to have a plan for what you're
7 going to do about spent nuclear fuel now that the
8 federal government has, basically, let us all down.
9 Next slide.

10 You're all very familiar with this, I am
11 sure, which requires that the licensee within two
12 years following permanent cessation of operation, or
13 five years before expiration of the reactor operating
14 license comes to a close, is supposed to be actually
15 providing the NRC with written notification, and some
16 funding assurances. But my point really is that, if
17 you turn to the next slide, is that I'm concerned that
18 we're waiting so late in the process to actually ask
19 the operators to put funding aside. And I don't know,
20 maybe some of you have set aside money for this. And
21 I know a lot of people are depending on the Department
22 of Energy, and the damages you're going to get. And
23 we're going to talk about that a little bit later. But
24 the idea that we shouldn't wait until the five years
25 before the end of life to start a fund to take care of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 spent nuclear fuel.

2 The decommissioning trust fund, we've
3 talked about by a number of people today, is for
4 radiological decommissioning of the plant. It's not
5 really meant for spent nuclear fuel management, and if
6 you're going to use it for that, I think you do have
7 to get a waiver. I think there have been a couple of
8 waivers filed, but I think they were withdrawn. I'm
9 not sure anybody's been actually granted a waiver, but
10 I'm unsure of that. Next slide, please.

11 Our estimates from looking at some of the
12 documents we can get a hold of publicly, is that
13 monitoring, and maintaining, and securing the spent
14 nuclear fuel at an ISFSI will cost between \$4-8
15 million per year. I think that some of the operators
16 are toward the low end of that, and some are maybe up
17 more toward the high end. But, at this point in time,
18 I think it would be fair to say that you should be
19 considering having licensee building a fund over the
20 remaining operating life of the reactor that would
21 throw off \$6 million into perpetuity until we have
22 something more definite.

23 For those who are starting on a new
24 license period, that gives you time to build this fund
25 up. For those of us, who like Vermont Yankee, we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 almost at the end, and there is no fund, it really is
2 a problem. And I, actually, agree with the State of
3 New York, that that leaves us in a very bad situation
4 in terms of what's going to happen to a site like
5 that. Slide 10, please.

6 This is an example using Vermont Yankee.
7 There are all kinds of funding estimates that have
8 been done by TLG. There have been funding estimates
9 done by our own -- the state hired a company called
10 GDS, so this is just one scenario. I just picked it,
11 because it had had some realistic representations, as
12 far as I was concerned. And it shows that one of the
13 estimates for radiological decommissioning, we're
14 talking about the three buckets that other people have
15 talked about today, radiological decommissioning, \$656
16 million, \$219 million for spent nuclear fuel, and that
17 is if DOE removes the fuel by 2042, which I have put
18 an editorial comment in. I think that's unrealistic.
19 And then \$40 million for site restoration, also
20 bandied about in our state is called green-fielding.
21 And the value of the decommissioning fund on January
22 31st, 2011 for Vermont Yankee was \$479 million, plus a
23 \$40 million parental guarantee. And that did satisfy
24 the NRC in terms of when they did do the
25 decommissioning funding assurance, so that total --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and they were using an earlier decommissioning
2 number. I actually included on this slide the latest
3 number that we have from Vermont Yankee on the value
4 of the trust. But, as you can see, if you include all
5 three buckets, there's not enough money. I'm not
6 probably saying anything that's really rocket science
7 here, but we need to plan for those other two buckets.
8 Next slide, please.

9 I think this is just considerations. The
10 first one is, do you have a merchant plant, or a rate-
11 regulated plant? Obviously, if you have a rate-
12 regulated plant, you can probably count on the rate
13 payers going forward to actually help you build that
14 fund, because you are a rate-regulated plant. And that
15 could be taken into consideration, that you do have
16 this captive rate payer base to help build that fund.

17 For the people who have merchant plants,
18 there's no mechanism like that, and there shouldn't
19 be. The merchant plants came in, they bought the
20 plant, they wanted to run the plant, and at the time,
21 they also took on all the responsibilities for
22 decommissioning, spent nuclear fuel management, and
23 green-fielding. So, I think there's a little more
24 alarm, or a little more concern for those with
25 merchant plants versus the rate-regulated. But,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 still, building those funds up is really what I'm here
2 to advocate for.

3 Another consideration is, obviously,
4 there are going to be damages for the breach of
5 contract by Department of Energy. Some operators
6 would say well, that money is going to continually
7 come in. That's how we'll fund spent nuclear fuel
8 management, which is great. And I hope everybody does
9 recover, because the Department of Energy did breach
10 their contract. The problem is, it's always coming in
11 after-the-fact, and most of you want to reimburse
12 yourself for costs you had, which is a legitimate
13 thing to do. You had to purchase those spent fuel
14 canisters, because the DOE breached. But that doesn't
15 help us build up the spent nuclear fuel fund. And it
16 also is, if you want us to depend on the money coming
17 from the federal government over the next 100 years,
18 it's also shifting the risk back to the states, and it
19 should really remain with the operator who bought that
20 plant, and wanted to run that plant, and took on that
21 responsibility at the time of the sale of that plant
22 to them.

23 Obviously, large decommissioning fund
24 balances, maybe some of those plants can ask for a
25 waiver and use some of that money for spent nuclear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 fuel management, or for green-fielding. I mean, that
2 should be a very strict process at the NRC to look at
3 those waivers, to make sure that there is enough money
4 first for that radiological decommissioning, because
5 that's what that trust fund was set up for. And, of
6 course, there are probably states that have agreements
7 with your licensees that would also have to be taken
8 into consideration when looking at building a fund,
9 such as this.

10 So, that's my -- it's a little different
11 than what the NRC and Tom was interested in when he
12 asked us to come speak, but he was kind enough to let
13 me talk, anyway. But we also will be sending some
14 comments in about the net present value, and the other
15 things, as well. So, with that, I, actually, will
16 leave it open for questions.

17 FACILITATOR ANDERSON: Thank you, Sarah.

18 MS. HOFMANN: There's one behind you.

19 FACILITATOR ANDERSON: Are there any
20 comments or questions -- one right behind me.

21 MR. LEVIN: Thanks, Sarah.

22 MS. HOFMANN: That was my idea. We just
23 turned it off.

24 MR. LEVIN: I appreciate that. Thank
25 you, Sarah. I appreciate your presentation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Two items I'd like to talk about. The
2 first is Slide 8, decommissioning trust fund is for
3 radiological decommissioning of the plant. I am not
4 familiar with the State of Vermont's requirements.
5 However, I can tell you that the State of Pennsylvania
6 allows Exelon to collect for decommissioning costs,
7 which include spent fuel management, and site
8 restoration. So, while it may not be in Vermont, it's
9 not, necessarily, that case in every venue.

10 MS. HOFMANN: And that's great. If
11 Pennsylvania has planned for that, that's great. When
12 I've gone around and spoken at NARUC and things, and
13 talked with my colleagues, they don't have plans for
14 this, so Pennsylvania is ahead of the curve.

15 MR. LEVIN: Yes, they are ahead of the
16 curve in that respect. The second item I'd like to
17 address is the DOE damages for breach of contract.
18 Having a settlement with the Department of Energy, and
19 understanding what the requirements surrounding that
20 settlement are, the costs that are being reimbursed
21 for us are costs due to DOE's failure to perform. And
22 that exists only in the space in time during which the
23 plant has operated. So, once the plant retires, there
24 is no cost incurred due to DOE's failure to perform.
25 So, we won't see settlements, damage money being used

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to pay for decommissioning costs.

2 MS. HOFMANN: That's great. Thank you for
3 adding that.

4 FACILITATOR ANDERSON: There's at least
5 one more question here at headquarters. Are there any
6 comments or questions with those on the phone at this
7 point? Hear nothing from the phone.

8 MR. SMITH: Jaeger Smith with Entergy. I
9 think it's probably wise to point out with respect to
10 my understanding of the Exelon settlement with DOE, is
11 that it was predicated on very low acceptance rate.
12 And I believe it was 900 MTU rate per year, which is
13 rate that a lot of other licensees have resisted, and
14 have successfully resisted in the courts. And we
15 don't have the same expectation as Adam just shared
16 with respect to recoveries during the decommissioning
17 period.

18 MS. HOFMANN: I'll let the two of you
19 fight that out. Nice to see you again, Jaeger.

20 FACILITATOR ANDERSON: Any other comments
21 or questions here at NRC headquarters? Thank you,
22 Sarah.

23 MS. HOFMANN: Thank you very much.

24 (Applause.)

25 FACILITATOR ANDERSON: We are just a few

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 minutes over the agenda scheduled time. We do have
2 one more presentation that will take place before we
3 break for lunch. I do plan to allocate the entire
4 scheduled time to this last presentation, so we'll
5 break for lunch at the end of this presentation, and
6 any comments or questions associated with it. Thank
7 you.

8 MR. HEMPSTEAD: Okay, thank you. My name
9 is Jim Hempstead. I'm an analyst at Moody's Investor
10 Service. I work in the Utility and Project Finance
11 Group, and I'm the lead analyst on a number of large
12 electric utility holding company systems, and non-
13 regulated merchant companies. I cover companies like
14 Dominion Resources, Duke Energy, American Electric
15 Power. I work on Energy Futures Holdings Corp, I do
16 cover Genon Energy, which is part of the old Merit,
17 and I am the backup analyst on a number of other large
18 new companies, as well, including Nextera, Exelon. I
19 participate on Exelon, Southern Company, and Progress
20 Energy. Thank you, Tom, for considering having
21 Moody's here.

22 On the table, we have a special comment
23 that I brought down here. This is a report that we
24 published at the end of last year on credit
25 substitution and guarantees. Generally speaking,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that's a very broad topic for us. It's, primarily,
2 used in the public finance, and structured finance
3 markets, very rarely will a corporate-level parent
4 guarantee to a sub, or a sub to a parent ever meet the
5 nine primary conditions that we have, the ideal
6 conditions that we look for for credit substitution.
7 And that's okay. It comes down to a rating committee
8 decision, and I'll elaborate that more in a moment, if
9 you could please go to the next slide.

10 So, I'm going to go around in a circle,
11 and come back to all that. In general, when we cover
12 various sectors, we have rating methodologies for
13 those sectors. And these are classified by industry
14 sector. There are several hundred of them existing.
15 There is a regulated electric and utility rating
16 methodology for the regulated sector. There is a non-
17 regulated sector rating methodology, as well, for
18 unregulated power companies. These are global in
19 nature.

20 Generally speaking, if you read through
21 the rating methodology, you will see a series of
22 qualitative and quantitative measures and
23 considerations that a rating process will look at when
24 we assign ratings. And, generally speaking, you ought
25 to be able to get to within two notches of what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 actual rating is by reading the rating methodology.
2 Please go to the next slide.

3 These methodologies are global in nature.
4 In the regulated utility methodology, and I'm going to
5 spend the majority of my time speaking about that
6 particular sector, because that's where most of the
7 operating plants, I think, are located. In general,
8 in the regulated utility sector, only about 40 percent
9 of what is incorporated in our rating methodology is
10 driven by actual quantitative measures, the financial
11 quantitative measures, or other quantitative measures,
12 for example, with respect to the amount of carbon-
13 related emissions that are generated on an annual
14 basis. That is unusual compared to all of our other
15 corporate rating methodologies.

16 If you look at the oil and gas
17 methodology, about 98 percent of an oil and gas
18 methodology is going to be derived by quantitatively-
19 based measures. And we think that makes sense,
20 because in the regulatory environment, there's so much
21 of an interpretation as to what's actually happening
22 from a regulated perspective. Can you go to the next
23 page, please.

24 So, in our regulated methodology; and,
25 again, this is global in nature, we look at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 regulatory framework that a particular company has
2 within its jurisdictions. We look at the suite of
3 regulatory mechanisms that they have to recover their
4 costs and investments, and the timeliness of those
5 recoveries, and the assurance that we have on those
6 recoveries. We look at the diversification of the
7 company, is it a single state utility, or a multi-
8 state utility? We look at the diversification of the
9 generation mix that they have, and how much of that
10 generation mix is focused on carbon-related emissions
11 versus non-carbon-related emissions. And the higher
12 the carbon-related exposure, the lower our assessment
13 will be.

14 And last but not least, we have the
15 quantitative metrics on financials. Liquidity is
16 included in the quantitative metrics with respect to
17 the financials. And although liquidity doesn't get
18 that big of a consideration in this methodology,
19 liquidity is actually one of the biggest
20 considerations that can drive ratings often by
21 multiple notches. So, when it comes to the electric
22 utility sector, the regulated electric utility sector,
23 often the regulated utility sector does not have very
24 good liquidity the way we define it in terms of
25 sources and uses. That's because the regulated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 utility sector depends on access to capital. And when
2 they need to go get capital, they just go get it from
3 the marketplace. And although we exclude an
4 assumption that the capital markets will be available
5 when we do our liquidity analysis, when we sit in the
6 rating committee and talk about a company, we take
7 into consideration that utility companies have
8 extremely good access to capital. And throughout that
9 2007, 2008, and 2009 financial crisis that some of the
10 other speakers referenced today, many utility
11 companies never missed a beat in terms of accessing
12 the capital with their commercial paper programs. And
13 that's a very important item. If you can go to the
14 next page, please.

15 With respect to the regulatory framework,
16 the vast majority of the regulated utility companies
17 have a Baa rating assigned to Factor One, their
18 regulatory framework. We incorporate a view that
19 regulated utilities will recover their costs and
20 expenses in a reasonably timely manner with a fair
21 rate of return. We also incorporate a view that most
22 regulatory bodies prefer to regulate a financially
23 healthy sector. And it's only rare when there is a
24 significant disagreement over some aspect of a
25 recovery mechanism that would make us lower our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 assessment with respect to this.

2 Florida was recently lowered, not because
3 the suite of regulatory mechanisms were being
4 attacked, but because of the political intervention
5 that was witnessed in that particular state in 2009,
6 or 2010. Go to the next page, please.

7 When it comes to the financial metrics,
8 these are very critical considerations. Now, we spent
9 a lot of time this morning talking about parent
10 company guarantees, and some of these numbers with
11 respect to decommissioning trust funds. Those
12 unfunded liabilities are definitely going to get
13 discussed in a rating committee. The larger they are,
14 we see a difference between regulated fleets, and non-
15 regulated fleets. And we echo some of the other
16 comments and concerns that we harbor from a credit
17 perspective on non-regulated merchant generation
18 fleets.

19 We see a difference between fleets and
20 single operator, single unit operators. And we see a
21 big difference between the regulated utilities that
22 have nuclear generation, and those that do not. In
23 general, the utilities that have exposure to nukes
24 tend to be a little stronger from a financial
25 perspective than those do not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 One of the very important items that we
2 focus on is the second line down, the cash flow from
3 operations. Adjusted for working capital changes, as
4 a percentage of debt, or to be considered investment
5 grade it should be a little bit above -- it should be
6 about the lows teens, 13-22 percent is the range. But
7 if you're in that low teens range, you're going to be
8 considered investment grade, if you're a regulated
9 utility company. If you compare that against
10 corporate industrials, that metric would be non-
11 investment grade, low teens cash flow to debt. That's
12 a non-investment grade metric. But because of the
13 safety net, and the stability and predictability that
14 we see in revenues and cash flows as a result of the
15 regulated regime, utility companies, regulated utility
16 companies get that benefit.

17 If you're a non-regulated company, if
18 you're a merchant generator, you would be under a
19 different rating methodology, and the hurdle for you
20 to achieve on those financial metrics would be much
21 higher, slightly lower than what the corporate
22 industrial levels are, but much higher than the
23 regulated utilities. Can you go to the next slide,
24 please.

25 When a company produces over a long-term

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 period of time a certain ratio, notwithstanding the
2 strong regulatory environment, or the very good suite
3 of regulatory mechanisms that they have to recover
4 their costs, eventually, the ratings are going to show
5 some pressure. And it was very recently when Moody's
6 downgraded Georgia Power Company, a very strong A-
7 rated utility company located in Georgia, but you
8 could see here on this chart, their cash flow to debt
9 metrics were having a hard time keeping up with the
10 ranges that are necessary to be considered an A
11 rating. That's the primary reason why this company
12 was downgraded. It was not downgraded, primarily,
13 because it was going to build a new nuclear power
14 plant, although that was a contributing factor. Can
15 you go to the next page, please.

16 With respect to South Carolina Electric
17 and Gas, this company has also experienced some
18 ratings downgrades. They're currently rated Ba1 on a
19 senior unsecured basis. You could see the long trend
20 down on their cash flow metrics, as well. That is
21 inappropriate for an A rated utility company, in our
22 opinion. It's almost a little inappropriate for a
23 Ba1 rating. But we see some significant improvement
24 in the most recent time period, and I don't have the
25 2010 numbers in here yet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Some of that improvement might be related
2 to bonus depreciation, and other tax-related
3 efficiency, tax efficiency strategies, and other one-
4 time events. And one of the things that we'll be
5 paying a lot of attention to going forward for the
6 sector is how much of your cash flows are being
7 benefitted by tax policies, or tax strategies, or some
8 other form of benefit, cash flow benefit that might
9 not be sustainable over the long-term period of time.
10 Can you go to the next page, please.

11 Now, this is a very simple example and
12 illustration of how various different sectors look
13 over a three-year average. The three-year average is
14 2007-2009, so there were some pretty difficult
15 economic times incorporated in this average.

16 The vertically integrated electric
17 utilities, generally speaking, are rated in about the
18 A3 Baal range. And those with large nuke exposures
19 tend to be towards the higher end of the range. And
20 their metrics tend to be a little stronger than what's
21 exhibited on this page.

22 We see strong ratings, and low metrics
23 from the municipal utility world, and those include
24 joint power agencies, and the various forms of the
25 municipal utility sector. Notwithstanding the fact

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that their metrics, their financial metrics are low,
2 they have self-rate setting flexibility. And we've
3 seen them exhibit that self-rate setting flexibility
4 over and over again. And they are very strongly rated
5 as a result of that.

6 The generation and transmission
7 cooperative sector is in a similar category, where
8 they have a lot of self-rate setting flexibility to
9 achieve the financial metrics that they need to have,
10 or to set the rates that they need to have to recover
11 their costs and expenses.

12 We see a significant amount of nuclear
13 exposure from the municipal side, and a smaller amount
14 from the G&T side. The merchant companies are non-
15 investment grade. Most of them are rated in the
16 single B level, which is starting to move down the
17 non-investment grade rating category. Some of them
18 are in deep non-investment grade category. For
19 example, the owner of Comanche Peak is rated in the
20 CCC, Caa2 level from our perspective.

21 There was a lot of questions about the
22 Enexus spinoff, and how that would be rated. And,
23 generally speaking, the view was that it would be
24 rated non-investment grade. And that's because of the
25 way it was being structured with the amount of debt

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that was being put on it. But that tends to be the
2 rare case. Most of the time, we see the companies,
3 like Exelon Generation, that are rated A, very strong
4 investment grade ratings, very strong metrics. Exelon
5 Generation has, roughly, 60 percent cash flow to debt,
6 I think, down from 80 percent when the power markets
7 were much stronger. Can you go to the next page,
8 please.

9 One of the things that we often do is
10 spend a lot of time calculating the projections. And
11 I was making some notes that there are deficiencies
12 with straight line projections over a long-term period
13 of time, and those deficiencies are illustrated in
14 this page right here. But this is an actual composite
15 of a bunch of different utility companies that include
16 both nuclear operators, as well as non-nuclear
17 operators, and you can see some variability in the
18 cash flow to debt metrics. This is not adjusted for
19 working capital, so you'll see a little bit more
20 variability in these numbers.

21 And then depending on how we project out
22 in terms of revenue growth, or cost growth, or
23 expenditures, and how they're going to finance their
24 free cash flows, you can get some different
25 perspectives as to which way the ratings might be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 going on these particular companies.

2 We incorporate a view that those utility
3 companies that have large nuclear fleets are going to
4 maintain stronger than necessary numbers. And we
5 incorporate a view that they will maintain adequate to
6 good levels of liquidity at all times. Can you go to
7 the next page, please.

8 And one of the reasons why we do that, is
9 because we are very concerned going forward with
10 respect to the risk of regulatory intervention, or
11 political intervention on the regulated sector. And
12 what we see from the prior slide on projections is a
13 significant need for rate increases over a long-term
14 period of time. There's a significant need for
15 capital investment. There's a number of uncertainties
16 with respect to environmental costs, and that's
17 translating into rate pressure for consumers.

18 To the extent that the economic recovery
19 continues to lag or struggle, and we have a scenario
20 where there's very high unemployment, and very low
21 wage inflation, we're worried that we can reach a
22 point where consumers can no longer tolerate these
23 rate increases, and they will start to object to those
24 rate increases, and complain to their elected
25 officials. And those elected officials will very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 quickly intervene into the situation.

2 If you have a large nuclear fleet,
3 depending on where your cost structure is, you may be
4 benefitted or harmed in that particular environment.
5 Generally speaking, once the fleet is up and running,
6 it's a really good thing in the sense that the
7 marginal cost is so low, but to get it built, as we're
8 seeing right now with the two folks that are trying to
9 build the plants today, Georgia Power and South
10 Carolina Electric and Gas, they're very expensive to
11 build, and there's a lot of uncertainty to get those
12 built. So, that's my primary commentary on how we
13 approach the ratings for the sector, and how we
14 approach the ratings for companies that have these
15 operating licenses.

16 Now, with respect to the guarantee, can
17 you go one more page, please. With respect to the
18 guarantee, the topics associated with the guarantee,
19 and is it the net present value, or the future value,
20 or how should we calculate these numbers? This is
21 extremely narrow, and focused, and granular in the big
22 picture view of how we are going to assign a rating
23 for an Exelon, or Dominion, or Duke, or Southern
24 Company, or one of the other operating companies that
25 are here, Detroit Ed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 This topic does not get a lot of play in
2 ratings committees with respect to the guarantees.
3 It's really not that big of an issue from a credit
4 perspective. Where it shows up is when a company has
5 a large amount of guarantees, or where a company has
6 some liquidity issue where the sources that they have
7 are being outpaced by the uses, and there's a need to
8 access capital, or where there's a lot of guarantees
9 amongst various different parts of the organization,
10 not only with respect to decommissioning, but more
11 often than not where most of our attention is with
12 respect to the trading and marketing program. And
13 there's a big difference between the regulated guys
14 and the non-regulated guys.

15 If you're a regulated company, you
16 probably have very good access to capital. It's my
17 understanding that one of the companies is going to
18 raise \$800 million today, and they should have it done
19 in another minute. And they're going to get eight
20 times over subscribed by investors who are clamoring
21 for this investment grade paper.

22 If you're a non-investment grade company,
23 if you're a merchant company, and you have non-
24 investment grade ratings, you will have access to
25 capital when that window is open. And right now in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 today's environment, high-yield capital markets are
2 wide open, and people are taking advantage of that.
3 So, you can finance B-rated companies right now. And
4 I think Calpine just recently raised some debt at a B
5 level. But those windows in the high-yield market open
6 and close. And if it's closed, there is no access.
7 So, what we see is that the non-regulated merchant
8 guys actually have better liquidity profiles than the
9 big regulated companies. They have much larger cash
10 balances, they have much larger availabilities under
11 the credit facilities. But many of them also have big
12 trading and marketing programs. And some of the non-
13 regulated divisions of large parent holding companies
14 that also have regulated utility subsidiaries have
15 trading and marketing programs. And those trading and
16 marketing programs have a lot of volatility associated
17 with collateral posting needs. That's our primary
18 issue.

19 We don't see a lot of concern at a rating
20 committee discussion with respect to these
21 decommissioning liabilities that are very far out in
22 the future. Perhaps that's a weakness in our credit
23 rating committee process that we have to reevaluate,
24 but we assume that these companies are going to do the
25 right thing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 We incorporate significant credit
2 positives to the fact that you're regulated by the
3 NRC, and that the NRC is involved as much as they're
4 involved in this process. And that's why companies
5 like First Energy can have a nuclear plant go down for
6 a 22-month period of time, but they have a fleet.
7 It's a very large organization. They're able to
8 withstand that from a credit perspective. They were
9 able to withstand that, and get through that process
10 reasonably cleanly. If that was a single nuclear
11 operator, we think it might have been a very different
12 answer.

13 So, I know, Tom, I didn't get exactly
14 into the ins and outs of how we look at the
15 guarantees, and part of that is because when it comes
16 to these guarantees that we're talking about today,
17 we're more of an observer. So, as you work through
18 the process and figure out what you're going to do, if
19 a company has to post more money into the nuclear
20 decommissioning trust fund, or if they have to post
21 more of a parent guarantee, or less of a parent
22 guarantee, or they have to collect more from their
23 customers, that all has positive credit ramifications
24 associated with it from a credit perspective, not,
25 necessarily, from a shareholder perspective, or from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the Treasury's Department at corporate headquarters
2 that I have to go get more credit availability, and
3 that's going to cost me. That's a different issue
4 that we're ignoring from a credit perspective at
5 Moody's.

6 The bigger the nuclear decommissioning
7 trust fund is, the more well positioned the company
8 is, the better their liquidity profile is, the
9 stronger the company's ratings are likely to be. So,
10 with that, I'll try to get closer back on time, and
11 open it up for questions, Brian.

12 FACILITATOR ANDERSON: Thank you, Jim.
13 Does anybody have any comments or questions here at
14 NRC headquarters for Jim?

15 MR. FREDRICHS: Okay. Thank you, Jim.
16 It was a very interesting presentation. And on the
17 more narrow question that we're trying to answer, or
18 will be trying to answer this afternoon, what I'm
19 understanding is that the guarantees don't have a
20 large effect on the credit rating, at least the
21 guarantees used for nuclear decommissioning that could
22 be given to the NRC to satisfy the regulations. Am I
23 understanding that part right?

24 MR. HEMPSTEAD: Can you repeat the
25 question, Tom?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. FREDRICHS: Well, the parent
2 guarantees that we're talking about for nuclear
3 decommissioning, what I got out of your presentation
4 was that they don't have a large effect on the credit
5 rating. You mentioned that this -- how we do it is
6 kind of a granular thing. You're more interested in
7 larger questions of access to capital. Do they have a
8 large fund which gives them greater strength, and that
9 sort of thing. The reason I ask is some of the
10 comments we've had is that giving a parent company
11 guarantee for decommissioning costs could adversely
12 effect the credit rating, and might lead to
13 downgrading. And I was wondering if you could give us
14 a better feel for how likely that would be, or what
15 circumstances might arise that might cause an actual
16 credit downgrading?

17 MR. HEMPSTEAD: I think that when it
18 comes to the parent guarantee issue, it is not a
19 primary or secondary credit ratings driver for the
20 rating of the company. It has to do with liquidity.
21 And although liquidity can effect the companies
22 ratings significantly by multiple notches, often
23 unexpectedly, we are incorporating a view that the big
24 nuclear operating companies have sufficient liquidity
25 to withstand unexpected calls on liquidity.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now, having a parent company guarantee
2 for the shortfall in the trust fund, I don't think is
3 a big ratings issue at this time for anyone in our
4 sector. To the extent that that becomes a big
5 guarantee, becomes a big obligation, then we'll have
6 to have some discussions with the utility company, or
7 the management team if it's a non-utility company on
8 how they plan on managing this. We would not just go
9 downgrade them unexpectedly, or very quickly. There
10 would be a series of discussions with the management
11 team, so that we understand are we looking at this
12 correctly? Is this exposure as big as it really
13 appears to be, and what are you going to do about it?
14 Because if your ratings are in jeopardy, I have a hard
15 time coming up with the name of a company who would
16 have this type of exposure jeopardizing their ratings
17 when they might have a large fleet, or a large
18 regulated utility system. It would be hard for that
19 issue to cause negative ratings pressure on a
20 particular company.

21 If you have a couple of hundred million
22 dollars of a parent company guarantee, either you have
23 an extremely underfunded trust fund, or you have a lot
24 of -- a fleet of operating licenses, and it's adding
25 up. But the bigger the fleet is, the more valuable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the company ought to be in today's environment, as
2 long as they're running, and they're running well.
3 And I think we incorporate a view that most of these
4 plants are running very well. So, it would be hard to
5 make this a ratings issue with respect to guarantees
6 on the underfunded decommissioning amount.

7 FACILITATOR ANDERSON: Are there any
8 questions or comments from those joining by phone?
9 Okay. I'll look around the room one more time. Any
10 further questions or comments for Jim? Thank you,
11 Jim.

12 MR. HEMPSTEAD: All right. Thank you
13 very much.

14 (Applause.)

15 FACILITATOR ANDERSON: We are now at the
16 point in the agenda that's usually everybody's
17 favorite, that's the lunch break. We are going to
18 reconvene in this room at 1:30, so anybody that would
19 have been in Breakout Session 2 will join us back
20 here. As a reminder for those that are visitors in
21 the building, you do have access to a small cafeteria
22 that's pretty much just outside the door here, as well
23 as a larger cafeteria, if you follow the corridor, the
24 hallway to the left as you come out of this
25 auditorium. You have access to both of those venues

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 for food and beverage.

2 If you choose to leave the building, keep
3 in mind that you will have to process back in through
4 building security in order to be back in this room at
5 1:30. And with that, we'll break for lunch. I'll see
6 everybody back here at 1:30.

7 (Whereupon, the proceedings went off the
8 record at 12:09:25 p.m.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com