

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Decommissioning Funding Workshop

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Wednesday, March 2, 2011

Work Order No.: NRC-742

Pages 1-200

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

DECOMMISSIONING FUNDING WORKSHOP

+ + + + +

WEDNESDAY

MARCH 2, 2011

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Workshop convened at the Nuclear Regulatory Commission, One White Flint North, Commissioners Hearing Room, 11555 Rockville Pike, at 8:00 a.m., Brian Anderson, Facilitator, presiding.

NRC STAFF PRESENT:

BRIAN ANDERSON, Facilitator

BRUCE BOGER

AARON SZABO

ANNELIESE SIMMONS

THOMAS FREDRICHS

LARRY PITTIGLIO

SUSAN UTTAL

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ALSO PRESENT:

2 LESLIE KASS, NEI

3 LYNN GOODMAN, Detroit Edison

4 SARAH HOFMANN, State of Vermont

5 JAEGER SMITH, Entergy

6 BILL HORIN, Winston and Strawn

7 ADAM LEVIN, Exelon

8 JIM EMBLY, First Energy (via telephone)

9 RALPH ANDERSON, NEI

10 DAGMAR FABIAN, Crabshell Alliance

11 STEVE SHORT, PNNL

12 RICK ANDERSON, Dominion

13 JOSIE BALLENGER, GAO

14 JERRY BONNANO, NEI

15 DAVE KRAUSE, Duff & Phelps

16 NICK CAPIK, ABZ Consulting

17 REIJI HAYES, Exelon

18 PAUL BAILEY, ICF Consulting

19 DAN WILLIAMS, Consultant

20 PETER KELLER, BNY Mellon

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

TABLE OF CONTENTS

1		
2	Common Session 1:	
3	Meeting Announcements, Brian Anderson	
4	Facilitator, US NRC	6
5	Introduction and Welcome, Bruce Boger,	
6	Deputy Director, US NRC	12
7	Draft RIS 2010-XXX and Draft Reg. Guide	
8	DG-1229, Aaron Szabo, Financial	
9	Analyst, US NRC	16
10	10 CFR 50.75(c) Minimum Assurance Requirement	
11	& NUREG-1307 Waste Vendor Option,	
12	Larry Pittiglio, Licensee Financial	
13	Policy Advisor, US NRC; and Steve Short,	
14	Senior Project Manager, Pacific Northwest	
15	National Laboratory	37
16	Common Session 2:	
17	Consideration of Present Value to Discount	
18	Parent Company Guarantee for	
19	Decommissioning Financial Assurance,	
20	Thomas Fredrichs, Senior Advisor for	
21	Licensee Financial Policy, US NRC	81
22	Comments on NRC Presentation, Adam Levin,	
23	Director of Spent Fuel & Decommissioning,	
24	Exelon Generation Company	118
25		

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1	Comments on NRC Presentation, Leslie Kass,	
2	Senior Business Policy and Program	
3	Director, Nuclear Energy Institute	163
4	General Q & A	169
5	Wrap-Up	197
6	Adjourn	

7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

8:02 A.M.

FACILITATOR ANDERSON: Good morning, everybody. Is my voice coming through the microphone okay? Can everybody hear me? Thumbs up in the back row? Too loud? Not yet. Okay.

Thank you all for attending. This is the Stakeholder Workshop on Decommissioning Funding for Power Reactors. My name is Brian Anderson. I'll be the facilitator for today's meeting.

I'd also like to introduce Mr. Bret Leslie. Bret's off to my right in the back row. He'll be assisting me in the facilitator role today. Certainly when we break out into two different sessions, Bret will be assisting with that.

The purpose of today's meeting is to discuss applying net present value techniques to discount the amount of a parent company guarantee used for power reactor decommissioning assurance. So the comments that we receive during today's meeting and following this meeting will be used to support an options paper that the Commission will consider.

So in addition to the opportunity to provide comments and ask questions today, there is still time after this meeting to provide comments.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Later throughout the day, NRC staff will discuss the
2 logistics and the deadlines for providing comments
3 outside of this meeting.

4 Chelsea, could I have the next slide,
5 please?

6 So before we get started, a few
7 housekeeping items to go over. There are copies of
8 the agenda and presentation materials on the table in
9 front of me and also on the table as you first came in
10 the door to my right. Please feel free to pick up
11 copies of whatever you need for the course of the day.

12 If for some reason we run out of presentation
13 materials or there are references or information that
14 you don't see copies of, all of the information
15 discussed here today, all of the supporting references
16 will be posted in the NRC website after this meeting.

17 So if you don't have a copy of something when the
18 meeting is done today, you'll certainly be able to
19 access that on line after the meeting is complete.

20 The presentation slides in this room and
21 also in the separate Hearing Room during a breakout
22 session will be posted on television monitors in the
23 room so if you don't want to have a paper copy, you
24 don't have to have a paper copy. They will be visible
25 in the room. They will also be broadcast via webinar

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 for those that are participating remotely.

2 We also have feedback forms, NRC public
3 meeting feedback forms that are available on the table
4 to my right. If you'd like, please take the time to
5 share some suggestions with us on how we can improve
6 our public meeting process.

7 As a general rule, to avoid distractions
8 or at least to minimize distractions, please silence
9 all mobile phones. I'd like to ask that you either
10 check to make sure that they're off or that they're
11 operating in silent or vibrate mode. It's usually
12 interesting to see what the latest ringtones are, but
13 we would appreciate being able to silence all those
14 before we get started.

15 In terms of building security and escorts,
16 at NRC headquarters visitors do not have unrestricted
17 access. They are limited to where they can go without
18 an NRC staff member present. In this room, the
19 cafeteria, the restrooms immediately outside and in
20 the corridor to the left as you leave, visitors have
21 unrestricted access to those areas. So during a
22 break, if you need to use the restroom or grab a cup
23 of coffee or get a quick bite to eat, there are places
24 that visitors can access in this room.

25 However, during a breakout session later

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this morning, that breakout session will take place in
2 an area of the NRC headquarters building that requires
3 NRC staff escorts in order to attend. So for those
4 that are going to leave this room later in the agenda
5 to participate in the breakout session number two
6 that's labeled on the agenda, you will need an NRC
7 staff escort in order to get to that room. We'll
8 discuss the process and the logistics for doing that
9 as we enter the break to that separate session.

10 In the unlikely event of an emergency and
11 that we need to evacuate the building, there are
12 emergency exits that take us directly outside from
13 this room in the back two corners of the room behind
14 you or we can exit the building through the front two
15 doors, the door that you came in and also the door to
16 your right off to my left. In the event that we
17 actually need to evacuate the building, please just
18 look for direction from either me or Mr. Leslie will
19 direct everybody as to which direction we're going to
20 go to safely get us outside.

21 There's a long series of presentations
22 that we have. We have a full agenda today. And after
23 each presentation, we're going to provide a question
24 and answer session, a comment session associated with
25 each presentation. So the format that we'd like to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 use for today is to allow the presenter to complete
2 his or her presentation and then have a question and
3 answer session once the presentation is complete. So
4 we'll move from presentation to a question and answer
5 session to a presentation to a question and answer
6 session. And we'll move through in that sequence.

7 I'll certainly do the best that I can to
8 address everybody's question, to provide you the
9 opportunity to ask questions or make comments. In
10 addition to the people that are here in person, we've
11 got folks that are participating on line and over the
12 phone. So I will rotate through the live audience as
13 well as people on the phone to do the best that we can
14 to address all questions and comments.

15 In order to try and keep up with the
16 agenda though, we also have a wrap-up session, Q&A
17 session this afternoon. So if for some reason there
18 are a lot of questions for a particular agenda topic
19 this morning and we don't get to all of those
20 questions now, there will be opportunity for you to
21 have your questions answered before you leave at the
22 end of the day today.

23 So having said that, I'd like to go over a
24 few ground rules that I hope that we can all adhere to
25 over the course of the day. Because of the full

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 agenda that we have and our desire to have as much
2 dialogue and discussion for each topic as possible,
3 I'd like to ask that everybody please be concise in
4 terms of presenting, asking questions, or making
5 comments. We'll certainly want to take the time to
6 have sufficient discussion on each topic, but I ask
7 that everybody please keep presentations short,
8 questions and comments short, so that we can move
9 steadily through the agenda.

10 I'd also ask that anybody that speaks to
11 please speak into a microphone. That not only helps
12 everyone in the room to hear what's being said or
13 what's being asked, but it ensures that people on the
14 phone participating via webinar can also hear clearly
15 what's being discussed here.

16 We do have a transcriptionist that is
17 keeping a record of all comments that are made here
18 today, so speaking into a microphone is also an
19 essential part of making sure that we have a clear
20 transcript so that we can accurately address all the
21 comments and consider those for the options paper that
22 will be developed after this meeting.

23 Having said all of that, I'd also like to
24 ensure that only one person speaks at a time. That
25 ensures that we can get a clear transcript, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 everybody can clearly hear and understand what's being
2 said.

3 And it's possible throughout the course of
4 the day that you will hear opinions or comments that
5 differ from your own viewpoint. I'd like to ask that
6 we all just be respectful of others and be considerate
7 of opinions that might be different from your own.

8 Does that sound like a set of ground rules
9 that everybody can adhere to today? Great.

10 Okay, thank you all again for attending.
11 Without further ado, I'll turn over to Bruce Boger for
12 an introduction.

13 MR. BOGER: Good morning, everyone. I'd
14 like to add my thanks for everyone coming and also my
15 welcome to the NRC.

16 As you start to prepare for workshops like
17 this, poor Tom is going through the Goldilocks
18 syndrome. Is he going to have nobody show up or is he
19 going to have too many people show up? I think we had
20 a good balance. It's not too few, not too many, but
21 just the right amount of folks to contribute to the
22 conversations and provide insights today.

23 I want to also provide special thanks to
24 the folks that have been willing to make presentations
25 and willing to lead some discussions, so thank you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 again for that.

2 I hope that as we get through the day
3 you'll appreciate the importance that the staff has on
4 decommissioning funding activities. This is one of
5 those -- financial assurance is one of those things
6 that spans cradle to grave at the NRC. So from the
7 initial licensing all the way to the termination of
8 the license, we worry about the finances. So that's
9 why we're here to discuss this and underlying that is
10 our desire to protect people and the environment.

11 So why are we concerned today as opposed
12 to a year ago or two years ago or whatever? Well, if
13 you look back at what we've seen since about 1998 when
14 we required reports to be filed is that there have
15 been a couple of instances where as a regulator we
16 have concern. Regulators are paid to be conservative
17 and nervous about things. And so if you look at what
18 we saw happen in 2003 and 2009, a couple of things
19 struck us. Of course, the downturn, that hit all of
20 us. But if you look at the number of facilities that
21 were impacted, look at the time it took to resolve the
22 shortfalls, those are things that are of a concern to
23 the regulator and that's prompted us to move forward
24 in some areas.

25 Good news is that all of the shortfalls

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 have been resolved. That's great. However, the
2 challenges that we face going through that led us to
3 want to engage stakeholders and try to resolve a few
4 issues that we could.

5 Basically, the goals, the first one is
6 pretty easy. We want to make sure that adequate funds
7 are available when you need them. That's a pretty
8 high-level description of what we need in
9 decommissioning funding. But we're going to explore
10 that today. Those are some of the options to make
11 sure we can get there is a primary topic today.

12 The second aspect or second goal really is
13 to take a look at how things are reported, how things
14 come into the NRC so we can have some level of
15 confidence, some level of assurance that we're looking
16 at the right things and looking at them in a similar
17 manner so that our reviews will be consistent.

18 My view of the goals today, the first one
19 that's up there certainly the Commission directed the
20 staff to conduct a workshop as Brian indicated, to
21 explore the discounted parent company guarantees. And
22 so that's a primary aspect of the afternoon session.
23 So we're -- we need your input for that.

24 But also, quite honestly, when you have
25 this kind of talent and brain power in a room you want

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to take advantage of it and explore other areas. And
2 so in this case we do want to explore with you some of
3 the regulation with respect to cost estimate formulas
4 and escalation factors. We're starting to think about
5 that. We think that there may be some areas in there
6 that we need to think about or maybe to improve. Your
7 insights will be helpful in that regard.

8 Given the volatility of the market over
9 the past several years, leads us to want to see
10 whether there are other ways of looking at financial
11 assurance so that we know what types of methods are
12 out there and what ways we might be able to take
13 advantage of in our reviews.

14 And the fourth goal is we have some
15 guidance out. We're working on risks and we're
16 looking on a draft Regulatory Guidance. The
17 stakeholders' input on those are important, so we make
18 sure that we address the areas that are most important
19 to use well.

20 So here we are. We're looking for your
21 inputs. We need your inputs. We seek your inputs.
22 It's important to us. As Brian indicated, there are
23 several opportunities for comments. Today is one, as
24 he said it's transcribed and we'll take a look at
25 those. But then there are some other comment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 deadlines on the regulatory information summary and
2 the draft Reg. Guide and also final feedback on this
3 conference. If you go back home and think about
4 things that you wish you had said or wanted to say,
5 then there's still an opportunity to get back with us
6 on those.

7 I know you have a very busy day in front
8 of you. There will be some separation of the masses,
9 but coming back together this afternoon. I want to
10 echo what Brian indicated. We feel very strongly
11 about an open, collaborative work environment at the
12 NRC and one aspect we're looking to you, it's your
13 responsibility that if you have an issue or have an
14 interest that you raise the issue or raise the
15 interest so that all can benefit from that. But at
16 the same time, be mindful of the respect you should
17 have for others so that everyone's views are heard and
18 everyone's views are understood.

19 So with that, I wish you the best. We've
20 got a lot to do. Do a great job today. Thanks.

21 Aaron Szabo is next up.

22 (Applause.)

23 MR. SZABO: Good morning. I'm Aaron
24 Szabo, Financial Analyst with the NRC.

25 I'll be speaking with you today about two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 draft Guidances we have out. One is draft RIS 2010-
2 XXX which is 10 CFR 50.75 reporting requirements for
3 decommissioning funding status reports and draft Reg.
4 Guide 12.29, revision 1, which is a draft version of
5 Reg. Guide 1.159 which is assuring the availability of
6 funds for decommissioning nuclear reactors.

7 Next slide.

8 This is just a road map of what I'll be
9 going over. First, I'll be talking about the RIS
10 2010-XXX which was originally published in the Federal
11 Register on November 26, 2010. And just talks about
12 the general reporting requirements for the
13 decommissioning funding and the status reports.

14 Specifically, I'll be going into what
15 drove us to develop this new RIS, what it states and
16 what the staff is hoping to see for the upcoming DFS
17 reports which are due March 31st this year, to the end
18 of this month.

19 I'd also like to just point out now that
20 if you are curious as to how we do the evaluation of
21 these DFS reports, we do have LIC-205, Rev 4 up and
22 the ML is posted on this slide. It is publicly
23 available for anyone to view.

24 After I talk about the RIS, I'm going to
25 be going into the draft Guide, DG-1229, Revision 1,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and just speak on how this differs from our initial
2 draft Guidance, just generally on that. I would like
3 to point out, as Bruce pointed out, that the comment
4 period for these two documents is different than the
5 comment period for this workshop. The RIS has a due
6 date of this Friday, March 5th, which was extended
7 from the original due date and the Reg. Guide comments
8 are due by March 24.

9 Next slide, please.

10 Just general background. Initially, the
11 Office of Inspector General in 2006 audited the
12 decommissioning funding status report analysis process
13 and IG suggested that the NRC begin verifying the
14 trust fund balances of the licensees through the
15 trustees instead of relying on the licensees'
16 submittals. In November 2007, the staff sent an
17 option paper to the Commission, SECY-07-0197, asking
18 the Commission to choose between maintaining the
19 status quo, spot checking the licensee trust fund
20 statements at the location of the originals, or
21 beginning a rulemaking process to require the trust
22 fund trustees to submit statements of the balances to
23 the trust fund to the NRC.

24 In 2008, the Commission came back and
25 accepted the option for the spot-check process which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the NRC has been performing periodically. As of
2 today, the NRC has completed 142 of the 189 spot
3 checks which is divided by owner and plant. So we've
4 done almost three-fourths of those. And currently,
5 the staff does have a draft appendix to LIC-205 which
6 will be coming out in Revision 5 that goes over
7 exactly what our process is for the spot-check
8 process.

9 The staff has observed through this
10 process that there is a potential lack of
11 communication between licensee and the NRC, therefore,
12 one of the reasons why we decided to make the LIC-205
13 publicly available, as well as the reason why we
14 created this draft RIS.

15 Next slide, please.

16 There are seven items that need to be
17 submitted. According to 10 CFR 50.75(f)(1) and (2),
18 we're simply going to be looking at (f)(1), therefore
19 by March 31st, as I stated earlier, at the end of this
20 month, they must submit all seven of the items stated
21 above.

22 I'm going to be going through the next
23 couple of slides just going through exactly what needs
24 to be stated, just to make sure that we don't have to
25 send out RAIs and go through a long and expensive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 process.

2 Next slide, please.

3 Item 1 is the minimum decommissioning
4 funding assurance. This is based on 10 CFR 50.75(c).

5 And some of the things that we have been noticing
6 through doing this process is that BLS, Bureau of
7 Labor Statistics, numbers by the end of this March are
8 preliminary in some cases. For the sake of this
9 analysis, we will be using the preliminary numbers
10 initially. If we do discover any shortfalls, we will
11 wait until the numbers become finalized before taking
12 any action and just also for historical purposes, we
13 will be using the final numbers. We'll later update
14 them. And just for reporting purposes, you can use
15 most recent available numbers which are preliminary in
16 this case.

17 Next slide, please.

18 In relation to Item 2 which is the amount
19 accumulated at the end of the calendar year preceding
20 the year of the report, we have noticed just a couple
21 of things during our spot-check process that we've put
22 in our RIS. The first thing is that it should be the
23 actual amount in the trust fund, not the minimum, as
24 well as we suggest that the market value would be a
25 better indicator instead of the book value in relation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to the amount in the trust fund, just in relation to
2 we believe that if they're liquidated right now, if
3 necessary, this would give us more accurate
4 description of what is the amount that's in the trust
5 fund.

6 Also, the licensee may report, if they
7 wish, the state costs, the spent fuel, and any other
8 costs. That is not a requirement, but they must
9 report the radiological decommissioning funds. Also,
10 if they wish to report all of those, we do need them
11 broken down by their purpose. And also, any funds that
12 are held outside the decommissioning trust fund are
13 not to be reported at this time.

14 Next slide, please.

15 Next is the third item which is the annual
16 amounts remaining to be collected. If this does apply
17 to the licensee, we do prefer a year-by-year
18 breakdown. Once again, during our spot-check process,
19 we just noticed that there are some years that have
20 significantly larger amounts of funds than others that
21 if you provided it to us and it's an overall amount of
22 total to be collected, we would miss this in our
23 analysis.

24 There have been no omissions that we have
25 observed from any licensees, but just for continuity,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 transparency, and efficiency, the staff would just
2 prefer a year-by-year breakdown.

3 Next slide, please.

4 Another item, Item 4, is our escalation
5 rates which LIC-205 does address, how the staff
6 addresses any escalation of greater than two percent
7 which the NRC does allow a greater than two percent
8 return. Although we have observed licensees have
9 submitted how much they get from their PUC, whether it
10 is larger or smaller than two percent. Of course,
11 based on our regulations we provide two percent or
12 greater. For all instances though, the licensee
13 should provide the PUC order that allows for this rate
14 of return. Also, exactly how the breakdown is,
15 whether the PUC just provides a total real rate of
16 return or whether a real rate of return minus
17 escalation or other expenses or other factors.

18 And the final thing that should also be
19 provided is if the PUC grants this greater rate of
20 return through the decommissioning period. Staff will
21 just generally assume that they do not grant it
22 through the period, but if that's not the case, we
23 would like to have some -- the information based on
24 that. And once again, this is just another thing that
25 will help prevent us -- the need for RAIs and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Responses.

2 Next slide, please.

3 We've grouped Items 5 through 7 together
4 which they must be reported, but do not apply to all
5 licensees. These three steps deal with changes in the
6 contractual obligation, commingling of funds or
7 material changes to the trust agreement which do
8 require prior written notification under 10 CFR
9 50.75(h)(1)(iii).

10 If you are unsure if you have had a
11 modification, you can provide the NRC with additional
12 information in your submittal, explaining what
13 occurred and we will evaluate the information
14 submitted. It's best to err on the side of extra
15 information than not enough.

16 Next slide, please.

17 The next part of the RIS talks about site-
18 specific proposals. Site-specific proposals will not
19 apply to all licensees when submitting their DFS
20 reports. However, under 10 CFR 50.75(f)(3) at or
21 about five years prior to the projected end of
22 operation, the licensee must submit a site-specific
23 cost estimate. The licensee is also permitted to
24 submit a site-specific cost estimate prior to the at
25 or about five years for the purpose of the DFS report.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 However, if the licensee does wish to submit this
2 site-specific cost estimate, it must be equal to or
3 greater than the amount determined by 50.75(b) and
4 (c).

5 What the NRC is looking for in relation to
6 its site-specific cost estimate in the DFS report is
7 specifically the actual site-specific cost estimate
8 that they have provided either to the NRC or to a PUC,
9 specifically the most recent submittal. And if it
10 wasn't done, provided in the most recent year, so 2010
11 for this reporting cycle, that they provide some sort
12 of cost escalation up to 2010 dollars.

13 Also, if this was not provided to the NRC
14 -- well, even if it was provided to the NRC, we would
15 like a citation from where the site-specific cost
16 estimate was previously provided if that applies.

17 Next slide, please.

18 In relation to our calculation of how we
19 go through a site-specific cost estimate, we follow
20 the same LIC-205 procedure for the operation of the
21 plant and after that because we are going to be using
22 it usually, a site-specific cost estimate provides a
23 different decommissioning period, type of
24 decommissioning, we will follow a different process
25 which is for each year during decommissioning we first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 subtract the annual costs to be incurred. And then
2 provide a two percent real rate of return unless a
3 higher amount is provided -- is allowed. And then
4 we'll just continue this process through -- until
5 either the trust fund is depleted or the
6 decommissioning period is over.

7 Next slide, please.

8 We've only received one comment thus far,
9 which we received in December 2010 from NEI. And it
10 was on the site-specific methodology that we use. And
11 their comment was that the staff should not deduct the
12 full amount of the expenses before crediting the
13 licensee with the real rate of return for that year.
14 NEI's comments specifically stated that when they
15 choose the decom. method with immediate dismantlement
16 as we do in the LIC-205 process for the normal -- for
17 when a DFS is just normally analyzed, that we take a
18 midpoint there and grants the licensee credit during
19 the year as the expenses are drawing from the trust
20 fund. The staff is currently reviewing the comment by
21 NEI to determine whether there is a better way to do
22 the site-specific proposal analysis and whether the
23 current process should be modified.

24 Next slide, please.

25 On to DF-1229 Rev. 1. In relation to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 initial draft Guidance, the staff developed a SECY
2 paper, SECY-10-0084, which explained the changes to
3 the Guidance. In response, the Commission voted on
4 the proposed changes and provided a response on
5 October 25, 2010 which voted against the proposed
6 change to the draft Guidance.

7 There are three changes made between the
8 original draft Reg. Guide and the new revision. The
9 first was the addition of two definitions. The second
10 was a modification to safe storage costs and finally
11 the change was on -- the last change was when
12 adjustments to the amount of funds set aside for
13 decommissioning should be made.

14 Next slide.

15 These are the two definitions which are
16 available if you go to the draft Guidance. It's on
17 decommissioning. We define what decommissioning
18 funding assurance is and what shortfalls are.

19 Next slide.

20 The next change is, as we stated on safe
21 storage, and this draft Guidance explicitly states
22 that for safe storage, the annual cost to maintain the
23 unit or units in safe storage will be subtracted from
24 the amount of credit allowed. This is just saying
25 that for each year, even when there are smaller costs,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that will be subtracted from the amount.

2 Next slide, please.

3 And the biggest change which is the change
4 from the adjustments to the amount set aside. The
5 initial draft Guidance stated that for non-electric
6 utilities which are licensees that are no longer rate
7 regulated or do not have access to non-bypassable
8 charges, should make adjustments every year. When the
9 Commission voted on the proposed changes, the
10 Commission voted to retain the current directive which
11 states that non-electric utilities should make
12 adjustments every two years in conjunction with the
13 subsequent decommissioning funding report and electric
14 utilities should make the adjustment as necessary, but
15 at least within the five years.

16 And that's it. Questions? Comments?

17 FACILITATOR ANDERSON: Thank you, Aaron.
18 Does anybody -- I see a couple of hands. I'll bring a
19 microphone to the folks that are here at NRC
20 headquarters. I would ask that again, please speak
21 into the microphone and if you could identify yourself
22 by name and any organization that you represent.

23 MS. KASS: Good morning. I'm Leslie Kass
24 with NEI, the Association for Nuclear Energy and all
25 the operating reactor licensees.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 My comment is related to the RIS. As you
2 mentioned, I just wanted to reiterate that and there
3 were several things in the RIS and in some of the
4 recent Guidance that are just that Guidance. I want
5 to make sure that you understand the licensees will,
6 of course, follow the letter of the regulation. But
7 some of the things in the RIS and the Guidance are
8 kind of requests from the staff. And you talked about
9 burden, placing burden on the licensees. We're always
10 happy to provide additional information as the staff
11 needs to perform their analysis, but some of the
12 prescriptive requests that are outside of the actual
13 regulatory requirements may or may not make sense for
14 all of our licensees. And again, it's Guidance. So
15 we would just ask that you keep that in mind as we
16 submit our responses.

17 And of course, you know you said you will
18 evaluate what makes sense. We just feel that
19 mathematically, the comment that we have provided on
20 the RIS relative to the draw-down period and
21 calculating interest during that time frame, we
22 certainly wouldn't remove all the money at the
23 beginning of the year for any of these activities. We
24 would pay them as we go and the midway point is
25 probably fair and could be adjusted if we find

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 something different actually happening. But typically
2 the work is performed and then you pay, so things
3 would actually push out a little bit beyond that.

4 Thank you.

5 FACILITATOR ANDERSON: I saw a couple of
6 other hands in the room here at headquarters.

7 MS. GOODMAN: Lynn Goodman, Detroit
8 Edison. I just want to clarify regarding the
9 reporting as far as the rate of return. What we need
10 to report is the real rate of return compared to
11 escalation, not the actual rate of return we've been
12 earning, is that correct?

13 MR. SZABO: Correct. It's the amount that
14 the PUC has allowed for those that are regulated, not
15 the actual amount that you have at that time.

16 FACILITATOR ANDERSON: Next question.

17 MS. HOFMANN: Sarah Hofmann, State of
18 Vermont. Since the goal is to have enough funding at
19 the termination of operation when it is expected, is
20 there any consideration in the decommissioning funding
21 assurance that a plant can use SAFSTOR or is this
22 really geared to having enough money at the time of
23 the expected termination of operation?

24 MR. SZABO: Well, our regulations
25 currently allow for licensees to use a SAFSTOR method.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 if they do not provide us a site-specific cost
2 estimate that uses SAFSTOR for our initial DFS report
3 analysis, we do assume immediate dismantlement.
4 However, the licensee is allowed to provide us another
5 option if they provide us all the costs for that.

6 FACILITATOR ANDERSON: Are there other
7 questions or comments here at NRC headquarters?

8 MR. SMITH: Jaeger Smith for Entergy.
9 Aaron, I had a question about the rate of return post-
10 shutdown during the decommissioning period and I
11 believe you said that the staff will assume that I
12 guess it's zero return during decommissioning if the
13 PUC hasn't specifically stated that there is some
14 return there. So my question is why is that -- what's
15 the basis for that assumption? And what do you do in
16 an instance when a PUC has been silent about that
17 particular aspect?

18 MR. SZABO: Just to clarify. It's not a
19 zero percent real rate of return. It's a two percent
20 real rate of return is what the staff would assume
21 during the decommissioning period. And if the PUC is
22 silent on that, that is what we would assume, just the
23 two percent. It's if you wish to be allowed an amount
24 greater than that two percent, we would require some
25 -- we would ask that you provide some sort of PUC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 order, I guess kind of backing up that allowance.

2 FACILITATOR ANDERSON: Any other --
3 several other questions here in headquarters.

4 MR. HORIN: Good morning. Thank you,
5 Aaron. Bill Horin with Winston and Strawn. Just a
6 quick question on the use of the Bureau of Labor
7 Statistics. Licensees will often pick or have picked,
8 I've seen, you pick a date when you're preparing your
9 report and we've gone back and in some cases we'll
10 just take whatever the latest final that is. That may
11 not be December. And I just want to make sure that
12 that's acceptable also. I mean we explain, licensees
13 would explain that, but rather than using preliminary
14 data, we use the latest final which could be in
15 October or something to that effect.

16 I just wanted to make sure there's nothing
17 specific in the regulations and so from that
18 perspective we thought that was a reasonable way to
19 go.

20 MR. SZABO: For the staff's analysis, we
21 will be using the December preliminary number. Of
22 course, as you say the regulation does state that it
23 is the most recent available data if the licensee does
24 provide the most recent final, we would review that.
25 But in relation to if there are discrepancies between

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 what the licensee believes is the minimum
2 decommissioning and the amount that we believe is
3 minimum decommissioning. One of the reasons why I
4 said we will not make any -- take any actions, we'll
5 wait until those December numbers become finalized,
6 because we do understand that you shift a little bit
7 from preliminary.

8 FACILITATOR ANDERSON: Any other questions
9 or comments here in the audience?

10 MS. KASS: Leslie Kass with NEI again. On
11 DG-1229 and Section 2.1.5 where you talk about rate
12 regulated utilities should report to their Public
13 Utilities Commissions, this language was adjusted from
14 the original DG-1229 in response to our comment, but
15 the adjustment still implies that somehow our
16 licensees can ask their regulator to address a single
17 line item of decommissioning funding in a rate case.
18 And in many cases, they do not have the statutory, the
19 PUC themselves, do not have the statutory authority to
20 do that and typically deal with rate cases on a larger
21 basis for a number of factors. And so we still find
22 this language problematic as it's somewhat out of our
23 hands and kind of goes over into the jurisdiction of
24 our utility regulators. So we will ask for another go
25 at that so we can get it right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SZABO: Thank you.

2 FACILITATOR ANDERSON: Do I see any other
3 hands here in the audience at NRC headquarters?

4 MR. LEVIN: Adam Levin, Exelon Generation.
5 Specifically to the paragraph that Ms. Kass was
6 talking about, I'll highlight it very clearly here,
7 but what we're looking at is a suggestion which leaves
8 the first full sentence in that paragraph, leaves the
9 last full sentence in that paragraph in the existing
10 document and deletes everything in between.

11 MS. SIMMONS: I'm Anneliese Simmons and I
12 work with Aaron as a financial analyst. I think in
13 respect to informing the PUCs, the idea there is that,
14 of course the NRC relies very heavily on the state
15 regulators in many cases to work in concert with the
16 NRC. And the spirit of that guidance was to make sure
17 that state regulators are informed very early on in
18 the process. We understand that that might be far in
19 advance of a rate case, but we do feel that that's
20 something that the licensee needs to take proactive
21 action on and that that's very helpful because it's in
22 everyone's best interest to make sure that we're all
23 on the same page.

24 FACILITATOR ANDERSON: Let me use this as
25 an opportunity to check in with folks on the phone.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Does anybody that's listening over the telephone have
2 a question or comment based on Aaron's presentation?

3 (No response.)

4 FACILITATOR ANDERSON: Can I have anyone
5 that's listening on the phone just say that they have
6 no questions so I can confirm that you're actually on
7 the phone?

8 (Chorus of no questions.)

9 FACILITATOR ANDERSON: I understand that
10 people are listening by phone. Thank you for
11 confirming that for me.

12 Chelsea, do we have anybody that has
13 submitted a question via webinar? No webinar
14 questions at this point. So I'll go back to the
15 audience here at NRC headquarters. Any other
16 questions or comments?

17 MR. FREDRICHS: This is Tom Fredrichs of
18 the NRC staff. I just wanted to comment on an earlier
19 question, I believe that Sarah Hofmann had, about when
20 the trust funds are expected to be covering the
21 amount. And while we do have a SAFSTOR which allows
22 taking credit after shutdown, the regulations for the
23 trust funds do state that they're expected to have
24 adequate funds at the time permanent termination of
25 operations is expected. So I just wanted to let

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 people know that that is in the regulations.

2 FACILITATOR ANDERSON: Thank you, Tom.
3 One last check for questions or comments on this
4 topic. I don't see any other hands here in the
5 audience. I'll check for the phone one more time.
6 Does anybody on the phone have a question or comment?

7 MR. EMBLY: Yes, there is one question.
8 My name is Jim Embly. I'm with First Energy. What I
9 understood is that for this year's reports, the
10 expectation is that we use the RIS-2010-XXX to develop
11 the report. If I did understand that correctly, when
12 is the NRC going to issue that RIS?

13 MR. FREDRICHS: Hi, this is Tom Fredrichs
14 of the NRC staff. And the RIS at this point is only
15 draft so it doesn't really apply to what you're doing.

16 We wanted to get out this draft to give some guidance
17 about what we'll be expecting and I think we tried to
18 structure it such that it's pretty much what people
19 are doing and what we understand. We did want to get
20 it out for comment.

21 It takes some time to get it issued as
22 final. It will be after March 31st so hopefully
23 within the next few months. Does that answer your
24 question or do you have anything more that you'd like
25 to say about it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. EMBLY: No, so then I'm assuming that
2 if it is just draft, we should use it as guidance, but
3 it's not mandatory until the actual document gets
4 published?

5 MR. FREDRICHS: Well, it's not actually
6 mandatory at all since it's guidance, but you're
7 correct. It's not exactly in effect right now, but it
8 does give you an idea of what we're looking for and if
9 there's information we need that's not in the report,
10 we'll contact the licensee and perhaps have a request
11 for additional information.

12 MR. EMBLY: Okay, thank you.

13 FACILITATOR ANDERSON: Thank you, Tom.
14 Any other questions on the phone right now?

15 (No response.)

16 MR. HORIN: Bill Horin with Winston and
17 Strawn. I just want to reiterate what Tom said and
18 what Leslie said is that this is guidance and so to
19 the extent people were considering this as somehow
20 mandatory, there's only guidance in the suggestions by
21 the staff as to what they would like to see in some
22 circumstances, but it is guidance and it's not
23 mandatory at all on licensees.

24 FACILITATOR ANDERSON: Any other questions
25 or comments here at headquarters? It does not appear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that there are.

2 Any more questions or comments from those
3 on the phone? Great.

4 Aaron, thank you. Thank you, everybody,
5 for your questions and comments.

6 (Applause.)

7 The next presentation, Larry Pittiglio and
8 Steve Short. Actually, there are two presentations
9 here. Larry, you're going to go first, and then
10 Steve's presentation is second.

11 MR. PITTIGLIO: The first presentation
12 we're going to discuss the overview of our evaluation
13 of the formula. Before I start, I'd like to take this
14 opportunity to introduce Steve Short. Steve has been
15 with PNNL and has actually worked on this area for NRC
16 and I've worked with him for almost 30 years now. So
17 we're very happy to have Steve's supporting us on this
18 effort and we are working on that.

19 I also wanted to take the opportunity on
20 the left to introduce my branch chief, Chris Regan, is
21 here. If you haven't had the opportunity to meet
22 Chris, so since he's here, if you have any questions
23 in the end, ask Steve the hard ones and me the easy
24 questions.

25 All right, we're going to start.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Next slide, please.

2 Basically, we were directed back in 1996
3 to take a look at the formula. What happened, we had
4 some funding issues and we actually did not start
5 until about two years ago. So we were behind on
6 getting started on the formula reevaluation. The
7 projected end may be late 2011. Actually, it's going
8 to be about a year from now because of some budget
9 constraints. We pushed the effort into FY2012. So it
10 will be actually a year from now before we have some
11 definitive recommendations. So when I tell you we
12 really don't have a decision at this time that is
13 really an honest answer.

14 Next slide, please.

15 The initial formula was based on studies
16 that was done in the early '70s. Again, PNNL did the
17 study. They looked at two cases. One, of course, was
18 the Trojan plant and the other one was the Columbia
19 plant, to look at generic costs for both PWRs and
20 BWRs.

21 Next slide.

22 Later, in the mid-1990s, we came back and
23 updated those studies, so that was done again about 15
24 years later. And that's where we are at this time.
25 Note at the bottom, neither of the original studies

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 addressed many areas that we are now looking at which
2 included site remediation, property taxes,
3 decommissioning strategy, plant-generated waste or in
4 operations.

5 Next slide.

6 So we decided to go in and reassess the
7 formula. The intent was to make sure that the formula
8 reflects the current costs associated with the
9 decommissioning. The results of the evaluation may
10 require us to change the formula. And our goal is to
11 align the formula also with site-specific cost
12 estimates.

13 Over the 30 years, the decommissioning
14 strategy and practices have changed dramatically and
15 we've also received a lot of updated information from
16 the licensees regarding site-specific cost estimates.

17 So we're using all of that in our continued
18 reevaluation of the formula.

19 Next slide.

20 We also recognize that the formula really
21 didn't look at low-level waste management and clearly
22 the cost of low-level waste is a big issue. At this
23 time, we're also concerned about waste that's
24 generated during operations and whether or not there
25 will be any available capacity to bury that waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 before decommissioning comes into play. And
2 currently, we do not have any place for disposal of B
3 and C waste.

4 Where are we at this thing? As I said
5 before, honestly, I can tell you here today that if
6 you ask me are we going to change a formula, we have
7 not drawn a conclusion on that basis. We're still in
8 the process of looking through the information that we
9 have available. There is a table that I put out in
10 the front that I use as a reference for both this and
11 the discussion on NUREG-1307 and it really identified
12 30 site-specific cost estimates that we've received
13 over the past years.

14 FOIA reference, it provided the ML number,
15 so that if anybody wants to go look at the licensee
16 submitted cost estimate, the ML number is listed.
17 It's available in ADAMS, publicly available. And
18 there were more than 30 different options, disposal
19 options that we looked at. I have more copies of the
20 chart and when I talk a little bit about the low-level
21 waste, I'll have the identified ML number for you
22 also.

23 So at this stage, if the formula and
24 again, if it gets changed, it may address site
25 remediation, property taxes, decommissioning strategy,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 impacts on life extension. It may account for some of
2 the waste that's generated that's not disposed of.
3 We're looking at the B and C classed issue with the
4 waste and what's going on after permanent shutdown.

5 Again, at this stage, we're collecting
6 information. Just as a reference, a lot of the site-
7 specific cost estimates came in under the 50.75
8 requirement that said at or about five years out, the
9 licensees are required to submit a preliminary
10 decommissioning cost estimate and we received several
11 of those, although some of the plants have now gone
12 through license renewal. They were a very good basis
13 for what we looked at.

14 We are currently looking at information
15 that we've gained from Yankee Rowe, Maine Yankee,
16 Connecticut Yankee, Trojan, Rancho Seco, so that we
17 have some real world information that we're looking
18 at. And we're trying to assess the different impacts
19 and costs that are associated with the actual
20 decommissioning before we can make any recommendation
21 on the formula.

22 That's where we are today. In all
23 honesty, it will probably be this time next year, as I
24 stated earlier. Our initial goal was to make a
25 recommendation to the Commission maybe in late 2011,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 but due to some budget constraints, we've pushed the
2 workload into 2012, FY 2012, so it's probably going to
3 be this time next year before we have a
4 recommendation.

5 The last slide is just the formula itself
6 as we know it today.

7 Do we have any questions?

8 FACILITATOR ANDERSON: Thank you, Larry.
9 Any questions or comments, here at NRC headquarters
10 for Larry?

11 MR. ANDERSON: Ralph Anderson, with the
12 Nuclear Energy Institute. Thanks very much for the
13 information, Larry. That was very informative.

14 I just make the comment that during that
15 period of time in looking at the low-level waste
16 related issues, because of the significant number of
17 changes that are taking place, both in the regulatory
18 framework and in the infrastructure, you might want to
19 consider somewhere along the line having a public
20 meeting opportunity to make sure that you're well
21 informed on all the different changes that are taking
22 place.

23 A couple of simple examples, as you're
24 probably aware, the Texas Compact Site is on its way
25 to operation and that Compact Commission, for example,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 has already approved a process for disposing of out-
2 of-Compact waste. That would be a change on the
3 statement that there is currently not an outlet. NRC
4 itself is contemplating changes to the Branch
5 Technical Position that classifies waste with the
6 expectation it probably will create more flexibility.

7 Utilities themselves have adopted
8 practices as a result of the restriction of access for
9 disposal of B and C waste such that in two years,
10 we've already decreased the volumes of such waste by
11 20 percent and expected to decrease it considerably
12 more.

13 So the point is there's a lot of changes
14 taking place and I think it would be good to create an
15 opportunity to get a broad range of people in to make
16 sure that you take those into account.

17 MR. PITTIGLIO: We agree with you one
18 hundred percent. In fact, that was one of the
19 comments that Steve has made from PNNL that the whole
20 waste issue has changed dramatically. And as a matter
21 of fact, I talked to Jim Shafter in our Low-Level
22 Waste Group who forwarded me some information about a
23 meeting in Texas on the actual rate structure today,
24 scheduled for March 10th. So we're well aware of, as
25 you pointed out, the significant changes that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 almost occurring daily related to low-level waste.

2 FACILITATOR ANDERSON: Thank you, Larry.
3 There's another comment.

4 MR. SMITH: Jaeger Smith with Entergy.
5 Larry, I have a couple of questions about two of the
6 items that you mentioned in your --

7 MR. PITTIGLIO: Could you speak a little
8 closer?

9 MR. SMITH: I had a question about first
10 site remediation. My understanding is that site
11 remediation, the NRC has consistently maintained that
12 that's beyond its jurisdiction, so I'm wondering if
13 you could speak a little bit on why that might show up
14 in the formula.

15 And secondly, you also mentioned property
16 taxes. And my question is I'm wondering why that
17 should be considered inasmuch as property taxes on the
18 site itself are for certain persist before and after
19 the decommissioning, and of course, during operations
20 as an operational expense. I'm wondering why property
21 taxes would be in the formula?

22 MR. PITTIGLIO: Property taxes was an
23 indirect question and I may let Steve comment on it
24 also, but when we looked at many of the site-specific
25 cost estimates that came in, specifically when we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 looked at the SAFSTOR period which was 30, 40, 50
2 years, we saw property taxes in the tune of over \$100
3 million that were costs associated with SAFSTOR. And
4 that, I think is what Aaron touched on a little bit
5 about the concern of what is the annual cost of
6 keeping that plant while it's sitting there in
7 SAFSTOR.

8 So it is a big cost when you start talking
9 about \$100 million. It's something that we never
10 considered at the time. Probably when we looked at
11 the formula we assumed that the plant would go into
12 immediate dismantlement, probably would be completed
13 within seven years, but at that time we didn't have an
14 issue with where the spent fuel would be stored or
15 low-level waste issues.

16 So as we look at these costs and we looked
17 at the licensees' submittals and again, there's over
18 30 of them identified on our table. Property taxes
19 was identified in big numbers in almost every
20 submittal that we receive.

21 FACILITATOR ANDERSON: Steve, I've got a
22 microphone for you.

23 MR. SHORT: I don't really have a lot of
24 comment on it. When we originally did the evaluation
25 which of course the current algorithms is based on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 studies that were done back in the '70s. And those
2 numbers, what we had in there was based on some
3 assumptions back in those time periods. And so all
4 Larry is saying is we're going to be looking at what's
5 currently making up the decommissioning cost
6 estimates.

7 Let me come back so we can get a clear
8 transcript, use the microphone.

9 MR. SMITH: Yes, I was wondering if you
10 could comment on the site remediation issue.

11 MR. PITTIGLIO: On what now?

12 MR. SMITH: Site remediation issue. I
13 believe you had indicated --

14 MR. PITTIGLIO: Well, yeah. I mean that's
15 just something that the site remediation costs we
16 recognize aren't necessarily part of the current --
17 are not part of the current decommissioning costs.
18 But when we look at the breakdown of annual costs
19 associated with the plant, especially with SAFSTOR,
20 every one of our studies identified basically three
21 categories: cost for dismantlement, radiological
22 cleanup, the site remediation and spent fuel cost.

23 So it's something we're looking at.
24 Again, we recognize that if there's any change to the
25 formula, it would require rulemaking and it may be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 something that we want to consider. It's just a
2 factor at this time, like property taxes that has
3 influenced the cost of the plant.

4 MR. SHORT: Yes, in general, site
5 remediation is not part of the algorithm, but you can
6 envision, especially if that cleanup is associated
7 with a cleanup below the NRC requirements, 25 millirem
8 per year requirement. If you've got to clean up the
9 site to meet that requirement, then that clearly
10 should be part of a minimum decommissioning fund
11 requirement.

12 Of course, our challenge is most plants --
13 of the three plants -- of the four plants we were
14 looking at, only one of those really had a significant
15 amount of site remediation that they had to do. So
16 whether that goes into an algorithm or not, it's still
17 something we have to discuss.

18 MR. FREDRICHS: This is Tom Fredrichs from
19 the NRC staff. When you think site remediation, where
20 are you, Jaeger? There you are. I'm looking around
21 the column here.

22 To some extent, you understand that is
23 clearing buildings that are non-radiological, but the
24 other thing with the formula as we have it today, it
25 assumes that there's no soil contamination or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 groundwater contamination and that's part of the
2 remediation that is radiological and it can be very
3 expensive. So that's something we need to look at to
4 see if the formula captures those types of costs.

5 FACILITATOR ANDERSON: I think there were
6 other questions.

7 MS. FABIAN: Yes, I have one.

8 FACILITATOR ANDERSON: Go ahead. Over the
9 phone.

10 MS. FABIAN: Right. Dagmar Fabian,
11 Crabshell Alliance, Baltimore.

12 I am not very familiar with all those
13 regulations, but could I see your Slide 9 again?
14 Would you kindly explain some of the parts that go
15 into the total dollar cost and how you divvy it up and
16 how you come to these numbers, please?

17 MR. PITTIGLIO: Slide 9 reflects the
18 formula as it is in the regulation today and it's
19 based on a combination of factors: labor, energy, and
20 burial costs. And I think Aaron talked a little bit
21 about using the Bureau of Labor Statistics numbers.
22 They are what really dictates the labor costs and the
23 burial costs.

24 When you apply that formula, you'll look
25 at the specific costs related to the section of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 country that you're in and also you'll look at the
2 low-level waste factors that we provide in NUREG-1307,
3 currently Revision 14 that will give you the factor
4 that you use as input to derive the total formula,
5 minimum formula amount.

6 So it's really based on a combination of
7 factors again. And that's what the formula reflects
8 today. And again, what we're looking at are what has
9 changed since 1970 that may or may not be included in
10 the formula such as soil remediation and other items
11 that were not initially considered. But again, the
12 formula is based on the three factors and the
13 percentages that you see identified above. The amount
14 related to labor and to energy are taken from the
15 Bureau of Labor Statistics. In NUREG-1307, we do not
16 provide those numbers, but we put a link to the
17 website for the Bureau of Labor Statistics so you can
18 go in and pull those numbers.

19 MS. FABIAN: Specifically Bx, the
20 burial/disposition costs, are you basing it on
21 something already has taken place like in -- or is it
22 -- what is it based on?

23 MR. PITTIGLIO: The Bureau -- and I may
24 let Steve talk to you a little bit about that and our
25 next slide is really going to talk about the burial

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 factor in NUREG-1307.

2 MS. FABIAN: Yes.

3 MR. PITTIGLIO: But what it does -- and
4 PNNL has been under contract with us for again
5 probably another 30 years -- and they have a program
6 where we run components and come up with the factors.

7 Now when you look in NUREG-1307 there's a
8 table that will reflect what number you apply for
9 computing the burial costs. And it's in Table 2.1 and
10 on the current version of NUREG-1307, it's on page
11 three. It's entitled "Values for Bx is a Function of
12 Low-Level Waste Burial Sites, Waste Vendor and the
13 Year."

14 So it's a mechanism by which you come up
15 with the number that you have put into the formula.

16 Steve, do you want to add anything on
17 that?

18 MR. SHORT: I don't really have anything
19 much to add. The algorithm is based on again cost
20 estimates that were developed back in the '70s. The
21 algorithm is simplified as a simplification of that
22 cost estimate which was developed at a fairly low
23 level of detail.

24 We strive to divide that into three
25 categories: labor, energy, and burial. And of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 course, since those costs have changed significantly
2 since 1986, we have to provide a way of escalating
3 those and so like Larry said, NUREG-1307 shows you
4 exactly how to do that.

5 MS. FABIAN: Do you expect to have
6 something like a multiplier be in effect now because
7 the costs are so much higher like times two or does it
8 have to be amortized in order to get more deeply into
9 the costs of each of the parts?

10 MR. PITTIGLIO: I am not sure I quite
11 understood the question. Did you?

12 MS. FABIAN: Maybe -- can we expect that
13 the costs that was proposed for 1986 adjustments would
14 be two, three, or four times higher in 2011?

15 MR. PITTIGLIO: Well, I tell you what, if
16 you go back and look at Table 2.1 in the NUREG, you
17 can see what the changes are since 2000. We don't go
18 back farther than that in the Revision 14, although
19 other earlier revisions do. But you can see the
20 dramatic changes by looking in the same category in
21 the NUREG from 2000 to 2010.

22 An example would be in values for the
23 Washington site, under direct disposal, the factor for
24 2000 was 2.23. And the factor for 2010 is 8.035. So
25 there's a factor of 3.5 times, as an example.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So my suggestion would be, and the NUREG
2 is readily available, take a look at the table and it
3 gives you an historical example of what has occurred
4 in simply the last eight years as far as waste
5 disposal costs.

6 The introduction in the abstract, we
7 talked about it. There's been some dramatic
8 increases.

9 MS. FABIAN: That's exactly what I
10 understood from you, so just this one example gives me
11 an idea that you know, a multiplier of eight is now
12 out of the question. Thank you.

13 MR. PITTIGLIO: You know, and in fact,
14 some of the numbers that are in the NUREG which we'll
15 talk about at the next presentation following this
16 one, are based on Barnwell numbers which we've
17 escalated and in reality that's the best number that
18 we have available today. When we do the next version
19 of this NUREG-1307, we may have some numbers from
20 Texas, the new facility will be opened up and there
21 may be some dramatic increases. If you read the
22 abstracts closely, since we've been working on this in
23 2006, we've always put a warning in that we recognize
24 disposal costs are going on. When new disposal
25 facilities become available, there may be some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 dramatic increases and we've actually recommended to
2 the licensees that they may want to consider setting
3 aside some additional funds to offset what happens
4 when a new facilities becomes available. So we're
5 well aware of the concern about rising low-level waste
6 costs and it's something that as we discussed in the
7 formula also that we're looking at.

8 FACILITATOR ANDERSON: Thank you, Larry.
9 Your next question will be at NRC headquarters.

10 MS. HOFMANN: Sarah Hofman, State of
11 Vermont. I have a comment and a question. The first
12 is I also happen to be one of the former Texas
13 Commissioners from the State of Vermont. I was the
14 alternate at the time the importation vote was taken.

15 And yes, we have -- just a cautionary note. We have
16 a process for importation now set up, but there does
17 have to be another vote that the Commission has the
18 resources to actually review those petitions before
19 any of them are going to be entertained. So that's --
20 and since the Texas Compact Commission is on a very
21 tight budget, that might be quite a ways away.

22 My question is in two of your slides you
23 have the words "decommissioning strategy." I assume
24 all the industry people in the room know what that
25 means, but I actually don't. Does that mean SAFSTOR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 or does it encompass more than that? What does
2 decommissioning strategy encompass?

3 MR. PITTIGLIO: Well, decommissioning
4 strategy could be SAFSTOR and in some cases it's a
5 combination of doing some immediate dismantlement,
6 letting the plant sit, and then completing
7 decommissioning.

8 When we looked at many of the options that
9 were provided, recognizing that there is still a
10 problem with what's going to happen with the spent
11 fuel, it's dictated different strategies to address
12 really what they're going to do with the fuel and it
13 may well be, there's an option of leaving it in wet
14 storage or moving it to dry storage, moving it under
15 dry storage in a site-specific license which could
16 then result in terminating the Part 50 license or
17 leaving it under the general Part 50.

18 So the strategy is simply how the licensee
19 intends to address the fuel issues and eventually the
20 complete dismantlement of the plant.

21 MR. LEVIN: Larry, thank you. Adam Levin.
22 Exelon Generation. A couple of comments and
23 observations, I guess. The first is that you
24 mentioned that one of the goals going forward was to
25 align the formula amount with site-specific cost

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 estimates that you've received, had some input on. So
2 I do appreciate that.

3 One thing I do want to say having been
4 involved in cost estimating myself for a number of
5 years and now currently being responsible for Exelon's
6 fleet of 21 cost estimates, the existing formula
7 that's in regulation has turned out to be a remarkably
8 accurate and robust proxy for site-specific cost
9 estimates over the past 25 to 30 years. It has held
10 its own very, very well. I can tell you that, in
11 general, for the BWRs, a site-specific decom. estimate
12 may run a little higher than the formula amounts. For
13 PWRs, they might run a little bit lower than the site
14 specific or than the formula amounts, but they're
15 within plus or minus 15 percent. They do a very, very
16 good job of being where we should be today.

17 The other thing I did want to mention is
18 that there's been quite an expanded experience base of
19 decommissioning. We've completed nine plants, I think
20 there's some 20 others that are -- or 10 others that
21 are in the process of decommissioning in some way,
22 shape, or form. And there's a lot of real world data
23 out there now that I know myself and some of my peers
24 that are in the room here today are more than happy to
25 provide and contribute to whatever you are putting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 together here.

2 And I would look forward to a public
3 meeting to solicit comments from those folks that have
4 been through this experience because each and every
5 decommissioning to date, and, I believe, going
6 forward, will be in some respects its own unique
7 project. So I think it's good to at least understand
8 where the nuances are as best you can as you go
9 forward in trying to put something that's a little bit
10 more globally rolled up, if you will, as a site-
11 specific formula.

12 MR. PITTIGLIO: Let me just say that we're
13 here today and we're very early on in the process and
14 the reason we're here today and very early on in the
15 process and really don't have a recommendation was to
16 make sure that all of you, because this workshop was
17 being held are aware of what we're doing and that you
18 will be involved in the process. So I mean when I
19 honestly say and it's not pre-decisional, I don't know
20 where we are on this formula. I look you straight in
21 the eyes and tell you that. But that the intent here
22 was to make sure that there were no surprises. We are
23 working on it. We received direction to do it. We
24 had a late start due to some funding issues. It's
25 been pushed out farther than I had hoped due to some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 funding issues, but we will certainly have public
2 involvement. I appreciate Ralph's comment about the
3 low-level waste issue. That's certainly a big issue.

4 It's an unknown and it's a continuously changing
5 unknown. And we're struggling with addressing that
6 ourselves.

7 MR. ANDERSON: Thanks, Larry. This is
8 Rick Anderson with Dominion. No relation to Ralph. I
9 would like to tack on to Ralph's comments, however,
10 regarding low-level rad waste and certainty.

11 Ralph had brought up several examples
12 concerning Class Bravo and Charlie rad waste. Also
13 with Class Alpha rad waste, I suspect that most of the
14 major nuclear fleet operators do have some sort of a
15 contract in place with the Utah facility, thus
16 guaranteeing volume as well as escalation factors and
17 I would highly encourage you all to have some talks
18 with us as an industry. Certainly, some of this is
19 confidential and proprietary, but I'm sure that we
20 could provide a range that would give you some
21 guidance so that we're not dealing with some unknown
22 quantity.

23 There is a lot of certainty out there with
24 low-level rad waste and certainly with the Texas
25 Compact or the Texas site, I think that that certainty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 will only increase.

2 MR. PITTIGLIO: Yes, I agree with you and
3 I will tell you that when we look at the site-specific
4 cost estimates that come in within five years, that's
5 an opportunity to where we do look to see if there's
6 any formulas. Obviously, if you're 20 years from
7 license expiration, the formula, the generic formula
8 is going to apply. Who knows what's going to happen
9 within the next 20 years. And in reality, that's why
10 the regulation has set up the 50.75(c) requirement to
11 come in at or around five years so we can see where we
12 are with the site specific. And at that time I would
13 hope that the site specific would identify specific
14 contracts that they have in place as a basis for how
15 they came up with the low-level waste number.

16 FACILITATOR ANDERSON: Next question is
17 also at NRC headquarters.

18 MS. BALLENGER: Josie Ballenger from the
19 Government Accountability Office. I want to go back
20 to page 8, your bullet on management and storage of
21 spent nuclear fuel and greater than Class C waste.
22 I'm wondering if you can expand on that.
23 Specifically, are those costs supposed to be part of
24 decommissioning costs or are they supposed to be
25 handled separately according to the regs? If that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 not the case, is that something NRC has seen through
2 real life examples of plants that have decommissioned
3 or submitted their site-specific cost estimates?

4 MR. PITTIGLIO: Let me just say and I'll
5 have Steve comment also. Those are items that we've
6 identified that may be taken into consideration if the
7 formula is changed and we go through the process of
8 changing the regulation. We recognize some of these
9 were not covered at that time. We raised the issue
10 because it's come more and more of a concern regarding
11 if there will be a large volume of waste stored at the
12 plant at the time it shuts down.

13 Are any of those -- you know, if you ask
14 me today do I know whether they'll be factored in or
15 not at this stage, I would say we're just simply
16 looking at the information that we have available and
17 trying to assess it.

18 I don't know if you have any --

19 MR. SHORT: I guess the simple answer to
20 the question is that currently spent fuel management
21 costs are not part of the decommissioning fund. And
22 so I don't know if that was the answer, specific
23 answer to that question.

24 FACILITATOR ANDERSON: Does that answer
25 the question?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MS. BALLENGER: I guess the key issue is,
2 with the lack of a geological repository, has that
3 changed the cost that the licensees are incurring for
4 the storage of the spent nuclear fuel? And if that
5 wasn't originally envisioned to be a decom. cost, but
6 effectively it has become one or it is likely to
7 become one, is that what you're trying to get at here?

8 MR. PITTIGLIO: Well --

9 MS. BALLENGER: What has been the recent
10 experience of the licensees that have -- that are
11 undergoing decommissioning and are in SAFSTOR, perhaps
12 because of this issue?

13 MR. PITTIGLIO: Recognize that the spent
14 fuel issue at the time of the formula wasn't an issue.
15 It was assumed DOE would take possession of the fuel.
16 I think there's probably what, 104 law suits against
17 DOE right now to try to recover spent fuel costs. So
18 -- but we recognize it is a big dollar number. As I
19 said, when we looked at site-specific costs for the
20 storage of the fuel, we see -- although it's not part
21 of the radiological decommissioning, we're seeing
22 numbers in the tune of a couple hundred million
23 dollars in costs over the SAFSTOR period which
24 includes the construction of the -- in most cases of a
25 dry cask storage facility, the supporting canisters,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and there's a big cost associated with security and
2 maintaining that fuel. We've looked at annual costs,
3 even after the plant has been cleaned up and removed.

4 There's still a high cost for spent fuel storage
5 annually while it's sitting there.

6 So whether or not we're going to include
7 that in the formula, I really don't know, but it's a
8 consideration based on where we are today and the fact
9 that DOE doesn't look like it has a near-term fix
10 related to the spent fuel.

11 I don't know whether that answers your
12 questions, but that's where we are.

13 Steve, do you want to make a --

14 MR. SHORT: Yes. I will just make a quick
15 comment. Even though spent fuel management costs are
16 not part of the decommissioning fund, utilities are
17 required to retain a decommissioning fund for those
18 part 72 licenses or for the spent fuel dry storage
19 facility under a separate regulation. Let's not
20 presume that there isn't funding there to deal with
21 that and that funding, if you look at those estimates
22 that utilities provide, include an estimate associated
23 with shipping that fuel off-site.

24 MR. PITTIGLIO: Another part of it is the
25 regulation and 50.54(bb) says that at five years, not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 at or around, but at five years, prior to license
2 termination the licensee is required to submit -- and
3 Susan, if I misquote, please step in -- a preliminary
4 spent fuel management program for Commission
5 preliminary approval.

6 So when we typically reviewed a site-
7 specific cost estimate, we're also looking at the
8 spent fuel management plan or program. And that's
9 where we've gotten some numbers in the \$200 million
10 range that we've looked at that are significant as far
11 as the storage and disposal of fuel.

12 Again, those numbers are based on an
13 assumption that DOE is going to take the fuel 30 or 40
14 years from now which may or may not even be the case
15 at that time.

16 MR. ANDERSON: Ralph Anderson with NEI.
17 With all due respect, I'd suggest that the expertise
18 that the NRC should have in the room right now to
19 address these issues is not present. And I think
20 there's a lot of misstatements being made.

21 As you mentioned, the Courts are deciding
22 right now who is liable for the long-term storage
23 costs. The Commission itself has been looking at
24 policy issues associated with long-term storage well
25 beyond the 30 or 40 years that you're referring to.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 There's a presidential commission looking at a larger
2 picture. I would suggest that if you're thinking of
3 doing something in the next 12 to 18 months, you're
4 not going to have the answers to any of those
5 questions and to suggest that somehow you would
6 redefine that as part of a decommissioning cost, I
7 think, extends well beyond where the Courts and the
8 law itself are right now.

9 So I just offer that that whole area isn't
10 really ripe for consideration either in this kind of
11 workshop or even in the guidance documents that you're
12 looking at or even a rulemaking as far as that goes.

13 MR. PITTIGLIO: We agree and we appreciate
14 your comments.

15 Susan, did you want to say something?

16 MS. UTTAL: Susan Uttal from the Office of
17 the General Counsel, NRC. There are no plans at this
18 point to amend 50.54(bb) to make the fuel management
19 costs part of decommissioning.

20 MR. BANNANO: Jerry Bannano, NEI. I just
21 had a question about the remediation discussion that
22 we had a little while ago. I've been kind of thinking
23 about one of the comments. I just want to make sure I
24 understood.

25 Is there a suggestion that you would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 considering clean up costs that are below the NRC dose
2 limits? I thought that's what I heard, but that
3 doesn't seem right to me.

4 MR. PITTIGLIO: No, you did hear that and
5 the reason we made that comment, it really came out
6 from I guess when we looked at, was it Maine Yankee?
7 Yes. That, you know, the state wound up even though
8 we had 25 millirem ALARA, the clean up actually went
9 to 15 and 4, I believe. I think, as I remember, and
10 it was quite a few years ago, that had an impact of
11 \$50 or \$60 million that the licensee claimed, due to
12 the fact that they cleaned up to a more stringent
13 criterion than NRC. So we're aware of it. But it's
14 certainly not 25 millirem ALARA is the standard that
15 we're cleaning up to.

16 FACILITATOR ANDERSON: I know that there
17 are other questions and comments here at NRC
18 headquarters. Let me check in with those joining us
19 by phone. Are there any questions or comments by
20 anybody on the phone?

21 (No response.)

22 MR. KRAUSE: This is Dave Krause with Duff
23 & Phelps Investment Management Company. Some in the
24 room are aware of the fact that another federal
25 agency, the Internal Revenue Service, has concluded

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that the spent fuel costs should be included in
2 nuclear decommissioning funds and have recently come
3 out with regulations that said that for costs, called
4 qualified funds, that that spent fuel cost should be
5 included in the decommissioning costs that go into the
6 termination of contributions to qualified funds. So
7 there seems to be an inconsistency between two federal
8 agencies. One is sort of ignoring them and another
9 federal agency that definitely feels that they're
10 important.

11 MR. PITTIGLIO: We just don't have an
12 answer to that. We appreciate your comment, but we
13 don't have an answer at this time.

14 MS. UTTAL: Susan Uttal, OGC. The IRS has
15 different concerns than we have. I'm not aware that
16 they have any nuclear experts on staff, but it's
17 interesting information nonetheless.

18 FACILITATOR ANDERSON: The next question
19 is also at NRC headquarters.

20 MS. GOODMAN: Lynn Goodman, Detroit
21 Edison. I believe the IRS regulation allows for it to
22 be a qualified fund. Does not require fuel management
23 as being part of decommissioning. It just allows it.

24 FACILITATOR ANDERSON: Are there any other
25 questions or comments here at NRC headquarters? How

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 about on the telephone? Does anybody on the phone
2 have any questions or comments for this topic? Okay,
3 great.

4 Larry, thank you very much. We'll move on
5 to the next presentation.

6 MR. PITTIGLIO: All right, we will move
7 into the discussion on NUREG-1307. Hopefully, this
8 will be less controversial. I had set up the other
9 one figuring that would be the least controversial,
10 but you never know.

11 Again, Steve Short has been with me for
12 many, many years, working for us on contract and is
13 really the key player of PNNL in developing the NUREG.

14 To start with, we're going to talk a little bit --
15 first slide.

16 We've recently issued NUREG-1307, Revision
17 14. That is the current version that will be used for
18 the decommissioning funding status reports that the
19 licensees are required to submit by March 31st of this
20 year. Above, I've identified some of the initial
21 assumptions and some concerns that we've had and we
22 talked a little bit about it in the other presentation
23 about disposal rates may be significantly increased.

24 In 1998, we made an assumption in the
25 NUREG that dealt with a waste vendor and 100 percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 disposal, so we have a vendor and a direct disposal
2 option. We're going to talk about that a little
3 later, because that was an assumption that was made in
4 1998 and in reality, it's something that as we've done
5 a lot of work and a lot of studies, are going to make
6 a change in that.

7 So let's go on to the next slide.

8 A couple of key points, the low-level
9 waste generated during operations is -- we assumed it
10 will be disposed of with operating funds. Plants that
11 have no disposal capacity available, we recognize, may
12 have to store it and that may be an issue for us. And
13 what happens if disposal costs are not available at
14 the time the plant comes off-line? That's certainly
15 something that we're always concerned about.

16 Next slide.

17 Again, at this stage, the disposal costs
18 for waste that are stored on site during operations
19 are not considered part of our disposal costs. If you
20 don't have a disposal site available, then it's going
21 to be an issue at the time the plant comes down
22 because we just don't have the facilities to dispose
23 of it at this time.

24 And a key point that we applied in this
25 revision to NUREG and which raises a lot of concern is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this vendor option that we initiated in 1998 which
2 assumed we had two options. One was a direct disposal
3 and the other was 100 percent use of a vendor.

4 Next slide.

5 Now, where are we going with the issue on
6 the vendor direct ratio and this is what we looked at
7 very closely. Actually, let me go back. We started
8 looking at some of the basic assumptions to the NUREG
9 1307. We currently have revision 14 out. I took over
10 the project management control of it back in Revision
11 11 at the last minute, and then worked on Revision 12
12 which was done four years ago. And at that time
13 again, when Revision 12 came out, there were many
14 statements in it concerning if new disposal capacity
15 became available, costs could go up significantly. We
16 had a lot of concerns about some of the basic
17 assumptions. and over the last four years, we've had
18 an opportunity to look at many site-specific cost
19 estimates that have come in, as well as those reactors
20 that had completed decommissioning.

21 And one of the things that came out of it
22 was and by the way, there is a chart and it's ML
23 number I think I mentioned earlier is ML 11039011.
24 That chart is available in ADAMS, publicly available.

25 And what it identifies is approximately over 30 site-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 specific cost estimates that we've reviewed over a
2 period of years that have come in and we've gone back
3 and looked at the vendor direct disposal ratios. And
4 as a result of that, we've decided that we're going to
5 change the ratio from 100 percent to a ratio of 70/30
6 because in all of those cases that we looked at, we
7 were not able to support any cases, I don't believe,
8 that had 100 percent direct vendor disposal.

9 Now what is that potential impact? It has
10 an impact of looking at a run that we made if we had
11 done it today of an increase in the formula amount of
12 typically \$50 to \$70 million. So that's over and
13 above costs that are associated with increases in
14 energy, labor or burial. But it's the assumption that
15 we've looked at very closely and which again, it was
16 based on information that was submitted and on the
17 docket that just doesn't support 100 percent vendor
18 use.

19 The other thing we're trying to do is
20 align a formula with the site-specific cost estimates
21 and we're looking at waste costs also. Again, I
22 mentioned and I think NEI mentioned it, but we
23 received some notification just this morning that
24 Texas is having a meeting on March 10th to look at
25 their rate structure. If we get some new rates, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 may have also another significant impact on the cost
2 of low-level waste and on the next version of the
3 NUREG.

4 Next slide, please.

5 Again, we're going to look at -- any time
6 we get new disposal capacity, we'll use those numbers.

7 Today, we're using Revision 14. Steve, if I'm not
8 wrong, we used a lot of the Barnwell rates and simply
9 escalated them up. We don't have a better point, a
10 better number. So had to use that as a reasonable
11 assumption. Once we get real numbers, we're going to
12 use them and it will probably, I doubt that any new
13 rates are going to be lower than the ones that we
14 currently use. But I could be surprised.

15 So we wanted to give you a heads up of
16 where we're going with this thing.

17 Next slide.

18 An example of something that occurred that
19 I thought I would show was what happened with SONGS.
20 It was submitted in 2009. The formula amount was \$344
21 million at that time. The site-specific cost estimate
22 was I think \$394 million. The actual expenditures to
23 date at that time as of March 31st was \$385 million.
24 And they estimated to balance the complete
25 decommissioning cost at \$8.8 million. One year later,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 March 31, 2010, the formula amount reflected a \$337
2 million cost. The site-specific estimate had been
3 raised to \$490 million. The actual expenses to that
4 date, one year later, was \$461.8 million. And they
5 estimated the balance to complete decommissioning was
6 \$28.6 million. So that number jumped from \$385
7 million to about \$485 million. It went up \$100
8 million and that was really due to predominantly due
9 to disposal costs.

10 We put that slide in just to somewhat
11 demonstrate the concerns and issues that we see with
12 disposal costs. I think that -- next slide. Again,
13 I just summarized what I just said, that \$86.4 million
14 increase in one year, actual decommissioning costs
15 exceeded the formula by \$153 million or 45 percent.

16 So these are factors that weigh heavily
17 upon us and why one, we're looking at the formula, and
18 why two, why we're looking at some of the supporting
19 assumptions in the NUREG that need to be adjusted.

20 And with that, I think -- last slide.
21 Again, I just put the formula number up and that's not
22 any surprise. And we're open for any questions that
23 you might have. The hard questions go to Steve this
24 time.

25 FACILITATOR ANDERSON: Any questions here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 at NRC headquarters Larry?

2 MR. LEVIN: Thanks. Adam Levin, Exelon
3 Generation. Interesting presentation. Thank you. I
4 appreciate it.

5 My observation with respect to the split
6 of vendor costs versus direct burial costs, I think
7 there's a paradigm shift developing in the approach
8 towards decommissioning which it started with our
9 project at Zion station and I don't want to say our
10 project because it is now, the license is under Zion
11 Solutions there.

12 Where we've or they have been able to
13 conclude that direct disposal of waste was actually
14 less expensive than trying to process it on site if
15 you will, rather than trying to determine what
16 \$300,000 cubic feet of waste was radioactive, they
17 just made the assumption that if there's a building
18 that had radioactive material in it in any case that
19 rather than trying to sort it out, you would just take
20 that whole building down.

21 So there's some opportunities here that I
22 think are a little different than just simply stepping
23 back and saying here's the right mix of vendor costs
24 to direct disposal costs because in all cases, the
25 decommissioning approaches are going to be what's the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 least cost method for disposing of waste and whether
2 it's a vendor that you go through or whether you
3 directly dispose of it, what you're always looking for
4 is that least cost.

5 So I think it would be good to understand
6 not only the fact that there might have been a split
7 in site-specific cost estimates, but go back and look
8 at the actual decommissions that have been done to
9 date and the decisions with respect to the business
10 decisions with respect to whether we're going to a
11 vendor, whether we're going to dispose of it directly.

12 Because I think those are going to have a significant
13 impact on your approach also.

14 MR. PITTIGLIO: I appreciate your comment.

15 And in reality, that's basically what we did. We
16 went back and looked at the data that we have and
17 that's what was the realization that we were -- the
18 100 percent was just not a reflective number. It was
19 something that was done in 1998. We will make a
20 change in it as we get more data available. We may
21 change it again, up or down.

22 There is certainly a large uncertainty
23 with low-level waste. I have to agree with you 100
24 percent. What we have to recognize though is this is
25 entirely different than site-specific. When you come

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 in within five years, you have a contract and have a
2 definite mechanism for disposing of waste, that's a
3 different issue. What we're trying to do is project
4 20, 30, or 40 years out using the formula as what is a
5 reasonable estimate to decommission a plant.

6 MR. SHORT: This is Steve Short, PNNL.
7 Sorry, I keep forgetting to introduce myself.

8 Yes, we recognize that change is going on
9 in the low-level waste management and disposal
10 business. We have been talking with Energy Solutions.

11 We communicate with them -- and in fact, their quoted
12 prices are what we used in our NUREG-1307, this issue.

13 I'm also kind of recognizing and seeing --
14 there's been an evolution between Maine Yankee, Haddam
15 Neck, Trojan, Rancho Seco. Each one of those
16 approached their low-level waste management
17 differently. Trojan sent everything to Hanford Site,
18 the US Ecology site. Got a great deal on the disposal
19 rates and consequently you see Trojan has got a fairly
20 low overall decommissioning cost.

21 At the opposite end of the extreme is
22 Haddam Neck. It sent everything to a waste vendor and
23 close to 10 million cubic feet, even the stuff that
24 was not radiological. And so you see -- I see this
25 wide spread between different approaches and we just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 need to try and take that into account and make sure
2 we're doing something reasonable.

3 But we are talking with, we do communicate
4 with Energy Solutions. We recognize they are the
5 provider for Class A, low-level waste in this country
6 and we can't ignore that.

7 MR. PITTIGLIO: Let me say one other
8 thing. I want to thank Ralph Anderson. Ralph helped
9 us out significantly although we had trouble getting
10 data. But both Steve and I asked Ralph to help us out
11 for the recent revision of NUREG-1307, to be able to
12 get actual cost numbers. And we had a difficult time
13 and we would not have had as much information if it
14 hadn't been for NEI support on that. We do appreciate
15 that help.

16 We are making every attempt we can to use
17 current information when we update this NUREG.

18 MR. CAPIK: Good morning, Nick Capik with
19 ABZ. Can you explain the 70/30 split that we see on
20 slide 5 and how it compares to the 85 percent for
21 vendors used in NUREG-1307?

22 MR. PITTIGLIO: The 70/30 percent is the
23 proposed vendor under the vendor disposal ratio that
24 we will use where 70 percent it will be vendor
25 disposed, and 30 percent will be direct disposal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Under the current chart, we have two cases. We have
2 direct disposal and we have vendor disposal which is
3 100 percent ship to a vendor.

4 When we looked at the chart that you saw
5 or that you may look at, we found out that typically
6 there were no cases or only maybe one case where all
7 of the waste went directly to a vendor, that the waste
8 was divided between direct disposal and to a vendor.
9 When we looked at the percentages that are shown in
10 the chart, we picked a conservative number. And when
11 I say conservative number, my first thought was to use
12 60/40, but that would have bumped the number up higher
13 as far as the amount of dollar increases. So that was
14 the basis for the 70/30 selection and the impact that
15 we're projecting.

16 MR. CAPIK: Just a follow up. The 85
17 percent that's shown in NUREG-1307, Rev. 14, does it
18 have a different basis than the basis for the 70/30
19 that's proposed for 15?

20 MR. PITTIGLIO: NUREG-1307, Revision 14,
21 did not use 85 percent. It used either 100 percent
22 for direct. It did not use any percentages on the
23 breakdown. We were looking at several options at the
24 time we were going to issue the NUREG and at that
25 stage decided we needed to have additional time to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 look at the data and we knew that the workshop was
2 coming up, so we wanted to take the opportunity to
3 discuss it.

4 At that time, we looked at 85/15. We
5 looked at 60/40. We looked at a whole bunch of
6 different numbers and decided that although it was a
7 concern that we would take the opportunity to
8 accumulate a little more data and postpone the
9 decision which would have had to have been made in
10 October, to publish the thing in November of this
11 year.

12 MR. SHORT: Let me just refine Larry's
13 statement just a little bit. B and C waste always
14 goes directly to disposal is our assumption. So that
15 doesn't go to vendors.

16 MR. CAPIK: Not to belabor this, but the
17 table that's in the summary on page -- Table 2.1 of
18 Rev. 14 says that 85 percent of the total volume is
19 disposition using waste vendors and the Clive, Utah
20 disposal facility and that 15 percent direct disposal
21 at one of the two full-service disposal facilities.

22 Is the 15 percent the B and C waste?

23 MR. PITTIGLIO: Yes.

24 MR. SHORT: Yes, this is Steve Short.
25 That's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. PITTIGLIO: But now what we're talking
2 about is changing the percentage of the total waste,
3 the A waste. That's what we wanted to clarify. When
4 we say 70/30, we're talking about a breakout of the
5 total volume.

6 MR. SHORT: Let me clarify that a little
7 bit. There were a couple of Class A category waste
8 that we did send direct to disposal because we had
9 determined way back when we set this up that we didn't
10 think that would go -- that those would go to the
11 vendors. So that is also included in that 15 percent.

12 I can't remember right offhand which piece
13 of that is, but if you want to know, we can look that
14 up and let you know.

15 FACILITATOR ANDERSON: Does anyone on the
16 telephone have any questions or comments for Larry or
17 Steve on this topic?

18 (No response.)

19 MR. LEVIN: Adam Levin, Exelon Generation.
20 Larry, are you intending to chair this for public
21 comment at some point along the road since this is a
22 fairly significant change in approach?

23 MR. PITTIGLIO: Our intent was to simply
24 inform you of the direction that we're going. We did
25 the same thing when we made the 100 percent assumption

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and it's part of the NUREG. It was an assumption that
2 we initially made 12 years ago and we felt that the
3 assumption is outdated, but rather than simply put it
4 in Revision 14, we wanted to take the opportunity to
5 tell you where we're going with Revision 15. And will
6 look again to make sure that with the 70/30, it might
7 be 65/35. We're going to look at the numbers one more
8 time and that's exactly why we're here today, just to
9 let you know heads up, we are going to make that
10 change. Costs will go up.

11 We also recognize costs may go up if the
12 Texas numbers come out. So we don't want this to be a
13 surprise to anybody and we wanted to give plenty of
14 opportunity to be aware that you may need to
15 contribute some additional funds.

16 FACILITATOR ANDERSON: Are there any other
17 questions or comments here at NRC headquarters?

18 (No response.)

19 FACILITATOR ANDERSON: And I'll check in
20 one more time with those on the phone. Does anybody
21 on the telephone have a question or comment?

22 (No response.)

23 FACILITATOR ANDERSON: Great. Thank you,
24 Larry. Thanks, Steve.

25 MR. PITTIGLIO: Thank you, all.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Applause.)

2 FACILITATOR ANDERSON: This is the point
3 on the agenda where we separate into two breakout
4 sessions. Breakout Session 1 will remain here in the
5 Commissioners Hearing Room at NRC headquarters. Those
6 that want to attend presentations in Breakout Session
7 2 will have to transition to another part of the
8 building. Now this is the part of the logistics that
9 requires NRC staff to escort those that are headed
10 there.

11 So what I'll do at this time, everybody
12 that's here at NRC headquarters that wants to
13 participate in the presentations and breakout Session
14 2, Anneliese, could you please raise your hand? Look
15 for Anneliese Simmons who is standing and Bret Leslie
16 who will be facilitating that second session. I'd
17 like for all of those people to please join Bret and
18 Anneliese on my right side of the auditorium, in a lot
19 of cases your left side of the auditorium. They will
20 escort you to that second breakout session.

21 Also, as a reminder for everybody
22 participating in either of these two breakout
23 sessions, we will break for lunch immediately upon
24 completion of your individual breakout sessions and we
25 will reconvene here in this auditorium at 1:30.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Thank you.

2 (Off the record.)

3 FACILITATOR ANDERSON: Let me welcome back
4 everybody to the afternoon session of our
5 decommissioning funding workshop. Again my name is
6 Brian Anderson, I am the facilitator for this meeting
7 and before we get started with the afternoon
8 presentations I'd like to just briefly remind
9 everybody of ground rules that we talked about earlier
10 this morning.

11 Of course there are paper copies of
12 presentation materials available on the table in front
13 of me or on the table by the door, for those that want
14 them. Anybody that's participating via webinar and
15 dial-in bridge the presentation slides will be
16 broadcast on your webinar screen. In terms of
17 dialogue in the room I appreciate everybody's support
18 and assistance with maintaining the ground rules that
19 we talked about this morning.

20 I'd like to ask everybody to please
21 continue to be concise in your presentations, your
22 comments, and your questions. Again, I appreciate
23 your support with doing that. In order to ensure that
24 folks that are joining us on the phone can clearly
25 hear what's being discussed and to help with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 maintaining a clear transcript I'd like to ask that
2 any comments, questions, any speaking that's done
3 please be done into a microphone.

4 Either myself or Bret Leslie will will get
5 a microphone to you, please if you're here in the
6 audience just raise your hand if you'd like to make a
7 comment or ask a question and presenters, please just
8 continue to speak in to the microphone. Would of
9 course appreciate your support in continuing to have
10 just one person speak at a time and if there continue
11 to be any differing viewpoints of opinions on topics
12 that we discuss today please continue to treat other
13 with respect and courtesy. And with that, we'll go
14 ahead and start with the afternoon presentation. Tom?

15 MR FREDRICH: Thank you, Brian. Well,
16 welcome back from lunch everybody, I'm heartened to
17 see that the morning was good enough to bring almost
18 everybody back, and I'd like to thank you all for
19 attending our workshop. We're trying to get a wide
20 variety of views. I'd like to thank again our
21 distinguished speakers for helping us make this a
22 success and also everyone whose attended here will
23 help us make this a success by giving us your comments
24 you know, during the workshop and also as you know the
25 comment period for these topics will extend for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 next month, so certainly if you can think of anything
2 more that you would like to say, please contact us.

3 I'd like to say that my presentation isn't
4 to advocate for one position or another at this point
5 in our program, but my goal is here, I want to present
6 some facts, some data, some history, so that you know,
7 we can get a historical perspective of where we're
8 coming from but more importantly to stimulate some
9 discussion, to try to draw out comments to help inform
10 us.

11 As you know that, we're going to be
12 developing a Commission paper for the Commission to
13 decide on a net present value issue and your comments
14 are going to help us develop those positions so please
15 you know, share your thoughts with us. We're anxious
16 to hear them. Next slide, please.

17 This is a roadmap for my presentation. I
18 thought I'd start out on some big picture thoughts on
19 the parent company guarantee before we got into the
20 details of it. We're going to review the regulations
21 to give a basis for the rest of the discussion. There
22 are three license transfer cases that NEI has
23 commented on, and, in which we took a net present
24 value approach.

25 I want to talk about those, and after that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 there's actually a fairly long history of comments and
2 responses on this issue and I'll just summarize them
3 and go over them a little bit. Then I'll talk about
4 costs and risk and certainly everybody should help me
5 out on those.

6 And, the conditions to achieve
7 equivalency, this will become clear after I talk about
8 the regulations but one way that a present value
9 parent company guarantee could be accepted would be
10 after an evaluation on the staff's part to find that
11 it was equivalent to other methods. And finally, I'll
12 summarize it. Please? Okay.

13 Well, just so everybody understands that
14 the parent company guarantee is an agreement, it's
15 between a parent company and its subsidiary. In my
16 view this should be a win-win approach. There are lot
17 of, there are advantages for the licensee, there are
18 advantages for the public, and I list them up there.

19 You know, it's a low cost method from the
20 licensee's point of view, it's under your control,
21 there's no third party involved. It's unlikely that
22 you're going to have to actually perform under it. On
23 the public's side, if there is a parent guarantee in
24 place it adds to the licensee's funds for assurance.

25 Because, enhanced confidence and a lower

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 risk of shortfall, so I think this is a win-win and
2 it's a useful method that we have. Next slide. And
3 here's some benefits and risks, it's a little
4 different look at it. But one of the perhaps the
5 biggest benefit, in fact, the reason that licensees
6 and stakeholders came forward asking to have this
7 method is because there are no financing costs, you
8 can issue them quickly.

9 They're very good for temporary needs, and
10 I have a case example that I'll talk about later where
11 the parent company guarantee was handy during the
12 interim when a company was trying to get license
13 renewal. On the other hand, there are of course
14 risks. They are more vulnerable in bank bankruptcy by
15 virtue of the fact that there are no funds outside the
16 company.

17 There's a common mode risk, and by that I
18 mean that financial stress on the licensee can be
19 translated into financial stress for the parent so
20 there's that concern. These are unsecured contracts,
21 there's no, there is no security, there are no funds
22 set aside.

23 And on this last one you see it's kind of
24 a pro and a con because while it can be used to adjust
25 the timing of deposits in order to smooth out cash

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 flows for a company, at the same time it's an
2 incentive to avoid a deposit altogether because you
3 can write a guarantee rather than putting money in
4 your fund, and it can lead to delays in
5 decommissioning if money is needed and the parent
6 company isn't able to produce it.

7 And that third question there, do the
8 indirect costs negate the benefits? And I think
9 that's kind of the broad view of the comments we've
10 had on the present value issue is that while licensees
11 see there are advantages to using this guarantee, they
12 believe that there are indirect costs that are
13 burdensome enough to counteract them to the point
14 where they would not want to use a guarantee.

15 Next slide, please. I've had several of
16 these salted throughout the presentation. We can
17 answer them later, but these are some of the questions
18 that I'd like specifically comments on as I develop
19 the SECY paper for the Commission. Are there
20 additional benefits or risks to using the parent
21 company guarantee we haven't identified? Next slide.

22 This is, or will be a quick overview of
23 the regulations. Well, while they're dealing with
24 that I'll just talk to it. Oh, there it is. The
25 history of the parent company guarantee actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 originated with the EPA. Now, the NRC when we first
2 adopted these used the methods that EPA had, very
3 closely. We've you know, gone on divergent evolution
4 since then, perhaps, but that's how it started.

5 And, interestingly enough, 30 years ago,
6 the EPA faced the same question, where hazardous waste
7 operators asked as a question of equity, why shouldn't
8 they be able to build up their guarantee over time
9 like the trust fund people were able to do. And the
10 EPA didn't allow it at that time, their response was
11 that there are a variety of methods and their
12 operators, or in our case, our licensees, are free to
13 choose the methods that suit them best.

14 And, EPA has held to that position ever
15 since. In 1988, we, the NRC, finally enacted our own
16 rules after a period of time and interestingly enough
17 the parent company guarantee was allowed for everybody
18 except the electric utility reactor licensees. What
19 they had instead was the external sinking fund which
20 required annual deposits but the thought was that
21 because you could build up the fund over time, you
22 didn't need the advantage of a low cost parent company
23 guarantee.

24 And, the next major Rule I mention is
25 1998, where the power reactors were finally authorized

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to use the parent company guarantee. It was in
2 response to deregulation, we found this to be a low
3 cost and flexible method, and at the same time in that
4 rulemaking, deposits were no longer required in the
5 trust funds. Next slide, please.

6 Okay, this is just a reiteration of the
7 requirements which I think everybody in the room is
8 pretty well familiar with. This is financial test 2,
9 there's also a financial test 1, which I'm not going
10 to talk about because no one uses it. The two points
11 of, that are at issue really are the first two, the
12 tangible net worth and the assets.

13 In both cases, it has to be six times the
14 face amount, and I'll also mention that the tangible
15 net worth excludes the book value of the nuclear
16 units. I put up there a little note that there's a
17 new Rule that's been approved, it hasn't been issued
18 yet but it would allow intangible net worth to be
19 included in the net worth requirement of six times.

20 Essentially that means you can count your
21 company good will and will make the net worth
22 requirement perhaps more easy to attain. Next slide,
23 please. Well, computers. I guess the weight of the
24 argument makes it slow to move from one to the next.

25 This is a regulatory analysis of why the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 parent company guarantee needs to be full value, and
2 we start with the all these regulations are in 10 CFR
3 50.75. The first one that applies is that the amount
4 of financial assurance may be more but may not be--but
5 must not be less than a specification in paragraph c,
6 and that's the formula that Larry Pittiglio talked
7 about earlier this morning.

8 Now in 50.75(b)(3) the amount that you,
9 that has to be covered using one of our methods in
10 paragraph e. You go to paragraph e, we find out that
11 the parent company guarantee regulation doesn't have
12 any provision for discounting, or it doesn't allow you
13 to discount. It has to be at least as much as the
14 cost estimate or the portion that you're covering, so
15 it needs to be face value.

16 But having said that, if we go to the next
17 slide, we can still ask the question, well, since it
18 asks, how could we discount this if that's what we
19 were going to do. There's always the exemption
20 process. In order to grant an exemption among other
21 things there have to be special circumstances. We
22 also have an interesting regulation in, back in
23 50.75(e)(1)(vi), where it allows other mechanisms.

24 And in particular it allows NRC to accept
25 another mechanism if we evaluate the special

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 circumstances of the submittal, and we find that the
2 proposal is equivalent to the other methods in numbers
3 one through five. Now, note that there's a special
4 circumstances overlap between the exemption and these
5 other mechanisms.

6 I'm suggesting that we could use either
7 one of these methods to arrive at the answer, and of
8 course there's also rulemaking. We could put in a
9 Rule that specifically states that parent guarantee
10 could be a discounted value. I'll note that the
11 other, one of the perhaps largest differences between
12 50.75(e), the other mechanisms and the exemption, is
13 that with other mechanisms we have to make a finding
14 that there's equivalency, have to have something above
15 the simple exemption. Next slide, please.

16 And here I have a couple of questions that
17 I'm soliciting comments on. What might constitute a
18 special circumstance that would be considered, either
19 for or against, and what factors should we consider in
20 determining whether or not this other method is
21 equivalent to the methods already in the regulations?

22 Next slide, please.

23 Most would like to solicit comments on
24 public participation. As we heard with the gentleman
25 from New York this morning he feels greater

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 transparency in the process would be an improvement
2 and I'll point out that in 2009, the NRC engaged in a
3 greater public participation regarding financial
4 assurance.

5 In the summer of 2009 for example, we had
6 a public meeting to discuss comments on DG-1229 which
7 was the, one of the documents that Aaron Szabo this
8 morning talked about. He was taking comments on
9 revision 1. Back in summer of 2009 we had the
10 original one and we had about 40 people in attendance
11 and about 60 people on webinar to discuss that, in
12 August.

13 In the summer of 2009, it says, we
14 reported a lot of information about shortfalls on our
15 website. In February of 2010 the Commission itself
16 held a public meeting and some of the people who are
17 here today gave statements to the Commission at the
18 time, Adam Levin from Exelon for example, was one, and
19 Paul Bailey from ICF consulting. So I think we've
20 moved in the direction of more transparency and more
21 participation but the question for comment is should
22 public participation be provided when we evaluate a
23 discounted PCG, assuming of course we go that route.

24 And if so, what kind of methods would we
25 use, and there are three suggestions up there. Next

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 slide. Now we have a regulatory basis for, I think
2 will help us understand what happened in the license
3 transfer cases and why the staff has moved away from
4 that practice. The reason I'm bringing them up is
5 because they were offered as a reason in comments sent
6 in by NEI why we should approve the discounted parent
7 company guarantee.

8 And, when you go back and look at the
9 safety evaluations we did for those cases we find out
10 that the basis was 50.75(e)(1)(iii)(B), which is the
11 parent company guarantee provision and that's an
12 incorrect application of that regulation. As we've
13 said there's no discounting method involved in there.

14 If we're going to do it we need one of
15 these other methods that I talked about, the
16 exemption, other mechanisms or rulemaking. Go to the
17 next slide. What we can say is that using a
18 discounted parent company guarantee is inconsistent
19 with the large majority of P.C.G.s, parts 30, 40, and
20 70, research and test reactors, other power reactors,
21 and if we turn the page, I took a quote out of the
22 materials guidance that we have, and recognizing that
23 materials is different from reactors but I think it,
24 but also remembering that for ten years power reactors
25 couldn't use parent company guarantees and this was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the staff understanding during that period of time.

2 And it states explicitly, no credit is
3 taken for earnings on any assurance mechanisms such as
4 a parent company guarantee that does not set aside
5 actual funds. So, in our reactor guidance it's not
6 addressed one way or the other. If we go to the next
7 slide, please.

8 And, I mention--this is an actual case,
9 one of the transfer cases where a discounted amount
10 was used. I took some numbers out of the application
11 so we could see the magnitude of what we're talking
12 about in this case. In particular the guarantee was
13 about \$55,000,000. You sum those up and that's the
14 \$320,000,000 is what the licensee used to project the
15 earnings that their trust fund would accumulate and to
16 determine whether or not they would meet the funding
17 requirement.

18 At that particular time it was \$376,
19 000,000 is how much they needed. So. But it's
20 important to realize that only \$266,000,000 was put in
21 the trust fund, and if we turn the slide, we can
22 compare the projections that Nine Mile Point made in
23 2001 to the actual fund balances at the end of the
24 year as reported in the fund status report.

25 And what we find is what you might expect.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The actual earnings on a fund of \$266,000,000 doesn't
2 add up to what you would make if it was really
3 \$320,000,000, and perhaps more importantly in this
4 case, in 2008, they reported a \$45,000,000 dollar
5 shortfall.

6 And this was after they had received
7 license renewal and their earnings credit period on
8 the money they did have included an extra 20 years.
9 And if we go to the next slide, please. So, the
10 question here that I'm soliciting comments on, well,
11 should we, should the NRC continue to approve these
12 discounted guarantees like we did in license transfer
13 cases, and what factors would argue either for or
14 against treatment of earnings, credit for PCGs
15 different from what we use for all other licensees.
16 Next slide, please.

17 Going to switch to talking about, you
18 know, the comments and responses. I think, you know,
19 now we understand the regulations that we have a feel
20 for the license transfer cases, that's sort of the
21 background for understanding the comments that NEI
22 sent in, and also our responses.

23 The first two of those up there go back to
24 the, well those are actually both on assets and it
25 appears that there was a belief in the industry that a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 parent company guarantee which requires possession of
2 six times the face amount in assets also required you
3 to restrict them, to set them aside in some fashion,
4 to restrict them from use as collateral for other
5 obligations.

6 And that's just simply not the case, and
7 we had this discussion with some licensees and I, it's
8 my opinion that they truly believe that there were
9 restrictions and so this may have been news to them.
10 The other comments were that there are significant
11 indirect costs, there are no financing costs because
12 it's just the agreement between the parent company and
13 the subsidiary. But these three items up here were
14 advanced as indirect costs that could be very
15 burdensome to a licensee or its parent company.

16 Now there are a number of counterexamples
17 showing that in actual cases, this didn't happen.
18 Progress Energy, which I'll talk about at some length,
19 Florida Power and Light, First Energy. At Exelon, I
20 put a question mark there because I haven't seen their
21 latest financials so I don't know, but they have
22 recent experience so if they have felt some of these
23 burdens I think they'll be able to tell us about them.

24 Next slide, please. And these are some
25 other comments that the tangible net worth requirement

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 itself is too burdensome. Our response is there are
2 other methods you can use that have no net worth
3 requirement. And, finally, that it's not consistent
4 with the generally accepted accounting principles.

5 And our response is that the accounting
6 principles don't ensure adequate funds. And, next
7 slide, please. All right, this is the indirect cost.

8 Are there actual financial consequences that are
9 burdensome due to using parent company guarantee? And
10 I have three examples up there. I put down LOCs,
11 letters of credit, for those who aren't familiar with
12 it.

13 And in the Progress Energy case, they had
14 three units, Robinson 2, Brunswick 1 and 2, which were
15 nearing license renewal time but it was too early for
16 them to put in their application, but due to the
17 market downturn of 2003 they were short on their
18 funds. And, Progress Energy in conjunction with its
19 biannual reports, sent in three parent company
20 guarantees, one for each of those units, in a total
21 that's up there.

22 And by the way, they are the company that
23 has made the largest use of parent guarantees. If you
24 read the annual reports you'll find out that Progress
25 stated that they had, that there was no effect on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 liquidity of short term borrowing costs which would be
2 a counterexample to the concerns.

3 I will say however that Progress Energy
4 actually did have a ratings downgrade that year. You
5 might say, a-ha, that proves it. Those parent company
6 guarantees. Or you might read the annual report, and
7 I'll just mention they went, and you'll find out the
8 reason they were downgraded one notch by, I'll mention
9 Moody's, because they were kind enough to attend
10 today, but the others did the same.

11 Because they had recently acquired
12 Progress Florida, and they were slow on repaying the,
13 on their payment schedule to pay that off. But I'll
14 also mention the FPL had an A credit rating, you'll
15 notice that in their case they have actually a huge
16 amount of parent guarantees for all sorts of things
17 and the NRC portion of it is very small. Very similar
18 with First Energy.

19 And, I'll mention a little more about
20 Progress Energy because they did what we would hope a
21 licensee would do. They realized they had a
22 shortfall, they took action to fix it, they used a
23 parent company guarantee. The NRC didn't have to
24 notify them that they were short. We didn't have to
25 get a plan from them on how they would fix it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 They were interim measures, they carried
2 them for about three years. And then terminated them.

3 And I would hold out the Progress Energy example as a
4 model for the industry in proactive management of your
5 financial assurance to avoid unnecessary shortfalls.
6 Next slide, please.

7 Oh, there it is. The other thing is that
8 when I talk to people about parent company guarantees,
9 there's, they always say well it must be a liability
10 somewhere and, actually, it's not recorded as
11 liability, at least in these examples. I see Reijji
12 is already writing, maybe you do it differently at
13 Exelon, I'd be interested to hear.

14 But, this is what you get by reading their
15 annual reports or the 10-Ks. The other thing is that
16 in general nobody really expects that these guarantees
17 will ever have to be used. We expect the licensee's
18 financial operations will be sufficient to pay for
19 decommissioning. However, as I note later on,
20 financial assurance is a second line of defense.

21 In case they don't make enough money, we
22 want to be assured that the decommissioning will be
23 completed in a timely and safe manner. Okay, next
24 slide, please. Well, the question is--now, the
25 question is, is tangible net worth a burden? And NEI

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 provided a new reactor example, and in this case the
2 new reactor would assure the entire amount of
3 decommissioning using a parent company guarantee which
4 is allowable under our regulations.

5 And the conditions that are up there, the
6 bottom line is that \$171,000,000 face amount would be
7 the discounted parent guarantee amount for the
8 \$405,000,000. Next slide, please. What I would
9 suggest is that if the goal is to reduce the net worth
10 requirement, then there are alternatives that are more
11 effective than the discounted guarantee.

12 Up there is six times the amount for the
13 full value or discounted. The other methods, there
14 are no net worth requirements. They are what they are
15 and the NRC believes that licensees have the
16 flexibility to choose the method that's best suited
17 for them. Next slide, please.

18 The comments that I would like to solicit
19 on this issue, you know, how much weight should be
20 given to minimizing the parent company's net worth
21 when we evaluate a request? And are there an examples
22 where a reactor licensee reduced--actually experienced
23 reduced liquidity or credit stress or credit down
24 rating due to a full value parent company guarantee
25 that count have been avoided if only they'd had a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 discounted guarantee.

2 Next slide, please. There's the, I guess
3 the observation that our methods are not consistent
4 with GAAP. I think our first response of that is that
5 they have different goals. I mean, GAAP is there to
6 give information on cash flows.

7 Financial assurance is there to protect
8 public health and safety, and given that there's
9 different goals we would have different ways of
10 achieving them. I did take a quote out of a GAO
11 report that I think is pretty much on point. The
12 accounting standard will not ensure adequate
13 accumulation of funding, and the reason why it's only
14 a reporting requirement, there's no funding required
15 by the accounting standards. Next slide, please.

16 And, some more comments on that. These
17 are Federal Register excerpts that NRC has put out in
18 our decommissioning rules from time to time and, you
19 know, capital investment analysis could result in
20 levels that are not adequate which is what we saw to
21 some extent in the Nine Mile Point example. And, as I
22 mentioned before, financial assurance is a second line
23 of defense.

24 Next slide, please. Nevertheless, we can
25 ask the comment and we would like to hear answers, to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 what extent should the financial reporting
2 requirements be used to evaluate these types of
3 requests. Next slide. And other comments. What cost
4 savings could be realized if we had a discounted PCG
5 compared to full value. Are there some costs of using
6 the full value PCG we haven't covered in this
7 discussion?

8 Okay, next slide, please. This is a
9 number of the risks. You know, if we went back to
10 that first table I'm going to go through them in a
11 little more detail. They suggest I guess the laundry
12 list, and if we flip to the next slide, one of the
13 risks in bankruptcy is the creditors will seize the
14 parent's funds. They lack the protection of trusts or
15 other third party surety methods, so there's a
16 vulnerability there.

17 And they only get partial recovery in
18 bankruptcy, and since the discounted parent guarantee
19 has a lower amount than the full value, it follows
20 that you would recover less. I'll also say that
21 because they net worth amount is lower, that there's a
22 lower safety margin. If we go to the next slide, I'll
23 expand on that a little bit.

24 The reason why is the cost of
25 decommissioning is the same, regardless of which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 financial assurance method you use, because the
2 discounted PCG has a lower tangible net worth, you
3 have a lower ratio of net worth to the cost of
4 decommissioning. And as I mentioned, the lower face
5 value leads to lower recovery in bankruptcy. Next
6 slide, please.

7 In the comments that we solicit, well how
8 much weight should we put on these vulnerabilities to
9 bankruptcy when we consider the equivalency to other
10 methods? Next slide, please. As I mentioned there's
11 an incentive and in the 1998 rule where the parent
12 company guarantee was extended to the power reactors,
13 there was a discussion, a concern that the NRC
14 mentioned then that the use of the guarantee could
15 lead, could give an incentive to delay or cease
16 payments into the trust fund.

17 And then we'll look at the 2009 experience
18 where over 80% of the dollar value of the shortfalls
19 was experienced by facilities that had ceased making
20 payments into their trust funds. And the comment that
21 we'd like to solicit on that is how much weight should
22 we put on this incentive to delay or cease payments
23 when we evaluate these types of requests.

24 The next slide, another solicited comment.
25 I'm putting these all together. I'm wondering if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 these types of risks of automatic stay discharge or
2 abandonment, you know, are they really much different
3 between the two? And then the next slide we talk
4 about what sort of--I'm calling this conditions to
5 achieve equivalency, I should explain that I'm
6 assuming that we're going forward under probably
7 50.75(e)(1)(vi), the other mechanisms.

8 And, to do that, we would have to find
9 equivalency, so if we find that a discounted parent
10 company guarantee is not equivalent to a full value
11 guarantee or other methods then there may be
12 conditions that we can put on the discounted guarantee
13 in order to accept them as financial assurance. And
14 some of the factors that we can consider, you know,
15 the time horizon and security and those other factors,
16 if we flip to the next slide I consider these a little
17 more detail.

18 There's a question of how much of a
19 discount are we getting? It varies over time, and
20 this table is intended to show what those variations
21 should be. The 20 years is a license renewal term, 40
22 years is the operating license term. 93 years is an
23 operating license shutdown after 40 years, 53 years in
24 safe store, which gives you 7 years left to meet the
25 60 year limit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And as you can see, the present value is,
2 gets to be lower and lower as we go along there. And,
3 there's nothing in, if we go back to that new reactors
4 example, where it was discounted 40 years, there's
5 nothing in our rules to stop them from discounting it
6 for 93 years and offering roughly a third of what they
7 were offering before.

8 And the question, the comments are, well
9 should we limit the discount period? Should, if a
10 discounted guarantee is allowed, should it be allowed
11 to be discounted over 93 years or whatever or should
12 it be some more limited horizon? We can also ask the
13 question that after permanent shutdown, should we
14 simply require the full value regardless?

15 Next slide, please. I mention there's no
16 funds or collateral, so--there, are we skipping one?
17 Back one, maybe? Yes, that one, there it is. These
18 are the conditions that we could conceivably put in
19 place to use a discounted guarantee. Could be a cash
20 reserve in escrow, a first lien collateral that's not
21 encumbered by other liens. Payments in a trust fund
22 while the PCG is in use. Next slide.

23 Could merchant plants be subject to
24 additional conditions due to the lack for access to
25 ratepayers? Next slide. Now there are other factors

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we should consider as we go through this. Okay, and
2 finally, the summary. I believe that the guarantee
3 can be a win-win method for licensees and for the
4 public. We don't have a way of accepting a discounted
5 parent guarantee without an evaluation.

6 There aren't any financing costs for the
7 PCG, we haven't seen an indirect cost been
8 demonstrated and we should consider conditions if we,
9 if we do use a guarantee to make sure it's equivalent.

10 So, the last slide is the end, and if there are any
11 questions I'd be happy to respond.

12 FACILITATOR ANDERSON: Thank you, Tom.
13 Does anybody here at NRC headquarters have any
14 questions or comments for Tom? And just as a
15 reminder, if you could please state your name and
16 organization that you represent, that really helps us
17 with our transcript. Thanks.

18 MR. HAYES: Hi, good afternoon, Tom. This
19 is Reijji Hayes from Exelon Corporation. On page--
20 it's page ten in this slide, but the slide where you
21 speak to the guarantees outstanding for progress, FPL
22 and First Energy, it's the table.

23 MR. FREDRICHS: Yes.

24 MR. HAYES: It's slide--sorry, I can't--
25 slide 19, I think.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. FREDRICHS: Yes. Yes.

2 MR. HAYES: Right. So the middle column
3 where it highlights the billion for Progress, the 9.6
4 for FPL, and the 3.8 for First Energy. Is the
5 implication there that they have significant amounts of
6 parent guarantees outstanding and the rating agencies
7 do not bat an eyelash at that? Is that what the
8 implication of this table is?

9 MR. FREDRICHS: No. This is--well, these,
10 this is the amount of the parent guarantees. I'm not
11 implying what the rating agency may do. I am noting
12 what actually was reported in the report. In the case
13 of FPL, they had an A credit rating. I'm not
14 speculating whether they would have gotten a grade
15 higher if they wouldn't have had these number of
16 guarantees but what I'm saying is that large numbers,
17 large amounts of parent guarantees are consistent
18 with, you know, solid credit and not being a risk of
19 downgrade.

20 MR. HAYES: The reason I ask is because I
21 can't speak to Progress and First Energy's guarantee
22 portfolio but I am aware that FPL, a large portion, I
23 think roughly \$7,000,000,000 of their parent
24 guarantees actually support debt that's already
25 outstanding at subsidiaries, so it's already baked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 into their balance sheet and is in fact on balance
2 sheets, so the rating agencies that they took that
3 full 9.6 billion and counted it as debt would be
4 double counting the lion's share of that.

5 So, I think it's, it may be worthwhile to
6 carve open those guarantee portfolios and see what
7 exactly supports debt already outstanding, because if
8 a lot of these guarantees, particularly FPL, if they
9 had \$9,600,000,000 that was not supporting, that
10 didn't already have debt on the balance sheet, I'm
11 sure the rating agencies would have a stronger
12 reaction to that number. So that's a simple point.

13 MR. FREDRICHS: Okay, well, I could point
14 out in the report where they make the statements, but,
15 but yes, especially if you, I mean, if you do dig into
16 it and you find something, please let me know.

17 MR. LEVIN: Adam Levin, Exelon Generation.
18 On, well it's on page four in our presentation, I'm
19 not sure what slide number it is, begins why does the
20 parent company guarantee need to be full value. The
21 third bullet there, you have identified that
22 50.75(e)(1)(iii)(B) has no provision for discounting
23 parent company guarantee. Are there regulations
24 elsewhere in 50.75 that do preclude the use of a
25 parent guarantee or is 50.75 just silent on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 matter?

2 MR. FREDRICHS: I understand the question.

3 50.75 merely, all it says is that you can use a
4 parent company guarantee as financial assurance. So--
5 but it doesn't say you can and it doesn't say you
6 can't discount.

7 MR BONNANO: Thanks. Jerry Bonnano from
8 NEI. I had a question along the same lines. It seems
9 that when the license transfer cases were approved,
10 you all used the parent guarantee provision in 50.75
11 as the basis for approving those, so you're changing,
12 it's a change interpretation. Now the interpretation
13 is that discounting a parent guarantee is precluded?

14 MR. FREDRICHS: I don't think it's a
15 change in interpretation. I think that the earlier
16 application was incorrect. If you look at the SER
17 that's attached to it, it merely states that this is
18 acceptable. There's no reason given as to why it is.

19 MR BONNANO: I guess what I'm suggesting
20 is, since it was allowed and you didn't need an
21 exemption before, that it is a changed interpretation,
22 to require an exemption now, and that would need to be
23 explained, the rationale for the change in position,
24 and I would just direct you to the Honeywell case in
25 the DC circuit from late last year.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. FREDRICHS: Okay. Thank you.

2 MR. BAILEY: Paul Bailey, ICF. Tom, one
3 of the recurring issues in any kind of present value
4 technique is what discount rate is acceptable, and I
5 didn't see that in your paper here. Is that something
6 that NRC staff is giving thought to in the context of
7 whether or not to accept the discounted parent company
8 guarantee?

9 MR. FREDRICHS: Well, I guess the
10 suggestion was that it would be a 2% discount because
11 that's the discount we allow in our regulations for a
12 trust fund and I haven't heard any other thing like
13 that, although when you bring up the question, what
14 discount rate, you're also going to ask discount from
15 what, because the NRC does a lot of it's evaluation of
16 adequacy of the funds in constant dollars. But, we
17 also know that if your cost estimate today is
18 \$500,000,000, it's going to cost a lot more than that
19 in real dollars or nominal dollars at the time you do
20 it.

21 So, we haven't really considered this but
22 it may be something we should consider. If you do
23 allow a discount, maybe it should be discounted from
24 the real future value or the future value that you
25 would project out rather than taking, well it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 \$500,000,000 today, sort of an overnight cost, we'll
2 put that 50 years in the future and then discount it
3 back. So it's a good point, but 2% is I guess what
4 everybody understands we would use, at least at it's
5 been presented up to this point.

6 MR. WILLIAMS: I'm Dan Williams, I'm a
7 consultant, retired from GAO and I've written a number
8 of papers and done some modeling research on this
9 stuff, so that's an introduction. And I'm an
10 economist, I have a problem with the concept of
11 present valuing a promise.

12 If I were a company and let's say the
13 trust fund you think you'll have all but say
14 \$100,000,000, and you'd like to have a parent
15 guarantee for the last \$100,000,000, I would love to
16 have to only have, say, \$25,000,000 of that because
17 once you got to bankruptcy you will only have to give
18 up whatever slice of that you lose, but it would be a
19 slice of \$25,000,000.

20 I mean, it just doesn't make any sense
21 because what present value is, in concept, it tells
22 you whether the cash you have in your fund as of such
23 and such a date is not adequate and you might say
24 according to some benchmark, say if you had
25 \$25,000,000--I'm changing, say, \$100,000,000 you had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 already in your fund, but on a present value basis,
2 looking at future costs with your projections on how
3 fast it should grow, that should be fully adequate,
4 which we're talking about actual money.

5 I mean, I just don't understand the
6 concept of present valuing a promise. I mean my, just
7 to shorten it, my basic view is this sort of parent
8 company guarantee should be used as just further
9 insurance, the trust fund should do almost all of it
10 and just as an insurance that in case things aren't
11 right, there's an extra backstop to cover the rest.
12 It seems like, it looks like the Companies have been
13 treating this as the need to contribute less each
14 year, because the check will be in the mail and this
15 sounds like now they want the present value of
16 whatever's in the check in the mail. And, you know, it
17 just doesn't make any sense to me, even if it's legal.

18 That's all.

19 MR. FREDRICHS: All right. Thank you,
20 Dan. I think the point was, and I think that we also
21 said it in the presentation, that the parent guarantee
22 doesn't have any cash behind it so since there's
23 nothing to make any earnings it doesn't make sense to
24 discount it back, if that's the gist of what you were
25 saying. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 FACILITATOR ANDERSON: Let me just as an
2 opportunity to check in with folks on the telephone,
3 does anybody on the phone have a question or comment
4 for Tom?

5 (NO RESPONSE)

6 MS. KASS: Thank you. This is Leslie Kass
7 with NEI. I guess in response to the question just
8 raised, we view the parent company guarantee like the
9 rest of the fund, that in today's dollars you need to
10 have a certain minimum assurance amount. We may be
11 capturing a piece of that, the shortfall or other,
12 with a parent company guarantee.

13 As allowed by regulation, we're assuming
14 that if the NRC sees that money today or the
15 obligation in the future, it would grow just like the
16 rest of the fund, and we also have in most of those
17 cases, offered every year to look at that and see if
18 we need to make adjustments to bring it up to the
19 minimum value.

20 So, we're not saying that we are relying
21 somehow on the static parent company guarantee to
22 magically grow. I agree with you, that wouldn't make
23 any sense, but we are updating it annually and also
24 then in the biannual portion to make sure that we are
25 meeting the minimum that then is allowed to grow per

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 NRC rules.

2 MR. FREDRICHS: Thank you.

3 MR. HAYES: I think Leslie covered most of
4 my point. The only other comment I would make would
5 be around, I think on slide 19, I think slide 37,
6 there was a point--you don't need to go to the slide
7 but there were a couple of points where they suggested
8 that there was no collateral or funding to secure the
9 guarantee, and while that is true, you know, there is
10 a six times test so you have to have six times
11 tangible net worth and access to the guarantee amount
12 so that in essence is implicit collateral. Would you
13 agree with that?

14 MR. FREDRICHS: Well, my understanding of
15 collateral is something that, I guess if you don't
16 meet your obligation, can be seized. And, I don't see
17 a scenario where the NRC would seize six times the
18 face amount. In fact, we would never seize it because
19 then the treasury would get it, but we wouldn't order
20 you to pay it into a trust fund because it's not
21 collateral.

22 You don't--the other thing is of course
23 because, collateral is also something that's tied to
24 whatever the obligation is, that it'll be there. I
25 mean, the parent company guarantee would give the NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the right, first of all, the licensee would have to
2 not be able to pay decommissioning, which means it
3 would be shut down, not operating.

4 That's part of the contingent nature of
5 the guarantee. The other thing is that if we go to
6 get the money, it may not be there, and there's,
7 unlike collateral where there's a lien on it and a
8 legal right to seize that, we don't have any legal
9 right to seize it.

10 MR. HAYES: All right, well what I'm
11 getting at is, you wouldn't seize six times our
12 tangible net worth of a guarantee, it does provide
13 some assurance that we have enough assets to
14 potentially monetize or liquitize in the event you had
15 to exercise the guarantee so that, in conjunction with
16 the annual updates of the guarantee as well as the
17 biannual reporting of the guarantee, I would think
18 that would be sufficient coverage of any shortfalls in
19 nuclear decommissioning trusts.

20 MR. FREDRICHS: Well, that would be I
21 guess one of the facts, well, one of the factors in
22 considering equivalency. If we want to consider does
23 a discounted guarantee, is that equivalent to a full
24 value guarantee, I'm not sure how we would come to
25 that conclusion if you know, one says, I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 guaranteeing \$171,000,000 and the other says
2 \$405,000,000, it would seem that we would have a hard
3 time finding those two equivalent.

4 There are other equivalencies you could
5 imagine, and one of them that's alluded to is, well,
6 if it was \$171,000,000 in cash in a trust fund we'd be
7 satisfied with that, so why not a guarantee for the
8 same amount. But there the equivalency is more on the
9 fact that cash in a trust fund is proof against
10 bankruptcy, a guarantee is not, it's vulnerable to
11 bankruptcy.

12 So, you know, when you start working
13 through this, there's more, it's a multifaceted, you
14 know, evaluation and you have to consider all the
15 factors, so there may be ways to do it. One way to do
16 it is say, okay, if you are willing to concede that
17 it's not equivalent to something that's already in our
18 list, you could say well maybe I can add some
19 condition to this, or make it equivalent.

20 And that's where, you know, I had some
21 slides about what sort of conditions, you know, rather
22 than setting a benchmark for it, you could say well,
23 okay, actually put money in escrow and it'll stay
24 there, guaranteeing the securing the guarantee until
25 such time as you know, you terminate the guarantee.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And there may be other ways. Maybe it
2 could be actual collateral if we had first liens if we
3 were willing to go through the extra burden of
4 maintaining those liens. There are things that could
5 potentially be done. I'm just suggesting that we need
6 to find equivalence and the equivalence isn't
7 necessarily a one sentence finding.

8 MS. SIMMONS: I'm Anneliese Simmons, I
9 work for NRR. I think to your question what we're in
10 terms of comments, that is something that the staff is
11 very interested in understanding. There is this sense
12 that you need to have six times the net worth. What
13 we don't, it's our perspective now, and what we'd like
14 to understand is those assets are not restricted, you
15 know, there are certain liabilities where you do have
16 to have an equivalent amount of cash that is
17 restricted from the company's use, okay.

18 There's probably more to that story, and I
19 think that that's the kind of comments we're looking
20 for as to what's really happening and how it impacts
21 your Companies and what assets might be not available
22 for other use.

23 MR. FREDRICHS: If I could just add that
24 that I guess reminded me of another thought, that
25 because we only require possession, you know, and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 argument might be, we have enough cash to cover it,
2 but you might also ask, well, maybe we need to look
3 and see whether or not your assets are already
4 encumbered and therefore not readily available or only
5 available as a non-lienholder claim on some of these
6 things. So that would, might be something we'd want
7 to look at to see you know, whether there were assets
8 that actually weren't free and clear.

9 FACILITATOR ANDERSON: Are there any other
10 comments or questions here at NRC headquarters?

11 MR. LEVIN: Adam Levin, Exelon Generation.
12 I am struggling I guess to understand the notion that
13 a parent company guarantee when considered in the same
14 fashion that as Kass mentioned which is that parent
15 company guarantee would be looked at every year,
16 adjusted as necessary, which is essentially required
17 of us by regulation.

18 I'm struggling to understand how or why
19 that should be treated any differently than cash,
20 which if you deposited cash you'd be depositing the
21 discounted amount that's required to meet your goal at
22 the end of the day, or putting up your credit, which
23 again would be a theoretically discounted amount that
24 would be required at the end of the day.

25 So, I'm struggling to understand why

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you're considering a parent guarantee to have such a
2 different or if you will--

3 MR. FREDRICHS: Okay, well if it was a
4 full value parent company guarantee we wouldn't have
5 any objection.

6 As to the using the guarantee as a cash
7 substitute, so to speak, that would be adjusted every
8 year, that gets back to I guess is actually equivalent
9 to cash. And as we were talking about, it's
10 vulnerable to bankruptcy and it's possible, because
11 there's no restrictions in our regulations, that the
12 assets that we would need to use or have access to to
13 draw on that instrument may already be encumbered
14 because there's no requirement that you can't.

15 So, that's one reason why I guess the
16 parent company guarantee would be looked at
17 differently than cash. But as far as the present
18 value concern is, you might also consider as Leslie
19 mentioned, well maybe have a letter of credit, how
20 about a surety bond. But that also gets back to the
21 first regulatory hurdle, that there are no provisions
22 for discounting them.

23 FACILITATOR ANDERSON: Any other questions
24 or comments here in the auditorium at NRC
25 headquarters?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 (NO RESPONSE)

2 FACILITATOR ANDERSON: How about on the
3 telephone? Anybody on the phone have a question or
4 comment for Tom?

5 (NO RESPONSE)

6 FACILITATOR ANDERSON: Was there a hand in
7 the back of the room? No? Okay. I think that's it.
8 Thank you, Tom.

9 MR. FREDRICHS: Okay, thank you all. And
10 like I said, I mean you'll probably think of
11 something, you say I wanted to say that, well you have
12 a chance. You have, you know, the next month to send
13 in comments, so please do.

14 FACILITATOR ANDERSON: The next
15 presentations on the agenda are by Exelon Generation
16 Company.

17 MR. LEVIN: Thank you, and good afternoon.
18 My name is Adam Levin and my position with Exelon
19 Generation is Director, Spent Fuel and
20 Decommissioning. And in this role I provide
21 governance and oversight of spent fuel management and
22 decommissioning strategies of Exelon's fleet of 21
23 nuclear units.

24 While I've only been with Exelon for the
25 past 13 years, over the past 33 years I've had the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 pleasure of working with more than 90% of the
2 commercial power plant decommissioning projects
3 completed to date, principally in the areas of
4 engineering and cost estimating. Next slide, please.

5 Excuse me.

6 I'm here today to talk about two areas in
7 particular that are of concern to Exelon, specifically
8 the timing for resolving the decommissioning funding
9 shortfall--assurance shortfall, and the method by
10 which the value of a parent company guarantee is
11 calculated. With me today is Mister Reijji Hayes.
12 Reijji is Exelon's corporation--Exelon Corporation's
13 Assistant Treasurer and Director of Corporate Finance
14 and Financial Strategy, whose address will focus on
15 greater detail on using parent company guarantees to
16 provide funding assurance and about why a net present
17 value measurement of funding assurance requirements is
18 the appropriate methodology for determining funding
19 sufficiency. Next slide, please.

20 Before addressing these two issues, I'd
21 like to take a few minutes to summarize where one was
22 two years ago and where we are today with respect to
23 the status of our decommissioning trust funds. As of
24 December 31st, 2008, Exelon did not meet NRC's minimum
25 funding assurance requirements found in 10 CFR 50.75

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 for a number of nuclear units.

2 In response to NRC staff requests, Exelon
3 implemented a number of actions to resolve the funding
4 shortfall, which included obtaining parent company
5 guarantees. Next slide, please. Improvements in the
6 condition of the financial markets as of December 21st
7 2010 have changed the previous situation quite
8 dramatically.

9 Exelon is no longer underfunded with
10 respect to NRC minimum funding assurance requirements
11 and will be notifying that parent company guarantees
12 are no longer required to meet funding assurance
13 minimums. Within a fairly short period of time, two
14 years, the trust funds have recovered sufficiently to
15 meet NRC requirements without requiring additional
16 funding assurance mechanisms or cash contributions to
17 the trust funds.

18 The currently existing regulatory
19 framework which suggests funding assured shortfalls
20 should be mitigated by the next biannual report if
21 they still remain. As demonstrated that funding of
22 long-term liabilities such as these do not need to be
23 subject to short term mitigation strategies as a
24 result of changes in financial markets and that the
25 two year window from the date of funding assurance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 shortfall recognition to the time by which
2 underfunding should be remediated is a reasonable
3 regulatory requirement. Next slide, please.

4 Following Exelon's submittal of it's
5 biannual funding--biannual decommissioning funding
6 status report in March 2009, NRC staff and Exelon held
7 a number of discussions to address the timing of
8 entering into guarantees to address the gap in funding
9 assurance. Staff's interpretation of the regulations
10 repeatedly focused on a remediation of the funding
11 assurance shortfall within a short time after it's
12 initial recognition and indeed by the time the
13 biannual report was filed in March 2009.

14 Exelon continued to maintain that it's
15 interpretation of the remediation was to be no later
16 than by the filing of the next biannual report on
17 March 31st, 2011. Exelon referred NRC staff to a
18 number of existing documents including staff's 2002
19 response to comments made during the promulgation of
20 the current regulation and to SECY-06-0073, both of
21 which in Exelon's opinion support remediation of a
22 funding assurance shortfall within a 2 year time
23 frame.

24 Ultimately, however, Exelon agreed to
25 obtain parent guarantees prior to the two year period

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 provided by the regulatory guidance in SECY-06-0073,
2 while concurrently requesting continuing dialogue with
3 NRC staff on the issue. Next slide, please. In
4 Exelon's opinion, requiring resolution of the funding
5 shortfalls within the three month period advocated by
6 NRC staff imposes an extremely shortsighted view of
7 the financial markets on licensees.

8 Additionally it presupposes that the
9 financial markets have suffered a permanent
10 displacement, never to return even marginally to pre-
11 downturn levels. The regulatory framework should
12 continue to maintain adequate flexibility and to
13 recognize and allow for all periods of market recovery
14 and less volatility.

15 The currently existing regulatory
16 framework which supports funding assurance shortfalls
17 should be mitigated by the next biannual report.
18 Quite frankly, that does work. And the two year
19 window from the date of recognition to the time by
20 which the funding assurance shortfalls should be
21 remediated is justifiable. Next slide, please.

22 First, requiring an expedited period to
23 resolve funding assurance shortfalls might result in
24 actions that could be detrimental to funding
25 efficiency. Exelon remains of the opinion that it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 made more sense in the short term to allow the markets
2 to sort themselves out, identifying any new directions
3 and carefully and in a thoughtful manner, rebalance
4 the portfolios to reflect resulting forever changed
5 economic realities.

6 Second, decommissioning liabilities are
7 very long-term. Rebalancing portfolios when they are
8 severely diminished in value in the short term sets up
9 strategy for investing in higher return and higher
10 risk vehicles in order to meet the future liabilities
11 and in the process generating taxes on realized gains
12 earlier than planned, eroding long-term fund value.

13 And, finally, letters of credits, assuming
14 that they were even available during 2009 and early
15 2010, would have been costly to obtain, and as such,
16 Exelon settled upon using parent cooperation
17 guarantees. Next slide, please. Over the past two
18 years, Exelon has expressed disagreement with NRC
19 staff position regarding the use of parent company
20 guarantees.

21 Exelon's position is that the face value
22 of the parent company guarantee should be based on the
23 net present value of the funding sufficiency
24 shortfall. Additionally, the parent company guarantee
25 should be updated annually as required. This

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 methodology satisfies the impacts of the market value
2 changes, cost escalation, changes in decommissioning
3 requirements and any other effects which may impact
4 future decommissioning costs.

5 This methodology is consistent with how
6 the NRC minimum formula worked for prepayment
7 methodology defined in regulation. The technical
8 basis for net present value method, I'll defer to my
9 colleague, Mister Hayes. Exelon also disagrees with
10 staff, with the staff's assumption that all
11 decommissioning expenses in a given year of
12 decommissioning activities are withdrawn before income
13 on trust funds is realized, the so called end of year
14 convention for return on investments.

15 Simply put, the approach staff has taken
16 assumes all decommissioning costs in a given fiscal
17 year are incurred on the first day of the fiscal year.
18 This approach is unnecessarily conservative.
19 Decommissioning costs are typically incurred
20 throughout the year, with disbursements from the trust
21 funds at least 30 days in arrears. Next slide,
22 please.

23 Exelon continues to maintain, and the
24 Commission agrees, that establishing parent company
25 guarantees by the next biannual submission, if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 required, is the right approach. And in fact, as I've
2 already noted, Exelon believes the most recent
3 experience has demonstrated rather convincingly that
4 is is reasonable to require no earlier than a 2 year
5 cycle before a guarantee should be established.

6 The approach used by NRC to determine face
7 value of parent guarantee has no regulatory basis and
8 is inconsistent with generally accepted accounting
9 practices, as Mister Hayes will discuss in a moment.
10 In fact, if a parent company guarantee is ever
11 executed, and if the guarantee amount is adjusted
12 annually as proposed by Exelon, the cash deposit along
13 with the balance of the trust funds, will meet
14 obligations through the decommissioning period.

15 This combination of funding assurance
16 methods and net present value parent company guarantee
17 plus prepaid trust fund assets always satisfies
18 minimum funding assurance requirements, and provides
19 sound justification for using a net present value for
20 the parent guarantee face amount. I know Mister Hayes
21 will have a lot more to say about present value and
22 future value calculations, as well as parent company
23 guarantees, so I'll turn over the floor to him.
24 Reijji?

25 MR. HAYES: Well, thank you, Adam, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 good afternoon, everyone. As Adam mentioned, my name
2 is Reijji Hayes. I'm the Assistant Treasurer and
3 Director of Corporate Finance and Financial Strategy
4 at Exelon Corporation. I've been with the company
5 since May of '09, prior to that, I was an investment
6 banker. Spent several years on Wall Street, where I
7 focused on corporate finance advisory, as well as
8 mergers and acquisitions advisory.

9 In my career, I've executed more than 20
10 corporate finance and M&A transactions and I've spent
11 countless hours advising senior management teams on
12 asset valuation, deal structuring, and strategy. The
13 reason, as Adam mentioned, why I've accompanied him
14 and the other Exelon members here today is to provide
15 additional insight on the matter at hand, specifically
16 the merits of utilizing net present value calculations
17 for estimating shortfalls and DTS or nuclear
18 decommissioning trusts.

19 And then also to offer my perspective on
20 parent guarantees as a funding assurance mechanism, so
21 this is a topic that's relevant to my group for a
22 variety of reasons, namely we are responsible for
23 issuing and tracking the parent guarantees across
24 Exelon. I'll get into this a bit later but this is a
25 matter we take very seriously and it's a line item

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 within a number of accounts, you know, balance sheet
2 or off balance sheet that we monitor very closely, and
3 again, I'll get into that a bit later.

4 We also are responsible for structuring,
5 planning, and executing all of the debt financings, or
6 any financings, debt equity, you name it. On an
7 annual basis, we structure, plan, and execute those
8 and they could be anywhere from a half a billion to
9 two and half billion dollars a year, and we're very
10 well versed and I'm very well versed in the current
11 valuation methodologies by U.S. GAAP, SEC, and other
12 bodies for when it comes to the valuation of debt and
13 other obligations like asset retirement obligations,
14 which is the matter at hand, of course. Next slide,
15 please.

16 So, on slide 2, I realize a number of
17 people here are well versed in this topic but just to
18 get everybody grounded I wanted to spend a little bit
19 of time on the technical aspects of the net present
20 value calculations so you know, conceptually I think
21 most people are familiar with this but a net present
22 value calculation is the estimated value, or present
23 or current value of a stream of future cash inflows or
24 outflows.

25 So, in essence, mechanically what you'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 do is you'll take a series of cash flows, let's say
2 it's \$100,000,000 dollars per year, and you will
3 divide that by a discount rate which, you know, for
4 our purposes, we're assuming 2%, and you'll take into
5 account the time period in which the cash outflow or
6 inflow took place. So mathematically, if you look at
7 the format, formula highlighted in the schematic, the
8 numerator consists of the cash flow, inflow or
9 outflow, and the denominator consists of the discount
10 rate and time period.

11 And, you know, basic third grade math, the
12 larger that denomination is, the lower the value or
13 the quotient you'll yield. So, if you look at the two
14 variables there, you've got your interest rate. The
15 higher that is, the higher the denominator so the
16 higher the discount rate, the lower the value of the
17 cash flow and the larger the time period, the lower
18 the cash flow, which means, the basic premise is, a
19 dollar today is worth more than a dollar tomorrow so
20 money that you're not obligated to pay, 10, 20, 30
21 years from now is worth a lot less than a dollar you
22 have in your hand because that dollar that you have in
23 your hand can be reinvested at some rate of return and
24 accrue over time.

25 So, just to get everyone grounded, and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 reason why this is important is it's really the key
2 concept upon which our argument here is predicated and
3 this calculation is obviously widely used, not just in
4 investment banking but in a broader business world to
5 account for investments, long-term projects, M&A, and
6 select obligations, among other uses. Next slide,
7 please.

8 So, in addition to the valuation of assets
9 and liabilities, on slide three we have highlighted
10 the other uses of NPV or at least some of the other
11 uses of NPV calculations and the rationale for using
12 this calculation. There are several reasons for using
13 NPV. One and primarily as far as this matter's
14 concerned, is that it's a very good proxy for the fair
15 value of an asset or a liability, so NPV calculations
16 are often used in the absence of a readily available
17 market price.

18 If you look at FAS 143 or specifically FAS
19 157 it clearly stipulates, and that's--I'm sorry, I'm
20 speaking within U.S. GAAP or generally accepted
21 accounting principles, but FAS 157 specifically states
22 that in the absence of a readily available market
23 price that a net present value or estimated present
24 value methodology needs to, should be used.

25 And as an investment banker in my prior

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 life, there were numerous valuation methodologies we
2 used when we were valuing business. Discounted cash
3 flow analysis was probably one of the most prominent
4 we used, particularly when rendering fairness opinions
5 and that methodology in itself is a net present value
6 calculation because you're taking the estimated cash
7 inflows of a company out several years and discounting
8 them back at an appropriated discount rate to make
9 sure that you have a good estimate for the present
10 value and in other words, you know, what you should
11 pay for an asset.

12 Another reason why the NPV calculation is
13 used is because it reflects economic reality. In
14 other words, you know, going back to the concept I
15 discussed in the prior page, you know, since a dollar
16 today is worth more than a dollar tomorrow, then
17 valuing an asset or a liability by its future or
18 nominal value can be misleading and may lead to
19 potentially overstating an asset or a liability which
20 is highlighted in the next bullet point.

21 And the reason we're concerned about this
22 is multiple stakeholders rely on the information and a
23 company's financial statement. Obviously, investors,
24 creditors, rating agencies, and regulatory bodies.
25 So, using NPV reduces a likelihood of overstating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 those assets and liabilities, and, you know, with all
2 due deference and respect to the folks at Moody's, we
3 also have other counterparties who assess the
4 liabilities and the risk of our business.

5 There are other rating agencies--S&P and
6 Fitch--there are also other counterparties for ratings
7 upon which we are the guarantor, who also look at
8 liabilities, guarantees, and all the other debt-like
9 obligations in our portfolio and certainly assess
10 whether or not, you know, the business is at risk
11 beyond the amount of debt in the balance sheet.

12 So, multiple stakeholders use this
13 information and I, just to put things in perspective,
14 I wanted to give an example of a liability we have in
15 our balance sheet which highlights I think the
16 disparity in the way in which Exelon Generation, NEI,
17 and the NRC are viewing this. So, for example, we
18 issued \$900,000,000 of debt in September of last year
19 on Exelon Generation's behalf to provide funding or
20 financing for the acquisition of the John Deere
21 renewables business.

22 \$550,000,000 of that debt was ten year
23 money or ten year bond which had a coupon of 4%, paid
24 semi annual so if you do the math, we're on the hook
25 for \$11,000,000 every six months or \$22,000,000

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 annually and at an aggregate it's \$220,000,000 over
2 the life of the bond. So from our methodology or the
3 way in which we view the world, we view that liability
4 as a \$550,000,000 liability because that in fact
5 reflects the present value of the liability.

6 And if you look at our balance sheet and
7 any other company that has issued a bond of the last
8 several years, they would book the bond at
9 participation or equivalent to the present value or
10 participation at issue, which is \$550,000,000. Now if
11 you applied the NRC's methodology to the accounting o
12 that bond, you would take the \$550,000,000 at
13 principle that you owe at the end of ten years and add
14 to that the aggregate value of the interest you owe so
15 the \$220,000,000 and in essence would be booking a
16 \$770,000,000 liability.

17 So from our perspective, that is overly
18 conservative and dramatically overstates the value of
19 that liability. And then as mentioned I think in
20 several of the presentations we saw today, it's
21 obviously a mess that's a present value methodology is
22 obviously one that's used by U.S. GAAP and is used for
23 SEC and SEC reporting, so we're very comfortable with
24 it.

25 It's used for a number of other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 obligations such as pension, other asset retirement
2 obligations, so we think it's very consistent with the
3 way in which the rest of the world views this
4 accounting technique and also again, it reflects
5 economic reality. So as such, you know, Exelon, we
6 use the NPV calculation to estimate the future
7 obligations for our pension and asset retirement
8 obligations, as well as other post-retirement
9 employment benefits and capital leases.

10 Next slide, please. I won't spend a great
11 deal of time on this because we've talked about this a
12 lot but you know, again, as it applies to Exelon
13 Generation, we think NPVs today are relevant because
14 there's a clear disparity in the way in which we,
15 Exelon Generation, and the NRC are estimating the
16 nuclear decommissioning trust shortfalls, so as we all
17 know, Exelon Generation company has a legal obligation
18 through the NRC to decommission it's plants at the
19 termination of operations and to estimate the value of
20 that future obligation for reporting purposes.

21 So, Exelon, we, if you read through our
22 10-K, you'll note we use a probability weighted
23 discounted cash flow model which is consistent with
24 U.S. GAAP and conforms to the methodology used by
25 other Companies in the power energy sector. So in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 short, that model projects out the cash outflows
2 associated with decommissioning and brings them back
3 or present values them back to the current date to
4 reflect economic reality.

5 And, it's probability weighted because we
6 take into account the various ways in which you can
7 decommission or choose to decommission a plant, either
8 through safe store, license extension or decon, which,
9 it's my understanding that that's the shortest way in
10 which a plant can be decommissioned so we probability
11 weight and take into account for each nuclear
12 commercial unit in our portfolio, which methodology of
13 shutting the plant down has the highest likelihood and
14 then we discount those cash flows back to present
15 value.

16 So at the bottom of the page, not going to
17 get into all the bullets because I think everyone's
18 well versed on, you know, the NRC regulations but you
19 know, the real crux of our argument if you look at the
20 bottom section, the second to last sub bullet, I do
21 want to highlight this point here, and that is the
22 assumption of parent guarantees used for minimum
23 funding assurance in future dollar estimates as
24 opposed to NPV cost estimates to determine funding
25 assurance requirements.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Because this is a real issue for us, as
2 Adam highlighted, and if you turn to the next slide I
3 can provide a little more color as to why we think
4 that that's a problem. So, due to the broad usage of
5 NPV calculations to estimate the values of assets and
6 liabilities, you know, our position remains that
7 utilizing future value to estimate the shortfall you
8 know, ignores economic reality and may materially
9 overstate an asset retirement obligation.

10 And to provide a real world, yet another
11 real world example of our concern here, if for
12 example, someone buys a house for a half million bucks
13 and finances it with a \$400,000, thirty year non-
14 amortizing loan at 5%, you know, if you're in a better
15 credit rating than I am, you know, you're on the hook
16 for \$20,000 a year in interest payments. So if you
17 take, do that math, \$20,000 a year over a thirty year
18 period, you're going to pay \$600,000 of interest over
19 the life of that loan.

20 If we apply the NRC's methodology to this
21 math here, they would be on the hook for providing a
22 guarantee in the amount of a million dollars up front,
23 so that's the \$400,000 of principle they owe on the
24 loan, plus the \$600,000 of aggregate interest, and
25 that doesn't take into account obviously the fact that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 a buyer could refinance that loan, thereby extending
2 the maturity of the loan itself, or if they sell the
3 house in advance, which obviously would make them rid
4 of the obligation itself.

5 So, we think it's again it's very
6 conservative and infrastructure act if you apply this
7 methodology to the home ownership process in the U.S.
8 I don't think many homes would be sold, frankly,
9 because it's just too draconian. So, to put this in
10 perspective, you know, we believe, you know, we are
11 really at risk here significantly over-collateralizing
12 this long-term liability in the near term, which may
13 prove unnecessary if a plant's license is extended,
14 you know, which has happened quite a bit.

15 I think 61 of the 104 nuclear plants have
16 had their license extended, so that's roughly 60%.
17 And then also you know, and that's over the past 11
18 years, and then you have 21 or rather, sorry, the
19 balance of nuclear plants already have license
20 extension applications in process or planning to.

21 In addition to that, 21 commercial nuclear
22 units have shut down prior to the expiration of their
23 respective licences in the past 45 years, including
24 our Zion 1 and 2 units, and it's also worth noting and
25 I think Adam highlighted this as well, that no retired

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 commercial nuclear units are or have been at risk of
2 not meeting their decommissioning obligations.

3 So we think the biannual reporting as well
4 as the annual reporting that's required as Miss Kass
5 highlighted, you know, provides sufficient
6 transparency as to whether the future or future
7 decommissioning obligations appropriate funded. And
8 then the use of a parent guarantee, you know, the fact
9 that it requires this annual update or annual
10 submission to the NRC to show you where we are, again,
11 it's sufficient, it's sufficient coverage, in our
12 opinion.

13 So. Additionally we spent a lot of time
14 talking about this and asking questions when Tom was
15 nice enough to go through his materials. We are also
16 very concerned about the six times net worth test.
17 Not the degree that it's six times but the fact that,
18 you know, though we currently have sufficient tangible
19 net worth capacity which is roughly ten billion as of
20 June 30th of 2010 when we last issued a guarantee to
21 support the Braidwood 1 and 1 and Byron 2 facilities,
22 you know, this metric can decline in a number of ways.

23 So, in the event we have an asset write-
24 down, a share repurchase, or large special dividend
25 that number can go down, you know, though we don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 anticipate having any of those events happen we really
2 think that the NRC's position limits our operational
3 and financial flexibility and I'll spend some more
4 time talking about that on the next page.

5 So, as I mentioned earlier, we take
6 guaranteed capacity very seriously, it's a fundamental
7 part of the business. Not only do we use guarantees
8 to provide assurance for shortfalls for nuclear
9 decommissioning trusts, but we also issue them to
10 support our trading operations. So for example, when
11 we buy and sell power forward, in the event we buy
12 power forward we're on the hook for providing a
13 guarantee so the counterparty in that trade knows that
14 we are good for that money.

15 And so to just elaborate on my earlier
16 point, we have been counterparties in trades in which
17 we looked very closely at the counterparty's, or the
18 guarantor of the counterparty, we look at the
19 guarantees they had on their books and were very
20 concerned at the levels that some companies had. So
21 while some rating agencies may be agnostic about this,
22 and I'm not suggesting any of them are because I do
23 think they take them into account, in addition to the
24 rating agencies we're also concerned about the
25 perception of Exelon in the event we have a large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 amount of guarantees the perception of Exelon when we
2 try to do trades with other parties.

3 So they do take a look at the guarantees
4 we have outstanding and in fact, we know for a fact
5 when we look at some counterparties that have high
6 guarantees we actually take it into account as debt
7 and so we are actually quite draconian when we assess
8 them when we're doing trades. So another potential
9 issue I wanted to highlight is that, you know,
10 overstating the assurance requirements could
11 potentially lead to ratings pressure which could lead
12 to more costly funding measures such as letter of
13 credit costs, historically, and I think Jim alluded to
14 this earlier, the rating agencies have excluded
15 including guarantees on our balance, or guarantees
16 that we have, not on our balance sheets but the
17 guarantees that we have, they have not included it in
18 our total debt calculations but they may in fact do
19 that.

20 And in fact, there are a number of off
21 balance sheet liabilities, such as PPAs, power
22 purchase agreements, unfunded pension obligations,
23 which are currently imputed as debt though they may
24 not appear on the balance sheets. So while they are
25 not currently on our balance sheet, you know, there's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 no guarantee that they may not start including those
2 so that's why we do not want to be, we do not want to
3 overstate these and we do not want to be cavalier
4 about the amount we issue.

5 And in fact the process internally at
6 Exelon as it pertains to issuing guarantees is so
7 stringent that the Board has to effectively approve
8 any guarantees issued to support nuclear
9 decommissioning trusts and I think the latest
10 threshold is \$100,000,000. Anything above that would
11 have to go directly to the Board so we view this like
12 debt internally, whether it's not currently imputed as
13 debt by the rating agencies, we still view it
14 internally as debt so we do not want to start issuing
15 large amounts of that.

16 Next slide, please. Just to highlight
17 another issue with--excuse me. Just to highlight
18 another issue with the six times test and also you
19 know, this point about overstating the liability, you
20 know, given the current requirements by the NRC to use
21 future value in conjunction with this six times test,
22 we looked at, historically we took a look at you know,
23 what the implications would be on new nuclear build.

24 So, what we did is if you focus on the
25 charts below the table on the lower left, we estimated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the cost, the decommissioning costs for dual unit in
2 2003 dollars so we show the aggregate amount of 1.1
3 billion. We gross that up using a 3% escalation rate
4 to come up with a 2011 current value amount of 1 and a
5 half billion and so that per our estimates would be
6 the decommissioning costs if you were going to have to
7 decommission a new nuclear plant today, so one and a
8 half billion.

9 So we thought about, if you have a full
10 license period of 40 years, what happens if you
11 escalate those costs up for the next 40 years? So we
12 took that one and a half billion and grossed it up by
13 3% over the next 40 years and came up with an amount
14 of roughly 5 billion, 5.1 billion, and obviously with
15 this six times test, that guarantee would breach any
16 covenant or at least as far as our net worth or
17 tangible net worth balance stands it would breach
18 that.

19 So, it really does preclude operational
20 flexibility and would not allow us to build a new
21 nuclear plant if we were to adhere to the NRC's
22 current position on this. Next slide, please. So
23 lastly, just to show some of the other financial
24 implications of using future value, we've done a
25 little bit more math here and you know, to make this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 final point what we tried to do here is just highlight
2 the--we've tried to highlight the potential costs or
3 incremental costs in the event we could not issue
4 guarantees.

5 So, one example or substitute for a
6 guarantee is a letter of credit. So what we've done
7 is on the lower left hand corner we've showed a
8 sensitivity around potential nuclear decommissioning
9 shortfalls at a variety of our plants, so Braidwoods 1
10 and 2, and Byron 1 and 2. These are both merchant
11 plants and currently do not have licenses--or, sorry,
12 all four of these are merchant plants and currently do
13 not have license extensions.

14 So what we've done here is in the x axis,
15 we've looked at changes in the values of the nuclear
16 decommissioning trusts, anywhere from down 5% to down
17 20% and we've taken the total of that shortfall and
18 you can see it ranges from anywhere from roughly
19 \$100,000,000 to just over \$650,000,000, and so we've
20 taken that range and applied it to the table on the
21 right hand side.

22 So if you look at the x axis on the table
23 on the right we've shown a range of LOC support and
24 again this is in the event we'd no longer have access
25 to parent company guarantees and it shows you you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 know, if we have to provide letters of credit to the
2 amount of \$200,000,000 to \$800,000,000 and apply a
3 variety of LOC costs, you know, we're showing 150
4 basis points at the low end, we think that's a pretty
5 good proxy for market today.

6 And then if you flexed it to the credit
7 crisis period when we were at extremes and we saw loc
8 costs as high as 400 basis points, if you take that
9 you know, worst case scenario of the fund being down
10 20% and then apply it to the, you know, the credit
11 crisis rates of 400 basis points you could see our
12 annual interest expense go, you know, we could have
13 25, excuse me, 25 to 30 million dollars of incremental
14 interest expense, which obviously, you know, that's a
15 lot of money and frankly you know, again as I
16 mentioned if we have a significant amount of
17 guarantees on our books, our counterparties in trades
18 do look at that, they assess it and they do bake that
19 into their assessment of whether we are creditworthy
20 and worth you know, engaging in a trading operation.
21 So, that's it in a nutshell and--do we have time to
22 take questions?

23 FACILITATOR ANDERSON: We do.

24 MR. HAYES: Great.

25 FACILITATOR ANDERSON: Thank you, Reijji,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and thank you Adam. Does anybody here in NRC
2 headquarters have a question or comment?

3 MR. SMITH: Jaeger Smith for Entergy.
4 Reijji, I appreciate your comments, and I would say as
5 someone representing the second largest nuclear
6 operator in the United States today, that I see the
7 same kind of things coming out of our treasury
8 Department. We're not in the same situation as you
9 are with as many guarantees but we do have one parent
10 guarantee in place and our treasury Department feels
11 the same way about these things as you do. They don't
12 deem them as costless, there are a lot of record
13 keeping requirements that go with them so we share the
14 views that you just talked about.

15 MR. ANDERSON: Rick Anderson, Dominion.
16 Reijji, we appreciate your comments today. We feel
17 the same way as you do as well as Entergy does on the
18 key points that you pointed out today.

19 MS. HOFMANN: Sarah Hofmann, state of
20 Vermont and I'm afraid I'm not going to say I agree
21 like the last two men did but I did have a question on
22 the, you indicated you had to come up with parental
23 guarantees when the shortfalls showed up, and can you
24 tell me how much for all of your plants that was? How
25 much was the total of the parent guarantees?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. HAYES: Yes, the latest balance was
2 \$219,000,000. However as Adam mentioned that amount
3 is no longer necessary because the nuclear
4 decommissioning trusts have now recovered to the point
5 where there's no longer a shortfall.

6 MS. HOFMANN: So approximately how long
7 did you have those parent guarantees in place, then?

8 MR. HAYES: Literally, 12 months. Less
9 than that, I think. Yes. Somewhere between six to
10 twelve months.

11 MS. HOFMANN: And what was, what were
12 some, what were the specific costs of having those
13 parent guarantees in place?

14 MR. HAYES: To be clear, and for the
15 record, there currently are no direct costs associated
16 with issuing a guarantee so there's not incremental
17 interest that hits your income statement. However, as
18 we highlighted or at least we tried to highlight,
19 there are a number of indirect costs in the event that
20 amount escalates to a material number. And that's
21 what we're very concerned about.

22 MR. LEVIN: I think it's, if I can put it
23 a little bit into context for you, we have
24 approximately 5 and a half billion dollars
25 decommissioning trust funds so, you know, let's assume

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for a moment that we are in a position where the funds
2 did drop \$500,000,000 or something larger than that.
3 Potentially, looking at the and I do want to try to
4 put some, a little bit around this, we had initially
5 proposed using a parent guarantee method and a present
6 value method for that parent guarantee. Was
7 approximately \$31,000,000 and with the NRC's
8 formulation or view we were required to put up
9 \$219,000,000

10 Now, again, we're in a place where we only
11 had to put up \$31,000,000 originally. If that had
12 been several hundred million dollars and we are now
13 looking at a future value of that we would potentially
14 be looking at something like 700 million to a billion
15 dollars. And that would raise eyebrows, no question
16 about that.

17 FACILITATOR ANDERSON: There any other
18 questions?

19 MR. FREDRICHS: Reijji, on one of your
20 slides, maybe one or two before this one you were
21 projecting out the peak eventual costs for two units
22 and it worked out to 5 billion dollars at some point
23 in the future. And, I think you're comment was well
24 if we had to have a parent company guarantee for that
25 amount of money that would be very difficult.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 On the other hand, that's not what we're
2 asking. We're not asking you to project out the costs
3 of the future and cover that, We're only asking you to
4 cover the amount that we determine in our own analysis
5 which is based on constant dollars where you don't
6 inflate the value. So I wanted to make that point--

7 MR. HAYES: Does that suggest that the one
8 and a half billion dollars is accurate on the left
9 hand side?

10 MR. FREDRICHS: What, that's what,
11 Braidwood 1 and 2? Or--

12 MR. HAYES: No, it's just dual unit--

13 MR. FREDRICHS: Just dual units. Two
14 units decommissioning costs 1.5 billion. There might
15 be some BWRs that could amount to that much, two of
16 them, and if that was the decommissioning costs, then
17 you'd want to use a parent company guarantee, we would
18 expect that's, yes, that would cover that with the
19 parent guarantee.

20 MR. HAYES: Right and so, you know, six
21 times that, and my math could be rusty, is roughly
22 eight and a half, 8.6 billion dollars.

23 MR. FREDRICHS: Yes.

24 MR. HAYES: And so you know, as I
25 mentioned, we have, as of June 30th, we had about 10

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 billion of tangible net worth but a number of events
2 could lower that number that would allow us to breach
3 that covenant pretty easily.

4 MR. FREDRICHS: All right in other words
5 you can't afford a parent company guarantee at full
6 value to cover that full amount.

7 MR. HAYES: Yes, that one and a half
8 billion is quite large and I think it's the sort of
9 number where if we issued a parent guarantee though
10 the rating agencies have historically not included in
11 our imputed debt numbers I think they would certainly
12 take a long hard look at that, and we've had
13 discussions with a number of our advisors at
14 investment banks who know the rating agencies well and
15 with the rating agencies themselves and they said
16 though they institutionally do not include it, there's
17 some people within those agencies who do view it as
18 debt, so you know, that's a number we would think long
19 and hard about before we even issued that, so put 5.1
20 billion aside, one and a half billion still doesn't
21 allow me to sleep at night.

22 MR. FREDRICHS: Okay.

23 MR. LEVIN: I'd also like to add to that
24 too and I think this is the whole point here, is that
25 allowed and considering a net present value of that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 parent guarantee you're now talking about \$623,000,000
2 face value, which would now give you a great deal more
3 flexibility to pursue what you needed to pursue in
4 terms of building new nuclear units, which are in and
5 of themselves an expensive proposition.

6 MR. FREDRICHS: Well of course you have
7 alternatives, it doesn't have to be a parent company
8 guarantee. The other, the other thing I got from your
9 talk is that it's not so much the \$219,000,000 that
10 you're guaranteeing now but a concern that over a
11 period of time a parent company guarantee, it might
12 escalate and that might cause you a problem.

13 And I think this is an example of that.
14 The other thing is to maintain a trust fund amount at
15 the net present value and in which case you wouldn't
16 have to have parent guarantees, normally, at least.
17 They might be used as short term things like you're
18 using this one now.

19 MR. HAYES: TO be clear, when you say a
20 trust fund at present value, do you mean a nuclear
21 decommissioning trust?

22 MR. FREDRICHS: Yes.

23 MR. HAYES: I believe those are currently
24 calculated at fair value. Is that--the fair value is
25 effectively present value.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. FREDRICHS: The way the NRC
2 understands it, if given a merchant plant, we would
3 use a 2% discount rate to determine what the net
4 present value is. From the time of shutdown until,
5 well, whatever time you were starting from. If that's
6 the same as fair value, then fine, but since I'm not
7 sure exactly how you do fair value I wouldn't say it's
8 necessarily quite the same.

9 MR. HAYES: All right well as I mentioned
10 in the absence of a readily available market price,
11 but, you know, if you have a nuclear decommissioning
12 trust you do have readily available prices, so fair
13 value is a decent proxy for present value and if there
14 were not, let's say the trust was comprised of a lot
15 of illiquid assets like real estate, private equity
16 funds, and things of that nature as opposed to public
17 equities they would likely use a present value
18 calculation to come up with, as a proxy for fair value
19 of those assets.

20 MR. FREDRICHS: Okay, well, if in that
21 reactor example that I talked about with NEI, if fair
22 value works out to \$171,000,000 in the trust, then
23 that's fine with me. That would be the same number
24 that we have. The other thing I wanted to ask, you
25 talked about the PCG adding to your liability and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that's something I don't entirely understand because
2 you already have an account, you know, ARO accounts
3 which are accruing the liabilities over time for
4 decommissioning using the GAAP methods.

5 And are you suggesting that if you issue a
6 parent company guarantee that your total liability for
7 decommissioning has now increased because of the
8 guarantee?

9 MR. HAYES: I if heard you correctly,
10 you're asking just to simply you're asking do we
11 currently assume that the guarantees are in fact debt
12 on the balance sheet? Is that what you're asking?

13 MR. FREDRICHS: Well, no, although that's
14 a good question I'd like the answer to.

15 MR. HAYES: I'm shooting myself in the
16 foot.

17 MR. FREDRICHS: No, you have an asset
18 retirement account, and, you know, its FAS 143 tells
19 you every year this is how you enter it onto your
20 books and you're doing that.

21 MR. HAYES: On a present value basis, yes.

22 MR. FREDRICHS: Yes. And we don't argue
23 with that so that's okay.

24 MR. HAYES: I'm sorry, what?

25 MR. FREDRICHS: We don't argue with GAAP

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 so, but what I'm asking is, you already have that on
2 your books, and now until you terminate the parent
3 company guarantees you also have \$219 million in a
4 PCG. Does that mean that your liability for
5 decommissioning, that 219, is added to what's already
6 on the books in the air or always to somehow increase
7 your liability this year?

8 MR. HAYES: No, I, I don't, no, that's not
9 the case.

10 MR. LEVIN: The ARO does not change
11 because of the presence of the parent guarantee.

12 MR. FREDRICH: Okay, thank you. Well the
13 other question which I probably would have asked
14 anyway is are the parent guarantees that you have
15 recognized on the liabilities in the balance sheet or
16 is an off balance sheet?

17 MR. HAYES: NO, they're currently off-
18 balance sheet. In fact we highlight them in our SEC
19 filings so in our 10K it's kind of in the 300 page
20 range, or 10K's about 800 pages but it's in the notes
21 of the financial statements. We do disclose fully the
22 amount of guarantees that we have outstanding so while
23 they're not included in the calculation of debt they
24 are fully transparent and the public is aware of the
25 amounts, and that's my concern because even though the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 rating agencies currently don't include it in their
2 imputations of debt, that number is publically
3 disclosed so there are a number of counterparties whom
4 we do transactions with who could look at them and
5 say, you know, this is a large number and we
6 infrastructure act do that so when we're doing a power
7 trade with a Counterparty we look at their public
8 company we look at their 10K and we look in their
9 notes to see how many guarantees they have
10 outstanding. If it's a 3 comma or a billion dollar
11 number we get very concerned and we do in our own
12 internal calculations include that as debt because
13 that does in our opinion impact the creditworthiness
14 of that entity.

15 MR. FREDRICHS: Okay. You mention--does
16 anybody else want to make a comment? Because I don't
17 want to--

18 FACILITATOR ANDERSON: I sense there's a
19 lot of interest in questions and comments to be made
20 here--does anybody object, we're currently in the
21 scheduled break, does anybody object with us
22 continuing to go through a question and answer comment
23 making session on this topic?

24 (NO RESPONSE)

25 MR. WILLIAMS: I'd like to make a, kind of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a philosophical question. I have two points I want to
2 make. One is to the extent that you increasingly use
3 parent company guarantees, there's in generally in
4 life and in economics there's a law of unintended
5 negative consequences and back in the 90s and early
6 2000's I used Dave Krause's data from Duff and Phelps
7 and I think he said this morning and just on his table
8 he showed that contributions, that's not how much you
9 have in your fund, that's how much you've recently
10 been adding to your fund, have been falling
11 precipitously.

12 I think he said something like 15 years
13 ago there were like 2 billion a year for all
14 companies. Now it's down to, you know, 500 million
15 and to the extent that you take away, extent that
16 these guarantees come away to supplant having to put
17 cash into your contributions I don't think that's
18 probably a good idea, that's my opinion.

19 Second of all, it's been a while since I
20 talked about these things. You were talking about 2%
21 discount rate, if in when I built my models, I think
22 what that implicitly means is you're, what NRC does is
23 assumes that on average the rate of return on the
24 funds, after tax, will be 2 percentage points above
25 the cost escalation rates, I think that's what it was,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and really--is that correct? Okay.

2 Really, that should be a variable. That
3 should be a variable, and when I did my Monte Carlo
4 analysis, you know, 5 years ago, of all the different
5 companies, they can range from much higher than that
6 to negative numbers. We don't know. It's an unknown,
7 and to fix it at 2% as though that's gospel I think is
8 misplaced. It's an unknown, it's a variable.

9 I mean, actually I had the rate of return
10 as a variable and I had the cost escalation rate as a
11 variable so implicitly the difference is a variable as
12 well, and so that's my two points. I just, there's
13 the law of unintended negative consequences, getting
14 back to the first part. It looks like these
15 contributions are falling through the floor.

16 MR. LEVIN: Okay. I'd like to address
17 both of those comments. On the first one, with
18 respect to the contributions, the plants that we've
19 ran shortfalls for this year have not been receiving
20 contributions since the mid 2000 time frame. So we
21 were above our funding minimums back in 2005, we
22 dipped down during the period of 8 and 9, we're back
23 up over them again. So you know, I understand that
24 you have you know--we can only speak to--regarding the
25 second item which is the 2% real rate of return,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 actually, I'd like to refer you to an OMB, Office
2 Management and Budget circular, a94, which addresses
3 the discount rates, supposed to be used for Federal
4 construction projects, and in there I think you'll
5 find that the real rate of return considered by the
6 Federal Government for long-term project investment
7 remains above 2% and has been well above 2% for the
8 past 30 years. So, I think the 2% as a matter of fact
9 is a relatively conservative view of the real rate of
10 return that's available to any large asset or
11 liability.

12 MR. HAYES: And just to add to that, for
13 what it's worth, when we do our asset retirement
14 obligation calculations that probability weighted
15 discount, discount of cash, the model we use, discount
16 rates, you know, that range from anywhere from four
17 and a half to six and a half, 7%.

18 MR. ANDERSON: This is Rick Anderson with
19 Dominion. Aaron, if I may jump in and help address
20 this man's first question, as far as the rate of
21 contributions dropping on an industry level. What
22 that graph does not tell you is the fact that a number
23 of sites have gotten license renewal, therefore they
24 no longer had to have their continuing contributions
25 because of the long return.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MS. SIMMONS: I have a question for Mister
2 Hayes. First, a comment. I mean I think it's
3 important to note that your company--you're a banker,
4 you're very conservative, I'm sure, and your company
5 expects you to be. In the same token, the public
6 expects us to be conservative, so, you know, many of
7 our assumptions are going to be on the conservative
8 side.

9 I do have a question about your ARO
10 calculations. You mentioned that, you know, under
11 GAAP you're allowed to use net present value. How are
12 you able to do that when both the cost of
13 decommissioning and the timing of decommissioning are
14 unpredictable? I'm just wondering what your approach
15 is and how you do that.

16 MR. HAYES: It's an excellent question and
17 I think I went through it rather swiftly and probably
18 should have spent a bit more time doing it justice.
19 If we brought one of our accounting team members they
20 can certainly do a lot more justice to it but I'll
21 just give you my own third grade understanding of it,
22 but basically there are three ways in which we
23 estimate that you can decommission a plant. Either
24 via SAFSTOR where you have a 60 year extension, a
25 traditional extension of 20 years, and a decon, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is the accelerated 7 to 10 years.

2 So, we take into account those three
3 scenarios and probability weight them based on each
4 commercial unit to determine which ones have the
5 greatest likelihood of either having safstor, decon,
6 or traditional extensions so we take into account
7 those different scenarios, escalate the cash outflows
8 associated with decommissioning based on those time
9 periods, and then discount them back at various
10 discount rates to to try reflect as best as we can
11 economic reality.

12 FACILITATOR ANDERSON: For those that are
13 listening--

14 MR. HAYES: --you're right, I'm sorry--you
15 were right in your assumption, I am conservative in
16 nature, but I am a recovering investment banker, so.

17 FACILITATOR ANDERSON: For those that are
18 listening by phone, does anybody on the phone have a
19 question or a comment?

20 (NO RESPONSE)

21 FACILITATOR ANDERSON: Are there any other
22 questions or comments here in the NRC auditorium?

23 MR. SIPOS: Hi, this is John Sipos from the
24 state of New York. I wanted to ask a question to Adam
25 as a followup to a colloquy you were having with Sarah

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Hofmann. In the end of your comment you were positing
2 a situation in which if I understood you correctly
3 there was something along the lines of a \$700,000,000
4 shortfall if I heard you and you said that would raise
5 eyebrows, I think within Exelon. Did I understand
6 that correctly?

7 MR. LEVIN: No. My comment reflected the
8 fact that rather than having let's say--we started out
9 using a net present value for our shortfall incurred
10 at the end of 2008, \$31,000,000. We were by the NRC's
11 view not covering that shortfall properly and they
12 requested that we establish a guarantee of
13 \$219,000,000, 7 times the size. If for some reason or
14 another, our net present value of our shortfall ran up
15 to now \$100,000,000, we'd be in the position again
16 extrapolating that out to NRC's method of being 700
17 million, having face value of a guarantee, which would
18 then, that certainly would raise some eyebrows, as I
19 said.

20 MR. SIPOS: Followup question. Whether it
21 was a \$100,000,000 shortfall that you were looking at
22 or whether it was using the NRC standards or projected
23 up to \$700,000,000, isn't that also a large
24 obligation, a large risk that the states or that the
25 host communities have to face, too?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I mean, it seems to me that again going
2 back to sort of the larger themes, there seems to be a
3 push by industry to shift the risk--I think we all
4 understand there's risk, but why must the state of
5 Vermont or the state of New York or a local town, why
6 do they have to get stuck with that risk 20 years out,
7 40 years out, 90 years out?

8 MR. LEVIN: A couple of points of
9 perspective here I think are important. The first is
10 that when I said as an example we would be
11 \$100,000,000 short in decommissioning funds and
12 therefore require the guarantee and that was the net
13 present value amount, that also means that if I took
14 \$100,000,000 and deposited into the trust funds today
15 I would be where I needed to be, okay? Also the
16 second piece to this I understand is that \$100,000,000
17 represents what is it, less than 2% of our total
18 decommissioning assets that we have.

19 We have an asset total of 5.5 billion, so
20 it's a relatively small piece. We are very
21 comfortable using parent guarantees, we have no
22 problem what that. What we do have a problem with is
23 using a parent guarantee that's expressly written on a
24 future value.

25 MR. SIPOS: Okay, well, coming back then to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the larger parent guarantee question. Do you
2 recognize or do you actually disagree that there are
3 risks associated with that strategy if there were
4 unfortunately to be a bankruptcy?

5 MR. LEVIN: I do not agree that there are
6 risks, principally because and pointed it out here a
7 little bit earlier, the NRC's assumption of a 2% real
8 rate of return is a conservative assumption for a
9 long-term liability of this nature. So, I do not
10 consider it a risk and in fact I see that as we have
11 plenty of margin even if there is for some period of
12 shortfall in funds based upon market conditions.

13 MR. KELLER: Yes. Peter Keller, BNY
14 Mellon. Just to highlight your point, I would agree,
15 I think We're like number one as we've seen
16 consolidation of ownership of nukes, we've got
17 generally units controlled by bigger, more financially
18 viable entities, and second line of protection, to
19 your point, is that in most cases these NDTs are
20 controlled, we happen to be the trustee for about 80%
21 of the NDTs and there's a third party trustee so in
22 the event of an Exelon bankruptcy, Exelon is not
23 controlling those funds so I do think the public, I
24 don't think the citizens of the state of New York are
25 particularly exposed to liability.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MS. HOFMANN: But now I'm going to address
2 to my fellow audience member--Sarah Hofmann, Vermont.
3 But the parental guarantees aren't placed in the
4 decommissioning trust funds, unless I'm wrong.

5 PARTICIPANT: No, they're not.

6 MS. HOFMANN: Okay.

7 FACILITATOR ANDERSON: Bret, could we
8 please hand the microphone to that gentleman, make
9 sure we get that last comment that was said on the
10 record? Sir, could you please repeat what you just
11 said into the microphone?

12 MR. KELLER: Yes, my only comment to Sarah
13 was that the parent guarantees address a shorter term
14 shortfall, not the base obligation of decommissioning.

15 FACILITATOR ANDERSON: Thank you. I sense
16 that there are probably more questions and more
17 comments on this particular topic. We are currently
18 over time. There's still one more presentation that
19 we have on the agenda for today. Here's what I would
20 propose we do.

21 I propose that any additional comments or
22 questions that we have on this topic, that we carry
23 those over to the general Q&A and wrap-up that's at
24 the end of the agenda, and if everyone could agree,
25 let's also condense the afternoon break and make it a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 7 minute break.

2 Would everybody agree to take a seven
3 minute break, be back in this room at 3:30, or at
4 least, 3:30 on the clocks that are in this room?
5 We'll have the final presentation and then move into
6 the final Q&A. Thank you.

7 (Whereupon, the meeting went off the
8 record at 3:25 p.m. and resumed at 3:32 p.m.)

9 FACILITATOR ANDERSON: I'll repeat for the
10 record that I welcome everybody back from the break,
11 and I appreciate your patience and flexibility in
12 deferring some of these questions until after the
13 final presentation, and taking a shorter break in an
14 attempt to keep us on schedule.

15 The final presentation that we have for
16 today, before we move to the final wrap-up and Q&A
17 session is from NEI.

18 MS. KASS: Great. Thank you. I'm Leslie
19 Kass with NEI. We represent the nuclear energy
20 industry, with over 300 members that include all of
21 the operators of the 104 reactors in the United States
22 that are operating, and many of those who are also in
23 decommissioning status.

24 So I welcome the opportunity to speak to
25 you here today on behalf of my members. I hope I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 your favorite speaker, because I hope I'm your fastest
2 speaker. And we will skip through -- see, I'm already
3 getting applause -- a lot of these slides.

4 But something that was said in track two,
5 but may not have been said in this room today, is that
6 we'd like to congratulate the NRC on their regulatory
7 framework for decommissioning funding assurance.

8 Because in the worst financial crisis in
9 75 years in this nation, the worst since the Great
10 Depression, it withstood the markets, and 75 percent
11 of the licensees were still fully funded.

12 Of those, there were 27 that had
13 shortfalls, and in under a year 21 of them were
14 already back at full funding. So as we mentioned
15 earlier, the two percent rate of return is very
16 conservative. Many of the rules are very
17 conservative.

18 But they have worked, and they've provided
19 the flexibility to create assurance through the years.

20 So bravo on a job well done.

21 With that, we're here today to talk about
22 the methodology for the parent company guarantee. The
23 parent company guarantee is one of the methods that is
24 allowed, and in that we are now talking about the
25 semantics of how to implement it, and a proposed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 change from the staff from what's been done in the
2 past.

3 Next slide, please. So the industry
4 position, if you haven't figured it out already from
5 my comments and those of my colleagues, is of course
6 that we should retain the net present value method,
7 that the parent company guarantee using a net present
8 value method, with the annual true-up so that it can
9 be checked, will keep pace with inflation because of
10 that annual check.

11 And that because of the financial test, it
12 makes what would seem to be of small incremental value
13 more magnified. And therefore, as my colleague Mr.
14 Hayes said, very greatly overstates the liability, and
15 can create problems for us in financial space in a
16 much bigger picture than just our operating plant and
17 our decommissioning fund.

18 Next slide. We can skip this one. You've
19 already heard all about it. Next one. Again, skip.
20 Skip. I think Tom covered this well for me.
21 Obviously, as we mentioned, we view this as a change
22 to go to what we call the future value approach, and
23 we feel that those past precedents have been
24 implemented successfully

25 And those licensees continue, through the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 biennial reports, to either meet or make up for their
2 shortfalls as they go forward, and make sure that they
3 are all covering their obligations for financial
4 assurance.

5 Next. By example -- and I think you've
6 seen these before. Tom kind of flashed it up. But
7 I'd like to walk through the math one more time,
8 because until you've wrapped your head around it, what
9 we're talking about doesn't really make sense until
10 you run some numbers.

11 So operating reactors. Let's say I have
12 an operating reactor with 100 million dollar
13 shortfall. I picked that number because it's round
14 and easy to use. Actually, most of them were far, far
15 less when we had that unfortunate and surprising
16 situation that has now corrected itself.

17 Under the proposed staff method, that
18 guarantee would need to be 181 million if that reactor
19 were scheduled to decommission in the 2040 timeframe.

20 So multiply that by six, and you get over
21 1,000,000,000 dollars for that liability in the parent
22 company guarantee.

23 In comparison, if you multiply what we
24 feel the present value -- the liability -- times six,
25 it would be 600 million, a 486 million dollar delta

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 between the two.

2 Again, that 486 million dollars is a real
3 number for anyone. I know we're here in Washington,
4 where we throw billions around, but that's a real
5 number, and that's a real number on a company balance
6 sheet.

7 And again, it may not be on the balance
8 sheet, but a real number to be on the list of
9 liabilities that are hanging out there.

10 Next slide, please. Approach two. Again,
11 a new reactor. Why is this so important? Well, new
12 reactors, when you're finding all your money for
13 funding and building and everything else, it's nice to
14 use a parent company guarantee to bridge that gap.
15 And you can start using some operating revenues to
16 fill the fund.

17 But you would have a guarantee.
18 Obviously, someone who isn't in a financially good
19 place is not going to be able to build a reactor in
20 the first place, but we'll take the full value of the
21 466 million dollar liability.

22 Again, if you discount that back, it would
23 be 198 million. So we would say the parent company
24 guarantee of 198 million times six, which is still a
25 big number. It's over 1,000,000,000 dollars.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 But in this case you'd say "Nope, you need
2 the full 466 million." I multiply that out, and
3 suddenly the net worth test balloons to 2.8 billion
4 dollars, or a 1.6 billion dollar difference.

5 Again, those are real numbers that any
6 utility in this country would have to pay attention
7 to, and that any of their counter-parties -- it would
8 certainly catch their attention.

9 Next slide, please. So, given that, and
10 the discussion here today, again we feel that there is
11 a negative impact to the future value approach.

12 We also believe, more importantly, that
13 the net present value approach correctly characterizes
14 the liability, and captures that, and ensures that as
15 a short-term measure we can use that to move forward.

16 So with that, I will entertain questions.
17 And as you have questions for my colleagues from
18 earlier -- I certainly can't replace Mr. Hayes'
19 expertise and experience -- I will liberally point
20 them right to him.

21 FACILITATOR ANDERSON: Thank you, Leslie.
22 Actually, if I knew that you were going to speed us
23 up that much, we would have taken an eight minute
24 break instead of a seven minute break.

25 MS. KASS: They'll be happy to leave.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 FACILITATOR ANDERSON: Anybody have any
2 questions or comments here at NRC headquarters for
3 Leslie?

4 MR. FREDRICHS: Well, thanks for coming,
5 Leslie. Once again, I'm really thrilled that we drew
6 so many professionals from the industry and financial
7 sector to help us address some of these problems.

8 And I've heard a lot of comments about the
9 quality of the presentations today, and that of course
10 is an accolade for the people who are doing the
11 presenting. So thank you for that.

12 I really only have one small comment on
13 your slides, and that is that in one of the spots, you
14 talked about how many dollars of secured assets would
15 be needed to qualify for the parent company guarantee.

16 That's as good a slide as any -- and the last 486
17 million in secured assets.

18 I was trying to make it clear that from
19 the NRC's point of view, there are no restrictions on
20 the assets. You have to possess them. We don't
21 restrict their use in any way. We don't require them
22 as security or anything like that. Just to clarify
23 that small point

24 MS. KASS: Thank you.

25 FACILITATOR ANDERSON: Any other questions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 or comments here at NRC headquarters?

2 MR. HORIN: Bill Horin, with Winston and
3 Strawn. Not a question, but a comment. One of the
4 other areas that I like to dabble in is backfitting.
5 And I just want to provide a comment with respect to
6 some of the earlier slides, I think they were in Tom's
7 slides, with respect to the interpretation of
8 50.75(b), (c), and (e).

9 It is a change in position. It is a new
10 approach that the staff has proposed. Those
11 particular regulations don't preclude what we're
12 talking about here.

13 And I think it is a backfit, and I think
14 it will need to be addressed in that context. I don't
15 think it's an error, personally, and I don't think the
16 industry would suggest that it's an error that we went
17 through three proceedings in which that was applied.

18 But I just want to make sure we have that
19 on the record, that there's not concurrence with that
20 position at this point.

21 FACILITATOR ANDERSON: Thank you for that
22 comment.

23 MS. SIMMONS: This is Anneliese Simmons
24 again. I was just curious because there was some
25 discussion here about new reactors.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 On my notice, there was that similar
2 discussion in the Exelon presentation, and I'm
3 wondering if Exelon's planning to build a new reactor.

4 FACILITATOR ANDERSON: I am going to ask
5 Reijji to speak into the microphone to get that on the
6 record.

7 MR. HAYES: Okay, so to be clear, the
8 question is whether Exelon is contemplating new
9 nuclear build. We often contemplate such things, but
10 at the moment there are no plans to build a nuclear
11 facility.

12 And that's consistent with what John Rowe,
13 our CEO, has said publically. One of the reasons is
14 it's very expensive. But obviously, some of these
15 costs as well make it cost-prohibitive.

16 MS. KASS: And it would be fair to say
17 that they do have an early site permit pending, such
18 that if they choose to build, they'll be in a great
19 position. As one of our big operators, we would of
20 course love to see them have a new reactor someday.

21 MR. KELLER: Peter Keller again. And
22 again, not a question but a comment, sort of to
23 Leslie's point and Reijji's point.

24 I run our energy group, and we probably
25 have about 6 billion dollars of credit exposure to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 most of the big publically traded IOUs, investor-owned
2 utilities.

3 And I know you don't restrict funds, Tom,
4 but the reality is -- and to Reijji's point earlier --
5 we're all certainly very cognizant of the contingent
6 liabilities on the balance sheets of all of our big
7 credit customers. And there are, if not direct costs,
8 there certainly are intangible costs.

9 And a couple years ago, when natural gas
10 prices spiked and people needed additional credit
11 capacity for counter-party postings, certainly any of
12 the utilities, had they needed to issue LCs or provide
13 additional support at a time when gas prices were 14
14 bucks an MCF, they would have had real capacity
15 constraints.

16 FACILITATOR ANDERSON: Are there any other
17 questions or comments for Leslie here in the NRC
18 auditorium?

19 MS. HOFMANN: Sarah Hofmann, State of
20 Vermont. It's come up a few times on the collateral,
21 and how companies such as Exelon consider the parental
22 guarantees as debt, and they believe that other
23 companies do as well.

24 If instead of doing a parental guarantee,
25 you just put the money into the decommissioning trust

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 funds, the actual decommissioning trust funds, is it
2 then -- it's not considered a debt any longer. Is
3 that correct?

4 MS. KASS: Well, I can let --

5 MR. LEVIN: This is Adam Levin at Exelon,
6 just to put it a little bit in perspective. We are
7 hesitant to make cash contributions to the trust
8 funds.

9 And the reason being is that there's a law
10 in the State of Illinois that says at the end of
11 decommissioning, the money goes back to the
12 ratepayers. So if we are overfunded, we lose it.

13 MR. HAYES: The only point I would add is
14 that from a cost of capital standpoint -- and this is
15 going down to the realm of the theoretical, or
16 corporate finance theory.

17 But if we took -- view our cash as quite
18 expensive. So I showed you a chart that showed a
19 variety of letter of credit costs, from 150 basis
20 points to 400 basis points.

21 But in the event we use cash to fund that
22 obligation, we ascribe a cost of equity or a cost of
23 cash of 10 to 12 percent, or even higher. Because we
24 view that as shareholders' cash.

25 And so if we use it or we deploy it, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 want to deploy it in investments that yield a return
2 higher than that. It's very expensive capital.

3 MR. LEVIN: If I could just clarify one
4 thing a little bit. What we're really trying to avoid
5 by putting up parent guarantees during points in time
6 when the financial markets may not be 100 percent in
7 our favor is grossly overfunding a liability. That's
8 really what we're trying to do.

9 And we try and do that in any
10 organization. I'm sure you try and do that
11 personally. You want to save money for your child's
12 college education. You want to make sure that you
13 give them enough, but not so much that it damages your
14 retirement.

15 So I think there's -- from a business
16 perspective, it's something that we do do pay
17 attention to.

18 FACILITATOR ANDERSON: Any other questions
19 or comments here?

20 MR. FREDRICHS: Thank you. It's
21 interesting here that the State of Illinois would take
22 any excess funds if there were any in the trust fund.

23 But as for the cost of capital within the company,
24 the Commission thought about that, considered it in a
25 1988 rule when it first put in place the financial

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 assurance rules.

2 The original proposal was that an internal
3 reserve in the company might serve as financial
4 assurance, and the Commission reversed -- we rejected
5 that idea in the final rule, because there was a
6 concern that the internal reserve might not be
7 available when needed.

8 And even though the Commission recognized
9 at the time that putting money in an external trust
10 was more expensive than keeping the money in the
11 company and using it in the business, they determined
12 that the cost was justified because we needed the
13 amount of assurance for public health and safety at
14 decommissioning.

15 So we haven't talked about it much, but
16 one of the alternatives to a parent company guarantee
17 is, of course, put the money in the trust fund. Which
18 gets to the goal, really, that the funds will be
19 available when the unit is shut down.

20 And what we've seen in a number of cases
21 is since 1998, when the rule no longer required
22 licensees to put money in a trust fund, those deposits
23 have stopped in many cases.

24 If the rates -- once they went to merchant
25 plant status, it appears that in many cases the trust

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fund amounts stopped. And that worked okay during the
2 middle part of the last decade, because the stock
3 market was doing so well.

4 But while you're concerned about being
5 grossly overfunded, as a regulator we're concerned
6 about you not being funded adequately in the first
7 place.

8 And I think what we're seeing -- with
9 these market downturns, more licensees are starting to
10 have shortfalls. They're taking longer to resolve
11 them. And it's an indication that you're starting to
12 skate closer to the edge.

13 And while that may be more economically
14 efficient, and understandable from a private industry
15 point of view, from a regulator's point of view we
16 believe that there's a certain cost of this that's
17 justified to protect the public.

18 MS. KASS: Tom, to that comment, again on
19 behalf of my members, I think that the economic
20 downturn was, hopefully for all of us, an event in
21 isolation, and a very extreme event that drove many of
22 these funds to have shortfalls.

23 Again, I've pointed out that 21 of 27
24 recovered in a year, no actions taken. Exelon has
25 indicated that they will no longer need their parent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 company guarantees, and they were one of the ones most
2 affected by this.

3 So I have a hard time seeing where there
4 is a behavior pattern here, rather than a market issue
5 here. And again, parent company guarantees are
6 allowed by the rules. They do provide that short-term
7 funding.

8 As these guys mentioned, in the midst of a
9 financial crisis, getting money in any form, letter of
10 credit or cash, is three times as expensive, and
11 actually doesn't make sense. And that's why we called
12 out some of the dispensations given for pension plans,
13 for instance by Congress, when they realized that it
14 would be crippling to companies in the midst of a
15 financial crisis to have to go and true those up,
16 given the rules.

17 So we didn't ask for any special
18 dispensation. We just wanted the rules to work as
19 they are. And notice they've been very successful, as
20 I pointed out in the beginning. So I guess I have a
21 hard time seeing where there's a new problem that has
22 cropped up as you've described.

23 MR. FREDRICHS: If I can comment on that,
24 you can also think of decommissioning funding as a
25 sort of a retirement plan. And I think the advice is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 always to put money aside steadily over a period of
2 time, and eventually you will meet your goals.

3 What we're seeing in some cases is that
4 the money is not being put aside, and so when
5 financial shocks come through it's more likely to
6 affect those.

7 Having said that, it may also be that
8 they'll recover but maybe --

9 MS. KASS: Tom, to that --

10 MR. FREDRICHS: I'm just saying --

11 MS. KASS: Has anybody not met their
12 minimum assurance values through one of the vehicles
13 that the NRC allows?

14 MR. FREDRICHS: Yes, they have done that.

15 And it may be more accurate not to say that they did
16 nothing. Actually, many of them did do things. They
17 depended somewhat on markets coming back, but in a
18 number of cases there were SAFSTOR evaluations.

19 But what it shows is that in order to meet
20 the funding, they are now depending on more and more
21 years in the future and after they shut down.

22 MS. KASS: But those are allowed by
23 regulation, those methods.

24 MR. FREDRICHS: They're allowed by
25 regulation. I'm only suggesting that funding in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 utility days did not need to depend on that sort of
2 thing. And that's partly because the utilities were
3 putting money aside, year after year, slowly building
4 it up. But that's all I really wanted to say on that.

5 MS. KASS: I guess the other thing is just
6 the cost of stranded capital, that once it is in that
7 fund, you may never take it out. So when you are
8 overfunded, that's not an effective use of corporate
9 funds, of ratepayer funds.

10 You will find a tremendous push-back in
11 some states from the ratepayers who do not want to
12 overfund that liability, because they feel as
13 ratepayers, the people paying for power, that that is
14 not a good use of their money.

15 So while I can understand, and we would
16 all love to just have extra money to throw in there,
17 these folks are looking at a much bigger picture, and
18 what is the best place for their capital. So as long
19 as they're meeting the NRC requirements, they may have
20 other things they choose to do.

21 MS. BALLENGER: Josie Ballenger from the
22 Government Accountability Office. I just wanted to
23 follow up on what Mr. Levin shared with us about
24 Illinois and the state law there about excess
25 decommissioning funds.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I'm curious if NEI or any of the other
2 companies in the room know of other states where such
3 a law exists. And if so, is that a significant
4 concern for the industry or other specific companies?

5 MS. KASS: I cannot speak to whether there
6 are other similar laws. There are certainly various
7 quirks in various states. What I will say is,
8 generally speaking, overfunding as a use of assets is
9 not considered -- or overstating a liability and/or
10 overfunding a liability is not considered good
11 accounting practices by our members. Period.

12 MS. HOFMANN: Yes, and the only reason I
13 suggested it was, do you want parental guarantees or
14 do you want to fund the fund and not have it count as
15 a debt.

16 But as to your question, Vermont actually
17 has a unique situation that I'm sure Jaeger next to
18 you is aware of. But if there is an overfunding in
19 Vermont of the decommissioning fund, there is a split,
20 that part of it goes back to the ratepayers and part
21 of it goes back to the utility. It's about 50/50, but
22 not quite. I think it's 55/45.

23 MR. KELLER: And I think, conceptually, in
24 most states there's a differentiation between plants
25 in merchant mode and plants that are on a rate base.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So conceptually, if the ratepayers have paid for
2 something, the thought of them getting it back makes
3 some sense.

4 But back to the earlier point. I don't
5 think there's been a fundamental shift in the way that
6 any of our clients handle decommissioning. We always
7 try to estimate what the final tab is going to be, and
8 then look at how many years you've got to build up
9 investment earnings.

10 So I would reject the suggestion that
11 utilities are funding in a different mode. Certainly
12 adding 20 years to the lifespan allows you to -- if
13 you assume that you're growing to grow assets quicker
14 than liabilities, I assume you should cut back your
15 funding. But conceptually, the concept of trying to
16 match obligations to assets, I think, is unchanged.

17 MR. LEVIN: Adam Levin, Exelon Generation.

18 I think one other quick point that I did want to
19 bring up is that NRC traditionally has frowned if we
20 were to overfund our funds, because we are in a
21 situation where we were underfunded because of
22 financial markets.

23 NRC has traditionally frowned on us going
24 in and recovering some of those funds, even if we were
25 above minimum funding requirements. So we risk NRC's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 point that they do not want us to withdraw, even if we
2 are overfunded.

3 FACILITATOR ANDERSON: Back to the folks
4 on the phone. Are there any questions or comments on
5 the telephone related to Leslie's presentation?

6 (No response)

7 MR. SMITH: Jaeger Smith for Entergy.
8 Further, to Adam's point, I think that the
9 decommissioning trust instruments themselves will
10 probably generally preclude any withdrawals. That's
11 my view of it, is that in most instances it would be
12 very difficult to get the money out of the trust if
13 you'd put it in there.

14 And then if you put the money in and you
15 get a license renewal, like we're anticipating getting
16 on several of our plants, you've tied up money for who
17 knows how long and inter-generational problems arise.

18 And I think I want to correct the record
19 on something I said earlier. I may have said we had
20 one parental guarantee, but I think we have two. So
21 the record stands corrected.

22 MR. HORIN: Bill Horin, Winston and
23 Strawn. It's not only the trust agreement, but for
24 qualified funds it's the IRS and the NRC regulations
25 with prohibit withdrawal of funds other than for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 planning and actual decommissioning.

2 They all prohibit taking the money out
3 once you've put it in. So to the extent that somebody
4 may thing "If we put it in, that's no big deal," it
5 does raise the issue of once it's in, it's not coming
6 back out.

7 So we have the inter-generational issues.
8 We have the transfer at the end of decommissioning
9 issues. And we have the considerations of the proper
10 use of capital.

11 FACILITATOR ANDERSON: Are there any other
12 questions or comments here at NRC?

13 MR. WILLIAMS: Yes. I am quite interested
14 in what the Exelon representatives have -- one thing
15 they said, with the merchant plants, nowadays when you
16 sell electricity, I guess if I understood you
17 correctly, that the ratepayers aren't explicitly
18 paying a cost for the decommissioning, and that it
19 basically just comes out of Exelon's profits, so to
20 speak. Is that correct?

21 Because in the past -- I mean, whose money
22 is it? Basically, if in fact the rate -- in the past,
23 if ratepayers put that in, it's their money. Now you
24 have intergenerational things, you should --
25 conceptually, if everything were perfect, I would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 suggest that each person's use of electricity should
2 include in its price the present value of that
3 portion's future decommissioning cost.

4 But that's an ideal world. You're going
5 to have to make it up at the end. But let's say you
6 got overfunded in the end. Then it would depend on
7 whose money that was. Because implicitly, you're
8 charging that accrued cost, because that's part of the
9 price.

10 Implicitly. But if you don't make it
11 explicit, you can't say how much the ratepayers put
12 in. So I guess things have changed. Is that correct?

13 MR. LEVIN: Adam Levin, Exelon. In 2000,
14 when we formed Exelon Corporation, we came to an
15 agreement with the State of Illinois that we would
16 collect a future series of payments from ratepayers
17 for decommissioning funding through 2006.

18 Beyond that, those payments were
19 terminated. Since then, we have -- and we agreed with
20 the Illinois Commerce Commission that including those
21 payments plus what was in the corpus of the funds, we
22 would have sufficient funds to do the decommissioning.

23 Part of that agreement was that at the end
24 of decommissioning, if there were funds left over,
25 they would be returned to ratepayers. That's the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 agreement that we set with the state when we formed
2 Exelon Corporation.

3 There are no additional funds being
4 contributed to those trust funds. We collectively --
5 and when I say we collectively, the stakeholders at
6 the table in the 2000 agreement collectively agreed
7 that looking forward, long-term, there was going to be
8 sufficient funding.

9 This is what we decided upon, and I still
10 have every reason to believe that. Even with the
11 downturn in the markets, the recovery has shown me
12 that that can indeed happen.

13 MR. BAILEY: Many of the arguments in your
14 presentation would appear to apply equally to letters
15 of credit and and surety bonds. Would the association
16 be advocating that letters of credit and surety bonds
17 be set at a discounted present value amount? And if
18 not, how do you distinguish?

19 MS. KASS: They are. They already are.
20 This is the only one that's an outlier. There appears
21 to be an an inherent penalty being applied to parent
22 company guarantees versus these others.

23 MR. BAILEY: I don't think that's correct,
24 but I guess we have a divergent viewpoint. Okay,
25 thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MS. KASS: And that is the goodness of a
2 workshop, right?

3 MR. SIPOS: Right, there's been a -- John
4 Sipos from the State of New York. Thanks for
5 reminding me about that. There's been a lot of
6 discussion in the last few minutes about the fear or
7 risks of overfinancing these accounts. But again, and
8 it will be a theme from the State of New York, there
9 is definitely a risk to the states and to the host
10 communities.

11 And I just am going through a letter from
12 a company, ZionSolutions. It's ML103280376, from
13 November 23rd, 2010. And maybe this has been
14 superseded, but it does say in here "The schedule is
15 being updated in accordance with 10 CFR 50.82 et
16 cetera to reflect a two year delay in the start of the
17 project, which is associated with fluctuations in the
18 value of ZNPS decommissioning trust funds that began
19 in 2008."

20 So I certainly understand, and I respect
21 NEI's position that everything has been trued up and
22 that there's a concern about overfunding. I do think
23 that there are real world consequences for the
24 fluctuations that we have seen.

25 And even apart from the fluctuations that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the nation has experienced in the last two years, the
2 State of New York is concerned that the present
3 business as usual in terms of the decommissioning
4 trust funds and their formula is not going to be
5 adequate, and is concerned that merchant plants --
6 that there are situations where merchant plants have
7 not been making modest contributions over time.

8 And we would suggest that rather than the
9 concern of overfunding, that there is going to be a
10 concern of underfunding, and that will also be an
11 inter-generational issue that we'll have to address
12 down the road.

13 And again, as I said this morning, the
14 states do not want to be in a position where they're
15 forced between using scarce funds -- and we all know,
16 right now states have scarce funds -- to clean up a
17 site where a merchant company has walked away from it
18 down the road. Thanks.

19 MS. KASS: I think we in the industry
20 appreciate your concern. That's why we fully
21 participate in this process, and follow the
22 regulations. There is the the biennial true-up.

23 We're also forced to look every year, and
24 you have not only the backstop of the NRC -- which you
25 can see here, they are very, very engaged -- but also,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 these are liabilities on our balance sheets as plants,
2 if there were a plant retirement, things like that.

3 So these plants are certainly an integral
4 part of our business, and something that we manage in
5 concert with the counties and cities and states in
6 which we operate, and would hope that all of our
7 member companies are working with you.

8 And as they approach decommissioning
9 they'll be working with the communities to make sure
10 they understand that process, make sure they're
11 involved and engaged, and that we can work through
12 this together.

13 MR. LEVIN: Adam Levin, Exelon Generation.

14 In response to the State of New York's comments
15 regarding the letter from ZionSolutions in November of
16 this year.

17 That letter was issued -- and again, I'm
18 familiar with the circumstances as to why that letter
19 was issued. I'm not the licensee, but part of the
20 transaction with ZionSolutions.

21 In the 2008 timeframe, when ZionSolutions
22 was prepared to enter into the transaction with Exelon
23 Generation to transfer the unit to ZS, we had looked at
24 the decommissioning funding and the status of the
25 decommissioning funding.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Also, one should understand that at that
2 point in time, that's contemplating in reality
3 beginning to decommission the units and completing
4 decommissioning 12 years in advance of when Exelon was
5 planning to decommission the plant.

6 So it's not as if we ended up delaying.
7 We had substantially accelerated decommissioning in
8 the first place. And yes, we made a decision to delay
9 entering into that transaction for two years. It was
10 not just the trust funds. It was also the
11 availability of certain credit instruments, et cetera.

12 We collectively agreed that we would put
13 it aside for a little while until we had a higher
14 level of confidence that these trust funds would
15 support us all the way through, and support a 10 year
16 in advance early decommissioning, which is where we
17 are today.

18 MR. FREDRICHS: It's Tom Fredrichs, from
19 NRC. And I had a couple of things I'd like to talk to
20 the Exelon representatives about, or comment on them.

21 Although one of them, on the concept of overfunding,
22 is actually used by many licensees.

23 In the NRC's understanding, a trust fund
24 is fully funded when it equals the decommissioning
25 cost estimate. In many cases, when licensees talk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about overfunding, they mean it will be overfunded at
2 some point in time when enough earnings have been
3 collected.

4 So just to make that point, generally
5 speaking the trust funds aren't overfunded, because
6 they haven't met the minimum requirement. We would
7 say, perhaps, they are over-assured, but they are not
8 overfunded.

9 The other thing is on ZionSolutions, now
10 that you mention it. As I understand, when Exelon
11 made the transfer, the financial arrangements included
12 a parent company guarantee from Entergy Solutions, who
13 is the parent of ZionSolutions.

14 And as I understand it, that parent
15 company guarantee is to pay for any cost overruns that
16 may occur with ZionSolutions, and there is no limit on
17 it. So in my view, at least, when Exelon is the
18 regulator of its counter-party, it's actually more
19 stringent with a parent company than the NRC would be
20 with one of its own licensees.

21 MR. LEVIN: Adam Levin, Exelon Generation.

22 In fact, we do not have a parent company guarantee in
23 place. What we did require as part of the transaction
24 is that Entergy Solutions put in place a 200 million
25 dollar letter of credit, and that's recorded on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 transfer.

2 Again, the concept behind that is just
3 additional insurance that we at Exelon felt we needed
4 to have in order to convince all of our parties that
5 we were in good shape to go forward. We have no
6 expectation that that letter of credit is going to be
7 used in any way, shape, or form

8 And in fact, if anything, I would expect them to
9 eat into their profits a little bit before they
10 finished the job completely. So while there is this
11 spectre out there that we required a parent guarantee,
12 that is not the case.

13 MR. HAYES: I just wanted to -- Reijji
14 Hayes, Exelon Corporation. I just wanted to emphasize
15 the last point I think you made, Tom, around us being
16 stringent around -- as Adam mentioned, there was not a
17 parent guarantee put in place for the Zion situation.

18 However, as I mentioned, we are stringent
19 when we assess guarantees of third parties for energy
20 trading transactions, which is why -- it's frankly the
21 crux of my argument, which is why we do not want to
22 cavalierly use a future value methodology and increase
23 our guarantees to a large amount.

24 Because I think one of the points in your
25 presentation was that parent guarantees don't cost

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 anything. There are no direct costs, so why aren't
2 corporations or licensees agnostic about them?

3 Well, we're not agnostic about them for
4 that very reason. It's the fact that, though they
5 don't have direct costs, there are a number of
6 indirect costs, meaning that counter-parties do assess
7 them, and in most cases, like us, likely view them as
8 debt.

9 And also, the rating agencies, though they
10 historically have not included them in their total
11 debt calculations, there's no guarantee that they may
12 not in the future. They have changed their position
13 on a number of other off-balance sheet liabilities in
14 the past several months, particularly post-credit
15 crisis.

16 They've gotten much more stringent, namely
17 in the treatment of convertible securities and a
18 number of other off-balance sheet liabilities that, in
19 the past, they had not included in total debt
20 calculations.

21 So I just wanted to make the point that we
22 agree that we are very stringent about guarantees,
23 which is why we don't want to overstate the shortfall,
24 and which is why we don't want to issue guarantees at
25 an exorbitant amount, because they do mean a lot to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 us.

2 MR. WILLIAMS: Dan Williams, consultant.
3 I would like to interject maybe a little bit of
4 realism into this conversation about the worries about
5 overfunding.

6 I remember Chairman Greenspan in the late
7 '90s, he was worried about if these surpluses in our
8 federal budget continue, we're going to run out of
9 Treasury Bills and bonds, and therefore we won't be
10 able to engage in monetary policy. I wonder how that
11 worked out.

12 And so you know, just "Whoops, we're
13 overfunded for a little bit." Let's see how that
14 works out. I mean, it's so easy to underfund things.

15 You look at Wisconsin, and I remember about a year
16 ago they were talking about the state budget, and the
17 requirements to fund the state pensions, same thing as
18 in California.

19 The real worry is, in the long term, I
20 think -- just don't get too hung up on overfunding,
21 because I think the real worry is underfunding in the
22 long run. I mean, obviously companies would rather
23 spend less than more, but I just wanted to inject
24 that.

25 Don't worry so much about overfunding,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 because I think that's a a red herring. I remember
2 thinking when Greenspan was going on about this, I was
3 thinking "You've got to be kidding." And sure enough,
4 you've got to be kidding.

5 FACILITATOR ANDERSON: With one eye on the
6 clock here, I want to make sure that we save 10
7 minutes for wrap-up and just closure by the NRC staff.

8 What I'd like to do is give ourselves another 10
9 minutes more if we need it, but I want to try and make
10 sure that we're headed towards concluding the meeting
11 on time.

12 So what I'd like to do, over the next 10
13 minutes, I'd like to open the floor to comments or
14 questions, not just to Leslie's NEI presentation, but
15 even the Exelon presentation right before the break,
16 or any presentation, any comments or questions related
17 to anything from the workshop today.

18 Let's give ourselves 10 minutes to do that
19 before we start to wrap up.

20 MR. FREDRICHS: If I can ask Adam or
21 Reijji -- I may have asked this earlier, but I'm not
22 sure what the answer was. But as far as the 219
23 million dollars in parent company guarantees that you
24 had in place, or may have in place even today, did
25 Exelon actually experience any of the indirect costs

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that were brought up in earlier NEI comments from last
2 year, restrictions on your liquidity, or credit stress
3 or credit downgradings?

4 MR. HAYES: The quick answer is no, we did
5 not experience any indirect costs for the 219 million.

6 I think, though we agree for the methodology that was
7 used to calculate the 219, that's not a number that
8 bothers us as much.

9 What does bother us is in aggregate, the
10 219 plus other guarantees we owe outstanding. We
11 currently have just under 1,000,000,000, and so we do
12 get concerned if that number gets high, that some
13 people will take it into account. Third parties,
14 rating agencies, you name it.

15 So the 219 in isolation, no. That didn't
16 really ruffle many feathers. But we're worried if
17 that number escalates, or if there are other numbers,
18 other amounts that are added to it, that could be a
19 problem over time.

20 MS. KASS: Question for Reijji. Would it
21 be fair to say, though, that the act of putting the
22 guarantee in place created a lot of work at Exelon?

23 MR. HAYES: Without question. It was at
24 least a -- what was that, a four to five month ordeal
25 internally? The process took us at least six months.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We needed Board approval, and had to go to the
2 highest levels of the company.

3 So it was, from an administrative
4 standpoint, a significant burden, and there was a lot
5 of back and forth. So yes, it was a long and arduous
6 process, relatively speaking.

7 FACILITATOR ANDERSON: Are there any
8 questions or comments from those that are still on the
9 phone?

10 (No response)

11 MR. KELLER: Yes, it's Peter Keller, from
12 BNY Mellon one more time. Dan, to your comment about
13 how it's a red herring, people shouldn't worry about
14 being overfunded, I think you've got to keep in mind
15 the number of plants that are rate-regulated.

16 And you look at Illinois a couple of years
17 ago, you look at Florida. And these are costs that
18 get passed through to consumers, and regulatory push-
19 back is a real concern that, as a banker, I have about
20 the cashflow of my utility clients.

21 And when you sit and say "What's the
22 downside of overfunding?" The downside is higher
23 electric rates, and we all know how contentious this
24 regulatory process, the rate-setting process, has been
25 in a number of states over the last couple of years.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 FACILITATOR ANDERSON: Any other comments
2 or questions in the auditorium here at NRC
3 headquarters?

4 (No response)

5 FACILITATOR ANDERSON: Thank you, Leslie.
6 So what we'll do then is, we'll move into the wrap-up
7 session and the closure of the meeting. One last call
8 for any comments or questions related to anything
9 discussed in the workshop today, either on the phone
10 or here in the NRC headquarters auditorium.

11 MR. FREDRICHS: I think Reijji used a
12 mortgage example earlier to express a sort of
13 anecdotal understanding of the NRC position on the
14 parent company guarantee.

15 And I think he wound up concluding that
16 the guarantee would be much larger than you might
17 expect. I also have a mortgage example, which
18 characterizes anecdotally the way I understand the
19 proposal.

20 And that is if you have a mortgage --
21 let's call it a 40-year mortgage, like the license.

22 And you make -- I'll just pick a number. Four
23 thousand dollars a month, or something.

24 I see the parent company guarantee as
25 going to the bank and saying "In lieu of giving you a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 check for 4,000 dollars every month, I'll give you a
2 guarantee for 4,000 dollars every month. And at the
3 end of the 40 years, they'll add up to the purchase
4 price plus the interest on the house. And I'll give
5 it to you then."

6 That's the way we look at it.

7 FACILITATOR ANDERSON: I'll look to see if
8 Reijji or Adam wants to respond. No pressure, no
9 requirement.

10 MR. LEVIN: No pressure, no requirement.
11 This is Adam Levin at Exelon. No, I'm not sure I
12 agree with that analogy. Because what you're asking
13 for is -- it would be very simple if I were to be in a
14 position of depositing or putting up a parent
15 guarantee that increased an amount of 4,000 dollars
16 every month, that I had to do it for the purpose of
17 decommissioning.

18 What, in reality, NRC's asking for, is
19 that I put in the total amount right up front. In
20 other words, parent guarantee my mortgage.

21 MR. FREDRICHS: Well, I am suggesting that
22 the discounted parent guarantee would be some small
23 amount which would build up over time, which I think
24 is your position.

25 But anyway, since it's late, I'm not going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to make any more comments so I don't stimulate any
2 more discussion. Although we've had a lot of
3 discussion, and I'm really impressed.

4 And I would like to follow up with Reijji
5 at some point in the future, because I don't
6 understand how these guarantees work in your futures,
7 your energy trading.

8 It might help me if I did, so if you don't
9 mind, I'd like to give you a call at some time in the
10 future to learn more about that. But I don't know, is
11 it time to wrap up?

12 FACILITATOR ANDERSON: So with that, what
13 we'd like to do is just do a quick wrap-up here. As a
14 reminder, this workshop was one way to provide
15 comments and ask questions related to decommissioning
16 funding.

17 There are other avenues that are
18 available. The slide that's on the screen provides
19 various deadlines associated with comment periods, and
20 also a mailing address and an email address for
21 written comments to be provided.

22 So I would encourage anyone that did not
23 have a chance to provide their comments today or
24 thinks of additional comments to provide after this
25 meeting to please utilize those resources to provide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 comments to the NRC staff afterwards.

2 And on behalf of the NRC staff, I'd like
3 to thank everyone that participated here today. The
4 presenters, those that provided comments, those that
5 asked questions, and even those that just took the
6 time to either dial in and listen or come here in
7 person and listen.

8 Public outreach and getting comments like
9 this is an important part of the NRC's mission, and
10 the burdensome use of microphones in order to get a
11 clean transcript is something that works,
12 unfortunately, very well for us to get those comments.

13 And I appreciate everybody's patience and flexibility
14 in working through our process to make sure that your
15 comments are all recorded and available for staff
16 disposition later on.

17 With that, thank you all again for your
18 time and attendance. This meeting is adjourned.

19 (Whereupon, the above-entitled meeting was
20 adjourned at 4:21 p.m.)

21
22
23
24
25
NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com