

NRC PUBLIC MEETING SUMMARY REPORT

Date: October 6, 2011

Meeting Contact: Gary L. Stevens
RES/DE/CIB
301-251-7569
Gary.Stevens@nrc.gov

Subject: CATEGORY 2 PUBLIC MEETING – DISCUSSION OF
NONDESTRUCTIVE EXAMINATION ASPECTS OF REACTOR
PRESSURE VESSEL INTEGRITY ISSUES FOR OPERATING
NUCLEAR POWER PLANTS

Meeting Date/Time: Thursday, September 15, 2011 / 09:00 am

Location: U.S. Nuclear Regulatory Commission
One White Flint North, 1st Floor, Room O1F16/O1G16
Commissioners' Conference Room (also called "Hearing Room")
11555 Rockville Pike
Rockville, MD 20852-2738

Purpose: The purpose of this meeting was to have technical discussions related to nondestructive examination (NDE) that might be performed and applied to evaluation of irradiation effects on RPV ferritic materials for operating plants, with particular focus on 10 CFR 50.61a and 10 CFR 50 Appendix G evaluations.

Summary: The announcement and draft agenda for this meeting were posted on the NRC web site on August 24, 2011. They are available via ADAMS at Accession No. ML112350511.

The revised final meeting agenda is included in Attachment 1.

Meeting attendance is included in Attachment 2.

The meeting was transcribed and the transcripts are included in Attachment 3. A summary of the meeting follows below; detailed discussion of each item summarized below can be found in Attachment 3.

Material presented at this meeting and referred to in the discussion below was previously posted in ADAMS at Accession Nos. ML112500032

(Westinghouse Presentation) and ML112510335 (ASTM Presentation). No other material was presented at the meeting.

Gary Stevens (NRC) opened the meeting at 0900 with introductions, followed by statements summarizing the efforts being undertaken in the NRC Office of Nuclear Regulatory Research. These efforts include additional research being performed on reactor pressure vessel (RPV) integrity issues. This public meeting is a continuing effort by the NRC to solicit relevant input from interested parties on this subject. The specific purpose of this meeting was to have technical discussions related to the NDE aspects of evaluation of the structural integrity of RPVs in operating plants, which was an area identified in the last public meeting held on this subject on July 26, 2011 as an area where additional discussion and information exchange would be useful. The NRC's research efforts on RPV integrity relate to several documents, and this meeting included technical discussions related to these research activities, with particular focus on 10 CFR 50.61a and 10 CFR 50 Appendix G.

Bob Hardies (NRC) provided clarification on the NDE aspects of 10 CFR 50.61a and 10 CFR 50 Appendix G (refer to the discussion beginning on p. 13 of the transcripts, Attachment 3). Bob clarified the following three points:

1. In a 10 CFR 50.61a assessment of flaws in a vessel, the NRC's goal remains to gather reasonable assurance that the number of flaws in the vessel and the distribution of flaw sizes are bounded by the flaw distribution used in the NRC's probabilistic fracture mechanics (PFM) analysis that provided the technical basis for 10 CFR 50.61a.
2. The NRC recognizes that there may be difficulty in quantifying the smaller flaw sizes referred to by 10 CFR 50.61a. As identified in the Statements of Consideration for 10 CFR 50.61a, allowance is made for licensees to use various approaches that provide alternatives for parsing flaw data between different flaw-size bins, as long as these approaches are supported with a sound technical basis. The NRC expects that licensees may have to modify their NDE approach from current practice, and it is recognized that RPV exams may actually take longer and need to gather more data than is currently the norm in order to adequately assess compliance with the requirements of 10 CFR 50.61a.
3. There is a requirement in 10 CFR 50.61a for an examination for surface-breaking flaws in some instances. The NRC expects that whatever techniques are used to do this have an adequate technical basis.

Mike Anderson of the Pacific Northwest National Laboratory (PNNL) led a discussion intended to provide clarification on the NDE re-analysis and reporting needs associated with 10 CFR 50.61a and 10 CFR 50 Appendix G (refer to the discussion beginning on p. 22 of the transcripts, Attachment 3). Significant discussion ensued. The discussion concluded with a consensus understanding of the NDE issues related to 10 CFR 50.61a that would allow licensees to define the examination requirements needed to comply with 10 CFR 50.61a for their NDE vendors. This discussion was summarized near the end of the meeting (refer to the discussion beginning on p. 190 of the transcripts, Attachment 3).

Steve Byrne of the American Society for Testing and Materials (ASTM) provided a presentation (ADAMS Accession No. ML112510335) proposing the use of the latest ASTM Standards relevant to RPV integrity (refer to the discussion beginning on p. 99 of the transcripts, Attachment 3). ASTM desires to continue dialogue between ASTM and NRC in order to provide advice on incorporating new ASTM Standard No. E2215 into 10 CFR 50 Appendix H, on establishing an optimum surveillance capsule withdrawal schedule, and on defining the RPV material surveillance program needs for new plants. In addition, ASTM would like to perform a similar effort on other ASTM Standards, as appropriate.

Bruce Bishop (Westinghouse) provided a presentation (ADAMS Accession No. ML112500032) on 10 CFR 50.61a flaw limit implementation recommendations (refer to the discussion beginning on p. 119 of the transcripts, Attachment 3).

Steve Sabo (Westinghouse) provided a presentation (ADAMS Accession No. ML112500032) on NDE Capabilities (refer to the discussion beginning on p. 165 of the transcripts, Attachment 3). The presentation included discussion of WesDyne's use of the flaw proximity rules for the combination of flaws, WesDyne procedures for scan index size, default depth sizing versus demonstrated flaw depth sizing, surface examination requirements, and the actual inspection areas. Feedback was also obtained from other NDE vendors that attended the meeting.

There were no other presentations offered, nor were there any comments from any members of the public (refer to the discussion beginning on p. 190 of the transcripts, Attachment 3).

Gary Stevens (NRC) summarized the meeting action items (refer to the discussion beginning on p. 208 of the transcripts, Attachment 3). The following actions were identified:

- EPRI to identify if there is any information available that summarizes how many layers of cladding were deposited during the fabrication of U.S. nuclear plant RPVs.
- NRC will provide a response to a question from Chuck Wirtz regarding BWR RPV circumferential weld examinations and whether there will be a need to revisit the work performed to eliminate examination of those welds.

Gary Stevens announced that the NRC is tentatively planning to hold another RPV integrity public meeting during the ASME Boiler and Pressure Vessel Code meetings in St. Louis, MO in November (refer to the discussion beginning on p. 213 of the transcripts, Attachment 3). The NRC requested input from interested stakeholders so that these meeting plans could be finalized. Subsequent to the 9/15 public meeting, and based on feedback from interested stakeholders, the NRC decided that the next meeting will be held on Wednesday, November 9, 2011 in St. Louis during the ASME Code meetings. A public meeting announcement will follow in the near future through the normal NRC Public Meeting Announcement process.

The meeting was adjourned at approximately 3:45 pm.

Attachments: The following attachments are included with this report:

	<u>Page No.</u>
Attachment 1: Agenda	5
Attachment 2: Attendance Lists	6
Attachment 3: Meeting Transcripts	10

Attachment 1

AGENDA

**DISCUSSION OF NONDESTRUCTIVE EXAMINATION ASPECTS OF REACTOR PRESSURE
VESSEL INTEGRITY ISSUES FOR OPERATING NUCLEAR POWER PLANTS**

Thursday, September 15, 2011

9:00 a.m. – 3:45 p.m.

Purpose of Meeting:

The purpose of this meeting is to have technical discussions related to nondestructive examination (NDE) that might be performed and applied to evaluation of irradiation effects on RPV ferritic materials for operating plants, with particular focus on 10 CFR 50.61a and 10 CFR 50 Appendix G evaluations.

Agenda:

Time	Topic	Organization	Coordinator or Presenter
9:00	Welcome and Introduction	NRC	Stevens
9:05	Brief Summary of NRC Research Activities on 10 CFR 50.61a and 10 CFR 50 Appendix G	NRC	Stevens
9:15	Clarification on the NDE aspects of 10 CFR 50.61a and 10 CFR 50 Appendix G	NRC	Hardies
10:15	BREAK		
10:30	Clarification on NDE re-analysis and reporting needs associated with 10 CFR 50.61a and 10 CFR 50 Appendix G	Pacific Northwest National Laboratory	Anderson
11:15	ASTM Use of Latest Standards	ASTM	Byrne
11:30	Discussion	All	Stevens
12:00	BREAK FOR LUNCH		
1:30	10 CFR 50.61a Flaw Limit Implementation Recommendations	Westinghouse	Bishop
1:50	NDE Capabilities	WesDyne	Sabo
2:45	BREAK		
3:00	Discussion	All	Stevens
3:30	Public Comments	None	None
3:35	Summary and Review of Action Items	NRC	Stevens
3:40	Next Meeting	NRC	Stevens
3:45	ADJOURN		

Attachment 2
ATTENDANCE LISTS

The individuals listed on the following 3 pages attended the meeting in person. Several others, as reflected in the attendance listed on pp. 2 – 3 and 9 - 10 of the meeting transcripts (Attachment 3), also participated via teleconference.

ATTENDANCE LIST for Public Meeting

DISCUSSION OF NONDESTRUCTIVE EXAMINATION ASPECTS OF REACTOR PRESSURE VESSEL INTEGRITY ISSUES FOR OPERATING NUCLEAR POWER PLANTS

Thursday, September 15, 2011
9:00 a.m. - 4:00 p.m.

Location: U.S. Nuclear Regulatory Commission
One White Flint North, 1st Floor, Room O1F16/O1G16
Commissioners' Conference Room (also called "Hearing Room")
11555 Rockville Pike
Rockville, MD 20852-27388

<u>Name</u>	<u>Organization</u>	<u>E-mail</u>
KEVIN THERIAULT	GE HITACHI	KEVIN.THERIAULT@GE.COM
Rob Traynor	U.S. NRC	robert.traynor@nrc.gov
Mark Dennis	EPAI	mdennis@epri.com
DUNCAN MACLEAN	IHI	dmaclean@ihi-sw.t.com
Charles J. Wirtz	First Energy	cjwirtz@firstenergycorp.com
GREG SELBY	EPR	gselby@epri.com
Al Gonsky	RES	algon@nrc.gov
Carol Nove	RES	Carol.nove@nrc.gov
Carolyn Fairbank	NRR	carolyn.fairbank@nrc.gov
Bob Hardies	NRR	robert.hardies@nrc.gov
Stephen Cumblidge	NRR	Stephen.Cumblidge@nrc.gov
Louise Prokofiev	RES	louise.prokofiev@nrc.gov
Stephen Dinsmore	NRR	Stephen.dinsmore@nrc.gov
Jeff Poehler	NRR	jeffrey.poehler@nrc.gov
Rachel Vaughan	NRO	nrcorp6@earthlink.net
Pat Pertscher	NRR	patrick.pertscher@nrc.gov
Wallace Norris	NRC/RES	Wallace.Norris@nrc.gov

ATTENDANCE LIST for Public Meeting

DISCUSSION OF NONDESTRUCTIVE EXAMINATION ASPECTS OF REACTOR PRESSURE VESSEL INTEGRITY ISSUES FOR OPERATING NUCLEAR POWER PLANTS

Thursday, September 15, 2011
9:00 a.m. – 4:00 p.m.

Location: U.S. Nuclear Regulatory Commission
One White Flint North, 1st Floor, Room O1F16/O1G16
Commissioners' Conference Room (also called "Hearing Room")
11555 Rockville Pike
Rockville, MD 20852-27388

<u>Name</u>	<u>Organization</u>	<u>E-mail</u>
Gary Stevens	NRC	gary.stevens@nrc.gov
Charles Tomes	Dominion	charles.a.tomes@dom.com
Stephen Byrne	ASTM International	pnbyrne@yahoo.com
Michael Anderson	PNNL	michael.anderson@pnnl.gov
Brian Dyle	EPRI	RDYLE@EPRI.COM
Jana Bergman	Scientech, CWFC	JBERGMAN@AULTISS WEIGHT.COM
Stephen Parker	Westinghouse	parkersm@westinghouse.com
Steve SABO	Westinghouse	sabosa@westinghouse.com
Don Nowakowski	FPL	dan.nowakowski@fpl.com
Mike Briley	ENTERGY	mbriley@entergy.com
ROBERT HEALRY	GE-HITACHI	ROBERT.I.HEALRY@GE.COM
CARL LATIOLA	EPRI	clatiola@EPRI.COM
Bruce Bishop	Westinghouse	bishopba@westinghouse.com
Jack Jack Spanner	EPRI	jspanner@epri.com
Michael Benson	NRC	michael.benson@nrc.gov

DISCUSSION OF NONDESTRUCTIVE EXAMINATION ASPECTS OF REACTOR PRESSURE VESSEL INTEGRITY ISSUES FOR OPERATING NUCLEAR POWER PLANTS

Location: U.S. Nuclear Regulatory Commission
One White Flint North, 1st Floor, Room O1F16/O1G16
Commissioners' Conference Room (also called "Hearing Room")
11555 Rockville Pike
Rockville, MD 20852-27388

E-mail

ikoury@astm.org

RX520 NAL 500

MARK.KIRK@NRC.GOV

Attachment 3
MEETING TRANSCRIPTS

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Discussion of Nondestructive Examination
 Aspects of Reactor Pressure Vessel Integrity
 Issues for Operating Nuclear Power Plants

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Thursday, September 15, 2011

Work Order No.: NRC-1114

Pages 1-214

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 OFFICE OF NUCLEAR REGULATORY RESEARCH

5 + + + + +

6 DISCUSSION OF NONDESTRUCTIVE EXAMINATION ASPECTS OF

7 REACTOR PRESSURE VESSEL INTEGRITY ISSUES FOR

8 OPERATING NUCLEAR POWER PLANTS

9 + + + + +

10 PUBLIC MEETING

11 + + + + +

12 THURSDAY,

13 SEPTEMBER 15, 2011

14 + + + + +

15 The meeting was convened in Hearing Room

16 01F16/01G16 of One White Flint North, 11555 Rockville

17 Pike, Rockville, Maryland, at 9:00 a.m., Gary L.

18 Stevens, Moderator, presiding.

19 NRC STAFF PRESENT:

20 GARY L. STEVENS, Moderator, NRC/RES

21 MICHAEL BENSON, NRC/RES

22 AL CSONTOS, NRC/RES

23 STEPHEN CUMBLIDGE, NRC/NRR

24 STEPHEN DINSMORE, NRC/NRR

25 CAROLYN FAIRBANKS, NRC/NRR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

NRC STAFF PRESENT: (cont.)

ERIC FOCHT, NRC/RES

ROBERT HARDIES, NRC/NRR

MARK KIRK, NRC/RES

WALLACE NORRIS, NRC/RES

CAROL NOVE, NRC/RES

JEFF POEHLER, NRC/NRR

IOURI PROKOFIEV, NRC/RES

PAT PURTSCHER, NRC/NRR

ROBERT TREGONING, NRC/RES

RACHEL VAUCHER, NRC/NRO

INDUSTRY REPRESENTATIVES PRESENT:

MICHAEL ANDERSON, Pacific Northwest Nuclear
Laboratories

JANA BERGMAN, Scientech, CWFC

BRUCE BISHOP, Westinghouse

MICHAEL BRILEY, Entergy

ROY BROWN, Entergy

STEVE BYRNE, ASTM International

SARAH DAVIDSAVER, AREVA

GUY DEBOO, Exelon

PAUL DEEDS, Entergy

MARK DENNIS, EPRI

ROBIN DYLE, EPRI

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

INDUSTRY REPRESENTATIVES PRESENT: (cont.)

KATIE GRESCH, Exelon

MICHAEL HACKER, AREVA

ROBERT HEALEY, GE-Hitachi

JOE KOURY, ASTM

CARL LATIOLAIS, EPRI

DUNCAN MACLEAN, IHI

DAN NOWAKOWSKI, FPL

STEPHEN PARKER, Westinghouse

STEVE SABO, Westinghouse

GREG SELBY, EPRI

JACK SPANNER, EPRI

KEVIN THERIAULT, GE-Hitachi

CHARLES TOMES, Dominion

CHARLES WIRTZ, First Energy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

A-G-E-N-D-A

Welcome and Introduction	5
Brief Summary of NRC Research Activities on 10 CFR	
	50
.61a and 10 CFR 50 Appendix G	10
Clarification on the NDE Aspects of 10 CFR 50.61a and	
10 CFR 50 Appendix G	11
Clarification on NDE Re-Analysis and Reporting Needs	
Associated with 10 CFR 50.61a and 10 CFR 50	
Appendix G	21
ASTM Use of Latest Standards	88
Discussion	
NDE Capabilities	92
10 CFR 50.61a Flaw Limit Implementation	
Recommendations	97
Public Comments	189
Summary and Review of Action Items	189
Next Meeting	201

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

P R O C E E D I N G S

9:00 a.m.

MR. STEVENS: Welcome everybody and thank you for coming. This is a public meeting, Category 2 public meeting, Discussion of Non-Destructive Examination or NDE Aspects of Reactor Pressure Vessel Integrity Issues for Operating Nuclear Power Plants. The purpose of the meeting is we're going to have some technical discussions related to NDE that might be performed and applied to evaluation of the radiation effects on RPV ferritic materials for operating plants. We'll discuss a little bit more about that in a minute.

I'm Gary Stevens, NRC Office of Research.

A couple of housekeeping items first. Number one, there is a bridge line and I had the great fortune of getting this room which I hope will make things much more conducive to the folks on the phone to hear. Also, we are having the meeting transcripts recorded and so between the two I hope to retain a lot of useful information for future reference and all that.

And I encourage everybody to contribute, speak up, whatever you have to say, and for those in the audience step up to a microphone so the folks on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 phone can hear. Restrooms, out this door to my right
2 just to the left. There's also a cafeteria just to
3 the left, although there is no food or drink allowed
4 in this room. Someone asked me about water, bottled
5 water, and the instruction I have is no food or drink
6 so I think the answer is no. And the only other rule
7 of all the rules I've been given I'll say is the dark
8 chairs around the corner here belong to the
9 commissioners and we're not allowed to sit in those
10 chairs. I don't know what happens to you if you do
11 that, but please don't. Actually, if anybody does sit
12 in those chairs chances are it's supposed to be the
13 commissioner, so.

14 What we'll do is we'll go around the room
15 for introductions and then we'll talk about the
16 agenda. If there's any additions or members from the
17 public that have anything they'd like to add we'll get
18 that and then we'll talk a little bit about why we're
19 here and then get into it. So we'll start over here.

20 MR. CSONTOS: My name's Al Csontos. I'm
21 the chief of the Component Integrity Branch in the
22 Office of Nuclear Regulatory Research.

23 MS. NOVE: Carol Nove, NRC.

24 MR. BYRNE: Steve Byrne. I'm representing
25 ASTM International.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. BISHOP: Bruce Bishop representing
2 Westinghouse.

3 MR. SABO: Steve Sabo, Westinghouse.

4 MR. SELBY: Greg Selby, Electric Power
5 Research Institute, Director, NDE.

6 MR. HARDIES: Bob Hardies, NRR, NRC.

7 MR. ANDERSON: Mike Anderson, Pacific
8 Northwest National Laboratory.

9 MR. TOMES: Chuck Tomes, Dominion, and
10 representing EPRI/MRP.

11 MR. NORRIS: Wally Norris, Research.

12 MR. DYLE: Robin Dyle, EPRI.

13 MR. LATIOLAIS: Carl Latiolais, EPRI.

14 MR. HEALEY: Bob Healey, GE-Hitachi.

15 MR. NOWAKOWSKI: Dan Nowakowski, Florida
16 Power & Light, also representing the MRP Inspections
17 Committee.

18 MR. BRILEY: Mike Briley, Entergy.

19 MR. PARKER: Stephen Parker, Westinghouse.

20 MR. MACLEAN: Duncan MacLean, IHI.

21 MR. DENNIS: Mark Dennis, EPRI.

22 MR. THERIAULT: Kevin Theriault, GE-
23 Hitachi.

24 MR. WIRTZ: Chuck Wirtz, First Energy,
25 also representing the BWR VIP.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SPANNER: Jack Spanner, EPRI.

2 MR. PURTSCHER: Pat Purtscher from NRR.

3 MR. DINSMORE: Steve Dinsmore, PRA Branch,
4 NRR.

5 MS. BERGMAN: Jana Bergman, Scientech.

6 MR. BENSON: Mike Benson, NRC Office of
7 Research.

8 MR. POEHLER: Jeff Poehler, NRC, NRR.

9 MR. TREGONING: Rob Tregoning, NRC Office
10 of Research.

11 MR. FOCHT: Eric Focht, NRC Office of
12 Research.

13 MS. FAIRBANKS: Carolyn Fairbanks, NRR.

14 MR. CUMBLIDGE: Stephen Cumblidge, NRR.

15 MR. PROKOFIEV: Iouri Prokofiev, Research.

16 MS. VAUCHER: Rachel Vaucher, Office of
17 New Reactors.

18 MR. STEVENS: Okay, thank you. The two
19 mics here on the podium or the steps are also live for
20 folks in the audience.

21 MR. KIRK: Mark Kirk, NRC.

22 MR. STEVENS: Good timing, Mark. Oh,
23 okay. Can you sing for us? By the way, in case --
24 we're not expecting any but if there is any kind of an
25 emergency or evacuation out the door, out the lobby,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 take a right to Marinelli Road and I will -- look for
2 me out there. I'm kind of tall so I'm easy to see and
3 I'll use the sign-in sheet which I wanted to also tell
4 you about to inventory everyone out there. I don't
5 expect that to happen.

6 MR. HARDIES: There is a reasonable chance
7 it will happen today.

8 MR. STEVENS: You said this at the last
9 meeting. Is that true? Okay.

10 MR. HARDIES: We have to do it once a
11 year.

12 MR. STEVENS: Okay. So if that happens --

13 MR. HARDIES: The end of the fiscal year
14 so we're going to -- sometime in the next two and a
15 half weeks we're going to do it. We don't do it on
16 Mondays or Fridays.

17 (Laughter)

18 MR. ANDERSON: It won't happen today, it's
19 not raining.

20 MR. STEVENS: Okay, so now that you've
21 lost my train of thought here. Okay, that's right. I
22 forgot. Folks on the bridge line we'll try and do
23 this one at a time. If you would introduce
24 yourselves.

25 MR. HACKER: This is Mike Hacker with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 AREVA.

2 MS. DAVIDSAVER: This is Sarah Davidsaver
3 also with AREVA.

4 MS. GRESCH: Katie Gresch with Exelon.

5 MR. DIBOU: Guy Dibou with Exelon.

6 MR. STEVENS: Anyone else on -- sorry.
7 Can you repeat that? I cut you off.

8 MR. DEEDS: I'm sorry, Paul Deeds with
9 Entergy.

10 MR. BROWN: Roy Brown with Entergy.

11 MR. STEVENS: Anyone else? Okay, thank
12 you for tuning in. We do have microphones so I hope
13 the audio is vastly superior to the last meetings
14 we've had. Sorry, say that again?

15 MR. BROWN: It's wonderful so far.

16 MR. STEVENS: Good deal.

17 MS. GRESCH: I agree, much better.

18 MR. STEVENS: Okay, so the agenda is
19 there's copies of the agenda up front. There's two,
20 actually there are four or five folks listed on the
21 agenda but as far as presentations I have two, one
22 from Westinghouse and one from ASTM. Are there any
23 other presentation material -- is there any other
24 presentation material to be presented? And are there
25 any members of the public that wish to speak at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 meeting? Okay. We have a slot for that. We'll call
2 it out again but. So I don't anticipate the meeting
3 to go all day. I do expect that we will have some
4 amount of activity after lunch but I do expect and
5 hope that we'll adjourn by the break, the afternoon
6 break.

7 So to start Mr. Mitchell was called at the
8 last minute so he is not going to be in attendance and
9 Mr. Hardies over here is filling in for him.

10 MR. HARDIES: Matt's in Japan.

11 MR. STEVENS: As most of you know the NRC
12 is conducting some research activities in the area of
13 RPV integrity and specifically we're working on
14 regulatory guidance with respect to 10 CFR 50.61a,
15 Pressurized Thermal Shock Alternate Rule. And as
16 we've stated before we are working towards having
17 something out for public comment sometime next year
18 and that reg guide out in 2013. We're also working on
19 a revision to 10 CFR 50, Appendix G and Appendix H
20 which we've previously stated would be out in the 2014
21 time frame.

22 We've had meetings, several meetings
23 earlier this year. We in discussions with the public
24 and industry earlier this year determined that it
25 would be fruitful to all organizations to have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 periodic dialogue on a continuing basis. The last
2 meeting, public meeting, was held here at headquarters
3 on July 26th. We did discuss basically the same
4 subjects and at that meeting and in other
5 conversations that have ensued it was identified that
6 it would be highly useful for the next periodic
7 meeting which we're having today to focus on NDE
8 aspects of RPV integrity. I do appreciate the NDE
9 vendors in particular for showing up today. I
10 understand that outage season has started and time is
11 premium for you and I appreciate your input. And also
12 those that helped orchestrate this meeting. It was
13 difficult as with all meetings to pick a time where
14 everyone's available but I do appreciate the sacrifice
15 of your time to come and I look forward to those
16 conversations we'll have.

17 So this meeting, we are trying to
18 emphasize on the NDE aspects of it. We will be
19 talking about the analytical side of things as well
20 with a slant towards how the analysts interpret the
21 NDE data. We have a slot at the end to talk about
22 when the next meeting might be. So with that, with
23 that the first agenda item, that concludes the first
24 one which is a brief summary of our research
25 activities. Are there any questions or clarifications

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 anybody would like to hear on that?

2 Okay, hearing none. And I encourage
3 everybody to speak up anytime. This is not, you know,
4 we're trying to keep it informal so that everyone can
5 contribute. I look forward to that. Mr. Mitchell was
6 up which I'll say is Mr. Hardies. And there's no
7 presentation here but we were just trying to clarify,
8 or the intent of this slot was to clarify the NDE
9 aspects of these two items in the regulation that
10 we're working on at least. And so Bob?

11 MR. HARDIES: Good morning. Thanks,
12 everyone, for coming. We really appreciate it. I was
13 sitting at my desk and Matt said can you take over for
14 me this morning or fill in, I've got to go to Japan
15 for the day. And I said sure, but I didn't know I was
16 on the agenda. So that's just the way it goes.

17 (Laughter)

18 MR. ANDERSON: I'll help you, Bob.

19 MR. HARDIES: I'll work my way through it.
20 We wrote an alternative PTS rule after years and
21 years and years of very good work. And found that the
22 risk of failure had, you know, we were able to
23 calculate a lower risk of failure at the same
24 embrittlement metric with the alternative PTS rule as
25 opposed to the old PTS rule. Really most of that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 reduction in risk came from a lower number of flaws
2 that were used in the analysis. I mean, there were a
3 lot of other contributors but the lower number of
4 flaws used in the alternative PTS analysis risk was
5 the primary driver for this reduction in risk and
6 really the relaxation of embrittlement, the
7 embrittlement metric limits in the alternative PTS
8 rule.

9 The flaws that were used in that analysis
10 were derived from analysis of pieces of vessels that
11 had a lot of NDE done on them at PNNL and then were
12 sliced and diced, cut up metallographically, looked at
13 and the flaws were counted. From that flaw files were
14 developed and so each time you'd do a FAVOR run in
15 each loop, one of the loops, I forget whether it's the
16 inner or the outer loop you go grab a vessel and the
17 vessel has flaws in it. You grab a flaw file. So
18 recognizing when we were creating the new rule that
19 most of the reduction in risk was coming from this new
20 flaw set, a good portion of it, we decided to -- it
21 was the location of them. Well, I don't really care.

22 (Laughter)

23 MR. STEVENS: That point isn't relevant to
24 the point you want to make.

25 MR. HARDIES: The point I wanted to make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is we wanted to ensure that the flaws distribution in
2 a vessel that was going to use the alternative PTS
3 rule was, we wanted to require some kind of reasonable
4 assurance that it was adequately represented by what
5 was used in the FAVOR analysis for the alternative PTS
6 rule. And in order to do that we wanted and require
7 utilities to look at ISI data and compare that ISI
8 data to tables that are in the rule that limit the
9 number of flaws you can have of various sizes. And if
10 you find out that your vessel has fewer flaws than all
11 those bins then we can conclude that the flaws size
12 distribution use in the FAVOR code used for the new
13 rule adequately bounds or fairly represents the
14 vessel.

15 When we came up with those tables we did
16 vet it through public comment. We gave it to the MRP
17 specifically so there was a pretty good look at the
18 ability to do those exams and the ability to
19 categorize the flaws and the ability to parse them
20 into the appropriate bins, at least at that time. We
21 weren't aware that there were remaining issues.

22 Our goal remains that in that assessment
23 of flaws in a vessel that we want to gather reasonable
24 assurance the number of flaws in the vessel and the
25 size distribution of them are not worse than the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 typical distribution that was used in the FAVOR code.

2 That's point one.

3 Point two is we did understand that at the
4 small sizes there was difficulty sometimes. We
5 understood there was difficulty in parsing out the
6 sizes at the lower, the smaller bins, in the smaller
7 flaws. And so we put in the rule and the statement of
8 considerations, we allowed applicants to do some
9 sizing correction. And so we provided an avenue that
10 you can parse flaws if you could, you know. If your
11 detection capability really isn't good enough to
12 separate the smallest two bins of the flaws we allow
13 you to come forward with some kind of a technical
14 basis that would provide some kind of alternative
15 parsing of that data rather than just pure NDE parsing
16 of it.

17 We did expect that utilities might have to
18 modify or use a different approach to ISI, may have to
19 be more careful in your approach to doing the exams.
20 It may actually take longer and need to gather more
21 data. We did anticipate that.

22 And finally, the other point I want to
23 make is there is a requirement for an examination for
24 surface-breaking flaws in some instances. And our
25 concept there, we certainly would expect that whatever

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 techniques were used you'd have an adequate technical
2 basis for it. We don't really know at this point what
3 applicants are considering, whether it's an eddy
4 current approach or something else, we just don't
5 know. We're interested in hearing what you have to
6 say today and that's it. Any questions?

7 MR. STEVENS: Actually, I have a couple of
8 things to say first. And then just to welcome kind of
9 everybody in the fold because I know that we have
10 folks from the BWR community here and they're probably
11 asking why are you telling me all this? PTS doesn't
12 apply to me. In earlier meetings this summer it was
13 brought out that for the BWRs who are doing exams in
14 accordance with BWRVIP-05, some of the provisions that
15 are being identified for 50.61a might be appropriate
16 for use for those that want to apply risk-informed
17 Appendix G. That brings the whole fleet in with
18 respect to some of the NDE issues we'll be discussing
19 today because the staff has stated previously that
20 when Appendix G is revised and we're looking at risk-
21 informing part of it that it's likely some of the same
22 NDE provisions that are linked to PTS would also apply
23 to that. So, the discussion you hear, there will be a
24 lot of reference to 50.61a and PTS and all that, but
25 it really does, it's relevant to risk-informing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Appendix G which is forthcoming.

2 The other thing I was going to say, it
3 kind of bridges to the last meeting. There was a lot
4 of questions prior to and during the last public
5 meeting in July trying to clarify whether the rule was
6 asking for something beyond an Appendix VIII exam.
7 And I think it was answered and clarified. And I'm
8 kind of looking at Bob and sort of, I'm going to make
9 the statement and you can nod your head and agree, but
10 in the last meeting it was stated that in Appendix
11 VIII it was always intended that an Appendix VIII
12 qualified exam would be sufficient for use with the
13 rule.

14 MR. HARDIES: Yes, that's correct.

15 MR. STEVENS: I mean, the words are --

16 MR. HARDIES: -- in the statements of --
17 for want of consideration.

18 MR. STEVENS: Okay. So I wanted to --
19 that, we tried to clarify that at the last meeting.
20 That led to quite a bit of discussion. I imagine
21 we'll have more today but I wanted to kind of float
22 that out there. And there was a second point which
23 I've now lost, I'm sure I'll remember it later, for
24 bridging from the last meeting. But as we get into
25 the discussion I'm sure I'll remember that and bring

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 it up. So with that any other questions, discussion
2 while we're on the? Trying to clarify the NDE aspects
3 of these two regulations. Wow. Thank you for
4 clarifying.

5 So the question was how does this apply to
6 the 20-year extension. Thank you for that. That's
7 one item I left out. It would also apply for that
8 approach as well. So when I meant to expand the
9 discussion beyond just 50.61a I meant to try and bring
10 the BWRs in as well as the 20-year interval extension
11 that the PWRs are working on for their RPV welds,
12 reactor pressure vessel welds. Any other questions?

13 MR. WIRTZ: Yes, Gary, since it is likely
14 going to be extended to BWRs under the risk-informed
15 Appendix G with regard to BWRVIP-105 and the relief
16 requested all the BWRs have on record, not doing their
17 circumferential welds any further in the future. They
18 had to have done the weld at one time but would there
19 be any expectations for going back and gathering more
20 recent data on those welds?

21 MR. STEVENS: Thank you.

22 MR. WIRTZ: My name is Chuck Wirtz. I'm
23 First Energy and I'm also here representing the
24 BWRVIP.

25 MR. STEVENS: Robin is going to answer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this.

2 MR. DYLE: This is Robin Dyle with EPRI.
3 When this topic was discussed in the June meetings and
4 Matt discussed this at some extent. He did, the
5 question was asked how would this apply to BWRs. And
6 his answer was at that time if I'm accurately framing
7 it was that it doesn't affect the relief request that
8 the BWRs have. There is no requirement going forward
9 that they would have to add the horizontal weld exams.

10 It's simply the vertical weld exams for the vessel
11 would be that data set that would populate the table.

12 So there was no intent to change what was in place,
13 you just use a smaller data set for coming up with
14 your flaw distribution to use.

15 MR. BISHOP: This is Bruce Bishop. I will
16 be addressing a little bit the contribution of
17 circumferential flaws in PWRs this afternoon in my
18 presentation.

19 MR. SELBY: I'd like a little
20 clarification of Carl's question about 20 years. I
21 can think of going from licensing from 60 to -- 40 to
22 60, or 60 to 80, or maybe it was about the 20-year
23 coding intervals, I'm not sure.

24 MR. STEVENS: This is taking a 10-year
25 inspection interval on reactor pressure welds and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 extending that out to be a 20-year interval.

2 MR. SELBY: Okay, thanks.

3 MR. STEVENS: So I got the question noted
4 that -- I don't know that we've given an answer to
5 that so I'll have to take that as a homework item.
6 The question, I mean Robin obviously gave a position
7 from the earlier meeting but as far as the NRC goes
8 I've noted the question on the BWR circ welds and
9 whether there would be a need to go back and revisit
10 those. Gee, I thought everybody would be jumping to
11 have something to say on this subject, so. Okay, that
12 was the other subject actually I wanted to -- now that
13 I remember. I looked at the agenda and you know,
14 leading in to the next item which I have Mike Anderson
15 down for and this wasn't a formal presentation either.

16 But this whole discussion I think is really not going
17 to compartmentalize itself into what's shown on the
18 agenda. I was hoping we'd get the conversation going.

19 The other issue I think that was discussed
20 at the last meeting and clarified was that the, I
21 believe the staff made statements to the effect that
22 Appendix VIII exam was adequate. It might, however,
23 require some amount of reevaluation of the collected
24 data, and we had some discussion on what that meant.
25 And maybe not sufficient discussion on what that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 meant. That was one of the items we took as an item
2 to table and discuss in fact at this meeting. And
3 that's really what we have Mike down on the agenda for
4 was to just kind of lead a discussion on clarifying
5 what do we mean by re-analysis of Appendix VIII data.

6 And then we also would like to hear from the NDE
7 vendors and the utilities as to whether that's
8 feasible, that's possible, that's not possible and get
9 clarification on that. So Mike, anything to start
10 with?

11 MR. ANDERSON: Yes, I wanted to say that I
12 really want to solicit input from the people who own
13 the procedures. I think it's very important that we
14 hear from the vendors about what the capabilities of
15 their technologies that are Appendix VIII qualified
16 can do. And to help with that I've got a series of
17 kind of open issue questions. And I'm going to ask
18 each of the NDE vendors in succession at least to
19 start with to get some input on this issue if that's
20 okay. That way we're guaranteed to get some input
21 from the gallery this way.

22 During the last meeting there was this --
23 to continue Gary's thought on. There was a discussion
24 about existing data, Appendix VIII qualified exams
25 that had been performed and whether or not it would be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 possible to take that data and through some method re-
2 analyze, reevaluate it to some extent in order to help
3 with the PTS rule binning process. I'm assuming
4 everybody knows what that means in this room.

5 MR. STEVENS: And actually I was going to
6 jump in here because I stole a slide from Bruce's
7 presentation here. But this, so what is up on the
8 screen and for those on the phone, I don't think I got
9 everybody but I did try to forward the presentations
10 out to most of you. I'm looking at page 6 of the
11 Westinghouse presentation. And what this page really
12 shows is Table 2 from 50.61a which is the allowed
13 number of flaws for welds. There's another table
14 that's very similar that's for allowed flaws in plates
15 but I wanted to show this one.

16 And this shows the allowed number of flaws
17 per thousand inches of weld in several different,
18 what's been designated as bin sizes that are sized
19 based on the through-wall extent or the depth of the
20 flaw. And these are cumulative type of bins so. But
21 if you look in the first column there you'll see the
22 increment in through-wall extent size. In the first
23 bin, there's no limit on the number of flaws in the
24 first bin which basically is less than 0.075 inches in
25 through-wall extent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So the flaws that require detection in
2 terms of populate these bins start at 0.075 inches and
3 go up in 0.05 increments roughly here. And I believe,
4 I'm going to make another statement that the 0.075,
5 these bin sizes were selected to line up with Appendix
6 VIII qualifications. So, what the rule would imply
7 from examinations is that the NDE exams done in
8 accordance with Appendix VIII can detect and size
9 flaws such that these bins could be populated.

10 Now, we have some information from
11 Westinghouse and their presentation later, and we can,
12 I'm sure the discussion now will start to bring some
13 of that out that maybe suggests or indicates that
14 given the physics behind the techniques used there
15 might be difficulty in populating some of these bins.

16 And that's the kind of conversation we kind of want
17 to have here.

18 And I think what we were going, what we
19 were aiming after here on the re-analysis angle was if
20 you were doing an Appendix VIII exam lined up in
21 accordance with ASME Code Section 11 which might be
22 looking for flaws of different sizes than what's shown
23 in this table is there a processing or some
24 reevaluation of that data that could be done if you
25 went back and looked at it that would be more, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 know, give you flaws more in line with these tables.
2 And that's kind of I think my simplistic statement of
3 what reevaluation meant, given a prior exam that may
4 have been focused on flaws of different sizes. You
5 could go back and reevaluate that examination data
6 somehow and get flaw information that would line up
7 more directly with these tables in the rule. And the
8 question is is such evaluation possible and what
9 information would be gained from such reevaluation.
10 Now, you want to ask your questions?

11 MR. ANDERSON: Well, the first question
12 was I would have asked it a little bit different, but
13 before I do I see Carl waving his hand and mouthing me
14 something back there so come to the microphone and
15 express what it is that you want to say, Carl, because
16 I'm a very bad lip-reader. Yes, actually we have a
17 seat if you'd like to sit.

18 MR. LATIOLAIS: I'd rather stay back here.

19 MR. ANDERSON: Okay.

20 MR. LATIOLAIS: This is Carl Latiolais.
21 I'm with EPRI. I manage the performance demonstration
22 program, the Appendix VIII program. And I'm in charge
23 of the blocks we were going to be talking about and
24 the test and Appendix VIII and all the other stuff. I
25 think that we need to focus, what I was trying to tell

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Mike and I think Gary tried to do it just now is that
2 many of the vendors aren't -- the NDE people with the
3 vendors don't have the same background on the PTS
4 rule. They haven't been talking PTS rule for two,
5 three, five years. So it's very beneficial, I think
6 it would be very beneficial to give them a condensed
7 overview of really what you're looking for. What are
8 you expecting from them when they do these
9 examinations, the re-examinations. If you get
10 confused in these tables in Appendix VIII you know
11 they know, they read the code also, they know what's
12 in Appendix VIII and they also know that they
13 developed their procedures to be able to satisfy the
14 requirements of Appendix VIII.

15 And they also know that the smallest flaw
16 sizes that are in these bins are, they're not required
17 to find and it's not in every region within that test.

18 And then for GE-Hitachi's benefit, you know, most of
19 the focus on the NDE has been discussed from the ID,
20 PWR exams from the inside surface. GE performs their
21 exams from the outside surface. So the difficulty of
22 finding a 0.075 flaw from the opposite surface is, you
23 know, when you hear the presentations later on from
24 Westinghouse they're looking at relative to inspection
25 from the ID. It could be even more difficult from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 OD. So that needs to be considered.

2 And we understand from the last meeting
3 that the expectation is Appendix VIII qualified exams
4 is what we're going to perform. So I think you need
5 to be very clear and encourage the vendors to ask very
6 detailed questions on what is expected from them when
7 we do these exams, what's your definition of
8 reasonable assurance, what is good enough. Because
9 you're going to, you know, you have to make a
10 decision. Is the old data going to be sufficient? Do
11 you need to take new data? Can you just re-analyze?
12 Do you remove thresholds? Do you take -- do you do
13 another exam? So those things are very difficult
14 questions to answer so I think we need to have candid
15 discussions. I encourage the vendors also to ask
16 those detailed questions. My understanding, the NUREG
17 is supposed to provide guidance on how to implement
18 the rule. And the most important portion of it in my
19 mind is how do you collect the data to implement the
20 rule. I know that's a little long-winded but I think
21 that's the important. If I was a vendor that's the
22 questions I would want to ask in this meeting and walk
23 away with some clarity.

24 MR. STEVENS: Thank you, Carl. Bruce?

25 MR. BISHOP: I just want to say this idea

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of the small flaw is a very important issue, okay, and
2 it's one of the reasons we requested to speak.
3 Because I think it's important like Gary said in terms
4 of the PTS analysis using the FAVOR code which by the
5 way stands for, I'm not sure, flaw or fracture
6 analysis of vessels, Oak Ridge. Failure? Oh, okay.
7 But that's the probabilistic fracture mechanics
8 analysis code that was used as the technical basis for
9 the alternate PTS rule, specifically version 6.1 of
10 that code. And going back and looking at some of the
11 results from the FAVOR code it was -- found some very
12 interesting results in this regard. On the average
13 for every vessel simulated it simulates 550 flaws,
14 0.0888 inches deep, all right? They're all 0.0888
15 inches deep. The contribution of all those 550 flaws
16 is less than 2 percent to the total frequency of
17 failure. So I think that's a very useful piece of
18 information to know and it supports why we have no
19 limit on that because it's not really necessary to
20 have a limit on something that only provides 2
21 percent. So I just wanted to make that point.

22 MR. STEVENS: Okay, thank you. So I'm
23 going to, and I appreciate Carl's lead-in to try and
24 say let's get the conversation going and be candid and
25 frank and all that because that would be our wish and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 desire too. So I'm going to try and with help from my
2 comrades here I hope, I'm going to try and in less
3 than five minutes try and simply explain a very
4 complicated issue which is what is the PTS rule from
5 an NDE point of view asking folks to do.

6 The first thing is it's an optional, a
7 voluntary rule, it's not a requirement. So it's only
8 -- the whole discussion that we're going to have on
9 this is only applicable to those plants that decide
10 they want to use the rule. And that will be also true
11 with risk-informed Appendix G if that's going to be in
12 the rule in the sense that at least right now what's
13 in ASME code, the risk-informed option for PT curves
14 is not a requirement, it's a voluntary option.

15 MR. BISHOP: It's also a requirement for
16 the 10- to 20-year too. We have to satisfy these flaw
17 limits.

18 MR. KIRK: Okay, so -- well, what you're
19 saying, Bruce, I think is there's one precedent where
20 NRR made it a requirement.

21 MR. BISHOP: That's right.

22 MR. KIRK: Yes.

23 MR. BISHOP: And we've actually applied it
24 20-some times.

25 MR. STEVENS: Okay. So what you're saying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 there on the 20-year, everybody plans to use that and
2 as a part of that these kinds of issues we're
3 discussing are required.

4 MR. BISHOP: I'm not sure that everybody
5 will be doing it, but there certainly are more people
6 interested in that that have to use it for the old PTS
7 rule.

8 MR. STEVENS: Okay. Thank you for that
9 clarification and thanks for jumping in because like I
10 said, it's complicated and it's hard to summarize in
11 five minutes or less. So the bins you see up here,
12 and again there's one for welds and one for plates,
13 and some of the discussion we should have is how do
14 you decide if a flaw is in the weld or the plate. I
15 know that I've heard that question from several folks
16 in previous conversations. They look the same. How
17 you determine the number is a bit different. The
18 flaws for the welds is on per linear length of welds
19 whereas the plate is on a per-volume of plate.
20 There's bin sizes you see here based on through-wall
21 extent with a number of allowed flaws in this case per
22 thousand inches of weld. So simplistically the rule
23 would say given an Appendix VIII exam of the vessel
24 belt line the flaws you detect in size and I think we
25 clarified at the last meeting, you're doing your exam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 in accordance with Section 11 and you apply proximity
2 to those results and you would take what comes out of
3 that evaluation after proximity, and you would
4 populate these bins with what you found.

5 Number of flaws of each size divided by
6 the length of weld you examined in the belt line area.

7 This table would suggest that you need to find flaws
8 down to 0.075 inches in through-wall extent. And you
9 would be able to size such flaws and populate these
10 bins accordingly. Even though there were smaller flaw
11 sizes in the analysis the smallest bin which is below
12 the Appendix VIII threshold has no limit. In other
13 words, you can tolerate an infinite number of flaws.
14 An did think that is consistent with what Bruce just
15 said, that the contribution of those flaws to risk was
16 generally insignificant. Anybody want to clarify what
17 I just said?

18 MR. KIRK: Yes, yes, and that Bruce is
19 correct in his reflection of the probabilistic
20 fracture mechanics results. That's, in fact in our
21 technical basis it was, that specific statement was
22 made that we allow no limit on the flaws less than
23 0.75 specifically because overall they were a small
24 contributor to risk even though there were lots and
25 lots of them simulated in the FAVOR runs. However, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 just did want to point out that once we get into the
2 bin sizes where there are numeric limits in Table 2 of
3 10 CFR 50.61a you very quickly get to the even for the
4 small, for example, I'm bumbling. The three smallest
5 bins, 0.075, 0.125 and 0.175 collectively represent
6 about one-third of the total calculated risk. I mean,
7 I can show a histogram if you like but the point is
8 that the smallest walls we've discounted and that's
9 why there's no limit. But once you get into the table
10 it becomes, the analysis suggests that it's important
11 to find those flaws because they contribute a
12 significant part to the total risk. Not being an NDE
13 person myself that's real easy to say because I don't
14 know how hard it is to do that, but that's what we're
15 here to learn today is finding flaws, say, between
16 0.075 and 0.175 within the realm of current
17 technological capabilities or what else would need to
18 be done to enable that.

19 MR. STEVENS: And then a couple other
20 things to finish off here real quick. One is these
21 bin sizes are cumulative in the sense that you'll see
22 for example in the 0.075 bin while the through-wall
23 extent max value is the same down the table the number
24 of flaws in that bin includes the number of flaw sizes
25 for all bins below it as well. Did I say that right,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Mark? It's a cumulative total for everything in the
2 table below it.

3 The other thing is I guess we should talk
4 about is regarding depth into the vessel wall that the
5 rule is requiring these comparisons. These tables are
6 intended for use for flaws detected on the inner 10
7 percent of the thickness or 1-inch, whichever is
8 greater. And then the rule also states that any flaws
9 detected within the first three-eighths T which is 37.5
10 percent of the wall thickness, if there's any detected
11 the through-wall cracking frequency needs to be
12 determined. And I'm sure there's a ton of questions
13 as to how do you do that and that's one of many things
14 we will be addressing in a regulatory guide.

15 MR. BISHOP: Gary, I don't think that --
16 the requirement is that you have to satisfy ASME
17 Section --

18 MR. STEVENS: You're correct.

19 MR. BISHOP: Section 3 or Section 11
20 requirements for those flaws.

21 MR. STEVENS: Well, I think you must
22 satisfy Section 11 for all flaws. That's -- and --

23 MR. BISHOP: There is a specific
24 requirement in the PTS rule though if you find any
25 flaws in the inner three-eighths T they have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 satisfy the ASME code requirements. And that means
2 you have no reportable flaws.

3 And the other thing is is that even if you
4 violate the number of flaws it doesn't mean that
5 you've failed, okay, it just means that you have to do
6 an evaluation and there's where I think you have to
7 make some sort of assessment of what the effect might
8 be on the failure frequency.

9 MR. STEVENS: That's right. In our
10 guidance we intend to provide guidance on how to do
11 that which we hope will be short of -- unless the
12 situation warrants doing a full-blown probabilistic
13 fracture mechanics evaluation.

14 MR. HARDIES: Carl, you asked a couple of
15 other questions, didn't you? You asked a whole bunch.
16 If I remember right. Mike asked a question and you
17 got up and in answering his question you asked a bunch
18 of questions. But I'll forgive you for one of them.
19 You did ask, I think I got the flavor that you were
20 wondering whether the NDE vendors needed to do
21 something different for application of the PTS rule.
22 The application of the alternative PTS rule, we
23 envisioned there would be a relatively low number of
24 utilities who elect to use this alternative rule. And
25 they're going to have to submit the bins, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 technical basis behind it, and we're going to have a
2 lot of questions about how the data was generated and
3 how it was evaluated. And we're going to look very
4 closely at it. So I would expect that a licensee who
5 intends to use the alternative PTS rule will have very
6 detailed discussions with their ISI vendor before they
7 do the vessel exam that gathers this information for
8 an alternative PTS rule. We did originally anticipate
9 that licensees would be able to use an existing ISI
10 exam and we're still exploring that, but if a licensee
11 has an ISI between, you know, now and when they're
12 going to do the PTS rule you know we're going to
13 expect that that's the data that's used for the
14 submittal and we're going to expect that that's an
15 exam that was performed with this goal in mind. So
16 you ask what the vendor should expect, they should
17 expect to, you know, tailor the exam to get this
18 information.

19 MR. DYLE: Bob, this is Robin Dyle. I
20 just wanted to ask a clarifying question. You said
21 that you expected there would be a limited number of
22 utilities using this for the alternate PTS rule.

23 MR. HARDIES: Correct.

24 MR. DYLE: However, going back to the
25 beginning of the meeting because this will also be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 used for the 20-year extension and for any plants that
2 would be attempting to use risk-informed Appendix G
3 once that's in the regulations that population grows
4 significantly. So I just wanted to make sure we
5 weren't looking at a small sample of plants, this
6 could be broadly applied. So we all need to
7 understand the issue.

8 MR. HARDIES: Well, let me --

9 MR. BISHOP: I just wanted to point out --

10 MR. HARDIES: We're nesting questions just
11 like you're nesting FAVOR loops so you're going to
12 just have to sit there calmly for a little bit.
13 Because now I'm talking to Robin but I thought I was
14 talking to Carl. With respect to Appendix G we
15 haven't written a new Appendix G yet. We don't know
16 what risk level ultimately is going to be -- well, we
17 kind of know what the risk target is but we don't know
18 what the -- right now there's a proposal and you could
19 adjust the proposal a little bit and achieve a lot
20 lower risk values. We don't know what it's going to
21 look like. So, we don't know what targets are going
22 to be in Appendix G. We will learn, I will guarantee
23 you that we will learn from our experience in 50.61a
24 and apply that learning when we write Appendix G. So,
25 Appendix G just may look different. And with respect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to the ISI interval extensions I really don't know, I
2 don't know what we're doing there.

3 MR. BISHOP: I just wanted to make a
4 comment about that, Bob. Just recently we sent a list
5 of 13 sets of data, ISI data, to Gary from the work
6 that we had done on the ISI interval extension from
7 the Appendix VIII qualified. And typically every time
8 you get a recordable indication you do an evaluation
9 of it. If it's in the inner 10 percent or 1 inch, you
10 know, and how big is the through-wall extent compared
11 to the bins just like you said you would do. Okay, so
12 we've done that. Some of the plants didn't have any
13 recordable indications in the inner 10 percent or 1
14 inch so we didn't have to include those, but we do
15 have 13 sets of data that we've done the evaluation
16 and we've provided that to the NRC for their
17 consideration.

18 MR. STEVENS: Yes, and I did receive that
19 just last week. I have an ML number I'll provide you
20 momentarily but I want to make sure Mr. Hardies has
21 all his questions before I take us on another tangent.

22 MR. HARDIES: Well, I guess I just want to
23 sum it up is the kind of theme is the detail with
24 which we'll look at the ISI, your ISI information is
25 with all things that we do it's sort of related to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 risk of the application. And there's a difference in
2 the ISI 20-year interval extension isn't that big a
3 delta risk. Letting a plant get an additional 20 or
4 30 years of embrittlement is a big risk in comparison
5 and so we'll pay attention accordingly. And since
6 Appendix G isn't written yet it's hard to talk about
7 Appendix G. So I'm done. You can go on unless Carl
8 wants to continue asking questions.

9 MR. LATIOLAIS: This is Carl Latiolais
10 again. It's not the same question, but on the subject
11 of reportable and -- reportable and recordable flaws.

12 I'm asking this for the vendors, not for my knowledge
13 on any of this. There's a unique difference in
14 terminology when you're speaking to the vendors and
15 you say give me a list of reportable indications.
16 Reportable means it met some threshold that they had
17 to do an evaluation on it and turn it over to the
18 licensee for review. Recordable is a much lower, at
19 times a much lower threshold where they record it.
20 Sometimes it's recorded in the electronic data if it's
21 an automated exam. It may be listed on a report, it
22 may be noted there, but it's not reportable. So I
23 think you need to be clear in your NUREG what your
24 expectations are in filling these bins. Is it only
25 reportable indications that exceed some threshold that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 had to be evaluated in 3500 tables or is it a
2 specialized exam where you want to basically know the
3 density of flaws of this size within the volume you're
4 specifying in the rule. Because you may end up
5 getting different sets of data. You may end up with a
6 vessel with one flaw and then another exam performed
7 may have 30. Because if they give you recordable
8 versus reportable the numbers can vary quite a bit.

9 MR. STEVENS: Can you clarify in what
10 you're saying now, can you define for us reportable
11 and recordable more specifically?

12 MR. LATIOLAIS: Reportable would be a flaw
13 that has a dimension they can size, upper and lower
14 dimension, length. They would take that flaw and they
15 would go to the 3500 tables and say does it meet the
16 in-service tables, yes or no. You may have other
17 flaws of any size, the procedures basically say any
18 flaw you see you have to evaluate. And they may
19 record them but they don't -- they may not have a
20 measurable depth they can measure because of the
21 limitations of the technique, they may be spot
22 indications. They all have thresholds. They may not
23 be seen on two consecutive scan lines or other things
24 that they will record those, they have them recorded,
25 but they're not reportable to the licensee. They

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 don't have to do any additional evaluation. But
2 they're in the data.

3 MR. ANDERSON: Let me see if I can help
4 shed some clarification on this, Gary. Mike Anderson.

5 I understand what you're saying, Carl, and I think I
6 heard Bob say we want the reportable but in terms of
7 PTS if you look at these bins you want anything that
8 comes out of the noise. That's recordable because
9 there's no other way you're going to get, you're going
10 to populate these bins for the purpose of this rule.
11 If you look -- this is beyond what Appendix VIII, I
12 should say Section 11 reportable rules are asking you
13 to do. This is asking you to put the numbers of flaws
14 in the bins as small as shown in this table right
15 here. So reportable and recordable, when your
16 procedures from the vendors say that we have to
17 evaluate whether they are or not that evaluation
18 should lead you to this bin right here, whether it's
19 recordable or reportable.

20 MR. HARDIES: Let me just, I really think
21 Carl and Mike, you're using different versions of the
22 word "recordable" aren't you?

23 MR. ANDERSON: No.

24 MR. HARDIES: You weren't talking about
25 Section 11 recordable, you were talking about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 something different weren't you, Carl?

2 MR. LATIOLAIS: The purpose of the in-
3 service examination is to look for flaws that exceed a
4 certain size, and size is really dictated by the 3500
5 exceptions tables.

6 MR. STEVENS: So you're specifically
7 saying anything that exceeds ASME Code Section 11
8 acceptance standards.

9 MR. LATIOLAIS: Yes, or has to be
10 evaluated to it.

11 MR. STEVENS: Is reportable.

12 MR. LATIOLAIS: That's reportable.

13 MR. STEVENS: And anything that would be
14 used to apply those standards would be recordable.

15 MR. LATIOLAIS: You may record many flaws
16 but you don't have to report them because they don't
17 exceed a given size.

18 MR. BISHOP: But you evaluate them to see
19 if they are reportable.

20 MR. STEVENS: Okay, so Bob, given those --

21 MR. SELBY: And you record. You know, if
22 you identify everything that comes above the noise
23 level and record them it doesn't mean they're flaws.
24 They're indications, they're ultrasonic responses but
25 there can be many tiny ultrasonic responses not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 associated with discontinuities in the metal.

2 MR. BISHOP: In the PTS rule if you have a
3 reportable indication I think the alternate PTS rule
4 said you could not use the alternate PTS rule. If you
5 had a recordable indication without doing some
6 additional evaluation or adjustment.

7 MR. STEVENS: That's correct. We -- well,
8 so I was going to make a statement given those
9 definitions to just start the conversation, Bob, which
10 is that whatever you're going into the IWB-3500
11 acceptance standard tables with, which with the
12 definitions I just heard would be recordable, with
13 ASME proximity applied that's what would be lined up
14 with the PTS bins.

15 MR. HARDIES: Say that again.

16 MR. STEVENS: Okay. Whatever defects, no,
17 not defects. Whatever indications --

18 MR. HARDIES: Responses, indications.

19 MR. STEVENS: Whatever indications that I
20 get from my exam I apply ASME proximity rules to and I
21 go into the IWB-3500 acceptance standards with, those
22 are the recordable indications I want to line up with
23 the rule.

24 MR. SELBY: I don't think so. Because the
25 rule up there, the table that you're displaying isn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 number of indications, it's number of flaws. It's not
2 the same thing.

3 MR. HARDIES: Yes, I think it's any UT
4 indications that are determined to be flaws that would
5 be evaluated to see whether they're acceptable or
6 unacceptable flaws. Because there are false
7 indications, or there's indications that aren't flaws.

8 MR. KIRK: I think it would be, well, as a
9 member of the committee that drafted that table I
10 think I can safely say that our use of the word
11 "flaws" does not carry the same precise definition as
12 it does in ASME and NDE land. So anything you see --

13 MR. STEVENS: Are you agreeing with my
14 definition?

15 MR. KIRK: I believe I'm agreeing with
16 your definition and disagreeing with Greg's.

17 MR. BISHOP: I just wanted to say I know
18 it's a different risk threshold, okay, but that's
19 consistent with the interpretation for the ISI
20 interval extension and the data we sent you shows
21 those evaluations.

22 MR. KIRK: I think to place Table 2 in a
23 more precise nomenclature it should say number of
24 indications.

25 MR. SELBY: Again, Mark, I disagree

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 because some of the indications as I said before are
2 not necessarily associated with the discontinuity with
3 the separation of the metal. If the ultrasonic
4 response is coming from say an acoustic mismatch
5 between the base metal and the cladding it's not going
6 to fail.

7 MR. KIRK: Okay, then I need to better
8 understand what -- and maybe this is something better
9 done offline -- what is the definition of "flaw" in an
10 NDE inspection.

11 MR. ANDERSON: How about relevant
12 indications? I mean, that's what we want to talk
13 about here. I don't think we're talking about
14 metallurgic or geometrical reflections that everybody
15 can tell from relevant indications. I think we're
16 talking about relevant recordable indications.
17 Whether you go to the flaw tables with them or not
18 you're going to have to have them if you're going to
19 populate these bins right here. Now, we can argue
20 about whether if something can tell whether they're
21 relevant or not, you know, based on the procedures
22 that are qualified. And that's a question you'll have
23 to pose to the vendors. But I think it's a disservice
24 to only go to a handful of flaws that are reportable
25 that have been evaluated in IWB-3500 and apply that to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this because it's missing the point of the PTS
2 alternative which is to compare your fabrication flaws
3 to what has been analyzed through FAVOR. And so you
4 need to see everything that's a possible or relevant
5 fabrication flaw in these welds and do that comparison
6 as far as bins are concerned.

7 MR. SELBY: I think whether the term is
8 you know relevant indication or flaw or defect, it's
9 important not to burden those bins with indications
10 that aren't associated with anything that has a stress
11 intensity factor. If it's a geometric indication. If
12 it's not a physical separation in the material it
13 doesn't belong there.

14 MR. ANDERSON: I agree. Such as geometry,
15 metallurgical interfaces, those type of things you're
16 talking about I completely agree, those are not
17 fabrication flaws as we would --

18 MR. SELBY: Correct. The danger arises if
19 you become very sensitive. If you start recording
20 everything with a signal-to-noise ratio greater than
21 1.1 you'll get large numbers.

22 MR. STEVENS: Robin?

23 MR. DYLE: Yes, just a point of
24 clarification. And this is Robin Dyle from EPRI.
25 Mike, you've used relevant indications, we've talked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 about reportable, recordable and all the other stuff,
2 but if you go back to the rule, the rule in Paragraph
3 E says examination and flaw assessment requirements.
4 So you're required to assess flaws and those flaws in
5 the next paragraph are to be identified based on the
6 use of Section 11 as currently required in the
7 existing rules. So that seems to define what you're
8 going to use to bin the tables. What else we might
9 want to have we can have a discussion, but if you're
10 going to ask the entire industry to go follow the
11 rule, the rule says you evaluate flaws and you're
12 using ASME Section 11 Appendix VIII and 50.55a, b, 15,
13 to do those examinations. So that's the data set from
14 which you work and everywhere in the rule it says flaw
15 assessment, it uses the term "flaw." So it seems for
16 consistency you would be expecting the vendors and all
17 the licensees to use the definitions in Section 11 to
18 determine whether something's a flaw or not. And then
19 from that bin the table and do the appropriate
20 evaluations.

21 MR. KIRK: And I retract my disagreement
22 with Greg and thank you, Robin, for reading what we
23 wrote five years ago. My apologies.

24 MR. ANDERSON: One of the reasons though
25 that -- Robin, I agree with what you're saying, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 one of the reasons we're here today is because there
2 are uncertainties associated with the NDE as applied
3 in Appendix VIII to populate these bins or we wouldn't
4 be having this meeting. So if we go blindly down the
5 reading of the rule and the use of the Appendix VIII
6 then the question is are we going to get the results
7 that were intended. Regardless of the words, are we
8 going to get the results that were intended so that we
9 can do a comparison with the flaw density and
10 distributions that are the basis for the PTS rule.
11 And that's why we have some questions. I think we'd
12 like, if it's okay, I'd like to specifically ask the
13 vendors --

14 MR. STEVENS: One thing first. So I'd
15 like Mark now to clarify my definition.

16 MR. KIRK: I got in trouble with this
17 before, so.

18 MR. STEVENS: What was your definition?

19 MR. KIRK: I had a definition I stated and
20 then you agreed with it and we've had some discussion.

21 MR. HARDIES: I disagreed with it right in
22 between. And it is flaws, we wrote the rule with
23 respect to flaws, we used the word "flaws" and in the
24 statement of considerations we talked about what a
25 flaw was.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. KIRK: So I think it's flaws. Is that
2 what you said?

3 MR. STEVENS: No.

4 MR. KIRK: Oh darn, then I disagree with
5 you.

6 MR. STEVENS: I said recordable
7 indications which later got clarified potentially by
8 Mike to be relevant recordable indications.

9 MR. KIRK: As Robin so clearly pointed
10 out, we -- and I'm not saying things can't change, but
11 we've been through this before. We defined the
12 meaning of the word "flaws" in that table to mean
13 flaws in an ASME and flaw evaluation sense. And so I
14 think my personal view is if we want to change from
15 that we should be quite clear about it.

16 MR. STEVENS: And flaws would line up with
17 Carl's definition of reportable indications. Is that
18 correct?

19 MR. HARDIES: Reportable indications are
20 flaws that don't meet the --

21 MR. ANDERSON: Acceptance criteria.
22 They're not acceptable per Section 11.

23 MR. HARDIES: Right.

24 MR. STEVENS: So the change to my
25 definition would be to remove relevant indications and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 replace it with flaws and say any flaws that you take
2 into IWB-3500 acceptance criteria after having applied
3 proximity rules is what we're looking for to populate
4 the bins.

5 MR. DYLE: Gary, this is Robin again. If
6 I could I would say that you would use Section 11 and
7 say any indication that you've determined to be a flaw
8 is what you would use. That flaw may be acceptable to
9 the standards of IWB-3500 in being an acceptable flaw
10 by the table. It might exceed that table and require
11 an IWB-3600 fracture mechanics evaluation to accept it
12 for continued service. It's those flaws that exceed
13 the 3510 tables that require additional through-wall
14 frequency calculation work. So that's how you would
15 characterize those.

16 MR. ANDERSON: Robin, I think that's a
17 good clarification. I think, I don't have a problem
18 with the way that you've clarified that statement but
19 now we need to hear the vendors weigh in on what the
20 capability to determine an indication from a flaw is.

21 That's good, I don't have a problem with that, it's
22 the ones you take to determine if -- into the 3000
23 area to determine if they're acceptable or not. I
24 have no problem with that. But that infers an
25 interpretation of the indications and we need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 understand is that possible to do. And so are we
2 ready to go that way?

3 MR. STEVENS: Yes. Actually I thought you
4 asked the question.

5 MR. ANDERSON: I kind of did. What I
6 would like to do is ask the individuals at the -- who
7 own these procedures at the UT suppliers
8 organizations. And if you don't mind Steve I'll start
9 with you. I mean, first question, it's two parts.
10 One is if you have existing Appendix VIII qualified UT
11 data can you go back with your thoughts of binning in
12 PTS and use that data successfully to bin the tables?

13 MR. SABO: Well, currently the way -- this
14 is Steve Sabo at WesDyne -- all of the indications are
15 recorded down to noise in our procedures. And I'm not
16 sure how everyone else's procedures work but ours are
17 recorded down to noise. And so we are -- and the
18 procedures have definitions of what is geometry, what
19 is bing redirection, load conversion, other signals.
20 So we are recording all valid flaws. So they are
21 there.

22 There are two questions, can you detect
23 the smallest flaws you need to detect and how accurate
24 is your sizing. And I think that's what you're
25 asking. We know that we can size to the requirements

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of Appendix VIII. Whatever the actual smallest flaw
2 size in the test sample, we don't know obviously. We
3 know that anything that's smaller than 0.125 there can
4 be a problem sizing with tip-to-fraction sizing.
5 Sometimes you see separated tips, sometimes you don't.

6 In the case you don't we have a default, we give it a
7 0.125 size. So we could have very small flaws that we
8 can detect but per our procedure and the way we
9 qualify it they would automatically become 0.125
10 through-wall and go into the third bin or the second
11 bin as a requirement. So you may have smaller flaws
12 going into that larger more severe requirement.

13 MR. ANDERSON: Okay.

14 MR. SABO: But I think all the procedures
15 define -- for all the vendors define what is a valid
16 flaw, how you determine it.

17 MR. STEVENS: So I know we have GE, IHI,
18 AREVA on the phone. Can any of you comment as to do
19 you agree, do your procedures agree with what Steve
20 just said?

21 MR. HEALEY: This is Bob Healey with GE-
22 Hitachi. Our procedures are the same way. We record
23 everything all the way down to noise. It's recorded
24 over 100 percent of the capabilities of the system.
25 Anything below one-eighth of an inch I don't know if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 we can accurately size. We have not been required to
2 and we've not really had any luck trying to do that.
3 We do have the capability to go back and re-review all
4 of our previously recorded data. The early Appendix
5 VIII qualifications was with an acquisition system
6 that we're no longer using but we have the capability
7 to look at that with the new analysis software. So
8 our capabilities are pretty much the same I would
9 estimate as the rest of the vendors.

10 MR. ANDERSON: How about AREVA? I'm
11 sorry? Yes, hey Mike, are you still there? Mike
12 Hacker?

13 MR. STEVENS: Let me get a clarification
14 from GE. Are you doing your exams from the inside of
15 the vessel or the outside?

16 MR. HEALEY: We do probably 90 percent of
17 our exams from the outside. There are some access
18 limitations in some of the BWRs that we can't get the
19 system in there. We have an ID system. And all of
20 this data is recorded to either hard drive, it's
21 digital data that's recorded either to hard drive or
22 in past exams to optical disk.

23 MR. STEVENS: Okay. Any comments from IHI
24 or AREVA?

25 MR. SELBY: One thing on GE. Some of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 BWRs do some of the exams with manual techniques. I
2 wonder if it's applicable.

3 MR. STEVENS: And that would apply to the
4 belt line regions?

5 MR. SELBY: I don't know. Bob? I was
6 raising the BWR vessel exams from the outside surface
7 that are done manually. Gary was asking if any of
8 those are in the belt line area. Okay. I've got a
9 BWR owner sitting back here saying no, that doesn't
10 happen.

11 MR. STEVENS: Okay. So the clarification
12 for the folks on the phone was that those exams that
13 might be done manually in the BWRs are not in the belt
14 line region.

15 MR. ANDERSON: The clarification here is
16 that there wouldn't be recorded data to go back and
17 look at if they're done manually.

18 MR. STEVENS: Anyone -- I think --

19 MR. ANDERSON: Well, we have a question
20 for IHI Southwest, right? Yes, there's a microphone
21 over here too.

22 MR. MACLEAN: Good morning. Duncan
23 MacLean, IHI. Basically we conform the same as
24 everybody else's standards, what's laid down in
25 Appendix VIII. We carry out our exams from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 inside.

2 MR. STEVENS: Inside?

3 MR. MACLEAN: The vessel, yes. And we can
4 go over the old previous data too. We record 100
5 percent, same as everybody else. Hard drive-based. A
6 lot of hard drives.

7 MR. SABO: Mike, we can evaluate our data
8 again but it would be with the same parameters and I
9 don't know that anyone would evaluate the data
10 differently than they did the first time. So you
11 could re-look at it. You may see something you
12 missed, something, you know. I would have sized this
13 differently. But essentially you're not reprocessing
14 the data.

15 MR. ANDERSON: Okay, that's an important
16 distinction. We had heard during our last meeting
17 that it might be possible to approach the data at
18 least somewhat differently in order to populate the
19 bins in the PTS rule. But so I'm hearing you say
20 that's probably not -- if you reevaluate you probably
21 get the same results that you got the first time.

22 MR. SABO: You would.

23 MR. STEVENS: But in regards to that I
24 have a question because it's my understanding in
25 having seen some of the NDE reports at least that go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to the utility, perhaps the only information they
2 might be privy to are any flaws that exceeded IWB-3500
3 acceptance -- well, let me finish because I'm thinking
4 of more than Westinghouse. But flaws that exceeded
5 IWB-3500 acceptance standards and required evaluation
6 in accordance with IWB-3600. I've personally seen NDE
7 reports in the past that those are the only
8 indications that were reported in those reports. Now
9 granted they might have been some kind of summary
10 reports and there was other reports that had more
11 detail, but I've personally seen NDE reports for
12 vessels that only reported in those reports flaws that
13 required IWB-3600 evaluation. So I guess my question
14 is in those instances is there another report that
15 would give all of the flaws that went into IWB-3500
16 evaluation or would that require some kind of
17 reevaluation to go back and get that information which
18 may not be readily available to the licensee?

19 MR. BISHOP: Gary, I just wanted to say in
20 the ISI interval extension we looked at other vendors
21 besides WesDyne, okay, and I agree. Some of the
22 summary reports were fairly sparse but there were
23 backup reports that we could go at. They actually had
24 an indication or they just showed you where the
25 indication was and what size and how they did it all.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 All that information, when we started to do the ISI
2 interval extension we asked for that information from
3 the vendors and so far all of them have been able to
4 provide that information to us that had all the
5 details that we could do that sort of evaluation.

6 MR. STEVENS: So the reports I'm thinking
7 of, and it's been a few years I admit, that I can say
8 were BWR inspection reports. So I don't know, I think
9 what you just reviewed to would be PWR reports. So I
10 don't know. Chuck's coming up to the microphone,
11 maybe he can speak to that.

12 MR. WIRTZ: Yes, my experience would be
13 that what you said may be correct for pre-Appendix
14 VIII exams.

15 MR. STEVENS: Okay.

16 MR. WIRTZ: Okay. Early on in my career
17 and I won't say how long I've been doing ISI but it's
18 been quite awhile.

19 MR. STEVENS: Fair enough.

20 MR. WIRTZ: It was, it might not have been
21 uncommon to get a report that what the owner would get
22 would be a report that's only going to talk about
23 indications that exceeded acceptance criteria. If
24 you've met the acceptance criteria there wasn't
25 anything clear in the code that said you had to report

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 all that. But my experience over the past 10 to 15
2 years since Appendix VIII has been applied to vessels
3 is that all that data is supplied. Anything that had
4 to go into the IWB-3500 tables.

5 MR. STEVENS: Great, thanks for that
6 clarification. At least in my mind I know part of
7 what was wrapped into the reevaluation question was
8 that issue. Chuck.

9 MR. TOMES: I have a follow-up question
10 that I'd like to ask Westinghouse. For the old UDRPS
11 type of information that's been collected are the
12 signals -- originally they were probably gated I
13 suspect to assist in the analysis. That's my
14 impression. Do you have the raw data stored as raw
15 data or is it manipulated data that's been stored, and
16 can you go back to the old files from the UDRPS data
17 that we have today and look at the raw data all the
18 way down to the signal-to-noise ratio? And is that
19 useful?

20 MR. SABO: Yes, we could look at that.
21 That's all raw data that was recorded and it wasn't
22 gated either. So the analysis was done, it's just the
23 criteria was different. You know, it was amplitude-
24 based criteria. Some of -- reevaluations were done of
25 a couple sites, I think Beaver Valley we had a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 reevaluation, Dave Curic went in and looked at the
2 data that was pre-PDI as though it were a PDI exam
3 recording everything down to noise, et cetera, and I
4 don't know Bruce, were you involved in the results of
5 that? I think Jack Spanner was involved in that and
6 he may have some insight into what was seen. I'm not
7 really aware of the results of that, the exact
8 results.

9 MR. TOMES: While Jack's coming up I have
10 a follow-up question. So it's my impression and I'd
11 like you to clarify if it's approximately true is that
12 with all the UDRPS data that we've collected we have
13 the capability from the files to go back and look at
14 that not in terms of amplitude-based techniques but
15 using current sizing techniques today and repopulate
16 the bins.

17 MR. SABO: I would say for detection you
18 could use it. For the sizing of this you probably
19 wouldn't be very accurate because, just because of the
20 angels that were used. It was a 70-degree trans this
21 or then using the reg guide 1150 techniques and now
22 you're doing things with tip-to-fraction using 45
23 degrees. So a lot different. The sizing wouldn't --
24 there may be some sizing information there but it
25 might not be as accurate as you could get now. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 something could be done with the data.

2 MR. TOMES: But we may not get the same
3 answer.

4 MR. SABO: True.

5 MR. TOMES: Thank you for the
6 clarification.

7 MR. SPANNER: Yes, this is Jack Spanner
8 from EPRI. And like Steve mentioned I had a project
9 where we went with Westinghouse that re-analyzed the
10 Beaver Valley data. And basically what I asked
11 Westinghouse to do was to write down every flaw, every
12 indication they saw that they thought was a flaw. So
13 it had to be relevant and at that time it would not
14 necessarily have been recordable to the UT procedure.

15 So that's something we haven't really mentioned yet
16 is the procedures, when the analyst goes through the
17 procedure he follows it and when he gets done he ends
18 up with a relevant indication that he thinks is a flaw
19 that's been service-induced and he may or may not
20 think it's planar or volumetric. And that's what's
21 recorded and in my mind that's what you go -- you use
22 those indications and you compare them to IWB-3500 to
23 see if they're rejectable or not, and/or reportable.
24 So when the vendors get done doing these exams, I used
25 to do them at Diablo and we would have a list of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 indications that the vendor thought was flaws and we
2 would review all that. And it was always up to the
3 utility to report flaws to the NRC. So that's the
4 distinction. Anyway, so the Beaver Valley flaw, I
5 can't remember the exact numbers. I know the NRC has
6 results, but we went through and counted up all the
7 flaws and there was maybe, what, 120 flaws or
8 something that we saw. So when you go down to really
9 low recording level, irregardless of how long the flaw
10 was, that's the key thing. If the flaws are short
11 sometimes you don't record them. That's how we used
12 to do it. I'm not sure, I'm not that familiar with
13 the UT vessel procedures nowadays but that's another
14 thing. If they're really short, they're just a spot
15 flaw you don't even record them.

16 MR. BISHOP: Speaking of short flaws, in
17 your definition, Gary, you said the proximity rule.
18 The proximity rule that's currently in the ASME code
19 was not the same as the proximity rule that was used
20 to develop the flaws that went into the FAVOR code.
21 There is a difference there.

22 MR. STEVENS: Yes, and I know you have
23 that in your presentation and I'll just say we'll --
24 we had a break at 10:15 so we'll pick that up when we
25 get into your presentation. Let's take a 15-minute

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 break and we'll continue the conversation.

2 (Whereupon, the foregoing matter went off
3 the record at 10:23 a.m. and went back on the record
4 at 10:39 a.m.)

5 MR. STEVENS: Okay, so where to start.
6 Well, we didn't talk about and I'm not going to bring
7 it up now but we didn't talk about when I was giving
8 my 5-minute summary of the rule we didn't talk about
9 surface flaws, surface. So I guess I'll say quickly
10 now that if there's a flaw that's identified by
11 Section 11 criteria to be a surface flaw, it would be
12 classified as surface flaw, the rule requires that
13 that be verified not to be surface-connected. Did I
14 say that right, Bob? And there was some -- and I'll
15 just leave it at that for now. I'm sure we'll have
16 more conversation on how somebody might do that. And
17 I know Westinghouse's information or slide in their
18 presentation on available techniques one might use to
19 do that. But I neglected to mention that before.

20 The other thing I wanted to say and I'm
21 going to use this to ask a question to pick up the
22 conversation where we left off and hopefully instigate
23 more conversation. Bruce had mentioned that
24 Westinghouse provided us with inspection data and
25 actually there was a public meeting in January of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 year with the PWR Owners Group here at the NRC and at
2 that meeting the NRC staff had asked the industry that
3 it would be very helpful to provide inspection data of
4 vessels that we might use in our work here. And I
5 have to thank Westinghouse and the other supporting
6 organizations, they did provide that. I just received
7 the final last week. It is in ADAMS. The ML number
8 which I will also include in the public meeting
9 summary is as follows. It's ML-112560145. Again
10 that's ML-112560145. And I have, I'm going to bring
11 that up now because I'm going to ask a question about
12 it related to this flaw table. And then Carol Nove
13 actually said do we have the flaws from the Shoreham
14 vessels and all that that were actually used in the
15 rule and that's also included on page 5 of the
16 Westinghouse presentation which I put up here now.
17 But anyway, that document that I just gave you the
18 ADAMS number for, Westinghouse went through past RPV
19 exams, all Appendix VIII exams over the last decade or
20 so and summarized those results in tabular form.
21 Plant names and vendors who performed the exams are
22 not included. And I'm going to bring up a page from
23 that if my computer will allow me.

24 MR. BISHOP: Gary?

25 MR. STEVENS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. BISHOP: The detailed information on
2 the Shoreham and PVRUF vessel is in a NUREG document
3 CR-6817 revision 1 which is the basis of the flaw
4 approach, or the approach that was used to generate
5 the thousand flaw distributions that go into the FAVOR
6 code. And all that information is in that document.
7 And there is an ML number for it but I don't have it
8 off the top of my head right now. Okay, it's -- hold
9 on just a minute, I've got to find my slide here.
10 6817, revision 1.

11 MR. ANDERSON: 6817, revision 1.

12 MR. BISHOP: Right.

13 MR. ANDERSON: But there's an update of
14 that and I'm working with Wally right now to update
15 that NUREG. Because that was really kind of a, it
16 hasn't been published, it's just been put in ADAMS.
17 It has no published date. It says --

18 MR. BISHOP: Revision 1?

19 MR. ANDERSON: Yes. As in ADAMS it
20 doesn't say published. So that's being worked. I
21 don't expect any of those, anything to change in the
22 populations.

23 MR. BISHOP: I hope not.

24 MR. ANDERSON: Yes.

25 MR. STEVENS: Okay, so I'm going to flash

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 between two tables here on the screen. One is slide 5
2 of the Westinghouse presentation which is the -- it
3 shows the limits, the flaw limits in the rule and
4 compares them with the Shoreham flaws that were used
5 in the work that went into the rule. And the other
6 one I'm going to bring up is one page, this happens to
7 be page 3 of 47 of the Westinghouse letter that I just
8 read off the ADAMS number for. And this just shows a
9 summary of the Appendix VIII exam performed for a
10 plant identified as Plant A. This was performed in
11 2005 and the intent of this summary is the results of
12 exams performed which were performed on belt line
13 welds. And what this shows is there's a couple of
14 things you can glean from this table. First off at
15 the top is an overall summary of the coverage obtained
16 and which welds were inspected. And at least what I
17 gleaned from this is, okay, there were two circ welds
18 examined which are given here, 100 percent coverage
19 obtained on both and each one had one recordable
20 indication. I further concluded that this was
21 probably a forged ring plant. There were no axial
22 welds listed. I think that's a correct assumption.
23 I'm not -- I haven't read this final report in detail
24 to know if it tells me that.

25 MR. BISHOP: It'll tell you on the first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 part of the table. It shows you all --

2 MR. STEVENS: Thank you.

3 MR. BISHOP: If there are axial welds
4 it'll show.

5 MR. STEVENS: Yes, there are other plants
6 in this, you know, other tables in this report that
7 have many other welds, axial welds. It's clear from
8 the information. And then below is a summary of each
9 of the in this case two welds, two indications and
10 below is a summary of those two indications. Another
11 observation about this table and actually it's true
12 with all tables in this report, all indications that
13 all plants passed -- there's a column here called ASME
14 code disposition which means it met ASME code
15 acceptance criteria. And so it has the entry is
16 allowable which means it met the criteria and was
17 determined to be an allowable flaw. And I noted that
18 there's roughly 13 plants I think summarized in this
19 report. All of the flaws detected were acceptable per
20 ASME code.

21 MR. BISHOP: Gary, I think the reason for
22 that is I think this came from our work that we were
23 doing on the ISI interval extension because that's
24 where we were using the PD qualified exams. And that
25 was one of the requirements that it's a requirement

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 for the PTS rule. It was also a requirement for us
2 that we had to satisfy that they had. If you had a
3 reportable indication you couldn't use the ISI
4 interval extension.

5 MR. STEVENS: And so all of these are in
6 fact PWR plants.

7 MR. BISHOP: Right.

8 MR. STEVENS: And again, the exams go by,
9 I think the earliest one I saw was around 2000 but
10 they're all Appendix VIII exams. And the question I
11 have is, okay, so I really have two questions. I'll
12 start with this one. I look at this exam and I see
13 there was a total of two flaws, two indications
14 recorded. And then I go to this table and I see a
15 significantly larger number of flaws, number one
16 that's in the rule, but number two that was found by
17 destructive evaluation of the Shoreham vessel. So why
18 is there such a large disparity in the quantity of
19 flaws?

20 MR. BISHOP: Good question and I will do
21 my best to answer that. I think the primary purpose
22 of this table is that the people that developed the
23 flaw rules sort of wanted to do a sanity check. So
24 would the Shoreham vessel, and the Shoreham vessel,
25 there were four vessels that were evaluated, all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 right? On the 48 in the fleet that have axial welds
2 and other 11 that have -- in the domestic PWR flight
3 that don't have axial welds. So that's what this was
4 being evaluated against. The Shoreham and the PVRUF
5 vessels were the ones that were evaluated in detail.
6 There were two other plants that had some limited
7 amount of data evaluated. But the idea is, and if you
8 go back to the meeting in July when we were talking
9 about surveillance capsule data. One of the things we
10 pointed out is when you're taking a few points and
11 projecting it to a much larger population you have to
12 make some allowances on the uncertainties, basically
13 what the uncertainties and the mean values are
14 transferring to the population. And that was done.
15 In this NUREG report I was talking about, there's a
16 lot of discussion about that and Dr. Lee Abramson was
17 the statistician that was responsible for a lot of
18 those uncertainties. Because there was some expert
19 elicitation data that was used directly from an expert
20 panel and there was also this prodigal code which is
21 really based on artificial intelligence based on
22 expert elicitation that was originally developed in
23 the UK and then was modified at PNNL to address,
24 specifically address our fabrication processes in the
25 United States for vessels.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 All that being said is that if this is
2 right you would expect that the population should be
3 worse than any one vessel you've looked at because
4 that's only one data point. It turns out, okay, the
5 Shoreham vessel, I've heard it referred to as like
6 sort of a dirty vessel from a flaw standpoint. It had
7 a lot of flaws. It had a lot more than PVRUF. And
8 one of the things they did when they came up with the
9 flaw distribution is they used the density for the
10 Shoreham vessel with the PVRUF flaw sizes because the
11 PVRUF actually had some larger flaw sizes than
12 Shoreham. But typically you have more smaller flaws.

13 And the other thing is they said since we were only
14 looking at you know basically four plants, to
15 extrapolate that instead of having just one
16 distribution we're going to have a thousand
17 distributions with lots of variability. So really
18 this is sort of saying it worked.

19 On the average, and again where the number
20 of flaws per bin comes from is from the FAVOR output
21 which is the average of those thousands of
22 distributions sampled many times and then you compare
23 that with what was really measured in the Shoreham
24 vessel and it's showing that it's much larger. And
25 that's the way you want it to be, that's really the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 way you want it to be because the attempt was is you
2 didn't want to just match the Shoreham vessel, the
3 PVRUF vessel, you wanted to extrapolate that to the
4 fleet and in doing that you had to add some additional
5 uncertainties. And so that's a reflection of what
6 you're seeing in that slide.

7 MR. STEVENS: So my question then, and the
8 real question I wanted to ask now that we've got a
9 little bit of background linking back to the
10 conversation before the break. So now this picture
11 here, this slide 5 reflects what was evaluated for the
12 PTS rule and was used to establish the limits on the
13 bin.

14 MR. BISHOP: Right, this was what was
15 basically became Table 2 in the PTS rule.

16 MR. STEVENS: So does our previous
17 definition from NDE reports, what we should be using
18 to line up with a bin, is what's coming out of those
19 exams, is it in alignment with these assumptions that
20 were built into the rule? Are we getting the
21 information from those examinations that's consistent
22 with what was built into the evaluation?

23 MR. BISHOP: Now my understanding was is I
24 think, and Mike you can help me on this a little bit,
25 okay. But I thought what they did is that PNNL did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 like a detailed UT I think using the SAF techniques to
2 try to simulate what a vendor would do if they were
3 doing that same UT exam.

4 MR. ANDERSON: No.

5 MR. BISHOP: No?

6 MR. ANDERSON: No, no. We did weld
7 normal. We cut the welds out and examined them from
8 the sides.

9 MR. BISHOP: But I think these numbers of
10 flaws weren't -- I mean, you didn't examine that much
11 material that you would have had that many flaws. I
12 think you had to do some sort of UT or something to
13 come up with that many flaws.

14 MR. ANDERSON: We examined ultrasonically
15 a lot of material.

16 MR. BISHOP: Right.

17 MR. ANDERSON: But we didn't destructively
18 examine every single one or we'd still be doing it
19 today.

20 MR. BISHOP: I know, I know. And again,
21 for example, I know you destructively examined the
22 PVRUF, the biggest flaw in the repair weld and it
23 actually showed that it really wasn't a flaw at all.

24 MR. ANDERSON: Right.

25 MR. BISHOP: And so, but what I'm saying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is I think these numbers, and in the NRC memo it's not
2 completely clear exactly, but my impression was is
3 that was meant to be, to sort of match up with the UT
4 that you would do to -- that you would evaluate the
5 limits against.

6 MR. ANDERSON: No.

7 MR. BISHOP: Okay.

8 MR. ANDERSON: The UT that was done to --
9 at PNNL on the actual PVRUF and Shoreham vessels you
10 cannot do in the field because you -- we oriented the
11 sound at the most optimum angle to the weld fusion
12 zone, in other words, perpendicular. Well, you can't
13 get sound perpendicular to the weld fusion zones in
14 the field. We cut the welds out and polished the
15 surfaces adjacent to the weld and examined the weld
16 fusion zones with SAF processing. So it's a much more
17 detailed examination than one could ever expect to get
18 from a field exam. It was done to develop a flaw
19 density and distribution. It wasn't done to -- as a
20 correlation to what might be done in the field at all.

21 MR. BISHOP: So there's a lot of
22 conservatism there and then there was additional
23 conservatism to account for the difference between a
24 limited population of vessels versus the sample, a
25 limited number of vessels in the sample versus the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 larger size in the population. Because I know, one of
2 the reasons I know this is that industry did some V&V
3 of a lot of the work that was done in the FAVOR code
4 and one of the things I did was do a V&V of the V-flaw
5 calculations in that NUREG report as part of that V&V
6 exercise. So that's the reason I know a little bit
7 about this than maybe other people.

8 MR. LATIOLAIS: This is Carl Latiolais.
9 I've just got a question. Mike, I remember when you
10 guys were doing that. And at the same time the
11 Shoreham plates came to EPRI and we did conventional
12 automated UT on many of those plates and provided that
13 information I think to you guys and then you guys went
14 further and did all the rest of the NDE. In that
15 report, didn't that report, did it compare the number
16 of flaws detected from the conventional work that we
17 did based on the advanced work that you guys did and
18 the destructive testing? Did it touch on that extra
19 data?

20 MR. ANDERSON: I don't know, Carl. I'll
21 have to take a look and see. There's a lot of
22 information.

23 MR. LATIOLAIS: That may, if you look at
24 that data --

25 MR. ANDERSON: That actually could have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 been a different NUREG. There was a three-volume
2 NUREG 6471 that was published that had all during the
3 NDE and destructive analysis that was going on that
4 catalogued everything. The report that you talk
5 about, Bruce, 6817 is basically a synopsis of the
6 results of all that. But the three-volume report
7 probably would shed some light on whether or not we
8 were able to compare --

9 MR. LATIOLAIS: That may give you an idea
10 of the number of flaws reported during the
11 conventional examinations.

12 MR. ANDERSON: At that time.

13 MR. LATIOLAIS: That may align better with
14 what you're seeing from the plants.

15 MR. ANDERSON: Agreed. Yes. I don't know
16 the answer to your question there.

17 MR. BISHOP: Gary, one of the things that
18 you also asked about was surface-breaking flaws. Now,
19 the way surface-breaking flaws are treated in the
20 FAVOR code is that they have to go all the way through
21 the cladding because the cladding does not embrittle
22 the same way as the carbon steel-based metal. So the
23 way they are handled, okay, and we actually, in the
24 PTS work they did look at one plant, the Oconee plant
25 for the BMW fleet did have surface-breaking flaws

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 modeled. This for the PTS-type transits which are
2 more rapid, it didn't seem to have a significant
3 effect but they were modeled. But the idea was is
4 that in the FAVOR code everything is treated as a
5 percentage of the wall thickness. So it went all the
6 way through the cladding and into the base metal up to
7 the next 1 percent, percent of wall thickness. That's
8 the way the surface-breaking flaws were modeled and
9 our position was since Reg Guide 1.150 was
10 specifically geared to look at that cladding-base
11 metal interface that chances are you could, if you
12 would have seen a surface flaw going on within the
13 base metal you probably would have found it if you'd
14 done a Reg Guide 1.150 examination which is not quite
15 as good as the qualified Appendix VIII examination.

16 MR. ANDERSON: Well, now that's a good
17 segue way into a question I have if you don't mind me
18 exploring that a little bit.

19 MR. STEVENS: Are you going to ask about
20 cladding surface flaws?

21 MR. ANDERSON: No, I'm going to ask about
22 the NDE relative to a Reg Guide 1.150 high-angle
23 refracted L wave examination which is what you're
24 talking about for near-surface flaws and detecting
25 those. And what's done today if that's being applied

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 under Appendix VIII? I don't know. So I think we
2 need to ask that question. That might shed a light
3 onto whether the NDE techniques that are being done
4 are equivalent to what you're saying, that were geared
5 for that purpose.

6 MR. SABO: For the Westinghouse procedures
7 we don't use the same technique. We use a 45-degree
8 dual element. I'm sure everyone else uses something
9 else. I don't know if any of the other vendors use a
10 70 but we've found using the 45 we can still detect
11 and have the bonus that we can size with the same
12 transducer.

13 MR. ANDERSON: That's a shear wave exam?

14 MR. SABO: No.

15 MR. ANDERSON: It's an L wave.

16 MR. SABO: Refracted L.

17 MR. ANDERSON: Okay.

18 MR. SABO: Dual element. We found that
19 the work with the 70, the detections may be easier for
20 the analyst but you still detect everything with the
21 45 and have the bonus of sizing, so. So any other
22 vendors might have other comments.

23 MR. ANDERSON: I'll ask again is Mike
24 Hacker still online with AREVA?

25 MR. HACKER: Yes, I'm here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. ANDERSON: Mike, are you paying
2 attention to what we're saying about the high angles
3 and near-surface exams and stuff? What are your
4 comments?

5 MR. HACKER: Well, we've been using the
6 70-degree high-angle L since about the mid-'90s. We
7 actually transitioned it from Reg Guide 1.150 into the
8 PDI qualification and continue to use it.

9 MR. ANDERSON: Okay. How about IHI?

10 MR. MACLEAN: We currently use phase array
11 for all our vessel work. I think we sweep 30 to 70,
12 or 30 to 80 degrees.

13 MR. ANDERSON: GE?

14 MR. HEALEY: Most of our exams are done
15 from the OD so. I believe we do use it with our ID
16 tool though.

17 MR. ANDERSON: Okay.

18 MR. STEVENS: So I have a -- well, I have
19 more questions but let me go to this one first. I'm
20 back to the Westinghouse tables and I'm going to kind
21 of flash through plants here. And it's not -- I don't
22 want you to have to read each table but there's Plant
23 A which had two flaws, here's Plant B which had,
24 sorry, indication, two indications. Here's Plant C
25 which has one indication. Here's Plant D which has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 two indications. Plant E which has four indications.

2 Okay, I'm going to kind of skip now here. Here's
3 Plant F which has four indications. So I'm going down
4 through this and I'm saying okay, the findings seem to
5 be consistent. I'm seeing two, three, four types of
6 indications. And actually on Plant F I'll say no,
7 there's actually 18 indications. But I wanted to get
8 down here to one plant in particular that all of a
9 sudden I said hmm, things don't seem so typical
10 anymore. And it's this one where I don't know what
11 the addition is. It's approaching 100 or more flaws.

12 So then my question became so why is there -- and
13 let's just say, you know, we don't know the plant, we
14 don't know the vendor, but we do know that this exam
15 was performed in 2001. They're all Appendix VIII
16 exams. I don't know if -- how much influence the year
17 might have on it but my question is why is there such
18 a large disparity in the number of flaws detected at
19 this plant versus all the others?

20 MR. SELBY: I remember we looked at that
21 during a previous meeting, Gary, and found that that
22 many of them were -- well, they were reported all
23 through the thickness of the plates. So many of them
24 were not relevant to the tables.

25 MR. STEVENS: That's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SELBY: If you take those out the
2 number is still significantly higher than for the
3 onesies, twosies that you mentioned before. But I
4 remember we looked at it and we found that quite a few
5 of them really didn't belong in the table.

6 MR. STEVENS: Yes, you're alluding to the
7 inner 1-inch three-eighths T versus beyond that. And
8 this is just the information from the ISI report.
9 It's in no way, you know, there's no alignment made
10 with the PTS rule on it. But my question though gets
11 back to the reevaluation question or maybe the --
12 whatever you want to call them, the settings of an
13 Appendix VIII examination. Related to those questions
14 and the discussion we had earlier are those
15 influencing what -- I mean, can I go and adjust nob's
16 somewhere and take it from 2 up to 150? Or what's
17 triggering the fact that this plant has so many other
18 indications? Is there adjustments to an Appendix VIII
19 procedure that would be done? And I think Bob made
20 the point, so do I look at this plant that has 150
21 indications and say maybe their exam was done with
22 some adjustments to put it in tune with the rule
23 whereas the other ones weren't? Is that what I'm
24 saying or what is that?

25 MR. BISHOP: I don't think that's the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 case. I know it was a different vendor and I'm sorry.

2 It was, I think this one was a different vendor. I
3 think when we got it it was a lot more work for us to
4 go through all that. But again, it was just, I don't
5 know that we've thoroughly investigated but you know,
6 they were qualified to Appendix VIII the same way the
7 other vendors were. And you know, I don't know if
8 there had been something wrong with the fabrication,
9 you know, I just, we didn't know. But again, we
10 happened to see this.

11 MR. ANDERSON: There's at least one other
12 plant, and I don't know what this plant was, maybe
13 it's the same plant, I don't know. But there's an MRP
14 report on the work that was mentioned earlier that was
15 done on pre-Appendix VIII data where the numbers of
16 flaws are similar to this as opposed to two or four or
17 whatever that we saw on some of the other tables.
18 Yes. So there's, I don't know if it's the same plant
19 but you're right. I mean, given that there's some
20 discrepancy between data sets somehow.

21 MR. BISHOP: Well, are you speaking about
22 the Beaver Valley plant?

23 MR. ANDERSON: Yes, I was.

24 MR. BISHOP: Okay, the Beaver Valley plant
25 doesn't have any indications in the first 1-inch.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. STEVENS: Actually in the -- I don't
2 agree with that. Well, let me think about this a
3 minute. Based on the assessment that we've done with
4 data I don't think that's true. The numbers are
5 consistent with what's here, a hundred and some odd
6 flaws and there was maybe a couple of dozen of those
7 that were excluded. But the vast majority of them in
8 the comparison we did with the rule were within the
9 inch. And that number was greater than a hundred.

10 MR. BISHOP: Was that the old Reg Guide
11 1.150 examination? Or was that --

12 MR. ANDERSON: It was that data but it was
13 a re-look that was funded by EPRI.

14 MR. BISHOP: To go back and look --

15 MR. ANDERSON: Go back and look down to
16 the noise if you will and look for flaws.

17 MR. BISHOP: But for the recent Appendix
18 VIII examination, okay.

19 MR. ANDERSON: Oh no, the recent Appendix
20 VIII I can't speak to. But the flaws didn't go away.

21 MR. BISHOP: Well, the --

22 MR. ANDERSON: Or did they. Therein lies
23 the question we're having.

24 MR. BISHOP: I know Barry Elliott was
25 really shocked when we went back and compared some Reg

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Guide 1.150 and Appendix VIII because he was expecting
2 the numbers to go up and in many instances they've
3 gone down. So.

4 MR. BISHOP: And therein lies the thrust
5 of our NDE uncertainty.

6 MR. STEVENS: Yes, I was just going to say
7 from my perspective that it's not -- so I ask the
8 questions not as so what else can't NDE do. I look at
9 it more as what are the capabilities. So we need to
10 understand what those capabilities are so that when we
11 do comparisons in our work up against the rule we
12 understand what those are and we can apply it
13 consistently. It's not, at least from my perspective
14 not an attack at all on NDE. I think NDE is real
15 good. So that's why we're asking these clarifications
16 because in the work we're doing when we see these kind
17 of disparities and all that we ask questions and we
18 need to understand where those disparities are coming
19 from. And also in our evaluation, our analysis, we
20 need to be able to treat those disparities and the
21 uncertainties appropriately so that when we do our
22 evaluation it's consistent and we can align things and
23 explain it. And we also understand that the Beaver
24 Valley information we were looking at was pre-Appendix
25 VIII so we might be doing a little bit of comparisons

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of apples to oranges there. But and we need to be
2 consistent. We understand that and recognize that and
3 appreciate that. And that was one of the reasons why
4 we requested this information. But even within this
5 information there's still some questions we have again
6 to try and understand what the capabilities are so we
7 can explain these things we're seeing that are
8 different. And this is just one that caught our eye.

9 Then we see, and there's been some discussion maybe
10 all vessels aren't created equal and at some level we
11 believe that but given this information what is
12 leading to this and are there differences in how the
13 exams are being performed that may be better aligned
14 with applying this rule or not. That's what we're
15 trying to get at.

16 MR. SELBY: Well both modern exams and the
17 Reg Guide 1.150 pre-Appendix VIII exams were done down
18 to the noise level. So nothing should be missed in
19 either case. Everything should be available in the
20 data. The reason for widely differing populations of
21 reported indications for vessel-to-vessel could be a
22 reflection of what's actually in the vessel or it
23 could be -- there are a number of things you'd have to
24 look at. You'd have to look at the written
25 procedures, what do they say to record, what do they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 say to report. It's kind of difficult to give a
2 definitive answer just based on seeing the tables.

3 MR. LATIOLAIS: This is Carl Latiolais
4 again. I think that's what we -- why we wanted to
5 have this meeting, so the vendors and the licensees
6 can understand what reporting criteria is needed to be
7 consistent when applying the rule to avoid a table
8 with a whole bunch of flaws and a table with just two.

9 Everybody knows what they're supposed to go do and
10 what they're supposed to report to support this rule.

11 That may be part of what you're seeing here.

12 MR. STEVENS: The other thing I noted in
13 this table but I think I understand. You might want
14 to comment on this. But I noted the number of 500-
15 plus inch indications. I did have to go check Section
16 11 myself to see because it shows that those
17 indications are allowable and they're basically in-
18 filling along flaws that are very, very shallow. And
19 at least I understand with a lot of the smaller
20 defects that might get called why that with proximity
21 applied. That gets called up to a 500-inch
22 indication. But there's a large number of those in
23 this table and that was -- it was noteworthy to me.
24 But okay, so now we're going to get into that issue
25 which is -- so I have a question and this may be a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 dumb question, it may be very basic, but on the 0.075-
2 inch with Appendix VIII clarification on that. Is
3 that a depth in the base metal only? And all the
4 depths we're talking about exclude cladding. And I'm
5 looking at Steve because he's nodding his head and
6 answering but I welcome anybody to chime in here.

7 MR. BISHOP: And the through-wall extent
8 is that two-way column up there. I can't read some of
9 the numbers but really they look a little.

10 MR. STEVENS: They're very small.

11 MR. BISHOP: No, it's the two-way number,
12 0.09.

13 MR. STEVENS: Two-way is this column here.

14 MR. BISHOP: That's the through-wall
15 extent right there.

16 MR. STEVENS: In inches. So I'm seeing --

17 MR. BISHOP: So 0.151315.

18 MR. STEVENS: Right, they're all -- I
19 mean, the largest I'm seeing here is 0.33 inches. And
20 over here in this column that has the INF in it is the
21 aspect ratio and it's showing infinite which is a
22 very, very long, very, very long shallow flaw.

23 MR. BISHOP: So this vessel may have been
24 susceptible to under-clad cracking.

25 MR. SELBY: Well, most of these have S

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 values that put them well away from the ID.

2 MR. STEVENS: But the other question I was
3 leading to on the 0.075, there's actually several. So
4 you, at least WesDyne has answered the first question
5 which is the 0.075s in the base material. My
6 understanding at least of your information is an
7 examination in accordance with Appendix VIII you could
8 theoretically detect flaws down to 0.075 but you're
9 probably not going to be able to size them. And at
10 least with your system your minimum call would be
11 0.125 inches. And that has the tendency in the rule
12 to potentially bump the flaw. If you detected a small
13 flaw and you called it by that minimum size you would
14 potentially bump it up or down in the table which
15 tends to be conservative from a number of flaw
16 perspective because there's fewer flaws allowed there.

17 Did everything I just say, is that true?

18 MR. SABO: Yes. You could conceivably see
19 some flaw tips of smaller but the physics says about
20 two wavelengths is where you're going to get a
21 separation of the tips and that's about an eighth of
22 an inch for the frequencies at least that we use.

23 MR. STEVENS: So I'm curious from the
24 other vendors if that's consistent, that 0.125-inch
25 sizing from GE and IHI and AREVA if that's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 consistent kind of sizing default. Maybe I did but I
2 wanted to make sure in this context. Is it fair? And
3 you guys can nod your head at least that are here.
4 Maybe you said that earlier. The 0.125-inch is
5 consistent with what you find? And then I don't think
6 we heard from Mr. Hacker from AREVA on the phone about
7 that before. Mr. Hacker, are you still on?

8 MR. HACKER: Are you there?

9 MR. STEVENS: Yes, gotcha.

10 MR. HACKER: Okay. I guess to summarize
11 our procedure we don't have a default value for that
12 lower threshold. All we can say is that we've
13 demonstrated the sizing to within the accuracy limits
14 required by Appendix VIII for Supplement 4. So we'll
15 measure whatever the value is and report that. And
16 it's to be considered within the RMS value of the
17 demonstration.

18 MR. ANDERSON: Hey, Mike? This is Mike
19 Anderson. What if you can't find defracted tip
20 patterns, what do you do?

21 MR. HACKER: Well, then we would default
22 to a minimum size. Something on the order of 75mls.

23 MR. ANDERSON: Okay. Okay.

24 MR. STEVENS: The other related question I
25 would have is for a hypothetical surface flaw that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 started from the inside surface of the clad, breached
2 the clad and went just into the base material would
3 the depth into the base material -- what depth into
4 the base material before you could reliably detect?
5 Is that still 0.075?

6 MR. HACKER: That's what's been
7 demonstrated through the PDI program I believe. Carl
8 can tell me if it's different than that but anything
9 that extended up into the clad layer itself would only
10 add to the amplitude response and make detection
11 easier. Sizing of the lower tip below the clad would
12 still be the same as if it had started at the clad
13 base metal interface.

14 MR. SELBY: Appendix VIII flaws are under-
15 clad.

16 MR. LATIOLAIS: That's correct.

17 MR. SELBY: They don't go through the
18 clad.

19 MR. LATIOLAIS: There's no flaws that go
20 through the cladding in those tests. They all start
21 at the clad-base metal interface. So they're more
22 conservative than like Mike was saying, than one that
23 went all the way through the clad and into the base
24 material.

25 MR. STEVENS: So all the Appendix VIII

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 0.075-inch sizing or size of flaw, all that, as you
2 get to the clad-base metal interface that still all
3 that applies equally in that region. I mean, you can
4 still detect -- the fact that you're so close to the
5 clad doesn't make things any different than if you're
6 away from the clad.

7 MR. SELBY: Yes, I think that's right.
8 The metal gets really quiet. The base metal is a lot
9 quieter ultrasonically than the clad. And when you
10 look at the very small under-clad cracks and the
11 images probably from many of these automated systems
12 you just see that sharp indication hanging out of the
13 noisy area.

14 MR. ANDERSON: Again, we're talking ID
15 exams as opposed to OD exams.

16 MR. SELBY: Scanning on the inside, yes.

17 MR. ANDERSON: Yes.

18 MR. SELBY: Now, if you have that same
19 tiny defect in the clad metal detection would be a
20 much greater challenge because it's in that noise
21 instead of adjacent to it.

22 MR. STEVENS: Okay. Per the agenda we had
23 an ASTM talk. I didn't want to -- okay, are there any
24 other questions related to the thread we just pulled
25 here on this? And then I wanted to let Steve do his

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 presentation which is -- no, according to the agenda I
2 had them down for 15 minutes and you after lunch.

3 MR. ANDERSON: Did we satisfactorily
4 resolve your question about discrepancies of numbers
5 of flaws?

6 MR. STEVENS: Well, actually, nothing to
7 do with being happy. No, I would say no, I still have
8 a question as to why. I still need to understand some
9 of those disparities in order to evaluate the problem
10 correctly. I understand --

11 MR. HACKER: This is Mike Hacker. I've
12 got a comment on that. Over the years of examinations
13 of several vessels we've, at least I've come to form
14 an opinion that if I know who the vessel manufacturer
15 is I can almost predict whether that's going to be a
16 clean vessel or one with lots of indications. I think
17 the answer is that not all vessels are created equal,
18 some vendors create cleaner welds than others and
19 that's I think contributing to the result of what we
20 see with high numbers of indications in some vessels
21 and not in others.

22 MR. CSONTOS: I guess that's what the
23 question is, is it subjectivity of the NDE personnel
24 and the techniques or is it something that's
25 variability of manufacturing techniques. If it's the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 latter it's a little easier to swallow than the
2 former.

3 MR. HACKER: I believe it's the latter and
4 one way you could kind of evaluate that is if you were
5 to pick a vendor and looked at all the examinations
6 they've done you would expect the results to be
7 consistent exam to exam. And if you compare that and
8 I think you would find some vessels are just a little
9 trashier than others.

10 MR. SELBY: It would be interesting to
11 look at that Plant A, B, C, D, et cetera, data with
12 some fabrication information attached. I don't know
13 if it's available but that would be, that would add a
14 dimension to our understanding of it I think.

15 MR. STEVENS: Yes, so I think what I'm
16 hearing you say is so the one thing we don't have
17 necessarily in the table is a comparison of two
18 different vendors doing the same vessel. But what we
19 might have if the comment is the results seem typical
20 perhaps if you took into account who manufactured the
21 vessel and when.

22 MR. HACKER: I would think you would see
23 some correlation there.

24 MR. SELBY: Mike? Mike Hacker, this is
25 Greg Selby. You've been doing this a long time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Would you say you've looked at most of the PWR vessels
2 in the U.S.?

3 MR. HACKER: A good number of them, yes.

4 MR. SELBY: Yes.

5 MR. STEVENS: Yes, I was -- I mean, I
6 understand. I was working with Nathan Palm at
7 Westinghouse and there was reasons to keep the data
8 anonymous but I don't know if, you know Bruce, I guess
9 I'll be following up unless you can answer it. But if
10 there's -- if any of that information on fabrication
11 might be available for some of this information to
12 help with this issue.

13 MR. SABO: Yes, and I think we need to
14 take it a step further and look and see the
15 distribution from the PTS rule that was actually fed
16 into the PTS rule, how those vessel fabrications
17 occurred and determine the relevance there as well. I
18 mean, you know.

19 MR. BISHOP: Again, if you go back to that
20 one slide that Gary showed before, the comparison of
21 the Shoreham vessel which was considered I think one
22 of those dirty vessels up through 0.075 they had like
23 228 flaws. I mean that's a lot. Again, that was --
24 this is cumulative. I'm going up, okay, and in the
25 next category they had about 47 flaws. So.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. ANDERSON: So what I'm saying is from
2 a trending point of view if we think that it is about
3 fabrication as opposed to NDE capabilities we should
4 be able to see that kind of trend in the same
5 fabricators and vintages of the vessels that are the
6 same as Shoreham. Right?

7 MR. SELBY: You probably want to look at
8 not just who made it but when they made it, what
9 welding processes they used, et cetera. And the data
10 would get a lot less anonymous when you put all that
11 kind of detail in it.

12 MR. BISHOP: Well, Gary, the reason the
13 data took some while to get to is we had to get
14 releases from the -- basically from the vendors and
15 the utilities to release all that data to you.

16 MR. STEVENS: Right.

17 MR. BISHOP: And the way they agreed to do
18 it is to keep it anonymous. And so we have to abide
19 by that. But we can certainly work with you as best
20 we can.

21 MR. ANDERSON: There was also a material
22 change at one time, the 508 to the 533. I think there
23 are big differences there.

24 MR. STEVENS: Well, let me ask this
25 information because I think it's all readily

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 available. Shoreham was a combustion engineering
2 manufactured vessel early vintage BWR-4. So from the
3 folks that understand vintage and all the different
4 vessel manufacturers would that fit into the dirty
5 vessel category?

6 MR. BROWN: This is Roy Brown. I spent
7 several years in manufacturing in the '60s and '70s
8 and managed the NDE inspection for a lot of those
9 vessels. Just to comment, what you may see different
10 in the different vessels is some of them had a lot of
11 laminar indications that when circle seams or long
12 seams were welded even though those laminar
13 indications might have been sealed in the actual plate
14 itself it produced a reflector that got recorded
15 sometimes and sometimes not, but certainly you may be
16 seeing some of those in what you're calling a dirty
17 vessel now. The other things that may play into here
18 is the manufacturing process and whether or not they
19 used a backing ring on the inside surface or not. And
20 also the cladding process, depending on whether you're
21 seeing the flaws near the inner surface or mid-wall.
22 So those are several little things that play into how
23 many indications get recorded. I can certainly
24 remember some that had -- because of the laminar
25 indications had many, I'll just use the word many

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 indications recorded during manufacturing process that
2 were not considered necessarily relevant to Section 11
3 criteria. So I don't know if that helps or hurts, but
4 I personally, having done many, many baseline
5 inspections have seen a significant difference between
6 some vessels and others.

7 MR. SELBY: And when it comes to the
8 laminars in the plates themselves there's plate to
9 plate variation within vessels which might affect, you
10 know, the table we've been looking at is the weld
11 indication or the weld flaw table, but if they're very
12 close to the weld then it can be hard to tell which
13 box to put them in.

14 MR. ANDERSON: I think more importantly
15 you hit on the fact that the welding process, if there
16 was a significant back-gouge associated with it on the
17 ID this is in the very area that we're talking about
18 having to evaluate here. That's basically having a
19 large weld repair all the way around 360 degrees. So
20 if that was part of the process then that could
21 contribute to the number of flaws in this area as
22 well.

23 MR. SELBY: Well, if the back-gouge went
24 deeper than 10 percent of the wall then --

25 MR. ANDERSON: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SELBY: -- many of the indications
2 that might be associated with the back-gouge wouldn't
3 get into the table.

4 MR. ANDERSON: That's true. If they were
5 in the root, that's true.

6 MR. SELBY: Yes. If you had a shallower
7 back-gouge then you could have a more densely
8 populated table because of it.

9 MR. STEVENS: Okay. I'm going to let
10 Steve present but I think Bruce, you know, I
11 understand the sensitivity of the licensees for some
12 of the information. I know that in, I think the
13 fabrication history of most vessels is public
14 information. I think, and I'm reading between the
15 lines here, but the reluctance has been the tie-in of
16 specific NDE results to any one licensee. But
17 anything you guys could do to help us align the
18 fabrication details up with some of these ISI results
19 would be helpful. And you know, I can --

20 MR. BISHOP: You know, all this NDE data
21 is sent to NRC. It's just that it's so voluminous I'm
22 not so sure that everybody looks at it. It's
23 probably, you may already have it.

24 MR. STEVENS: We actually checked into
25 that and we actually don't have access to reports.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And Bob, you looked at this I think. We --

2 MR. HARDIES: We only get reportable
3 indications. So we get none.

4 MR. ANDERSON: They get NIS-2 forms is
5 what they get.

6 MR. STEVENS: Another way to state is
7 given the 47-page report you sent us nothing was
8 reportable. So if we had anything from those 13
9 plants it would say nothing about flaws other than it
10 might say in the summary we found two indications or
11 something. But we wouldn't get any detail on that.
12 We checked into that and that was the reason when we
13 came to that meeting in January we requested the
14 information because we didn't have those details
15 ourselves.

16 MR. HARDIES: So in order for us to
17 understand the difference between these sets of data
18 you've suggested that we should understand something
19 about fabricating the vessels, like whether they're a
20 subvert weld, or you know, what the welding process
21 is, a double U or a single V. And we can see how that
22 works. So in order for us to understand that we'd
23 have to have that information, and in order for you to
24 give us that information you'd have to make it so that
25 we would be able to figure out what plants they are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and give up the confidentiality. So I don't know how
2 we make this work. You got any ideas?

3 MR. TOMES: It's my understanding that
4 we've published an EPRI report that details the
5 fabrication practices used for all of the vessels in
6 the United States.

7 MR. HARDIES: Yes, but we don't know how
8 to match up the data set to the fabrication. So I
9 would just ask you to figure this out, some way to
10 explain it to us without causing you to violate your
11 agreement with your licensees. I don't know how to do
12 it, but we'd appreciate knowing it.

13 MR. BISHOP: And again, Fred Simonen and
14 Lee Abramson are both retired, okay? So I can't just
15 call them up and ask them, okay, but I know the intent
16 was. And again, Shoreham's a prime example. The flaw
17 limits, the average number of flaws that the limits
18 are based on versus the Shoreham vessel is quite a bit
19 larger. And that uncertainty was, the intent was to
20 try to bound some of that plant-to-plant vessel-to-
21 vessel variability. That was the intent. Now how
22 well they did it, I don't know, but that was, I know
23 that that was the intent and that's why you were
24 seeing such large differences between the actual
25 measured results and the results that were used in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 FAVOR code. The intent was to make it very
2 conservative. I know for example they took the PVRUF
3 sizes, flaw sizes which were bigger and applied them
4 with the Shoreham densities which were larger because
5 they knew, okay, they knew that they had only looked
6 at a small sample and we needed to include that.

7 MR. HARDIES: Yes, I think we've got that,
8 we're just trying to figure out, sort of understand
9 these data sets. And you made some arguments that
10 seem to be plausible. If you'd just like to get them
11 in a -- some of them sound sort of speculative. It
12 might be this, it might be that. Love to know if it
13 really is in some way that you can tell us.

14 MR. BISHOP: Well, in those plot, in that
15 table there were plots that showed where the
16 indications were, didn't it? And I remember seeing
17 one plot that came down that --

18 MR. STEVENS: They were just pictures,
19 profiles of the weld. It didn't show indications on
20 top of it.

21 MR. BISHOP: Where they were located.

22 MR. STEVENS: Yes.

23 MR. BISHOP: Okay. All right, okay.

24 MR. STEVENS: They were just showing --
25 and the reason for that was given the flaws that were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 located and I think there was an Azimuth and an
2 elevation and then given the profile of the weld one
3 could use that information to determine whether they
4 were weld or plate flaws. And so that's why it was
5 provided in there. But they're not mapped, the flaws
6 aren't mapped onto those pictures.

7 MR. BISHOP: Okay.

8 MR. STEVENS: Okay, so I think we'll pick
9 up Steve's quick presentation here. Might have a
10 little bit more conversation. We'll break for lunch.
11 We'll come back and hear Bruce's presentation and
12 then pick up this conversation again. So Steve.

13 MR. BYRNE: Okay, thank you, Gary.

14 MR. STEVENS: And let me just say for
15 those folks on the phone I also, for the majority of
16 you I sent out this presentation. It's the ASTM
17 presentation.

18 MR. BYRNE: Thank you, Gary. Steve Byrne
19 representing ASTM International and for those, my
20 coauthor or co-presenter is Joe Koury from ASTM who's
21 sitting over here on the left, my left. And he also
22 has copies, full-size copies or larger size copies of
23 the presentation if you'd like to see it later on in
24 addition to what Gary's put out available.

25 On the second slide is where I'm going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 spend most of my time, but the principal comment here
2 is that ASTM is participating in this NESCC effort to
3 come up with the standards and the technologies that's
4 needed to support both operating plants and for new
5 plants. NESCC is an organization that was, I'm not
6 sure I'm going to say this exactly right but it was
7 born out of an effort within DOE and subsequently
8 implemented by NIST and other organizations to gather
9 up the resources within standards and codes group
10 bodies like ASTM, ASME as well as industry efforts,
11 organizations like EPRI, national labs like Oak Ridge.

12 But again the focus is how can we best support the
13 currently operating plants. So that's very germane to
14 what's being done within 10 CFR 50.61a as well as
15 Appendix G as well as how this is going to be
16 implemented in new plants. So it's trying to focus on
17 a very broad area, try to bring in the expertise from
18 all these various organizations. This NESCC has a
19 series of task groups that have been organized to
20 address specific areas within the nuclear industry.

21 Specific to ASTM there's two areas I just
22 wanted to highlight. Number one is in January of this
23 year there's a survey that was sent out to the
24 executive committees on various ASTM committees. And
25 to try to get from the membership what they identify

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 as potential areas needing new standards, development
2 activities or new technology to be generated. And
3 then in June of this year there was a workshop
4 organized in conjunction with the ASTM meeting in
5 California. And at that meeting there was a series of
6 presentations by NIST, NRC with NRR, RES, and I'm sure
7 those acronyms no longer applicable but and also with
8 the new plant organizations. And the, well one thing
9 that I got particularly out of that meeting was Al
10 Hiser made a good presentation on exactly where NRC is
11 looking for support going forward. And a lot of it
12 was dealing with new plants as well as currently
13 operating plants. So the other part, the rest of this
14 presentation is probably not exactly applicable to the
15 whole NDE area but I do want to emphasize that it's
16 probably a good indicator of what could be done
17 through organizations like ASTM to help the efforts
18 for operating plants.

19 And the specific instance -- I can't even
20 talk, sorry. There was an effort, has been an effort
21 ongoing within ASTM Subcommittee E10.02 to generate
22 some proposed changes to 10 CFR 50 Appendix H which is
23 on reactor vessel surveillance program requirements.
24 And I'll let you read the details in that at your
25 leisure but primarily the issue here is that there's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 -- Appendix H of 10 CFR 50 has requirements that are
2 based on a 1982 ASTM standard and most of the rest of
3 this has been addressed in a letter that was submitted
4 from ASTM to NRC with the recommendation to look at
5 ASTM E185 and its sister standard ASTM E2215 and to
6 work with ASTM as Subcommittee E10.02 to find out
7 where the ideal, the optimum changes could be made to
8 the current regulations in Appendix H. And that's in
9 the subsequent slides.

10 But the biggest thing here is that E2215
11 was newly created. It has not been directly
12 referenced in Appendix H. It talks about the
13 implementation of the post-irradiation testing
14 requirements for reactor vessel surveillance data
15 whereas E185 specifically handles the design of
16 surveillance program for a reactor vessel. And the
17 reason this was done was primarily to match up better
18 with the requirements in Appendix H and to make
19 changes in Appendix H accordingly to separate these
20 two standards so they can be better managed by both
21 the NRC and industry. But, and also there were a lot
22 of new techniques, new recommendations on how to
23 design and implement reactor surveillance programs.
24 And like I say, without dragging this through, out too
25 much longer, it's pretty well detailed in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 presentation.

2 So really the next steps at this and
3 really skipping to I think the second to last slide,
4 Gary. The next steps. So what we're basically
5 looking for here is we want, ASTM wants to continue
6 the dialogue with NRC to move this forward. I know
7 we've got a fairly ample time to accomplish this but
8 we want to acknowledge the dialogues that have already
9 been had on this subject and urge the continued
10 dialogue to make sure that we get it right and any
11 resources you need from ASTM E10 we'd be glad to try
12 to facilitate that process. And then the open-ended
13 comment there, the last bullet is is there any other
14 ASTM standards where this is needed. And I think Al
15 Hiser pointed to some as well as other areas that we
16 could go into going forward. So without further ado
17 if there are any questions at this time on this I'd be
18 glad to try to address it.

19 MR. STEVENS: I have a couple, just
20 clarification. So you, well ASTM had sent NRC a
21 letter earlier this year and we responded and you did
22 receive that letter which is I think why you're here.

23 Basically, and I'll put this in the meeting summary,
24 those letters, but it basically was, that's what led
25 to this presentation. And as I understand it you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 kind of asking for really three things here, that you
2 want to dialogue with NRC on incorporating certainly
3 later if not the latest standards into Appendix H when
4 it's revised rather than a standard that's now 30
5 years old. You would like to dialogue on establishing
6 optimum surveillance capsule withdrawal standards, and
7 also on defining surveillance needs, surveillance
8 program needs for new plants.

9 MR. BYRNE: That's correct.

10 MR. STEVENS: And certainly you have the
11 ear of the folks I think here in the room on the first
12 two. I'm not sure we have anybody from the Office of
13 New Reactors in here. So we'll make sure that we pass
14 the meeting summary and that word on to them. Do we
15 want to say anything in response to Steve?

16 MR. HARDIES: We've consistently
17 prioritized the change of Appendix H as a low priority
18 rulemaking. So it hasn't even actually been put
19 forward. It is supposed to be packaged with Appendix
20 G and the new Reg Guide 199 rev 3. That's our intent.
21 We've been telling you that for a long time. But if
22 you're really interested in getting traction on
23 getting these incorporated into Appendix H I would
24 suggest you submit a request for rulemaking.

25 MR. BYRNE: The message is really twofold.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Yes, we've been hearing that response that Appendix H
2 is not of the same priority as Appendix G and so it's
3 going to be done in parallel. The other aspect of
4 this though is that there are a lot of resources
5 within ASTM that could be brought to bear to support,
6 to help interpret, help defend changes to other parts
7 of the regulations. And so I'd just encourage you to,
8 pretty much like Al Hiser I think presented to us,
9 just encourage you to make use of that whether it be
10 through the NESCC or directly.

11 MR. HARDIES: We appreciate that. We've
12 worked with E10 for a lot of years. Continue to work
13 with them. We have, there's a law that requires us to
14 work with the consensus standards. The name escapes
15 me, maybe it's the National Standards and Technology
16 Act? Okay, you guys know. So we appreciate that.

17 MR. STEVENS: And actually that was
18 identified in the letter back to ASTM, what you just
19 said.

20 MR. HARDIES: But if you want to help
21 raise the priority a request for rulemaking has a
22 little bit of impact. I don't know whether you can
23 justify in your own organization writing such a
24 letter. And you know, and that tells us kind of what
25 your priorities are too.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. BYRNE: Okay, thank you.

2 MR. STEVENS: Thank you, Steve, for that.

3 We have about 15 minutes before lunch so I got a
4 question from my colleague here which I think is a
5 good one to go back onto the conversation of NDE
6 capabilities. And the question really is, so we've
7 had some discussion here on definitions for the rule
8 and we've had some discussions on capabilities of
9 Appendix VIII exams. We've seen some results. Are
10 the vendors comfortable that your current Appendix
11 VIII procedures can provide data sufficiently to
12 populate these bins in the rule? Are we like
13 answering questions here or are we creating more
14 questions? So have we answered the question --
15 somebody asked me a question a couple of weeks ago
16 about so is the NRC requiring a new vessel exam to be
17 performed. And so hopefully you have the answer to
18 that. We could have a test, I could put that down,
19 see how many people answer it the way I would answer
20 it. What's that?

21 MR. SELBY: Who are you asking?

22 MR. STEVENS: Anybody, everybody.

23 MR. SELBY: Well, at the previous meeting
24 it was made clear that you're not asking for a
25 separate examination of the pressure vessel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. STEVENS: And then what's the comment
2 regarding to that. So your existing examinations, or
3 the existing examinations are being performed. How
4 comfortable are you that they can populate these bins
5 -- I'll put them back up -- sufficiently?

6 MR. SELBY: Well, when you asked the
7 question your eyes were pointed at me so I'll go ahead
8 and answer.

9 (Laughter)

10 MR. SELBY: The only thing that worries me
11 is the sizing capability. As several people have
12 pointed out and is widely known, the smallest bin, the
13 smallest bin that has a limit on size, it's the second
14 from the top, is very small compared to the size of
15 the wavelength as Steve pointed out a little bit
16 earlier. And there's physical limitations on being
17 able to accurately size the flaw that's comparable to
18 the size of the wavelength. So the possibility is if
19 you have a high density of defects of that true size
20 that you could accidentally through a conservatism
21 such as Steve pointed out in his procedure
22 inadvertently place those into a less tolerant bin.
23 So that's my concern, has been for awhile.

24 MR. STEVENS: Now, would your procedures
25 and techniques allow you to have any information that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you could provide with sufficient technical judgments
2 and all that to, knowing those limitations to -- so
3 what we're talking about here is, okay, bin number 1
4 is the one that there's no limit on. Bin number 2 is
5 the one where you're saying I think, my interpretation
6 of what you're saying is, okay, we can detect those
7 but the problem is when we size them we're going to
8 push them in potentially to bin number 3 and because
9 of that conservatism we may over-populate bin number 3
10 and not be able to show acceptability with the rules.

11 MR. SELBY: That's my concern.

12 MR. STEVENS: So my question is do you
13 have enough information, knowing what you know about
14 your procedures and techniques and all that with sound
15 technical judgments or reasoning or arguments is there
16 something you could do to unpopulate bin 3, put them
17 back into bin 2 with sufficient technical
18 justification to support that?

19 MR. SELBY: Well, it's not easy. There's
20 not a rigid, fixed, 4-decimal figures number of flaw
21 size, true flaw size below which a certain wavelength
22 of ultrasound is going to lose its ability to size.
23 There's going to be a variety of factors, flaw-
24 specific factors. Steve Sabo pointed out earlier
25 today that his procedure defaults to a flaw size of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 0.125 if it's obviously small and they can't
2 specifically resolve the top and bottom tips. Steve's
3 probably wishing that he had written 0.12499 because
4 then you wouldn't be putting it in that third bin,
5 you'd be putting it into the second bin and it's a
6 more tolerant bin. As far as additional data to go
7 get, the only thing that occurs to me, just one guy
8 speaking, is reduce the wavelength which you probably
9 would not want to do going into your pressure vessel
10 qualification because it's simply more data, it's you
11 know, to scan finer, et cetera. It's a step that you
12 don't need to take in order to pass an Appendix VIII
13 examination. I don't know, perhaps a vendor would
14 want to think about being ready to scan with a higher
15 frequency if they had a licensee customer who was
16 interested in a 61-alpha examination and ran into a
17 real high population of flaws. That would be a
18 considerable additional preparation and cost and they
19 probably would want to have some confidence that you
20 would accord some consideration to the result. But it
21 would be outside, you know, the 50.61a plainly says
22 you should populate these bins with your qualified
23 procedure, and that would be an exception to the
24 qualified essential variables. So you know, before
25 the licensee took that step and took that expense it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 would have to have some understanding with you I
2 presume that you'd credit the results.

3 MR. PARKER: Hi, this is Stephen Parker
4 with Westinghouse. I've been working with Nathan Palm
5 and Bruce Bishop on these ISI 20-year extensions and
6 in the work that we've done in the tables we presented
7 to you that you were showing earlier, I mean this may
8 not be directly related to the concerns that we're
9 talking about here but we're looking over the number
10 of allowable flaws in these smaller bin sizes. Out of
11 all the exams we've done we've never come close to
12 exceeding those flaws so I guess my question is if
13 we're really concerned about being able to detect
14 flaws that are of like 0.075 through-wall extent, I
15 mean I've never seen any inspection reports that would
16 lead me to believe that we'd ever even get close to
17 exceeding those flaw sizes. So I guess my question
18 is, I mean we're putting a lot of focus on being able
19 to detect these sizes of these small flaws, but what
20 is the overall concern there I guess.

21 MR. STEVENS: Well, the real -- okay. So
22 I have a response to that and then you guys can chime
23 in. And thanks for that question. My question is is
24 that because the flaws weren't there or because you
25 didn't see them?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SABO: Well, I don't think the
2 detection is the problem. I think the measurement,
3 the through-wall sizing measurement is the problem.
4 Two different questions. The sizing is what we're
5 talking about, which bin does it go in. We're
6 assuming we're going to detect down to, I don't know
7 what size we're assuming we can detect down to. The
8 first bin says zero.

9 MR. STEVENS: This one, well, that's why
10 it has a no limit but I think it was set up to be the
11 0.075.

12 MR. SABO: Right, and I'm sure those can
13 be detected. It's just the accurate measurement.
14 Sometimes when the stars align themselves correctly
15 you can get tip-to-fraction sizing down to those sizes
16 but generally you don't, so.

17 MR. STEVENS: And to me in a way what the
18 three of you just said aligns in some way in that, you
19 know, so Steve just said we're going to detect flaws
20 for all these bins. And Greg said but we're going to
21 end up populating the lower bins because we're going
22 to over-size them based on our capability, right.
23 Lower based on this table I'm showing. And then that
24 may also lead to your observation which is we never
25 see anything down in that lower bin that's anything

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 close to allowable because we're pushing them down the
2 table. So is that consistent with the other vendors?

3 I mean that's kind of where this question was coming
4 from. So given all that's been stated today and
5 clarified hopefully, are the vendors comfortable with
6 their exams and their ability to apply what the rule
7 is trying to tell you? Or have we raised a concern or
8 an issue or a question, other questions in your mind?

9 MR. SABO: I'm comfortable with the exam
10 as is, but there are other questions that are going to
11 bring up in a presentation this afternoon that we need
12 some guidance on.

13 MR. STEVENS: Yes.

14 MR. SABO: Related to the technique
15 specific to the Westinghouse technique. Some of them
16 do relate to other vendors and some are specific to
17 ours, but.

18 MR. STEVENS: So I think in particular we,
19 some of the things we'll discuss this afternoon there
20 like scan index, sizing accuracy. I think I saw a
21 number there that was -- and you're saying some of
22 these numbers are larger than the bin sizes and what
23 does that do. And we are going to get into that
24 discussion as well.

25 MR. ANDERSON: I wanted to say something

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and seldom do I get to say I completely agree with
2 what Greg said. But --

3 (Laughter)

4 MR. ANDERSON: -- so I wanted to say I
5 completely agree with what he said. The thing is
6 though --

7 MR. SELBY: You should work on that.

8 MR. ANDERSON: I should. As he's pointed
9 out, if there's a, let's call it a trouble plant so to
10 speak. Knowing ahead of time that they're going to
11 run into issues, maybe not with detection but sizing
12 the flaws adequately to apply the binning procedure,
13 they may necessarily need to consider techniques that
14 haven't been through performance demonstration. Now,
15 let me look at my counterpart over here, Bob, and say
16 is that okay?

17 MR. HARDIES: I'm going to ask a question,
18 a couple of questions. First of all, Steve, you're
19 quite confident you can detect flaws at 0.075 you
20 said. Why is that? Explain to me. Indulge me.

21 MR. SABO: Should I leave with my face,
22 Carl?

23 (Laughter)

24 MR. SABO: Because of the size. We've
25 done work where we can, you know. You can even see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 holes at that size which have a smaller reflective
2 area. We've done various work that sizing, even -- or
3 detection even smaller than that. That's just, and if
4 you do the physics, the calculations for the
5 wavelengths you're using, the mode of propagation
6 you're going to see those things. So I don't think
7 that anyone, any of the vendors would say they have a
8 problem detecting something at that size. And larger.

9 MR. HARDIES: Does that apply to OD exams
10 also?

11 MR. SABO: I'd say yes.

12 MR. HARDIES: Well, do you think so or
13 would that apply?

14 MR. BISHOP: Gary, I just wanted to make a
15 -- but I just wanted to make a comment. I don't know
16 that the other vendors have actually had to use these
17 flaw limits as much as we have because we were doing
18 them for the ISI interval extension and right now
19 we're working on our first submittal for the alternate
20 PTS rule. So I'm not so sure that the other vendors
21 have had to do what we've done already. That's the
22 only comment I wanted to make.

23 MR. HARDIES: So we picked, we took the
24 Shoreham vessel and actually, you know, you're going
25 to talk about it later but increased the number of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 flaws and evaluated that. So we really truthfully
2 never expected the vessels to have anywhere near those
3 number of flaws. We just didn't. If you go into an
4 exam and you come out and you have everything in lower
5 bins crammed into a higher bin, right? And I'm going
6 to pick bin 3. Heck, I'm going to pick bin 4. If you
7 have 20, you know, if you cram everything from bins 1,
8 2, and 3 and 4 into bin 4 and you have 20 flaws you're
9 done, you're finished. You don't need to distinguish
10 between those lower groups. So consistent with what
11 you were saying it's not surprising that these exams
12 are going to come up with results that don't populate,
13 if you combine bin 2 and 3 don't populate bin 3 above
14 its level. So you would pass. If you don't though
15 then there's a number of things you can do because we
16 allowed you to make sizing corrections. And at that
17 point you come in with some kind of evaluation.
18 Perhaps some of them you can size really accurately
19 and you know they're in bin 3. You take the remaining
20 ones and you know that they're distributed somehow
21 between bin 2 and bin 3 and you come to us with some
22 kind of argument about how that distribution should
23 be. And you can make that argument with a lot of
24 ways. You can say probably half of them, I don't know
25 how we would evaluate that. Maybe --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 (Laughter)

2 MR. HARDIES: But you could come up with
3 some ratio. Maybe you create a mock-up with little
4 ones that you can't size appropriately and you know
5 the sizes of them and you do an exam and see what you
6 get. Maybe you scan a portion of the vessel with a
7 higher frequency and get the answer and apply it to
8 the rest of the vessel. So there's a variety of ways
9 to do it. But the solution to that problem is in the
10 sizing error correction. And it's in the rule, you're
11 allowed to do it. You just have to come to us with a
12 good story.

13 MR. SELBY: Yes, you're right, when I
14 answered the question a minute ago I forgot that you
15 had put that in the rule. That's a good allowance.

16 MR. ANDERSON: So you kind of answered my
17 question in a roundabout way which you always do. But
18 the sizing correction doesn't preclude you from
19 applying some technology that's not necessarily been
20 through performance demonstration.

21 MR. SELBY: That's what I was thinking.
22 If you wanted to go back and scan to 5mhz or
23 something, if the evaluator of the submittal whoever
24 that is says yes, that's an okay way to do the sizing
25 correction.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. HARDIES: I gave you the one example
2 of sizing correction where you can size the ones that
3 you know are in bin 3 and then you have these other
4 ones and you say well, half of them are in one bin,
5 half is in the other. That's not a PDI technique.

6 MR. ANDERSON: No, no, I know. I
7 understand, but that's not even an ultrasonic
8 technique.

9 MR. HARDIES: Well, and it doesn't need to
10 be an ultrasonic technique.

11 MR. ANDERSON: Okay, but here's what I was
12 getting at is if another place in the rule says you
13 will use Appendix VIII qualified UT. So you would
14 have to look at this as an exception to that, what's
15 stated in the rule there. If you use a different UT
16 technology.

17 MR. HARDIES: I would have to get a lawyer
18 to say when it says you will do this that means you
19 will not do that. And generally lawyers don't --
20 well, lawyers. Well, I'd have to get 10 lawyers.

21 (Laughter)

22 MR. ANDERSON: Okay.

23 MR. HARDIES: I don't think we precluded
24 when we said you could do a sizing error adjustment we
25 just, we tied you to a methodology for doing that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 adjustment.

2 MR. ANDERSON: I understand what you're
3 saying, it's just that we've heard questions before in
4 our previous meetings about the rule says thou shalt
5 use an Appendix VIII qualified technique.

6 MR. HARDIES: To find the flaws.

7 MR. ANDERSON: To find and populate these
8 bins. What I'm hearing you makes perfect sense that
9 if someone wants to apply another, say a better
10 frequency or whatever they want to at their particular
11 vessel they don't have to go down through
12 qualification in Appendix VIII. To demonstrate that.
13 If it's for sizing error correction. Is that
14 correct?

15 MR. HARDIES: Yes, because they can -- an
16 analytical technique that's not an ultrasonic
17 technique at all.

18 MR. STEVENS: So that sound was my stomach
19 grumbling. So we'll pick up the conversation after
20 lunch. By the agenda I did allow a little bit more
21 than an hour for lunch, 1:30 we'll pick it up and
22 Bruce, we'll have your presentation. And I know
23 that'll spur some more of this conversation because of
24 what you have in the tail end of it. I think so. I
25 think it's okay to leave things in here. If you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 anything really valuable I'd suggest you take it.

2 (Whereupon, the foregoing matter went off
3 the record at 12:04 p.m. and went back on the record
4 at 1:30 p.m.)

5 MR. STEVENS: Okay, I have 1:30 so let's
6 get started. Where's my agenda. Okay, the next up is
7 Flaw Implementation Recommendations, Bruce Bishop,
8 Westinghouse. Let me get your presentation up here.
9 There we go.

10 MR. SELBY: Gary, can I say just a little
11 something first?

12 MR. STEVENS: Absolutely.

13 MR. SELBY: During lunch a licensee
14 mentioned to me, I asked him you know how is this for
15 you, is it worth the trip. And he said what I'd like
16 to come out of here with, would really make this
17 useful is if somebody would tell me what to write in
18 my contract specification for my vendor to do that
19 will get the job done and whoever's inspecting it will
20 accept it.

21 MR. STEVENS: And I'm glad you brought
22 that up because more than one person asked me that the
23 last couple of months.

24 MR. SELBY: Yes, just tell me what to do.

25 MR. STEVENS: And so what I'm sort of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 figuring here on this is maybe we don't have all the
2 information on the table yet because I think Bruce and
3 Steve have some other information from this. So what
4 I'm thinking, that's a good question to answer and I
5 was going to bring up some of the previous questions
6 that I think were voiced and were never answered after
7 this discussion. Get everything on the table and then
8 let's just kind of have at it.

9 MR. BISHOP: Okay.

10 MR. STEVENS: It's all yours.

11 MR. BISHOP: Next slide. All right, I'm
12 going to -- yes.

13 MR. CSONTOS: Bruce, it says up on the
14 upper left corner, it says Westinghouse Proprietary
15 Class 3.

16 MR. BISHOP: Yes.

17 MR. CSONTOS: Is it proprietary?

18 MR. BISHOP: That's not -- class 3 is non-
19 proprietary.

20 MR. CSONTOS: Oh, it says non-proprietary.
21 Okay.

22 MR. BISHOP: If you read close, okay.

23 MR. CSONTOS: That was cut off on the top.

24 MR. BISHOP: Yes, it's non-proprietary,
25 this is all non-proprietary.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. CSONTOS: Great. Okay.

2 MR. BISHOP: And actually this is not
3 Westinghouse work, okay, this is really Westinghouse's
4 involvement with review of the FAVOR code and its use
5 in the PTS rule and our using it for the ISI interval
6 extension. The primary purpose as I see it is we
7 wanted to make sure that the flaw limits were
8 consistent with the FAVOR PFM code and how those flaws
9 were used. Now that doesn't mean that that
10 necessarily agrees completely with the table but that
11 was the intent. And actually it was a best effort.
12 But it's a very complicated topic and there are some
13 things I think that we've learned, and part of that
14 learning came from, I mentioned this before, the V&V
15 experience we actually had for verifying the VFLAW
16 code that it was doing all the calculations correctly
17 and so forth. And then the other thing is that we've
18 actually applied these flaw limits to about 20 plants.

19 And from that, and I'll talk about that but we really
20 have not ever had any problems with the number of
21 flaws. The only problem we ran into was the size
22 limits on the plates, all right. And so what -- and
23 that prompted us to take a look at what we were doing
24 and to see if maybe there was something that we could
25 be doing better. And what we went back and looked at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is we came up with some proposals and one of them on
2 the plate flaw limits is we're not going to use them
3 right now because that's not what we're inspecting.
4 We're inspecting the ISI volume and that is by
5 definition weld material. And my recollection was
6 that -- and we'll talk a little bit about more of that
7 later.

8 The other thing is the application of the
9 weld flaw limits. We're going to recommend that you
10 apply those limits to axial flaws only. You don't
11 apply them to circ. And then we came up with proposed
12 evaluation procedures if you exceed the limits and it
13 takes into account information that comes out of the
14 FAVOR code. It says the contribution of the through-
15 wall cracking frequency which is the failure metric
16 that we're using in the risk evaluation, it says
17 what's the contribution of each different flaw size.
18 And that's what we're going to use as the basis of
19 this evaluation procedure. And based on my experience
20 and just playing around with some numbers I would
21 expect that that would have less than a factor of 2
22 effect on the through-wall cracking frequency. And
23 most of the plants are like two orders of magnitude
24 less than the through-wall cracking frequency and
25 that's one of the things we found out about the PTS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 rule. And even the worst plant is at least an order
2 of magnitude below the PTS screening limit, the risk
3 limit, you know, of the 1×10^{-6} per year. So if you
4 exceed those limits it's not like exceeding the ASME
5 code. The risk goes up but it's still, it would be
6 acceptable.

7 Now, Jack's going to -- or Steve's going
8 to talk a little bit -- I'm sorry Jack couldn't be
9 here, but Steve's going to talk a little bit about
10 some of the slides that actually Jack Lareau put
11 together. And the only thing that I see that might be
12 of some concern is that this proximity rule has
13 changed from the way that the technical basis for the
14 flaws that went into the FAVOR code, that was based on
15 the old proximity rule and now there's a new proximity
16 rule in the ASME code 2004. And that's about it.

17 Now, to just go on to the next slide.
18 Again, and we've pointed this out before is that this
19 is not really only for the alternate PTS rule but
20 we've said this before, it also applies to Appendix G
21 and the ISI interval extension. And again the way we
22 sort of thought about this is if -- what the PTS rule,
23 alternate PTS rule requires is if you exceed these
24 limits you're supposed to send an evaluation to the
25 director of NRR for approval. So it doesn't mean that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you can't use the rule, it just means that you have to
2 do something to evaluate violating those rules. And
3 like I said, we're going to provide something to do
4 that. And again, we have some funding that the work
5 that we did, you know, on the -- if you exceed some of
6 the, you know, the surveillance capsule requirements.

7 And here again some of the work that we've done on
8 the flaws we will be providing a white paper through
9 the EPRI MRP to document these in more detail. You
10 know, in the 20 minutes I've got I really can't go
11 into a lot of detail. I tried to provide some
12 information and maybe we'll go over a few of the
13 backup slides very briefly, okay, but we will try to
14 document in much more detail in this white paper all
15 the rationale and justification for what we're
16 proposing. Again --

17 MR. STEVENS: Is there a schedule for that
18 report or that work? The MRP report, this white
19 paper?

20 MR. BISHOP: We don't actually have the
21 contract in hand yet, okay, but they keep telling us
22 it's coming. But the idea is we realize that you're
23 on a tight schedule but to get it done as soon as
24 possible. And I'm hoping within the next, I would
25 hope by the end of October, no later than the end of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 October, something like that. But we'll see. But one
2 of the things that we wanted to avoid is having to
3 make plant-specific FAVOR runs or FAVOR runs with
4 plant-specific flaw distributions just because FAVOR
5 uses a thousand flaw distributions. And I know Terry
6 Dickson did in fact do that for one of our, when NRC
7 was reviewing one of our submittals for the interval
8 extension, but he only did it for one flaw. So to do
9 it for multiple flaws it gets very difficult and time-
10 consuming. And I really think there's better ways
11 that we can do that.

12 Now, to the next slide just gives a little
13 bit of background information. I thought you know
14 that there was a peer review of the alternate PTS rule
15 and I thought my recollection was is that one of the
16 reviewers asked that, you know, that the FAVOR flaws
17 shown to be what would be consistent in the qualified
18 ISI results. And I think Bob provided some additional
19 clarification on that this morning and so forth. So
20 I'm not going to speak to anymore of that. There was
21 a memorandum on the development of the flaw
22 distribution tables and I've got the ADAMS ascension
23 number on this slide. It was in April 2007. Now, we
24 did in fact get a chance to talk a little bit with
25 Stephen Long who was one of the primary persons

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 involved in this but since it was a rulemaking
2 proceeding he really couldn't talk about the technical
3 basis or anything, or the justification or anything
4 like that but he -- we were asking him for
5 clarification because they wanted us to use that in
6 the ISI interval extension and we weren't quite sure
7 how to. Some of the questions we're asking right now
8 we were asking right then. You know, how do we take -
9 - how do we take basically the ISI reports and bin
10 them and evaluate them. And he did provide some
11 clarifications but he since then has gone on medical
12 leave and retired from NRC. But there were a couple
13 of things I mean, and one of the things we asked about
14 was the circ flaw versus axial flaw and things like
15 that. My understanding was is there actually have
16 been some changes made to the later versions of the
17 FAVOR code to address that. But again, as a result of
18 this memorandum Table 2 and 3 in the -- were
19 incorporated into the -- directly into the PTS rule,
20 Table 2 on the weld flaw and Table 3 on the plate
21 flaws.

22 Okay, now the next -- we've already talked
23 about this one. I don't know that I really have much
24 more to say on that except that it is pointed out,
25 okay, it's a cumulative going from the bottom up. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the nominal bin size is sort of misleading because
2 they sort of developed the limits within the bins and
3 then sort of at the end sort of accumulated them up.
4 So there is a little confusion about that. But if you
5 go to the next table which is the Table 2 in the PTS
6 rule this is the correct interpretation. Although I'm
7 not sure if it's 0.075 for the first non-bin, if it's
8 0.075 or 0.076 might be better. It's something a
9 little bit better than 0.075 but that's just neither
10 here nor there. But this is in what is in the PTS
11 rule and it's based on what was in that memo.

12 Going back to why Westinghouse is -- has
13 some comments on that is that Jack Lareau actually was
14 one of the members of that expert panel on the
15 fabrication of the vessels and he was there primarily
16 for the inspections that had been done and so forth.
17 That was some of that input was factored into the
18 development of this VFLAW model from this NUREG
19 report. Like I said, I performed the V&V of that
20 VFLAW. I think that was for the V&V report for FAVOR
21 2.4. Again, and we also mentioned that we've applied
22 the flaws to more than 20 plants for ISI interval
23 extension. And again, I wanted to clarify, we never
24 had any problems with the flaw welds, weld flaws. And
25 I mean in using basically the PTS rule the way it was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 written, okay. I'm not talking about any of the
2 changes I'm proposing. Even using it the way it was
3 we never had any problems with the weld flaws. The
4 only problems we had on a few plants is that we
5 exceeded, and again not with the number of flaws but
6 we did exceed the maximum size limit on the plates in
7 a couple of places and that was the one that actually
8 we had, Mark and the Oak Ridge people do a specific
9 FAVOR run to look at that. And again, what that
10 showed was that -- okay, I'm sorry. And then Jack and
11 Steve are going to talk about some of the work we've
12 done in terms of the qualified ISI for a number of
13 these plants that have used the ISI interval extension
14 and the one plant that we know of that's planning to
15 make an alternate PTS rule submittal. We're working
16 with them, well, we talked a little bit about that at
17 the surveillance capsule meeting.

18 Okay. We had a number of concerns with
19 the technical basis but it's not as bad as it looks.
20 There's some good, there's some bad and I'd just like
21 to go over it just a little bit. One of the things is
22 that the flaw limits in that memo from NRC looked at
23 the FAVOR output. The FAVOR output is the average of
24 the thousand input distributions that were input into
25 it. And I don't even know that if Stephen was aware

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of this VFLAW program that prints out okay, what, the
2 maximum, the 95th percentile, the 50th percentile and
3 the mean values of all those distributions, those
4 thousand distributions that were input. But that's a
5 very useful piece of information. And the thing that
6 bothered me is that when you're trying to set a limit
7 on something you want to make sure you've covered it
8 and really the way it's doing now, actually the median
9 distribution and the mean distribution are very
10 similar. And for every thousand flaw simulations
11 about 500 of those would exceed those limits for the
12 mean distribution. And to me using an average value
13 to bound things I don't think is quite the way to go.

14 All right.

15 Now, if you jump down, I'm going to jump
16 down a couple of bullets, okay, and I'm going to go to
17 this one about no distinction between the axial and
18 circ flaws. All right. We know that the axial flaws
19 are the source of the through-wall cracking frequency,
20 and the circ flaws even though they initiate they
21 don't fail. So really we should be concerned with the
22 axial flaws. Now, luckily if you take the maximum for
23 those thousand distributions and compare it to the
24 mean, over the range of where the limits are applied
25 it's about a factor of 2 to 1 from the maximum to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 mean. And if you go down and look at the axial flaws
2 to the circ flaws it's about one-half, about half the
3 flaws, not quite half, but around one-half of the
4 total flaws are axial and about half are circ. So if
5 you put those two together we sort of lucked out and
6 they tend to compensate. But I think the thing that -
7 - what we're going to say is -- I'll talk about it a
8 little bit later.

9 The conversion of the flaw size from all
10 the FAVOR results as I said before are reported in 1
11 percent of the wall thickness. And we used, you know,
12 and that's the width of the bins. And actually they
13 used, they didn't use like any distribution through
14 the bin, they just used the max, a lot of times
15 they'll use like the middle value if you're doing a
16 numerical integration. But the FAVOR code always used
17 the highest value in the bin for all the calculations.

18 There was no distribution within the bin. So, but
19 the bin size and the flaw limits is about half of
20 that, 0.05 versus about 0.09 that was used in the
21 FAVOR code and those two tend to sort of compensate
22 for one another. What it's saying is, okay, instead
23 of using the uniform code we're using the stair step,
24 but if you half the size then you sort of half the
25 size of the step so it gets more close to uniform

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 distribution. So those two sort of cancel out.

2 One other thing, and this is just about
3 neglecting the limits above the truncation limit, the
4 maximum size limit, which is the 0.475. They actually
5 simulate flaws all the way up to about 1.92 inches.
6 And those flaws above that truncation limit of about
7 4.75 actually count for about 50 percent of your
8 failures if you go look at the through-wall cracking
9 frequency. So that's conservative. And then the one
10 FAVOR run we did do for a plant that violated the
11 plate limit did in fact, you know, gave many orders of
12 magnitude below the risk limit. And typically while
13 this is -- it was sort of a flag to us to look at
14 maybe what we were doing because again, the plant we
15 were looking at was, actually it was a low
16 embrittlement zone where we had the plate flaw. And
17 we were using a very strict interpretation of the
18 plate flaw. I mean, it was actually very close to the
19 weld, okay, and we believe that that was really a weld
20 flaw. But it should have been categorized as a weld
21 flaw. But when they took a look at it they got very,
22 very low probabilities of through-wall cracking
23 frequency. Now, typically what happens in general is
24 that the small flaws normally fail because you're in a
25 highly embrittled region. The bigger flaws though can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 fail because they're so big and much less embrittled
2 regions. So because we, even though we were looking
3 at a low embrittlement region I wouldn't have expected
4 that the through-wall cracking frequency for that
5 limiting flaw to be so low. And I mean it was like
6 down around 10^{-10} , something like that, very, very low.

7 I wouldn't have expected that. So we went back and
8 started looking a little bit at the basis for the
9 plate flaws and that's the next slide to do this. And
10 again, like I mentioned before, we used a very strict
11 definition of the -- what was a plate flaw and we went
12 back and the technical basis for the plate flaw model
13 was actually a weld flaw model with different factors
14 on the density and the size truncation limit. For
15 example, the -- it was a factor of 10 on the small
16 weld flaws and a factor of 40 on the large weld flaws.

17 The large and small was about 6mm was the separation
18 between the two sizes. The truncation limit on the
19 normal welds was about 10 percent of the wall
20 thickness. For the repair welds it was about 20
21 percent, a little bit more than 20 percent of the wall
22 thickness. The truncation limits on the plates were
23 only 5 percent. And you went back and looked at that,
24 and that was my recollection, that the truncation
25 limit was quite a bit smaller and the reason for that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 if you go back and look at NUREG, the 6817, the basis
2 is that the plate flaws were only supposed to be flaws
3 from the processing of the plates and forgings. It
4 didn't have anything to do with the welds because you
5 could in fact have a small plate flaw close to the
6 weld and the welding process itself could have caused
7 it to grow. But that should have been categorized as
8 a weld flaw. So our concern is that the -- and again,
9 the truncation limits that I said, those were
10 typically based on about twice the size that had
11 actually been observed in those detailed evaluations
12 of the PVRUF and the Shoreham vessels.

13 The weld ISI volume that we're looking at
14 now, the one-half T on either side of the weld, that's
15 pretty much the heat-affected zone where you might
16 expect that the flaws, any plate flaws may have been
17 extended by the welding process. And also, it also in
18 this NUREG report, the flaws of any size that were
19 really flaws of concern for fracture mechanics
20 appeared at the weld base metal interface. So what
21 we're saying is that we should only be using
22 basically, for the ISI volume that we're looking at
23 right now we should only be using the weld limits. We
24 should not be using the plate limits. Now, that
25 doesn't mean that the plates get a free ride because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 really the way that works, and Mark can verify this,
2 but one of the things that's built into the FAVOR code
3 is if you had this weld in the region, you use the
4 embrittlement properties from either the weld or the
5 base metal, whichever is the worst, whichever is the
6 more embrittled has the higher arc TNDT. So the
7 plates don't get a free ride, it's just that what we
8 are inspecting really should be inspected to I
9 believe, or the people at Westinghouse believe to the
10 weld limits and not to the plate limits. So. If we
11 ever do start to use, inspect away from the welds,
12 that we would use the plate limits but that's not what
13 we're doing right now. Any questions on that?

14 MR. KIRK: So, just to clarify, in what
15 you're doing you're calling everything in the
16 inspection volume, if it's in the inspection volume
17 it's classified as a weld flaw.

18 MR. BISHOP: That's not what we did, okay,
19 but --

20 MR. KIRK: That's your proposal forward.

21 MR. BISHOP: Looking back at what we've
22 seen and so forth like that, that's what we would
23 recommend for going forward, yes.

24 MR. KIRK: Okay. But yes, there's
25 obviously a lot of -- can be a lot of ambiguity in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 demarcating within the inspection volume what's weld
2 and what's plate, and without -- I mean, you've got
3 the lines where the weld nominally is, but of course
4 there can be repairs and welds don't go in straight
5 lines. So absent more definitive information and I
6 don't think anybody's into etching the outside of a
7 vessel for all sorts of reasons. The distinct,
8 carving up that inspection volume between welds and
9 plates is probably completely arbitrary. The only
10 thing that we --

11 MR. BISHOP: We tried to focus, Mark, on
12 the, like the inner 1-inch where we're really
13 concerned about that. Because again, once you get
14 away from that the weld, the demarcation line between
15 the two is all over the place.

16 MR. KIRK: Yes, the only thing that we had
17 talked about which we never really tried relative to
18 available data, but I'm just, I'm not sure there are
19 enough flaws to make this work would be to just simply
20 take the results of an inspection and plot the flaws
21 in three space if you will. And you would think if
22 the flaws were predominantly caused by lack of side
23 wall fusion that they'd all be lined up in a nice row,
24 wherever that row is, and then if there's something
25 out in the plate or in the bulk of the weld it would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 be off that line. But given that thank goodness the
2 numbers of flaws in like the reports that Nathan sent
3 are few and far between, I don't think there's be, in
4 any vessel inspection I don't think there'd be enough
5 flaws, which again is a good thing, to process the
6 data in that way.

7 MR. BISHOP: I tend to agree with that.

8 MR. STEVENS: Question.

9 MR. BISHOP: I'm sorry. Sure.

10 MR. STEVENS: I have a question on, and
11 this maybe makes a huge assumption but I'll ask the
12 question anyway. If there are known weld repairs in
13 the vessel would those be -- is the examination volume
14 expanded to get full coverage of those?

15 MR. TOMES: There used to be a provision
16 in Section 11 that said when you rewrote your ISI plan
17 that you would include any weld repairs that were made
18 in the vessel in the scope for the next inspection.
19 So, it's a difficult thing to do though because not
20 everyone has access to all the fabrication records.

21 MR. ANDERSON: One thing along those lines
22 to consider is the base material volume that the code
23 requires, a half T, is believed would encompass most
24 weld repairs that would have occurred during that.
25 Now, having said that there's new code cases out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 there, 633 is one of them that takes that down to a
2 half inch on either side. But that code case actually
3 says half inch of the widest portion of the weld which
4 should encompass any repairs that are there. So it's
5 incumbent on a user of the code case that they know
6 where their weld repairs are.

7 MR. BISHOP: Yes, I was aware of that,
8 that Ed Siegel's group had come up with that. I know
9 that that's been around for quite awhile and they're
10 still working on a technical basis. And if I looked
11 at the PTS rule I'm not so sure that it would support
12 that. The technical basis for the PTS rule.

13 MR. ANDERSON: Did your question on the
14 weld repair, are you happy with that discussion?
15 Okay. I had a couple of simpler questions I think.
16 One was on the axial versus circumferential direction.
17 Obviously we're talking about axial with respect to
18 the overall cylinder of the vessel, right?

19 MR. BISHOP: Well I'm going to talk about
20 that on the next slide. But yes, axial is --

21 MR. ANDERSON: Remember, you're talking to
22 NDE guys here.

23 MR. STEVENS: Vertical to the vessel.

24 MR. BISHOP: It's vertical to the vessel.

25 MR. ANDERSON: Tell us exactly what you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 mean.

2 MR. BISHOP: And the circ flaws are in the
3 circ welds which are horizontal.

4 MR. ANDERSON: Okay. The one thing I'd
5 say about that is when we get down to the size that
6 we're talking about it's unclear whether the NDE can
7 tell which direction they're in, especially if they
8 have volumetric characteristics and not just planar
9 characteristics associated with them. So I'm not sure
10 you can tell the difference between one's axial and
11 one's circumferential when you get small enough, you
12 know.

13 MR. BISHOP: Well, one of the things that
14 the FAVOR code assumes, and it was based on
15 fabrication experience was that you have circ flaws in
16 the circ welds and you have axial flaws in the axial
17 welds. And I think, I mean that was based on actual
18 fabrication experience and what the inspection results
19 basically show.

20 MR. ANDERSON: Oh. So you're basically
21 following the bead of the weld. I don't disagree with
22 that but from a UT point of view I don't know that we
23 can tell you that one's axial and one's circ when they
24 get to small.

25 MR. BISHOP: Well, basically what we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 saying is if it's in an axial weld you would assume
2 it's axial.

3 MR. ANDERSON: Okay.

4 MR. SELBY: I think if the flaw is very
5 small and it's through-wall extent but it has, you
6 know, if it's an inch long or something you can tell
7 from the ultrasound which direction it's long in. If
8 the flaw was, if you envision an embedded planar disk-
9 like flaw 2mm across, yes, you might have a hard time.

10 You'd probably see it from every direction. You'd
11 have a hard time telling what --

12 MR. ANDERSON: Some of the flaws that we -
13 - you're right. Of course. A lot of the flaws don't
14 have that much length to them relative to what we dug
15 out of the PVRUF and Shoreham. And they have a lot of
16 volumetric features, almost, not purely volumetric,
17 but they have a lot. I don't know that you can tell
18 the difference.

19 MR. SELBY: If you saw them on a single
20 scan stroke in both directions.

21 MR. ANDERSON: Maybe. I don't know.

22 MR. SELBY: You probably would not know
23 which direction it was going.

24 MR. ANDERSON: The other question, when
25 you say no one should use the plate would you hazard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to say what far removed means from the weld?

2 MR. BISHOP: Again, the flaw size that was
3 used as the technical basis was the flaw size that
4 came from the processing of the plates and forgings,
5 not the welding process. So my recollection is that
6 the half T in Section 11 was picked specifically on
7 that basis to say that's -- and that was picked a long
8 time ago. But at that time their judgment was that
9 was the extent. If it fell within the half T that was
10 considered to be into the heat-affected zone.

11 MR. ANDERSON: Okay, so you're saying then
12 -- and I'm just asking, I don't have any clue. But
13 you're saying about half T are greater, is the only
14 flaws you should consider for the plate bins. A half
15 T away from weld centerline or? I mean.

16 MR. BISHOP: If it's outside the ISI
17 volume it would be a plate flaw. But we're -- I mean
18 the thing is, I know when you do scans okay you
19 obviously don't just scan just the ISI volume, you do
20 some over-scanning to make sure you're getting the ISI
21 volume correctly. But my approach is that ISI volume
22 should be treated as axial weld flaws.

23 MR. ANDERSON: Yes, I don't have a problem
24 with that. I'm just wondering when you say far
25 removed, I was trying to get a definition on what you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 meant by that.

2 MR. BISHOP: Well, the assumption was
3 there was no effect of welding. Now, again, that's
4 how far away is that. But what I'm saying is that was
5 the basis of Section 11 requirements when they were
6 first imposed.

7 MR. STEVENS: What you might be saying is
8 -- well, I'll answer your question, you can tell me if
9 this is maybe wrong. Anything beyond half T would be
10 far removed.

11 MR. ANDERSON: That's what I'm hearing.

12 MR. BISHOP: Yes, as far as we know right
13 now.

14 MR. ANDERSON: I mean, the heat-affected
15 zone obviously doesn't extend as far as that. But
16 that would be a conservative way of saying. The only
17 thing is I think, I doubt we're going to find any
18 flaws that are a half T away from the weld when we do
19 our exams. Carl?

20 MR. LATIOLAIS: This is Carl Latiolais. I
21 agree with Mike but one thing I've been thinking about
22 with this flaw density, you know, in populating the
23 bins and things. You know, these big plates tend to
24 have a lot of plate segregates, bands of plate
25 segregates. Many times those segregates move into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 examination volume close to the weld and they're at
2 different levels within the plate itself. Has that
3 been considered with this code? And if we would
4 identify plate segregates usually it's a note on the
5 examination report. We have a band of plate
6 segregates, you know, so many inches wide at so many
7 inches in depth at this location. They're not, you
8 know, you don't inventory each little segregate, you
9 basically treat it as a band. Has that been
10 considered?

11 MR. BISHOP: Well, the consideration was
12 that the plate flaws came from the plate and forging
13 fabrication process. They did not come from the
14 welding process. Now, where you draw the distinction
15 from one to the other I think what I'm saying is
16 historically it's been the ISI inspection volume was
17 that definition. Now, if -- and that was, I think
18 that was sort of the basis. Because the plate, when
19 you, when the FAVOR code simulates a plate it assumes
20 half the flaws are axial, half the flaws are
21 circumferential. There's no orientation with regard
22 to the weld or anything like that. But again, our
23 concern, our primary area of concern is the lack of
24 fusion welds between the two. Those are the real
25 flaw-like indications that we think are the fracture

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 mechanics problems.

2 MR. STEVENS: So I was going to have you
3 just move ahead here so we can get all the -- but one
4 thing I wanted to ask is so from your perspective what
5 you're saying here. And I can't ever remember the
6 order of the tables. Table 2 is the weld table.

7 MR. BISHOP: Table 3 is the plates.

8 MR. STEVENS: Yes. So on a typical
9 Section 11 exam you would say there's no use for Table
10 3 of the rule.

11 MR. BISHOP: That's correct. Okay, now
12 the application of the weld flaw limits. Again, when
13 we looked at the weld flaw densities for 70,000
14 Palisades simulations and the Palisades vessel is the
15 basis for the flaws that were used in the VFLAW
16 program and the limits that were used in the alternate
17 PTS rule. You can go into this VFLAW output and look
18 at the maximum and mean values for the thousand flaws
19 that were generated. And there are some backup slides
20 that show that. But what we were able to show, and
21 this is sort of a good check on the FAVOR code is that
22 if you took the output average weld flaw distributions
23 from FAVOR, it's within about a half a percent of the
24 mean distribution from the VFLAW program. So on
25 average, okay, it's doing what you expect it to do.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 However, the size range for the maximum flaws, and
2 when I say maximum flaw, it's really 1 in a 1,000. So
3 it's like a 90, it's really more like a 99.9
4 percentile because you know all, there are 999 out of
5 1,000 distributions would have values less than or
6 equal to this one maximum value. Now, why would we
7 want to use a maximum flaw distribution as opposed to
8 a mean value? And I'm doing this to be consistent
9 with what was sort of done with the surveillance
10 capsule data where you're trying to show that your
11 surveillance data capsule is consistent with the trend
12 curve. Again, what the -- originally the first test
13 actually used like a 3 sigma limit in one of the early
14 versions of the alternate PTS rule. That was changed
15 in a later version to when they added two additional
16 tests on the surveillance capsule data. They went to
17 99 percentile. So using sort of like an upper bound.

18 And we could use 99, VFLAW could be modified to give
19 you a 99 instead of a 95 or something like that if you
20 wanted to go back and do that. But again, it showed
21 about a factor 2.8 flaws higher than the mean over the
22 range that the flaw limits apply. Now, for the ones
23 where you have no limit it was actually a little bit
24 less than that where we have the no limit and for the
25 flaws above the 4.75, the ratios were actually a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 little bit higher than the 2.08.

2 And again, if you look at the ratio of
3 weld flaws that are axial to the total it comes out
4 about 45 percent. So you take 2.08 and 45 percent and
5 you say 93 percent of the average density for all weld
6 flaws would apply to the maximum density for axial
7 weld flaws only. And I think 93 percent in PFM space
8 is good enough. So that's why I'm proposing I think
9 even though it was not generated that way, I think we
10 can address the legitimate concern of the axial flaws
11 that caused the failure by just applying the limits we
12 have now to the axial flaws. And when I mean axial
13 flaws I mean the flaws in the axial welds. Any
14 question about that?

15 MR. STEVENS: So, okay the mind's not
16 working fast enough now. So what does that mean for a
17 forged ring plant?

18 MR. BISHOP: For a what?

19 MR. STEVENS: A forged ring plant that has
20 no axial welds.

21 MR. BISHOP: What I'm saying, what the
22 FAVOR code says is you may initiate some flaws and
23 that may be a concern from -- you have to go and
24 repair those if you initiate them. But they don't run
25 through the wall to cause failure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. STEVENS: So are you advocating at a
2 plant that only examines their circ welds, what would
3 they do in terms of applying the rule?

4 MR. BISHOP: They wouldn't do anything.

5 MR. STEVENS: They would have no check.

6 MR. BISHOP: On flaws, yes. It doesn't
7 matter. If the concern is the failure frequency of
8 the vessel it doesn't matter.

9 MR. KIRK: And Bruce, I mean I would
10 agree. That's what the results show is that
11 circumferential flaws are highly unlikely to go
12 through. That's why the circumferential, that's why
13 the limit on circ weld embrittlement is so relaxed in
14 the rule even though it's set at a 10^{-8} value. So if
15 you believe in PFM there would be no reason to object
16 to this proposal. Speak to your minister.

17 MR. ANDERSON: If you don't believe the
18 PFM then throw the alternate PTS rule.

19 MR. KIRK: I mean, for example that type
20 of logic is already embedded in the rule in that
21 you're obligated to, if you find -- and I'm not going
22 to get the words right and I'm probably going to mess
23 up the words "flaw" and "indication" but if you find
24 something that's close to the surface you're supposed
25 to go back and find out if it's surface-connected.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 But that restriction is only applied to things that
2 you think might be surface-connected that are axial.
3 If they're circumferential we don't care. Same logic.

4 MR. STEVENS: Steve has a --

5 MR. DINSMORE: Yes, hi, this is Steve
6 Dinsmore from the PRA branch. I almost hate to ask
7 this question but why are you doing these
8 calculations? You're going to propose a change to the
9 rule? Is that what we're talking about?

10 MR. BISHOP: Well, no, we're not saying to
11 change the rule. What we're saying is you can use the
12 limits that are in the rule but you just apply them to
13 the axial welds.

14 MR. DINSMORE: But I thought that rule had
15 a table with flaw sizes.

16 MR. BISHOP: Right, for welds, okay. But
17 what I'm saying is what that table was based on was
18 the average instead of the maximum and it was based on
19 both circumferential axial welds.

20 MR. DINSMORE: So you're proposing to
21 change how the rule is applied?

22 MR. STEVENS: Yes, I was going to say I
23 think, well you correct me if I'm wrong, but you're
24 proposing a way you're going to use the existing rule.

25 MR. BISHOP: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. STEVENS: And --

2 MR. BISHOP: Rather -- I don't want to
3 change the existing rule, I just want to clarify how
4 you use it.

5 MR. STEVENS: And by not using for example
6 Table 3 --

7 MR. HARDIES: You're going to come in and
8 you're going to say we didn't measure the plates or
9 the forgings so we're not going to do the comparison
10 for Table 3.

11 MR. TOMES: Is there a requirement to
12 examine the forgings outside the one-half T to
13 implement the alternate PTS rule?

14 MR. HARDIES: You answer my question
15 before he gets to ask his. You're proposing to come
16 in and say you're just not going to do Table 3.
17 You're not going to do that step of the rule.

18 MR. BISHOP: That's plate flaws.

19 MR. HARDIES: Right.

20 MR. BISHOP: Now we're talking about weld
21 flaws.

22 MR. HARDIES: I want to know about plate
23 flaws. What are you going to do about plate flaws?

24 MR. STEVENS: Well, at least I'm not the
25 only one that's confused.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. BISHOP: What I'm saying is, okay,
2 we're not inspecting plate flaws. Right? The effects
3 of plates are considered. The flaws that are
4 concerned are the flaws that are in the interface
5 between the weld and the base metal. And the way the
6 plate is treated is that you calculate the big flaws
7 in the weld region. You do not simulate big flaws in
8 the plates, you simulate small flaws. And but when
9 you do that weld flaw you do the big weld flaws, you
10 look at the embrittlement properties of the weld and
11 you look at the embrittlement properties of the
12 adjacent base metal and you take whichever is worse.
13 Part of the input to the FAVOR code is well, for this
14 weld, what are the base metals next to it so it can
15 check that. And that's the way the calculations are
16 done. And the metric in the alternate PTS rule that
17 handles that is the definition of RT max for the axial
18 welds. That's how you do that. You take the weld and
19 the adjacent base metal and take whichever
20 embrittlement characteristics are the worst at the
21 weld fluence.

22 MR. KIRK: Did that answer your question,
23 Bob?

24 MR. HARDIES: No.

25 MR. KIRK: Okay. Can I try?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HARDIES: It sounds like there was a
2 contribution of the plates to -- for failure.

3 MR. BISHOP: All right. Okay. All right,
4 for -- all right. No, wait a minute. The question
5 about the contribution of plates to failure, or
6 Palisades which is the basis. In the handout, okay, I
7 have a table about the contribution of the welds.
8 There is another table in the FAVOR output for the
9 contribution for the plates. It's zero. They're all
10 zeroes. It didn't contribute at all. Now, that's for
11 Palisades which is a weld-limited plate. If you go to
12 Beaver Valley which is a plate-limited plant, plates
13 contributed about one-third, all right? But again
14 we're throwing away 50 percent of the weld
15 contributions to large flaws so it's about on the same
16 order of magnitude. It's -- go ahead.

17 MR. KIRK: Okay, well now -- I'm going to
18 clarify something, I'm going to attempt to clarify
19 something Bruce just said and then I'm going to take a
20 cut at your question. Your statement that we're, the
21 last thing you said, we're ignoring the 50 percent
22 through-wall cracking frequency contribution of large
23 flaws in the table. I understand how you get there
24 because if you go to the, I think I understand how you
25 get there because if you go to the basis document

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 which has the ML number that you cited in your slides
2 and you go to Table 2 of that which only Bruce and I
3 have so the rest of you will have to be mystified.
4 That table, if you sum up the percent through-wall
5 cracking frequency contribution of all flaws that are
6 bigger than appear in Table 2 of 10 CFR 50.61a, if you
7 sum all those numbers up you get 50 percent. And I
8 think that's where you got that. Is that correct?

9 MR. BISHOP: Well, if you go to backup
10 slide, the very last slide, slide 27. All right, this
11 is the output from FAVOR, okay?

12 MR. HARDIES: I can't read that.

13 MR. BISHOP: All right. Well, what it
14 says is that for the flaw depths of 0.088 it's 1.68.
15 That's the contribution of those small flaws. Now, if
16 you take the contributions and you sum it up to the
17 0.438 which is about the 0.4375 limit you can see
18 you've got about 20, 30, 40, 50 percent. The rest of
19 the slides bigger than that produce the other 50
20 percent.

21 MR. KIRK: Okay. Yes, okay. So you
22 actually agreed with me, although that might not have
23 been obvious to anybody without the secret decoder
24 ring and the secret handshake.

25 MR. BISHOP: Scan up a little bit, Gary,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 can you just a little bit. Or I mean down, I'm sorry.

2 MR. KIRK: The point I wanted to make is
3 if you fall outside of the 50.61a flaw tables, if you
4 have one flaw that's bigger than the upper bin you
5 have to do something to check that, right? That's
6 what we said.

7 MR. BISHOP: In the procedure I'm going to
8 propose in the next slide I'll show you how I'm going
9 to do that.

10 MR. KIRK: Okay, well you might not get
11 there. But, the only point was if you have a flaw
12 that's bigger than that if that flaw that our PFM
13 calculations showed, if you had a flaw like that and
14 it happened to wind up in a high embrittlement region
15 it would be significant. And so the rule requires you
16 to check that, you're going to propose a procedure to
17 check that. So we're -- my point was we're really not
18 ignoring 50 percent of the through-wall cracking
19 frequency, we're simply checking it in a different way
20 than agreement with Table 2.

21 MR. BISHOP: And again --

22 MR. KIRK: And so are you.

23 MR. BISHOP: Right. Yes.

24 MR. KIRK: Okay.

25 MR. BISHOP: And Gary, if you go back up.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Don't go back to my original slide, but just go back
2 up two slides. Okay, the previous slide to this one
3 talks about the proximity rule. No, you're far.

4 MR. STEVENS: Hang on. Oh, that worked.

5 MR. BISHOP: Keep going. Keep going. Oh,
6 you're going the wrong way. All right, right here.
7 There. All right, this is the procedure that I'm
8 proposing and since the -- all right. Now again,
9 starting over on the left-hand side, all right here
10 are the bin sizes from this point, from 0.076 to
11 0.125. All right. The max number you're allowed to
12 have in a thousand, and again, because the
13 contribution is given as 1 percent and it's given by
14 these bin sizes you sort of have to un-accumulate
15 them. And it says the max number for a thousand
16 inches for that 166 or so in the PTS rule would
17 actually be 75.9 in this bin. You correct that for
18 the actual weld length. Okay, in this case we assumed
19 106 inches which was what was really in Palisades.
20 Okay, so that makes it 76.3. And you have 77 axial
21 flaws, but you look at the contribution, it's 20.9
22 percent so you would increase it by 18 percent. Now,
23 if you go down and look for all the flaws above the
24 0.438, all right, there you're allowed to have zero.
25 So if you have any you count the full percentage of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the increase. Like, in one case I have two, its
2 percent contribution was 1.6 so it would be 3.2.
3 Okay, that one right above -- go down a little bit,
4 Gary. Right, down further. One more. Right there,
5 that one right there. You had two flaws where you're
6 not allowed to have any. The contribution of through-
7 wall cracking frequency is 1.6 so the increase,
8 percent increase would be 3.2, double that. You don't
9 have any. Now, on the other ones where you do have
10 some, okay, you're allowed to have what's in the
11 limits so it's only the numbers that are above the
12 limit that you increase the percent increase in
13 contribution. And again, if you go over then to the
14 right side, for this example it came up like 26.4, 4
15 percent increase, so your ISI flaw increase factor is
16 1.2644 and you multiply that by the -- to get the
17 through-wall cracking frequency using the equations to
18 NUREG 1874 which is the basis for the PTS rule. And
19 for the individual plant embrittlement metrics, you
20 know, the RT max axial weld, and you apply that and
21 you come up with the difference, the increase in the
22 through-wall cracking frequency for all those
23 different flaws.

24 MR. KIRK: Maybe you said it but the
25 numbers in your column, percent of TWCF, where do they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 come from?

2 MR. BISHOP: Okay. That came from slide
3 27, the last slide. The output from the FAVOR code.

4 MR. KIRK: Okay, so that's a weight. I
5 don't care about the numbers.

6 MR. BISHOP: That's weighted for all the -
7 -

8 MR. KIRK: That's a weighting factor based
9 on --

10 MR. BISHOP: All the PTS transients.

11 MR. KIRK: Okay. Okay. So it's saying,
12 okay. So if you find a flaw in a particular bin, go
13 back to.

14 MR. BISHOP: Now see that first one, okay.
15 For a flaw size, that first line is for flaws that
16 are 0.088. That's that 1.68 contribution.

17 MR. KIRK: Okay.

18 MR. BISHOP: That's the contribution of
19 the small flaws we talked about earlier. The
20 contribution for flaws that are 0.175. So this would
21 be, that's the 20.9 percent.

22 MR. KIRK: Okay, so let me try to say it
23 back to you without the numbers and see if I
24 understand. You're simply, you're taking your ISI
25 results, you're finding out the flaw sizes and you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 weighting their percent contribution to TWCF based on
2 the output of a FAVOR run for Palisades at 200 EFPY.

3 MR. BISHOP: This was actually done at 60.

4 MR. KIRK: Okay. Whatever.

5 MR. BISHOP: The memo was 200, this was
6 60.

7 MR. KIRK: Okay.

8 MR. BISHOP: 60 EFPY.

9 MR. STEVENS: So I'm going to call the
10 question because you guys have completely lost me and
11 the expert over here seems to understand. So I want
12 to pull this back to get him going along and get the
13 information out so we can understand the ramifications
14 of this on NDE. So.

15 MR. KIRK: Well, in that case I'd like to
16 circle back to try and answer Bob's question.

17 MR. STEVENS: That was going to be my next
18 comment is did we answer Bob's question which is so
19 you're ignoring plate flaws.

20 MR. KIRK: My, I'm going to put some words
21 in Bruce's mouth and see if he chokes on them. I
22 think what Westinghouse is saying is that the
23 inspections that are required as part of Appendix VIII
24 blah blah blah are only adequate to detect weld flaws.
25 And so we're going to call everything in that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 inspection volume a weld flaw and compare it to the
2 weld table. Is that correct? And going on further
3 from that, now this is going to be my statement that
4 I'm going to put in my mouth. If we want to require
5 people to provide data to compare with the plate table
6 or conversely forgings we need to have them provide us
7 with an inspection that's focused on that region of
8 the vessel, not something that's confused by having a
9 weld in the middle of it. That's my statement. I
10 don't expect anybody to agree with that one.

11 MR. BISHOP: I agree with that because --

12 MR. KIRK: Oh wow, okay.

13 MR. BISHOP: That's, yes.

14 MR. STEVENS: So Bob's question would be
15 answered with yes. He asked so you're going to ignore
16 the plate and forging defects and the answer would be
17 yes.

18 MR. BISHOP: Because that's not what we're
19 looking at.

20 MR. STEVENS: Yes, unless you do something
21 else. And I understand that the reason everything --
22 we're looking at welds so we're going to call
23 everything a weld flaw, oversimplified but that's what
24 I heard.

25 MR. KIRK: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. STEVENS: And therefore we do no
2 examinations to get plate or forging flaws. Therefore
3 there could be no comparison. Therefore we are
4 neglecting that comparison.

5 MR. BISHOP: We are neglecting the plate
6 and forging fabrication flaws. From the fabrication
7 process. We're not ignoring the flaws that are close
8 to the weld that could get extended by the welding
9 process.

10 MR. KIRK: And again, speaking strictly
11 for me with the usual disclaimer that the views
12 expressed herein are those of the individual staff
13 member and do not represent an official position of
14 the NRC, the only case I can see a technical reason to
15 require a licensee to provide additional data to
16 compare with Table 3 concerning plate flaws would be
17 in a situation where you had a vessel that was known
18 to be plate-limited, meaning, by which I mean
19 specifically its plate has the highest embrittlement.

20 In that case as Bruce said for the Beaver Valley
21 vessel the PTS result, the PFM results for PTS showed
22 that the plate flaws, meaning the flaws that are in
23 the plate that are remote from any welds and are not,
24 have not arisen as a consequence of the welding
25 process contributed about one-third of the overall

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 through-wall cracking frequency. If an applications
2 were coming forward for that type of plant I could
3 certainly in my mind build a technical case for saying
4 show us something to demonstrate that that's been
5 covered. If you have a vessel like Palisades that's
6 well understood to be weld-limited I would have real
7 trouble cooking up a technical reason to make somebody
8 go do that. I realize everything I've just said is
9 outside of the bounds and probably the intent of the
10 rule so that's just a thought.

11 MR. STEVENS: So Bob, I'll ask you, did
12 you get your question answered?

13 MR. HARDIES: Yes. You're going to ignore
14 E, let's see, E12 of the regulations. You're just
15 going to exempt yourself from it. So you'll have to
16 come in with some sort of exemption I guess. I don't
17 know how you're going to handle it. But I understand
18 the proposal is not to follow the rule and we'll have
19 to run our minds through your proposal you know in
20 some.

21 MR. BISHOP: And the basis for that is
22 what we're inspecting now when we do the vessel --

23 MR. HARDIES: I understand the basis.

24 MR. BISHOP: Okay.

25 MR. HARDIES: I do.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BISHOP: Okay. All right.

2 MR. HARDIES: But we have words we have to
3 live by.

4 MR. STEVENS: Okay, so let's move on.

5 MR. HARDIES: Unless we change them but it
6 takes four years to change them. And before the four
7 years -- it takes two years, but that always stretches
8 to four. And you're only allowed to start under
9 certain circumstances.

10 MR. BISHOP: Well again, this is our
11 proposal, Bob. This is something--

12 MR. HARDIES: Yes, and we need to
13 understand it.

14 MR. BISHOP: -- to think about, okay. I
15 mean, we're not saying this is absolutely the way it
16 has to be, this is based on some of our experience,
17 what we think it might -- what it should be. All
18 right. Okay. Let's go back, you can go back to the
19 other slides now. This just sort of explains in words
20 what that spreadsheet was talking about. This will be
21 slide 11, yes. And again, the contributions of the
22 flaw sizes to failure. And again, in this case we
23 were only doing the flaw evaluation for the welds come
24 from the FAVPOST output. It assumes the probability
25 and frequency of failure is directly proportional to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the number of axial welds in the reactor pressure
2 vessel belt line. And I don't think that anybody
3 would disagree that that's unreasonable. The
4 contributions of through-wall cracking frequency by
5 size is increased by the ratio of the ISI flaws found
6 in a given bin to the corresponding max limits from
7 Table 2 for that bin.

8 MR. STEVENS: For the purposes of how you
9 come up with your number of flaws and all that, what's
10 your definition of belt line? Somebody's laughing so
11 they must have liked my question.

12 MR. BISHOP: Okay. I know this is a
13 subject near and dear to your heart. My definition of
14 belt line here is adjacent to the reactor core. I
15 know that that's not the same as the definition in the
16 --

17 MR. STEVENS: So I'm thinking let's take a
18 hypothetical. So I've got a 12-foot high core and
19 right at the mid of the core is a circ weld and you've
20 got axial welds going up above that and down below
21 that. So would you grab all of those axial welds in
22 their entire length or would you be just gathering a
23 portion of the length of those axial welds?

24 MR. BISHOP: Just a portion of the axial
25 welds adjacent to the reactor core.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. STEVENS: And would you define the
2 extremity of those lengths to be, what, the top of
3 active fuel and bottom of active fuel or something
4 like that?

5 MR. BISHOP: Right, right.

6 MR. STEVENS: So you'd basically examine
7 12 linear -- 12 vertical feet of weld, well, they
8 don't line up but in the situation I said, 6 feet up,
9 6 feet down.

10 MR. BISHOP: Now in fact, okay, the FAVOR
11 code typically simulated about a foot above and a foot
12 below that. Just to make sure that they were catching
13 anything that might be of concern.

14 MR. STEVENS: Okay.

15 MR. BISHOP: All right. And again, this
16 shows how you can use the through-wall cracking
17 frequency. And actually these are the 95th percentile
18 because that's what was used in NUREG 1874. And you
19 just multiply it by this ISI flaw, what I call the ISI
20 flaw factor. A couple, on the other side there's a
21 couple different points. The worksheet procedure
22 conservatively treats the following: difference in
23 FAVOR flaw size for bin widths in those in the
24 alternate PTS rule. I got that misspelled, okay, that
25 should be SR instead of RS. But maximum limits. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 what I mean by that is what I did, is if you had, if
2 you go back to that slide that had the worksheet, the
3 numbers in bold, all those, in that bin, in the
4 alternate rule, Table 2 of the alternate rule, all
5 those flaws fell fully within one of the FAVOR bins,
6 all right? The ones that were non-bolded that could
7 be in either of two bins. Like for the first one part
8 of it could have been in the 1.68 contribution, part
9 of it could have been in the 20.9. So we use the
10 maximum of the two. And when we did that we took no
11 credit for the flaws that didn't -- credit for the
12 flaws that were below the limits. In reality if you
13 were going to do this you could take credit for that
14 but we didn't. We didn't take any credit. We just
15 said if they were below the limit, okay. We took no
16 benefit of that. But if you exceeded the limits the
17 ISI flaw factor increased. All right. But we did
18 include the contribution of any flaws that exceeded
19 the size limit of 4.475 as I pointed out.

20 Now, again, this is where the disconnect
21 comes is that the technical basis in this NUREG 6817
22 is multiple flaws are combined into one flaw per the
23 ASME code proximity rules that were in effect at the
24 time. And that's different to the changes that were
25 made to the code in 2004. So that is a disconnect.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. STEVENS: Is anybody -- well, okay.
2 I'm going to hold off because I know that in Jack's
3 part of the presentation that's brought up and I'll
4 ask the question then.

5 MR. BISHOP: And then I did want to point
6 out that we used as the output and this will vary
7 about -- the contribution to failure will vary by how
8 much fluence you have on the welds. And it will also,
9 this only applies really to the alternate PTS rule and
10 the ISI interval extension which are both based on PTS
11 because that's where the contributions come from. The
12 contributions could be different for the risk-informed
13 Appendix G work. And that would be a similar
14 procedure but the numbers would be different. Again,
15 Table 2 in the NRC technical basis had the
16 contributions, 200 EFPY conditions. I think the ones
17 at 60 EFPY would be more realistic which is what we
18 used, but there should also be FAVOR 6.0 runs at 60
19 EFPY that the NUREG 1874 results are on to do that.
20 So that's really all I wanted to say.

21 MR. KIRK: Just as a point, if you use the
22 importance weighting from a 60 EFPY run you're going
23 to make smaller flaws more important. No, no, no, no,
24 no, no. You're going to make bigger flaws more
25 important because it's less embrittlement. So you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 need a bigger flaw to make it break.

2 MR. BISHOP: But I think in terms of what
3 we're looking at for even to 80 or 60 EFPY is more
4 realistic than 200 EFPY.

5 MR. KIRK: I'm not disputing that.

6 MR. BISHOP: But again, I mean this is our
7 suggestion.

8 MR. KIRK: Yes.

9 MR. STEVENS: And it's fair to say that
10 your approach here is what's going in that MRP White
11 Paper? Okay. So I'm anxious to move on here to the
12 second half of this that I think Steve's going to
13 cover.

14 MR. SABO: Okay, these slides were
15 prepared by Jack Lareau. I'm going to try to talk
16 through them. I spoke with him briefly on them and
17 I'm going to take this down an order of magnitude for
18 the NDE guys. Okay.

19 The main topics that I'm going to cover
20 here are the use of the proximity rules for the
21 combination and clustering of flaws. Scanning deck
22 size, specifically going to address the Westinghouse
23 procedures and any other vendors can put their input
24 there. Default depth sizing versus demonstrated flaw
25 depth sizing. Surface examination requirements and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the actual areas we're inspecting which was, we did
2 deal with that somewhat in Bruce's presentation.

3 First to talk about the proximity rules.
4 We did use the proximity rules for the calculations
5 for the 20-year extension and they were done with '98
6 code. So if we're going to use them we should
7 probably continue to use -- and I'll just summarize
8 this briefly -- we should continue to use the '98 code
9 whether or not the code of record for a specific plant
10 is 2004 or greater. The reason being in the '98 code
11 the proximity rules combine flaws if the through-wall
12 depth was two times --

13 MR. STEVENS: The space.

14 MR. SABO: The space was two times the
15 through-wall depth.

16 MR. STEVENS: Right.

17 MR. SABO: Starting in 2004 it's now one-
18 half through-wall depth. So essentially one long
19 indication but using 2004 code could be multiple
20 shorter indications with the '98 code so you've pretty
21 much changed it. You've become less conservative.
22 You could take four short flaws and make them one long
23 flaw.

24 MR. STEVENS: Have any exams been done yet
25 using the new proximity criteria?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SABO: You mean the later?

2 MR. STEVENS: Yes.

3 MR. SABO: 2004 code. I don't think so.

4 MR. STEVENS: I was going to say that it
5 seems to me that to use the older proximity criteria
6 is consistent with the technical evaluation and basis
7 that all this work was done with. So I guess I would
8 be agreeing with your first statement.

9 MR. SABO: So what that's going to do,
10 it's going to require people to set the calculations
11 when they have flaws if they're working to 2004 and
12 later code.

13 MR. STEVENS: Yes, and so it also doesn't
14 appear to affect any past exams, it's only an issue
15 moving forward as folks adopt later versions of the
16 code.

17 MR. SABO: Right, and if someone's going
18 to do a re-analysis of previous data the same thing,
19 they have to use. And I don't know if that's specific
20 in the rule.

21 MR. BISHOP: Jack, I just wanted to point
22 out that in slide 26 I took the wording right out of
23 the technical basis document for the VFLAW program
24 about the proximity. And it says you shouldn't. It
25 would be a disconnect.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SABO: Okay, so I just wanted to bring
2 that up that that's something that really needs to be
3 -- I don't quite understand Jack's logic in the way he
4 described it from length-based to depth-based.

5 MR. STEVENS: Yes, I didn't follow that
6 either.

7 MR. SABO: There's probably some reasoning
8 why he calls the first one length-based. I'm not
9 quite sure. But essentially that's the change, the
10 spacing between them.

11 MR. STEVENS: Yes, and I think we probably
12 agree with, I don't know about the long word, but
13 basically with shorter proximity criteria you
14 potentially end up with more flaws.

15 MR. SABO: Shorter proximity you would end
16 up with fewer flaws.

17 MR. STEVENS: You're right, yes.

18 MR. SABO: You combine them.

19 MR. STEVENS: I'm probably saying the same
20 thing in the opposite direction. It's going to change
21 a number of flaws.

22 MR. SABO: Exactly, exactly. Not the way
23 it was calculated. Okay, the next slide we're talking
24 about scan index. Now, this 12mm is specific to the
25 Westinghouse procedure. Other vendors may have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 different index size. Essentially we take a scan
2 line, move a half inch and take another scan line. So
3 what's the impact of that? Our flaw length is a half
4 inch, that's the shortest length that we can report.
5 Actually the procedure says half-inch plus 0.1, that's
6 our procedural length. If there's a shorter flaw
7 we're calling it 0.6 inches. That's just the way our
8 procedure worked, it was set up to pass the PDI exams
9 and the Appendix VIII requirements.

10 MR. STEVENS: So, okay. So I have a
11 question on that but I'd also like to hear from GE and
12 IHI and AREVA what they might use for a scan index.
13 Is that typical or are those values significantly
14 different?

15 MR. HACKER: This is Mike Hacker with
16 AREVA. We use the half-inch for detection and two-
17 tenths for sizing.

18 MR. STEVENS: GE? IHI? Okay, so GE said
19 their answer was the same as what AREVA, Mr. Hacker
20 said on the phone. And IHI is saying that he's not
21 sure what their scan index is. Size and detect are
22 the same. Whatever that index is you do both at the
23 same.

24 MR. SABO: Our intent is when we have to
25 apply PTS we're going to be scanning at a finer index.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 We realize that for shorter flaws we're going to have
2 to describe them. We're going to have to reduce that
3 index size. We've already discussed that with
4 probably the first utility to be using this is
5 Palisades. We've already been in discussion about
6 that. So we realize that we want to be able to do
7 that. And also you want to be able to maybe break up
8 the flaws if you can. That's what you're looking to
9 do.

10 MR. STEVENS: So do you have any idea as
11 to what that new scan index might be?

12 MR. SABO: Off the top of my head I would
13 say reducing it by half. Probably going to a 6mm.

14 MR. STEVENS: And my understanding is
15 you're basically going to end up taking more time on
16 the exam and collect a heck of a lot more data.

17 MR. SABO: Yes.

18 MR. ANDERSON: Hey Steve, just a general
19 question. You talked about the scan index affecting
20 link sizing more than anything else, right? What do
21 you think it does for detection relative to half-inch
22 versus 6mm versus tenth of an inch or whatever? I
23 mean, you'll have to think about that in terms of the
24 beam that you're projecting and whatnot, right?

25 MR. SABO: You're talking about our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 element size is 1-inch, half inch transmit, half inch
2 receive.

3 MR. ANDERSON: And you're not focusing?

4 MR. SABO: It's focused on about 20mm in
5 depth. From the entry surface.

6 MR. ANDERSON: So the focal spot is at
7 20mm? So anywhere between the clad to base metal
8 interface to 1 inch is variable.

9 MR. SABO: Well, actually that's 20mm from
10 the entry surface.

11 MR. ANDERSON: Oh, okay.

12 MR. SABO: So now you have to subtract the
13 cladding thickness and then.

14 MR. ANDERSON: Yes. So I just wondered if
15 you thought about detection capability relative to
16 increment, scan increment sizes and stuff. And
17 whether you factored into that --

18 MR. SABO: To improve detection --

19 MR. ANDERSON: Or just to make sure that
20 you're not changing, if you're using focused
21 transducers you know you have to be careful with that.

22 MR. SABO: I haven't thought about that
23 any further.

24 MR. ANDERSON: Okay.

25 MR. SABO: But that's something to think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about, yes.

2 MR. ANDERSON: Maybe some modeling? It
3 wouldn't be that difficult.

4 MR. SABO: No. Okay, the next slide is
5 just going to talk about sizing. As we spoke of
6 before, the Appendix VIII near-surface sizing exams
7 rely on tip-to-fraction for depth sizing and we talked
8 about why we use a default through-wall size with the
9 Westinghouse procedures. We feel that we can
10 accurately measure tips down to about one-eighth of an
11 inch. Anything less than that is hit or miss so you
12 may get -- hit or miss with respect to getting
13 actually tip-defracted signals. If we don't get them
14 we're giving a default size of one-eighth. If we can
15 measure smaller we will measure smaller.

16 MR. STEVENS: I have a question, Mark, on
17 the rule. Which bin is the less than or equal to or
18 whatever size applied to? So 0.125 falls into which
19 bin?

20 MR. KIRK: If you go back to the display
21 of the table it's in the header. I think it's greater
22 than or equal to the minimum size. There. Greater
23 than or equal to TWE min and less than TWE max.

24 MR. STEVENS: So in your case --

25 MR. KIRK: We could change that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. STEVENS: -- flaws --

2 MR. KIRK: It's a printing error.

3 MR. STEVENS: -- down around 0.075 you'd
4 be putting in from bin 2 to 3?

5 MR. SABO: Probably. I like Bruce's table
6 a little better that had that number of 0.126. I
7 don't know if you noticed that.

8 (Laughter)

9 MR. SABO: Because actually if you look at
10 it there is an overlap in that table, 0.075 on the
11 first one and 0.075 on the second.

12 MS. NOVE: Steve.

13 MR. SABO: You should get a better
14 definition. Yes.

15 MS. NOVE: What's your accuracy? Are you
16 3-digit accuracy on these measurements?

17 MR. SABO: We report them that way because
18 that's the way it reads in Appendix VIII for sizes.

19 MR. SELBY: You report nearest millionth,
20 nearest thousandth?

21 MR. SABO: Yes. I always claim if we put
22 another decimal there we could be more accurate. You
23 know, that's the way it's written as and that's why we
24 use that. I guess we could have used 0.12 or 0.13
25 but. No, the accuracy requirement for Appendix VIII,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Supplement 4 is 0.15. Whatever you want to read into
2 that, that's what the accuracy --

3 MR. ANDERSON: Wait a minute. You mean
4 the acceptable criteria for phasing sizing is RMS
5 error is 0.15. That's nothing to do with actual
6 sizing error.

7 MR. SABO: No, that's just something to
8 think about.

9 MR. ANDERSON: I knew you would think
10 about that.

11 MR. STEVENS: So I need to make sure I
12 understand that bullet because I'm not sure I do. So
13 you detect a flaw and you call it at 0.2 inches in
14 depth. So what does the last bullet imply about that
15 sizing?

16 MR. ANDERSON: Nothing. It's 0.2 inches
17 in depth.

18 MR. STEVENS: Okay.

19 MR. ANDERSON: When they qualify the
20 procedure for acceptable sizing capability the
21 acceptance criteria said they had to meet an RMS error
22 of 0.15 for all the flaws they sized. Under-sized,
23 over-sized, small flaws, large flaws, all added up
24 together. So once they met it we take the exact
25 number that they describe in the field. We don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 apply any error to it at all.

2 MR. STEVENS: That's nothing more than an
3 accuracy requirement of the qualifications.

4 MR. ANDERSON: That's right, that's all it
5 is.

6 MR. SABO: We just wanted to bring that up
7 because someone could read that out of the code and
8 figure hey, you're claiming 0.075 or 0.125.

9 MR. ANDERSON: No, that's an acceptance
10 criteria for passing qualification.

11 MR. SABO: Right.

12 MR. ANDERSON: Yes.

13 MR. SABO: The next topic is the surface
14 examinations. The way the PTS rule reads is you could
15 use visual or surface examinations to verify that
16 you're not breaching the cladding. At Yankee Rowe the
17 way I understand it, I'm not really familiar with
18 that, you actually could see the rust coming through
19 the clad. But if you don't see the rust coming
20 through the cladding before you scan you could wipe
21 the rust off and so you really can't depend on the
22 visual seeing rust to do it. You could do a visual,
23 an enhanced visual, but what's better than enhanced
24 visual? Probably eddy current. So we're proposing
25 that we're going to use eddy current to verify that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 any of these flaws come through the cladding. And
2 we're going to use that in any areas where we have any
3 flaws within that first 10 percent or 1 inch.

4 MR. HARDIES: I did talk to Matt earlier
5 today and I can tell you that what you just said would
6 make him very happy.

7 MR. ANDERSON: So you went to Japan?

8 MR. HARDIES: No, he talked to me right
9 before he walked into Japan.

10 MR. SELBY: What would make him happy, the
11 part about using eddy current or the part about making
12 the observation for anything that's within the 10
13 percent?

14 MR. HARDIES: No, the part about eddy
15 current.

16 MR. SELBY: Eddy current.

17 MR. KIRK: Bruce are you familiar at all
18 with Yankee Rowe?

19 MR. BISHOP: Just that its cladding was a
20 tack cladding. That was one of the things.

21 MR. ANDERSON: Yes, but the thought that
22 Steve was trying to project there is that the base
23 metal oxide came through, would be expected to come
24 through a through-clad crack and show up as against a
25 background of the cladding as a reddish discoloration

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 or whatever. Maybe. It's possible I suppose.

2 MR. SABO: Okay, so anyhow, we intend to
3 use the eddy current and realize that we're going to
4 have to either use an array or reduce the index size.

5 I think that's -- we haven't decided exactly which
6 way we're going to do that but it's probably going to
7 be the same type of eddy current that has been used in
8 DM welds from the ID. Basically the same thing,
9 you're going on stainless steel cladding.

10 MR. CSONTOS: I think that in the Bs, I
11 know it's not going to be used for PTS or alternate
12 PTS, but in case for Appendix G types of inspections
13 or whatever, I don't think you're going to have rust,
14 right? You're not going to be able to see rust even
15 because of the oxygen levels. So eddy current would
16 still be better.

17 MR. SABO: Surely. Surely.

18 MR. CSONTOS: So we also concur with Matt
19 and with Bob.

20 MR. SELBY: I think the provision in
21 50.61a that talks about using visual or surface
22 methods isn't -- until I saw this slide it never
23 occurred to me that visual might mean looking for
24 rust. I think it meant enhanced visual, looking for
25 cracks. Looking for crack openings.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WIRTZ: I think when you get to Bs
2 you're going to need to consider the possibility that
3 they might want to propose doing enhanced visual exam.

4 I mean, the Ps are doing the exam from the ID. All
5 the tooling is already designed.

6 MR. ANDERSON: OD.

7 MR. WIRTZ: Pardon me?

8 MR. ANDERSON: Well, the UTs --

9 MR. WIRTZ: The Ps are doing it from the
10 ID so they already have the capability and tooling
11 there in a BWR access for the tooling and it just
12 might be a different animal. So I don't think it
13 should be assumed that everybody was going to go
14 straight to eddy current.

15 MR. STEVENS: Good point. Thanks, Chuck.

16 I have a question and it may seem kind of unrelated
17 but I'm going to ask it anyway on cladding. With
18 respect to whether plants have one or two layers of
19 cladding, and I guess I'll look at kind of Robin for
20 this or EPRI. But so I know there's been some, for
21 example, the EPRI Embrittlement Management Handbook
22 that talks about fabrication techniques and how the
23 various practices that vendors use to fabricate
24 vessels. And it gives a range of practices that may
25 have been applied, and there were some recommendations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 in there that you know, bottom line, for any given
2 plant can vary and recommended that plants go pull
3 fabrication records. With respect to cladding layers
4 I saw that recommendation in there. I have never
5 found anything anywhere you know where that
6 information was collected and compiled by the
7 industry. But is there any information that you're
8 aware of that tells us how many layers of cladding
9 were deposited in the various plants is the first part
10 of the question. The second part of the question is
11 as a part of an Appendix VIII exam is there any
12 information that would come out of that that might
13 help answer that question.

14 MR. TOMES: I know for the Palisades Plant
15 they sent a letter to the NRC where they documented
16 the thickness of the cladding. And that doesn't
17 really tell you the number of layers but they took and
18 measured the thickness of the base metal and then they
19 did, measured the thickness of the cladding and that's
20 how they used the -- determined what values should be
21 used for the PTS work. So that was a statistical
22 analysis based upon hundreds, or many measurements of
23 the cladding thickness.

24 MR. STEVENS: Yes, and I've in fact seen
25 cladding thicknesses I think in all the plants, at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 least from a design drawing. Carl?

2 MR. SELBY: To answer another part of your
3 question, there isn't anything in an Appendix VIII
4 vessel exam data set that would tell you how many
5 layers of clad there are. It's not there.

6 MR. LATIOLAIS: And I've -- in working on
7 some other projects, some vendors have tried to come
8 up with techniques from the inside to measure the clad
9 and not had much success. From that surface. You
10 have better success going from the OD trying to
11 measure it than you would trying to measure it from
12 the clad surface.

13 MR. SELBY: But there's the thickness of
14 the clad --

15 MR. DYLE: In regard to your first
16 question, there's information about how they're made.
17 You can go to the plant and determine from their
18 fabrication records how the cladding was applied, but
19 I'm not aware of any compilation of which plants had
20 cladding applied which way. At least I don't remember
21 anything like that.

22 MR. SABO: Gary.

23 MR. HARDIES: There was a CE Owners Group,
24 reactor vessel integrity group that developed -- Steve
25 Byrne collected all the records, fabrication for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 welding that was applied to the reactor vessel
2 including the cladding. And that just identifies the
3 procedures, weld layers, everything. And it lists the
4 procedure and the procedure will tell you whether it's
5 a single layer or a double layer. And a lot of the CE
6 vessels are in that compendium. And we have it, NRC
7 has it.

8 MR. DYLE: Yes, you have that data. I
9 mean, that would be a way to compile it. What I
10 remember looking at at our plant was only for our
11 plant so I didn't see a roll-up for -- I never thought
12 about going back and looking at the procedures and try
13 to figure out which plant used which procedure and
14 then determine it that way. But yes, all the CE stuff
15 was provided in response to Generic Letter 9201.

16 MR. STEVENS: Right. So I was, from what
17 I could see is consistent with what you guys just said
18 and I was just wondering were some specific
19 recommendations to the folks to collect stuff. And I
20 just wondered if I might have missed some compilation
21 downstream for the fleet.

22 MR. BISHOP: I just wanted to say that for
23 the PTS three representative plants, for the Beaver
24 Valley and Palisades they were able to find, okay,
25 that there were small-pass cladding so there were no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 surface-breaking flaws. For Oconee they couldn't find
2 that information so they assumed that they did have
3 single-pass cladding and so they could have surface-
4 breaking flaws.

5 MR. THERIAULT: Yes, kind of more around
6 what Bruce was just saying, from what I've seen the
7 documentation does seem to be limited but like for
8 some specific plants I can think off the top of my
9 head like Catawba Unit 1 and McGuire Unit 2 we have
10 equipment specifications that document how many layers
11 of cladding were used.

12 MR. STEVENS: Sorry, to document? What
13 was the last part?

14 MR. THERIAULT: That document how many
15 layers, if it was multi-layer or single-layer passes.

16 I mean, I don't think it's consistent, at least most
17 of the time that information isn't available though.

18 MR. STEVENS: Okay.

19 MR. SABO: If I could ask a question
20 either of Greg or Carl. The cladding on the PDI
21 vessel blocks, I know it's very thick. Do we know
22 anything else about it?

23 MR. LATIOLAIS: The vessel blocks
24 themselves were canceled reactor -- the thickest layer
25 I think is, thickest area is about 0.375. But you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 mentioned earlier that the clad was removed and put
2 back on. It was only removed in certain areas. So
3 it's typical of a PWR bin vessel of that age. So
4 it's, most drawings I see, I see one-eighth of an inch
5 nominal but a lot of times they're much thicker than
6 that.

7 MR. SABO: Right. And that is, what I
8 was, getting to my point that's a very, it's a thick
9 cladding, it's one of the thickest claddings I've
10 seen. And everyone's techniques for the Supplement 4
11 were proven out on blocks with thick cladding, so.

12 MR. STEVENS: Okay.

13 MR. SABO: Pretty much to my last slide
14 here talking about the inspection area. Bruce stated
15 previously about the plate flaw limits are more
16 restrictive than the weld flaw limits. But if the
17 plate limits need to be used, they are more
18 restrictive, and you have the number of flaws becomes
19 your limiting factor I don't think there's anything
20 that precludes you from saying let's scan more base
21 material to get more square inches so we can dilute
22 the number of flaws.

23 MR. STEVENS: This one I can speak to
24 because I did talk to Mr. Mitchell about this on
25 Monday.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. SELBY: It came up at the last
2 meeting.

3 MR. STEVENS: He particularly enjoyed the
4 use of the word "dilute."

5 (Laughter)

6 MR. STEVENS: And he said if that's your
7 real objective in life you're probably misapplying
8 direction of the rule. But more specifically he said
9 if, and I guess we're in a little bit of a -- because
10 you had said you're not doing plate exams so I'm not
11 sure when you'd come up with this, but given that
12 that's what's happening what he said was if you are
13 going after examinations of highly embrittled areas
14 because that's the real focus of this rule and that he
15 wouldn't have a problem with that. If you were at the
16 extremities of the belt line zone, whatever that might
17 be, and you were just adding some extra volume to
18 truly dilute your flaw density he said he would have a
19 hard time seeing a technical justification for such
20 practice.

21 MR. BISHOP: Based on the comments that
22 Bob made, and I appreciate those comments, Bob, your
23 feedback. Probably I think what we're going to say is
24 don't do the plate flaw limits but specifically I
25 think what we're recommending is you shouldn't be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 using the plate flaw limits to the weld inspection
2 volumes that we're using now. If you want to do plate
3 inspections do plate inspections, but for what we're
4 doing now, for the ISI volume use the weld flaw limits
5 because I think that's more representative. But don't
6 apply, try to apply the plate flaw limits within the
7 ISI volume we're currently using. I think that would
8 be a better representation I think of your
9 understanding of what we would recommend.

10 MR. HARDIES: Fortunately I've been
11 reading the rule. I'm trying to figure out what you
12 were suggesting and how it fit into the rule. The
13 rule says you've got to look at plate and give us
14 plate densities and weld and give us weld densities.
15 You have to do it within the Section 11 volume, the
16 figure. So it gives us both something to work on.

17 MR. ANDERSON: Yes. Whether that's
18 possible or not is the question.

19 MR. TOMES: Well, I have a follow-up
20 question on this. Let's suppose that we had a vessel
21 that was forging. And we got --

22 MR. ANDERSON: Is it north of here?

23 (Laughter)

24 MR. KIRK: Is it in a place famous for
25 cheese?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. TOMES: This is a hypothetical
2 question I'm asking relative to the way the rule is
3 written. And it doesn't have a weld, doesn't have an
4 axial weld and doesn't have a circ weld within the
5 belt line region because it has a long forging. And
6 since there -- and I don't have to do any exams for
7 Section 11, but let's say I'm limited by my forging
8 material. I'm approaching my 300 degrees because I've
9 operated for a hundred years. Does the rule require
10 us to inspect the forging? And I think it does
11 because we're going to apply 10 CFR 50.61a to use a
12 higher PTS screening criteria to the forging. So I
13 don't understand this concept about applying Section
14 11 weld volume only unless we're saying the Section 11
15 weld volume is adequate for the rule.

16 MR. ANDERSON: Well, let me throw
17 something in to make that even more murky than that.
18 Is there is a code category as we all are aware of
19 that if you have plate repairs you will examine them.
20 They have nothing to do with the weld volume. You
21 have to go examine those repair areas. Now, granted,
22 that's weld material in the repairs so you can make an
23 argument that you should still use the weld binning
24 process.

25 But that's why somebody said if you didn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 have -- if you had -- if you were a pressurized water
2 reactor with all ring forgings and you don't have any
3 L seams that you didn't really have to do, well, yes,
4 maybe, but if you've got a repair weld out there in
5 the middle of one of those forgings somewhere, oh yes,
6 you do. Because which direction is the repair weld
7 in? How do you know the flaws are axial or
8 circumferential?

9 MR. BISHOP: You don't. You assume
10 they're half and half.

11 MR. ANDERSON: But you've got to go
12 examine it. So you should be able to -- I mean you
13 have to deal with that somewhere. You can't ignore
14 them relative to this PTS rule.

15 MR. BISHOP: I don't think we're allowed
16 to use the alternate PTS rule to the plant you're
17 talking about. Because the PTS transients are
18 significantly different.

19 MR. KIRK: What?

20 MR. HARDIES: Are you talking about a new
21 plant? Yes, it's not applicable to new plants.

22 MR. TOMES: I'm really talking about the
23 case where I'm not limited by my weld, I'm limited by
24 my forging.

25 MR. HARDIES: We don't have any of those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 hypothetical plants you described.

2 MR. TOMES: Well --

3 MR. HARDIES: There aren't any that this
4 rule applies to.

5 MR. TOMES: In portions of our plant --

6 MR. HARDIES: The part above the weld?

7 MR. TOMES: The RTPTS values on the plate
8 are approaching and are larger than portions of the
9 weld. So we will become ring forging limited.

10 MR. KIRK: And I think what Bruce is
11 referring to is the alternative PTS rule would be
12 applicable to that plant because it's already in
13 service where it specifically says, and I don't know
14 if it's in the statement of considerations or
15 wherever, that the alternate PTS rule doesn't apply
16 unless the licensee brings the case forward is to new
17 plants. And the reason that's said is because we
18 haven't analyzed the types of -- we haven't analyzed
19 new plant overcooling transients if they even exist.
20 We simply don't know.

21 MR. TOMES: So the thing I'm asking for
22 clarification, the way the PTS rule is written now the
23 only examination volume that's required is the
24 examinations that are current -- the volumes that are
25 currently specified in Section 11?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. HARDIES: We wrote this test with the
2 objective in mind of not making a plant do something
3 different than they had done before. So we didn't
4 specify a new exam of some new volume. So that's the
5 answer, it specifies the ISI volume that was required
6 when we wrote the rule.

7 MR. TOMES: Now, we did have this
8 conversation about adding plate volume to -- if you
9 don't have enough plate data or if you miss it and you
10 want to inspect more. We did have that conversation.

11 That doesn't line up with the words in the rule. The
12 words in the rule say do the normal examination
13 volume. So you've got to work your way through that.

14 MR. BISHOP: Again, we sort of did what we
15 thought was the objective. And again, the point is
16 the proposed treatment of the alternate PTS rule ISI
17 flaw limits is consistent with and supported by how
18 the risk-informed technical basis was developed
19 typically, the NUREG 1874 work in terms of the
20 application of flaw limits, plate flaws, application
21 of weld flaws and the evaluation procedure of the weld
22 flaws and limits exceeded. So that's -- I mean, we've
23 already talked about that. And I think in the methods
24 we're proposing you would not have to do any new
25 plant-specific FAVOR runs. That's the bottom line.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. STEVENS: Okay. I want to, I had
2 called earlier and I just want to make sure. So I
3 didn't hear that there were any members of the public
4 that had anything to say. Is that still true? Also
5 online or on the phone? Okay. I think there's one
6 other topic we'll talk about at the end but I just
7 wanted to take this opportunity now to spend maybe 30
8 minutes and recap. We have actions, if there are any
9 actions summarize those and to get any residual
10 questions now based on everything we've discussed.
11 Greg had a question earlier.

12 MR. SELBY: It was a question or an
13 observation from a licensee to me over lunch about it
14 would be great if he could come away from here with a
15 real good understanding of how to write is bid spec
16 for his relevant inspection job. What should we do?

17 MR. STEVENS: And that's a pretty good
18 end-all summary question of why we. Well, we had this
19 meeting for a variety of reasons but with particular
20 focus on NDE I think that's the end-all question that
21 I've been hearing. So now that everybody has a
22 complete and thorough, rigorous understanding of the
23 rule could they go off and write a bid spec for their
24 vendors to do an exam? And I think the other question
25 we asked earlier too is still a good one and do those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 vendors that are present, if they got such a bid spec
2 are they comfortable that their current procedures
3 would provide the appropriate information to apply the
4 rule.

5 MR. LATIOLAIS: I've got a question.
6 Before lunch I think a lightbulb came off to me. What
7 I thought I heard you saying, what was agreed upon.
8 Based on my understanding of the rule and what was
9 discussed this morning requirements are that you take
10 Appendix VIII qualified procedure people and
11 equipment, you perform the examinations, you perform -
12 - once you've performed the examinations, you've
13 recorded all of the data, you used the screening
14 criteria contained in the Appendix VIII qualified
15 procedure. You detect all the flaws, you put the
16 flaws in a bin. You have all the flaws here. Then
17 you apply your proximity rules per the code to all of
18 these flaws. You compare them to the 3500 tables for
19 acceptance. If they all meet it, that's fine. If you
20 have some that exceed you have to do 3600
21 calculations. But for the purpose of binning you take
22 not just these flaws that had to go -- that you had to
23 do 3600 on, you take the entire bin of flaws that you
24 identified during the exam after screening and that's
25 what you populate the bins with. The only other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 question after that is --

2 MR. ANDERSON: But you apply your
3 proximity rules before you do that.

4 MR. LATIOLAIS: You apply your proximity
5 rules before you do your 3500 calculation. You also
6 grab them together to do your binning.

7 MR. ANDERSON: No, you apply your
8 proximity rules before you do the PTS binning.

9 MR. LATIOLAIS: Yes. You do it for both.
10 You only do it once, you're not going to do it twice.
11 You do it one time, you use those values, you put
12 them in the bins. With the exception of is the
13 increment fine enough, is it -- do you want to find
14 more or anything else, that was my understanding. You
15 go forth and do it that way. Now, there was other
16 discussion that if you exceed this limit which appears
17 to be fairly large based on all the presentations and
18 that seems to be a very good way to handle a vessel
19 that ends up exceeding, potentially exceeding this
20 rule, you may want to consider other techniques that
21 maybe are not qualified but technically justifiable to
22 more accurately bin the flaws if you feel that they're
23 over-populated.

24 If you have a good technical basis you go
25 use higher frequencies or whatever you may need to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to be more accurate. But that would be a relief to
2 you gentlemen and you'd have to explain it and justify
3 it. In addition to that, if you found a flaw that was
4 either connected by proximity or potentially connected
5 to the surface you'd have to do an additional exam to
6 confirm that it's connected or not connected to the
7 inside surface. From an NDE perspective is that what
8 I heard? Is that a good summary of what your
9 expectations are from all these discussions?

10 MR. HARDIES: I thought that was crystal
11 clear. I don't know if anyone else has a different
12 opinion.

13 MR. SELBY: Yes, I thought that was good.

14 MR. HARDIES: I thought you nailed it.

15 MR. STEVENS: I liked it and this is
16 another reason why we have transcripts so that I don't
17 have to have you repeat that seven times.

18 MR. LATIOLAIS: You can remove the Cajun
19 accent if you want, also.

20 MR. SELBY: Okay. Timestamp 3:20 p.m.,
21 look for those words.

22 MR. DYLE: Gary, if I could, just to
23 clarify one thing Carl said. What you bin is those
24 things that by Section 11 are determined to be flaws.
25 That's what we're talking about is flaws, not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 indications. So that would be the thing to do. And a
2 flaw can be acceptable, it can be less than the 3500
3 acceptance standards, but it -- you're using flaws
4 because that's what the rule requires.

5 MR. ANDERSON: Robin, I don't know that I
6 would say by Section 11. I would say by whatever your
7 procedure protocol that has passed Appendix VIII says
8 are flaws.

9 MR. DYLE: The rule says flaws. Section
10 11. You're using Section 11 procedures and personnel
11 and that's what --

12 MR. LATIOLAIS: I'm back. Carl Latiolais.
13 It's flaws. When I said you record all the data, the
14 analyst performs his evaluation per the criteria in
15 the qualified procedure. What he does then is he
16 sorts out indications from flaws, geometry from flaws,
17 and he puts all these flaws in this imaginary bin
18 here. He has them all there. Then he goes and he
19 analyzes those flaws to determine whether they're
20 acceptable or rejectable. He does proximity
21 calculations, he takes it to 3500, see if it exceeds
22 or not, but what goes in the bins, after he does that
23 what goes in the bins is not just this number here
24 that exceeded 3500, it's all of the flaws in this
25 bigger bin over here gets used to populate the bins

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 for this rule. But it is flaws. Thank you. I'm
2 leaving again.

3 (Laughter)

4 MR. HARDIES: Section 11 flaws, but it's
5 the procedure where that happens.

6 MR. ANDERSON: It's the qualified
7 procedure that does it.

8 MR. STEVENS: Thanks for that because we
9 did get wrapped up in that terminology earlier and we
10 spent a fair amount of time iterating on it until we
11 concluded that. So thanks for that clarification.

12 MR. ANDERSON: That brings up a question.
13 Based on that clarification, Bruce and Steve, the
14 work you did and you sent to -- that's in the ML
15 number that you talked about for that tabulation of
16 those 20 plants or whatever. Thirteen. Does that
17 match what we've just described, what Carl just very
18 succinctly described? Or is that only the flaws that
19 were reported based on Section 11 reportability?

20 MR. STEVENS: No, remember that -- yes.
21 Remember, all of them in that last column I showed
22 were Section 11 evaluated to acceptance criteria. And
23 every single one of them in that report was allowable
24 meaning it met acceptance criteria. And none of those
25 flaws had an IWB-3600 flaw evaluation. So I would say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 yes, that data they provided is consistent with the
2 definition Carl just gave which I'm thankful I don't
3 have to have him repeat and write down.

4 MR. SABO: The only thing that wasn't
5 done, there was no surface and/or visual exam done.

6 MR. STEVENS: That's right, they're not --
7 there's no evaluation in that report against the flaw
8 tables of the rule. And there's also no information
9 in there that there was supplementary surface exams to
10 verify the, you know, non-connectability of the flaws
11 to the inside surface.

12 MR. DYLE: And if I could, just a
13 clarification, and I think Mark said this earlier but
14 to get it documented. The surface-connected flaws
15 that you're concerned about are only those that are
16 axially oriented. Circumferentially oriented flaws
17 you don't have to worry about the surface connection
18 according to the words of the rule.

19 MR. STEVENS: Yes. That, just to clarify
20 that Mark's head nod would not be on the transcript.

21 (Laughter)

22 MR. KIRK: Nor would the brain rattle.

23 MR. STEVENS: You know, at lunch we talked
24 about it would be useful to bring up the rule and then
25 I got it and we never showed it. Maybe we're beyond

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this now. Does anybody want to see the words of the
2 rule? The actual words in the rule for NDE. That was
3 brought up at lunch as why don't we bring this up and
4 show what it says, but maybe we're beyond that now.
5 Well, I can blow it up so you can read it. It only
6 occupies if you want to see it. Unless I hear a
7 strong suggestion to do so I will not display it. I
8 don't want to prolong the. Any other -- let's just
9 say any questions? Any remaining residual questions?

10 Did we answer Greg's question? Carl answered.

11 MR. SELBY: You'd have to ask the licensee
12 how they felt about whether they come away confident
13 they know what to do.

14 MR. STEVENS: Would the person that asked
15 you the question at lunch be able to go write his bid
16 spec?

17 MR. SELBY: I haven't talked to him since
18 lunch.

19 MR. STEVENS: Okay. So. He's not in the
20 room? He/she is not in the room? All right, anybody
21 in the room that might write a bid spec have the
22 information they need to do so?

23 MR. TOMES: I'm not sure I have all the
24 information but we'll be writing a bid spec.

25 MR. CSONTOS: What are you missing? Or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 what do you consider that you're missing?

2 MR. TOMES: One of the things that I'm
3 still concerned about relative to our population of
4 plants is really how we're going to handle a situation
5 where if we examine the vessel and we determine that
6 we have more flaws than is described in bin number 2
7 and bin number 3. So right now I'm kind of torn with
8 the idea of requiring the vendor to qualify a
9 transducer with a smaller frequency such that we can
10 go back in the areas where we think we have that
11 population of additional flaws to examine them with
12 another transducer.

13 Then I'm thinking well then maybe
14 someone's going to require us to have calibration
15 blocks and go through PDI and the NRC may not accept
16 it. But I feel as a licensee if we're in that
17 situation where we have more flaws than is described,
18 than the tables we have to be able to have a process
19 to move forward. So we're probably going to be toying
20 with that idea, alternate examination scans and then
21 also Bruce's idea of ways of incrementally assigning
22 the risk to the larger population of flaws. And maybe
23 it's an exemption to the rule where we ask for another
24 FAVOR code with a new FAVOR run with the actual flaw
25 population.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. HARDIES: So I'm not sure that would
2 be an exemption to the rule. You fail this table, it
3 tells you to do a risk evaluation. It's not an
4 exemption.

5 MR. STEVENS: So then I'll say that in the
6 regulatory guide that we'll be preparing it's our
7 intention to give guidance on how to do that. And
8 it's our aspiration to provide you with some
9 possibilities short of a full-blown probabilistic
10 fraction mechanics analysis.

11 MR. HARDIES: We would expect that the
12 first thing you would do is go find those flaws and
13 find out what the fluence is on them.

14 MR. CSONTOS: What's your timetable for
15 getting that out? So that we know that if we're --
16 for our timetable on this reg guide.

17 MR. TOMES: Well, the Kewaunee exam will
18 probably occur in 2015 but I think the Palisades exam
19 which you know Dominion doesn't own but it's my
20 understanding that might be spring 2013 and I don't
21 know when the Beaver Valley one will occur. But I'm
22 just speculating as to who will be the early
23 applications.

24 MR. CSONTOS: So when do you need your
25 information from us? This reg guide for public --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 we're trying to get this reg guide for public comment
2 out by early in 2012. Is that going to be too late?

3 MR. TOMES: We would probably need to put
4 a contract in place a year in advance. So for
5 Kewaunee it would be 2014, for Palisades it's probably
6 going to be spring -- okay, so you're talking fall.

7 MR. CSONTOS: 2012. So you'll get at
8 least the draft I think for public comment sometime in
9 the spring of 2012. So that should be sufficient
10 time, correct?

11 MR. SELBY: Draft of the reg guide?

12 MR. CSONTOS: Yes. Yes.

13 MR. BRILEY: If we get the draft and we
14 start preparing and going into this I mean we're going
15 to be on a timetable that's pretty expedited. And
16 things change before we implement based off the draft.
17 What will happen? I mean, again, we're going to be
18 kind of doing stuff at risk.

19 MR. CSONTOS: Would you -- how about
20 having something like this again, a public meeting
21 while we're in the midst of writing it so maybe we can
22 present.

23 MR. STEVENS: Well I was going to say that
24 Al, to that you know, we've committed to holding these
25 periodic public forums, meetings, to facilitate that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And really it goes both ways, to try and minimize
2 your uncertainty as well as to provide us input on
3 timing and things like that.

4 MR. CSONTOS: We're seeking that public
5 dialogue. So whether we -- we're going to start, this
6 is one of the activities that we're looking for.
7 Thank you, Bruce, for what you've written and
8 presented. And we're looking for something like this.

9 We'll present it maybe, I don't know, when would be
10 the next one? A couple of months from now maybe?
11 About three months?

12 MR. STEVENS: Well, you're segue-waying
13 into the next one, but.

14 MR. CSONTOS: Okay.

15 MR. STEVENS: You know, right now my
16 proposal is going to be the next meeting be at ASME
17 code meetings in St. Louis in the second week in
18 November. And I have tentatively a room assignment
19 already locked with ASME for Tuesday evening for three
20 hours and I would public notice that. I wanted to
21 solicit input here and also keep in mind that we've
22 been averaging about every month and a half to two
23 months for these meetings. It won't be the last
24 meeting and I know at some level that's still in
25 outage season and all that. So we don't necessarily

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 have to -- each meeting may have different topics.
2 Like this one focused on NDE. The last one really
3 kind of didn't. So if we don't get to NDE in November
4 we could have the next meeting cover it which might be
5 January or something like that.

6 MR. DYLE: I've got one additional
7 question about your process going forward. Bruce
8 presented a lot of interesting information and
9 different ways to look at the rule and all, but we
10 don't yet have the rule change so how do you envision
11 using that information in a generic sense, or is the
12 expectation that Bruce and the folks at Westinghouse
13 need to bring that forward as a proposed alternative
14 means. Or what's the right way to approach that?

15 MR. STEVENS: I think even --

16 MR. CSONTOS: That would be more for NRR
17 to. Bob? I think it's a question for you guys to
18 answer, not us.

19 MR. DYLE: The question was a process
20 question. Going forward with the proposals that Bruce
21 put on the table about how to treat the flaws and
22 given that that's different than what's in the
23 existing row what is the way we proceed and go forward
24 with that and try to find ways to use that or benefit
25 from it. I don't think it's something you can just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 put in the reg guide that says here's an alternative,
2 but could it be a, you know, I'm curious about how the
3 process is so we get that fleshed out.

4 MR. HARDIES: That's a good question. I
5 don't know myself. Bruce made like two presentations.

6 One was how to do the risk assessment if you flunk
7 the table and one was how to -- well, I'm going to
8 talk about that one first. That one's a nice input
9 and I would think you would write that up and send it
10 in to us and we evaluate it, maybe meet with you some
11 more and maybe include it in the reg guide if it's an
12 approach, a viable approach. The other one, I'm still
13 having a hard time grasping that one. The way I read
14 the rule it says you do these exams, you fill in the
15 table and if you flunk the table you can go do this
16 risk stuff and it seems what you did is you did the
17 risk stuff and said I don't need to do this table
18 stuff first. And that's very different. I'm having a
19 hard time wrapping my mind around how we proceed on
20 that. I mean, it's a potential, it could work but I
21 just don't know how yet.

22 MR. DYLE: I'm not trying to speak for
23 Bruce or Westinghouse or anybody but it would seem
24 that if there's some way to evaluate what they've
25 proposed and find it acceptable it could go into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 reg guide as a means of how to perform that through-
2 wall cracking.

3 MR. CSONTOS: Matt at the last meeting
4 basically said bring it in, you know, bring your
5 suggestions in. We will take that under advisement
6 while we're writing up the reg guide. That's the
7 first step, okay? After that, if you disagree in the
8 public comment period it's a great time for you to
9 comment again, okay? What we've come up with. But
10 then after that whatever happens with the reg guide,
11 then there's something else that I'm sure that, you
12 know, NRR and Matt and Bob can discuss. But I think
13 in the next maybe five, six months, that's the kind of
14 procedure we would like to follow.

15 MR. DYLE: One of the reasons I asked was
16 while Westinghouse was represented if somebody else
17 was thinking about what their options are this gets
18 that on the table for them to --

19 MR. CSONTOS: This -- right. Bringing it
20 -- that's why we wanted to have these public meetings.
21 That's why we're transcribing it, getting the public
22 meeting, getting the presentations put into a summary
23 for us to, you know, hopefully to review for the reg
24 guide.

25 MR. STEVENS: Now, the other thing we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 talked about at the last meeting all about this,
2 regarding this was timing. And you had asked us at
3 that meeting is for us to consider things seriously
4 for the reg guide when would we need to see them. And
5 our response to time was we would need to see them by
6 the end of this month. So time's running short to get
7 suggestions in to us to build into the reg guide.

8 MR. SELBY: I have a couple of questions,
9 Gary. One is for staff or Robin or anyone who knows,
10 that's the tables and this process are being applied
11 for three things apparently, PTS applications and
12 Appendix G and also going to 20-year code interval.
13 My understanding was that for the purposes of PTS the
14 population was small. What's the population if you
15 take all three of these applications together?
16 Population of plants. Is it still just a few plants,
17 or is it a lot of licensees?

18 MR. STEVENS: No, our --

19 MR. SELBY: It's a lot. And then what
20 kind of term? Near term?

21 MR. STEVENS: The risk -- well.

22 MR. BISHOP: Well, like I said, we've
23 already done 20 ISI interval extensions. The risk-
24 informed Appendix G is being delayed. I think if we
25 had, there are people that want to use it now, but --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and particularly the BWRs for their -- some relief
2 that they're going to be getting. But I mean it's
3 still in the regulatory arena right now.

4 MR. KIRK: And as Bob pointed out, I mean
5 certainly the suggestion has been made that the same
6 inspection flaw assessment rules that we've been
7 talking about here might be applied to risk-informed
8 Appendix G but just to reiterate Bob's earlier
9 statement. I mean, we're still discussing that. I
10 think we should focus on the "might." If it was it
11 would obviously apply to pretty much everyone in the
12 fullness of time but it's still very much a "might."

13 MR. HARDIES: Yes, it might be a
14 completely different flaw set that we're interested in
15 for Appendix G.

16 MR. SELBY: Okay, thanks. The second
17 question was one of the things that you, RES, needs to
18 go and figure out, or one of the things I saw
19 consternation about in you, Gary, was coming to grips
20 with the observed variation in distributions from
21 vessel to vessel. Why, what are the reasons. Is the
22 true distribution that variant, or are there other
23 factors engaged? And in the meeting here we wrestled
24 a little bit with how you could access the kind of
25 data that might shed some light on it while still

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 protecting the identities of the licensees who
2 contributed data. And I guess what I have is not
3 really a question but an offer. If there's any way
4 that we, EPRI, can help you, help provide you data to
5 inform your deliberations let me know.

6 MR. HARDIES: Yes, I mean, I don't know.
7 Is this a Hardin question, a Tim Hardin question? I
8 mean, I was going to -- I mean, Bruce. Well, that's a
9 different subject. But yes, we need some help with
10 aligning manufacturing information out there with the
11 inspection data that Westinghouse has given us. If it
12 helps explain the large difference in number of flaws.

13 That would be very helpful to us. And I will start
14 with asking I think Westinghouse and EPRI if there's
15 any information that could be supplied to help with
16 that.

17 MR. DYLE: I would just suggest if you
18 request it specifically in an email then send it to
19 Tim and copy me and Bob Carter and Greg.

20 MR. STEVENS: Okay.

21 MR. DYLE: We could get together and
22 figure out what we could do.

23 MR. CSONTOS: This is in a short-circuit
24 time path here.

25 MR. DYLE: I understand.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. CSONTOS: This is something very.

2 MR. DYLE: Tim will be at the meeting next
3 week.

4 MR. CSONTOS: Yes, we'll have to bring it
5 up there. Okay.

6 MR. STEVENS: So in fact, in the way of
7 actions I kind of had two here. That was one which
8 was to close the loop on fabrication. And then
9 another one was the question that Chuck Wirtz asked
10 regarding the BWR circ welds and whether there was
11 going to be any kind of a need to go back and revisit
12 those. And I think we just need to get back to you on
13 that one.

14 MR. HARDIES: Greg, I had a question for
15 you relative to your offer on a different kind of
16 thing. Since you guys are really the keepers of the
17 PDI specimens and you suggested that there might be
18 some techniques that could be applied if the bins were
19 exceeded frequency-wise, angles, whatever someone
20 might want to apply. And probably a lot of licensees
21 would be looking for you guys to lead that effort.
22 Would it be worthwhile for you to try to look at some
23 techniques that might be appropriate to apply there?

24 MR. SELBY: That's why I asked my first
25 question about the population of interested plants.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Because that, yes, the background of the question was
2 if I'm going to go out and get funding to develop such
3 a technique it's easier if there's a lot of interested
4 plants. So yes, I was thinking the same thing.

5 MR. HARDIES: Okay. So are you going to
6 seek funding for that then?

7 MR. SELBY: Yes, I'll try to figure out a
8 way to do that.

9 MR. HARDIES: Okay. That's all I wanted
10 to know. Thanks.

11 MR. CSONTOS: I had one question about the
12 BWRs. And Chuck, you had mentioned about that you're
13 going to do VT, right? Automated VT. You know, if we
14 need to go EVT.

15 MR. WIRTZ: I was saying the surface exam
16 you can't --

17 MR. CSONTOS: Do the eddy current.

18 MR. WIRTZ: Surface requirements of the
19 PTS rule --

20 MR. CSONTOS: Oh, can you go to the mic?

21 MR. WIRTZ: -- be made with regard to --

22 MR. CSONTOS: Can you go to the mic?
23 Sorry.

24 MR. WIRTZ: I was just alluding to the
25 fact that the surface requirement if you have what's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 surface-breaking flaw or a flaw by proximity has to be
2 assumed to be a surface-breaking flaw. The
3 verification of that I don't think you can assume that
4 that requirement will be met for the rule, whether
5 it's the PTS rule or a rule that's developed for
6 implementation of the risk-informed Appendix G. I'm
7 not considering that maybe EVT-1, some enhanced
8 visual, some type of visual exam would be a tool for
9 that. And some of that may come out of what we find
10 in the round robin results that we're working on right
11 now.

12 MR. CSONTOS: Right, that's the work with
13 Cumblidge? Okay.

14 MR. STEVENS: And my understanding of that
15 is you're just, you know, you're making that comment
16 with respect to what was in Westinghouse's
17 presentation about eddy current being the exam, or the
18 technique of choice because you're just not set up to
19 do that readily.

20 MR. SELBY: Yes, there's a lot of these, a
21 lot of locations in the belt line area of a BWR on the
22 inside surface are just really, really difficult to
23 access with a robotic scanner.

24 MR. STEVENS: And that was actually one
25 question I wanted to ask, follow up on Westinghouse.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So I understand when you told me in my example you
2 went six feet up and six feet down and that's what
3 your definition of belt line was. So, are those welds
4 examined? Is that your limit of what you analyzed or
5 is that the limit of what the inspection did? So in
6 other words, were those welds completely the full
7 length of them interrogated and then you just paid
8 attention to 12 feet? Is that correct? Or was the
9 examination only done plus or minus 6 feet and
10 therefore that's all you had to evaluate?

11 MR. SABO: A full examination was done.

12 MR. BISHOP: Of the full welds. But
13 again, our interpretation of the PTS rule was that you
14 would only apply that to the belt line, the region of
15 the welds that were in the belt line.

16 MR. STEVENS: Correct.

17 MR. BISHOP: Because if you look at
18 Palisades, okay, 1000 versus 1006, I think that's how
19 they came up with 1006 was using just the belt line.

20 MR. STEVENS: Right.

21 MR. BISHOP: Now, in the FAVOR code they
22 did simulate. In Palisades' case they did simulate
23 another foot on each end of that beyond that
24 definition. In some of the plants they had to assume
25 less because they started running into some nozzles

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and stuff like that that the code wasn't able to
2 accommodate. So.

3 MR. STEVENS: Okay. Anything else?
4 Duncan.

5 MR. MACLEAN: I just double-checked with
6 the powers that be and our increment is 0.9 of an
7 inch.

8 MR. STEVENS: Sorry?

9 MR. MACLEAN: Our increment on the vessel
10 exams is 0.9 of an inch for sizing on detection.

11 MR. STEVENS: I still didn't get the
12 number.

13 MR. MACLEAN: 0.9. Better late than
14 never.

15 MR. STEVENS: Okay. That's bigger than
16 Westinghouse. Okay, thank you. Steve.

17 MR. DINSMORE: Yes, this is Steve Dinsmore
18 from PRA branch in NRR again. Just real quick. Of
19 course, the reg guide is not going to trump the rule
20 and if you want to change the way you're going to
21 address the rule you don't -- you can try to change
22 the reg guide. The other thing would be the rule was
23 written to avoid doing this risk analysis. So if
24 you're going to just try to jump one of the tables, go
25 directly to the risk analysis you should consider how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 difficult it might be to get the risk analysis through
2 and kind of weigh your options. Because again, we
3 were trying to avoid those risk analyses.

4 MR. STEVENS: Okay. Anything else? Does
5 anybody have any -- if you have any input, you know,
6 please send it to me or talk to me regarding the next
7 meeting which, you know, barring any significant input
8 otherwise I was going to put Tuesday, the second week
9 of November, 4:00 to 7:00 p.m. And I don't have any
10 specific topics for that meeting other than RPV
11 integrity right now. Three hours. So that's my plan
12 for the next meeting. It's during code. In St.
13 Louis.

14 MR. ANDERSON: Oh, you're going to do it
15 in St. Louis.

16 MR. STEVENS: Yes.

17 MR. ANDERSON: Okay.

18 MR. STEVENS: In St. Louis. And I would
19 notice that in the next few weeks. Yes, sir.

20 PARTICIPANT: Just quickly, how long will
21 it take to get the meeting minutes out from today's
22 meeting?

23 MR. STEVENS: I'm going to say two weeks.
24 I believe the request for transcripts is one week and
25 I will do a brief summary, compile everything, so two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 weeks. It was my intention, yes. And everything will
2 be in ADAMS too but I, at least from the population of
3 folks I was sending the appointment to my goal would -
4 - well actually, in this particular case anybody who
5 signed the attendance sheet is going to get the
6 meeting minutes. And it'll all be filed publicly.
7 Anyone else? Yes. Last call for public comments.
8 Anybody on the phone? All right, well thank you again
9 everybody for coming. Meeting adjourned.

10 (Whereupon, the foregoing matter went off
11 the record at 3:48 p.m.)
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com