

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: Medical Rulemaking Workshop

Docket Number: (n/a)

Location: Houston, Texas

Date: Friday, August 12, 2011

Work Order No.: NRC-1054

Pages 1-192

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

MEDICAL RULEMAKING WORKSHOP

+ + + + +

FRIDAY

AUGUST 12, 2011

+ + + + +

HOUSTON, TEXAS

+ + + + +

The Workshop convened at the Marriott  
Houston, 6580 Fannin Street, Houston, Texas, at 8:30  
a.m., Susan Salter, Facilitator, presiding.

PANEL PARTICIPANTS:

SUE LANGHORST, Ph.D., Washington University in  
St. Louis

RALPH LIETO, M.S.E, American Association of  
Physicists in Medicine

EDWARD LOHR, US Nuclear Regulatory Commission

HOMER MACAPINLAC, M.D., American College of  
Radiology

DAVID WALTER, Organization of Agreement States

RONALD ZELAC, Ph.D., US Nuclear Regulatory  
Commission

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

NRC STAFF PRESENT:

SUSAN SALTER, Facilitator

MICHAEL FULLER

MICHAEL WEBER

GRETCHEN RIVERA-CAPELLA

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

A G E N D A

1

2 OVERVIEW OF DAY 1 .....4

3 TOPIC 2: Relaxation of Preceptor Attestation

4 Requirements and Extending Grandfathering

5 to certain Certified Individuals (Ritenour

6 Petition) - Panel Presentations .....11

7 TOPIC 2: Panel Discussion .....39

8 TOPIC 2: Public Questions and Comments .....64

9 BREAK .....82

10 TOPIC 3: Naming Associate/Assistant Radiation

11 Safety Officers (RSOs) on NRC Medical

12 Licenses - NRC Staff Presentation .....84

13 TOPIC 3: Public Questions and Comments .....88

14 LUNCH .....125

15 TOPIC 4: Additional Molybdenum Breakthrough

16 Testing and Reporting Requirements -

17 NRC Staff Presentation .....126

18 TOPIC 4: Public Questions and Comments .....137

19 BREAK .....140

20 TOPIC 5: Additional Items under Consideration

21 For Rulemaking - Public Questions and

22 Comments .....140

23 SUMMARY OF TOPICS 2-5 .....160

24 CLOSING STATEMENTS .....186

25 ADJOURN

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

## P R O C E E D I N G S

(8:30 a.m.)

1  
2  
3 MS. SALTER: Okay, welcome. Welcome back  
4 for some of you, welcome for the first time to others.  
5 I'm curious to know, I think we still have some people  
6 outside, but I'm curious to know how many people here  
7 were not here yesterday, just from a raise of -- raise  
8 your hand if you were not here yesterday. Okay. So  
9 pretty much, we have a very similar audience than we  
10 had yesterday, which is good because you're familiar  
11 with the process.

12 But just before we get started, I want to  
13 remind everyone to please put your electronic devices  
14 on silent mode. And, again, if you need to take a call  
15 we certainly understand that. We just ask that you  
16 leave the ballroom and go out to the reception area.

17 Today's process is very similar. This  
18 morning we're going to have panel presentations, panel  
19 dialogue, and then we'll open it up to audience  
20 participation, including folks on the webinar. I would  
21 just remind you that if you want to speak, please fill  
22 out a blue card and just keep it with you. And then  
23 when we get to the audience participation point you  
24 can hold up your blue card if you want to speak, and  
25 I'll collect that from you and bring you the mic.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Again, you don't have to put what your comment is  
2 unless you don't want to read your comment, and you'd  
3 like me to read it.

4 Folks on the webinar, we ask that you type  
5 your question in and throughout the day we will be  
6 touching base with Gretchen Rivera-Capella, our  
7 webinar moderator, and she will read the questions for  
8 us. Please remember to put your affiliation when you  
9 type your question into the webinar.

10 So, to get us started this morning I'm  
11 going to turn the meeting over to Mike Fuller. And  
12 Mike is the lead for the Medical Radiation Safety Team  
13 in NRC's Office of Federal and State Materials and  
14 Environmental Management Programs.

15 MR. FULLER: Thank you, Susan. Can  
16 everybody hear me? Okay.

17 As I and others have stated, this workshop  
18 is a very good opportunity for NRC Staff to hear what  
19 our stakeholders believe are important issues that we  
20 should consider as we begin to amend our medical  
21 regulations. We, the NRC Staff, feel it's important to  
22 share with you what we believe were the key messages  
23 we received yesterday.

24 Now, we provided you with the key messages  
25 that we received while we were in New York, so I won't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 take the time to go over this morning all of those  
2 things. But rather, I'd like to take this time to  
3 share with you some of the things that we heard  
4 yesterday that were different from what we heard in  
5 New York, and some things that were in addition to  
6 what we heard in New York. Now, there's no particular  
7 order. I'm just going to kind of go through what we  
8 heard, what we felt were the key messages.

9 First of all, we heard that none of the  
10 states that responded to the OAS questionnaire, and I  
11 think David told us there 14 states that responded to  
12 that questionnaire, but none of them advocated for a  
13 medical event definition that is based on total source  
14 strength or activity.

15 Secondly, we heard in New York that for  
16 unintended tissues and organs an absorbed dose  
17 criteria for defining a medical event is appropriate.  
18 Now, contrary to that yesterday we heard from some of  
19 those representing the medical community that the dose  
20 to unintended sites should not be under the purview of  
21 the regulators, and that the related section in 10 CFR  
22 35.3045 should be eliminated.

23 We also heard from several stakeholders  
24 that for prostate implants, in particular, absorbed  
25 dose is very difficult to quantify in a subjective

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 value.

2 Now, we heard from one of our panelists  
3 that there are two things that we should consider when  
4 developing a definition for medical event based upon  
5 source strength, or total source strength. The first  
6 thing that we should consider is the percentage of  
7 seeds that are implanted outside the treatment site.  
8 And the second thing to consider is the distance that  
9 a seed or some seeds are implanted away from the  
10 intended treatment site.

11 Now, I will note that there was quite a  
12 bit of discussion on this point, and consensus was not  
13 reached on this amongst our panelists.

14 We also heard that the D90 value poorly  
15 predicts clinical outcomes, it lacks precision, and  
16 should not be used for regulatory purposes, not even  
17 for under-doses.

18 Another key message that we heard  
19 yesterday was that the whole patient-doctor  
20 relationship is changing. Our patient's rights  
21 advocate panelists explained that many patients these  
22 days view themselves as medical service consumers.  
23 And that fact implies more and more individuals wish  
24 to share in the decision making process when it comes  
25 to their medical care. Therefore, more information and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 not less information should be shared.

2 I also want to take this opportunity to  
3 clear up any confusion that may exist about what the  
4 current rules allow for and don't allow for regarding  
5 who must implant radioactive sources or seeds. The  
6 current NRC rules do allow individuals working under  
7 the supervision of an authorized user to handle and  
8 implant such sources.

9 Now, if you feel that there are other  
10 messages that were provided to us yesterday that are  
11 in addition or different from what we heard in New  
12 York, and different from what I just went over, please  
13 feel free to approach me on a break, tell me what you  
14 think. I'll try to take good notes.

15 Also, I want to let everyone know my email  
16 address if you want to send me an email with any other  
17 points that we should consider, or things that perhaps  
18 I didn't capture the way you think maybe I should  
19 have. My email address is michael.fuller@NRC.gov.  
20 That's Michael, M-I-C-H-A-E-L.fuller, F-U-L-L-E-  
21 R@NRC.gov.

22 Now, before I turn the mic back over to  
23 Susan, I want to remind everyone that our last session  
24 today will be an opportunity for you to provide us  
25 with your comments, suggestions, recommendations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 related to the other 20 or so items that were  
2 published in the Federal Register Notice. Now, that  
3 Federal Register Notice, for those of you on the  
4 webinar -- the Federal Register Notice is in your  
5 packets if you're here in person. But the Federal  
6 Register Notice is 75 FR 29171. So, the last thing  
7 we're going to do today, it's Topic 5, and it's titled  
8 "Additional Items Under Consideration for  
9 Rulemaking."

10 Now, we're not going to have any formal  
11 presentations by NRC Staff on this issue. This is an  
12 opportunity for you to provide us with your comments,  
13 suggestions, and so forth related to those items that  
14 are published in that Federal Register Notice. These  
15 are things that are already part of what we've been  
16 referring to as the expanded Part 35 rulemaking.

17 Also, we have the Part 35 preliminary  
18 draft proposed rule language. It's dated May 16<sup>th</sup>.  
19 That's the document that's on the table outside. It's  
20 also referenced in that -- for those of you on the  
21 webinar, it's also referenced on the last page of the  
22 FRN. And it is the -- it can be found at  
23 [www.regulations.gov](http://www.regulations.gov), and you can search on the docket  
24 number. The docket ID number is NRC-2008-0175.

25 So, again, at about -- let me get my

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 agenda here. I've got it right here, yes. At 2:45  
2 we're scheduled to begin Topic 5, and that's the point  
3 in time when we will just simply open it up for folks  
4 to provide us with their comments and recommendations  
5 on those things that were published in the FRN, and  
6 also in the proposed -- I mean, in the preliminary  
7 draft rule language.

8 All right. So, again, I want to thank you  
9 for your comments and suggestions yesterday, and we  
10 are looking forward to another day, another very  
11 productive day for us here at the workshop. So with  
12 that, Susan, I'll turn it back over to you.

13 MS. SALTER: Okay. Since almost everybody  
14 was here yesterday you're kind of familiar with our  
15 format. We're going to open it up with some  
16 presentations from our panelists. Then we're going  
17 right into the panel discussion. And, again, that is  
18 an opportunity for the panelists to have an open  
19 dialogue on any topics related to this particular  
20 Topic 2. You can take that discussion in any  
21 direction they would like. And immediately following  
22 that we're going to go right in and allow the audience  
23 to jump in on that discussion, including folks on the  
24 webinar.

25 And we are planning to wrap all that up

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about 10:30, and then we will have a break, come back  
2 at 11, and move on to our next topic, Topic 3. And  
3 there won't be a panel for that, so the rest of the  
4 afternoon after this part of the program will strictly  
5 be brief presentations by NRC Staff, and then open  
6 dialogue with the audience. So, that's kind of our  
7 agenda for the day.

8 So, to get us started with Topic 2, I'm  
9 going to ask Ed Lohr to come up and make his  
10 presentation. Ed is Health Physicist in the Division  
11 of Intergovernmental Liaison and Rulemaking in the  
12 NRC's Office of Federal and State Materials and  
13 Environmental Programs.

14 Mr. Lohr has worked in the Radiation  
15 Protection field for over 30 years, including 20 years  
16 in the Army Medical Department where he served as the  
17 supervisor of the Kentucky State Radiation Control  
18 program, the Kentucky State Radon Coordinator, and the  
19 Operation Officer for the Conference of Radiation  
20 Control Program Directors.

21 He is a registered Radiation Protection  
22 Technologist and holds a Bachelor's of Applied Science  
23 as well as a Master in Public Administration. And we  
24 welcome Ed.

25 MR. LOHR: Thank you, Susan. Good morning,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 all. I'm going to tee up the subject matter this  
2 morning, and as Mike has said many times, as NRC  
3 Staff, I'm going to sit back and listen, as well.

4 I'll start out with the acronyms that you  
5 will see in my presentation. You've probably seen  
6 most of them yesterday, but there's a few new ones,  
7 such as PRM, Petition for Rulemaking, and probably, I  
8 don't know if SECY was defined for you yesterday.  
9 It's the Office of the Secretary of the NRC.

10 For everybody in this room, you're  
11 probably aware that Part 35 has been revised on many,  
12 many occasions; the last major modification occurring  
13 in 2002. Training and experience was one of the main  
14 components of the 2002 rulemaking, and final points of  
15 the T&E were clarified in the 2005 rulemaking that  
16 followed.

17 One of the items or the requirements that  
18 was included as part of the rulemaking in 2002 was the  
19 requirement for an attestation, or in 2002 we called  
20 it certification of an individual to be authorized on  
21 a medical license. Prior to the 2002 rulemaking only  
22 nuclear pharmacists were required to have this  
23 certification or attestation.

24 The regulations have two formal -- well,  
25 actually three pathways, although we only have two

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 listed here for individuals to become authorized on a  
2 medical license. One is by presenting a certification  
3 given by a board whose processes have been recognized  
4 by the NRC or an Agreement State. We refer to this  
5 many times as a certification pathway. They present  
6 their documentation that shows the individual has met  
7 the specific training and experience requirements, and  
8 through the alternate pathway for those people who are  
9 not board certified.

10 The alternate pathway has required an  
11 attestation, or again certification as we called it  
12 prior to 2005, since the 2002 rulemaking. Prior to  
13 the 2005 we'll call it a tweak to T&E, a candidate for  
14 certification had to obtain a preceptor attestation as  
15 part of their process, the board process. The 2005  
16 rulemaking changed that and put the onus on the  
17 individual to get the attestation.

18 And, of course, the third pathway that is  
19 very commonly used is if an individual is already  
20 listed on a license, an NRC license or an Agreement  
21 State license, they can be recognized on an additional  
22 license, for example when they move to a new job.

23 During a meeting that was held in 2008  
24 with the Commission, ACMUI, the Advisory Group to the  
25 NRC on medical issues, provided the following

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 recommendations to the Commission. And the first  
2 recommendation was that the NRC should eliminate the  
3 attestation requirement for board certified  
4 individuals seeking authorization status via what we  
5 call the certification pathway.

6 The rationale that the ACMUI provided to  
7 the Commission was that the boards have agreed to meet  
8 the new NRC requirements in the 2002 and 2005  
9 rulemakings, and that the certification process  
10 reviewed and recognized by the NRC at this stage of  
11 the game in 2008. And that having an attestation in  
12 addition to the board certification was redundant,  
13 basically.

14 The second point that they brought to the  
15 Commission, or recommendation, was for the alternative  
16 pathway, that the attestation standard should be both  
17 measurable and achievable. And that they did not --  
18 and wanted to see change to how the NRC defined  
19 competency. So, that will be, hopefully, part of our  
20 discussion this morning, is some ideas on what we can  
21 work with that.

22 But do note that the NRC's intent for  
23 requiring competency statement from preceptor was  
24 never to address the applicant's competency to  
25 practice medicine, but instead to indicate that the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 applicant successfully completed the required training  
2 and experience, and was capable of independently  
3 fulfilling the radiation safety responsibilities.

4 The third and final recommendation was  
5 that the NRC should accept attestation from residency  
6 program directors, even if that individual was not an  
7 authorized user.

8 Based on these recommendations from ACMUI,  
9 the Staff sent a paper in November of 2008 to the  
10 Commission recommending adopting the ACMUI  
11 recommendations. And in January of 2009, the Staff --  
12 or the Commission approved the Staff recommendations  
13 in an SRM to the Staff. So, that's the background on  
14 attestation.

15 The next topic I want to key up is what we  
16 refer to, and you'll see referred to in many places as  
17 the Ritenour Petition. In September of 2006, the NRC  
18 received a petition for rulemaking from the American  
19 Association of Physicists in Medicine, AAPM, signed by  
20 Dr. E. Russell Ritenour; and, thus, we always refer to  
21 it as the Ritenour Petition. Generally, the last name  
22 of the petitioner is what we assign to that.

23 The petition explained that Part 35  
24 offered the three pathways, two of which I've already  
25 covered, the certification pathway and the alternate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 pathway. It goes on to talk about there are actually  
2 three pathways. And, of course, I've talked about  
3 that one, as well, if you're already on a license.

4 The petition asked that the NRC consider  
5 grandfathering additional individuals. And that is for  
6 individuals who are certified by a specialty board  
7 recognized by the NRC through the certification  
8 pathway would be recognized, of course, for RSOs.  
9 But they have a number of certified individuals who in  
10 the 2005 rulemaking were not named on a license,  
11 Agreement State or NRC, and, therefore, were not  
12 grandfathered, the term that the petitioner used, in  
13 the regulations to be an RSO.

14 And because of that, if they had held a  
15 board certification, they now had to have an  
16 attestation. Prior to the 2005 final rulemaking there  
17 was not an attestation requirement. The board  
18 certified individual could either come in under the  
19 new provisions, or use what we call Subpart J  
20 provisions.

21 So, the petition under the certification  
22 alternate pathways, an individual seeking  
23 authorization for byproduct material had to now have  
24 an attestation signed by a preceptor. And the  
25 attestation had to state about competency and those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 sort of things. And, again, as I mentioned earlier,  
2 prior to 2002 the only one who had to have that was  
3 the nuclear pharmacist.

4 The specific concerns, though, raised by  
5 the petitioner was that there was a group of board  
6 certified professionals that were inadvertently  
7 affected by the rulemaking. Most of these were board  
8 certified individuals who worked as medical physicists  
9 in radiation safety positions when the rule effected,  
10 when the rule went into effect that were not named on  
11 NRC or Agreement State licenses. Therefore, they were  
12 not grandfathered.

13 They also pointed out, if you will, that  
14 these individuals now had to apply under the  
15 alternative pathway. It's not that they were not  
16 allowed to practice, and they were not allowed to be  
17 an authorized user, but the board certification  
18 process, in other words, if they had a certificate,  
19 was no longer accepted by the NRC.

20 There were several issues that the  
21 petition asserted. I'll summarize them very quickly;  
22 and that is that the medical physicist demonstrated  
23 competency to practice medicine through their  
24 certifications. There was no evidence to support that  
25 the rulemaking assertion that the T&E requirements

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 prior to 2005 were any greater safety significance  
2 with them. As a result of the present rule, the  
3 individuals with certified dates prior to the  
4 effective date of 2005 were now having to use the  
5 alternate pathway and creating a burden to them. And  
6 that a number of the authorized medical physicists and  
7 RSOs available to provide preceptors were actually in  
8 short supply.

9 The petitioner specifically requested two  
10 items, and I want to really zoom in on these two  
11 items. First, they requested that the NRC amend 10 CFR  
12 35.57, what we call the grandfathering clause, to  
13 recognize medical physicists certified by ABR or the  
14 ABMP, I can say these, on or before October of 2005 as  
15 grandfathered for the modalities they practiced. This  
16 change should be independent of whether or not the  
17 medical physicist is named on license, NRC or  
18 Agreement State, at that time.

19 The second thing they asked for in the  
20 petition was that to, again, amend 10 CFR 35.57 to  
21 recognize all diplomats that were certified by the  
22 named boards in the old Subpart J for RSO who had the  
23 relevant time work experience, even if they, again,  
24 were not named on a license.

25 The NRC resolved this petition and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 published in the Federal Register in May of 2008, and  
2 from the Federal Register Notice it said, "In its  
3 review and resolution of the petition, the NRC  
4 concluded that the revisions made to the regulations  
5 in 2005 may have inadvertently affected a group of  
6 board certified professionals."

7 The FRN went on to state that, "The issues  
8 raised in the petition will be considered in the  
9 rulemaking process." The NRC is now in this  
10 rulemaking process and considering this petition.

11 I want to touch on how the NRC resolved  
12 the petition because this is a very important point.  
13 In resolving the first request to recognize medical  
14 physicists certified by the ABR or the ABMP on or  
15 before 2005, the NRC resolved the petition by  
16 concluding that if appropriate preceptor attestation  
17 would be needed in addition to the individual's board  
18 certification. And I'll go into that rationale here  
19 in just a second.

20 The second part of the request that the  
21 petitioner asked for, to recognize all diplomats that  
22 were certified by the named boards in Subpart J, was  
23 resolved by accepting the petitioner's statement that,  
24 "The diplomats need to be grandfathered as RSOs by  
25 virtue of the certification providing the appropriate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 preceptor attestation is submitted." And that's from  
2 the petitioner's request.

3 And what's important is the rationale that  
4 the NRC used for resolving this petition. The NRC  
5 looked at the rationale that was put in the Federal  
6 Register for why we grandfathered originally in 2002.  
7 In doing that, the credentials of the people who were  
8 grandfathered, the NRC concluded their credentials had  
9 been reviewed, and they had functioned as to establish  
10 an acceptable record of performance.

11 In resolving the petition, the NRC took  
12 those two same principles and applied them; and that  
13 is that the board certification could be accepted as a  
14 review of the individual's credentials, and the  
15 appropriate preceptor attestation could serve as a  
16 verification for establishing an acceptable record of  
17 performance.

18 Additionally, although the petition did  
19 not specifically mention other professionals who may  
20 have been adversely and inequitably affected by the  
21 revisions, the NRC intends to consider them in this  
22 proposed rulemaking.

23 However, as I stated earlier, the NRC is  
24 also considering eliminating the attestation  
25 requirement for all board certified individuals

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 seeking authorization status via the certification  
2 pathway. And this appears to be in conflict with the  
3 basis for resolving the Ritenour Petition.

4 And that's all I have for teeing this up,  
5 I believe. Back to you, Susan.

6 MS. SALTER: Thank you, Mr. Lohr. As Mike  
7 goes up and pulls our next presenter's presentation, I  
8 want to introduce David Walter.

9 Mr. Walter was a panelist for us  
10 yesterday. I want to remind everyone that you do have  
11 detailed bios in your packets, and there are copies of  
12 the presentation out front. But Mr. Walter is  
13 currently the Chair of the Organization of Agreement  
14 States. And he is currently the Assistant Director of  
15 the Alabama Office of Radiation Control, and the  
16 Director of the Radioactive Material Licensing Branch  
17 for that office. And I will turn it over to Mr.  
18 Walter. Thank you.

19 MR. WALTER: Thank you, Susan. Yesterday I  
20 was here representing the OAS. Today I'm not here for  
21 the OAS, I'm here as representing one of the Agreement  
22 States. But I will say that everything that I'm going  
23 to say has gone through the OAS, has been through the  
24 Board. It's nothing new, it's just that I didn't get  
25 the official go forth and talk for us statements.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           So, let's start off under the current  
2 system that we have. We could support the removal of  
3 an attestation for individuals using the board  
4 certification route as long as the NRC regularly  
5 reviews the board certification process to assure an  
6 adequate knowledge of radiation safety is required to  
7 sit for the boards.

8           When using the classroom, and laboratory,  
9 and supervised experience option, attestation should  
10 be kept. Now, one of the questions that's come up has  
11 been whether or not a residency program director could  
12 sign as the attestor. And it was always the intent,  
13 having been a member of the original working group for  
14 Part 35, it was always the intent that -- to allow the  
15 residency program director to attest, as long as they  
16 have verification from the actual supervising  
17 individuals. And that verification or documentation  
18 should be a part of the residency program process.

19           We can also support the grandfathering of  
20 board certified individuals when certification  
21 occurred before the rule went into effect. In fact,  
22 one of the things that I tried to do was to make sure  
23 that information went out to all of the regulators to  
24 remind them that all of the people who aren't  
25 currently listed on a license, in particular the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 physicists, need to be notified that if they don't get  
2 put on that license before that rule goes into effect,  
3 they're out in the cold. And we were lucky, and we  
4 were able to get all of them in Alabama on the  
5 licenses before we made -- went into effect with our  
6 new rule. But that doesn't help the people that were  
7 coming in from outside of our state, because they're  
8 not listed on a license. So, it makes it difficult  
9 for us, as well.

10 So, we can support that grandfathering  
11 when certification occurred before the rule went into  
12 effect, because we believe this would reduce the  
13 shortages of authorized medical physicists.

14 Now, the next subject I want to talk to  
15 you about is an alternative method that I, in fact,  
16 brought up in the '97-'98 time frame during the  
17 original rewrite of Part 35, but because of the short  
18 time constraints that we were under at that time, it  
19 was discounted as it's going to take too long to do  
20 it, and it may be too costly. Here we are 14 years  
21 later still talking about it, and what we're going to  
22 do.

23 I also brought this up as a member of the  
24 OAS Board during a Commission meeting in the fall, and  
25 I think we already have precedent set for this, so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 it's something that we need to seriously consider.  
2 And that would be to set up a National Radiation  
3 Safety Examination Program.

4 Since the precedent has already been set  
5 in industrial radiography where they must successfully  
6 complete a nationally recognized exam before they're  
7 authorized to use licensed material, such a system  
8 could also be created for medical users, physicists,  
9 and RSOs.

10 For authorized users there could be say  
11 three examinations from which combination exams could  
12 be prepared. The RSO exam could be separate, but more  
13 likely appropriate questions could be included in all  
14 of the authorized user and authorized medical  
15 physicist examinations to allow successful completion  
16 of those exams to also suffice to be an RSO.

17 Approval by passing the exam would be for  
18 a predetermined period of time after which the  
19 individual would need to retake the exam. And why?  
20 Because that would assure that they've been keeping  
21 up-to-date with all the changes in rules and  
22 requirements.

23 There are some advantages to doing  
24 something like this. It could do away with classroom  
25 and laboratory training hour requirements, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 minimize required documentation. Preceptoring, not  
2 attestations, would also be minimized and would only  
3 be required for the more risky therapy operations,  
4 just as we have now where you have three supervised  
5 cases in each of the various types of therapies.

6 Now, there are some disadvantages, but  
7 they're more or less time consuming. It would take  
8 time to develop a valid pool of questions and getting  
9 the proctors and locations necessary to offer the  
10 exams in enough places and times across the country.  
11 And we would need to refine the delivery of exam,  
12 grading, and dissemination of the results system. But  
13 we've already done these on a smaller scale with  
14 industrial radiography. And I don't see why we  
15 couldn't do that now.

16 I believe that something like this could  
17 be completed up and running in less than three and a  
18 half to four years. We've already been constantly  
19 tweaking the current system for nine years, and every  
20 time there's a tweak it costs the states millions of  
21 dollars to keep up with the compatibility  
22 requirements. So, there's also a lot of expense  
23 that's been involved in this, as well.

24 So, that's where I'd like to leave with  
25 you guys, and thank you for listening.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MS. SALTER: Thank you, Mr. Walter. Our  
2 next speaker is Dr. Susan Langhorst. And Dr.  
3 Langhorst is currently the Radiation Safety Officer at  
4 Washington University in St. Louis, and is a faculty  
5 member at the Mallinckrodt Institute of Radiology.

6 Dr. Langhorst is also currently serving as  
7 the Radiation Safety Officer representative on the  
8 NRC's Advisory Committee on Medical Uses of Isotopes.  
9 She received her BS in Nuclear Engineering from the  
10 University of Missouri-Rolla, and her Master's and  
11 Ph.D. in Nuclear Engineering Health Physics from the  
12 University of Missouri-Columbia.

13 Dr. Langhorst is certified by the American  
14 Board of Health Physics, and is a council member of  
15 the National Council on Radiation Protection and  
16 Measurements. Welcome, Dr. Langhorst.

17 DR. LANGHORST: Thank you very much. Good  
18 morning.

19 I appreciate the opportunity to serve on  
20 this panel and provide you with perspectives on these  
21 issues from the NRC's Advisory Committee on the  
22 Medical Use of Isotopes, also known as the ACMUI.

23 The NRC Staff asked the ACMUI to first  
24 review the Ritenour Petition at its June 2007 meeting.  
25 The Committee's discussions on issues raised continued

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 in its August 2007 teleconference. Since these first  
2 discussions, the NRC Staff has continued to brief  
3 ACMUI on the status of the Ritenour Petition, and at  
4 its April 2011 meeting, the Committee again discussed  
5 and voiced its opinions on the specific issues  
6 surrounding these topics.

7 In regard to the attestation requirement,  
8 ACMUI recommended in 2007 and continues to recommend  
9 that this requirement be removed for board certified  
10 individuals. In the Committee's 2007 discussions,  
11 Committee members carefully deliberated the topic of  
12 grandfathering to ensure that the recommendations did  
13 not inadvertently exclude board certification  
14 individuals, or board certified, excuse me,  
15 individuals from recognized boards. And so decided on  
16 this statement here to grandfather all board certified  
17 individuals of the currently recognized boards, and  
18 for many recognized boards listed in Subpart J of the  
19 previous edition of Part 35.

20 The NRC -- excuse me, the ACMUI  
21 reconfirmed its recommendation in April 2011 that the  
22 written attestation be eliminated for board  
23 certification pathway regardless of the date of the  
24 individual's certification.

25 The ACMUI agrees that the attestation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 requirement be retained for the alternate pathway. In  
2 2007, the Committee strongly recommended that the  
3 attestation should not include the word "competency,"  
4 because of concerns that this word implies medical  
5 competency, and strays into the area of medical  
6 practice. And because it could be used to potentially  
7 hold the preceptor liable for future acts of this  
8 authorized individual. Instead, the Committee  
9 recommended that the attestation should read, "Has met  
10 the training and experience requirements."

11 In 2011, the ACMUI again discussed wording  
12 for the alternate pathway attestation statement, and  
13 revised its recommendation to say, "Has received the  
14 requisite training and experience in order to fulfill  
15 the radiation safety duties required by the licensee."  
16 This revision was made again to clarify that training  
17 and experience requirements for Part 35 refer to the  
18 radiation safety aspects of medical use of radioactive  
19 materials, and not to the individual's medical  
20 training and practice.

21 Also in 2011, the ACMUI voiced its support  
22 that residency program directors can sign the  
23 attestation documents even if they're not themselves  
24 an authorized user, or an authorized individual, as  
25 long as at least one faculty member is an AU in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 given authorization status category, and there's no  
2 objection from that authorized user.

3           Again, I want to thank you for allowing me  
4 this opportunity to share these topics.

5           MS. SALTER: Thank you, Dr. Langhorst.

6           Our next speaker is Ralph Lieto. And Mr.  
7 Lieto is currently a Medical Physicist and Radiation  
8 Safety Officer for the St. Joseph Mercy Health System  
9 in Ann Arbor, Michigan. He received his Bachelor and  
10 Master of Science in Nuclear Engineering from the  
11 University of Michigan, and then completed a  
12 radiological physics residency at Henry Ford Hospital  
13 in Detroit.

14           He has over 30 years of nuclear medical  
15 physics experience and radiation safety experience as  
16 a radiation safety officer for a large community  
17 hospital, medical center, and broad scope medical  
18 programs. Welcome, Mr. Lieto.

19           MR. LIETO: Thank you. I'd like to thank  
20 the NRC for the invitation to participate in this  
21 panel discussion on these topics, and also to  
22 represent the American Association of Physicists in  
23 Medicine.

24           First off, regarding preceptor attestation  
25 discussion, the AAPM has always been a strong

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 proponent of eliminating the attestation requirements  
2 for board certified individuals. It has opposed this  
3 ever since it was proposed when the rulemaking was  
4 first established in 2002, and has been very  
5 consistent in this along with other members of the  
6 medical user community.

7 The AAPM would like to see NRC eliminate  
8 the attestation requirement for individuals seeking  
9 the authorized status via the board certification  
10 pathway, as well as all those boards whose processes  
11 have been recognized by the NRC or Agreement States  
12 and individuals grandfathered under 10 CFR 35.57.

13 The AAPM feels that the requirement for  
14 attestation, especially for board certified  
15 individuals is redundant. It turned out to be,  
16 essentially, a unnecessary paperwork burden, and has  
17 not demonstrated any observable health or safety  
18 benefits since it was implemented.

19 Regarding some questions that were posed  
20 in the Federal Register, we have some specific  
21 responses to those questions. For the alternate  
22 pathway should the NRC amend the language and remove  
23 the terminology, "has achieved a level of competency  
24 to function independently," with some other language.  
25 There were two suggestions in the Federal Register

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that were proposed. The AAPM feels the phraseology  
2 for alternate language should be "has received the  
3 requisite training and experience in order to fulfill  
4 the radiation safety duties required by the licensee."  
5 And would support that change in the attestation  
6 documents.

7 A question, should residency program  
8 directors and/or medical institution administrators be  
9 allowed to provide the attestation -- fulfill the  
10 attestation requirements for individuals submitting  
11 via the alternate pathway? For those that are  
12 submitting this residency program directors, as well  
13 as authorized individuals who have been authorized for  
14 the same uses should be allowed to provide this  
15 attestation requirement.

16 The administrator individual "might be  
17 familiar with the applicant," but that could be  
18 someone who is quite removed and is most likely not  
19 going to be familiar with the requisite skills that  
20 the individual has, as well as monitoring that  
21 individual on a routine basis in their program, which  
22 the program directors are required to do.

23 We would like to -- AAPM would like to  
24 make one additional comment regarding the attestation  
25 discussion. We would support residency program

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 directors attesting for applicants via the alternate  
2 pathway, but it's important to recognize that the  
3 applicant may not be just an authorized user, i.e.,  
4 physician. It may also be someone who is applying via  
5 -- as an authorized medical physicist. There are an  
6 increasing number of medical residency -- physics  
7 residency programs that are occurring, so also for  
8 AMPs as well as RSOs. So, the -- and also to point  
9 out that the director, regardless of the applicant  
10 type, AU, AMP, RSO, may not be authorized for the same  
11 uses. So, we still support the program directors, but  
12 it's important that the NRC recognize that, and not  
13 hamper that route for preceptor attestation.

14           Regarding the Ritenour Petition, I think  
15 Mr. Lohr provided an excellent background. A couple  
16 of points that we would like to add, is that during  
17 the comment period there were 166 comments that we  
18 received. The overwhelming majority supported the  
19 petition being granted at that time.

20           A year and a half later, as was pointed  
21 out, the NRC stated that it will attempt to develop a  
22 technical basis to support the rulemaking. The AAPM  
23 feels that until the proposed rulemaking is out there,  
24 this petition is still unresolved and in limbo.

25           There are two groups of individuals, as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Mr. Lohr pointed out, that this petition, the AAPM  
2 petition addresses, that's recognizing medical  
3 physicists who are certified by the American Board of  
4 Radiology, or the American Board of Medical Physics  
5 prior to this October 25<sup>th</sup> deadline -- excuse me,  
6 October 24<sup>th</sup>, 2005 deadline. And, also, that it  
7 address recognizing all diplomats who were board  
8 certified in those boards that were recognized up  
9 until October 2005 in Subpart J.

10 I think it's important to emphasize the  
11 issues that were created by this effective date of the  
12 rules; basically, that before anyone board certified  
13 before that date who had not already been listed on a  
14 license as an RSO or an AMP had to go and submit via  
15 the alternate pathway. So, from our perspective it  
16 impacts medical physicists for both radiation safety  
17 officers and authorized medical physicists.

18 Now, the authorized medical physicists or  
19 AMP issue is compounded because this did not exist  
20 before 2005. So, these were not listed on licenses  
21 prior to that date.

22 Now, there was the old terminology of  
23 teletherapy physicists that was used on the licenses,  
24 but not all states, and I think hopefully Mr. Walter  
25 will correct me, but in a lot of Agreement States they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 did not list medical physicists that performed those  
2 functions on their licenses. So, there -- as he  
3 pointed out, some states started to rectify that  
4 before 2005, but there were a lot that didn't.

5 So, should AMPs and RSOs grandfathered  
6 before the petition -- only AMPs and RSOs be  
7 grandfathered before the petition request. This was  
8 one of the question in the Federal Register. No, the  
9 AAPM can't speak for other professional organizations,  
10 such as those representing authorized users and  
11 authorized nuclear pharmacists, but we would most  
12 strongly support those being recognized regardless of  
13 the year of certification who have been adversely  
14 affected by this regulation.

15 Another question in the Federal Register  
16 for this workshop is, should the NRC recognize all  
17 individuals certified by boards that had been listed  
18 in the regulations, and who had not been named on a  
19 license prior to 2005?

20 We most definitely support this. It's  
21 forced these individuals to seek approval via the  
22 alternate pathway simply because they were not named  
23 on a license, or the date of their certification.  
24 Neither of these issues have been shown to be any  
25 health or safety issue.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           If the NRC adopts the ACMUI  
2 recommendations to remove attestation requirements for  
3 board certified individuals, does this resolve the  
4 grandfathering under the Ritenour AAPM petition?  
5 These are two separate issues.

6           The petition, the AAPM petition addresses  
7 the date of board certification and the date that that  
8 certification was received. The preceptor  
9 attestation, even if it goes away, does not resolve  
10 this issue. Okay? So, these are -- we want to  
11 emphasize that these are -- very importantly, that  
12 these are two separate issues to be resolved.

13           Should the NRC require preceptor  
14 attestations for grandfathering all individuals, no  
15 individuals under the grandfathering, or only RSOs per  
16 the petition? We strongly support that no preceptor  
17 attestation should be required for any grandfathering.  
18 It's critical for the NRC to remedy this situation for  
19 qualified individuals, medical physicists, RSOs,  
20 authorized users have not been recognized because of  
21 the year of their certification.

22           Should the NRC require some other means  
23 other than attestation to establish an acceptable  
24 record of performance? We're opposed to any added  
25 methods or documentation. There really has not been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 anything that's come out ever since preceptor  
2 attestation was initially required in 2002 that's been  
3 less burdensome, and some have -- so, we feel that  
4 this issue has been pretty well vetted in the original  
5 rulemaking process, and there's really not anything  
6 out there that the AAPM would support as being better  
7 or in addition to. And I think that's what I have to  
8 say. Thank you.

9 MS. SALTER: Thank you, Mr. Lieto.

10 Our next and final presenter is Dr. Homer  
11 Macapinlac, and Dr. Macapinlac is the James E.  
12 Anderson Distinguished Professor of Nuclear Medicine  
13 and Chair of the Department of Nuclear Medicine at the  
14 University of Texas-M.D. Anderson Cancer Center in  
15 Houston, Texas, and holds a joint appointment in the  
16 Department of Experimental Diagnostic Imaging.

17 He is Director of Clinical Radiotracer  
18 Production and Development at M.D. Anderson Center for  
19 Advanced Biomedical Imaging Research. Dr. Macapinlac  
20 is also an expert consultant to the International  
21 Atomic Energy Agency, a member of the International  
22 Association for the Study of Lung Cancer, and an  
23 International Visiting Professor for the Radiological  
24 Society of North America. Welcome.

25 DR. MACAPINLAC: Thank you very much. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 would like to thank --

2 MS. SALTER: Excuse me, just if you could  
3 pull the mic as close as you can to you. I'm sure --  
4 there you go, so our folks on the webinar can hear.  
5 Thanks.

6 DR. MACAPINLAC: Can you hear me now?

7 (Chorus of yes.)

8 DR. MACAPINLAC: Yes, thank you.

9 So, again, I would like to thank the NRC  
10 for inviting me to participate in this panel. And I  
11 am here on behalf of the American College of  
12 Radiology. This is a professional association  
13 representing 34,000 radiologists, radiation  
14 oncologists, nuclear medicine physicians, and medical  
15 physicists. You see our mission here is to serve our  
16 patients, and to maximize the value of our  
17 subspecialty practice.

18 We do this to improve -- we do this by  
19 improving the quality of the patient care we deliver,  
20 influencing the practice of radiology, providing  
21 continuing education to radiologists and allied health  
22 professionals, and conducting research for the future  
23 of radiology.

24 In terms of the preceptor attestation  
25 recommendation -- the recommendation of the ACR is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that the attestation requirements should be eliminated  
2 for individuals with board certification, as well as  
3 grandfathered individuals under 10 CFR 35.57. This is  
4 because board certification proves mastery of  
5 knowledge. The preceptor attestation and  
6 certification is unnecessarily redundant. The  
7 attestation is useful to the NRC, perhaps, only for  
8 the alternate pathway, and the board certification  
9 process has a maintenance of certification  
10 requirements which requires us to keep up with our  
11 knowledge regularly.

12 We recommend, also, that there be  
13 modification of the requisite language in the  
14 attestation statement. We should replace the  
15 language, "a level of competency to function  
16 independently," again because of the word  
17 "competency." Instead we use language specifying that  
18 "base training and experience regulatory requirements  
19 have been met." Residency programs can review the  
20 individual's record to provide this attestation.

21 The term "competency," again, has specific  
22 or very vague sometimes implications in the practice  
23 of medicine. The liability of the preceptor is not  
24 clear. Some may be wary of serving in this role  
25 because of the medical-legal possibility of liability

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 within the current language. Qualified and willing  
2 preceptors then could be very difficult to find for  
3 some of these alternate pathway individuals.

4 In terms of the Ritenour, the NRC -- we  
5 recommend that the NRC should grandfather  
6 appropriately board certified individuals who have not  
7 been named on an NRC or Agreement State license prior  
8 to October 25, 2005. This should include authorized  
9 users and others in the fixed, not just AMPs and RSOs.  
10 Do not require additional documentation or attestation  
11 for grandfathering board certified individuals.

12 This is because, again, board certified  
13 individuals should not be required to invoke the  
14 alternate pathway to achieve authorization. The  
15 alternate pathway is prescriptive by design only  
16 because it's meant to verify knowledge in the absence  
17 of certification.

18 With that, I'd like to thank everybody for  
19 the opportunity. Thank you.

20 MS. SALTER: Thank you, Dr. Macapinlac.

21 So, we are right on time. Actually, we  
22 have about five extra minutes, so that means we'll  
23 have a little bit more time for our discussion. And I  
24 am right now going to move to the back of the room so  
25 I can see everyone.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           And just listening to the presentations,  
2 seems to be a lot of consensus in the attestation  
3 area, so I guess I would ask if any of the panel  
4 members has a question, or a comment to pose. I know  
5 Mr. Walter submitted an alternative solution with the  
6 exam. I don't know if anyone wanted to comment on  
7 that.

8           I do have the questions in the Federal  
9 Register, and I have some other questions from NRC  
10 that I can throw out to you, if you want me to, or if  
11 there's something that you want to start the  
12 discussion with, I'll refer that to you, to let you do  
13 that.

14           All right. Well, one of the questions that  
15 I have been given was in looking at removing the  
16 attestation, which it seemed like most people were in  
17 favor of for board certified individuals, and the  
18 grandfathering of board certified individuals, the  
19 question is, what would the NRC -- if attestation is  
20 removed, what modalities would the NRC -- should they  
21 authorize these individuals for? Similar to what the  
22 attestation would be authorizing them for, or are  
23 there limitations?

24           Ed, do you want to --

25           MR. WALTER: Can you rephrase that question

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in a manner that we can understand exactly what you're  
2 asking?

3 MS. SALTER: That's the way it was given to  
4 me, so --

5 MR. LOHR: I think I understand what Susan  
6 is asking, and that is, an attestation provides more  
7 information than simply attesting of the competency or  
8 whatever word we're going to use. It also shows the  
9 experience the individual has the modalities. For  
10 example, when they have HDR background, or Gamma  
11 Knife, those sort of things. So, I believe the  
12 question is, if the attestation is no longer available  
13 to the NRC in licensing space, what would the NRC --  
14 what would you think the NRC should use then to  
15 gather that information that's necessary to put the  
16 individual on the license?

17 MS. SALTER: Dr. Langhorst?

18 DR. LANGHORST: Well, let me suggest this,  
19 because I was looking at the regulations, and when a  
20 licensee puts someone on the -- or requests to put  
21 someone on the license, they have to provide  
22 information on their training and experience. So, you  
23 already have that in 35.12, and that's what the NRC  
24 can use to decide if that person meets those  
25 requirements. The licensee has to provide that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 information.

2 And I was kind of wondering in the  
3 discussions this morning if really anything needs to  
4 happen even beyond what's required in 35.12 for  
5 applications to put AUs, ANPs, AMPs, or RSOs on the  
6 license.

7 MS. SALTER: Mr. Lieto?

8 MR. LIETO: Well, I guess I would echo what  
9 Susan has just said. And I'm assuming that the issue  
10 that you're addressing would be for new applicants.  
11 And if this was someone who had not -- in other words,  
12 someone who not been on a license, there was no  
13 regulatory trail to identify what type of training and  
14 experience that this individual had.

15 And it's not unusual for -- I come from an  
16 NRC state, it's not unusual for a license reviewer to  
17 ask for additional information on an individual. And  
18 if there wasn't enough there in terms of their board  
19 certification for what they were applying for.  
20 Generally, these are pretty straightforward as far as  
21 AUs, AMPs in terms of what they're applying for. And  
22 as far as the HDR applications go, they've always  
23 required additional documentation for an AMP applying  
24 for authorized medical physicists for those uses.

25 MS. SALTER: No other comments?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. MACAPINLAC: Yes, I agree with the  
2 previous two speakers that, again, the board  
3 certification should provide the necessary background  
4 when they do apply as a new authorized user. If there  
5 is anything else, then I think the NRC should be free  
6 to ask for that, but I think it should be sufficient  
7 the processes we have in place, the supervision for  
8 all these -- both the trainees is well documented, and  
9 the board certification is the document which should  
10 provide the trail for which they begin with. And, of  
11 course, this is aside from the people who actually had  
12 a previous trail already, but were just left out by  
13 this process.

14 MS. SALTER: Mr. Walter?

15 MR. WALTER: I just want to make sure I'm  
16 clear on something here, because I'm thinking as I  
17 listen to this a little bit more, what I'm hearing is  
18 perhaps the NRC is asking right now if you are  
19 applying for authorized medical physicist status for  
20 an HDR you have to tell them which computer software  
21 information and devices they have experience with,  
22 which would not be on the certification. So, is that  
23 meaning that that would be the additional requests  
24 that would come from the NRC as to what specifically  
25 do you have experience with? Is that what you guys

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 were saying?

2 (Off mic comment.)

3 MR. WALTER: Okay.

4 MS. SALTER: Dr. Langhorst?

5 DR. LANGHORST: And let me clarify what I'm  
6 trying to propose here. Because as we're discussing  
7 this, to me, the licensee is stating we want this  
8 person on our license, and they have met the training  
9 and experience requirements. And they provide what  
10 documentation is required under 35.12.

11 Now, a licensee, the management may want  
12 additional information from their existing authorized  
13 users, or authorized nuclear pharmacists and so on on  
14 the specifics of that person's training, but maybe  
15 that doesn't even have to be in NRC's regulations,  
16 because it's already in 35.12, that the licensee is  
17 saying we have reviewed this training and experience  
18 of this individual. They meet the requirements, and  
19 we want them put on our license. So, that's a specific  
20 of what I was throwing out there.

21 MS. SALTER: Mr. Lieto?

22 MR. LIETO: Yes, I would -- just to add to  
23 the way the question was posed from Mr. Lohr. I could  
24 see an easier solution to this, not being in  
25 regulatory space, but rather that when an applicant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 makes this, that rather you severely update your  
2 regulatory guides to say that when you submit -- this  
3 is the training and experience requirements that is  
4 expected when this individual is making this  
5 application.

6 I mean, it's similar to what you do right  
7 now, but at least you would not have this very  
8 specific issues of concern about having an individual  
9 address this from the preceptor attestation route,  
10 having it that the licensee is providing that --  
11 either provides or has that information on site for  
12 regulatory review.

13 MS. SALTER: Dr. Langhorst?

14 DR. LANGHORST: I did -- excuse me, summer  
15 cold, forgive me. I did want to go back to this  
16 national testing, if we could?

17 MS. SALTER: Absolutely.

18 DR. LANGHORST: I'm concerned that going  
19 that route separates radiation safety from the board  
20 certification route, and makes it too -- okay, now  
21 you're talking radiation safety, now you're talking  
22 use of radioactive materials. And I think they're --  
23 it's already well covered in the board certification.  
24 I'd hate to have to sit as an RSO for another test  
25 when my certification board exam is all about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 radiation safety. So, I don't think that's the right  
2 route to go, and I don't think that the cost that  
3 would take, and the additional studying and so on  
4 periodically. I'm not supportive of that.

5 MS. SALTER: Mr. Walter?

6 MR. WALTER: Such a system would definitely  
7 separate the practice of medicine from radiation  
8 safety. And the test that would be given would be  
9 radiation safety-based only. And it's -- don't get me  
10 wrong, I don't think there's a regulator in here who  
11 has seen, unless they are a board certified  
12 individual, who's seen the radiation safety questions  
13 on any given exam, but we know what would be on an  
14 exam. And since that's our purview, is radiation  
15 safety, and our sole purview, not -- when I say "sole  
16 purview," I mean that's the only thing we're dealing  
17 with, not that we're the only ones that deal with it.  
18 Then it would make sense for us to be concerned with  
19 the radiation safety aspects in the use of medicine.

20 We constantly are treading on what is  
21 considered to be the practice of medicine, because  
22 there is no defined line that separates the practice  
23 of medicine and radiation safety. There's just no  
24 fence there. So, we have to get into that gray area.

25 This is a way to separate it. It's another

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 test, yes, one of many, many, many that certified  
2 individuals would have taken, or anybody, any  
3 physician or anyone that's in the status would have  
4 taken. So, I don't really see where it would be  
5 onerous for them to take a 100 to 125, we'd have to  
6 put some additional questions in there for testing  
7 each time, but say 100 to 125 question radiation  
8 safety exam.

9 It would do away with the 80 hours, the  
10 200 hours, the 700 hours, and all of this. We would  
11 rely on the practice of medicine and the fact that  
12 medicine is going to assure that only the right people  
13 are doing this work. To bring it down simply to if you  
14 can take this test, and you can pass this test, then  
15 you can be approved as an authorized user, or  
16 physicist in the area in which that test was planned.

17 MS. SALTER: Anyone else want to comment on  
18 this suggestion, or how it might be revised? Mr.  
19 Lieto?

20 MR. LIETO: Well, I think it's a very  
21 interesting proposal. I'm very much setting on the  
22 fence on it, because I think the devil is in the  
23 details on how this would be set up, and administered.  
24 I'm not really sure if an exam would be -- a "national  
25 exam," is necessarily the mechanism. I was pondering

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 whether maybe a set of training or topic modules that  
2 an organization could provide for its residents or  
3 physicists, and maybe there would be some type of a  
4 national or professional organization that would  
5 provide these, and then when you successfully complete  
6 these within a period of time, you provide the  
7 certificates or something like that. But the onus is  
8 on the individual to get the training.

9 So, there might be different ways to skin  
10 this cat. It's, like I said, a very interesting  
11 concept. There was, I think, how you would set up a  
12 training board who would provide these questions. I  
13 think a lot of what is required in current NRC  
14 regulations is archaic and outdated, as far as what  
15 medical -- especially for authorized users, and what  
16 they do. So, I think you want something that would  
17 reflect more the current practice of what the  
18 responsibilities and duties are. So, I'm not  
19 necessarily for it, but I'm not necessarily against  
20 the concept.

21 MS. SALTER: Dr. Macapinlac.

22 DR. MACAPINLAC: Among the practicing  
23 physicians I think one should realize that we do have  
24 maintenance of certifications. What I'm trying to say  
25 is we have a process in place, and perhaps radiology

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 may not be the best example. I would give you a  
2 better example because it involves different kinds of  
3 physicians. It would be the practice of  
4 cardiovascular nuclear medicine. You have  
5 interventional radiologists, cardiologists, nuclear  
6 medicine physicians, and radiologists who practice  
7 this.

8 We are, actually, mandated to take an exam  
9 to recertify, which specifies specific parts of it  
10 dealing with radiation safety and the handling of  
11 isotopes. We even have courses specific outside of  
12 the actual stress testing, interpretation of the  
13 studies, but particularly for the radiation safety and  
14 handling of pharmaceuticals, instrumentation, et  
15 cetera. This is actually happening in about September  
16 of this year.

17 It happens annually, because we get  
18 recertified. And the website itself, less physicians  
19 who are certified or not, or people who have not  
20 recertified, or do not want to get recertified. And  
21 you do not have to have any part in enforcing it,  
22 because it's self-enforcing. We will not be paid as  
23 physicians if we do not get certified. You cannot  
24 practice.

25 So, what I'm trying to say, this is part

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and practice of our practice of medicine, particularly  
2 in the area of nuclear medicine, and sealed with  
3 radiation oncology.

4 We take ownership in that this involves  
5 the administration of these nuclides, or these  
6 isotopes, or these radioactive materials to patients.  
7 It is our responsibility, and it involves part of our  
8 practice, and part of our maintenance of  
9 certification. So, what I'm trying to say is you have  
10 this process already in place. We have to take a  
11 written exam for this, and it's there. It's well  
12 documented.

13 MS. SALTER: Any other comments on that?

14 Well, I know -- I think that in your  
15 presentations you covered the questions, at least in  
16 the Federal Register around attestation. The first  
17 was should only AMPs and RSOs be grandfathered. And I  
18 think I heard support for that.

19 In addition, there were some additional  
20 people that some of the panelists felt should be  
21 grandfathered in. I don't know if there are any  
22 additional comments on that topic. No? Mr. Lohr?

23 MR. LOHR: I'd like to hear the group's  
24 thoughts on the idea of the authorized nuclear  
25 pharmacist, which has had to do a certification or an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 attestation for many, many years before 2002.

2 MS. SALTER: Okay. Any of our panel  
3 members want to weigh in on that? Let's go to Mr.  
4 Walter, and then Dr. Langhorst.

5 MR. WALTER: Frankly, in our state at  
6 least, we've not seen the kind of problems that have  
7 cropped up with the new rule with the pharmacists.  
8 It's been business as usual with them.

9 MS. SALTER: Dr. Langhorst?

10 DR. LANGHORST: I guess I would ask the  
11 question as to why that requirement was there in the  
12 first place, and does it need -- why couldn't that be  
13 eliminated as we were discussing with all of them.  
14 Just because it was there before this most recent  
15 change, you know, it doesn't mean it needs to  
16 continue. So, I'd ask why it was placed there in the  
17 first place?

18 MS. SALTER: Did you want to respond to  
19 that?

20 MR. LOHR: I can take a stab at it.  
21 Remember, I am from the rulemaking group and not from  
22 the technical office. But I believe that there were  
23 some issues in the past with the nuclear pharmacy, I  
24 don't want to say programs, but with the field. And  
25 the Agency in response to that had developed the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 attestation.

2 I'm not suggesting that those problems are  
3 still existing today. I'm not suggesting that we  
4 should or should not keep the program, but I have not  
5 heard that in any of the presentations this morning  
6 from any of our panel members on the nuclear  
7 pharmacists. So, I was curious, were they intended in  
8 their statement to also include them with the removal  
9 of the attestation?

10 MS. SALTER: Dr. Langhorst, and then we'll  
11 go to Mr. Lieto.

12 DR. LANGHORST: Yes, we meant to include  
13 them.

14 MS. SALTER: Mr. Lieto?

15 MR. LIETO: Ditto. Yes, we did mean to  
16 include them. And I think if a board want --  
17 preceptor attestation is a part of their board, I  
18 believe part of their board certification process, if  
19 I'm not mistaken. I don't want to speak for nuclear  
20 pharmacists, if there's one in the audience, but --  
21 so, this preceptor attestation for the  
22 radiopharmacists was well -- was in play many, many  
23 years, probably a good decade and a half before the  
24 rule rewrite in 2002. So, it really was not an issue  
25 for them whether it stayed or didn't stay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 I think that was going to be maintained as  
2 a part of their certification process regardless, but  
3 the requirement for applying to the NRC for a licensee  
4 to get approval for an authorized nuclear pharmacist  
5 on their license, the preceptor attestation in  
6 addition was not meant to be part of that.

7 MS. SALTER: Any other comments from -- Dr.  
8 Langhorst?

9 DR. LANGHORST: I had a question about how  
10 often -- and I just don't know this. How often NRC  
11 reviews the boards and their requirements? They get  
12 initial recognition, but is there a re-review of their  
13 requirements periodically?

14 MS. SALTER: Mr. Lohr, can you answer that  
15 question?

16 MR. LOHR: I cannot.

17 MS. SALTER: Okay.

18 MR. LOHR: But I believe we have a Staff  
19 member who can.

20 MS. SALTER: Okay. Because I know this --  
21 I think, Mr. Walter, you had something in your  
22 presentation about how you felt that this could work  
23 if the NRC kept up on that. So, let's go to Dr. Zelac.

24 DR. ZELAC: Certain certification boards  
25 that were interested in having their certification

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 processes recognized by NRC or Agreement States made  
2 application to NRC. I don't know of any that made any  
3 applications directly to Agreement States. Made  
4 application to NRC to describe what their processes  
5 were, and indicate where there was compatibility  
6 between their processes and the requirements in their  
7 respective sections of the regulations.

8           Once any omissions or contradictions were  
9 satisfied, those board processes were recognized. Part  
10 of the process of recognizing the boards was to make  
11 clear to them what their additional responsibilities  
12 would be for the future with respect to maintaining  
13 those processes that had been approved. And the  
14 requirement that's been placed upon all the boards is  
15 to notify the NRC in advance of any modifications to  
16 those processes that have been reviewed and approved  
17 in sufficient time that the changes can be reviewed  
18 and determined to either be acceptable or not.

19           There is not a recertification process,  
20 re-recognition process for these board certification  
21 processes, but there is an outstanding and continuing  
22 requirement for those boards with recognized processes  
23 to notify NRC, as the recognizing agency, of any  
24 changes. And this is published information up on the  
25 website.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MS. SALTER: Did you want to -- Mike  
2 Fuller?

3 MR. FULLER: Yes, I was just going to  
4 clarify that the process that Ron just described where  
5 the certifying boards are expected -- not only are  
6 they expected to come in and notify us when there's  
7 change and we have an opportunity to review that.  
8 That has been exercised a number of times. Things  
9 have changed, and we have reviewed it, and so forth.

10 MS. SALTER: Thank you. So, does that  
11 generate any comment from the panelists,  
12 clarification? Mr. Lieto?

13 MR. LIETO: I guess just a comment. I think  
14 the whole aspect of going at the boards to address  
15 training and experience is kind of trying to push the  
16 water uphill. The boards do not train applicants.  
17 Okay? They reflect the requisite knowledge of the  
18 training that is provided to them in the training  
19 programs.

20 It seems to me what should be addressed is  
21 that the -- are the training programs providing the  
22 information in their training programs. Do they feel  
23 that this is what's necessary to put out good AUs,  
24 AMPs, authorized nuclear pharmacists?

25 The practices change because of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 technology, as we saw yesterday in a lot of the  
2 discussion, and I think a lot of the specificity of  
3 some of the training and experience requirements  
4 really are not in concert with what the practices of  
5 these individuals are in these various areas.

6 MS. SALTER: Mr. Walter, did you have any -  
7 - one of your concerns, I guess, on eliminating the  
8 attestation requirement for board certified  
9 individuals would the NRC evaluate or review  
10 boards periodically? Would this current process  
11 that's in place meet your needs in that area?

12 MR. WALTER: Yes, that's exactly what I was  
13 referring to when I was discussing that, is that any  
14 changes that would be considered by a board would have  
15 to be reviewed for those areas that are covered in the  
16 rules, would have to be reviewed and accepted by the  
17 NRC.

18 As Dr. Zelac had stated, the boards had  
19 the option of going to the Agreement States, but the  
20 fact of the matter is, none of them ever came to any  
21 Agreement States that I'm aware of, that they all more  
22 or less were probably used to working with the NRC  
23 more than they were with individual states. So, that's  
24 why they chose to go that direction, more than likely.  
25 But, at the same time, I don't know what -- if someone

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 came to me in Alabama, I probably would say I really  
2 don't have the expertise in doing this. I think you  
3 ought to go to the NRC, or someplace else. Okay?  
4 Because I'm not going to -- I'm not proud. If I don't  
5 know how to do something, I'm not going to try and do  
6 it.

7 MS. SALTER: Dr. Langhorst?

8 DR. LANGHORST: I wanted to bring up  
9 another little twist on this. As I was reviewing  
10 transcripts of past ACMUI meetings and so on, the  
11 topic of physicians, in particular, trained in Canada  
12 came up, and whether that was allowable for people to  
13 get board certification here in the U.S. And I know  
14 there are still some of the recognized boards that  
15 have to have certain types of wording on their  
16 certifications that say, like physicians trained in  
17 the United States, or says United States on it. And I  
18 just wanted to bring that topic up, if an individual  
19 gets -- passes a board certification that is a U.S.  
20 board, I think they have to alert the U.S.  
21 regulations, and I don't see if they're trained in  
22 Canada or here if that would make much difference.  
23 So, I wanted to bring that topic up.

24 MS. SALTER: Mr. Lohr?

25 MR. LOHR: That particular topic is under

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Topic 5 for this afternoon's discussion.

2 MS. SALTER: Okay.

3 MR. LOHR: If that's okay if we defer until  
4 then.

5 MS. SALTER: Sure.

6 DR. LANGHORST: Okay, thank you.

7 MS. SALTER: Bring it back up when we get  
8 to Topic 5.

9 Any other -- this is your opportunity to  
10 take this discussion in any direction that you would  
11 like. We have about five minutes left for the  
12 discussion part, so let's go to Mr. Lieto, and then  
13 Mr. Walter.

14 MR. LIETO: I have a question for NRC. It  
15 was mentioned that boards have come back to the NRC  
16 to, I'll say re-approve their process, or amend their  
17 process for board certification. Could you kind of  
18 give an example of what you mean by that, or  
19 specifically what was done, and what it addressed?

20 MS. SALTER: Do we want to answer that now,  
21 or do we want to --

22 MR. FULLER: Most of the time when these  
23 changes are made, they have to do with changes to the  
24 certificate, for instance. There may be some changes  
25 in nomenclature that the board wants to make with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 regards to what they call their board certified  
2 individuals, and so forth. So, that's been the main -  
3 - most of the cases. And then there may have been  
4 others that were more substantive and so forth, but,  
5 anyway, we can -- I can get that information for you  
6 and get back to you, Ralph.

7 MS. SALTER: Is there a concern in that  
8 area that you want to provide, or something that the  
9 NRC should consider? This is really your time to --

10 MR. LIETO: Well, I'm just kind of -- I'm  
11 just curious as to this whole board -- the whole  
12 Agency approval of a board process. I am not familiar  
13 of any other regulatory agency in the federal  
14 government that does this. Okay? That approves a  
15 board process. So, I think why is -- why does the NRC  
16 have to be so unique in this? And I think it's  
17 created some real difficulties with this whole  
18 recognition of diplomats, the date of certification,  
19 and so forth. So, I just would like to know what are  
20 some of the specifics of what the boards are actually  
21 doing with the regulatory agencies in this process.

22 MS. SALTER: Okay. Mr. Walter, did you  
23 have a --

24 MR. WALTER: Well, I didn't have a comment  
25 on that. I had another question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MS. SALTER: That's fine. That's fine.

2 MR. WALTER: Okay. We're on six years now  
3 since the 2005 changes that we're looking to make  
4 amendments and changes to. And it's possible that it  
5 will be at least seven years after the last major  
6 changes in the training and experience to where we get  
7 to the new one.

8 Let's assume that we drop the requirements  
9 for attestation for board certified individuals. Are  
10 we still going to keep the evidence of having been  
11 active within the last seven years?

12 MS. SALTER: Dr. Langhorst, did you want to  
13 comment? I see you shaking your head, but the folks  
14 on the webinar can't see that, so --

15 DR. LANGHORST: Yes. I mean, I don't think  
16 that has been brought up as anything to change, or  
17 proposed to change in this regulation. And board  
18 certified individuals have to maintain their  
19 certification well within a 7-year period, and I know  
20 how painful that can be for me in my certification.  
21 So, yes, I don't think there's any proposal to change  
22 that.

23 MS. SALTER: Well, with our last five  
24 minutes for the panelists' discussion before we get  
25 the audience in, I'm going to go to Mr. Lohr, and just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 see if there was any question he wanted to throw out  
2 to the panel members for comment.

3 MR. LOHR: I was interested in hearing the  
4 panelists' thoughts, specifically during one of the  
5 presentations they were talking about the residency  
6 program directors providing attestation. And one of  
7 the slides talked about the idea that the -- on the  
8 residency program staff there would need to be an AU  
9 who had similar background of what was being  
10 requested, and would also have the ability to  
11 disagree; and, therefore, the attestation would not be  
12 issued by the residency program director. So, I was  
13 interested in the thoughts of the panel on that  
14 approach.

15 MS. SALTER: Okay. I don't remember whose  
16 presentation that was, but if you would like to  
17 elaborate on that, or if someone else would like to  
18 comment on that. Dr. Langhorst?

19 DR. LANGHORST: Thank you. I think as far  
20 as board certification, a residency director probably  
21 would not recommend an individual to sit for a board  
22 if one of the authorized users or other authorized  
23 individuals did not agree that that individual was  
24 ready to sit for a board.

25 I would hope that a licensee before they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 put a person's name forward to be placed on their  
2 license, if they had an authorized individual under  
3 their license who did not agree with this, that that  
4 would be part of their process of well, we're not  
5 putting this person forward until we have this  
6 resolved.

7 It just seems like a very practical, this  
8 is how you would do business kind of question. And I  
9 think that NRC doesn't have to get down to,  
10 necessarily, that detail. But if a licensee is putting  
11 forth an individual that they need -- that they have  
12 this training and experience, then NRC looks at that  
13 individual and holds the licensee responsible for  
14 insuring that that training and experience has been  
15 met.

16 MS. SALTER: Mr. Lieto?

17 MR. LIETO: I don't know if it was my  
18 slides that Mr. Lohr is referring to, but maybe just  
19 to clarify. One of the points that I was making is  
20 that besides program directors, that an individual who  
21 is already an authorized user for the same uses that  
22 the applicant is applying for to be authorized by the  
23 regulatory agency, that person could also be a person  
24 that could provide the preceptor attestation, not just  
25 the program director.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 My other point was that in some,  
2 especially with authorized users, some program  
3 directors may not be someone who is an authorized user  
4 for radioactive materials. He could be someone who  
5 does, basically, diagnostic x-ray as his primary  
6 practice, but is the director of the residency program  
7 which encompasses the nuclear medicine residents. So,  
8 that program director may not be an authorized user,  
9 but he has all the information to make the judgment  
10 based on the information from the other authorized  
11 users and individuals in the training program to  
12 provide the preceptor attestation.

13 And, similarly, that could also be the  
14 same case with an authorized medical physicist. You  
15 could have an authorized medical physicist whose board  
16 certification is in the diagnostic imaging modality,  
17 yet they could be part -- their training program may  
18 encompass individuals that are applying via the  
19 alternate pathway for authorized medical physicist  
20 status on a license. So, obviously, along the  
21 therapeutic medical physics avenue. So, I don't know  
22 if that provides the answer to your question or not on  
23 what I was trying to make, or was it a --

24 MR. LOHR: It was not a question. I was  
25 looking for the thoughts of the panel on it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MS. SALTER: Perspectives. All right.  
2 Well, we are at the time when we'd like to invite the  
3 audience to join in on this conversation. And I would  
4 ask if we could bring the standup mic to the front of  
5 the room. However, if I can reach you, I can bring  
6 you a mic so you don't have to crawl through the  
7 tables and the other participants. And I have a card  
8 from Dr. Herb Mower, so I'm going to start over here.  
9 If you have a blue card and you want to talk, just  
10 raise it. If you need a blue card, I'll bring you  
11 one.

12 DR. MOWER: One of the things that was  
13 noted was if you had your name on a license on the  
14 magic date of October 25<sup>th</sup>, 2005 you were then okay to  
15 go forward. And I believe Mr. Walter commented that  
16 at least in his state they suggested that people get  
17 their names on the licenses prior to that date. I did  
18 that to my staff, all my physicists who were not  
19 listed on our license were put on there.

20 One of the problems with this, though, I  
21 believe is that at that time in most, if not all  
22 licensing bodies only one RSO could be listed on a  
23 license. Therefore, it was not possible to get other  
24 people who had served as RSO up until October 24<sup>th</sup> when  
25 they happened to hand the reins over to somebody else,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 on October 25<sup>th</sup> they were no longer an RSO and,  
2 therefore, are not eligible now to be an RSO without  
3 going back through the process.

4 I was wondering if you have any comments  
5 on that, and then we'll hit the real good questions.

6 MS. SALTER: Mr. Walter.

7 MR. WALTER: You're absolutely right. The  
8 RSO has been a little bit of a sticking point in that  
9 while we have allowed -- in my state we've allowed  
10 multiple RSOs, particularly when we have multiple  
11 sites, most of the time when we have multiple RSOs  
12 they are one for diagnostic use, one for therapeutic  
13 use, rather than one that can handle everything at one  
14 location. We would generally just have one RSO on  
15 there, so you're correct in that assumption. And that  
16 has on very rare occasions, at least in my state, been  
17 a problem. But most of the time, it hasn't been when  
18 it comes to the physicists, at least, and the  
19 authorized users, we haven't had too much trouble  
20 getting them into the RSO position.

21 The biggest problem has been that  
22 attestation request, which if an RSO has already left  
23 29 days before, and maybe they didn't leave in the  
24 best of intentions, and didn't have the best feelings  
25 towards their past employer, they're not willing to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 write an attestation letter. So, that -- politics  
2 gets into everything, so it doesn't matter what we do,  
3 and how we try and fix it, politics will screw it up  
4 one way or another.

5 But you're right on that, it was  
6 difficult. And one of the things that I tried to do  
7 as the OAS representative on the working group is, I  
8 sent out at least two, I think three emails to all of  
9 the director members at the time imploring them to  
10 make sure that their licensing staff got all of the  
11 physicists on to the licenses before they adopted the  
12 new regulations, which as you know can take three  
13 years after the NRC's regulations go into effect. And  
14 even so, I was getting requests to add people on the  
15 day before our's went into effect. And I, essentially  
16 said if it was dated before that June 6<sup>th</sup> date of 2006,  
17 I'm going to accept it. And luckily they all came  
18 storming in there at the very end.

19 And I also was very liberal in my  
20 authorization process. I didn't authorize them just  
21 for the things that are listed in the rules as to what  
22 they had to be listed in. I listed them for  
23 everything on that license that they were using or  
24 working with regardless of whether or not they  
25 currently under the rules had to have their name on a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 license to use it, because what's going to happen in  
2 the future?

3 So, we tried to be as proactive as  
4 possible in doing that, and that's what I encouraged  
5 other states to do. Some did, some did not.

6 DR. MOWER: The other topic I would like to  
7 see the panel really address in some detail is this  
8 recommendation of a National Radiation Safety Exam,  
9 which I see several problems with.

10 First, as Dr. Langhorst mentioned, this is  
11 already covered to a real extent in the board  
12 certification processes, at least through the ABR and  
13 the ABMP with a specific section on that.

14 Second, I think as recommended, it really  
15 weakens the systems. It's not asking for anywhere  
16 near the training, and experience, and knowledge that  
17 we had there before. And then there is the question  
18 that if this exam were to come about, would that group  
19 performing the exams be something which would be  
20 recognized by the NRC such that they would accept this  
21 person as a radiation safety officer?

22 MS. SALTER: Okay. Well, barring what the  
23 NRC would do if this was approved, let's ask what  
24 would you like to see the NRC do in this case, or  
25 respond to Dr. Mower's -- I'm over here behind you --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Dr. Mower's concerns regarding that particular  
2 proposal. And that can be from Mr. Walter or any of  
3 the panelists. We'll start with Mr. Walter.

4 MR. WALTER: Yes. This was a situation  
5 that struck me, in particular, back in the late '90s  
6 when we started the rulemaking process, because my  
7 state has had no luck in getting certification or  
8 training requirements specified in the rules in any  
9 way, shape, or form for techs or anyone who actually  
10 handles materials a lot. It was being shot down right  
11 and left every time we tried.

12 So, one of the things that I suggested was  
13 we can simplify these rules by saying that if they  
14 know the radiation safety component of the type of use  
15 that they're wanting to do, then take the exam that  
16 shows that they understand the concepts and understand  
17 what needs to be done. We can do away with the number  
18 of hours of classroom and laboratory training which,  
19 as all of you know, was a fight. Well, it doesn't  
20 need to be 200 hours, well, it doesn't need to be 80  
21 hours, it doesn't need to be 8 hours. You know, how  
22 much is right? Very subjective. We talked about  
23 subjective and objective yesterday.

24 If you know the stuff, you know the stuff.  
25 If you don't have to take any additional training to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 know it, then you don't need to take any additional  
2 training.

3 What constitutes an approved, accepted  
4 training program? NRC does not review or accept any of  
5 those training programs that are giving you the 200  
6 hours, or 80 hours, or whatever. That's all left up to  
7 the Agreement States.

8 Every Agreement State is going to look at  
9 them in their own way, no consistency. We're in the  
10 process right now, the OAS and the Conference of  
11 Radiation Control Program Directors are in the process  
12 right now of working -- putting together a working  
13 group that is going to address just that issue. What  
14 is the best way? What do you always need to do when  
15 you're reviewing these training programs to assure  
16 that they're adequately providing the information  
17 necessary to safely handle radioactive material.

18 In particular, that's going to be for  
19 those training programs that are not specified as to  
20 what has to be covered in the rule. But, at the same  
21 time, everybody has wanted to go on line. What's an  
22 acceptable on line training program? Taking it and  
23 passing it, or oh, you need to go back and look at  
24 this part of this module and just memorize it long  
25 enough to say -- to get the right answer so you can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 move on to the next one? Where is the retention?  
2 What is acceptable? So, let's do away with that.  
3 Let's do away with the incongruencies and  
4 inconsistencies that we have at this point in  
5 time.

6 My intent in having a national training or  
7 national testing program would be that it would be  
8 accepted by all regulators. And in order to do that,  
9 it's not going to be the easiest thing in the world to  
10 do, but you have to remember, again, like I said,  
11 every time there is a small change in the  
12 Compatibility B Category license or regulation, 37  
13 Agreement States have to make changes, not just the  
14 NRC.

15 Now, it may not cost us much more than  
16 just the NRC by themselves to go through the long  
17 process that it takes to do this for us to get it, but  
18 it costs money, and a lot of FTE to make a rule and  
19 not be out there in real world making sure that  
20 radiation safety is being done. And I'm not talking  
21 about just medical, I'm talking about the majority of  
22 other licensees that we have.

23 So, the cost in manpower and money,  
24 itself, for even the smallest changes is easily in the  
25 millions of dollars. And we're having to bear that,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 as well. So, why don't we get a process that doesn't  
2 have to be constantly tweaked, doesn't have to be  
3 constantly reviewed, and changed, and overhauled in  
4 some small to large manner? So, that was my premise  
5 for bringing this up back in '97, and again this year.

6 MS. SALTER: All right. I have a comment  
7 here. I'm going to ask you to stand up so folks can  
8 see you, and introduce yourself, and your  
9 organization.

10 DR. MAHMARIAN: Sure. I am John Mahmarian.  
11 I'm the Director of Nuclear Cardiology and  
12 Cardiovascular CT at Methodist Hospital right across  
13 the street, and also professor at Weill Cornell. I've  
14 been training fellows for the last 25 years, so I have  
15 somewhat of an interest in all of this. I'm also here  
16 representing the American Society of Nuclear  
17 Cardiology, and the Certification Board of Nuclear  
18 Cardiology.

19 And I'd just like to make just a few  
20 comments. First of all, I'd like to say I agree with  
21 all the comments from my esteemed colleague from the  
22 American College of Radiology. I think we're on the  
23 same viewpoint in terms of where we think the comments  
24 should be going in terms of attestation, in terms of  
25 accreditation and certification.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           And in that regard, we certainly agree  
2 with the issue of not having to need attestation for  
3 people who are already board certified. We certainly  
4 agree with the issues regarding the alternative  
5 pathway. And we do feel, and I personally feel that a  
6 program director should be able to attest to the  
7 completion of a program by an applicant, as long as  
8 it's under advisement by either the authorized user  
9 and/or another faculty member who has been a preceptor  
10 for the individual, so we certainly agree on that.

11           We also agree with excluding the language  
12 of competency in the requirements. As was referred by  
13 Mr. Lieto, boards look at competency, training  
14 programs attest to completion of materials and going  
15 through and doing the proper -- getting the proper  
16 training. So, I think that is an important thing --  
17 an important concept to remove from the verbiage.

18           I would like to say one last comment about  
19 this issue of national safety examination. In  
20 cardiology and internal medicine, if you're a  
21 cardiologist, you already take a recertification exam  
22 -- initial certification and then recertification exam  
23 in internal medicine in cardiology. If you're in  
24 nuclear cardiology, you take another one. If you're  
25 in cardiovascular CT you take another one. If you are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 in echo cardiography or electrophysiology, you take  
2 another one. If you're in MRI, that's coming up, too,  
3 very soon. And right now every 10 years our fellows  
4 and people out of their fellowship program have to  
5 take recertification exams, including myself, which I  
6 don't particularly like doing every 10 years.

7 And, in fact, if I were to recertify, it's  
8 getting to the point where every single year you would  
9 end up taking a new recertification examination.  
10 You'd never be able to practice medicine any more.  
11 You'd be just recertifying and doing those sorts of  
12 things.

13 Right now, I know -- I'm not sure about  
14 the other certification, the recognized certification  
15 boards, but I can tell you that CBNC, 30 percent of  
16 the exam is on radiation safety. So, this is already  
17 incorporated within the certification examination.

18 And, at this juncture, it seems like we're  
19 trying to expand; whereas, ABIM is actually trying to  
20 consolidate because they realize how onerous this is  
21 on everyone to constantly taking not only initial  
22 certification exams, but recertifications at such  
23 frequent intervals. And, in fact, there's now some  
24 thought about going to ongoing certification so you  
25 don't have to have this constant retaking of tests

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 every 10 years. So, it seems as though where ABIM is  
2 getting maybe more toward consolidation, here we're  
3 talking more about expansion. And I'm not sure that's  
4 necessary.

5 Now, maybe from my own personal viewpoint,  
6 maybe the best way to approach this would actually be  
7 to have NRC advise the certification boards in terms  
8 of what type of material they would want on a test, so  
9 as to satisfy the regulatory needs or the presumed  
10 regulatory needs, rather than offering a completely  
11 new examination that someone might have to sit for.  
12 And I think those are all my comments. Thank you.

13 MS. SALTER: Okay. Thank you, Dr.  
14 Mahmarian. I'm going to go back here again. I'd ask  
15 you to stand up and introduce yourself.

16 DR. BEASLEY: Hi, I'm Charles Beasley, and  
17 I'm on the faculty of UT Health just down the street  
18 here in the Medical Center. Also, I'm the Radiation  
19 Safety Officer for Memorial Hermann, so I have some  
20 operational experience.

21 Very briefly, back in the '80s it used to  
22 be that all we needed to do was get a photocopy of an  
23 ABR certificate and that was it. After the rule  
24 change, basically, I had to tell newly minted  
25 residents that that wasn't worth the paper it was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 printed on, and they needed to fill out some rather  
2 lengthy forms.

3 My experience was many of these people  
4 decided not to pursue getting the authorized user  
5 status because they either didn't want to take that  
6 trouble, or they had difficulty in complying with the  
7 requirements.

8 On the educational experience, I'm  
9 involved with the Radiology Residency program at UT.  
10 We have over 50 residents in the program, and we  
11 participate, our physics group participates in the  
12 education part of it.

13 It's been our experience when the  
14 attestation is required prior to taking the ABR, that  
15 when we have that filled out by our proctoring group,  
16 that they are hesitant on two aspects to sign it.  
17 One, they were not participating with the 80 hours,  
18 that was the physics group that did that, so they were  
19 concerned about just being shown the information, and  
20 want to know why doesn't somebody that actually did  
21 the education, such as the physicists, sign off on  
22 that instead of the position.

23 The second thing, as Dr. Langhorst  
24 mentioned, is they don't like the wording, and they're  
25 very confused by the aspect that what they're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 attesting to. Are they attesting to their clinical  
2 expertise, or are they attesting to their general  
3 training and knowledge? So, that's what I want to  
4 say.

5 MS. SALTER: Thank you, Dr. Beasley. I'm  
6 going to go -- I'd like to, before I go to our next  
7 speaker, just want to remind everyone on the webinar  
8 that although we can't hear you here, other  
9 individuals participating in the webinar can hear you  
10 if you don't mute your phone. So, please mute your  
11 phone and use \*6, and also not to put your phone on  
12 hold because when you do that, if you have music it's  
13 coming through to other folks on the webinar. Of  
14 course, if you're on hold right now you're not hearing  
15 this, but --

16 (Laughter.)

17 MS. SALTER: -- don't put your phone on  
18 hold in the future.

19 With that, I'm going to go over to Dr.  
20 Welsh for a comment.

21 DR. WELSH: Hi, I'm Jim Welsh with the  
22 ACMUI. And I'm going to just comment on the concept  
23 of national safety, national state safety -- radiation  
24 safety examination.

25 I know that we've already heard comments

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 on this, but since I and I believe many others have  
2 strong opinions on this, I thought I'd echo those  
3 sentiments, and perhaps reinforce them by stating that  
4 I disapprove, in general, of the concept of any  
5 federal or state agency intruding too much into the  
6 practice of medicine. I think we're all in agreement  
7 with that.

8 Analogously, I'm not in favor of the  
9 concept of a federal or state agency going overboard  
10 and kind of approving a board certification process,  
11 and examining that with a fine tooth comb. I think  
12 the board certifying organizations know what they're  
13 doing, in general.

14 So, just as nobody would be in favor of  
15 the idea of the NRC or the states intruding into the  
16 practice of medicine, I think that we're walking a  
17 very fine line here when we talk about this concept of  
18 a national or state radiation safety examination.

19 Granted we're not talking about the  
20 practice of medicine per se, but the American Board of  
21 Radiology, for example, as one of the certifying  
22 organizations, certifying boards, certainly knows what  
23 they're doing in terms of radiation safety. And I  
24 believe that the radiation safety issues are fully  
25 addressed, and these concerns are fully addressed by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the board certification process.

2 So, while the concept of a national or  
3 state radiation safety examination is an intriguing  
4 concept, I, for one, am quite opposed to it because I  
5 believe that what we already have in place does,  
6 indeed, adequately address this issue. And that's  
7 just my statement.

8 MS. SALTER: Thank you, Dr. Welsh. We have  
9 one quick comment on the webinar, so I'm going to go  
10 over to Gretchen to get that. And it's like one  
11 sentence, so we're not going to put it up on the  
12 screen.

13 MS. RIVERA-CAPELLA: Thank you. This  
14 comment is from Steve Mattmuller, and he's from the  
15 ACMUI. And he's saying that, "Yes, attestation is  
16 part of the BCNP process."

17 MS. SALTER: Just a clarification there.  
18 Anyone else in the audience want to make a comment?  
19 We have a few minutes left. All right. Well, with  
20 our last -- I'll go back up to the panel. Is there  
21 anything that the panel has heard in these last couple  
22 of comments that they would like to respond to, or  
23 make a comment on? Oh, quiet.

24 All right. Well, with that, I'm going to  
25 take our last couple of minutes and turn it back over

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to NRC to see if there were any particular issues on  
2 this topic that they would like clarification or any  
3 more information on before we close it up. So, I'll  
4 go to Ed Lohr.

5 MR. LOHR: I was interested in hearing the  
6 panel's thoughts on, I believe -- I'm sorry, sir, I  
7 don't recall your name, the cardiologist, with the  
8 idea of having the boards incorporate the radiation  
9 safety aspect into their exams that are recognized  
10 rather than independent panel or board at a national  
11 level for this sort of thing. And I guess this would  
12 be a question not only to David, but to the other  
13 members of the panel.

14 MS. SALTER: Okay. So, on Dr. Mahmarian's  
15 comments, any panel members want to weigh in on that?  
16 Mr. Walter?

17 MR. WALTER: I don't want to be  
18 presumptuous and speak on behalf of the NRC, but  
19 having been on the original working group, the intent  
20 was that if the board came to them and did not  
21 indicate that there was -- I don't remember the exact  
22 percentage, but they were talking percentages, and we  
23 never made a decision as to what would be an  
24 acceptable percentage. Again, they were looking at  
25 subjective numbers here of the test questions being

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 radiation safety-based. If it weren't adequate, they  
2 weren't going to be accepted. So, that's part and  
3 parcel of the requirement to get accepted by the NRC  
4 in this case.

5 MS. SALTER: Any other panel members? Dr.  
6 Mahmarian, did you -- okay, Dr. Mahmarian.

7 DR. MAHMARIAN: And, again, I understand  
8 that in terms of having a certain percentage of the  
9 examination having the content of radiation safety.  
10 And I'm not speaking on behalf of CBNC now, I'm just  
11 speaking on behalf of myself. But it might -- as was  
12 suggested by Mr. Lohr, and as I have suggested, maybe  
13 the content would be more of an issue rather than the  
14 percentage of the material that's on the examination.  
15 And working with boards in that regard may offer a  
16 better solution than offering yet another examination  
17 to individuals.

18 MS. SALTER: Okay, thank you. Mr. Walter?

19 MR. WALTER: That was turned down when it  
20 was first talked about back in the early 2000s period.  
21 There may have been some other contentiousness going  
22 on at the time, because the boards didn't want to be  
23 taken out by name from the rules to start with. And I  
24 think that was the point that was being pressed home  
25 by the boards at that particular time, and it was not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 a welcome topic to even consider a regulatory agency  
2 to recommend the types of questions that should be on  
3 the board. That was a no-no, but the -- again, my  
4 point here is, you indicate that you got 30 percent of  
5 your exam, of the CBNC exam on there. I'm not saying  
6 to take it all off. But every percent you free up for  
7 medical gets you more into the medical competency,  
8 where the boards are supposed to be, into the medical  
9 competency section of it, as well.

10 And I understand it's well-rounded, that  
11 they need to feel -- the board needs to feel that  
12 you're well-rounded in all aspects necessary to have a  
13 competent practice, which includes radiation safety.  
14 But it -- that's just something that would free up a  
15 little bit more percentage possibly on that, but it  
16 also -- and, again, the biggest thing, it separates,  
17 as much as possible, the concept of getting involved  
18 in the practice of medicine.

19 DR. MAHMARIAN: Okay. This is John  
20 Mahmarian, again. Just one final comment I'd like to  
21 make on that. Having taken the certification exam,  
22 having taken the recertification exam, having written  
23 questions for the certification exam, I can tell you  
24 that it's an extremely well-rounded examination, and  
25 that removing radiation safety isn't going to make it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 any more well-rounded. If anything, keeping radiation  
2 safety on the exam makes it much more well-rounded,  
3 and well-balanced.

4 MS. SALTER: Thank you. All right. So, we  
5 are at 10:30, time for our morning break. We will  
6 come back at 11:00, and we will talk from 11 to 12 on  
7 Topic 3, which is Naming RSOs on the NRC Medical  
8 Licenses. So, come back recharged and prepared to  
9 engage in a dialogue on this topic.

10 (Whereupon, the proceedings went off the  
11 record at 10:30:07 a.m., and went back on the record  
12 at 11:01:04 a.m.)

13 MS. SALTER: All right. It's 11:00, and I  
14 would ask for our panelists, Mr. Lohr and Dr. Zelac,  
15 to make their way up to the front table. Oh, let me  
16 go get Ron.

17 All right. Welcome back, and welcome back  
18 to our participants on the webinar.

19 The rest of today is going to follow a  
20 little different format. We're not going to have  
21 panelists per se. We have a NRC Staff person who is  
22 going to kind of tee up the issue, give some  
23 background, and then we are going to open it up for  
24 audience participation to comment, provide  
25 suggestions, perspectives, your positions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           And the topic we're going to be talking  
2 about now, which is going to take us to lunch is,  
3 Naming Associate/Assistant Radiation Safety Officers  
4 on NRC Medical License. And our two panelists that  
5 are going to be here the rest of the day are Dr. Ron  
6 Zelac and Ed Lohr. And I'll just briefly introduce  
7 them.

8           Dr. Zelac is a Radiological Health and  
9 Safety Specialist who has been active in educational  
10 research in applied areas of the field. He is  
11 currently employed as a Senior Health Physicist by the  
12 U.S. Nuclear Regulatory Commission, and is presently  
13 focused on medical use of radioactive materials,  
14 including regulations, guidance, and implementation  
15 issues. And Dr. Zelac is certified by the American  
16 Board of Health Physics and the American Board of  
17 Medical Physics.

18           And Ed Lohr is a Health Physicist in the  
19 Division of Intergovernmental Liaison and Rulemaking  
20 in the Office of Federal and State Materials and  
21 Environmental Programs at the NRC. Mr. Lohr has  
22 worked in the radiation protection field for over 30  
23 years, including 20 years in the Army Medical  
24 Department, where he served as the Supervisor of the  
25 Kentucky State Radiation Control Program, the Kentucky

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 State Radon Coordinator, and the Operation Officer for  
2 the Reference of Radiation Control Program Directors.  
3 He is a registered Radiation Protection Technologist  
4 and holds a Bachelor's of Applied Science, as well as  
5 Master in Public Administration.

6 So, there you have our panel members. And  
7 with that, I am going to turn it over to Mr. Lohr to  
8 give us some background on this topic, and then we  
9 will open it up to audience participation. Again,  
10 please fill out a blue card if you have not done so  
11 already, just hold it up. If you need a blue card,  
12 raise your hand and one of us will bring it to you.  
13 For folks on the webinar, again you'll be typing in  
14 your question into the webinar.

15 So, with that, Mr. Lohr, you want to get  
16 us started?

17 MR. LOHR: Thank you, Susan. Everybody hear  
18 me okay with this? Thank you.

19 Welcome back to Topic 3, and the NRC's  
20 interest in public input on our proposal to add to the  
21 regulations. The acronyms you will see on my slide I  
22 believe you've seen before, but just worth always  
23 repeating for anybody who is new.

24 Part 35.24(b) of our current regulations  
25 requires a licensee's management to appoint a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 radiation safety officer who in writing agrees to be  
2 responsible for implementing the radiation protection  
3 program.

4 The current regulations are written in  
5 terms of singular individuals who are responsible for  
6 the radiation safety program. This singularity for  
7 one RSO is repeated in multiple places in Part 35. In  
8 addition, in the 2002 rulemaking in the supplementary  
9 information, the NRC states that, "Part 35 does not  
10 allow licensees to have more than one permanent RSO."

11 Section 35.24(c) does allow licensees to  
12 temporarily name replacement RSOs, if necessary, but  
13 that is to make sure that the licensee has an  
14 individual who's qualified to be an RSO for each of  
15 the different types and uses of radioactive material  
16 permitted by the licensee for a short period of time.

17 As further explained in the 2002  
18 rulemaking, even though we've added a provision for a  
19 temporary RSO, a licensee is expected to fill the  
20 position of permanent RSO as soon as possible. The  
21 intent is to have one person responsible for the  
22 radiation protection program.

23 The ACMUI in June of 2007 identified that  
24 perhaps the restriction of having one RSO on a license  
25 was becoming problematic. Specifically, it appeared

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that this restriction is contributing to a shortage of  
2 available RSOs to serve as preceptors, and creates a  
3 situation where an individual who is qualified to  
4 perform the same duties as an RSO cannot be recognized  
5 or listed on an NRC license.

6 In addition, they expressed a concern that  
7 there are many RSOs who are working as contractors  
8 serving several hospitals, and they were not able to  
9 have the actual day-to-day oversight of the programs.

10 During this meeting, the attestation  
11 ununanimously voted in favor of changing -- proposing  
12 change to the regulation. The Committee believed that  
13 having the ability to name associate or assistant RSOs  
14 would increase the RSO pool, recognize qualified  
15 individuals, and allow licensees to more quickly  
16 appoint a replacement RSO.

17 The proposed change to the regulation  
18 would allow licensees to appoint qualified individuals  
19 with the expertise in certain uses of byproduct  
20 material to serve as associate or assistant RSOs who  
21 would be responsible for overseeing the radiation  
22 safety operations of their assigned sections of the  
23 program, while primarily reporting to the RSO.

24 The primary RSO would continue to be the  
25 individual named on the license responsible for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 implementing the program, as it says in 35.4. This  
2 would allow licensees with multiple operating  
3 locations to have qualified assistants or associates  
4 for each of the location, and additionally, and I  
5 think very interesting to most of you folks out there,  
6 the idea they could also be listed on a license.

7 I do want to note that this proposed  
8 change is intended only to apply to Part 35, and not  
9 to any parts of the regulation.

10 Our discussion -- one of our discussion  
11 points is, of course, that we're considering to do  
12 this to name them on the license. We would like to  
13 get input on the qualifications of this individual.  
14 We'd like to know if anybody feels there should be a  
15 limitation of the number that a licensee would be able  
16 to actually list on license. And are we using the  
17 appropriate term "associate/assistant," or is there  
18 some other title that would be more appropriate?

19 With that, Susan?

20 MS. SALTER: Thank you, Ed. And what we're  
21 going to do is kind of go to this first discussion  
22 point, and go to the audience to review that. And  
23 then we'll go to the other, so if you have comments on  
24 the others, we're going to try to keep some order  
25 here, and keep us focused on one topic before we move

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 to the next.

2 I would also refer you to the Federal  
3 Register Notice that's in your folder. There are a  
4 number of specific questions that the NRC is looking  
5 for input on. You certainly are not limited to just  
6 these particular questions, but they may help guide  
7 you in providing feedback to the NRC.

8 So, in looking at what the NRC is  
9 considering here, are there any particular comments on  
10 this discussion point from folks in the audience? I  
11 have one over here. And I'll just ask you to stand up  
12 and introduce yourself.

13 MR. WILLIAMS: Gary Williams, Veterans  
14 Health Administration. My organization has 120  
15 locations where we try to maintain an RSO, and it's a  
16 continuing challenge. The idea or concept of having  
17 an associate or assistant radiation safety officer is  
18 strongly supported by the Veterans Health  
19 Administration, in particular if it provides a pathway  
20 or a documentation route for us to qualify persons to,  
21 perhaps, be the official radiation safety officer at  
22 some point in the future.

23 The qualifications, from our perspective,  
24 for the assistant can be of a lesser nature than the  
25 full-time or the named Radiation Safety Officer, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that would give an opportunity for additional  
2 individuals; in particular, sometimes a nuclear  
3 medicine technologist might be in a position to  
4 replace a physician authorized user as the RSO. So,  
5 the qualifications should be not as stringent. It  
6 should be done with a concept of a pathway, but also  
7 more importantly from the Veterans Health  
8 Administration to insure that we have continuous  
9 coverage for the RSO position so that we don't have  
10 any loss of continuity for health care for the  
11 veterans.

12 MS. SALTER: Thank you, Mr. Williams. I  
13 have a comment over here. Dr. Mower.

14 DR. MOWER: Herb Mower with the -- oh, she  
15 knows I'm going to put the card back up again later,  
16 the AAPM.

17 I would strongly support, and I'm not sure  
18 what the name should be, an associate or an assistant  
19 RSO on the license, because I would assume, and would  
20 promote that this person be allowed to do all the  
21 functions of the RSO in the RSO's absence, such as  
22 should the RSO get hit by a mack truck on Thursday  
23 morning at 8:30 and you have a radiation safety  
24 committee meeting scheduled at noon that day,  
25 certainly in many places at present, since the RSO

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 probably would not make that meeting, it's not legal  
2 to have that meeting on that day, because one of the  
3 requirements is that there be somebody from  
4 administration who can authorize spending money,  
5 bottom line. And the RSO is one of the ones that has  
6 to be there, as well as quorum. And if for some  
7 reason at the last minute the RSO cannot make it, this  
8 invalidates the meeting. And we had this happen once  
9 when we had five very good meetings in a year, and  
10 missed one in a calendar quarter because the RSO could  
11 not make it at the last minute, and we were cited for  
12 that. If we had an assistant RSO, that person could  
13 take that position and the meeting could happen that  
14 day.

15 MS. SALTER: Thank you, Dr. Mower. We have  
16 a comment here from Mr. Walter.

17 MR. WALTER: Yes, David Walter, State of  
18 Alabama. We already have situations where we have  
19 what we call co-Radiation Safety Officers. We don't -  
20 - I'm not saying that's the right term to use, it's  
21 just what we use right now.

22 If we're in a situation where for  
23 unforeseen circumstances happen to the main RSO, and  
24 you have the assistant coming in, they have to meet  
25 the same qualifications. If they're going to be the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 RSO at any given time, they've got to meet the RSO  
2 qualifications. Lesser qualifications mean that they  
3 are able to do lesser things and, therefore, couldn't  
4 take over the program as the RSO.

5 And as far as I'm concerned, the way we  
6 look at it as an inspector, if I come in there and you  
7 have 12 people named as Co-RSO, I can go to any one of  
8 those 12 and they better be able to give me all the  
9 information I need. So, not only is it going to be a  
10 matter of them being trained, but kept up-to-date on  
11 what's going on, because at any moment they could be  
12 thrust into the limelight and have to take over.

13 MS. SALTER: Thank you, Mr. Walter. I want  
14 to go to Dr. Langhorst.

15 DR. LANGHORST: I fully support the  
16 ability--

17 MS. SALTER: Could you just hold that a  
18 little closer.

19 DR. LANGHORST: Sorry. I fully support the  
20 ability to have multiple RSOs listed on the license. I  
21 agree with you that there needs to be one who is that  
22 main radiation safety officer.

23 I think it should be left flexible enough  
24 that the RSOs named, whatever they're called, on the  
25 license fits the licensee's programs. So, I can see -

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 - I have an associate RSO who works with me. I would  
2 have his name on my license, if we were allowed to. I  
3 would probably have my most senior HP on there who is  
4 board certified. But I could see an instance where  
5 you would need another RSO, an assistant RSO to  
6 perhaps cover an area where the RSO is not yet up to  
7 speed or up to training on.

8 For instance, when I went to Washington  
9 University in St. Louis, I had never been an RSO for a  
10 Gamma Knife facility, or for an HDR facility. And it  
11 is not clear if the current regulations would even  
12 allow me to be named RSO since I'd never had  
13 experience with those. But I knew regulations, I know  
14 how to read regulations. You get trained. But there  
15 may be a time when a new RSO comes in and you need  
16 that kind of overlap to get that person up to speed on  
17 a given approved section of their license with someone  
18 else acting as the primary RSO for that section.

19 So, I would just urge you to make it  
20 flexible enough that people named in this manner are -  
21 - their duties are defined by the license, and that  
22 you allow different types to be named, as long as it's  
23 described in the licensee's license application.

24 MS. SALTER: Thank you, Dr. Langhorst. Are  
25 there any -- anyone else in the audience that would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 like to make a comment? Mr. Lieto?

2 MR. LIETO: I'm definitely in support of  
3 this, since when I was on ACMUI I was one of the -- I  
4 was the individual that presented this to the ACMUI as  
5 a suggestion for implementation.

6 One of the things that I think, as far as  
7 the titles go, I would -- my recommendation would be  
8 that if they have the same requisite skills as the  
9 RSO, they're listed as an RSO on the license.

10 Now, the question might come up, okay, you have two or  
11 three people that are listed as the RSO. And I think  
12 this is one -- I think the answer to that is that --  
13 that needs to be addressed is that -- I think one of  
14 the biggest, I think, issues that needs to be  
15 addressed is the management who makes the decision on  
16 who is the person that has the ultimate  
17 responsibility.

18 I think licenses -- I personally feel that  
19 there should be a designated person from management  
20 named on the license who is responsible for the  
21 radiation safety program. They're the ones that are  
22 in charge. They're the ones that have the ultimate  
23 responsibility for the license; yet, there is  
24 absolutely no one named either by title or specific  
25 name on the license with that responsibility.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           And I think the suggestion I would make is  
2 that if they have the same skills as the RSO, and the  
3 same qualifications, then they should be listed as an  
4 RSO on the license. And management determines, just  
5 like you, I would suggest, maybe where in the Part 35  
6 regulations where management designates the  
7 responsibilities of the RSO, they can just put a line  
8 item into that responsibility that designates Dr. So-  
9 and-So, or Mr. So-and-So as the primary responsibility  
10 for the radiation safety officers in the program.

11           Now, that being said, there have been a  
12 number of situations that licensees have an RSO that  
13 meets the overall arching responsibilities, but would  
14 like to have individuals that have maybe just specific  
15 area responsibilities, such as nuclear medicine, or  
16 radiation oncology to oversee the HDR program, and  
17 brachytherapy programs; yet, there's no comfort level  
18 by either one of those individuals in the other areas.

19           For example, you could have -- I could  
20 see, basically, a physician being named as an RSO in  
21 the nuclear medicine areas, or the radiopharmaceutical  
22 areas, but would not have any comfort level with doing  
23 radiation oncology. And I think maybe that's where  
24 you come up with a different designation.

25           I like the term radiation -- I never liked

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the term "officer." I would maybe call them maybe a  
2 radiation protection supervisor, but a different  
3 designation that would indicate they have just a  
4 limited -- what I'll call maybe, for lack of a better  
5 term, a limited scope of responsibilities within that  
6 area.

7 MS. SALTER: Thank you. Are there any other  
8 comments? Do we have any comments from the webinar?  
9 No.

10 Well, I know we're kind of getting into a  
11 number of issues, but we can flip to the next one.  
12 And I'm not sure if we have any additional comments on  
13 this topic. We have a little bit of time here, folks.  
14 This is your opportunity. Dr. Mower?

15 MR. LOHR: Well, thank you for the  
16 promotion. It's Mr. Lohr.

17 MS. SALTER: Oh, Dr. Mower is --

18 MR. LOHR: Oh, I'm sorry.

19 (Laughter.)

20 DR. MOWER: You don't really want me back  
21 up on the platform again. Herb Mower with the AAPM.

22 I'm not sure what insight to give on this.  
23 I can see an institution which has multiple sites, and  
24 their assistant/associate RSO at a particular site  
25 should certainly have knowledge of what is happening

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 at that site, but not maybe globally for the whole  
2 program. So, we need to figure out a way to address  
3 that. And, yet, if you have say -- well, in our case  
4 we happen to have two sites really close together, so  
5 it's not as big a problem, but there the RSO would  
6 have to be involved with anything and everything in  
7 the program, and the assistant RSO likewise. So, I'm  
8 not sure what kind of guidance to give relative to  
9 qualifications, but I think that as we look at this in  
10 the regulatory space, we need to remember that there  
11 may be instances where the assistant RSO is working  
12 with a small portion of the program, possibly remotely  
13 located from the main facility and, therefore, might  
14 have a very narrow perspective of what's needed;  
15 whereas, one who is involved with the major program  
16 and everything that's going on might have to have a  
17 different series of qualifications.

18 MS. SALTER: Thank you, Dr. Mower. Are  
19 there any other comments on this discussion point?  
20 Oh, there we go. On my way.

21 MS. REVELL: Sylvia Revell, UT  
22 Southwestern. The term "associate" at my facility  
23 implies that you would be able to work at the same  
24 level as say, in my case, the Environmental Health and  
25 Safety Director. As an associate, you would be able

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 to perform those same functions, so as an RSO if  
2 you're going to use the title of Associate RSO, it  
3 would imply that you should have the same  
4 qualifications.

5 The assistant RSO is at a lesser level,  
6 and I think implies that there should be some training  
7 associated with it over several years. And I'd also  
8 like for the consideration of when you use the term or  
9 title of associate RSO, there is some compensation  
10 that goes with that. So, I just want the board to be  
11 aware of that, that that might be a deterrent for some  
12 facilities to use the word "associate."

13 MS. SALTER: Thank you. Any other  
14 comments? Dr. Langston -- Langhorst. I'm sorry.

15 DR. LANGHORST: I think your point is good  
16 as far as what you call it. And I would suggest for  
17 NRC to steer clear of what you call those additional  
18 RSOs, just in the regulations say that there can be  
19 additional RSOs, and then one has to be named as the  
20 primary RSO, or whatever you want to call that. But  
21 then that's part of what a licensee has to submit to  
22 you to tell you this is what these additional RSOs'  
23 requirements, duties, whatever have to be for them to  
24 meet our radiation safety program, and under our  
25 license.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 permit that's issued is going to have an RSO on it, as  
2 well.

3           When you're talking about the standard  
4 licensees out there, the standard medical licensees,  
5 for instance, you may have -- we may have three  
6 radiation safety officers that are specified as to  
7 what they are the RSO over by the list of the isotopes  
8 that's on that license. And they're not going to be  
9 expected to know everything from all the rest of the  
10 places that they're not the RSO over. But if you're  
11 going to have a single radiation safety officer for  
12 your regular everyday diagnostic use facility which  
13 makes up some 65 to 75 percent of the licensees out  
14 there, medical licensees, you can have one RSO, you  
15 can have two RSOs, you can have six RSOs, but they  
16 need to meet -- if you're going to call them the RSO,  
17 or co-RSO, or associate RSOs, or equal in value RSO,  
18 however you want to say it, then they need to have the  
19 same training, understanding, and information to be  
20 able to take up for whatever -- you know, if -- it's  
21 up that licensee to say okay, RSO Number 1, 2, 3, and  
22 4. Number 4, as long as numbers 1-3, any one of them  
23 is here, don't worry about it, just keep up-to-date.  
24 But that's not for us to decide.

25           For us to decide is to who gets to go on a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 license. And saying assistant RSOs or having someone  
2 with a lesser training requirement means that at some  
3 point in time if they're not -- if they have a lesser  
4 training requirement, and they're the only ones there,  
5 and they're the only ones there for a while because of  
6 an unexpected heart attack of the only other person  
7 who's specifically the RSO, is unfair to everyone  
8 involved.

9 So, I would urge that if you're going to  
10 name a person as one of the radiation safety officers  
11 for any given area, that they must meet all of those  
12 qualifications or requirements in the rules.

13 When it comes to having techs as RSOs,  
14 I've got a few. They make great RSOs, as long as you  
15 get a document from the administration that says I'm  
16 giving them that full authority to do the duties of  
17 the RSO. That means that they get to do what's  
18 necessary if there's a spill and say no, we're not  
19 doing your patient now because we've got to clean the  
20 place up. That's a problem sometimes. So, while I  
21 won't ever have a problem, generally, with a certified  
22 nuclear medicine tech being a diagnostic nuclear  
23 medicine radiation safety officer, it's again the  
24 politics that sometimes gets in the way, so you have  
25 to get through those politics.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           But I would urge that all of the radiation  
2 safety officers who are doing full radiation safety  
3 officer duties for any part of a license meet the  
4 requirements of the rules to be a safety officer. If  
5 you're going to go some other way, I don't see a  
6 reason to put them on the license. Let that be  
7 something done internally.

8           MS. SALTER: Thank you, Mr. Walter. We're  
9 going to go back here to Dr. Welsh.

10           DR. WELSH: So, the question is, should the  
11 qualifications for this additional RSO be the same as  
12 the RSO. And this may sound like a tongue-in-cheek  
13 comment. My answer is going to be no, because this  
14 additional RSO should be exempt from the requirement  
15 of a preceptor attestation, and should be  
16 grandfathered in if he or she is board certified prior  
17 to 2005.

18           What I mean, of course, is that this topic  
19 and the prior topic are intimately related, and if  
20 there is currently consideration of amending Part 35  
21 to allow additional RSOs on a license, and there is  
22 also consideration of the Ritenour Petition, whichever  
23 one of these two things comes first is going to be  
24 critically important. And I would recommend that if  
25 this topic number 3 possibly be addressed prior to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 resolution of the Ritenour Petition, that we  
2 incorporate our comments regarding that prior topic,  
3 the Ritenour Petition, into the qualifications of this  
4 alternate, co, assistant, associate RSO rather than  
5 wait for the Ritenour Petition resolution.

6 MS. SALTER: Thank you, Dr. Welsh. I think  
7 we have a comment from the webinar, and I think we  
8 fixed it so we can put this up on the screen. Okay,  
9 so you can read along.

10 MS. RIVERA-CAPELLA: Steve Mattmuller from  
11 ACMUI. "Since the recommendation for a single RSO is  
12 not in the regulations, but in a guidance document as  
13 pointed out at the last workshop, is this appropriate  
14 to discuss in Part 35? Since this would be a brand  
15 new regulation, if one follows the typical regulatory  
16 process, shouldn't there be some sort of justification  
17 analysis that would support adding this to Part 35?  
18 Has that been done? Since this resides in guidance,  
19 wouldn't it be more appropriate to address this with  
20 new guidance?"

21 MS. SALTER: All right. That was the only  
22 comment we have from the webinar right now. I'm going  
23 to turn it back to the audience here. All right.

24 Can you get that off the screen so we can  
25 get back to the presentation? Thanks, Gretchen.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 All right. So, I think we're kind of going  
2 through these topics. You want to go to the next  
3 slide, Ed? I'm going to -- oh, you have control of  
4 it. Oh, okay, very good.

5 All right. I have a comment from Dr.  
6 Mower, so I'm going to go over here.

7 DR. MOWER: Herb Mower with the AAPM. And  
8 I would put forth a suggestion that's the same as we  
9 limit the number of authorized users and authorized  
10 medical physicists on a license, we should limit the  
11 number of RSOs on a license, i.e., we do not limit the  
12 other two. Uh-oh, another physicist speaks.

13 (Laughter.)

14 MS. SALTER: Are you done? All right. Mr.  
15 Lieto.

16 MR. LIETO: Can you hear me? I saw a lot  
17 of wrinkled noses by the Staff at the podium up there  
18 as a result of Mr. Mattmuller's suggestion. And I  
19 would definitely endorse the statements that he made.

20 It is not a limitation of the regulations,  
21 and this was brought up at the last workshop, that  
22 only one RSO has to be on the license. The regulation  
23 says that the licensee must have "a radiation safety  
24 officer." It doesn't say only one, it doesn't say the  
25 radiation safety officer, it says a.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1           And one of the issues along this issue,  
2 NRC Staff has stated that in some very obscure one-  
3 sentence statements of consideration in 2002 that NRC  
4 had established a policy of only one RSO. Well, where  
5 was the policy for the previous 35 years that was in  
6 existence and followed?

7           There has not been any information that  
8 has been supplied prior to that time that states that  
9 this was a policy and/or a regulation, so I would  
10 reinforce the comment that Mr. Mattmuller made on the  
11 webinar that this definitely could be moved into  
12 guidance space, and would not require rulemaking.

13           MS. SALTER: Thank you for that comment.  
14 Dr. Langhorst, can you -- okay, good.

15           DR. LANGHORST: Not that I'm disagreeing  
16 with Ralph at all, but my understanding was the part  
17 in the regulations, and please forgive me for being a  
18 regulatory geek, 35.12(b)(1), it talks about you have  
19 to give information for experience, qualifications of  
20 the radiation safety officer. And that, I think, was  
21 just an unfortunate name to put on it, the. And  
22 that's what I understand NRC is saying, that means it  
23 can only be one.

24           I don't believe it has to be one. I think  
25 the big push to have multiple RSOs on the license was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 to relieve licensees -- I mean, there aren't enough  
2 RSOs out there, and I think that maybe some of the  
3 other discussions we've had on attestation, and board  
4 certification requirements, and so on, may help  
5 relieve this problem of not having enough RSOs, but  
6 still getting a fully trained RSO out there who is  
7 board certified who can follow -- who can do -- manage  
8 a radiation safety program for a licensee.

9 Now, I know we haven't gotten into the  
10 topic about -- too much about authorized users, or  
11 authorized medical physicists, or authorized nuclear  
12 pharmacists who could also be named as RSOs, and I  
13 think in certain licensee situations, that's a very  
14 appropriate thing to do again with, as Mr. Walter had  
15 said, management's letter that says this person has  
16 this authority. And also importantly, that that person  
17 signs it and says I accept that authority.

18 MS. SALTER: Okay. So, looking at is there  
19 a limit, I mean, is there -- could you get to too  
20 many? I mean, is there -- should there be a high end  
21 limit? I mean, we're hearing that just restricting it  
22 to one, but --

23 DR. LANGHORST: No, I'm saying we should  
24 restrict it to one.

25 MS. SALTER: Correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. LANGHORST: I'm saying this is in the  
2 regulations where I believe NRC thinks that this  
3 limits it to one.

4 MS. SALTER: Okay. So, if they said it's  
5 not limited to one, is there a number that you think  
6 would be too many to have on there?

7 DR. LANGHORST: I think there's probably a  
8 practical limit, but if a licensee needs multiple RSOs  
9 I think they can define that in their license  
10 application, and in the exchange between NRC and the  
11 licensee applicant, they can decide what's reasonable  
12 for that case.

13 MS. SALTER: Okay. Any other comments? Do  
14 we have anything from the webinar? Okay.

15 So, one more slide on here I think,  
16 Gretchen, if you want to go to the next one. And I  
17 think we've had some discussion on the title. I'll  
18 open it up again. Dr. Mower? You have the microphone  
19 behind you.

20 DR. MOWER: Herb Mower with the AAPM. I  
21 think this is something which should be left up to the  
22 institution, and not something which should come  
23 through regulatory space. And that the institution  
24 should determine relative to what they expect a  
25 particular individual to do, how they should be named.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MS. SALTER: Okay. All right. So, I'm going  
2 to pitch it back to Ed, if there's nothing that  
3 anybody else wants to offer up, and see is there  
4 anything that you were specifically looking for  
5 clarification or input on, a particular area that  
6 possibly you haven't heard yet, and you'd like to  
7 throw that out to the audience to get some feedback  
8 on.

9 MR. LOHR: One of the things that we are  
10 considering is the idea of allowing the associate, co-  
11 RSO, whatever name we're going to use to also have the  
12 ability to do a testing for other RSOs for the  
13 modalities, for example, that individual will be  
14 responsible for on a license. For example, in Dr.  
15 Langhorst's example of the HDR or the Gamme Knife,  
16 have an RSO who has that background named on her  
17 license, we would be very interested in knowing the  
18 thoughts of the community on that individual as an  
19 associate, or assistant, or co-RSO to be able to  
20 attest for other RSOs who are not board certified.

21 MS. SALTER: Give you a minute to think  
22 about that. Mr. Lieto, do you want to --

23 MR. LIETO: I would say yes, I would use  
24 the analogy of an authorized user that would attest  
25 for a physician for the same types of uses that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 they're currently authorized for under a license. So,  
2 I would say that the analogy is already -- we already  
3 have what I would say maybe some type of a -- I don't  
4 want to use precept, but existing type of mechanism in  
5 place that already allows that for the case of an  
6 authorized user. I would think that this would be  
7 just analogous to a specialized case of an RSO.

8 MS. SALTER: Thank you. Mr. Walter?

9 MR. WALTER: If a person is named as the  
10 RSO for any given uses, how are you going to keep them  
11 from being an attestor? I don't think there would be  
12 any way for the NRC to justify stopping them if you've  
13 named them as an RSO on a license to be an attestor  
14 for that same -- to be an RSO for the same uses that  
15 they're already the RSO. I just don't see how legally  
16 there would be any way for you to stop it, anyway,  
17 without -- well, just leave it at that.

18 MS. SALTER: Any other comments on this  
19 suggestion? Anything from the webinar? No? All  
20 right. We do have a few minutes left. This is your  
21 opportunity to provide any comments on Topic 3, but if  
22 I don't see any, I'm going to go back and just ask the  
23 NRC Staff, Mr. Lohr or Dr. Zelac, if there's anything  
24 that they would like, again, to throw out to the crowd  
25 to get some feedback on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. ZELAC: The issue of what the  
2 qualifications should be for these additional people  
3 named as RSOs on licenses has been discussed, and  
4 there is not a consensus. We have some positions  
5 suggesting lesser qualifications for those, and we  
6 have others who feel that the individuals should have  
7 full qualification to be named as any type of RSO.

8 I think it's kind of instructive to look  
9 at our current regulations, and this is just a comment  
10 for your consumption, our current regulations with  
11 respect to temporary RSOs, where we do permit the  
12 naming. In the case of an absence of the RSO, of  
13 temporary RSOs for a limited period of time in,  
14 essentially, the specialty areas. You could have a  
15 separate temporary RSO dealing with nuclear medicine,  
16 from the temporary RSO dealing with radiation  
17 oncology. So, there is a precedent for having people  
18 who have more limited background and training assuming  
19 responsibility for RSO duties in a limited area.

20 And with that in mind, I'd like to ask, I  
21 guess Mr. Lieto and Dr. Langhorst for just a little  
22 clarification on what has been said. Mr. Lieto, I  
23 believe you had said that each of the persons named as  
24 RSOs should have full qualifications, but some of them  
25 might have limited responsibilities, either based on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 specialty, or geography, or whatever. Is that  
2 correct?

3 MS. SALTER: Mr. Lieto, I think I gave you  
4 the microphone.

5 MR. LIETO: Yes and no. Regarding the  
6 individual being designated as an RSO should have the  
7 same qualifications as the RSO, but I also stated that  
8 there may be situations like you were using in terms  
9 of the temporary RSO analogy, but I think that should  
10 have a different name associated with it. In other  
11 words, it shouldn't be -- they should not be called  
12 RSOs, but maybe there's another name that would  
13 designate that they would have, for lack of better  
14 terminology, a limited scope radiation safety  
15 responsibility, such as a nuclear medicine tech in  
16 nuclear medicine, maybe a medical physicist in  
17 radiation oncology, maybe a researcher, investigator,  
18 user in a research application in that type of a  
19 situation. Does that clarify what you're asking?

20 DR. ZELAC: That's half of what I'm looking  
21 for, and the other half is going to come from Dr.  
22 Langhorst. And, Dr. Langhorst, you indicated there  
23 should be -- I'm not sure what your position is with  
24 respect to qualifications. I think I missed that.  
25 Should they all have equal qualifications?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 DR. LANGHORST: Well, I'm really glad you  
2 brought up the temporary RSO because, quite frankly, I  
3 had not -- I didn't have that in my brain as I've been  
4 here at this workshop in regard to this topic.

5 I am away from my licensee. My associate  
6 RSO, I granted him the temporary RSO duties, and he is  
7 fulfilling what I would be doing while I'm gone.

8 I think the point about naming RSOs on the  
9 license is to have that recognition by a regulatory  
10 body that this person has been named as an RSO on a  
11 license. So, it may be, as I was talking and thinking  
12 about this, and you brought up temporary RSO, that you  
13 have in the regulations already, that that could be  
14 used to provide that transition for getting hit by the  
15 bus, the RSO being hit by the bus, or as the example  
16 that I had said, the new RSO coming in and maybe not  
17 having the full experience with say an HDR unit, so we  
18 have a temporary RSO over that part that gets that RSO  
19 up to speed on it.

20 Maybe we should limit the people who are  
21 named on the license as RSOs to only those who would  
22 have the background, the training, and the experience  
23 to take over as the RSO for that license. And that  
24 would be dependent on the given license.

25 So, to answer your question more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 specifically, Ron, is to -- it's -- yes, they should  
2 have the full requirements of an RSO for the given  
3 aspect of the program, be it all, or be it only a  
4 small section that is required for that use that the  
5 licensee defines, and works through with NRC as they  
6 get licensed.

7 DR. ZELAC: Then my follow-on question, and  
8 this relates to what I thought I had heard earlier,  
9 that I needed some clarification for, I believe you  
10 said that the duties that the RSO, whatever the name  
11 of the person might be, is going to assume -- should  
12 be identified, named in the license along with the  
13 individual. Mr. X is going to have responsibility for  
14 radiation oncology, and radiation oncology only.

15 DR. LANGHORST: Well, if they are named on  
16 the license, we have to provide NRC with that person's  
17 name and training qualifications, and what their  
18 duties would be. I mean, I think if you're going to  
19 have multiple RSOs listed on a license, you need to  
20 understand how is that licensee applying that to  
21 maintain the radiation safety program. So, you would  
22 have that naturally when you name that person to the  
23 license.

24 Now, as far as temporary RSOs, and I know  
25 I utilize that available regulatory allowance, I don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 -- I mean, that person has to be fully qualified to  
2 take over the radiation safety program. And that's how  
3 we utilize that.

4 But I think there's other aspects that you  
5 can carve out a certain aspect of your radiation  
6 safety program, and that strengthens a licensee's  
7 ability to maintain radiation safety in whatever  
8 they're doing. I'm not sure if I answered your  
9 question.

10 DR. ZELAC: So, what I think I'm hearing,  
11 and I think I'll just throw out for general comment by  
12 anyone, is that if the individual who is going to be  
13 named as an RSO on a license has full qualifications,  
14 that essentially that should be so indicated on the  
15 license, that they have full responsibility. Or if  
16 they are going to have limited qualifications, that  
17 would also be named on the license as a limited scope  
18 of responsibility as an RSO. Is that --

19 DR. LANGHORST: That's what I'm trying to  
20 say but, I guess, I would ask that you not get rid of  
21 the ability to have a temporary RSO.

22 MS. SALTER: I think we have a comment from  
23 Dr. Mower on this -- I'm assuming on this topic.

24 DR. MOWER: Well, sort of. It's on -- Herb  
25 Mower from AAPM. It's sort of on the qualifications

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 of an RSO, or others. Assuming they were in a program  
2 which has several things, nuclear medicine, radiation  
3 oncology, et cetera, et cetera, I don't think that the  
4 -- I do believe they should appoint an RSO person,  
5 whatever that institution or regulatory body decides  
6 that person should be named, same as you have a Chair  
7 of radiation oncology.

8 I don't think that person needs to really  
9 be fluent in all aspects of all the departments which  
10 might handle radioactive materials. The basic  
11 radiation safety criteria and philosophy carries  
12 through all of those, and the person would certainly  
13 have that knowledge.

14 In the specific areas where that person is  
15 not a super expert, then that's a good place for the  
16 role of some kind of a subsidiary, an assistant, or an  
17 associate radiation safety officer. And in radiation  
18 oncology which, of course, is the only department in a  
19 hospital which matters --

20 (Laughter.)

21 DR. MOWER: Darn. The person who does an  
22 excellent prostate permanent brachytherapy implant  
23 might be absolutely useless when it comes to the Gamma  
24 Knife, and yet -- so we need to talk about it and say  
25 well, yes, you're working with radiation oncology. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 don't fully understand every little intricate thing  
2 which happens there, but sort of the basic radiation  
3 safety aspects I would know of your program because  
4 I'm from nuclear medicine. That person should still be  
5 able to serve as RSO, but would delegate specifics  
6 relative to that section of the facility, or the  
7 practice, which would then require maybe additional  
8 expertise beyond the normal knowledge of radiation  
9 safety principles.

10 MS. SALTER: Okay. I'm going to go to Dr.  
11 Langhorst.

12 DR. LANGHORST: In a practical sense,  
13 that's already done, especially in a big medical use  
14 broad scope license. It's whether a person needs to  
15 be named on a license or not. And where that becomes  
16 important is if that person -- it makes it easier then  
17 for that person to become an RSO on another license.  
18 So, I don't think that the delegation of who can be  
19 overseeing parts of your radiation safety program,  
20 they all have to be named RSOs, or some derivation,  
21 but I think the important thing is what's the  
22 importance of being named as an RSO on a license, and  
23 how can that be trans -- moved from license to  
24 license.

25 MS. SALTER: I'm going to pitch it back to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Ron to see if you have any follow-up on this, on what  
2 you've heard here. Do you need any more  
3 clarification, or --

4 DR. ZELAC: I do need a bit more  
5 clarification from Mr. Walter. I could get you off  
6 line, but I think this might be beneficial to others,  
7 as well, so I'm asking you in public forum.

8 You mentioned in what you said in your  
9 earlier comments that at a broad scope licensee, the  
10 permittees of that broad scope would each be naming  
11 their own RSOs? I mean, that's quite different from  
12 my experience as RSO at a broad licensee.

13 MR. WALTER: Okay. Yes, we have a -- in  
14 our largest broad scope we have everything from  
15 diagnostic and your labs, to Gamma Knife. We have them  
16 then issuing permits to labs, to nuclear medicine, to  
17 therapeutic areas, and what they do in their permit is  
18 they name a radiation safety officer, or a person  
19 responsible for all of the stuff that they need to go  
20 and do an inspection of for that particular section.

21 The radiation safety officer for the broad  
22 scope is the only one that's on our license, our  
23 license. And that's who we go to when we come to do  
24 an inspection of their program. So, yes, they -- you  
25 might call it a responsible person, call them green

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 for all I care. They're a person who is the  
2 permittee's RSO. They're responsible for all the --  
3 making sure that all the radiation safety aspects of  
4 that program are being performed the way they're  
5 supposed to be done. They're the responsible person  
6 for radiation safety for that investigator, for  
7 instance. So, when that broad scope's techs go out to  
8 do inspections of that permit, that's the person that  
9 they first go to, just as I would try and go to the  
10 RSO first.

11 Now, one of the -- if I might, one of the  
12 -- I'm hearing it on both sides here. And I want to  
13 make sure that I'm straight in what I'm hearing. I  
14 have a licensee that has three radiation safety  
15 officers. These are not called co-radiation safety  
16 officers because they're the radiation safety officer  
17 for diagnostic use, the radiation safety officer for  
18 therapeutic use, and the radiation safety officer for  
19 HDR, because I don't have any one person who meets all  
20 qualifications at that facility for all of it. So,  
21 I've got three individual radiation safety officers  
22 that are specified, So-and-So is designated radiation  
23 safety officer for uses specified in Sub-items so  
24 forth, which is all the diagnostic uses.

25 What I'm hearing is -- and what I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 we're trying to address here is the shortage of  
2 radiation safety officers that meet the qualifications  
3 to be named safety officer under the current  
4 regulations, and how can we increase that number,  
5 because we lose attestors when they move off.

6 So, if that licensee that I just described  
7 decided that they wanted to have three more radiation  
8 safety officers, a second one for diagnostic, a second  
9 one for therapeutic radioisotopes, and a second one  
10 for HDR, I would have six people named on there, and  
11 it would specify what they are the safety officer for.  
12 Is that what I'm hearing from both sides here?

13 MS. SALTER: Dr. Langhorst?

14 DR. LANGHORST: I'll go back to what I said  
15 at first. There has to be one person named that is  
16 the primary, or the RSO that you go to. And, quite  
17 frankly, I don't know it all. Well, maybe I shouldn't  
18 say that in front of all these regulators.

19 (Laughter.)

20 DR. LANGHORST: I mean, I don't know all  
21 the day-to-day details that my staff knows. So, they  
22 -- I mean, I have to know what they're doing, but I  
23 don't know all the day-to-day stuff. So, I would say -  
24 - I guess it really does come down to what are the  
25 qualifications required for a radiation safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 officer.

2 Now, my Region III folks know that I  
3 whined to them as this regulation was being developed  
4 and so on, that had it been in place when I went to  
5 Washington University, I couldn't be named as the RSO  
6 because I had not experience in Gamma Knife and HDR.  
7 So, I had experience in reading regulations,  
8 interpreting regulations, managing an overall  
9 radiation safety program. I can learn that very  
10 easily, and it's not that it's that big a detail to  
11 then okay, now I have to look at those regulations for  
12 HDR.

13 It is a big detail to make sure you're  
14 compliant, but that's something, given my radiation  
15 safety background, I was able to do. And other than  
16 doing the emergency training that our license had  
17 established for that, HDR, Gamma Knife, I mean, that's  
18 really easy for me then to take over. So, how fine a  
19 detail do we need to get in the regulations for doing  
20 this?

21 I mean, in my license the NRC knows I have  
22 a staff of health physicists, and technologists, and  
23 so on that help me do my radiation safety program.  
24 And I think it really comes down to who needs to be  
25 named on the license to help, perhaps, move from one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 license to another much like authorized users do,  
2 authorized medical physicists, authorized nuclear  
3 pharmacists to be able to make sure there is not that  
4 shortage just because the rules are very prescriptive  
5 in who's allowed to become a radiation safety officer.

6 Did I answer your question, Dave?

7 MR. WALTER: For a large licensee, yes.

8 DR. LANGHORST: Yes.

9 MR. WALTER: Okay? For the vast majority  
10 of medical licensees out there, no. We deal with --  
11 probably 35 percent of my medical licensees are  
12 private practice cardiologists, and the RSO is one of  
13 the authorized users. Okay? They don't have  
14 physicists. Most of these people are -- most of them  
15 are just plain diagnostic. Most of our medical  
16 licensees are nothing but diagnostic licensees.  
17 Therapy is consolidated into the larger facilities for  
18 the most part.

19 So, what I'm trying -- I would -- the  
20 concept of having a main radiation safety officer is,  
21 in my mind, the responsibility of management of the  
22 licensee, not the regulators. I would not be in favor  
23 of the regulators getting involved in tiering  
24 radiation safety officers, so this person can be the  
25 radiation safety officer, this is a radiation safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 officer in training, this is a newbie safety officer.  
2 I don't want us to get into that. I want us to just  
3 say okay, let's keep it simple. We have a radiation  
4 safety officer. We need to have a second one because  
5 we need to build in case there's something that  
6 happens in the future. We want a third one.

7 Well, let those people all meet the same  
8 qualifications, and be interchangeable in that  
9 license. All of them be named on the license, but be  
10 interchangeable on that license as the safety officer.  
11 Management then says, you know, Dr. Smith is the  
12 primary safety officer according to our internal  
13 organizational chart. So, when we show up as  
14 inspectors, we're going to know -- well, first off  
15 we're going to be told well, Dr. Smith is the primary  
16 person, but he's not here today, so Dr. Jones is the  
17 one. He's here at this office today, and he's one of  
18 our radiation safety officers, also.

19 I don't need to go away and try and come  
20 back only when Dr. Smith is there. I need to be able  
21 to go ahead and do my inspection, and Dr. Jones should  
22 be able to help me in doing that. And that's where  
23 I'm kind of coming from on this.

24 I don't want us to get into this big --  
25 gosh, man, when I first got into this business it was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 six pages for Part 35. That was it. That was all  
2 done on the licenses by condition, so the licenses  
3 were like a tome, but now we're up to 120 some odd,  
4 130 some odd pages in our license -- in our rules for  
5 the equivalent Part 35. I don't need another few  
6 pages.

7 If were just to make one change and just  
8 say in the rule put a parentheses (S) next to  
9 radiation safety officer, and call it a day, I'm  
10 happy.

11 MS. SALTER: Thank you, Mr. Walter. I know  
12 we're a couple of minutes over into our lunch time,  
13 but I do want to make sure that we finalize the  
14 discussion. And Mr. Williams had raised his hand, and  
15 wanted to make a comment.

16 MR. WILLIAMS: Yes. Gary Williams,  
17 Veterans Health Administration. I guess I would just  
18 voice strong disagreement with your comments. They  
19 appear to be from an inspector, what's easy for an  
20 inspector. I have a Master Materials license. I have  
21 licensee and regulator responsibilities, so my focus  
22 on recommendation to having an assistant person who  
23 can step in when the primary person inadvertently  
24 loses the contract, and I can't get an interim  
25 situation taken care of, because that's restricted to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 60 days in a calendar year. So, my focus, my  
2 recommendation is continuity of health care, focus to  
3 keeping patients treated and diagnosed, rather than  
4 what's good or easy for the inspection process of a  
5 licensee and a regulator.

6 I don't have circumstances where at a  
7 facility I've got three or four people who are fully  
8 qualified. Sometimes I'm lucky that I have one. I  
9 have only one facility, I think, where they have sort  
10 of an assistant RSO who is fully qualified, and he's  
11 waving. Stan, hi. But in every other circumstance we  
12 struggle to have one person, and often we have gaps.  
13 We're trying to fill those gaps because we want to  
14 have continuity of health care.

15 At that point, my focus is not what's easy  
16 for me as an inspector or regulator, my focus is on  
17 health care and continuity of operations. So, that's  
18 the reason I disagree with the perspective that's  
19 being offered by several, that this is important for  
20 us regulators. I think it should be more focused to  
21 what's good for continuity of health care.

22 MS. SALTER: Thank you, Mr. Williams. I  
23 think we're going to give Dr. Langhorst the final  
24 comment on this, and then we're going to have to wrap  
25 it up.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. LANGHORST: I agree with Dave Walter  
2 that there are different licensees and that's, again,  
3 who can become a radiation safety officer. And we  
4 talked a little bit earlier today about board  
5 certified authorized users, AMPs, ANPs, that may be  
6 someone who could be a radiation safety officer for a  
7 given license.

8 I totally agree with you that gosh, if the  
9 NRC could just put (s) behind radiation safety  
10 officer, that would help greatly, and then licensees  
11 and the regulators could decide how that works for  
12 each situation.

13 And is it true that if NRC comes in to  
14 inspect me and I'm out of town my staff can tell you  
15 to go away?

16 (Laughter.)

17 DR. LANGHORST: No, they still do that,  
18 but, again --

19 (Off mic comment.)

20 DR. LANGHORST: Your point is, is can those  
21 other radiation safety officers step in at that point  
22 and provide the regulators the access they need to do  
23 their inspections. Thank you.

24 MS. SALTER: Thank you. I think we're going  
25 to to wrap it up.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I also neglected, I apologize, after the  
2 panel session this morning to thank our panelists, so  
3 I wanted to make sure that we did that. We thank you  
4 for serving on the panel this morning. We thank Ed  
5 and Ron for helping to lead this discussion, and I  
6 hope everyone got some good information from it, and  
7 got to share their perspectives.

8 We are going to break now for lunch, and  
9 we will come back at 1:30, so please be ready to start  
10 at 1:30. And I believe this room will be locked once  
11 everybody leaves. But, again, if you have something  
12 particularly valuable you may want to take that with  
13 you. Thank you.

14 (Whereupon, the proceedings went off the  
15 record at 12:07 p.m., and went back on the record at  
16 1:33 p.m.)

17  
18  
19  
20  
21  
22  
23  
24  
25 A F T E R N O O N S E S S I O N

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 1:33 p.m.

2 MS. SALTER: On the record. All right.  
3 So we -- hope everyone had a good lunch. I would just  
4 like to take a quick minute to remind you to put your  
5 electronic devices on silent mode in case you were  
6 using them over the lunch break.

7 We are going to continue our format that  
8 we started right before lunch. And we are going to  
9 move to topic four. And like we do for the discussion  
10 on RSOs on NRC medical license we are going to  
11 approach Topic 4 the same way, brief introduction from  
12 the NRC staff, Ed Lohr and Ron Zelac, and then go  
13 right into audience participation.

14 If you've already filled out a blue card,  
15 you do not need to fill out another one. Just raise  
16 your hand so I can see that you want to make a  
17 comment. We have some microphones around the room.  
18 So I will either bring one to you.

19 If you're close to this mike in the center  
20 of the room, then of course, just walk up to that one.  
21 But please wait until I acknowledge you and call you  
22 up.

23 For those of you in the audience who don't  
24 go up to the stand-up mike, I would still ask that you  
25 stand up so people can see where you are talking from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and to introduce yourself so that both our transcriber  
2 and the folks on the webinar are aware of who is  
3 speaking.

4 We have about an hour for this session and  
5 then we're going to take a break. Without any further  
6 delay, I am going to ask Ed Lohr to get us started  
7 with some background information on Topic 4.

8 MR. LOHR: Thank you, Susan. Welcome  
9 back, everybody. I hope your lunch was as good as  
10 mine. That really wasn't a very good lunch. I went  
11 across the street to the Chinese place. Buffet and  
12 they serve you and -- Anyway, I'm sorry. Let's get  
13 back on topic.

14 Acronyms that I may use that you're not  
15 familiar with, IN for information notice and Mo-99 for  
16 molybdenum-99 (Mo-99). I think I'll use Moly the rest  
17 of the time I speak about it.

18 Under the current regulations in Part  
19 35.204, one of the first eluate from a Mo-99 generator  
20 is required to be tested for breakthrough. Our  
21 regulations in the past had required that each eluate  
22 was to be tested. But because breakthrough was  
23 considered a very rare event, the NRC regulations were  
24 changed in 2002 to require only the first eluate to be  
25 tested. Please note though that testing the first

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 eluate is an NRC requirement and that the manufacturer  
2 has always recommended testing each of the eluates.

3           During October of 2006 through February  
4 2007 and again in January of 2008, medical licensees  
5 reported generators had failed the Moly breakthrough  
6 test in that the ratio of the Mo-99 to technetium-99  
7 metastable was exceeding regulatory limits. Some  
8 licensees were reporting the failure detected from  
9 measuring the first elution. And other reported  
10 normal or a first elution in the sequential elution  
11 ratios failed on the second, third and fourth and not  
12 necessarily in those orders but at various times.

13           In January of 2009, the NRC responded to  
14 the situation by issuing Information Notice 2008-22.  
15 The information notice strongly encouraged all  
16 licensees who used the Mo-99 generators to measure  
17 eluate for the breakthrough before the tech-99  
18 metastable was administered to patients and to report  
19 any concentrations that exceeded the regulatory limits  
20 described in our regulations. It also encouraged  
21 voluntary reporting of each generator manufacturer to  
22 the NRC of notifications provided to them by medical  
23 licensees who had these issues.

24           The information notice also stated that  
25 the NRC staff would consider initiating rulemaking to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 require Mo-99 breakthrough measurements of each  
2 elution to demonstrate compliance with the regulations  
3 rather than just the first elution as it is now. Also  
4 the NRC is considering an initiative and rulemaking to  
5 require reporting of noncompliance of the  
6 concentration limit.

7 So the NRC's proposing to amend Part 35 to  
8 require licensees test each elution before  
9 administration to a patient. This would be similar to  
10 what the regulations require prior to 2002. Also this  
11 would be in concert with the manufacturers'  
12 recommendations.

13 Additionally, the current NRC regulations  
14 do not have requirements to report when a test result  
15 exceeds the regulatory limits. The NRC was only made  
16 aware of the Moly breakthrough appearing later than  
17 the first elution because the licensee reported having  
18 difficulty in getting a replacement generated from a  
19 manufacturer when his generator elution failed to meet  
20 the breakthrough limits.

21 And so we had two speaking issues. We  
22 have the idea of amending the regulation to require  
23 the testing after each elution. And then we'll have a  
24 second discussion point of reporting requirements if  
25 they're adopted and how should we go about regulating

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 them if that's something that we would take the  
2 initiative to do.

3 With that, Susan.

4 MS. SALTER: Okay. So thank you, Ed.  
5 Again these are topics unlike yesterday where the NRC  
6 is a little further down the road. But they still  
7 need some comments and feedback as they continue the  
8 rulemaking process. And so we would open this up to  
9 comments either on these discussion points or other  
10 points related to this topic from both the webinar and  
11 folks in the audience. Don't be shy.

12 Dr. Mower and then we'll come back to Dr.  
13 Beasley.

14 DR. MOWER: Herb Mower AAPM addressing the  
15 second point. This appears to be more something which  
16 the manufacturers should be reporting through the FDA  
17 and other places. And I would recommend that it not  
18 become a reporting requirement for the licensee.

19 DR. BEASLEY: Charles Beasley. I was  
20 surprised years ago when you changed this. I didn't  
21 really understand. There's been a lot of rules that  
22 we've always wondered why they were there.

23 But this one, the test is so straightforward and  
24 simple. It doesn't take much time at all to perform.  
25 But it's I think going back to that original

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 requirement of doing it on each and every elution is  
2 the way to go.

3 As far as reporting, if I was going to put  
4 some sort of standard, I would probably be comfortable  
5 with just a telephone to the manufacturer and if you  
6 deem it necessary to the NRC.

7 I also wanted to make a comment on whether  
8 or not you're going to be proposing anything related  
9 to the strontium-rubidium generator especially in  
10 light of the recent problems that it's had.

11 MS. SALTER: Do you want to make a  
12 suggestion on that?

13 DR. BEASLEY: I suggest that a similar  
14 requirement be put into the regulations.

15 MS. SALTER: Thank you.

16 Sir, I'm going to give NRC. Did you need  
17 any clarification on those comments? I think they  
18 were pretty clear.

19 Any other comments? This is your  
20 opportunity. Dr. Langhorst. I think there's a  
21 microphone up there.

22 DR. LANGHORST: The manufacturer  
23 recommends that you do a breakthrough each day,  
24 breakthrough test each day. I don't think NRC has to  
25 go back to that. It's already being done. It doesn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 need to be put back into NRC regulations.

2 The manufacturer is a licensee. If they  
3 get reports of this problem, they're the ones that  
4 need to report to NRC or agreement state, whatever  
5 regulatory body that they report to.

6 I think as far at the medical use and the  
7 licensees at that end if something is wrong they go to  
8 the manufacturer. If there's an overall problem, the  
9 manufacturer notifies the regulatory body. So I'm in  
10 agreement with Herb Mower on this requirement.

11 I would also say that maybe the regulation  
12 is too prescriptive in only saying moly-tech  
13 generators. And, yes, we have the strontium-rubidium  
14 generator. But there could be other generators that  
15 are coming. And so this might be an opportunity to  
16 put a requirement in as far as a generic generator and  
17 then look to the manufacturers to be required to  
18 report problems to the regulatory authorities.

19 MS. SALTER: Okay.

20 Dr. Beasley.

21 DR. BEASLEY: Going along with that  
22 suggestion, maybe the requirement to be more generic  
23 would be to say that you are required to follow the  
24 manufacturer's recommendation on testing frequency.

25 MS. SALTER: Again this is your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 opportunity to provide any thoughts or positions on  
2 this topic. Do we have anything on the webinar? We  
3 do have something on the webinar.

4 All right. Whoa. All right. That's up  
5 on the screen. Hopefully -- It's a little small. Can  
6 you make it a little bigger? There you go.

7 MS. RIVERA-CAPELLA: Okay. This is from  
8 Joseph Haepers. Lantheus Medical Imaging is one of  
9 the two North American generator manufacturers.  
10 Although our experience with actual Mo-99 breakthrough  
11 test failures are rare, there are many variables  
12 introduced during customer use that warrants testing  
13 each elution. Therefore, LMI supports the proposal  
14 that every generator be tested for Mo-99 breakthrough.  
15 The current USP test limit should be based on 12 hours  
16 post-elution as this is the eluate expiry.

17 We do not support the proposal to report  
18 failing Mo-99 breakthrough tests to NRC. It is  
19 important for the users to immediately report  
20 product's failures to the manufacturer. It is then  
21 the generator manufacturer's responsibility as  
22 required by the drug product license, FDA, to  
23 investigate each complaint and implement CAPAs as  
24 appropriate.

25 We believe the current system is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sufficient to ensure patient safety due to FDA  
2 reporting requirements and frequent audits. Having  
3 two regulatory agencies investigate drug product  
4 failures should not be necessary.

5 MS. SALTER: Thank you. And thank you for  
6 that comment from the webinar.

7 Anybody want to follow up on that or make  
8 another comment? I've give you some time to read  
9 that.

10 All right. What I'm going to do then is  
11 ask Ed and Ron if there were particular issues on this  
12 topic that they would like to hear and receive  
13 feedback on.

14 MR. LOHR: I'd like to --

15 MS. SALTER: It's Ed Lohr.

16 MR. LOHR: Yes. I'd like to comment on  
17 our webinar commentor. The particular instance that  
18 the NRC experienced with the Moly breakthrough was not  
19 reported to the FDA and then shared with the NRC. Our  
20 experience was that one of our licensees shared it  
21 with us. And we tracked it back. And we informed the  
22 FDA there was an issue.

23 And so I'm not familiar with the FDA  
24 reporting requirements as maybe some other of our tech  
25 staff is. But I know that somehow that system did not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 function properly. Therefore, the NRC's proposing  
2 since we have control on our licensees the idea of  
3 having licensees either report to us directly or  
4 report to the manufacturer's distributor who would  
5 then report to the NRC directly.

6 So really my comment and question to the  
7 audience is if we are going to pursue that -- and I  
8 say if because this is all preliminary -- is it better  
9 for the licensee to report it to the NRC or is it  
10 better for them to report to the manufacturer and have  
11 them required to report to the NRC?

12 MS. SALTER: Okay.

13 Question to the audience? Mr. Lieto.

14 MR. LIETO: I would say the latter that  
15 you want the licensee to inform the manufacturer as  
16 soon as possible because there's obviously going to be  
17 other potential licensees that are going to be  
18 affected. And I think since the cause was with the  
19 manufacturer I think NRC influence should be on the  
20 manufacturer not the licensee to bear the  
21 responsibility of appropriate reporting.

22 And I think it was Dr. Beasley brought up  
23 about the PET generator issue and that seems to have  
24 worked right. I mean a problem was found by the user.  
25 It was reported back to the manufacturer. That was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 then reported to users. And notices came out through  
2 the professional societies.

3 So I think the mechanism would appear to  
4 work. And I think reporting back to have the licensee  
5 being responsible to report to the NRC I think it's  
6 just an added mechanism that doesn't really solve the  
7 problem. I think it needs to go -- I think the  
8 responsibility is reporting to the manufacturer.  
9 Because if you have the licensee report to you, then  
10 the onus is going to be on the NRC to get back to the  
11 manufacturer and that just simply puts in more delays  
12 than are needed.

13 MS. SALTER: Any other comments on this?

14 (No verbal response.)

15 Any clarification requested from the NRC  
16 staff?

17 MR. LOHR: Can we have the slides back  
18 please?

19 MS. SALTER: Okay.

20 Thank you, Gretchen.

21 Which one did you want? Well, you have  
22 the remote so you can --

23 MR. LOHR: Right.

24 Dr. Zelac was indicating that it would be  
25 a good idea for us to perhaps get some feedback and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 hear if we do adopt reporting requirements how much  
2 time should we allow if we went with as Ralph  
3 indicated the manufacturer/distributor notifying the  
4 NRC. Should it be a 12 hour notice? A 24? A three  
5 day? What sort of time frame would be appropriate?  
6 And we want to get the public's input on that.

7 MS. SALTER: Okay.

8 Dr. Mower.

9 DR. MOWER: Herb Mower with the AAPM. I'm  
10 not really sure what kind of time frame there should  
11 be. But I would recommend that if the reporting goes  
12 from the licensee, medical licensee, the user to the  
13 NRC with time frame A NRC should then write into the  
14 regulations that the NRC will notify the manufacturer  
15 within an equivalent time frame and not be longer in  
16 reporting to the manufacturer.

17 Because what we're worried about is word  
18 getting back through whatever avenue to the  
19 manufacturer to make sure that things do not go out to  
20 other institutions and get missed. And I think it  
21 becomes a little bit onerous to say that the licensee  
22 has to start calling up the manufacturer, the NRC or  
23 the state and da-da-da-duh on something which they  
24 noticed but was not something which they created.

25 MS. SALTER: Thank you, Dr. Mower.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Other ideas on this? Mr. Williams, I  
2 think you can get the mike. There you go.

3 MR. WILLIAMS: Gary Williams, Veterans  
4 Health Administration. If there's any required  
5 report, I strongly suggest it not require the licensee  
6 to call the NRC operations center such that a report  
7 is posted publicly identifying a licensee as perhaps  
8 having a problem when really the licensee is, might I  
9 say, the victim.

10 So I would not support any report the  
11 operations center. Excuse me. And also say that  
12 because in general as a medical licensee when we have  
13 called the operations center unfortunately the staff  
14 there has no medical expertise. And they tend to ask  
15 a whole series of questions which aren't pertinent to  
16 the health physics or health and safety circumstances  
17 because they're poorly trained in medical issues. And  
18 that just becomes a difficult circumstance. And then  
19 there's demands for additional information which  
20 really aren't appropriate for the licensee to have.

21 So I strongly support any reporting  
22 requirement to not involve the operations center and  
23 not to be identified as a public issue for the  
24 licensee given that the licensee really is a victim of  
25 circumstances and has actually done the appropriate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 thing to make the report.

2 MS. SALTER: Thank you, Mr. Williams.

3 I believe we have a comment from the  
4 webinar. So we're going to give Gretchen a moment to  
5 pull this up on the screen so you can see it.

6 Do we have any other comments from the  
7 audience? Mr. Lieto, do you want to go ahead while we  
8 get this question up?

9 MR. LIETO: Regarding the timing of  
10 reporting, I think you have to take a step back and  
11 look at the practicality of this. If somebody gets an  
12 elution that fails, they're basically dead in the  
13 water. They can't do any diagnostic imaging.

14 They are going to report that asap. I  
15 mean if they're not you kind of wonder about the  
16 practice itself.

17 The recommendation I would have would be  
18 that this is really a practice of radiopharmacy. And  
19 that I would encourage and suggest to the NRC that  
20 they either through the Society of Nuclear Medicine's  
21 Radiopharmacy Council or one of the other professional  
22 radiopharmacy organizations get their recommendations.  
23 And I think that should be what the NRC should go  
24 with.

25 MS. SALTER: Thank you, Mr. Lieto.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Are we ready with the question, Gretchen  
2 or?

3 MS. RIVERA-CAPELLA: This is Joseph  
4 Haepers again. Once again, the generator is a drug  
5 product that is under FDA license. The incident cited  
6 should have been reported to them. A reporting phone  
7 number is provided to all of our customers.

8 MS. SALTER: Okay. Thanks for that  
9 comment from the webinar.

10 Any other comments from the audience so far on what  
11 we've been talking about?

12 (No verbal response.)

13 All right. Then I will go back to Ron and  
14 Ed to see if there is another area that they are  
15 looking for some feedback on.

16 (Off the record comment.)

17 That's it. All right. Well, we're a  
18 little too early for a break because we've only been  
19 here for half an hour.

20 So I'm going to turn to Mike Fuller and  
21 ask if he wants to go into the fifth topic which is  
22 really a discussion on the 28 or so other remaining  
23 items. We can start that discussion and then take a  
24 break in about a half an hour or we could take a break  
25 now and come back and do that. But that wouldn't give

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 us much of a break later.

2 MR. FULLER: I think Gretchen has  
3 something.

4 MS. SALTER: Oh, do you have another  
5 comment? That gives Mike time to think.

6 MS. RIVERA-CAPELLA: All right. This is  
7 Steve Mattmuller. Ralph is right. Ralph is right.

8 (Off the record comment.)

9 This problem was first found by a  
10 pharmacist who already performed the check of a per  
11 elution basis in accordance with the manufacturer's  
12 recommendation. If the limit is exceeded, the elution  
13 can't be used. So patients are not at risk. Everyone  
14 should know when this happens, users contact the  
15 manufacturer immediately.

16 In essence, they have lost their source of  
17 technetium-99m. They now need a replacement generator  
18 as soon as possible. Appropriate reporting is already  
19 in place. Additional reporting by the licensee direct  
20 to the NRC would be duplicative.

21 And then he says, "Sorry. Trouble with my  
22 cut and paste. I didn't mean to say Ralph is right  
23 twice."

24 (Laughter.)

25 MS. SALTER: All right. Any comment on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that comment? Dr. Zelac.

2 DR. ZELAC: Not a comment. Just a  
3 question. Am I correct that there appears to be a  
4 consensus that reporting by the licensee to the  
5 manufacturer as is already required or recommended by  
6 the manufacturer is the way to go and that reporting  
7 by the manufacturer to the FDA should be left as is  
8 without NRC being involved at all? Is that what I'm  
9 hearing? I guess so.

10 MS. SALTER: How many people say that's  
11 what he's hearing?

12 Mr. Walter.

13 MR. WALTER: And one more follow-up  
14 question on that. Since right now the rules state  
15 that you have to do the first elution. And while it  
16 may be recommended by the manufacturer to do every  
17 Eluate but they don't, what happens when a patient  
18 gets one that, gets an injection that, has a high  
19 level? Now we're not talking about the same thing,  
20 are we? Are we talking about something that needs to  
21 be? The NRC needs to know about? I mean I'm just  
22 asking. I don't know.

23 MS. SALTER: All right. Anybody want to  
24 follow up on that or on Ron's question? Is what Ron  
25 heard what you all were saying for those people that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 spoke up?

2 DR. LANGHORST: Sue Langhorst, Washington  
3 University in St. Louis. This may be a licensing  
4 topic with the regulators and the manufacturers where  
5 that reporting requirement is in their license. I  
6 don't know. It may not be necessary to put it in the  
7 regulations. I offer that up as a potential  
8 suggestion.

9 I would say again that this I think is an  
10 opportunity for NRC to have the regulations be  
11 prepared to go further in the future and talk about  
12 this in a more generic sense than just naming every  
13 generator system. Because there may others that will  
14 be coming up and then they're not listed in the  
15 regulations. So that's my strong suggestion.

16 MS. SALTER: I'm looking to some of the  
17 folks that had commented on this. And since I'm not  
18 hearing any I'm going to say that what Ron thought he  
19 heard was what you wanted him to hear. I'll go to Mr.  
20 Lieto. Did you have a --

21 MR. LIETO: Well, yes. I think that what  
22 my understanding is is reporting to the manufacturer  
23 and the manufacturer reports to the FDA. I think a  
24 suggestion, just a takeoff on what Sue was just  
25 recommending, would be to contact the manufacturer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 licensees and clarify "Is it your understanding that a  
2 generator breakthrough regarding if it's Moly or other  
3 generator -- Is it your understanding that a report  
4 back to you requires you reporting to the FDA?"

5 And if they come back and tell the NRC that "No,  
6 that's not the case" or "Yes, that it is" because I  
7 thought from the Lantheus representative, the  
8 impression I got, was that they are required to report  
9 back to the FDA. But if they tell you as a licensee  
10 that they're not required, then obviously I think that  
11 would be somewhere where NRC could take action with  
12 the manufacturer licensee. But I think the user  
13 licensee needs to be out of that loop altogether.

14 MS. SALTER: Dr. Beasley.

15 DR. BEASLEY: And one more comment about  
16 that is what is their time that the manufacturers  
17 require to notify the FDA. I mean if it's a long  
18 period of time it's not going to help us. It's not  
19 going to help the nuclear medicine community. So that  
20 time needs to be inquired about how soon they're  
21 supposed to close the regulatory cap.

22 And I'll say I agree with Sue about trying  
23 to make a more generic policy on generators that would  
24 be inclusive.

25 DR. LANGHORST: Sue Langhorst, Washington

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 University in St. Louis. The manufacturers need time  
2 to investigate the issue because it may be just a  
3 problem with that generator licensee not milking  
4 something correctly or not seeing something. So they  
5 need some time to really see if there is a problem.

6 But I think that if they find a problem, I  
7 don't know what FDA -- if there is a time frame with  
8 FDA. But I know the manufacturers are very interested  
9 in getting that particular licensee back on track and  
10 have a new generator there as soon as possible. And  
11 they want to make sure that their other customers have  
12 working generators.

13 So I don't have a good answer for what  
14 that time frame should be. But just an acknowledgment  
15 that the manufacturers need to have some time to  
16 review it. They shouldn't just "Oh, we have a  
17 notice." And then it shouldn't be assumed that oh  
18 they pass that notice on to the NRC right away without  
19 investigation.

20 MS. SALTER: Follow-up, Ron?

21 DR. ZELAC: Just on what I just heard at  
22 the very end. Pass that notice onto NRC or to FDA?

23 DR. LANGHORST: Yes.

24 DR. ZELAC: Okay. And if I could ask one  
25 more question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. SALTER: Sure.

2 DR. ZELAC: My impression is that there is  
3 consensus among this group anyway and the people on  
4 the webinar that testing of each eluate is an  
5 appropriate thing to be required. Is that? Okay.  
6 Thank you.

7 MS. SALTER: Anything else from the  
8 webinar?

9 (No verbal response.)

10 Do you have a comment or? Okay.

11 While as Gretchen works to get the comment  
12 up on the screen which I think is really helpful to be  
13 able to see those in writing, I will give this  
14 audience one last chance to add to the discussion that  
15 has already taken place.

16 (No verbal answer.)

17 Once we get the webinar comment up, we'll  
18 probably close out this topic and we're going to go  
19 into the fifth topic which is actually multiple  
20 topics. And it's opportunity -- Although we had  
21 picked specific topics like attestation and the  
22 Ritenour Petition and naming RSOs on NRC license,  
23 there were a number of other areas that the NRC is  
24 also looking at and we wanted to be able to provide  
25 time for individuals to provide the NRC their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 perspective positions, feedback, input on those topics  
2 as well. So we're going to get started with that once  
3 we finish closing out this discussion with the comment  
4 from the webinar.

5 MS. RIVERA-CAPELLA: Okay. Joseph  
6 Haepers. We have to report to the FDA if patient  
7 safety is at risk. Most of our high Moly complaints  
8 have been measurement errors and not an actual  
9 problem. We need to investigate first.

10 MS. SALTER: Okay. So I'll give one last  
11 opportunity for anyone to comment on that. I'll ask  
12 Ed or Ron if they have any -- need any further  
13 clarification. Anything that they heard.

14 MR. LOHR: I'm interested in the group's  
15 thought of time frame. If I'm understanding and I  
16 believe that Dr. Zelac fed it back to you the idea  
17 that the current system that's in place for the  
18 manufacturer to report to the FDA, the FDA  
19 investigates and then sends on to the NRC, I can't  
20 tell you the time frame. I could guess that it's not  
21 days. I would guess weeks.

22 Is that acceptable to the medical  
23 community not to have a feedback on an issue? What is  
24 the acceptable time frame is really what I'm asking.  
25 Is 24 hours? Is it three days? Is it two weeks?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 What sort of time frame is acceptable?

2 MS. SALTER: Anybody have a position on  
3 that? Ideas on that?

4 Mr. Williams.

5 MR. WILLIAMS: I would recommend 24 hours  
6 after discovery which is consistent with making a  
7 report of a medical event. I think as a practical  
8 matter as Sue mentioned people are going to be having  
9 to contact the manufacturer rather soon anyway to get  
10 a replacement generator. So 24 hours would be more  
11 than enough time to allow people to make a report and  
12 not be considered deficient in their reporting given  
13 that as soon as they can't use their current generator  
14 they're most likely going to be asking for a  
15 replacement.

16 MS. SALTER: Thank you, Mr. Williams.

17 Any other suggestions on this or comment?  
18 Does that work for everyone?

19 (No verbal response.)

20 I see some heads shaking. All right.

21 Anything else on this topic, Ed or Ron?

22 (No verbal response.)

23 Anyone else from the audience?

24 (No verbal response.)

25 Nothing else from the webinar?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (No verbal response.)

2 All right. So we're on to our final  
3 topic. You guys didn't have a presentation for this  
4 though. Correct? Or did you?

5 MR. LOHR: I do have a slide or two or  
6 three or four or seven.

7 (Laughter.)

8 MS. SALTER: Okay.

9 MR. LOHR: Thank you, Susan.

10 Our last topic of the day is what we call  
11 the additional items under consideration for  
12 rulemaking. Many of these items the NRC considered  
13 minor in nature and such.

14 I guess first do we have new acronyms and,  
15 yes, we do. The SSDR, the sealed source and device  
16 registry. So I want to make sure everybody is aware  
17 when I say SSDR what I'm referring to. But we are  
18 considering rulemaking additional items in Part 35 to  
19 be changed.

20 I think Mike put this out yesterday  
21 morning and again this morning that the preliminary  
22 language has been published and made available in the  
23 back of the room or at registration rather as of  
24 yesterday morning. And it's been available to the  
25 public for a number of weeks.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Not everything that was in the Federal  
2 Register notice has preliminary language. But what we  
3 want to do is really open this up to your folks after  
4 I briefly run through this to tell us what you'd like  
5 to talk about. And, for example, I know that Dr.  
6 Langhorst want to talk about the Canadian issue with  
7 the physicians.

8 So let me go through these few slides.  
9 And we'll get on with things.

10 Just some of the highlights of the  
11 additional items are to lower the paperwork burden for  
12 certain license applications, to do clarifications of  
13 certain T&E requirements. One of the items that I  
14 consider very important is the expandability of used  
15 sealed source and devices approved, the SSDRs.

16 We also want to talk about the expansion  
17 and clarification of the alpha emitter categories.  
18 And again as I said there are other minor changes.

19 I do want to say as always that public  
20 comments are welcome on these proposed rules. Now  
21 this is preliminary language that we've asked for  
22 comments on. And I believe that runs through  
23 September 6th. That's available for you to comment  
24 on.

25 We encourage written comments. Although

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 today's meeting is transcribed and we will capture  
2 what you have today, many times when you have a chance  
3 to write them many other points come out. And we  
4 really appreciate that opportunity to see those.

5 And as Mike also said earlier and I have  
6 it on the slide here, you can submit those comments at  
7 regulations.gov using the docket number NRC-2008-0175.  
8 And it's September 15th. Thank you. My slide tells  
9 me my date.

10 I do want to not caution you necessarily  
11 but to remind you that the preliminary draft rule  
12 language is subject to significant revision based on  
13 the comments we receive today, the public comments,  
14 and, of course, the NRC's working committees before  
15 this will go out as a proposed rule.

16 And with that then I'm really going to  
17 bump it back to you, Susan, to any particular items  
18 that the audience would like to bring up from that  
19 preliminary language that we have published or that  
20 was in the items in the FRN.

21 MS. SALTER: All right. And you do have a  
22 copy obviously of the FRN in your packet.

23 Dr. Mower, get us started.

24 DR. MOWER: Herb Mower with the AAPM. I  
25 am looking at 35.14, Notifications. I'm looking at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 page five of the document that was handed out,  
2 specifically Item No. 6. And I would raise the  
3 question to the NRC. Do we really want to have  
4 something which only applies to manual brachytherapy  
5 rather than any sources which are coming out?

6 And I would also raise the question that I  
7 am concerned with the last statement there. "The  
8 notification must include the manufacturer and model  
9 number of the sealed source" -- maybe no real problems  
10 there -- "the isotopes" -- certainly yes -- "and the  
11 quantity per sealed source."

12 I may have in the license that we're going  
13 to use I-125 of certain activity for a prostate  
14 implant. And for whatever reason for next week that  
15 activity may not be available. The doctor doesn't  
16 wish to put in quite as high an activity per seed.  
17 And all of a sudden I come up and am I going to have  
18 to say to the doctor as a result of this regulation  
19 "I'm sorry you cannot do your implant next week  
20 because that is not the activity of per seed that we  
21 have in our license." And I think we need to look  
22 seriously at that wording there and strike "the  
23 activity per source" in there because it will pose  
24 some real problems there.

25 MS. SALTER: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Ron. And also if you -- I have some extra  
2 documents of what Dr. Mower was referring to, the  
3 proposed rule language. If you didn't get a chance to  
4 pick it up, I have it back here.

5 MR. LOHR: Susan.

6 MS. SALTER: Yes.

7 MR. LOHR: Could I ask when they speak to  
8 the preliminary language they would give us the actual  
9 section number and not just the page number please?  
10 That will help the people who are also on the webinar.  
11 For example, I believe he was referring to 35.13. Is  
12 that correct, Dr. Mower?

13 MS. SALTER: Fourteen.

14 MR. LOHR: Fourteen.

15 DR. MOWER: Actually, Dr. Mower did in his  
16 comments. And if we would play back the tape stating  
17 it was 35.14, that it was on page number five, and it  
18 was Item No. 6. So I think I really did cover all of  
19 those things. And I guess my suggestion would be  
20 thank you.

21 MS. SALTER: Thank you.

22 A clarification or further comment on that  
23 from the NRC staff? Dr. Zelac.

24 DR. ZELAC: The purpose of this section  
25 35.14 is to permit the licensee to go ahead and do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 certain things even though they may not agree in  
2 totality with what appears in their licenses. This  
3 permits them to go ahead and do something and then  
4 after the fact let NRC know that this has been the  
5 case.

6 So with the example that you had given  
7 there would be nothing to preclude your licensee from  
8 ordering seeds of a different strength and utilizing  
9 them as long as notification was made within 30 days  
10 later.

11 DR. MOWER: In that case the way it's  
12 proposed in the regulation it looks like it's a rap of  
13 the knuckles rather than allowing you to do it and  
14 then making a correction afterwards to the NRC. And  
15 the language needs to be changed.

16 MS. SALTER: All right. I have a comment  
17 over here. I'll just ask you to stand up and  
18 introduce yourself.

19 DR. POSTON: I'm Jay Poston from MD  
20 Anderson. We had this come last week. We wanted to  
21 order some iodine seeds or 15 millicuries. Our  
22 license said it was 10 millicuries. So we did a lot  
23 of talking back and forth to the state and with the  
24 physician and with the physicist. And through our  
25 wonderful state agency we were able to get an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 amendment made Monday afternoon so we could do the  
2 treatment yesterday.

3 So this would have been nice. If this was  
4 in the rules, we could have gone ahead and proceeded  
5 with that order, let the state know what's going on  
6 and got the amendment made in maybe not such a rush  
7 fashion. So I like the words here where it allows you  
8 to deviate a little bit from what you're allowed to  
9 have.

10 MS. SALTER: Thank you for that.

11 Did we have a comment? Mr. Williams, I  
12 think there is a mike over there.

13 DR. ZELAC: Susan.

14 MS. SALTER: I'm sorry. We have some  
15 clarification. Dr. Zelac.

16 DR. ZELAC: Possibly. When I made my  
17 response to Dr. Mower I had presumed that the activity  
18 that was going to be ordered was less than the limit  
19 on activity that was already indicated in the license.  
20 However, in this case, that was just described of  
21 wanting to receive sources of a greater strength than  
22 were indicated in the license was a little different  
23 story.

24 Our licensing folks should be able to  
25 comment on that. But I would think that as long as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the activity was less than that was listed in the  
2 license that would be okay. If you wanted to exceed  
3 it I'm not sure that notification would be the  
4 appropriate way to go.

5 MS. SALTER: Follow-up? Mr. Williams?

6 MR. WILLIAMS: Gary Williams, Veterans  
7 Health Administration. I refer to Section 35.12  
8 beginning on page two and continuing on page three.  
9 This is a general comment.

10 I recommend the section be revised to  
11 provide an opportunity for amendment requests or  
12 notifications to be made electronically and that there  
13 be a specific discussion and statement that it can be  
14 done rather than the way we've done it for these many  
15 years where NRC requests and demands in fact that it  
16 be in writing and it has to be in a letter. It has to  
17 be faxed. I think it's a good opportunity to change  
18 the regulations to allow us to go into the more modern  
19 forms of communication.

20 MS. SALTER: Thank you, Mr. Williams. Oh,  
21 Mr. Williams again. Well, first let me -- Are you  
22 going to go onto another topic?

23 MR. WILLIAMS: Yes.

24 MS. SALTER: Okay.

25 MR. WILLIAMS: I was going to the next

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 page.

2 MS. SALTER: Okay. Before we do that, did  
3 anyone want to follow up on that? On his first  
4 comment?

5 (No verbal response.)

6 No. Okay. Why don't you go to your  
7 second one.

8 MR. WILLIAMS: My next comment is on page  
9 four under the section 35.13. There's a new  
10 subsection added, Subsection H, and it provides an  
11 opportunity for someone to use something that is  
12 listed in the sealed source and device registry.

13 Unfortunately, licensees don't have access  
14 to that registry. So my recommendation is you delete  
15 this section as being impractical since it doesn't  
16 save the licensee any time. They have no basis or  
17 method to confirm something is in the SSDR.

18 Now often as in the past you might get a  
19 copy of an old version of something that was in the  
20 SSDR from the vendor. But as the licensee you have no  
21 way to prove that that actually continues to be listed  
22 that way. So NRC is providing an opportunity for  
23 someone to do something which is as a practical matter  
24 they can't do.

25 MS. SALTER: Thank you, Mr. Williams.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1                   Did we need any clarification or follow-up  
2 on this?

3                   MR. LOHR: I would like to address that if  
4 I could, Susan.

5                   MS. SALTER: Okay. Mr. Lohr.

6                   MR. LOHR: As you're aware, Gary, the SS&D  
7 library is not available to the general public.  
8 However, if you as a licensee are considering buying a  
9 source or a device, the distributor or manufacturer  
10 can provide you with the current SS&D for that device  
11 or source. They have that information.

12                  MR. WILLIAMS: My comment is that you say  
13 that I have to know that it is listed there. Getting  
14 a copy of something which a salesperson tells me is  
15 from the SSSDR is a bit problematic to make sure that I  
16 am in explicit compliance with this regulatory  
17 requirement since I would have no firsthand basis to  
18 confirm that.

19                  I will stipulate that as a master  
20 materials licensee I do have access to the SSSDR. So  
21 this is not a problem for the Veterans Health  
22 Administration. But it was a problem before we did  
23 have such access. I didn't have a lot of confidence  
24 in what a product or vendor salesperson would give me  
25 because often the information wasn't really current

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 since SSDR information changes over time.

2 MS. SALTER: Okay. Any other comments  
3 either on the proposed rule or any of the items in the  
4 FRN?

5 (No verbal response.)

6 Nothing on the webinar?

7 (No response.)

8 Dr. Mower.

9 DR. MOWER: Going back to 35.14, the  
10 notifications, again number six on page five, and  
11 relative to the comment that was made from Texas that  
12 they were ordering a higher activity per seed and this  
13 was indicated as possibly not being what was meant by  
14 section six, as long as the licensee does not exceed  
15 what their license allows them to have for a total  
16 quantity in any given category I don't see why we  
17 should be restricted whether we go up or down in the  
18 amount of activity per seed as long as we have not  
19 exceeded our license requirements.

20 MS. SALTER: Any clarification needed on  
21 that? Follow-up?

22 (No verbal response.)

23 All right. Next comment. Kind of quiet.  
24 I'm going to get you some snacks in a minute. But I'm  
25 going to make you work a little bit more.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm going to go back up to Dr. Zelac and  
2 Mr. Lohr and ask them if there were specific areas  
3 that you were looking for feedback on.

4 MR. LOHR: If it's okay at this point, I'd  
5 like to address the issue that Dr. Langhorst brought  
6 up on the Canadian physicians.

7 MS. SALTER: Okay.

8 MR. LOHR: First we have no preliminary  
9 language for this issue. The Canadian residence  
10 programs are recognized by regulations. But our  
11 problem is that they do not have an authorized user.

12 And an authorized user in Part 35 is  
13 defined as a dentist, a physicians, a podiatrist, etc.  
14 And it's further in our regulations defined that these  
15 doctors must be licensed in the U.S.

16 And so we have problem with our regulation  
17 right now in the sense that the authorized user to  
18 provide the supervised work experience must be U.S.  
19 trained. We are struggling to try and work this issue  
20 and are soliciting input from the public on how we may  
21 best address this issue.

22 MS. SALTER: Okay. So I'm going to give  
23 the NRC staff another opportunity to pose a question  
24 to this audience on any of these issues that you're  
25 struggling with or that you're looking for additional

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 feedback on.

2 Mr. Lohr.

3 MR. LOHR: I'd be glad to -- Another issue  
4 that came up is in the preliminary language on page  
5 seven. It's 35.65 and you'll see it in red little  
6 letter a-12. And this is the issue of transmission  
7 sources in use with patients.

8 We are attempting to clarify that  
9 transmission that are used in various pieces of  
10 equipment are to be used under the supervision of an  
11 authorized user when a patient is in the beam, not  
12 when the transmission source is being used for  
13 calibration or other functions.

14 In addition, we have proposed a change that would  
15 prohibit a licensee from bundling or aggregating  
16 single sources into a much larger source. We have  
17 received one comment back from the public on that.  
18 And because of that I wanted to see what the audience  
19 here felt about those issues.

20 MS. SALTER: Dr. Langhorst.

21 DR. LANGHORST: In the summary that you  
22 gave us from the New York workshop, I was very glad to  
23 see that my comment that came through on the webinar  
24 was included in that. If you're making that change  
25 for transmission sources and now putting that under

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 authorized use of 35.500 that the training and  
2 experience portion of 35.590 include that a person  
3 could be authorized for this use if they were already  
4 authorized for 200 level uses.

5 I'd like to amend that to say also that it  
6 should include users that are 300, that are approved  
7 for 300 uses, 390 I should say. And I say to put that  
8 in there explicitly so that it relieves those  
9 physicians from having to get experience in eluting a  
10 generator which they have to do if they're going from  
11 300 to 200. So I would add 300 in there.

12 On the topic of elution of generators, I  
13 really wish that requirement would be dropped from  
14 290. I know I jumped around there, but that's just --  
15 I thought it was a pertinent point to put in there as  
16 I was talking about it.

17 Thank you.

18 MR. LOHR: Can I get a clarification, Dr.  
19 Langhorst?

20 DR. LANGHORST: Sure.

21 MR. LOHR: Are you suggesting that the  
22 language, what we put in the preliminary rule language  
23 be struck or the entire provision be struck on having  
24 the generator training?

25 DR. LANGHORST: I think it should be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 struck as far as they have to have that experience of  
2 eluting a generator. I don't think it's necessary for  
3 an authorized user.

4 MR. LOHR: Thank you.

5 MS. SALTER: Any other comments? Do we  
6 have anything on the webinar?

7 (No response.)

8 No. Then I'm going to take the liberty to  
9 go to the NRC staff. Dr. Zelac, you had also wanted  
10 to make a comment I think when Mr. Lohr was making his  
11 comment.

12 DR. ZELAC: Lost now.

13 MS. SALTER: Sorry.

14 All right. So let's do this. It's 2:30  
15 p.m. Let's take a break.

16 Mike, we had a 15 minute break scheduled.  
17 Do you want to give a 30 minute break? To give folks  
18 time to look over this or do you want to stick with  
19 the 15 minute break?

20 MR. FULLER: Let's go ahead and I think  
21 unless somebody wants to talk me out of this my way of  
22 thinking is to go ahead and take the 15 minutes.

23 MS. SALTER: Okay.

24 MR. FULLER: And then if we finish up a  
25 little bit early we finish up a little bit early.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MS. SALTER: Okay. Mike says we'll take a  
2 15 minute break. So we'll get back at 2:45 p.m. and  
3 we'll finish this topic. And if we get finished a  
4 little early we get finished a little early.

5 But please come back. Take a look at the  
6 information and see if there's anything else that you  
7 want to bring to the NRC's attention. Off the record.

8 (Whereupon, a short recess was taken.)

9 MS. SALTER: On the record. All right.  
10 Welcome back. I hope you got some coffee and some  
11 snacks. Got some energy back after lunch.

12 As you know before the break, we started  
13 Topic 5 a little early and had some comments and some  
14 discussions.

15 And we are going to jump right back into  
16 that discussion. And these are the additional items  
17 that are under consideration for rulemaking as  
18 outlined both in the draft proposed rule language. I  
19 have some extra copies here if you need one as well as  
20 the Federal Register notice outlines the additional  
21 topics.

22 So although we had some specific topics  
23 that we really wanted to have more in-depth discussion  
24 we also wanted to use this time to allow you the  
25 opportunity to provide feedback on all of the issues

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that are under consideration for rulemaking.

2 I will pitch it back out to the audience  
3 to see if there are any additional comments. Again  
4 this is your opportunity to comment on anything. But  
5 I do know that NRC staff also has some specific areas.  
6 So I'm going to give them an opportunity to do that  
7 after I open it up to the audience to talk about what  
8 you want to talk about.

9 (No verbal response.)

10 All right. So I will go back to NRC  
11 staff, Dr. Zelac and Mr. Lohr, and ask you to throw  
12 something out to the audience for consideration.

13 MR. LOHR: We are very interested in  
14 getting some feedback. This will be in the  
15 preliminary rule language. It's actually on page 13,  
16 12 and 13. But it begins on page 10. It's  
17 35.390(b)(1)(ii)(G). Got to love these regulations.

18 But it has to do with the categorization  
19 of isotopes or I should say use of isotopes that  
20 require additional cases be done by an authorized  
21 user. And we are proposing to expand and clarify  
22 these categories of cases that an authorized user must  
23 have experience with to demonstrate your ability to  
24 use this particular by-product material in therapy.

25 The current regulation has categories such

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 as "Other" that includes many things. And we are  
2 proposing to expand those out. The primary reason is,  
3 for example, our alpha emitters right now. We think  
4 these are inappropriately categorized. For example, a  
5 radium-223 source is categorized with beta emitters  
6 such as P-32 where the primary use is actually the  
7 alpha emission.

8 And so these new categories we're  
9 proposing we want to reflect the specific safety and  
10 training considerations for the administration  
11 thereof. And we're interested in feedback from you  
12 folks on whether we got it right, we got it wrong,  
13 we're out in left field somewhere.

14 MS. SALTER: Mr. Williams, I think you had  
15 a comment.

16 MR. WILLIAMS: Gary Williams, Veterans  
17 Health Administration. I ran this by my physician  
18 advisors and their concern about this is that you  
19 appear to be requiring someone to have case experience  
20 that they would likely have gathered in a residency  
21 program for procedures which aren't now commonly  
22 completed in all different types of facilities.

23 So it might be better and our  
24 recommendation is that you continue with a more  
25 generic requirement rather than having this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 specificity which is exceedingly difficult to conform  
2 to in order to get an authorized user especially on  
3 something that might be more investigational.

4           The practical outcome of this might be  
5 that there would be a lesser ability to have new  
6 procedures at some facilities because you couldn't  
7 qualify an authorized user unless that person in a  
8 very expensive way went off to one of the two or three  
9 places that actually did that procedure. So I think  
10 in general we would want to depend on the local  
11 facility's clinical staff to approve users and look at  
12 some more detailed requirements rather than that being  
13 regulatory space.

14           MS. SALTER: Thank you, Mr. Williams.

15           Dr. Langhorst.

16           DR. LANGHORST: I know when this topic  
17 came up with the Category I think it was D of the all  
18 others I had no idea that meant alphas or that NRC had  
19 intended that to mean alphas. The only time I learned  
20 about that was reviewing ACMUI transcripts about past  
21 meetings. So what is there is already confusing.

22           I think when NRC redid the regulations of  
23 Part 35 in 2002 they got it right. You guys got it  
24 right in specifying moving the I-131 diagnostic  
25 procedures into meeting written directives and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the I-131 therapy.

2 And my perspective on that has always been  
3 those were called out separately because there are  
4 many physicians who want to just use one or maybe both  
5 of those categories. And they don't want to know all  
6 this other stuff. So that made sense to me.

7 But parenteral administration, why doesn't  
8 that just cover all the rest? I mean if it's  
9 parenteral just as Gary was saying make that generic  
10 and I think it's good that that individual has to have  
11 both the levels of I-131 -- Well, they don't have to  
12 have experience in the lower level of I-131. Because  
13 if they get it in the higher, they already count for  
14 the lower.

15 I get very confused about all this. So I  
16 think I would say get rid of (d) and put (c) as all  
17 the rest of the parenteral administrations. My  
18 recommendation.

19 MS. SALTER: Mr. Walter.

20 MR. WALTER: My understanding or guess on  
21 this is that the reason that they've added this is  
22 risk-based. Correct?

23 MR. LOHR: That is my understanding, sir.

24 MR. WALTER: Okay. And so what they're  
25 doing is they're just equating that there's a higher

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 risk to or different risk to the alpha compared to the  
2 beta low energy gamma. Correct?

3 (No verbal response.)

4 Okay. Back long ago when we first started  
5 this we talked about the fact that there's going to be  
6 alpha emitters that are going to start being used.  
7 They had already begun testing in fact for cancer  
8 therapies. And the discussion was "Well, there isn't  
9 anything now. So we won't just be worrying about  
10 putting it in the rules."

11 I'm just trying to give you a little  
12 historical perspective involved in what was going on  
13 in that rulemaking process. Because there wasn't  
14 anything they said "Well, we're going to put in a  
15 thousand. We're going to put it in 35.1000 when it  
16 comes out." And that was how we moved past that and  
17 went onto another place.

18 It sounds to me now like they're coming  
19 back and saying, "Okay. We know it's there. We need  
20 to address it now based on risk." And that's I think  
21 why we're seeing what we're seeing here.

22 And I would like to hear what others have  
23 to say about is this correct in assuming that that  
24 risk is higher or different for the alpha emitters  
25 than it would be for the other parenteral uses.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Because that I think would help the NRC considerably.

2 MS. SALTER: Mr. Lieto, are you going to  
3 follow up on this comment?

4 MR. LIETO: Yes.

5 MS. SALTER: Okay. Good.

6 MR. LIETO: To follow up on Mr. Walter's  
7 comment, the risk issues are different. But the  
8 radiation safety aspects on high energy particulates  
9 from radionuclides to me fall into the same category  
10 of risk.

11 The real safety issues here is the  
12 parenteral administration. It's getting this stuff  
13 from the vial or syringe into the patient. Okay.  
14 That's a very -- It's a one-time-only shot. You can't  
15 risk subbing this or any of those aspects. And so  
16 that's the real safety aspect in the administration of  
17 these.

18 I would support Mr. Williams' and Dr.  
19 Langhorst's comments that the items in three, four and  
20 five there should be grouped together as parenteral  
21 radionuclides with primarily high energy particulate  
22 emissions or something along that nature might be a  
23 suggestion. But I think they should all be grouped  
24 together.

25 I am very glad that when this was first

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 discussed you did not put it in 1000. And I think  
2 that one other comment along that line is I would  
3 really, really strongly encourage you to please keep  
4 it out of 1000. But I think that as far as the risk  
5 and safety issues go that you could lump all three of  
6 those categories together and I think that it would be  
7 perfectly appropriate.

8 MS. SALTER: Okay. I'll go back to NRC  
9 staff just to see if you need any clarification on  
10 those two points.

11 (No verbal response.)

12 Okay. And we'll go to Dr. Langhorst.

13 DR. LANGHORST: If we lump it together, I  
14 don't -- we're not saying we don't need to be trained  
15 on what alpha emitters do and what the risks are for  
16 that. I think that's covered by the licensee's  
17 requirement to provide training for that individual on  
18 what they're doing.

19 And so I'm not saying that "Oh well, it's  
20 a higher level of risk and we're not recognizing  
21 that." We definitely are recognizing it. But we  
22 think we've got that covered in the licensee's  
23 requirement to make sure that it's users, physicists,  
24 whatever are trained in what they are specifically  
25 doing. So that would be my suggestion on that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MS. SALTER: Dr. Welsh.

2 DR. WELSH: Thank you. I recall when this  
3 was first discussed at the ACMUI. Part of the reason  
4 for the discussion in addition to the reasons that are  
5 being discussed presently, one of the reasons was that  
6 the language in existence at the time did not cover  
7 some of the newer radiopharmaceutical therapies that  
8 are exploiting the alpha radiation or Auger electron  
9 emissions, etc. So it was recommended that additional  
10 language be added. And that's what has been done.

11 However, I would agree with some of the  
12 statements made here earlier that the more generic and  
13 all-encompassing the wording the better. So instead  
14 of having section four, section five and section six  
15 that as Dr. Langhorst said keeping this generic might  
16 be preferable.

17 If NRC does wish to keep them separate, I  
18 would not advocate insisting on three cases in each  
19 one of the categories but perhaps adopting something  
20 similar to the footnote in the section right above it  
21 saying that experience with at least three cases in  
22 category (g)(2) also satisfies the requirement in  
23 category (g)(1). Meaning that if you have experience  
24 with the higher activity iodine-131 it is sufficient  
25 for use with the lower activity I-131.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 I would first recommend that we lump these  
2 together. But if not it might be preferable to say  
3 that if an individual has experience with beta or high  
4 energy photons that would be sufficient for any of the  
5 other newer modalities such as alpha emission and  
6 Auger emission that might come along.

7 MS. SALTER: Follow-up from NRC staff on  
8 that or request for any further clarification? Mr.  
9 Lohr.

10 MR. LOHR: Dr. Welsh, I think I understand  
11 your comment. My question would be if we look at how  
12 we have proposed the breakout and if we take the path  
13 of keeping them broken out so to speak -- and I'm not  
14 saying we will -- what would you suggest would be the  
15 higher risk of these items that would then say if you  
16 are three cases in that particular higher risk then  
17 the lower risk one then also follows such as we did  
18 with the iodine.

19 MS. SALTER: Dr. Welsh.

20 DR. WELSH: I would probably respond that  
21 the highest risk would certainly be the high energy  
22 photons of 150 or more with the beta being a close  
23 second in terms of radiation safety issues. And as I  
24 think Mr. Lieto pointed out it's the parenteral  
25 administration that is the most challenging and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 technically difficult and important aspect of this in  
2 terms of radiation safety aspects. And if high energy  
3 photons and beta and low energy photon experience has  
4 been documented, I believe it should suffice for the  
5 others that might come along.

6 MS. SALTER: Thank you.

7 Did you want to follow up on that or?

8 MR. LOHR: No. Thank you very much.

9 MS. SALTER: Okay.

10 Dr. Langhorst.

11 DR. LANGHORST: If we keep them broken out  
12 as what you all have provided in the draft regulatory  
13 language would then that be the fine point that's  
14 listed for authorized users that you're approved to do  
15 this and this one but not this one as far as  
16 parenteral administrations go? That again is a  
17 paperwork burden that I think is already covered that  
18 a licensee has to provide training for its users and  
19 so on in the specific uses that they're asked to  
20 perform.

21 I would hate to have to have that finer  
22 distinction on licenses. It would be very confusing  
23 to me.

24 MS. SALTER: Follow-up on that?

25 (No verbal response.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Do we have anything on the webinar? No.

2 All right. Further comments on what we've  
3 just talked about or any other item under  
4 consideration for rulemaking?

5 (No verbal response.)

6 This is your opportunity to provide your  
7 comment. Mr. Lieto.

8 MR. LIETO: There was something I wanted  
9 to address, but it's not in the marked-up rules that  
10 we've been following. It was in the Federal Register.

11 MS. SALTER: Correct. That's absolutely  
12 fine. We want to hear on those items as well. So  
13 please go ahead.

14 MR. LIETO: This is actually the number  
15 one item under Topic 6 in the Federal Register. The  
16 issue had to do with an authorized medical physicist  
17 to perform decay corrections for strontium-90 sources.  
18 Now granted these aren't very common utilization of  
19 brachytherapy. But it's the only 400 use that  
20 specifies an authorized medical physicist.

21 And the question I think being posed by  
22 NRC staff is to remove authorized medical physicists  
23 and make any qualified medical physicist for lack of a  
24 better term if I'm not reading too much into this be  
25 allowed to do these decay corrections. And the AAPM

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 has some real concerns with that on two fronts.

2 One is there were a number of  
3 misadministrations several years ago with these  
4 sources that got to improper calibrations, a number of  
5 other aspects associated with their use. Although the  
6 decay correction in and of itself seems like a minor  
7 issue, a lot of brachytherapy physicists are concerned  
8 about not requiring an authorized medical physicist  
9 involved with this. Because when they look at a  
10 strontium-90 source it isn't just the decay  
11 correction. They look at the calibration, the  
12 currentness of the calibration, leak testing, a number  
13 of other aspects that go along with these sources.

14 And the other reason that I would like to  
15 state a concern about this proposed deletion of an  
16 authorized medical physicist is that there is a new  
17 device out there in investigational mode that's used  
18 for age-related macular degeneration that uses a  
19 strontium-90 source for treatment. And we would be a  
20 little adverse of changing the requirements for an  
21 authorized medical physicist not being necessary for  
22 this kind of a device also. That's one thing that I  
23 would like to bring up in terms of a suggestion non-  
24 change if you will.

25 MS. SALTER: Any clarification needed or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 question for Mr. Lieto?

2 MR. LOHR: I have a clarification, Susan.

3 MS. SALTER: Okay.

4 MR. LOHR: And that is, Ralph, we are not  
5 proposing to remove the authorized medical physicist  
6 but rather to add a second category of the physicist  
7 who can do limited task for those licensees who are in  
8 geographically remote areas. I just wanted to clarify  
9 that point.

10 MS. SALTER: Any further comment on Mr.  
11 Lieto's suggestion? Dr. Zelac, did you need any  
12 further?

13 (No verbal response.)

14 All right. Any other topics either in the  
15 proposed rule or again in the Federal Register notice  
16 as one of the additional items under consideration for  
17 rulemaking? I see some folks reading. So I'm going  
18 to give a couple more minutes.

19 Anything on the webinar?

20 (No response.)

21 Mr. Williams.

22 MR. WILLIAMS: Gary Williams, Veterans  
23 Health Administration. I refer to Section 35.400 and  
24 similar language in 35.500.

25 MS. SALTER: Is this in the proposed rule

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 or is this in the --

2 MR. WILLIAMS: Proposed.

3 MS. SALTER: Okay.

4 MR. WILLIAMS: And I'm on page 16. And if  
5 you look at 35.400(a) there's a statement in there  
6 related to sources should be used specific to the  
7 radiation safety conditions and limitations in SSDR.  
8 I believe that statement has been inserted in order to  
9 allow physicians to use a device for other than the  
10 specific medical uses that might have been stated in  
11 the SSDR.

12 My recommendation is that this wording be  
13 revamped to say exactly what the physician is allowed  
14 to do. That is the authorized user shall use it as  
15 described or in any other acceptable medical use  
16 rather than having this statement that I think is  
17 subject to interpretation because it says you have to  
18 use it according to the radiation safety conditions  
19 and limitations.

20 However, if you look at an overall SSDR,  
21 there are other limitations that aren't specifically  
22 radiation safety which might be more health and safety  
23 or something like that. So I think this could be  
24 clarified if you really say exactly what you're trying  
25 to accomplish by having such a statement.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MS. SALTER: Okay. Does the NRC need any  
2 follow-up to that comment?

3 Dr. Langhorst.

4 DR. LANGHORST: I wanted to bring up the  
5 issue of who trains the authorized individual. For  
6 authorized users, it's required to be an authorized  
7 user. And I know that I believe it was in the Federal  
8 Register where you asked the question about whether an  
9 authorized nuclear pharmacist can be a supervising  
10 individual. And I would argue whether an RSO listed  
11 on the license could be a supervising individual even  
12 for authorized users because we're the ones that know  
13 that aspect of the program.

14 For instance, my name isn't listed  
15 anywhere as a supervising individual on a residency  
16 313A form because I'm not an authorized user. But I'm  
17 the one that does training for the radiation safety  
18 aspects of things and especially the regulatory aspect  
19 of things.

20 So I think that's a good thing to be able  
21 to have an authorized nuclear pharmacist be able to  
22 supervise certain aspects of a person's training like  
23 checking in packages, you know, some of those  
24 requirements that you have. I think it should be  
25 recognized that it could be another authorized

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 individual to provide that part of the training. And  
2 obviously that's for the alternate pathway on these  
3 training and experience requirements.

4 (Off the record discussion.)

5 MR. LOHR: If we may, Dr. Langhorst, I  
6 want to clarify that indeed you were speaking to our  
7 35.290 language on the NRC's proposal to allow the  
8 authorized nuclear pharmacist to provide the training  
9 on elution of generators. And you were -- And I want  
10 to make sure I understand. You're proposing that that  
11 actually be expanded to allow as you said RSOs to  
12 provide training in that realm, not necessarily  
13 generators, but in that sort of vein.

14 DR. LANGHORST: I think if that's who's  
15 providing the training for that authorized individual  
16 I think it strengthens the training documentation that  
17 someone who is actually doing this part of the  
18 radiation safety program is giving these individuals  
19 the training.

20 Now I will state again that I do not think  
21 authorized users have to have hands-on experience of  
22 eluting a generator. But an authorized nuclear  
23 pharmacist may supervise their training of receipt of  
24 packages and doing surveys and so on or an RSO could  
25 do that. I think I like that aspect of what you all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 were asking that it be recognized that there are  
2 certain other authorized individuals that can provide  
3 aspects of the training even for an authorized user.

4 Did that clarify that for you?

5 MR. LOHR: I believe so. And in response  
6 I would like to clarify that we are only -- our only  
7 attempt here was to allow the nuclear pharmacist to  
8 provide the training for elution of generators. It  
9 was not to go into other realms of radiation safety  
10 that the authorized user normally provides that  
11 supervision over. So I just wanted to let you know  
12 that's our limitation of our proposal at this stage.

13 DR. LANGHORST: I understand that. And my  
14 suggestion was that you could have other what you  
15 consider authorized individuals and I hope people  
16 consider an RSO named on a license as an authorized  
17 individual. I mean I think that strengthens what  
18 training they got, who supervised that aspect of  
19 receipt of radioactive materials. That's a  
20 requirement that has to be gone over in the training  
21 aspects. So that's my comment.

22 MS. SALTER: Did you want to follow up on  
23 that before we go to Mr. Walter?

24 MR. LOHR: No, madam.

25 MS. SALTER: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Mr. Walter.

2 MR. WALTER: Under the current rules  
3 you're allowed to do this anyway because it doesn't  
4 say under the supervision or even in the physical  
5 presence of an authorized user. It just says under  
6 the supervision an authorized user.

7 So if any authorized user deems you as  
8 being an adequate person for training or for that  
9 matter a pharmacist that they know -- so you wouldn't  
10 even have to add this in there -- then you can go  
11 ahead and do it. There's nothing that I know of in  
12 this rule that would preclude you from doing that  
13 right now.

14 DR. LANGHORST: This is Sue Langhorst  
15 again. My name isn't on their training and experience  
16 form. It has to be a supervising authorized user's  
17 name. Otherwise they will not be approved.

18 MR. WALTER: I understand that. But the  
19 supervising authorized user is not the one doing every  
20 single one of these minutia either. And so it's not a  
21 person who -- You've got a lot of people who are not  
22 on that list, but they are answering to the authorized  
23 user who is on that list.

24 DR. LANGHORST: I agree with that. It  
25 just would be nice that other authorized individuals

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 who do that aspect of the training and the supervising  
2 authorized user isn't necessarily -- I understand what  
3 you're saying. And, yes, a lot of people get involved  
4 in the training. But I think it should be allowed if  
5 they get that training from the RSO or they get that  
6 training from an authorize nuclear pharmacist they  
7 could list that person as one of those supervising  
8 individuals.

9 MR. WALTER: My personal thought is that  
10 the way it is taking out the nuclear pharmacist, not  
11 adding that additional text in there, gives more  
12 latitude to the licensees than if you were to start  
13 adding individuals that have to be listed in some way,  
14 shape or form. So I am all for giving the greatest  
15 amount of latitude to you in this case. That's the  
16 reason I'm saying that.

17 MS. SALTER: Thank you.

18 Any further clarification the NRC needs?

19 MR. LOHR: Just one clarification and that  
20 is the proposed language doesn't say that the training  
21 must be given by an authorized nuclear pharmacist. It  
22 says it may be given. So it's another option that is  
23 being provided.

24 And I do believe, David, that your  
25 interpretation is the one that the NRC is using as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 well. It's under the supervision of. And I believe  
2 also at this point that individuals who are receiving  
3 this training right now some of the licensees are  
4 taking -- I shouldn't say taking -- but are actually  
5 the trainee. I don't want to use that word. But the  
6 person being trained is actually being done at the  
7 pharmacy. And it's being done under the supervision  
8 of an authorized user from wherever that licensee is  
9 at.

10 What we were attempting to do here is to  
11 make it very clear that an individual may actually get  
12 that training directly from an authorized nuclear  
13 pharmacist rather than under the supervision of. Just  
14 to offer another option. That's what our intent was.

15 MS. SALTER: Mr. Walter.

16 MR. WALTER: I understand that they've got  
17 a contract with the pharmacy to do that. And that  
18 contract should spell it out I think. And I don't  
19 think we need to get involved with this.

20 MS. SALTER: Any other comments on this  
21 issue or again any of the issues under consideration?

22 (No verbal response.)

23 Anything from the webinar? No, the  
24 webinar is quiet this afternoon.

25 (No response.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'll go up to the NRC staff, Dr. Zelac and  
2 Mr. Lohr, and ask if there are any particular  
3 questions you would like to throw out to the audience.  
4 Not throw out.

5 MR. LOHR: I have no further issues to  
6 bring forth.

7 MS. SALTER: All right. Well, I'm going  
8 to give the audience one last chance to bring up any  
9 issues or the webinar. Type fast.

10 (No verbal response.)

11 Going once. Going twice. Nope. All  
12 right. Well, we're a little bit early about a half an  
13 hour. But I want to thank Mr. Lohr and Dr. Zelac for  
14 spending the afternoon in the hot seat by leading  
15 these discussions. I'm sure they appreciate and got  
16 lots of information that will be helpful to them as  
17 they go back to NRC and continue to work on these  
18 items.

19 I want to thank everyone here for  
20 participating. And a special thank you to those on  
21 the webinar. I know it can be a little difficult  
22 participating in a two-day meeting. But we appreciate  
23 you hanging in there and all the comments you made.  
24 All the NRC staff, everyone here.

25 I want to remind you that you do have an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 evaluation form in your packet. So if you can fill  
2 that out and drop that off at the registration desk.

3 And with that I am going to turn it over  
4 to Mike to summarize some of the things that NRC heard  
5 today and give us some closing remarks. And you can  
6 go up to the podium or you can stand here, whatever  
7 you're more comfortable with.

8 MR. FULLER: Thank you, Susan. I'd also  
9 like to thank everyone here and all our panelists for  
10 taking the time from their busy schedules to attend  
11 and participate in our workshop. And I think I can  
12 speak for everyone when I say the workshop is a really  
13 good I think term for the last two days because I  
14 think we did a lot of work. I really do.

15 I know from my perspective and the folks  
16 that are working on this expanded Part 35 rule and  
17 those that will be working developing the regulatory  
18 basis for our medical event definition rule gained a  
19 lot of information and a lot of insight over the last  
20 two days. So I know for us it was a workshop and I do  
21 appreciate everyone's participation. I really  
22 appreciate the benefit of your experience and your  
23 insight. And again it was just very, very valuable to  
24 us.

25 I'll go over a few things that we heard

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 today, but I'm not going to attempt to try to get into  
2 a great deal of detail because it was just a lot of  
3 information that was exchanged. And I'm going to tell  
4 you just sort of generally what I think I heard, but  
5 also as I said this morning I am available by email.  
6 And I really would like to hear from anyone who thinks  
7 that they would like to provide me with more details  
8 and suggestions as we move forward in this process.

9           Again, we're very, very early in the  
10 rulemaking process. There's a lot of opportunities  
11 here for people to provide us with your insight.

12           But anyway talking about attestation, I  
13 think we had a good discussion this morning on the  
14 relaxation of some of the attestation requirements,  
15 especially for the elimination for the attestation for  
16 board certified individuals. One of the things that I  
17 got clarification or we got clarification on is that  
18 the elimination of those attestation requirements for  
19 those board certified individuals does not make the  
20 Ritenour Petition issue go away. So we need to make  
21 sure that we keep in mind that these are for the most  
22 part two separate issues that we need to deal with.  
23 That was a message that I heard today.

24           Moving onto the RSO and assistant or  
25 associate RSO discussion, again we had a good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 discussion on this issue. One key point that I heard  
2 that I think we need to take away is that even though  
3 we didn't come to a resolution on what we should call  
4 these additional individuals we need to make sure that  
5 we're mindful of the fact that the name or the term  
6 does matter. Because whatever term we pick will have  
7 some connotation that perhaps right now we can't  
8 predict. But certainly we need to exercise care.

9 With regards to the moly breakthrough  
10 topic that we discussed, one key message that I heard  
11 today was that again we need to exercise care as we  
12 move forward in rulemaking. And something that I  
13 thought was very compelling and something we need to  
14 really think about is this whole concept that rather  
15 than simply change a rule for molybdenum-technetium  
16 generators we really ought to think more holistically,  
17 more generically and try to come up with a rule change  
18 that could perhaps anticipate future radionuclide  
19 generators or radiopharmaceutical generators and try  
20 to make this more generic so we don't find ourselves  
21 again in rulemaking space.

22 So again very good point. It's something  
23 we will have to consider. And maybe something like  
24 have some generic requirement that says that our  
25 licensees are required to follow the manufacturers'

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 recommendations or something along those lines.  
2 Something very performance-based.

3 And again we heard loud and clear just  
4 like we did in New York there seems to be a pretty  
5 strong consensus that we should not pass new  
6 notification requirements for our licensees to report  
7 to NRC of failures. But again there are more things  
8 to consider along these lines.

9 When we got to the more generic topics,  
10 rather than going in to trying to capture a lot of  
11 things that I heard because there were a lot of things  
12 going around I'll just say this. We appreciate your  
13 feedback and your comments. And I'd like to remind  
14 everyone that if you go to [www.regulations.gov](http://www.regulations.gov) you  
15 have until September 15th for those things that have  
16 already been published to provide us with written  
17 comments.

18 And as Ed said earlier we're all  
19 scribbling taking notes. We have transcripts. I mean  
20 we have everything we need to make sure that we  
21 capture what we heard the last two days. But if you  
22 would be so kind as to sit down and thoughtfully think  
23 about what comment you would like to make to us and  
24 send it in through that system that's another good  
25 way, not the only way, but another good way for us to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 capture your recommendation and your comments. And  
2 then we'll have them as part of the record to deal  
3 with.

4 And as we go through the process and as  
5 the working group develops new preliminary draft rule  
6 text my assumption is -- and, Ed, you can correct me  
7 if I'm wrong -- that we will put more preliminary  
8 draft rule language out on regulations.gov. Is that a  
9 fair assessment? A fair assumption?

10 MR. LOHR: I believe that is the intent.

11 MR. FULLER: Okay. When we do, we will  
12 make every effort to notify folks especially those  
13 that are on our medical list server. Gretchen manages  
14 that list server for us. And so if you're on that, if  
15 you're listed on the medical list server, we'll try to  
16 get timely. We'll do our very best to get timely  
17 notifications out through that process. It's very  
18 informal but sometimes very effective process for  
19 notifying folks if there are things that we would like  
20 to have you take a look at or be aware of.

21 And we've talked about it only briefly  
22 yesterday morning, but that's really the purpose for  
23 that yellow card. So if you're not on our medical  
24 list server, then please fill out one of those yellow  
25 cards before you leave today and leave it with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 folks back there at the table. And we will get you on  
2 the medical list server.

3 So that's about what I had. Again I want  
4 to thank everyone. I also want to take this time  
5 especially to thank our facilitator, Susan Salter. I  
6 think she did a wonderful job the last two days.

7 (Applause.)

8 I don't think people fully appreciate just  
9 how difficult it can be for someone who has really  
10 very little technical background in this area to be  
11 able to keep the conversations streams going and so  
12 forth. And I just think Susan did a remarkable job.  
13 And I appreciate all your efforts.

14 I'd also like to recognize Gretchen  
15 Rivera-Capella. She has not only been manning our  
16 webinar for the last two days, but for the last four  
17 or five months she has been working extremely hard  
18 working with our contractors and working with me and  
19 working with others in putting together this entire  
20 workshop. So I'd like to recognize Gretchen as well.

21 (Applause.)

22 And again without any further ado I'd like  
23 to thank you all and thank you all for coming. And I  
24 would wish you all very safe travels back home. Off  
25 the record.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(Whereupon, at 3:33 p.m., the above-entitled matter was concluded.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)