

Official Transcript of Proceedings  
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards  
587th Meeting

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Friday, October 7, 2011

Work Order No.: NRC-1183

Pages 1-78

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

## DISCLAIMER

### UNITED STATES NUCLEAR REGULATORY COMMISSION'S ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

587th MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

FRIDAY

OCTOBER 7, 2011

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the  
Nuclear Regulatory Commission, Two White Flint  
North, Room T2B3, 11545 Rockville Pike, at  
8:30 a.m., Said Abdel-Khalik, Chairman, presiding.

COMMITTEE MEMBERS:

- SAID ABDEL-KHALIK, Chairman
- J. SAM ARMIJO, Vice Chairman
- JOHN W. STETKAR, Member-at-Large
- SANJOY BANERJEE, Member
- DENNIS C. BLEY, Member
- CHARLES H. BROWN, JR. Member
- MICHAEL L. CORRADINI, Member
- DANA A. POWERS, Member

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

COMMITTEE MEMBERS: (cont'd)

HAROLD B. RAY, Member

JOY REMPE, Member

MICHAEL T. RYAN, Member

WILLIAM J. SHACK, Member

JOHN D. SIEBER, Member

GORDON R. SKILLMAN, Member

DESIGNATED FEDERAL OFFICIAL:

ANTONIO DIAZ

TABLE OF CONTENTS

	<u>PAGE</u>
1	
2	
3	Opening Remarks by the ACRS Chairman 4
4	NRC Staff Recommendations on the Near-Term 5
5	Task Force Report Regarding the Events at
6	the Fukushima Daiichi Site in Japan
7	
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

P-R-O-C-E-E-D-I-N-G-S

(8:28 a.m.)

CHAIRMAN ABDEL-KHALIK: The meeting will now come to order.

This is the second day of the 587th meeting of the Advisory Committee on Reactor Safeguards. During today's meeting the Committee will consider the following: NRC staff recommendations on the Near-Term Task Force report regarding the events at the Fukushima Daiichi site in Japan; (2) preparation of ACRS reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Antonio Diaz is the Designated Federal Official for the initial portion of the meeting.

We have received no written comments or requests for time to make oral statements from members of the public regarding today's sessions.

There will be a phone bridge line. To preclude interruption of the meeting, the phone will be placed in a listen-in mode during the presentations and Committee discussions.

A transcript of portions of the meeting is being kept, and it is requested that the speakers use

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one of the microphones, identify themselves, and speak  
2 with sufficient clarity and volume so that they can be  
3 readily heard.

4 We will now proceed to the first item on  
5 today's agenda, Near-Term Task Force report regarding  
6 the events at the Fukushima Daiichi site in Japan.  
7 And I would like to call on Mr. Virgilio to begin the  
8 presentation.

9 MR. VIRGILIO: Thank you, Mr. Chairman.  
10 Good morning to you, and good morning to the members  
11 of the ACRS.

12 With me today I have Eric Leeds, our  
13 Office Director for NRR, and Jim Wiggins, our Office  
14 Director for NSIR. Eric will be doing the bulk of the  
15 presentation, and Jim and I will be supporting him and  
16 providing answers.

17 I just have a few things I wanted to say.  
18 First of all, this is not the first time, nor it will  
19 be the last time, that I think we will be here meeting  
20 with the ACRS to talk about the lessons learned from  
21 Fukushima. This is very significant, and I do see a  
22 role for the ACRS in this, as you do, too, and we look  
23 forward to the interactions.

24 The second point is is in developing our  
25 proposed recommendations and our assessment of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Near-Term Task Force, we were principally guided by  
2 safety, as always, so you can see into the  
3 prioritization and some of the work we have done. We  
4 have been focused on safety, and we have reviewed the  
5 recommendations and provided a sense of prioritization  
6 in terms of tiers. And we will talk about that today,  
7 the first, second, and third tier.

8 We also were guided by the practicality  
9 around the implementation of the recommendations, and  
10 what I mean by that is is we are constrained by skill  
11 sets in the staff. And so as we looked at what we  
12 could move out on quickly, one of the things that  
13 factored into that is is what skill sets do we have  
14 available, and how challenging is it going to be to  
15 manage our workload?

16 In moving forward with that recommendation  
17 or that prioritization, we recognize that it's very  
18 important to move forward promptly, but it is also  
19 important that we do not have our activities divert  
20 either the staff's attention or the licensee's  
21 attention from the safety of the operating fleet.  
22 That has got to be first and foremost in how we  
23 attract -- attack these issues. And also, it is going  
24 to be critically important that we do it right the  
25 first time.

1           Our process for implementing these  
2 recommendations is going to be, of course, in  
3 accordance with the Commission's direction, but it  
4 will be very challenging with respect to ensuring that  
5 we maintain that focus. In the paper, we provide a  
6 few examples of what we consider higher priority,  
7 safety significant work, that we will not -- we will  
8 not in fact fail to perform as a result of moving  
9 forward with these recommendations.

10           And the other thing that we want to do is  
11 we want to leverage the lessons learned from the past.  
12 We have done rulemaking for as many years as we have  
13 been an agency, and over the years we have recognized  
14 the importance of having a strong technical basis to  
15 support the rulemaking activities. We have recognized  
16 the importance of having good stakeholder interaction  
17 and getting that feedback from the stakeholder.

18           We have recognized the importance of  
19 having all of the guidance documents available at the  
20 time that we move forward with the rule, and we don't  
21 want to lose those lessons learned. We need to  
22 respect those. Even as we accelerate the processes  
23 that we will be using, we need to make sure that we do  
24 have that stakeholder involvement, including the ACRS,  
25 and we do have all the guidance documents in place.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The final point that I would make in  
2 opening is is that as we move forward, we will get  
3 more information, as we actually have the sequence of  
4 events and timeline. We will get more information as  
5 we interact with the stakeholders. But one of the  
6 things that I think we all have to be mindful of is is  
7 we need to exercise discipline around the addition of  
8 items that we believe need to be done in response to  
9 Fukushima.

10           In our latest paper, the one that we  
11 issued on Monday, we identified a half a dozen issues  
12 that the Near-Term Task Force had not identified --  
13 for example, loss of ultimate heat sink. I mean,  
14 these are important issues. We believe they need to  
15 be evaluated, but we also recognize there is a direct  
16 line of sight between those six issues that we have in  
17 the paper and what happened at Fukushima, as best we  
18 know it today.

19           And we exercised discipline. That list of  
20 six started out as a list of dozens, and we worked it  
21 down to make sure that we were focused on the right  
22 issues.

23           That's not to say that we are not always  
24 looking for safety issues. We just need to make sure  
25 they're in the right process. And as we work forward

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on the Fukushima issues, we want to make sure that we  
2 are laser sharp in our focus on these are issues that  
3 are related to the event, and we have other processes  
4 for dealing with other issues that are not related to  
5 the event.

6 That's really all I wanted to say in terms  
7 of opening remarks, and now I would like to turn it  
8 over to Eric Leeds, who will begin the presentation.

9 MR. LEEDS: Thank you, Marty. Good  
10 morning, everyone.

11 All right. If we can get started. If we  
12 can go to the next slide, please. Thank you.

13 As Marty mentioned, the Near-Term Task  
14 Force completed its review, and we -- they issued  
15 their report to the Commission on July 12th, and the  
16 Commission briefing was conducted on July 19th on that  
17 report -- this report.

18 As directed by the Commission, the staff  
19 has been engaged in a detailed review of these  
20 recommendations to determine the appropriate next  
21 steps. We have now provided the Commission with two  
22 papers recommending a prioritization of the Near-Term  
23 Task Force recommendations and proposed actions on  
24 those that should be undertaken without delay or that  
25 should be undertaken in the near term.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           The purpose of today's meeting is to  
2 discuss the staff's proposed prioritization of the  
3 Near-Term Task Force recommendations, including a  
4 discussion of resources as presented in our paper  
5 submitted to the Commission on October 3rd, this past  
6 Monday. We refer to that as the 45-day paper.

7           Next slide, please.

8           I will briefly touch on the staff's review  
9 of the Near-Term Task Force recommendations and then  
10 discuss the staff's proposed prioritization of those  
11 recommendations. I will also discuss additional  
12 issues related to the Fukushima Daiichi event beyond  
13 those identified in Near-Term Task Force, as Marty  
14 just mentioned. Finally, I will discuss our current  
15 resource estimate to undertake the recommended staff  
16 actions described in this paper, as well as our  
17 planned next steps.

18          Next slide, please.

19          I would like to take a minute to emphasize  
20 the task force report conclusions. The task force was  
21 very strong in their conclusions. They discuss that  
22 a similar sequence of events to that experienced at  
23 the Fukushima Daiichi plant is unlikely to occur in  
24 the U.S. The task force concluded that there is no  
25 imminent risk from continued operation and licensing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 activities at U.S. nuclear power plants.

2 The staff has independently assessed the  
3 events at Fukushima Daiichi, and we agree with the  
4 Near-Term Task Force conclusions -- that there is no  
5 imminent risk from continued operation and licensing  
6 activities.

7 The task force report also contained a  
8 systematic review of the insights from the Fukushima  
9 accident. Now, the Near-Term Task Force report  
10 provided 12 overarching recommendations, and I'm sure  
11 you are all familiar with them. And they are  
12 structured around defense-in-depth principles --  
13 protection from design basis natural phenomena,  
14 mitigation of emergency situations, and ensuring  
15 preparedness for emergencies.

16 Next slide, please.

17 Now, in the Commission's staff  
18 requirements memorandum, they directed the staff to  
19 propose a charter for the staff review of the Near-  
20 Term Task Force report. That charter has been  
21 provided to the Commission.

22 They asked the staff to provide  
23 recommendations of actions to be taken without delay.  
24 That paper -- we call that the 21-day paper --  
25 completed this action, and that was submitted to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Commission on September 9th. We briefed the  
2 Commission on that paper on September 14th.

3 The Commission also requested a paper  
4 prioritizing the Near-Term Task Force recommendations.  
5 That was the 45-day paper, this past Monday's paper,  
6 October 3rd. And that is the focus of today's  
7 meeting.

8 And the last item -- the Commission asked  
9 the staff to provide a separate assessment of the  
10 Near-Term Task Force Recommendation 1 within 18  
11 months. This assessment will propose a regulatory  
12 framework that will appropriately balance defense-in-  
13 depth and risk considerations.

14 Next slide, please.

15 By way of background, the staff's  
16 September 9th paper identified and made  
17 recommendations regarding the task force  
18 recommendations that can -- and in the staff's  
19 judgment should -- be implemented, in part or in  
20 whole, without delay. This paper laid the groundwork  
21 for the development of our October 3rd paper, the  
22 45-day paper.

23 Next slide.

24 CHAIRMAN ABDEL-KHALIK: Before we proceed,  
25 let me ask you the same question I asked the task

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 force. There is much yet to be learned from  
2 Fukushima. Do you believe that any of the immediate  
3 actions to be implemented without delay can be negated  
4 or rendered inappropriate by any additional  
5 information that may come out of Fukushima?

6 MR. LEEDS: I think it's very important  
7 that we keep our ears tuned and our eyes peeled for  
8 what is going on at Fukushima and to continue to  
9 learn. If you recall, the Near-Term Task Force report  
10 was written at a time when we had our -- the best  
11 information that we had indicated that they had  
12 compromised the spent fuel pool. Since that time,  
13 we've learned that that was not the case, that the  
14 spent fuel pools at Fukushima remained intact.

15 CHAIRMAN ABDEL-KHALIK: I'm asking you  
16 about the --

17 MR. LEEDS: I'm getting to --

18 CHAIRMAN ABDEL-KHALIK: -- in your  
19 September 9 --

20 MR. LEEDS: -- I'll answer your question.

21 CHAIRMAN ABDEL-KHALIK: -- and in your  
22 October 3rd --

23 MR. LEEDS: I believe that it's very  
24 important that we continue to observe what is going on  
25 at Fukushima, and we be flexible enough to adjust to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what we learn.

2 CHAIRMAN ABDEL-KHALIK: Okay.

3 MR. LEEDS: We mentioned the additional  
4 recommendations, above and beyond the Near-Term Task  
5 Force recommendations. Marty mentioned that there  
6 were a number of them that we have considered and we  
7 continue to consider. We still have a group of folks  
8 over in Japan. We are watching this. We will  
9 continue to evaluate for lessons learned from  
10 Fukushima.

11 CHAIRMAN ABDEL-KHALIK: Okay.

12 MR. LEEDS: Was that more direct?

13 CHAIRMAN ABDEL-KHALIK: That's fine.

14 MR. LEEDS: Okay.

15 CHAIRMAN ABDEL-KHALIK: Thank you.

16 MR. LEEDS: Next slide, please.

17 All right. In developing its October 3rd  
18 paper, the staff continued its review of the Near-Term  
19 Task Force recommendations within the context of the  
20 NRC's existing regulatory framework, and considered  
21 the various regulatory vehicles available to the  
22 agency to implement these recommendations.

23 The staff initially prioritized the  
24 recommendations based on its judgment of the potential  
25 and relative safety enhancement, which could be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 realized by each recommendation. The staff then  
2 refined its prioritization based on a consideration of  
3 additional factors, as Marty mentioned, such as the  
4 availability of critical skill sets, dependence on  
5 actions associated with each of the recommendations,  
6 and the need for additional technical assessment and  
7 alignment.

8 The staff then performed an assessment of  
9 each Near-Term Task Force recommendation to determine  
10 the required regulatory activities, an estimated  
11 schedule, and associated resource impacts. An  
12 important element of this assessment was the objective  
13 of not unnecessarily diverting the NRC's or the  
14 nuclear industry's focus from other important ongoing  
15 safety-significant activities in the course of  
16 addressing the Near-Term Task Force recommendations.

17 Before March 11th, this agency and all of  
18 its staff members were very busy making sure that we  
19 kept this industry safe. That hasn't changed.  
20 Fukushima is just another additional activity on top  
21 of all the work -- the good work that the staff was  
22 doing before March 11th.

23 We believe that the staff's proposed  
24 prioritization represents a measured approach that  
25 allows the NRC to move forward on these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recommendations with the greatest potential for near-  
2 term safety improvements without unduly impacting  
3 existing regulatory programs and safety activities.

4 MEMBER POWERS: I am perplexed. Staff was  
5 full-time busy before. Now you're going to ask them  
6 to do some additional stuff. Something has to  
7 disappear. I mean, there's just no two ways about it.  
8 Something has to disappear. What disappears?  
9 Something disappears.

10 MR. VIRGILIO: Some of the lower priority  
11 licensing work that we are doing today will likely  
12 disappear, but it's not going to be confined just to  
13 NRR. We are looking across the entire enterprise --

14 MEMBER POWERS: Everybody --

15 MR. VIRGILIO: -- to find resources to --

16 MEMBER POWERS: You didn't have an idle  
17 person in the agency.

18 MR. VIRGILIO: You're right. You're  
19 right. And so we're going to have to make some very  
20 hard choices about the kind of work that we are not  
21 going to be able to do, or the types of work that we  
22 are not going to be able to do, in order to move  
23 forward with these recommendations.

24 MEMBER POWERS: How do you decide? I  
25 mean, what's a low priority licensing activity to you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is --

2 MR. VIRGILIO: We already that some --

3 MEMBER POWERS: -- the most important  
4 thing in the world for the applicant.

5 MR. VIRGILIO: We already know, Dana, that  
6 there are some licensing actions that we have today  
7 that provide additional operating flexibility. They  
8 are safety neutral. Those are examples of things that  
9 we will probably have to delay in order to support  
10 working on the Fukushima lessons learned.

11 MR. LEEDS: Truthfully, I think that's one  
12 of the biggest challenges we have going forward. And  
13 it's not something that --

14 MEMBER POWERS: It is your major  
15 challenge. You just haven't got any folks.

16 MR. LEEDS: And it's not something that  
17 you just can categorically say, "Well, we're not going  
18 to work on, say, extended power uprates." I can give  
19 you an example of an extended power uprate where the  
20 licensee actually improved the core damage frequency,  
21 you know, for that plant, made that plant safer by  
22 completely redoing the auxiliary feedwater system for  
23 that plant. But that was a safety enhancement that  
24 came along with an extended power uprate.

25 So just to categorically say this type of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 work won't be done, that may not be in the best  
2 interest of safety.

3 MR. VIRGILIO: While we haven't decided  
4 yet, license renewals are another area where if we  
5 know that a license renewal is not needed immediately,  
6 and most of them that are in the backlog today are  
7 not, it is a source of the kinds of skills that we are  
8 going to need to do this Fukushima work.

9 And Eric made that point, and I'll  
10 emphasize it, that it's not just a resource issue.  
11 It's a skill issue. We need to have the right skills.  
12 But there are certain things that we -- we believe are  
13 higher safety priority, like, for example, the  
14 NFPA 805 conversions, that we would like to preserve  
15 in order to ensure that we continue to move forward  
16 from that safety perspective while we do this work at  
17 the same time.

18 MR. LEEDS: Next slide, please.

19 As you can see, what we did was we binned  
20 all the recommendations into three tiers. The first  
21 tier is to start without delay. The second tier is  
22 start in the near term, and I will differentiate those  
23 two. And then, Tier 3 are the longer term actions.

24 CHAIRMAN ABDEL-KHALIK: I note that the  
25 categorization into Tiers 1, 2, and 3 is based on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 start point. Is there an end point associated with  
2 each of these categories?

3 MEMBER POWERS: When you get them done.

4 CHAIRMAN ABDEL-KHALIK: Well, I mean --

5 MR. LEEDS: It varies.

6 CHAIRMAN ABDEL-KHALIK: -- don't make a  
7 plan saying you will get them done when you get them  
8 done. You must have a plan.

9 MR. VIRGILIO: As we move forward from  
10 where we are today, we will develop the Gantt charts.  
11 That will give us the start dates, the key dates for  
12 each of the milestones, and the end points. As you  
13 know, the Chairman has said that he would like to see  
14 us complete these actions within the next five years.  
15 And we will try to, as best we can, to meet that  
16 challenge.

17 CHAIRMAN ABDEL-KHALIK: But that is sort  
18 of forthcoming in terms of detailed plans as to start  
19 and end dates for the various action items. Okay.

20 MR. LEEDS: Next slide, please.

21 The first tier consists of those Near-Term  
22 Task Force recommendations which the staff determined  
23 shouldn't be started without unnecessary delay, and  
24 for which sufficient resource flexibility, including  
25 availability of critical skill sets, currently exists.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 This tier includes all the actions that were  
2 identified in the 21-day paper that I referred to, the  
3 September 9th paper, as well as two additional items.

4 Go to the next slide.

5 CHAIRMAN ABDEL-KHALIK: Before we get into  
6 the details, if one were to apply a completeness test  
7 to your set of immediate recommendations, which are  
8 the ones in the September 9th, plus the two additional  
9 items that you included in your October 3rd, and if we  
10 just do a thought experiment by focusing on the first  
11 two items, the protection measures, 2.1 and 2.3 -- so  
12 here is the thought experiment.

13 If the people at Fukushima Daiichi had  
14 fully implemented the immediate actions you prescribe  
15 under Recommendations 2.1 and 2.3, prior to March 11,  
16 2011, would that have: a) prevented the accident,  
17 b) clearly identified deficiencies in the design basis  
18 that must be corrected, or c) none of the above?

19 (Laughter.)

20 (Simultaneous speakers.)

21 CHAIRMAN ABDEL-KHALIK: Let's just focus.

22 MR. WIGGINS: This is Jim Wiggins. From  
23 the task force forward, it was believed that 2.1 and  
24 2.3 have the largest safety benefit in this context.  
25 It would -- if those be done -- well, first, there was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 little seismic damage to the core parts of the plant  
2 to begin with, but the flooding damage was the thing  
3 that was more catastrophic.

4 There certainly would have been a  
5 substantial less damaged state initially. But when  
6 you start asking questions about how long it took to  
7 recover certain things, you start to wonder about the  
8 durability of that condition.

9 Now, in the Fukushima plant, they lost  
10 diesels, they lost fuel oil, that kind of stuff, so --

11 CHAIRMAN ABDEL-KHALIK: I'm sorry. These  
12 are protection measures, right? And, therefore, the  
13 question is: if they had fully implemented the  
14 immediate actions that you are recommending here,  
15 before the event, would that have prevented the  
16 accident or clearly identified deficiencies that need  
17 to be corrected?

18 MR. WIGGINS: It would have identified  
19 deficiencies that would need to be corrected. That's  
20 for sure. It's hard to say that it would have  
21 prevented the earthquake. That's obvious. It would  
22 have been -- it's whether it would have been able to  
23 sustain it.

24 CHAIRMAN ABDEL-KHALIK: Correct.

25 MR. WIGGINS: Okay? And it's more the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 flood than the earthquake based on what we know about  
2 what happened actually out there. Still though,  
3 still, if everything worked, if everything worked at  
4 the facility, the facility does not have enough  
5 commodities to operate indefinitely.

6 And with the state of destruction in the  
7 area there, there would have been concerns about that  
8 point. You would have eventually exhausted your  
9 diesel fuel oil supply, and then you're on the path to  
10 the same place you ended, even if you didn't have  
11 competent seismic qualifications and flooding  
12 protection. So --

13 CHAIRMAN ABDEL-KHALIK: Let me ask you a  
14 followup question.

15 MR. WIGGINS: -- there's kind of a layer  
16 approach to this thing.

17 CHAIRMAN ABDEL-KHALIK: Let me ask you a  
18 followup question, then, if I may. Would you agree  
19 that a similar set of questions can be used to test  
20 the completeness of the immediate actions for accident  
21 mitigation? Namely, given an accident, would the  
22 measures that you are recommending for immediate  
23 action have adequately mitigated the event or at least  
24 identified deficiencies that need to be corrected in  
25 order to adequately mitigate the event?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WIGGINS: I've got my answer. That's  
2 not how the near-term items were approached.

3 CHAIRMAN ABDEL-KHALIK: But wouldn't  
4 you --

5 MR. WIGGINS: I don't know the answer to  
6 that. We didn't ask ourselves that question. The  
7 question we were asking on the near term or the  
8 without delay were exactly that. What are items that  
9 are so clearly indicated that there is no reason to  
10 hold up and do further review to understand the  
11 efficacy of the solution?

12 There were some, and that's how --  
13 explains why a couple get added between the 21-day  
14 effort and the 45-day effort. We spent more time  
15 understanding what those things were.

16 CHAIRMAN ABDEL-KHALIK: Well, let me go  
17 back to the way I introduced the question. This is a  
18 thought experiment, trying to understand whether or  
19 not the set of immediate actions that you are  
20 recommending is complete.

21 So that is the purpose of the question.  
22 Would you agree that an answer, an affirmative answer,  
23 to either A or B, namely, you know, you can prevent  
24 the accident or identify deficiencies, or in the case  
25 of mitigation you actually mitigate the event, or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 identify deficiencies, is a necessary condition to  
2 assure completeness of the immediate actions that you  
3 are recommending?

4 MR. WIGGINS: How do you define  
5 "immediate"?

6 CHAIRMAN ABDEL-KHALIK: Immediate actions,  
7 presumably, based on the same definition that you use  
8 to enhance safety.

9 MR. VIRGILIO: Said another way, do we  
10 believe that the immediate actions are enough? Then,  
11 I would say no. I mean, first, we don't know  
12 everything there is to know. The detailed sequence of  
13 events and timeline, the first installment of that, is  
14 due to us in mid-November. These are actions that we  
15 believe will, in fact, contribute to safety, given  
16 that event.

17 CHAIRMAN ABDEL-KHALIK: That's why I asked  
18 you the first question, which is, do you believe that  
19 anything that will come out of Fukushima in the future  
20 will negate any of the actions that you are  
21 recommending?

22 MR. VIRGILIO: I don't think it will  
23 negate, but I think it may add to. And you're  
24 starting to see evidence of that in the six that we  
25 added to the Near-Term Task Force. I think that as a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 group we had enough concern about, for example, the  
2 loss of ultimate heat sink that we added that to the  
3 list. I can't say that this is complete, because it  
4 doesn't address the loss of ultimate heat sink as an  
5 example.

6 MR. WIGGINS: I don't mean to be picky.  
7 When I say "immediate," if you're looking at the short  
8 term without delays, I think we will acknowledge --  
9 you know, I think we know that those are not enough.  
10 More needs to be done. We approached that question,  
11 that task, from a different perspective. We weren't  
12 looking for completeness at the near term without  
13 delay set. The completeness looks like the whole set  
14 plus additional ones that you might need to consider.

15 Do I think anything that comes out of  
16 Fukushima will likely negate any of these actions?  
17 Not negate, may render some of them not as necessary  
18 as you might think as of today. And as you get into  
19 the higher recommendations, particularly in 11, there  
20 are some things in 11 that I think as more is known it  
21 may shed some light on whether things are actually  
22 needed or not.

23 There is a piece in 11 about a radiation  
24 monitoring -- real-time radiation monitoring network.  
25 That's a Tier 3 item right now. You know, one of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reasons it is in Tier 3 is we've got to spend more  
2 time thinking about that. Would it hurt? No. Is it  
3 necessary? It's unclear. We'll have to see where the  
4 Fukushima results continue to come out.

5 CHAIRMAN ABDEL-KHALIK: So you believe  
6 that a question regarding the completeness of the  
7 immediate actions is inappropriate or irrelevant?

8 MR. VIRGILIO: I would just say we would  
9 recognize today that it's not complete. It is not the  
10 complete set, but it is those actions that in fact do  
11 contribute to safety, and actions that we can step out  
12 on today.

13 MR. WIGGINS: There is a potential -- this  
14 is Wiggins again from NSIR. There is a potential for  
15 more coming out of Fukushima to indicate there is  
16 additional things that need to be done to satisfy a  
17 definition of "complete." The task force, though, I  
18 think we would -- our group would conclude that the  
19 task force is -- likely most of the important stuff is  
20 in there, maybe all of the important stuff.

21 CHAIRMAN ABDEL-KHALIK: Wouldn't you  
22 believe that sort of at least a minimum goal for  
23 immediate actions is to identify deficiencies that  
24 need to be corrected? And, therefore, wouldn't you  
25 believe that this sort of thought experiment would be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 appropriate to be applied to these immediate actions?

2 MR. WIGGINS: I have no idea. I'm  
3 totally --

4 CHAIRMAN ABDEL-KHALIK: I don't want to  
5 carry this too far. I know you have a lot to present.

6 MR. LEEDS: I'm struggling with the  
7 question that you are actually asking.

8 CHAIRMAN ABDEL-KHALIK: Because it is  
9 conceptual. I'm just trying to get to the --

10 MEMBER POWERS: It's a mystery to me, I  
11 will have to admit.

12 CHAIRMAN ABDEL-KHALIK: Well, I'm --

13 VICE CHAIRMAN ARMIJO: Understanding the  
14 Chairman's question in a different way, in looking at  
15 your set of recommendations, broad set, I ask, would  
16 this have prevented, effectively carried out, all of  
17 those recommendations? Had they been done at  
18 Fukushima, would it have prevented a catastrophe? And  
19 I believe it would.

20 I have very little doubt that if -- if  
21 people had understood that the tsunami risk was much,  
22 much greater, they would have taken actions, built a  
23 higher seawall, do something else. They didn't. And  
24 that -- the same thing with station blackout. And so  
25 taken as a group, I can see where all of these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 recommendations as a whole would have taken -- turned  
2 -- a natural disaster wouldn't have turned out into a  
3 massive failure of a nuclear plant.

4           So I think there's things -- and we'll get  
5 into it later -- that may not be necessary, wouldn't  
6 have contributed at all to the safety at Fukushima,  
7 but I think the task force list and this list, while  
8 maybe not complete in every respect, would have made  
9 a huge difference. And that's about as best you can  
10 do right now.

11           MR. WIGGINS: I would even offer my view  
12 -- it's complete, given what we know that happened at  
13 the facility. And it is complete given what is also  
14 going on internationally, but you have to include  
15 those additional six items that were beyond the task  
16 force to get there. Particularly, the ultimate heat  
17 sink piece would do that.

18           I believe it's a complete set based on  
19 what current knowledge is. Okay? And I think, as I  
20 said, as we get more knowledge, you can't rule out  
21 that something else might come to the table. There is  
22 probably at least as much chance, if not more, than  
23 some things that are currently on the plate would get  
24 a loss of focus or get defocused or become less  
25 important, and potentially could be shifted out into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a longer time period as we learn more.

2 But, you know, it's hard to -- this event,  
3 from the beginning, has been a challenge in terms of  
4 what you knew and when you knew it.

5 MR. LEEDS: Can I just share a thought,  
6 following up on what Jim just said? Hindsight is  
7 always 20/20. You know, so we've got a list of  
8 actions that are coming out of Fukushima. We need to  
9 be prepared to fight the next war, and we don't know  
10 what that next war is going to be. So that's why, you  
11 know, redundancy and diversity and all of those  
12 principles are so near and dear to us.

13 CHAIRMAN ABDEL-KHALIK: I'm just trying to  
14 conceptually find a sort of collective objective to  
15 what you are recommending, what the outcome of these  
16 immediate actions should be.

17 MR. VIRGILIO: And I think what we're  
18 saying, Mr. Chairman, is it's not just the  
19 immediate actions. At the end of the day, when we  
20 complete Tier 1, Tier 2, Tier 3, and resolve the  
21 issues around the additional items, it will be a  
22 complete set. But I don't think we're asserting that  
23 Tier 1 alone is a complete set.

24 MR. WIGGINS: And it would get prevention,  
25 mitigation, and it would get the organizational

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 handling of the issue, which includes communications,  
2 both onsite -- onsite to offsite in the emergency  
3 planning and other arenas. Those are the -- there are  
4 some organizational elements that became uncovered in  
5 this that we learned that we could do things here to  
6 shore up our conditions here in our plants. So --

7 MEMBER BANERJEE: Can you amplify a little  
8 bit on that remark about ultimate heat sink?

9 MR. WIGGINS: Yes, we have looked at -- we  
10 have been trying to follow -- we have been following  
11 what has been going on internationally in this. And  
12 the, for instance, European stress tests are -- have  
13 included the ultimate heat sink in terms of their list  
14 of questions. So we want to actually ask ourselves  
15 whether there needs to be something there in the  
16 ultimate heat sink. That's why it's on the list of  
17 the six as considerations. We haven't really been  
18 more specific than the fact that we want to think  
19 about it.

20 MR. VIRGILIO: For example, if you look at  
21 the specific event was the air-cooled diesel  
22 generators that protected the spent fuel pools on  
23 Unit 5 and 6, that was a tremendous safety benefit to  
24 having those air-cooled diesel generators. It reduced  
25 the source term that we were worried about from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 possibly six down to four spent fuel pools.

2 MR. WIGGINS: As you know, some of our  
3 plants have -- some of the plants in the U.S. have  
4 air-cooled. They have radiators that can -- that cool  
5 a self-contained water cooling system. But those are  
6 not the dominant types that are out there. The  
7 dominant types that are out there rely on some type of  
8 safety-related service water as an eventual heat sink  
9 for the diesel engines.

10 So if -- you know, this type of an event,  
11 like certainly what happened in Japan, took -- removed  
12 the ultimate heat sink. So, you know, it's something  
13 we want to think about. And whether you have -- is  
14 there something in addition that ought to be done? Or  
15 is there some piece that informs what the actual  
16 equipment looks like that we are talking about here?  
17 Parts of this stuff -- the items that are in the Near-  
18 Term Task Force are looking at I guess you could say  
19 non-installed equipment.

20 Now, maybe this informs what that  
21 equipment has to be able to do. If you need a  
22 generator-type thing, it wouldn't have to operate with  
23 its own cooling system, let's say for instance. That  
24 may be one way this comes out.

25 But we listed the issue because it is an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issue we think is something that we need to think  
2 about, but we haven't really spent enough time  
3 thinking about it to understand what needs to be done.

4 CHAIRMAN ABDEL-KHALIK: Eric, I think you  
5 have a lot to present, so I recommend you proceed.

6 MR. LEEDS: Thank you, Mr. Chairman.

7 As you can see, our Tier 1 -- the Tier 1  
8 recommendations that we believe we should move out  
9 promptly on -- seismic and flood hazard reevaluations,  
10 the seismic and flood walkdown, station blackout, and  
11 the 50.54(hh)(2) equipment, or B(5)(b) equipment.

12 Next slide, please.

13 In addition to those, we have included the  
14 reliable hardened vent for both Mark I and Mark II  
15 containments, spent fuel pool instrumentation,  
16 strengthening of onsite emergency response  
17 capabilities, and that refers to staffing and  
18 communication, and a more general emergency  
19 preparedness.

20 These recommendations on this slide are  
21 consistent with those that we presented in our  
22 September 9th paper, the 21-day paper, with the  
23 addition of the Mark II containments, reliable  
24 hardened vents for the Mark II containments, as well  
25 as the spent fuel pool instrumentation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Can we go to the next slide?

2 In the 21-day paper, we hadn't included  
3 the Mark II and the spent fuel pool instrumentation  
4 recommendations. Our continued review question those  
5 two items. Based on what we learned in our  
6 questioning of the staff, we decided to move Mark II  
7 containment and the spent fuel instrumentation into  
8 those items that we can move out promptly on, and that  
9 we should --

10 VICE CHAIRMAN ARMIJO: I would like to ask  
11 you a question on that. You know, going back to what  
12 I had said earlier about your list of items, your  
13 Tier 1 items making -- would have made a huge  
14 difference in what happened at Fukushima. I don't see  
15 how that would meet -- spent fuel instrumentation  
16 improvement would have made any difference at all in  
17 that event, since the pools were not affected, they  
18 didn't release radiation, didn't contribute to dose to  
19 the public or land contamination.

20 So it seems like it's inconsistent with  
21 your criteria that you mentioned earlier. And other  
22 issues which may come up later about hydrogen  
23 mitigation are way back in Tier 3. And from a  
24 priority standpoint, I don't see where this -- how you  
25 can justify this as being near-term action requiring

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 orders and implementation when it made no -- would  
2 have made no difference at all at Fukushima, compared  
3 to all of the other things, which are really  
4 important. So that's my question.

5 MR. WIGGINS: You are correct that it  
6 would not have made a difference in terms of the  
7 analysis of the event. But in a real setting, it  
8 caused a diversion of attention to the people who were  
9 trying to cope with the reactor parts of it. They had  
10 -- because they didn't know what was going out in the  
11 spent fuel pool, they devoted resources, time,  
12 allocated attention, to try to deal with what might be  
13 happening in the spent fuel pools.

14 You may have seen as they were pumping in  
15 water in the buildings that -- beyond what they needed  
16 to basically stop the -- any residual effect of the  
17 explosions that occurred, and went for days and days  
18 and days, that we thought we were -- the Japanese were  
19 -- we were even suggesting that they continue doing  
20 this -- pumping water in the reactor buildings in the  
21 belief that the spent fuel pools were in fact not  
22 full. If we knew that they were full, or if you had  
23 indication that they were full, you would have spent  
24 possibly more time figuring out the alternate or  
25 additional ways to get water into the reactor system.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So I would offer that. It's more of  
2           eliminating a distraction than it is fixing an actual  
3           first order problem.

4           MR. LEEDS: It's interesting that you  
5           raise that. I was very skeptical about this one. In  
6           fact, on the ad hoc committee that looked at this, I  
7           was very resistive to including spent fuel pool for  
8           just the reasons that you stated.

9           And then, after listening to my peers talk  
10          about it and going back and looking back at the tape  
11          and watching the government fly helicopters over those  
12          buildings and start dropping water on the spent fuel  
13          pool, I thought, you know, look at all the attention  
14          and resources that were diverted for a non-problem  
15          that could have been avoided if we had simply had --  
16          and that's what got me to change my mind on the issue,  
17          because I was in the same place as you are.

18          VICE CHAIRMAN ARMIJO: Well, okay. I hear  
19          you, but I think the distraction was probably more  
20          outside of Japan than inside of Japan, as they worked  
21          -- I think properly worked on cooling the core and, in  
22          parallel, did the best they could to dump water on  
23          open pools, which is a reasonable thing to do.

24          But the instrumentation might have told  
25          them, "Oh, don't fly the helicopter over." I doubt

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it. They probably still would have flown the  
2 helicopter over, just to make sure.

3 So the thing is, you have limited  
4 resources, a lot of important work that has got to get  
5 done. I just don't see how this fits as a near-term,  
6 high priority activity requiring orders, distraction  
7 of the industry to work on things that really make no  
8 real difference. It's nice to do. I'm not  
9 disagreeing with that. But it seems out of -- doesn't  
10 meet your overall criteria when you look at all of the  
11 things you describe.

12 MEMBER CORRADINI: Can I just ask -- can  
13 I just follow on Sam's question? I'm sorry. I didn't  
14 mean to interrupt you. I guess I want to understand  
15 -- I read the 45-day, and then going back to the Near-  
16 Term Task Force, I can see why more information avoids  
17 uncertainty and incorrect decisionmaking. That I  
18 understand, and so I guess that was the point that you  
19 were making.

20 But what I'm struggling with is, now we do  
21 this, and you put this on the Tier 1 list. What are  
22 the design basis requirements? In other words, if  
23 this was on the Tier 1 list to go to the licensees and  
24 say, "This could have affected an incorrect decision  
25 or a worry; give us information as to what you need,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 so you would avoid that," that's one thing.

2 But to then go to the next step and say,  
3 "Consider issuing orders about implementation," but  
4 I'm not sure what to implement, because I don't know  
5 the design basis of what to implement on.

6 MR. VIRGILIO: That all has to be resolved  
7 before we issue the orders. And if you go back to the  
8 tables in the paper, what we show is that stakeholder  
9 interaction precedes the issuance of the regulatory  
10 vehicle. You know, because we do -- really need to  
11 decide -- in the Near-Term Task Force report, I  
12 believe they called out safety-related.

13 And we all have some question about, well,  
14 what is the standard? What is the appropriate  
15 standard for this instrumentation? Does it need to be  
16 safety-related? Does it need to be commercial grade,  
17 et cetera, et cetera? So, I mean, that is one of the  
18 things that we need to sort out as part of the  
19 stakeholder interaction.

20 We need to be clear about what are the  
21 requirements, what does success look like, before we  
22 issue that order.

23 MEMBER CORRADINI: Okay, because just --  
24 I'm kind of where Sam is on this. But I guess I'm  
25 willing to parse it from the standpoint, if you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 saying you should immediately initiate interaction  
2 with stakeholders to understand, fine. But issuing  
3 orders on something I'm not sure what I'm designing to  
4 gets me a bit nervous. That's kind of where I'm --

5 MR. VIRGILIO: Yes. And the steps that  
6 are laid out in the tables to the enclosure show you  
7 -- I hope show you that the stakeholder interaction  
8 and the decisions on what success look like --

9 MEMBER CORRADINI: Okay.

10 MR. VIRGILIO: -- precedes the imposition  
11 of any regulatory requirement.

12 MEMBER CORRADINI: That helps me. And  
13 then, to the Chairman's question, I was expecting you  
14 were going to answer him that Tier 1 was information  
15 gathering and assurance that I meet the current design  
16 base, so that I don't see a vulnerability or a gap,  
17 because that's the way -- when I read to Near-Term  
18 Task Force, and I looked at Tier 1, that's how I  
19 interpreted what appeared in Tier 1, is that there is  
20 no immediate concern.

21 But we want to look at the design base  
22 relative to seismic, flooding, et cetera, to see if I  
23 have a gap and fix it.

24 MR. VIRGILIO: The 2.3 walkdowns, Mike.  
25 That's exactly what 2.3 will --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER CORRADINI: The reason I ask it  
2 here is, even in spent fuel, it may not be a gap, but  
3 I want to know information from stakeholders to see if  
4 they saw something that concerned them, and they might  
5 actually be, excuse me, ahead of staff in wanting to  
6 do something in spent fuel. So the interaction.

7                   MR. LEEDS: Actually, to your point, the  
8 industry indicated that spent fuel pool  
9 instrumentation was something they wanted to step out  
10 of. And so that also helped influence my decision as  
11 to where to go with that.

12                   VICE CHAIRMAN ARMIJO: It's just whether  
13 it --

14                   MR. LEEDS: But what is that  
15 instrumentation? They were talking about a camera so  
16 the crew could see. Well, we don't know if a camera  
17 -- that's something, as Marty said, that we need to  
18 dialogue with our external stakeholders and --

19                   CHAIRMAN ABDEL-KHALIK: The  
20 recommendations on page 33 clearly, you know, say that  
21 you will engage stakeholders to define what needs to  
22 get done before you start with, you know, issuing  
23 orders.

24                   MR. WIGGINS: It is not only the specific  
25 what needs to be done, but it's what are the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 parameters around it, the success measures. In many  
2 of these discussions, I guess you could say it's also  
3 what pedigree needs to be applied.

4 One of the things that affected our  
5 ability -- one of the reasons why spent fuel pool  
6 instrumentation, 7.1, was not in the short list, the  
7 Tier 1 list, or the without delay list initially, is  
8 that we were debating amongst ourselves the task force  
9 recommendation that says it needs to be safety-related  
10 instrumentation. There are some of us that challenge  
11 whether what you really needed was reliable, not  
12 safety-related. You don't need the full pedigree.

13 So we -- basically, the clock timed out  
14 for the first paper, and we had to make a decision.  
15 So we didn't do it there, but then we had time for the  
16 second paper to talk about it a little bit more, and  
17 then we put it into the first -- the short list with  
18 the understanding that there will be this dialogue  
19 with stakeholders, and it is going to be the -- what  
20 instrumentation is necessary -- are we really talking  
21 about here? And how do you make it reliable? And the  
22 writeup would say "up to safety-related."

23 There is a lot in that "up to," right? It  
24 doesn't necessarily have to be safety-related. It  
25 could be. But we will have to figure out where we --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 but we're not going to issue the orders and start work  
2 until we actually understand what the rules are,  
3 because the orders need to be precise. They need to  
4 be inspectable.

5 CHAIRMAN ABDEL-KHALIK: Please continue.

6 VICE CHAIRMAN ARMIJO: We just got your  
7 document, so we haven't read it completely. And we've  
8 got to understand it.

9 CHAIRMAN ABDEL-KHALIK: Dana, do you have  
10 a question?

11 MEMBER POWERS: Yes. I'm trying to  
12 understand a little bit your evolution on this issue  
13 of the instrumentation. You got persuaded because of  
14 the issue of distraction that -- concerns about the  
15 spent fuel came up with, and assuredly we know that.

16 But suppose that we had level indicators  
17 and thermocouples in the pool that went clear to the  
18 bottom and things like that, but we had a hydrogen  
19 explosion that dumped a bunch of concrete into spent  
20 fuel pool 3. And now the operator has to worry about  
21 whether that instrumentation is any more reliable.  
22 Don't we just get back into the distraction issue?

23 MR. LEEDS: It's an interesting point.  
24 What does "reliable" mean? What are we expected to  
25 survive?

1                   MEMBER POWERS: Well, especially after you  
2 have had a fairly catastrophic explosion that you know  
3 absolutely has dropped fairly substantial chunks of  
4 concrete in on top of the fuel -- the fuel pool. It  
5 seems to me that I never get out of the potential of  
6 a distraction issue, ever.

7                   If I replace the electronic  
8 instrumentation with your camera, and the explosion  
9 damaged the camera, I'm right back where I was before.

10                   Now, I'll ask a question, but I don't know  
11 that you would know the answer -- you're probably the  
12 wrong people to answer -- you know that we dumped the  
13 concrete into the pool, and they have aluminum racks  
14 in those pools. And they are getting a corrosion of  
15 the aluminum, because they are leaching the calcium  
16 hydroxide out of the concrete. Do we have aluminum  
17 racks in any of our plants?

18                   (Simultaneous speakers.)

19                   MEMBER POWERS: Yes. I don't expect you  
20 to actually know the answer to that, but it's one of  
21 Jim's -- we're going to learn things as we go on here,  
22 especially as we dissect the plant. That seems to me  
23 a more crucial issue to me than the instrumentation  
24 is, if the racks are decomposing on me and I'm going  
25 to collapse that fuel down, now I've got to -- another

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 problem emerging six months after the accident. And  
2 I really don't need more problems at that site.

3 VICE CHAIRMAN ARMIJO: Well, if I was  
4 going to worry about instrumentation, why not the  
5 reactor and containment instrumentation? Which really  
6 wasn't all that reliable after some of the events that  
7 happened.

8 So, you know, I'm still trying to get your  
9 prioritization of what to work on first. Not to say  
10 that this isn't good to do, but it's -- just doesn't  
11 seem to fit the criteria you mentioned.

12 MR. LEEDS: If I can go to the next slide?

13 MEMBER BROWN: Before you leave the Tier 1  
14 stuff, I was interested in Jim's comment earlier  
15 relative to, if everything had worked, say the seawall  
16 had been higher, you hadn't been flooded out, you  
17 would have still had a commodity issue, you would have  
18 ended up at the same place, just a little bit longer  
19 path down the road.

20 And that seems to be a recurring theme  
21 that almost all of our corrective actions -- or,  
22 excuse me, mitigating actions are to bring in outside  
23 resources in order to supplement the plant after a --  
24 whatever, two-, three-day, four-day, whatever the  
25 period of time is.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           And then, I look back at the Midwest  
2           flooding we had, and just recently -- Fort Calhoun, I  
3           have no idea how long it was inaccessible. The only  
4           way you could get anything there was by helicopter.  
5           Why isn't that of a more immediate interest? In other  
6           words, that is -- looking at our plants today, do we  
7           have plants that are in a zone where they could become  
8           inaccessible, where there is a significant amount of  
9           land area flooded out and you have no access? And how  
10          long would that be? And that we need at least some  
11          thought process of other means to have access.

12                 That's not a hard -- I didn't see that.  
13          I did a quick paw through. It was just an interesting  
14          comment relative to the commodity issue. I didn't see  
15          anything in the items of -- and that's just a thought  
16          process of there is no technical, there is no nothing,  
17          it's just, how do you get stuff in if your  
18          infrastructure has been destroyed? How long was it  
19          before anything could be driven into Fukushima? I  
20          don't know what that is, how long that was.

21                 MR. WIGGINS: Maybe I would say, at least  
22          in my mind, I was viewing that as a -- that becomes --  
23          let's just -- I would call it a national issue. What  
24          you'll see the industry -- the industry is talking  
25          about essentially stockpiling in common areas that are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 remote from individual sites. They are stockpiling  
2 equipment, too. Still have an issue about  
3 transportation.

4 We haven't gotten too far along with this,  
5 talking to the rest of the federal community, but we  
6 have talked to FEMA or heard from FEMA. They  
7 understand there may be a role from the federal sector  
8 that might be to transport this stuff in.

9 We had an exercise -- while we were gone,  
10 I had a pretty thorough exercise last May, this  
11 national level exercise 11. It actually was a large  
12 footprint earthquake through the center of the United  
13 States, and the issues that popped up there that are  
14 nuclear related was exactly that. It was the  
15 transportation of commodities to the affected site.  
16 There is one reactor that had a problem more than the  
17 others in this scenario.

18 So there's the beginning of a dialogue and  
19 the beginning of a recognition that there is a  
20 national piece to this, too.

21 MEMBER BLEY: Jim, when you say it's a  
22 national problem, does that mean it's not something  
23 the NRC ought to have on their list? I mean, it seems  
24 to me it's something the utilities should have on  
25 their list, their organizations should, and you guys

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 should as well.

2 MR. WIGGINS: We're working it as part of  
3 our normal emergency planning process with other  
4 federal agencies. It starts at FEMA, but there is  
5 also other agencies that we interact with that look at  
6 these type of national broad problems, this type of an  
7 issue. It happens -- just as in Japan, this would be  
8 more than just a reactor problem. The reactor is a  
9 pretty important thing, but it is more than just that.  
10 And that is dealt with in terms of an overall national  
11 response framework.

12 There's the discussion you could have  
13 about how that framework handles this event. Not  
14 well, by the way, because the framework isn't designed  
15 to handle an international event that doesn't have a  
16 domestic impact.

17 MEMBER BLEY: And if we --

18 MR. WIGGINS: But it would be a different  
19 story if it happened in the U.S. There is a  
20 framework. That framework brings in national  
21 government assets beyond licensees, beyond NRC, beyond  
22 FEMA, Department of Defense and others, DOE and other  
23 entities that come together to just solve these types  
24 of problems as they come up. That's part of an  
25 exercise that we typically don't run that's -- it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 out there in the plants.

2 MEMBER BLEY: I'm just staring at you a  
3 little blankly, because I don't know what a framework  
4 is in this sense, and --

5 MR. WIGGINS: It's a document. It's  
6 called a national response framework. It's the  
7 country's plan for reacting to events, one of which  
8 would be a radiological problem. It involves roles of  
9 each of the -- of a whole number of federal  
10 departments and agencies that are coordinated through  
11 the national security staff and the White House. And,  
12 you know, that's what played out in this large  
13 exercise.

14 We couldn't do as much as we wanted to in  
15 the exercise, but we at least were able to participate  
16 in meetings of this group, where you kind of allocated  
17 national resources against prioritized problems. And  
18 in the nuclear plant -- and it was just the very thing  
19 we're talking about. It's just the transportation of  
20 diesel fuel, diesel oil -- diesel fuel. That was the  
21 issue that was being worked during the week of the  
22 exercise, and, you know, they had at least on paper a  
23 solution.

24 MEMBER BLEY: I had been assuming that in  
25 the early actions and mid-actions dealing with station

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 blackout that these kind of things were on the table  
2 to get worked out rather than a framework that works  
3 kind of on the fly.

4 MR. WIGGINS: The station blackout rule  
5 has a presumption of recovery of the grid, the current  
6 rule. A way of reading this task force says maybe we  
7 need to reconceptualize the station blackout rule to  
8 not be so much dependent on the recovery of the grid.  
9 Rather, the rule will -- best as we can tell now, will  
10 segment the response into areas, into three basic  
11 pieces.

12 One is the close-in piece where the  
13 license -- that's the coping piece, where the plant  
14 has to be able to handle it with installed equipment.  
15 The second piece is a time where the plant has to  
16 handle it with installed, plus this other equipment  
17 that is onsite, and then there is a last piece, which  
18 is where you bring other resources to bear for a more  
19 protracted duration.

20 And we haven't gotten anywhere near along  
21 in this to tell exactly what all of those is and  
22 whether it's a 24 and 72, or an eight and 72, or what  
23 the numbers are, that would be in the eventual rule.  
24 But that's what the item is -- to go through  
25 rulemaking, figure out how that is.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           But there's a reconceptualization of  
2 station blackout that is looking at a way to say,  
3 "Well, let's not presume that you are going to get the  
4 grid back in a reasonable amount of time. Let's just  
5 look at a prolonged duration."

6           MEMBER BLEY: I thought that third piece  
7 was a piece you folks would be working with industry,  
8 and now we have this larger entity involved, which I  
9 don't know is on the same timeframe that you guys  
10 would need to be on.

11           MR. WIGGINS: Industry is working, but  
12 I'll tell you -- well, we haven't talked -- Marty may  
13 have. But I don't know if industry is far enough  
14 along the line to understand, once they have the  
15 central depot of equipment, if they have asked the  
16 questions on how they are going to move it. You know,  
17 would they provide for that as part of their plan? Or  
18 would they depend on the U.S. Government to provide  
19 that capability?

20           What I was trying to say is there are  
21 provisions for the U.S. Government to provide that  
22 type of capability. It is done more or less on an on-  
23 demand, ad hoc process. There is a framework for  
24 doing it, but not -- you might not be able to find  
25 detailed procedures.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN ABDEL-KHALIK: Dana, do you have  
2 a question?

3 MEMBER SIEBER: Well, that is a critical  
4 issue with, you know, facilities that can be moved  
5 from plant to plant. And I suspect that you would  
6 have to do some kind of an analysis to determine  
7 whether that is the optimum way to do it, because my  
8 first impression is that it is not.

9 MR. WIGGINS: Well, there is a balance  
10 between what you need onsite and what you can depend  
11 on you are going to get.

12 MEMBER SIEBER: That's right.

13 MR. WIGGINS: But wouldn't you think,  
14 Jack, that would inform that second number? You know,  
15 how long do you have to handle it with indigenous  
16 resources onsite, installed and others, until you can  
17 count on something from offsite coming in?

18 MEMBER SIEBER: Right.

19 MR. WIGGINS: So maybe the 72 that --  
20 Near-Term Task Force turns out not actually to be the  
21 right number. It may have to actually be longer than  
22 that.

23 MEMBER SIEBER: Yes. Well, the  
24 interesting thing is the grid system has changed and  
25 is changing rapidly now.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. WIGGINS: Yes.

2 MEMBER SIEBER: And the four-hour/eight-  
3 hour is wishful thinking, in my opinion. And so the  
4 station blackout rule and the reg guides and all of  
5 that -- and you have identified that in your report,  
6 that you need a new rulemaking, but that has to be  
7 thought out very carefully and in perhaps greater  
8 depth and with more pessimism than it was originally  
9 conceived.

10 MR. WIGGINS: I would agree with you. And  
11 some of us are more pessimistic, but that's the topic  
12 of another discussion that looks like cyber and things  
13 like that that --

14 MEMBER SIEBER: I will join that group in  
15 this area.

16 CHAIRMAN ABDEL-KHALIK: Okay.

17 MEMBER POWERS: If I focus just on  
18 Fukushima, it seems to me this long-term capability  
19 issue is a non-issue. You had seven other plants  
20 there that did not have a flooding, did have a station  
21 blackout. They came through swimmingly. Wrong term.

22 But, I mean, I guess the point I would  
23 like to make is that in thinking about these long  
24 term, do not forget there are seven other plants that  
25 were affected by this earthquake in a fairly dramatic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fashion. And most of them did marvelously, including  
2 two at Fukushima.

3 CHAIRMAN ABDEL-KHALIK: Keep going.

4 MR. LEEDS: All right. If we can go to  
5 the Tier 2 recommendations. The second tier consists  
6 of those Near-Term Task Force recommendations which  
7 could not be initiated without delay due to factors  
8 that include the need for further technical assessment  
9 and alignment, dependence on Tier 1 issues, or  
10 availability of critical skill sets.

11 These actions do not require a long-term  
12 study and can be initiated once sufficient technical  
13 information and applicable resources become available.

14 The staff believes these recommendations  
15 will further enhance safety and intend to initiate  
16 them as soon as the necessary technical information  
17 and/or resources become available. We anticipate this  
18 being in the near term.

19 Go to the next slide.

20 MEMBER STETKAR: Eric?

21 MR. LEEDS: Yes, sir.

22 MEMBER STETKAR: You have mentioned about  
23 three or four times this morning one of the decision  
24 criteria about Tier 1 versus Tier 2 is availability of  
25 critical skill sets. Could you give me an example of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what -- something that is in Tier 2 rather than Tier 1  
2 because of that lack of the appropriate skills  
3 immediately available?

4 MR. LEEDS: Certainly. We only have two  
5 items in Tier 2, and one of the items is the spent  
6 fuel pool makeup capability. The Near-Term Task Force  
7 recommended several different safety-related ways that  
8 you could make up capacity of the spent fuel pool.  
9 And the staff that would do that work and would focus  
10 on that, they are going to be busy doing other things.  
11 They are going to be busy on the Tier 1 items. The  
12 safety --

13 MEMBER STETKAR: Okay. Thanks. I  
14 understand. It's not --

15 MR. VIRGILIO: The other example is the  
16 emergency preparedness. We've got to focus attention  
17 on implementing the rule that the Commission has just,  
18 in fact, approved. And that is going to be -- that  
19 will, in fact, absorb the skill sets that we are going  
20 to need to move forward on that --

21 MEMBER STETKAR: The second answer is more  
22 of what I was looking for, is -- the first one I  
23 understand the limited number of people that --

24 MR. LEEDS: The second one is how it's  
25 tiered?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER STETKAR:  -- something that has to  
2                   be a second priority.  I was worried that we didn't  
3                   have the available skills and we needed to bring them  
4                   into play or something like that.  And the emergency  
5                   response is more of an example there, so thanks.

6                   CHAIRMAN ABDEL-KHALIK:  Why the focus on  
7                   just makeup capability rather than both makeup and  
8                   cooling?

9                   MR. VIRGILIO:  I think there is makeup and  
10                  cooling in there.  I think that's shorthand, because  
11                  if we go to the recommendations themselves, there was  
12                  safety-related.

13                  (Simultaneous speakers.)

14                  MEMBER BLEY:  Yes, even Recommendation 7  
15                  is makeup capability and instrumentation rather than  
16                  cooling.

17                  MR. LEEDS:  It's a good question.  Thank  
18                  you.

19                  All right.  If we can go on to the next.  
20                  We'll go to Tier 3 recommendations.  The third tier  
21                  consists of those Near-Term Task Force recommendations  
22                  that require further staff study to support a  
23                  regulatory action.  Having associated shorter term  
24                  action that needs to be completed to inform the longer  
25                  term action are dependent on availability of critical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 skill sets or dependent on the resolution of the Near-  
2 Term Task Force Recommendation 1.

3 The staff focused its initial efforts on  
4 developing the schedules, milestones, and resources  
5 associated with the Tier 1 and Tier 2 activities, and  
6 has not yet developed similar information for the  
7 Tier 3 recommendations. Once the staff has completed  
8 its evaluation of the resource impacts of the Tier 1  
9 and Tier 2 recommendations, it will be more able to  
10 accurately address the Tier 3 recommendations.

11 Next slide.

12 There is a list of the Tier 3  
13 recommendations, on this slide and on the next slide.  
14 As you can see, the 10-year confirmation of seismic  
15 and flooding hazards -- taking a look at seismically  
16 induced fires and floods, reliable, hardened vents for  
17 other containment designs besides the BWR Mark I and  
18 Mark IIs, overall hydrogen control --

19 MEMBER CORRADINI: Can I understand the  
20 third bullet? So there is going to be consideration  
21 or analysis to decide in Ps -- PWRs for part of --

22 MR. LEEDS: Well, one of the designs that  
23 we talked about were the ice condensers, smaller  
24 design. You know, should we take a look at that for  
25 vents? For even for the larger designs -- but this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 would be a longer term action after we take care of  
2 the Mark I and the Mark IIs.

3 MEMBER POWERS: We have, of course, been  
4 through that at least once that I was heavily  
5 involved, and I think once before that, and could  
6 never -- never have worked our way around it. Is  
7 anybody bothering to assemble all of that past  
8 experience with this idea of vented, filtered  
9 containment?

10 MR. VIRGILIO: As part of this effort, we  
11 will, in fact, make sure that we understand and  
12 respect the history that precedes this effort.

13 MEMBER POWERS: It's one that got some  
14 fairly intensive examination, and it just doesn't get  
15 you very much.

16 MR. VIRGILIO: I know. We went back to  
17 the 1980s to look at the decisions that were made on  
18 the Mark I containments and what led to the generic  
19 letter and what led to us deciding that the industry  
20 voluntary initiatives around that generic letter were  
21 sufficient. So we understood. There is a rich  
22 history around this particular issue.

23 MR. LEEDS: All right. If we can go to  
24 the next slide.

25 The other Tier 3 recommendations are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 emergency preparedness for prolonged station blackout  
2 and multi-unit events, the enhanced capability, and  
3 also other emergency preparedness issues, as you see  
4 here -- decisionmaking, radiation monitoring, and  
5 public education.

6 MEMBER RYAN: What are you including in  
7 radiation monitoring and public education? And what  
8 are your thoughts on those two?

9 MR. VIRGILIO: The original thoughts,  
10 particularly in the public education, was around KI,  
11 where there was a lot of misinformation, including  
12 information being promulgated here in the United  
13 States with respect to what -- by government  
14 officials, no less, with respect to what could work  
15 and what wouldn't work and under what conditions  
16 should one take KI. So that was the real focus of the  
17 Near-Term Task Force recommendation on that particular  
18 issue.

19 With regard to radiation monitoring, we  
20 know that in certain countries, particularly in some  
21 in Europe, they do have fixed monitoring sites. As a  
22 matter of fact, we have -- in some of the OSARTs that  
23 we have had here in the United States, that  
24 recommendation has, in fact, come up -- that we  
25 evolved from where we are today to do -- from the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 field monitoring to actually have fixed radiation  
2 monitors in certain locations around the nuclear  
3 powerplants.

4 MEMBER SIEBER: Marty, why did the EP  
5 recommendations end up as Tier 3? To me, Tier 3 is  
6 later on.

7 MR. VIRGILIO: Well, we do have some of  
8 them, actually, in Tier 1, Tier 2, and Tier 3. There  
9 is sort of a mix.

10 MEMBER SIEBER: For example, estimating  
11 what the source term is and being able to calculate  
12 atmospheric dispersion, in my view, takes -- will need  
13 some additional work.

14 MR. VIRGILIO: Absolutely.

15 MEMBER SIEBER: And the talent is here in  
16 the agency right now, because I know the people who do  
17 that, but -- and that would have a -- make an impact,  
18 maybe a significant impact, on sizes and timing of  
19 evacuations.

20 And what happened at Fukushima and our  
21 inability to decide what the release rates were and  
22 what the magnitudes were resulted in differing  
23 opinions as to how far out evacuation should occur and  
24 cause some consternation worldwide as to what was  
25 going on. And I would think that that would need

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 attention sooner rather than later.

2 MR. WIGGINS: The EP issues turn out to be  
3 driven by resources. It's -- as we said, the priority  
4 is to implement the new rule, and that is going to  
5 occupy the attention of a number of individuals in the  
6 group. We are just going to basically run out of the  
7 skills needed to do these types of things.

8 Now, there might be -- I am still kind of  
9 thinking, and we are kind of thinking in our office  
10 that there might -- you are not going to get all the  
11 skills occupied all the time. So there might be some  
12 availabilities along the line that we might be able to  
13 apply to some of these issues in there.

14 But, you know, from just a gross planning  
15 point of view, if you -- we are committed to put the  
16 new rule in place, we are committed to try to do the  
17 new rule and the EP parts of the Near-Term Task Force  
18 in parallel. But if it comes down to where we are --  
19 have to make a decision on one or the other, we are  
20 going to go -- come down on the new rule. So it was  
21 just resources.

22 MEMBER SIEBER: Yes. On the other hand,  
23 the same kinds of analytical tools apply to other  
24 kinds of gaseous release, and there is a lot of  
25 nationwide experience among the contract community

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that could -- I'm curious about one of the things,  
2 since you brought it up.

3 One of the things that we have been  
4 looking at all along is station blackout. And we know  
5 that in order to implement station blackout the way  
6 the lessons learned from Fukushima taught me so far is  
7 it's going to take a rule change to do it.

8 On the other hand, you have been working  
9 on reg guides, and so forth, for the old rule and that  
10 -- would you want to continue to pursue issuing reg  
11 guides for a rule that you know you are going to  
12 change? Or would you just say, "We'll leave that go,"  
13 work on the rule change, and then get out the  
14 regulatory guides associated with the new rule to  
15 correspond to it?

16 Are you going to drop off some work like  
17 that to --

18 MR. LEEDS: That's a good thought. Right.  
19 Why pursue something that we know that we are going to  
20 change, unless there is some technical reason that we  
21 need to answer those questions.

22 MEMBER SIEBER: Yes. Well, licensees I  
23 think will understand the intricacies of that. But if  
24 you put out a rule that really doesn't address the  
25 Fukushima situation, or a reg guide, it could confuse

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the public into thinking you folks, including us,  
2 really aren't in touch with reality as to what has  
3 been going on. So I question that.

4 MR. LEEDS: That's a good point.

5 CHAIRMAN ABDEL-KHALIK: Harold, I just --  
6 you've got 10 listed up there. I just want to  
7 underscore 10.2 is an item which I think is currently  
8 seen as out there beyond any near term. It's a really  
9 important critical item as far as I'm concerned, as  
10 long as we're sitting here underscoring things. And  
11 I hope that it gets started sooner rather than later.  
12 It has to do with command and control, Marty, and --

13 MR. VIRGILIO: Oh, yes.

14 CHAIRMAN ABDEL-KHALIK: -- the issue of  
15 who is qualified to do what when. And as a long-time  
16 plant operator, I just think it's really important to  
17 get started wrestling with that problem, because it's  
18 a big one.

19 MR. WIGGINS: I think it -- it is going to  
20 be started in a form that looks -- it actually looks  
21 like the integration of the emergency operating  
22 procedures, the SAMGs, and the EDMGs. You've got see  
23 where the -- how the procedures get integrated, and  
24 then you can think about roles and responsibilities,  
25 at least that's where we were when we were looking at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this.

2 MEMBER RAY: Well, I was glad what the  
3 Near-Term Task Force said about we're going to have to  
4 give attention to who is qualified to do what and what  
5 it takes to be qualified to assume responsibility and  
6 to provide direction. And that's going to be not only  
7 difficult but I think -- keep looking at Fukushima --  
8 it has got to be a highlighted item. When do I take  
9 charge? And what authority do I have to make  
10 decisions as a non-licensed management person, for  
11 example?

12 MR. VIRGILIO: Or government official.

13 MEMBER RAY: Huh?

14 MR. VIRGILIO: Or government official.

15 MEMBER RAY: Or government official. Darn  
16 right. So I only mention it now, because I think  
17 among the things that we talk about, to me it's really  
18 an important takeaway from this experience. Not so  
19 much TMI, but here it really does I think have an  
20 important role to play. So I just wanted to mention  
21 it.

22 MR. VIRGILIO: We do, too. I think that  
23 there will be -- if TEPCO is successful with their  
24 sequence of events and their approach to understanding  
25 what happened, they will provide us additional

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information around that. We also I think going into  
2 this believe that the structure in the United States  
3 is so much different than the structure in Japan for  
4 decisionmaking.

5 We would not be elevating the question  
6 about venting to some -- to Washington. That's  
7 something that's --

8 MEMBER RAY: Well, no. I'm worried about  
9 who is in the tech support center when this decision  
10 has to get made, and what their ability is to make  
11 that decision the right way. And I think that's  
12 implied in 10.2 the way it's written. I agree with it  
13 the way it's written.

14 And I just -- because you just listed 10  
15 up there, to me it's a more difficult issue than  
16 merely the question of integrating SAMGs and emergency  
17 procedures. It has to do with who is empowered to  
18 make these decisions, what do their qualifications  
19 have to be. Today's environment -- that is going to  
20 be a tough challenge.

21 MR. WIGGINS: My point is that the -- we  
22 might -- it may end up that there is a different  
23 strategy for this. You know, so once we understand  
24 where that is going, I agree with you. The two go  
25 very close together. You know, if you have kind of a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 procedure-driven operation, my point was you just have  
2 to understand what direction the procedures are going  
3 and where do the responsibilities lie. Do we still  
4 have the SAMGs decisions in the TSC?

5 Then, you ask the question, okay, now,  
6 what kinds of qualifications does a person need in  
7 order to make the decision to implement those?

8 MEMBER RAY: Just get started. Don't get  
9 distracted by other things.

10 (Laughter.)

11 This is going to take a long time to work  
12 out.

13 VICE CHAIRMAN ARMIJO: I have a quick  
14 question, and that is hydrogen control -- in view of  
15 the effects of hydrogen at the Fukushima plant, why --  
16 how can this be a Tier 3 activity compared to spent  
17 fuel instrumentation in Tier 1? Just is it a skill  
18 set problem or what?

19 MEMBER BLEY: It's not a technology  
20 problem, I don't believe. Is it? Do you see it as  
21 one?

22 MR. VIRGILIO: I think you're right, Jim.  
23 I think this is, in fact, more information from Japan.  
24 We know we're getting after reliable containment vents  
25 early on, or containment venting early on, which I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think will help us.

2 Now, I think in defining reliable we have  
3 to go back and look at, why are those vents there in  
4 the first place? And it was really for the loss of  
5 cooling as opposed to relieving the hydrogen. But I  
6 think we are going to have that discussion with the  
7 stakeholders about under what conditions do you vent,  
8 and how do you use those vents? Which might take us  
9 beyond the original thoughts of why those vents are  
10 installed today.

11 MEMBER BLEY: But where they are installed  
12 might not get all the hydrogen out. It might have  
13 other paths.

14 MR. VIRGILIO: Right. And I think that's  
15 what we saw in Fukushima. While I think that's --  
16 Jim's point, I think it's important to understand, you  
17 know, what seals failed under what conditions, how we  
18 wound up with the hydrogen in the various locations  
19 that it's in today. I mean, that's critical  
20 information I think to moving forward.

21 MEMBER POWERS: Well, why is that? It  
22 seems to me -- my take on it is this. We don't know  
23 where the hydrogen came from. And people have come  
24 out of the woodwork with hypotheses on how hydrogen  
25 might have got in there. There are enough possible

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mechanisms that it seems to me, oh, we made a mistake  
2 when we did the hydrogen role. We thought inerting  
3 the containment was enough. We didn't have to worry  
4 about the reactor buildings for the ones and twos. We  
5 did for the threes. Mistake on our part.

6           There are lots and lots of potential  
7 paths. We will never have 100 percent assurance just  
8 for defense-in-depth. Let's go back, do something for  
9 the buildings, just like we did for the threes. And  
10 I don't care how it actually occurred at Fukushima.  
11 The next accident, it will come by some other path,  
12 because there seemed to be -- I mean, I get emails,  
13 people asking me if this is a reasonable mechanism or  
14 not in light of Fukushima. I don't know. I haven't  
15 been inside the plant. I really don't want to go  
16 right now.

17                           (Laughter.)

18           There just seem to be lots of paths. Why  
19 not -- I mean, this is something we kind of know how  
20 to do. And I will admit if I had to do it, this seems  
21 like a really, really good opportunity to apply these  
22 catalytic passive hydrogen recombiners for this  
23 particular situation. I'm not wild about them for  
24 every situation, but this one looks like a good one.

25                           Why don't we just do this? I mean, you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 can find out all the details about Fukushima you want  
2 to. The next accident is going to be different, and  
3 you are still going to -- hydrogen is just a pain.  
4 Get rid of it. We know how to do it. Fix it.

5 MR. VIRGILIO: Well, we really do look  
6 forward to further interactions with you, then, as we  
7 take on this --

8 (Laughter.)

9 MR. LEEDS: All right. If we can go to  
10 the next slide, please. I've got about six more  
11 slides to get through. We have hope for 10:00.

12 The other two remaining -- the remaining  
13 Tier 3 recommendations you see before you. That would  
14 be reactor oversight process modifications, in light  
15 of what we learned from Fukushima, and staff training  
16 on severe accidents, including the severe accident  
17 management guidelines.

18 The next slide, please.

19 Additional issues -- many additional  
20 recommendations have been received, both from external  
21 stakeholders, including the Office of Science,  
22 Technology -- I'm sorry, the Office of Science and  
23 Technology Policy, from Congress, from our  
24 international counterparts, from other federal and  
25 state agencies, from the non-governmental

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 organizations, the public, the nuclear industry, and  
2 from the NRC staff.

3 We are in the process of beginning to  
4 evaluate these additional recommendations, and we are  
5 emphasizing, as Marty mentioned earlier, maintaining  
6 a discipline with regard to which recommendations are  
7 associated with the staff's efforts to implement the  
8 lessons learned from the Fukushima Daiichi event, and  
9 which recommendations are more appropriately addressed  
10 through other existing NRC processes, such as the  
11 10 CFR 2.206 and 2.802 processes.

12 At this time, the staff has identified a  
13 number of additional issues with a clear nexus to  
14 Fukushima Daiichi that may warrant regulatory action  
15 but which were not included in the Near-Term Task  
16 Force recommendations, and those issues are shown on  
17 the following slides.

18 If we can go to the next slide.

19 The additional issues, as you see them  
20 there, are filtration of containment vents,  
21 instrumentation for seismic monitoring, certainly the  
22 basis for the emergency planning zone size.

23 MEMBER CORRADINI: That goes both ways,  
24 though, I assume.

25 MR. VIRGILIO: Yes.

1                   MEMBER CORRADINI: In other words, if you  
2 are going to go through this, there may be analyses  
3 that show that some are too large. They can be  
4 structured in terms of directional emergency planning  
5 versus -- I interpreted this to mean that it wasn't  
6 just to grow them, it was to analyze them in a risk-  
7 informed manner.

8                   MR. VIRGILIO: Yes. I mean, we are not  
9 entering this with the notion that they are  
10 undersized.

11                   MEMBER CORRADINI: Okay.

12                   MR. LEEDS: Okay.

13                   MEMBER CORRADINI: Sorry.

14                   MR. LEEDS: No. Thank you for that. The  
15 next slide?

16                   We had six items that we included in the  
17 paper -- pre-staging of potassium iodide beyond 10  
18 miles. --

19                   MEMBER RYAN: Before you leave that point,  
20 the pre-staging of potassium iodide has an up and a  
21 down side. It is not without allergic reaction in the  
22 population. It is not huge, but it is certainly not  
23 trivial. So I hope on that kind of an issue, as well  
24 as the order to evacuate or not, which carries with it  
25 loss of life and property, if you do it, that those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 balances get evaluated carefully.

2 Now, you know, what happens during an  
3 evacuation, for example, is very site-specific, as I'm  
4 sure you can recognize. But, again, we are balancing  
5 risks. We are balancing the risk of an evacuation to  
6 the risk of not -- and sequestering in place and using  
7 KI and those kinds of things. So it is tradeoffs that  
8 you are evaluating, not one path forward.

9 So I hope that gets a little bit more  
10 detailed attention as you revisit these issues.

11 MR. WIGGINS: In both KI and the EPZ, the  
12 staff is not entering it with a bias toward we have to  
13 make a change. But we need to be open to the  
14 possibility that we might. So we -- there has been  
15 various issues raised by stakeholders questioning this  
16 -- these two issues. And we just think we want to ask  
17 ourselves -- understand, these six items are at the  
18 consideration stage.

19 We haven't even completed that. But I  
20 think it's fair to say that the bias -- we are not  
21 entering it under a bias that we are convinced that we  
22 have to -- we have to expand the EPZ or convinced we  
23 have to expand use of potassium iodide or --

24 MEMBER RYAN: You may determine you might  
25 have to shrink it, it would be better to shrink it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So I think the point is it's a two-way street, and  
2 those issues are very much interrelated. Having  
3 participated personally in the evacuation from several  
4 hurricanes in the southeast, I haven't been in one  
5 where there wasn't deaths on the highway. So it's not  
6 without risk.

7 MR. LEEDS: Thank you. And as Jim  
8 mentioned, these are just under consideration by the  
9 team at this point.

10 MEMBER RYAN: I just offer that, because  
11 I deal with that --

12 MR. LEEDS: Thank you.

13 MEMBER RYAN: -- and make sure we look at  
14 all of the variables.

15 VICE CHAIRMAN ARMIJO: What is the thought  
16 about transfer of spent fuel to dry cask storage  
17 areas? Is the thought there to accelerate it or  
18 evaluate it or --

19 MR. VIRGILIO: Accelerate is what some of  
20 the stakeholders believe, and we want to give that  
21 further consideration, because we know that that may  
22 not be the answer.

23 MR. LEEDS: From a heat standpoint, we  
24 have already done that study, and it is irrelevant.  
25 Now, if you are looking at it from a source term,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 perhaps there is. So --

2 VICE CHAIRMAN ARMIJO: But it is happening  
3 anyway.

4 MEMBER RYAN: Sam, is your question -- is  
5 it the idea of putting it in dry storage casks as  
6 opposed to having a higher inventory in a fuel pool?

7 MR. VIRGILIO: Yes.

8 MEMBER RYAN: So that's the point.

9 VICE CHAIRMAN ARMIJO: Well, I understand  
10 it, but it's happening anyway. You generally need to  
11 do that. They -- so this -- the idea here is, let's  
12 get it done as quickly as we can, and somehow that  
13 will solve the problem.

14 MR. VIRGILIO: That's what has been  
15 recommended.

16 VICE CHAIRMAN ARMIJO: Well, okay.

17 MR. VIRGILIO: And that's why we have this  
18 under consideration.

19 VICE CHAIRMAN ARMIJO: Okay.

20 MR. LEEDS: And then, the last one, loss  
21 of ultimate heat sink. Just for the Committee, the  
22 staff expects the list of potential additional  
23 recommendations to continue to increase as we receive  
24 feedback from our external stakeholders through our  
25 interactions in the international regulatory

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 community, and as we learn more from the Fukushima  
2 Daiichi event.

3 As additional recommendations are raised,  
4 we will evaluate them and we will propose action as  
5 appropriate.

6 Next slide, please.

7 Just briefly, I know that this isn't the  
8 Committee's focus. However, this is going to have  
9 huge resource implications for the staff, and will  
10 greatly affect the staff going forward. It is one of  
11 my chief concerns. On this slide you can see the  
12 number of FTE that we are considering for 2012 and  
13 2013. It's a best estimate, could exceed those  
14 estimates.

15 Just for your information, for this past  
16 year that just ended, the fiscal year '11, we spent 32  
17 full-time equivalents, 32 bodies, on Fukushima. That  
18 is the staff. That doesn't include management. So it  
19 has already had an impact on the staff and an impact  
20 on our work going forward.

21 CHAIRMAN ABDEL-KHALIK: But it is kind of  
22 interesting looking at the estimated total, realizing  
23 that there is a large error bar associated with these  
24 numbers that is still consistent with the completion  
25 time of five years for all tasks.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LEEDS: Yes.

2 MEMBER REMPE: Because it does impact  
3 things. In this report you issued, SECY-11-0137, you  
4 mention the joint DOE/NRC study, to start trying to  
5 understand the sequence of events that occurred. But  
6 there is another important aspect of trying to use --  
7 influence the data that are actually obtained out of  
8 these reactor vessels. And has that been considered  
9 in this resource estimate?

10 And don't you think it's important, if you  
11 are going to try and gain lessons learned, that you  
12 have some focus in that area, to try and obtain the  
13 appropriate data samples, understanding where the end  
14 state of the core -- with it relocated to the lower  
15 head, where it is and how the melt progression  
16 occurred? And how will you address that?

17 MR. VIRGILIO: That is going to take us  
18 years to do. But, I mean, let me first talk about the  
19 timeline for a minute. There are a couple of  
20 activities going on. The TEPCO, with some sort of  
21 INPO, is now actually doing a three-step approach to  
22 developing the sequence of events. The first is, what  
23 happened with the reactor? The second is, what  
24 happened with emergency preparedness? And the third  
25 is -- goes to Harold's point about decisionmaking, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 how that all played out in Japan.

2 Now, the memorandum of understanding that  
3 we signed with DOE is to gain insights that will help  
4 us improve our codes for modeling accident  
5 progression. So there are two parallel efforts  
6 ongoing at --

7 MEMBER REMPE: Based on the limited data  
8 that are out of Fukushima.

9 MR. VIRGILIO: Right. I think that we are  
10 going to need more data as time goes on. As some of  
11 you who have been around here as long as I have might  
12 remember how long it took us to get the data from  
13 Three Mile Island. So this is a long-term effort. We  
14 know we need to do it, and we know it will, in fact,  
15 influence our decisionmaking further down the road.

16 MEMBER REMPE: I think it's something that  
17 -- it ought to be requested and be thought about,  
18 because some of those issues and what data you want  
19 and initial insights with a camera maybe won't have to  
20 be as long as it was after TMI. And I think that that  
21 would be something important to do.

22 MR. VIRGILIO: Yes. Maybe we've got  
23 advances in technology -- robotics and cameras -- that  
24 can help us accelerate the timelines. But we know we  
25 need to do it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LEEDS: Next slide, please.

2 The next steps, as you saw in the  
3 October 3rd paper, these are the three IOUs that we  
4 left with the Commission. We need to provide them --  
5 get back to them and provide them an evaluation of the  
6 Tier 3 items, the schedules and resource impacts.

7 We are continuing to identify and provide  
8 a prioritization for those additional issues, the six  
9 that I had mentioned. And we plan on providing the  
10 Commission with our initial thinking with regard to  
11 how we will proceed with regard to the Near-Term Task  
12 Force Recommendation 1, which looks at an extension of  
13 the design basis.

14 The next slide, maybe the most important  
15 slide, ACRS involvement.

16 (Laughter.)

17 As I said at the beginning, the staff --  
18 the Commission directed the staff to include scheduled  
19 milestones and recommendations for appropriate  
20 stakeholder engagement, and specifically involvement  
21 of this Committee.

22 In our October 3rd paper to the  
23 Commission, the staff has identified areas where we  
24 anticipate your involvement. These include those  
25 areas where the staff routinely interacts with you,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 such as on rulemaking and regulatory guidance.

2 As the staff implements the  
3 recommendations in this paper, in accordance with  
4 Commission direction, we will look for other potential  
5 areas where engagement with the ACRS will enhance the  
6 staff's technical and regulatory decisionmaking.

7 That's our presentation.

8 MEMBER BLEY: I would like to say  
9 something to you that is a little different from what  
10 some of my colleagues have said. When we put  
11 operators -- or when they end up in a spot where they  
12 really are operating blind in some areas, the problem  
13 is not just one of some minor diversion or, you know,  
14 additional stress. It is a state of confusion that  
15 can lead to bad decisionmaking and get you into  
16 serious problems.

17 Back at TMI, we decided we finally ought  
18 to have vessel level indication. After a number of  
19 unfortunate and very confusing events for operators  
20 during shutdown/draindown conditions, we added much  
21 more reliable instrumentation for loop levels. And  
22 this one might be the place to say, "Let's take a  
23 better look at instrumentation of the spent fuel pools  
24 and maybe other conditions."

25 The other piece of that, you have an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 integrated program, which is trying to reduce the  
2 chances of some of the problems that led to concrete  
3 falling down, other problems that compounded the  
4 situation. So I think as part of an integrated  
5 program we get benefits. And I think that thing for  
6 the operators is very important.

7 CHAIRMAN ABDEL-KHALIK: Are there  
8 additional questions to our presenters today?

9 (No response.)

10 Well, thank you very much. We appreciate  
11 your presentation. It was very informative and very  
12 thoughtful.

13 Thank you very much. We look forward to  
14 further cooperation.

15 We are off the record.

16 (Whereupon, at 9:59 a.m., the proceedings  
17 in the foregoing matter went off the  
18 record.)

19

20

21

22

23

24

25



# ACRS Briefing on the Japan Near Term Task Force Report – Prioritization of Recommendations

Martin Virgilio

Deputy Executive Director for Reactor  
and Preparedness Programs

October 7, 2011

# Prioritization of Near-Term Task Force Recommendations

Eric Leeds

Director of the Office of  
Nuclear Reactor Regulation

# Agenda

- Background
- Prioritization of NTTF Recommendations
- Additional issues
- Resources
- Next steps

# NTTF Conclusions

- No imminent risk from continued operation and licensing activities
- NTTF report provided 12 overarching recommendations addressing principles of defense-in-depth, protection, mitigation and emergency preparedness

# Status of SRM-SECY-11-0093

- Required four Notation Vote Papers on NTTF report:
  - Proposed charter (complete)
  - Staff recommendations (complete)
  - Prioritization (complete)
  - Recommendation 1 (due within 18 months)

# Staff Review of NTTF Recommendations

- Commission paper (SECY-11-0124) contains staff's assessment of the NTTF recommendations that can and, in the staff's judgment, should be initiated, in part or in whole, without delay

# Prioritization of NTTF Recommendations

- Commission paper (SECY-11-0137) contains staff's prioritization of the NTTF recommendations, including:
  - Recommended regulatory actions
  - Implementation challenges
  - Technical and regulatory bases
  - Additional recommendations
  - Schedule and milestones

# Three Tiers of Recommendations

- Tier 1 – Start without delay
- Tier 2 – Start in the near term
- Tier 3 – Longer term actions

# Tier 1 Recommendations

- Recommendations which should be started without unnecessary delay and for which sufficient resource flexibility, including availability of critical skill sets, exists

# Tier 1 Recommendations

- Seismic and flood hazard reevaluations (2.1)
- Seismic and flood walkdowns (2.3)
- Station blackout (4.1)
- 10 CFR 50.54(hh)(2) equipment (4.2)

# Tier 1 Recommendations (cont'd)

- Reliable hardened vent for Mark I and Mark II containments (5.1)
- SFP instrumentation (7.1)
- Strengthening on-site emergency response capabilities (8)
- Emergency preparedness (9.3)

# Additions to Tier 1

- Reliable Mark II Containment Vents
  - Concurrent with Mark I (5.1)
- SFP Instrumentation (7.1)
  - Interact with stakeholders regarding functional requirements
  - Issue order requiring implementation

# Tier 2 Recommendations

- Recommendations which could not be initiated without delay due to factors that include:
  - Need for further technical assessment and alignment
  - Dependence on Tier 1 issues
  - Availability of critical skill sets

# Tier 2 Recommendations

- SFP makeup capability (7.2, 7.3, 7.4, and 7.5)
- Emergency preparedness (9.3)
  - Remaining portions with the exception of ERDS capability

# SFP Makeup Capability (7.2, 7.3, 7.4, and 7.5)

- Engage stakeholders in support of rulemaking activities to provide reliable SFP instrumentation and makeup capabilities
- Development of regulatory basis, proposed rule and implementing guidance

# Emergency Preparedness (9.3)

- Tier 2 - remaining portions with the exception of ERDS capability
- Engage stakeholders on planning standard elements
- Issue order requiring necessary changes

# Tier 3 Recommendations

- Require further staff study
- Follow after Tier 1 actions
- Depend on critical skill set availability
- Depend on resolution of NTTF Recommendation 1

# Tier 3 Recommendations

- Ten-year confirmation of seismic and flooding hazards (2.2)
- Seismically induced fires and floods (3)
- Reliable hardened vents for other containment designs (5.2)
- Hydrogen control (6)

# Tier 3 Recommendations (cont'd)

- EP for prolonged SBO and multiunit events (9.1, 9.2, 10)
- Enhanced ERDS capability (9.3)
- EP-related decision-making, radiation monitoring, and public education (11)

# Tier 3 Recommendations (cont'd)

- Reactor Oversight Process modifications (12.1)
- Staff training on severe accidents, including SAMGs (12.2)

# Additional Issues

- Additional issues identified by external stakeholders and NRC staff
  - Disciplined assessment of relationship to Fukushima lessons learned
  - Future assessment and potential prioritization

# Additional Issues

- Filtration of containment vents
- Instrumentation for seismic monitoring
- Basis of emergency planning zone size

# Additional Issues (cont'd)

- Prestaging of potassium iodide beyond ten miles
- Transfer of spent fuel to dry cask storage
- Loss of ultimate heat sink

# Resources

- Tier 1 and Tier 2 estimates
  - Fiscal Year 2012 – 30 FTE
  - Fiscal Year 2013 – 90 FTE
  - Total (including out years) – 205 FTE

# Next Steps

- Evaluate Tier 3 schedules and resource impacts
- Identify and provide prioritization of additional issues
- Provide options regarding NTTF Recommendation 1

# ACRS Involvement

- SRM-SECY-11-0093
  - Required staff to identify areas for involvement of ACRS
- SECY-11-0137
  - Areas for ACRS involvement
    - Rulemaking, including associated regulatory guidance
    - Other potential areas

# Acronyms

- EP – Emergency Preparedness
- ERDS – Emergency Response Data System
- FTE – Full-Time Equivalents
- NTTF – Near-Term Task Force
- SAMG – Severe Accident Mitigation Guidelines
- SBO – Station Blackout
- SFP – Spent Fuel Pool