

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

In the Matter of)

SOUTHERN NUCLEAR OPERATING CO.)

(Vogtle Electric Generating Plant, Units 3 and 4))

) Docket Nos.

) 52-025-COL & 52-026-COL

ORDER

**(Adopting Proposed Transcript Corrections, Admitting Post-Hearing Responses,
and Closing the Record of the Proceeding)**

The Commission held an evidentiary hearing in the uncontested portion of the captioned proceeding at its Rockville, Maryland headquarters on September 27-28, 2011. The parties have provided proposed transcript corrections, in accordance with the deadline previously set.¹ I adopt those transcript corrections proposed by the parties and identified in Appendix A to this Order, as well as additional transcript corrections also identified in Appendix A. Appendix B to this Order contains a revised hearing transcript incorporating all of the adopted corrections.

The parties have timely submitted supplemental responses to in-hearing questions, together with answers to post-hearing questions.² As directed, these responses were filed electronically, as new exhibits, using the previously-established numbering scheme. Neither party objected to the admission of these new exhibits.

¹ See Order (Setting Deadline for Proposed Transcript Corrections) (Oct. 3, 2011) (unpublished); *Joint Motion for Transcript Corrections* (Oct. 11, 2011).

² See Order (Supplemental Responses and Post-Hearing Questions) (Oct. 6, 2011) (unpublished) (Post-Hearing Order); *NRC Staff Responses to Commission Post-Hearing Questions* (Oct. 17, 2011) (NRC000015); *Southern Nuclear Operating Company's Response to the Commission's Order of October 6, 2011* (Oct. 17, 2011) (SNC000011).

Additionally, without objection from the Staff, Southern Nuclear Operating Co. (Southern) subsequently filed a revised version of its post-hearing responses (re-designated SNCR00011).³ The Staff later filed a letter making revisions to the Final Safety Evaluation Report and to the draft combined license.⁴ This letter (with its enclosure) has been assigned exhibit number NRC000016. The Staff's letter stated that Southern has no objection to these revisions.⁵ Therefore, pursuant to the Post-Hearing Order, exhibits NRC000015, NRC000016, and SNCR00011 are admitted into the evidentiary record.⁶

The adoption of transcript corrections and the admission into evidence of the new exhibits completes the procedural activities that remained pending at the conclusion of the mandatory hearing. The record of the uncontested portion of this proceeding is closed, effective as of the date of this Order.

³ See *Southern Nuclear Operating Company's Request for Leave to File Revised Exhibit* (Oct. 21, 2011); *Southern Nuclear Operating Company's Response to the Commission's Order of October 6, 2011* (dated Oct. 17, 2011, served Oct. 21, 2011) (SNCR00011).

⁴ Moulding, Patrick A., Counsel for the NRC Staff, letter to Chairman and Commissioners, U.S. Nuclear Regulatory Commission (Oct. 28, 2011) (Enclosure 1: *NRC Staff Clarifications to the Mandatory Hearing Record*).

⁵ See *id.*

⁶ See Post-Hearing Order at 7-8.

This Order is issued pursuant to my authority under 10 C.F.R. § 2.346(j).

IT IS SO ORDERED.

For the Commission

[NRC Seal]

/RA/

Andrew L. Bates
Acting Secretary of the Commission

Dated at Rockville, Maryland,
this 1st day of November, 2011.

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
<i>passim</i>		Change "50.54 HH2" to "50.54(hh)(2)"
<i>passim</i>		Change "new start" to "NuStart"
<i>passim</i>		Change "New Start" to "NuStart"
<i>passim</i>		Change "10CFR" to "10 CFR"
<i>passim</i>		Change "WHERUPON" to "WHEREUPON"
<i>passim</i>		Change "staffs" to "staff's"
1	4	Change by removing text: Atomic Safety and Licensing Board Panel; Insert "CORRECTED TRANSCRIPT" (underlined)
1	17	Change "trial" to "hearing"
2	9-12	Move the text to be above line 8 (Ms. Sutton appears on behalf of Southern Nuclear Operating Company)
2	14-17	Add Ann Hodgdon, Esq. and Patrick Moulding, Esq. 11555 Rockville Pike, Rockville, Maryland 20852-2738 (They appear on behalf of the staff of the United States Nuclear Regulatory Commission)
3	2	Change "110" to "19"
3	3	Change "131" to "40"
3	3	Change "Schaff" to "Schaaf"
3	4	Change "160" to "69"
3	5	Change "169" to "78"
3	6	Change "171" to "63"; Move line 6 to above line 4
3	7,9	Change "174" to "83"
3	8	Delete "EDDIE GRANT"
3	10	Change "211" to "119"
3	11	Change "212" to "120"
3	12	Change "217" to "125"
3	13	Change "220" to "128"
3	14	Delete entire line
3	15	Delete EDDIE GRANT"; Delete "THOMAS SCARBROUGH"; Change "224" to "132"
3	After line 15	Insert "THOMAS SCARBROUGH"; Insert 133
3	16	Change "239" to "133"
3	17	Change "292" to "183"
3	18	Change "316" to "224"
3	19	Change "320" to "228"
3	20	Change "323" to "182"; Move line 20 to above line 17
4	<i>passim</i>	Change "109 109" to "17 17-18"
4	18	Change "SNC000008" to "SNCR00008"
4	22	Change "SNC000010" to "SNCR00010"
5	<i>passim</i>	Change "109 109" to "18 18"
6	<i>passim</i>	Change "109 109" to "18 18"
9	16	Change "any" to "many"
9	17	Change "comment" to "comments"
10	13	Change "Chair" to "Chairman"
10	15	Change "to call" to "to read - call"
12	7	Change "was called as a witness" to "having been identified as witnesses"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
12	7	Change "Nuclear Regulatory Committee and" to "Southern Nuclear Operating Company"
12	8	Change "having been first duly sworn, assumed the witness stand, was examined" to "individually duly swore or affirmed"
12	9	Delete "and testified"
13	5	Change "Ray" to "Wray"
14	10	Change "Mrowcaca" to "Mrowca"
14	22	Change "was called as a witness" to "having been identified as witnesses"
14	22	Change "Southern Nuclear Operating Company and" to "the staff of the Nuclear Regulatory Commission"
14	23	Change "having been first duly sworn, assumed the witness stand, was examined" to "individually duly swore or affirmed"
14	24	Delete "and testified"
15	7	Change "Ray" to "Wray"
16	12	Change "Mrowcaca" to "Mrowca"
18	2	Change "applicants" to "applicant's"
18	3	Change "SNC0000009" to "SNC000009"
18	4	Change "SNCR000008" to "SNCR00008"
18	4	Change "applicants" to "applicant's"
18	5	Insert "(Whereupon, the documents marked as Exhibits SNC000002 through SNC000007, SNC000009 and SNCR20001, SNCR00008 and SNCR00010 for identification, were admitted into the record.)" after "updated exhibit tables are admitted into the record."
18	7	Change "tabled" to "table"
18	13	Delete entire line
18	14	Delete entire line
18	23	Change "NRC1" to "NRC000001"
18	23	Delete "referred to were"
18	24	Change "NRC10" to "NRC000014"
18	24	Change "identification." to "identification, were admitted into the record."
19	10	Change "was called as a witness" to "were called as witnesses"
19	11	Change "was" to "were"
19	11	Change "having been first duly sworn" to "having been previously duly sworn"
20	19	Change "of" to "reviewing of"
23	2,6	Change "rule making" to "rulemaking"
23	19	Change "mouse [spelled phonetically]" to "analysis"
23	22	Change "intensive R52" to "10 CFR Part 52"
23	25	Change "permits" to "permit"
24	4,6	Change "row is" to "role as"
24	17	Change "could apply" to "could then apply"
24	20	Change "center" to "centered"
24	20	Change "consisted" to "consists"
25	6	Change "NRC early review" to "NRC review"
25	11	Change "TV" to "TVA"
25	17	Change "B three and 4" to "be - 3 and 4"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
25	20	Change "applicable" to "the applicable"
25	23	Change "port" to "report"
25-26	25,1	"immicable [spelled phonetically]" to "inimicable"
26	4	Change "Industar [phonetic]" to "NuStart"
26	13	Change "permits" to "permit"
26	13	Change "material, as" to "material. As"
26	15	Change "material, the" to "material. The"
26	16	Change "described" to "is"
26	19	Change "older" to "holder"
26	19	Change "in" to "and"
27	1	Change "as back" to "as site back"
27	4	Change "demonstrate the" to "demonstrate that the"
27	6	Change "were" to "where"
28	1	Change "license supplemental" to "license final supplemental"
28	3	Change "no new and additional" to "no additional new and"
29	12	Change "going, training:" to "going, and training"
29	14	Change "both maintaining" to "maintaining both"
30	9	Change "delayed" to "delay"
30	14	Change "that's partially" to "that's a partially"
30	25	Change "sense, we" to "sense, that we"
31	1	Change "or" to "of"
31	5	Change "GREGORY" to "CHAIRMAN" and change "LACZKO" TO "JACZKO"
31	12	Change "little bit more" to "little more"
31	20	Change "it depends" to "it did depend"
32	10	Change "can take" to "can take is an option"
32	11	Add "?" after "currently"; capitalize "That"
32	17	Change "KRISTINE" TO "COMMISSIONER"
32	20	Change "lengths" to "length"
33	5	Change "d" in "Delta" to lowercase and delete "did that"
33	10	Change "sections specifically" to "sections that'll be specifically"
33	21	Change "KRISTINE" TO "COMMISSIONER"
34	2,3	Change "was" to "is"
34	4	Change "seam less" to "seamless"
34	6	Change "KRISTINE" TO "COMMISSIONER"
34	9	Change "GEORGE" to "COMMISSIONER"
34	16	Change "GEORGE APOLTOLAKIS" to "COMMISSIONER APOSTOLAKIS"
34	20	Change "you just look at" to "you look at just"
35	5,7	Change "SP" to "ESP"
35	13	Change "GEORGE" to "COMMISSIONER"
35	15	Change "WILLIAM" to "COMMISSIONER"
37	2	Change "received" to "receive"
37	2	Change "made" to "amendment"
37	6	Change "so last year 11" to "so ISG-11"
37	13	Change "now changes" to "now this changes"
37	18	Change "amendments can really" to "amendments really can"
37	23	Change "WILLIAM" to "COMMISSIONER"
37	25	Change "WILLIAM" to "COMMISSIONER"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
38	22	Change "WILLIAM" to "COMMISSIONER"
38	20	Change "that" to "let's say"
39	23	Change "WILLIAM" to "COMMISSIONER"
40	10	Change "Shaff" to "Schaaf"
40	11	Change "was called as a witness" to "were called as witnesses"
40	12	Change "having been first duly sworn" to "having been previously duly sworn"
40	12	Change "was" to "were"
40	16	Change "Asstulewicz" to "Akstulewicz"
40	18	Change "Enviromental" to "Environmental"
40	19	Change "Shaff" to "Schaaf"
41	5	Change "Shaff" to "Schaaf"
41	23	Change "2,600" to "26,000"
42	6	Insert "impact" between the words "environmental" and "statement"
42	7	Change "provide" to "provided"
42	11	Change "preformed" to "performed"
43	11	Change "Shaff" to "Schaaf"
43	13	Change "slides" to "slide"
43	18	Change "FCR" to "CFR", Change "The" to "the"
44	3	Change "field" to "backfill"
44	4	Change "mess" to "mats"
44	20	Change "The" to "the"
45	19	Insert "reference" between "AP1000" and "combined"
45	22	Insert "review of the" between "the" and "Bellefonte"
45	25	Change "article" to "RCOL"
46	5	Change "instilling" to "installing"
46	14	Change "and" to "in"
46	15	Change "Secy" to "SECY"
47	2	Insert a period after "NUREG"
47	3	Change "to" to "the"
47	6	Change "article" to "RCOL"
47	8	Change "article" to "RCOL"
47	12	Change "design center" to "design-centered"
47	21-22	Capitalize the first letters to read: "Advisory Committee on Reactor Safeguards"
48	7	Remove "[spelled phonetically]"
48	13	Change "ACR" to "ACRS"
48	22	Change "2001" to "2011"
49	3	Change "basis" to "bases"
49	14	Change "CRF" to "CFR"
49	15	Change "document4ed" to "documented"
49	22	Change "dually" to "duly"; put a "." after "made" and capitalize "As"
49	23	Change "two" to "to"
50	5	Change "act" to "Act"
50	9	Change "plans" to "plants"
50	24	Change "analagous" to "analogous"
50	24	Change "Schaff" to "Schaaf"
51	5	Change "Schaff" to "Schaaf"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
51	9	Change "this" to "its"
51	11	Change "intensity of" to "10 CFR"
51	12	Delete the word "our"
51	12	Change "1022" to "102(2)"
51	15	Change "5175" to "51.75"
51	17	Change "5192" to "51.92"
51	23	Change "associating" to "associated"
52	4	Insert "a" after "publishing"
52	4-5	Change "federal register" to "Federal Register"
52	9	Change "5126 D" to "51.26(d)"
52	25	Change "finale" to "final"
53	6	Change "FLWAs" to "LWAs"
53	8	Change period after "information" to semi-colon
53	10	Insert a semi-colon after "EIS"
53	10	Change comma after "agencies" to semi-colon
53	13	Change comma after "EIS" to semi-colon
53	14	Change "in" to "and"
53	17	Change "50.10 A" to "50.10(a)"
53	20	Change "51 107 A" to "51.107(a)"
53	22	Change "available" to "the Vogtle"
53	23	Insert " NEPA" between "with" and "Section"; Change "102, 2 A" to "102(2)(A)"
54	1	Change "concorde" to "comports"
54	2	Delete comma after "10CFR"; Insert comma after "Part 51"
54	3	Change "and" to "in"
54	4	Change "sites" to "SEIS"
54	6	Change "sites" to "SEIS"
54	8	Change "1022 C" to "102(2)(C)"
54	10	Insert semi-colon after "action"
54	11	Insert semi-colon after "effects"
54	13	Delete comma after "information"
54	13	Change comma to semi-colon after "review"
54	15	Delete comma after "maintenance"
54	15	Change comma to semi-colon after "productivity"
54	19	Change "if" to "it"
54	19	Delete comma after "NEPA"
54	20	Change "1022 C" to "102(2)(C)"
54	22	Delete comma after "NEPA"; Change "1022 E" to "102(2)(E)"
55	1	Change "citing" to "siting"
55	2	Change "or" to "on"
55	12	Insert comma after "economic"; Insert comma after "environmental"
55	22	Change "were" to "will"
56	9	Change "need for" to "NEPA"
56	13	Change "cCmmission's" to "Commission's"
56	15	Change "folks" to "focus"
57	4	Change "shillbilling" to "shield building"
57	5	Delete "[spelled phonetically]"
59	2	Change "licensed" to "license"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
59	9	Change "affect" to "effect"
59	21	Change "licensed" to "license"
59	23	Change "Change "licensed" to "license"
60	9	Change "licensed commission?" to "license condition."; Change "hardened" to "hard and"
61	5	Change "they" to "then"
61	22	Insert "I" between "while" and "think"
62	18	Add a period after "transparency"
62	22	Change "overtime" to "over time"
63	8	Change "council" to "counsel" and change "was" to "were"
63	9	Change "council" to "Counsel"
63	16	Change "council" to "counsel"; insert "is" before "that"
64	7	Delete the comma after "basis"
64	11	Insert "in the SEIS" after "conclusion."; delete the period after conclusion
64	13	Add a period after "testimony" and capitalize "T" in "that's"
64	25	Change "wont" to "won't"
65	3	Change "then" to "the"
65	19	Change "REI" to "RAI"
67	14	Delete "[spelled phonetically]"
68	9	Change "LWA1" to "LWA 1"
68	11	Change "under every" to "in the early"
68	13	Change "-- with the plant" to "plant"
68	14-15	Change "LDBA [spelled phonetically]" to "LWA"
69	9	Change "Southern Nuclear Operating Company" to "the staff of the Nuclear Regulatory Commission"
69	10	Change "having been first duly sworn" to "having been previously duly sworn"
69	14	Change "LWA" to "LWA-1"
69	15	Change "LWA" to "LWA-1"
70	2	Change "SSEs" to "SSCs" and delete "that"
70	13	Insert "It is safe." after "It's safe."
70	15	Capitalize "chairman"
71	2	Change "alternate" to "operating"
71	5	Change "mind" to "mine"
71	10	Change "ourself" to "ourselves"
73	8	Change "50/59" to "50.59"
75	14	Change "protoype" to "rotational"
75	15	Change "Salmon [spelled phonetically]" to "Sanmen"
76	9	Insert a comma after "you" and change "associate" to "associated"
76	10	Change "applicant of" to "applicant on"
76	16	Change "Engineer" to "Engineers" and delete "the" at the end of the line
76	18	Delete "And" and capitalize the "T" in "the" before "Department"
76	22	Insert "at" before "the Savannah"
76	24	Change "veivs" to "reviews"; Change "accumulative" to "cumulative"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
78	8	Change speaker identified as "CHAIRMAN JACZKO" to "MICHAEL JOHNSON"
78	11	Change "Southern Nuclear Operating Company" to "the staff of the Nuclear Regulatory Commission"
78	12	Change "having been first duly sworn" to "having been previously duly sworn"
78	17	Change "[unintelligible]" to "mission"
78	21	Change "TDA" to "TVA"
78	22	Change "neap of" to "NEPA"
79	6	Change "than" to "in"; Delete period after NEPA; Change "Then" to "then"
79	7	Change "farms" to "forests"
80	12	Change "Southern Nuclear Operating Company" to "the staff of the Nuclear Regulatory Commission"
80	13	Change "having been first duly sworn" to "having been previously duly sworn"
80	21	Change "actions when" to "accidents than"; Change "and some" to "in terms"
81	19	Change "NEA" to "an EA"; Change "NEIS" to "an EIS"
83	12	Change "was called as a witness" to "were called as witnesses"
83	13	Change "having been first duly sworn" to "having been previously duly sworn"
83	13	Change "was" to "were"
83	16	Change "SCC Mobile Units Three and Four" to "SNC Vogtle Units 3 and 4"
83	19-20	Change "licensing sportly, new start" to "Licensing Support Lead for NuStart"
84	1	Delete "EDDIE GRANT"
84	3	Change "was called as a witness" to "were called as witnesses"
84	4	Change "having been first duly sworn" to "having been previously duly sworn"
84	4	Change "was" to "were"
84	7	Change "[unintelligible]" to "New Reactors"
84	10	Change "construction, engineering, and NRO" to "structural engineering in NRO"
84	14	Change "Chapter" to "Chapters"
84	15-16	Change "Mobile Units Three and Four" to "Vogtle Units 3 and 4"
84	17	Change "quest" to "request"
84	18	Change "license" to "licenses"
84	19	Change "in" to "and"
84	23	Change "licensing" to "license"
84	25	Change "special" to "special nuclear"
85	1	Change "specify" to "specific"
85	2	Change "applicants," to "applicants"
85	2	Change "provide" to "be provided"
85	3	Change "material" to "materials"
85	3	Change "SCC" to "SNC"
85	7	Change "to this" to "for the"
85	8	Change "COLA [spelled spelled phonetically]" to "COLA"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
85	9,12,13	Change "SR" to "FSAR"
85	13	Change "were" to "was"
85	17	Change "applications, these" to "applications. These"
85	20	Change "[unintelligible]" to "new fuel"
85	23	Change "to qualified" to "to a qualified"
85	25	Delete "[spelled phonetically]"
85	25	Change "manufacture" to "manufacturer"
86	2	Change "by product" to "byproduct"
86	4	Change "10CFR 52103G" to "10 CFR 52.103(g)"
86	5	Change "on any" to "on receipt of any"
86	6	Change "local" to "Vogtle"
86	9	Change "10CFR Part" to "10 CFR Parts"
86	10	Change "explicability" to "applicability"
86	12	Change "these" to "this"
86	12	Change "that requirements" to "that the requirements"
86	14	Change "there's" to "there is"
86	18	Change "Vogtle two's" to "the Vogtle COL application"
86	18-19	Change "inner staff guidance, [unintelligible] G23" to "Interim Staff Guidance, ISG-23"
86	20	Change "application" to "applications"
86	24	Delete "[spelled phonetically]"
87	1	Change "controls in" to "controls on"
87	2	Change "S&C" to "SNC"
87	6	Change "global" to "Vogtle"
87	8	Change "characteristics, for" to "characteristics. For"
87	10	Change "in ESP" to "in the ESP"
87	12	Change "and on" to "on"
87	12	Change "and this" to "and in this"
87	13	Change "of we" to "of where we"
87	17	Change "were resolved" to "were not resolved"
87	23	Change "were" to "are"
88	3	Change "comprehensive a listing" to "comprehensive listing"
88	24	Change "approval of" to "approval of a"
89	12,20,25	Change "EPS" to "ESP"
89	25	Delete "what"
89	25	Change "Alfa" to "Alpha"
90	2	Change "design, this" to "design. This"
90	8	Change "scoop" to "scope"
90	19	Change "and" to "and in"
90	21	Change "appendixes" to "appendices"
91	2	Change "Section 33," to "Section 3.3"
91	2	Change "331" to "3.3-1"
91	9	Change "release" to "relief"
91	24	Change "[unintelligible]" to "safety"
91	25	Change "Heavy" to "Heavily"
92	2	Change "[unintelligible]" to "Electric Generating Plant"
92	5	Delete comma after "FSAR" and un-capitalize the N in "Numerous"
93	2	Change "all" to "or"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
93	22	Add "the" after "against"
93	23	Change "appendix" to "Appendix"
95	14	Insert "STAFF" after "NRC"
95	19	Change "Three And Four" to "Three and Four"
95	21	Change "70.22B" to "70.22(b)"
95	24	Change "70.32C" to "70.32(c)"
96	3	Change "and" to "an"
96	9	Change "70.17A" to "70.17(a)"
97	21	Change "where" to "were"
98	18	Change "[unintelligible]" to "section of the FSAR in which the"
98	24	Change "likely" to "directly"
99	4	Change "plate" to "plated"
99	10	Insert "between the issuance" after "period"
99	17	Change "material" to "materials" and delete the comma after "materials"; Change "licensee" to "licensees"
99	18	Insert a period after "finding"; capitalize the T in the (next word); change "the" (last word in line) to "these"
99	19	Add "are" before "met"
100	18	Delete "all"
100	22	Change "70.22A1" to "70.22(a)(1)"
100	24	Insert "to" after "prior"
101	7	Change "[unintelligible]" to "equipment"
101	8	Change "70.22A7" to "70.22(a)(7)"; Change "A8" to "a (8)"
101	12	Change "50.68B" to "50.68(b)"
101	12	Change "meet" to "meets"
103	6	Change to "[unintelligible]" to "physical"
103	8	Change "made" to "met"
103	9	Change "78.67G" to "73.67(g)"
104	1	Change "aspect" to "aspects"
104	2	Change "review" to "reviewed"
104	13	Insert "issued" after NRC
104	18	Change "include" to "includes"
104	24	Insert "the" after "with"
105	18	Capitalize the first letters of "site safety analysis report"
105	20	Insert "9" after "condition"
105	21	Change "radiances" to "variances"
106	11	Change "Part" to "part"
106	13	Change "value" to "values"
107	1	Change "of" to "for"
107	2	Change "can" to "and"
107	8	Change "specificic" to "specific"
107	10	Change "actual" to "accidental"
107	14	Add "for control room habitability" after "evaluated"
107	16	Insert "site" after "appropriate"
107	18	Delete "[unintelligible] AP100 ACD [unintelligible]" and replace with "versus AP1000 DCD"
107	21	Change "these" to "those"
107	23	Change "the AP1000 ACD" to "revisions to AP1000 DCD"
107	24	Change "Let me just clarify" to "Westinghouse clarified"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
108	4	Change "the" to "this"
108	7	Change "we're already evaluating" to "temperature values were already evaluated"
108	9	Change "characteristic value remains bounder" to "site values remain bounded"
108	10	Delete the period after "AP1000"; Insert "staff" in between "the" and "found"
108	20	Change "IDR" to "IBR"
108	24	Change "[unintelligible]" to "COL"
109	6	Change "release" to "relief"
109	12	Change "plant chief" to "branch chief"
109	15	Change "stats" to "staff's"
110	7	Change "aircraft's" to "aircraft"
110	9	Change "and the fact" to "in the fact"
111	15	Change "[unintelligible]" to "possesses"
111	18	Change "engineer" to "engineering"
112	7	Change "consultant" to "consultants"
113	2	Change "pass" to "path"
113	18	Change "ESPSSAR" to "ESP SSAR"
113	19	Add "material" after "membrane"
114	17	Change "reg" to "rev."
114	23	Change "methyacrylic [spelled phonetically]" to "methyl methacrylate", and add hyphen after "polymer"
114	24	Add "or" between "asphalt" and "polyurea"
114	25	Change "Shame" to "Shams"
115	2	Change "require" to "requires a"
115	13	Insert "actually" after "8"
115	16	Change "he" to "they"
115	16	Change "[unintelligible] requirie" to "analysis that no prior approval required"
115	17	Change "[unintelligible]" to "the rest of the"
115	18	Change "departure" to "departures"
115	19	Change "application say that [unintelligible]" to "the application actually say that no prior approval"
115	21	Change "[unintelligible]" to "we did our part of"
116	12	Change "FSCR" to "FSAR"; Change "[unintelligible]" to "3 plants which they have a license for as well as over 30 years of operating"
116	14	Change first "[unintelligible]" to "NSSS vendors"; change second "[unintelligible]" to "A and E as well as the other constructor"
116	19	Change "[unintelligible]" to "our"
117	3	Change "[unintelligible]" to "Applicant's FSAR"
117	4	Change "[unintelligible]" to "generic communications"
117	5	Change "request" to "to address"
117	6	Change "[unintelligible]" to "like generic letters, bulletins"
117	20	Change "[unintelligible]" to "in a case for"
117	24	Change "For" to "Good"
117	24	Add "in" after "give you"
117	25	Change "FSCL" to "FSAR"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
118	1	Change "[unintelligible]" to "inaccessible"; Change "[unintelligible]" to "condition monitoring"
118	4	Change "[unintelligible]" to "that in chapter 8?"
118	5	Change "[unintelligible]" to "We will be"
118	16	Change "[unintelligible]" to "enveloped"
118	17	Change "valve" to "ground"
118	18	Change "exceedences" to "exceedances"
118	18	Change "[inaudible] sector 4 beside" to "response spectra-4 for the site"
118	19	Change "built within" to "dealt with"
119	12	Change "Southern Nuclear Operating Company" to "the Nuclear Regulatory Commission"
119	13	Change "having been first duly sworn" to "having been previously duly sworn"
120	5	Delete "[spelled phonetically]"
120	10	Change "Is the" to "As a"
120	11	Add a comma after "qualifications" and delete "--"
120	18	Delete ", " and add "--" after "decommissioning"; delete "what is"; delete "?"; and add "--" after "instrument"
120	19	Change "w" in "With" to lowercase
120	21	Add "?" after "acceptability" and delete "--"
120	24	Change "Southern Nuclear Operating Company" to "the staff of the Nuclear Regulatory Commission"
120	25	Change "having been first duly sworn" to "having been previously duly sworn"
121	3	Change "at" to "in"
121	5	Insert "licensee" after "the"
122	4	Change "a" to "an" and delete "to"
122	11	Change "[inaudible]" to "Yes, take a shot."
122	13	Change "waterproof a" to "waterproofing"
122	14	Change "[unintelligible]" to "coefficient of"
122	21	Change "reports" to "the report"
123	15	Change "FSER" to "FSAR"
123	16	Change "[unintelligible]" to "oversight"
124	8	Delete "[spelled phonetically]"
124	11	Change "exemption" to "exception"
124	13	Change "where there's" to "versus"
124	13	Change "exemption" to "exception"
124	16	Delete both "[unintelligible]"
124	17	Change "plantS" to "plants"
124	20	Change "COMMISSERION" to "COMMISSIONER"
124	21	Change "plant" to "plants" and delete "in effect"
125	2	Change "103G" to "103(g)"
125	3	Delete "before the finding that what"
125	4	Change "think of the" to "I think the"
125	5	Change "and use" to "or use" and change "103G" to "103(g)"
125	6	Change "103G" to "103(g)"
125	10	Delete "[unintelligible]"
125	10	Change "techno" to "technical"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
125	16	Change "Southern Nuclear Operating Company" to "the staff of the Nuclear Regulatory Commission"
125	17	Change "having been first duly sworn" to "having been previously duly sworn"
125	20	Change "NSER" to "NSIR"
126	12	Delete "Paper."
126	17	Change "needed. It" to "needed, and it"
126	17	Change "that we" to "that was"
126	19	Change "we had concurred" to "we concurred"
126	20	Change "[inaudible]" to "were fine with"
127	16	Change "looking" to "looked"
127	17	Delete "in" after "intense"
127	22	Change "all in" to "island"
128	14	Change "main" to "mean"
128	17	Change "[unintelligible]" to "add to that"
128	21	Change "Southern Nuclear Operating Company" to "the staff of the Nuclear Regulatory Commission"
128	22	Change "having been first duly sworn" to "having been previously duly sworn"
129	3	Change "coal" to "COL"
129	13	Change "adaptive" to "a depth of"
130	24	Change "context" to "contents"
132	15	Delete "RAVINDRA JOSHI"
132	19	Delete "THOMAS SCARBROUGH"
132	20	Change "was called as a witness" to "were called as witnesses"
132	21	Change "having been first duly sworn" to "having been previously duly sworn"
132	21	Change "was" to "were"
133	1	Change "CLL [spelled phonetically]" to "COL"
133	3-4	Change "licensing support lead from New Start" to "Licensing Support Lead from NuStart"
133	After line 4	Add: "WHEREUPON, RAVINDRA JOSHI, THOMAS SCARBROUGH were called as witnesses for the Nuclear Regulatory Commission and, having been previously duly sworn, assumed the witness stand, were examined and testified as follows:"
133	5-6	Change "NRC project manager with [unintelligible]" to "senior project manager, Office of New Reactors"
133	15	Change "[unintelligible] Integrity Bands" to "Component Integrity Branch"
133	23	Change "will covering" to "will be covering"
133	23	Change "from three" to "from Chapters three"
133	24	Change "sole" to "soil"
133	25	Change "and action" to "interaction"
133	25	Change "out" to "our"
134	1	Change "for limiter" to "for a limited"
134	1	Change "including a" to "included in"
134	3	Change "insurance" to "engineered"
134	4	Change "feature" to "features"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
134	6	Change "turn over" to "turn it over"
134	8	Change "present a" to "present the"
134	9	Change "sole" to "soil"
134	11,12	Change "sector" to "spectra"
134	16	Change "using" to "used"
134	16	Change "of the structure" to "of structure"
134	20	Change "performed, a" to "performed. A"
134	22	Change "of the acceptability that" to "of acceptability of"
135	1	Change "specific profiles" to "specific soil profiles"
135	8	Change "sore block" to "soil rock"
135	10	Change "in structure" to "in-structure"
135	11	Change "sector" to "spectra"
135	15	Change "clan" to "plan"
135	17	Change "mono" to "model"
135	18	Change "designed" to "design"
135	19-20	Change "in structure" to "in-structure"
135	20	Change "structural" to "in-structure"
135	20,21	Change "sector" to "spectra"
136	3	Change "authorization," to "authorization"
136	5	Change "this" to "its"
136	10	Change "the 10CRF50.10" to "10 CFR 50.10"
136	11	Change "for a limited" to "for limited"
136	14	Change "other main" to "LWA"
136	15	Change "sharing" to "assuring"
136	17	Change "request" to "requests"
136	19	Change "work," to "work."
136	19	Change "reinforce and seal" to "reinforcing steel"
136	19,20	Delete "[spelled phonetically]"
136	20	Change "imbedded" to "embedded"
136	22	Change "island base layers" to "island foundation base slab"
136	23	Change "hearing" to "of preparing"
136	23,24	Change "site allocations" to "COL application"
136	25	Change "were" to "was"
136	25	Change "or" to "and"
136	25	Change "potentially would" to "had the potential"
137	1	Change "change" to "to change"
137	1	Change "ESPEIS" to "ESP EIS"
137	2	Change "spark 5150" to "CFR 51.50"
137	3	Change "applications" to "application's"
137	9	Change "ESPFEIS" to "ESP FEIS"
137	11	Change "documents" to "document"
137	12,16	Change "via" to "by"
137	14	Change "go into" to "address one of"
137	18	Change "question" to "questioned"
137	21	Change "adaptability" to "the operability"
137	24	Delete "and"
137	25	Change "valve" to "valves"
138	2	Change "as" to "that the"
138	3	Change "operation" to "operational"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
138	11	Change "describe" to "include"
138	15	Change "systems, quality" to "systems, some quality"
138	16	Change "the FSAR" to "the COL FSAR"
138	17	Change "Lee-Craig [spelled phonetically]" to "leak-rate"
138	17	Change "in 6.6" to "in Section 6.6"
138	20	Change "respectively" to "respectively,"
138	25	Change "ensuring" to "assuring"
138	25	Change "cooling" to "coolant"
139	15	Change "a appropriate" to "appropriate"
139	18	Change "1.96" to "1.196"
139	19	Change "and standard site" to "of standard and site"
139	20	Change "evaluation" to "evaluations"
140	23	Add "the review of" after "involved in"
141	2	Add "standard" after "AP1000"
141	4	Change "site specific" to "site-specific"
141	4, 5	Change "specter" to "spectra"
141	9	Change "general design criteria two" to "General Design Criteria 2"
141	10	Change "phenomenon" to "phenomena"
141	15	Add comma after "beam"
141	20	Change "surround" to "surrounds"
141	25	Change "enveloped form [unintelligible]" to "envelope formed by the"
142	2	Change "construct a response specter" to "compare the in-structure response spectra"
142	2	Change "in structure" to "in-structure"
142	3	Change "specter" to "spectra"
142	4	Change "applicants" to "applicant's"
142	6, 7	Change "hertz" to "Hertz"
142	11	Change "applicants" to "applicant's"
142	12	Change "plant" to "plan"
142	17	Delete "predicted levels of"
142	20	Change "island" to "islands"
143	1	Change "sheer" to "shield"
143	1	Change "applicants" to "applicant's"
143	2	Change "the" to "a"
143	4	Add comma after "that"
143	9	Change "labs" to "slabs"
143	12	Change "50.10D" to "50.10(d)"
143	14	Change "labs" to "slabs"
143	15	Delete "[spelled phonetically]"
143	17	Change "imbedded" to "embedded"
143	19	Change "lab" to "slab"
143	20, 25	Change "labs" to "slabs"
144	1	Add comma after "analysis"
144	3	Change "ACI349" to "ACI 349"
144	4	Change "lab" to "slab"
144	6	Change "labs" to "slabs"
144	8	Change "a" to "the"
144	9	Change "lab" to "slab"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
144	10	Change "section three point eight five" to "Section 3.85"
144	11	Change "FSR section 3.8.5," to "SER section 3.8.5."
144	12	Change "consequently" to "Consequently,"
144	13	Change "50.10D" to "50.10(d)"
144	14	Change "labs" to "slabs"
145	2	Delete the comma after "sump"
145	5	Change "QME1 [spelled phonetically]" to "QME-1"
145	7	Change "safe related" to "safety-related"
145	8	Change "QME17" to "QME-1-2007"; Change "three" to "3"
145	10	Change "QME1, 2007" to "QME-1-2007"
145	17	Change "exist" to "exists";
145	17	Change "squib valves and" to "squib valves are"
145	19	Change "to" to "through"
145	21	Add comma after "Pennsylvania"
146	4	Change "QME1, 2007" to "QME-1-2007"
146	7	Change "that" to "the"
146	8	Change "10CFR50.55A" to "10 CFR 50.55a"
146	9	Change "addition" to "edition"
146	11	Change "of the" to "in"; Change "reactors. That" to "reactors that"
146	15	Change "addition" to "edition"
146	16	Change "50.55A" to "50.55a"
146	22	Add "OM" after "ASME"
146	24	Change "additions" to "editions"
146	24	Delete "a"
147	1	Change "50.55A" to "50.55a"
147	4	Change "Recent" to "Commission"
147	10	Change "to" to "could"
147	12	Change "50.55A" to "50.55a"
147	15	Change "operating" to "operational"
147	16	Change "10CR50.55A" to "10 CFR 50.55a"
148	2	Change "having been first duly sworn" to "having been previously duly sworn"
148	13	Change "provides" to "provide"
148	21	Add "system" after "cooling"
148	22	Change "design the passive" to "design. The passive"
149	18	Change "lakes" to "legs"
149	25	Change "decayed" to "decay"
150	11	Change "line is" to "lines"
150	20	Change "driving" to "driven"
150	24	Change "to" to "component of"
151	6	Change "annulist [spelled phonetically]" to "annulus"
151	13	Add "the" before "evaporative"
151	18	Change "service" to "surface"
152	2	Change "to revise" to "a revised"
152	5	Change "AC arrest review book reviewed" to "ACRS reviewed both"
152	11	Delete "ability of"
152	19	Change "astringent" to "a stringent"
152	21, 22	Change "installation" to "insulation"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
152	23	Change "reflecting" to "selecting"
152	24	Add "reduction" after "negligible"
153	1	Change "verify" to "verifies"
153	15	Change "vary" to "varied"
153	18	Change "loco" to "LOCA"
153	21	Change "post-loc" to "post-LOCA"
153	22	Change "stats reviews" to "staff's review is"
153	22	Change "FSER, the ACS review" to "FSER. The ACRS review"
154	2	Change "ACOS" to "ACRS concerns"
154	12	Delete "in" after "found"
154	13	Change "has" to "had"; Delete "to" before "design"
154	14	Add "of" after "use"
155	5	Change "[unintelligible]" to "P _a "
155	19	Delete "[spelled phonetically]"
155	23	Change "are" to "or"
155	24	Change "[unintelligible]" to " χ/Q "
156	10	Change "[unintelligible]" to "an educator"
156	11	Change "and particulate" to "a particulate"
156	16	Change "not move on the" to "now move on to the"
157	4	Change "was" to "is"
157	9	Change "for work" to "forth"; Change "5046" to "50.46"
157	17	Change "two tier star" to "Tier 2 star"
157	18	Change "text backs" to "Tech specs"
157	22	Change "he toxic chemical" to "the toxic chemicals"
157	25	Change "bi-sulfate has" to "bisulfate had"
161	11	Change "programmatic" to "program"
161	15	Change "FSER" to "FSAR"; Change "IC" to "IST"
161	16	Change "[unintelligible]" to "ASME OM"
162	10	Add "had them" before "specify"
162	15	Change "5059" to "50.59"
162	24	Change "addendum" to "addenda"
163	20	Change "IC" to "IST"
163	25	Change "103G" to "103(g)"
164	5	Change "103G" to "103(g)"
165	7	Change "use" to "used"
165	17	Change "totally" to "total"
166	10	Change "valuable" to "invaluable"
166	16	Insert "to" after "input"
166	25	Change "concern" to "early"
167	6	Change "t" in "This" to lowercase
167	23	Change "steps-by-steps" to "step-by-steps"
168	4	Change "for" to "four"
168	12	Delete "?" and add "." after "Mr. Chairman"
168	17	Change "plan is to" to "plants"
168	19	Change "[unintelligible]" to "liquid"
168	21	Change "valiant" to "propellant"
168	24	Add "and" after "propellant"
169	5	Delete "test" after "times of"
169	6	Change "[unintelligible]" to "testing them"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
169	9	Change "shards" to "charges"
169	14	Change "I mean, my" to "if you mean by"
170	7	Change "INC" to "I&C"
170	16	Change "alter" to "other"
170	23	Change "free-filled" to "free-field"
170	25	Change "free-fill" to "free-field"; Change "[unintelligible]" to "Vogtle"
171	6	Change the comma after "in-structure" to a period'
171	20-21	Change "no SSE's with relevant" to "no SSCs with resonant"
172	14	Change "call" to "COLA"
172	17	Change "[unintelligible]" to "soil"
173	1-2	Change "free-fill" to "free-field"
173	4	Change "instructure" to "in-structure"
174	7	Delete "are sort of" and "a lot"
174	8	Delete "of -- some"
174	9	Delete "just ask"
174	10	Delete "little"
174	11	Insert "or" between "testing" and "surveillance"
174	16	Change "there at" to "in"; Change "CR" to "SER"
174	17	Change "[unintelligible]" to "valve"
175	1	Change "55A" to "55a"
175	6	Delete "of" after "next"
176	3	Change "definitve" to "definitive"
176	5	Delete ", I guess" and ", you"
176	6	Delete "just said," and change "finite" to "definitive"
176	9	Change "you're" to "you believe that"
177	10	Change "55A" to "55a"
177	10	Change "and add additions to" to "that edition of"
177	11	Add "have" before "the industry"
177	16	Change "application" to "applicant"
177	17	Change "table on" to "table on this"
177	19-20	Change "I technically have" to "that I have technical"
177	21	Change "the as" to "the time as"
177	24	Change "light, consider" to "light, to consider"
177	24	Change "that implementation" to "that for implementation"
178	7	Change "we the FSAR, we our operational" to "we have the FSAR, we have operational"
178	14	Change "Mr." to "Commissioner"
178	19	Change "base" to "basis"
178	20	Change "[unintelligible]" to "earthquake"
178	21	Change "o" to "to"
179	5	Change "use" to "have used"; Change "on" to "at some"
179	12	Change "blister" to "ballistic"
180	10	Change "sore" to "soil"
180	12	Delete the comma and "or" after "AP1000"
180	16	Change "if" to "is"
180	19	Change "bandwidths" to "bandwidth"
181	7	Change "sole" to "soil"
181	9	Change "[unintelligible]" to "media"
181	11	Delete "this" and change "[unintelligible]" to "work"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
181	19	Change "kind of the controlled inhabitability" to "control room habitability"
182	15	Change "probable" to "probabilistic"
182	22	Change "Sparkman, licensing" to "Sparkman, COL licensing"
182	24,25	Change "licensing support lead, New Start" to "Licensing Support Lead, NuStart"
183	1	Change "MROWCACA" to "MROWCA"
183	1	Change "super" to "severe"
183	2	Change "grant" to "branch"
183	3	Change "reliability risk" to "reliability and risk analyst"
183	5	Change "RAVIDRA" to "RAVINDRA"
183	7	Change "Denis" to "Denise"
183	9	Change "MALE SPEAKER: Mark, do" to "CHAIRMAN JACZKO: Do"
183	After line 9	Insert "WHEREUPON, the witnesses for Southern Nuclear Operating Company and for the staff of the Nuclear Regulatory Commission, having been previously duly sworn, assumed the witness stand, were examined and testified as follows:"
183	10	Change "MARK CARUSO" to "WESLEY SPARKMAN"
183	17	Change "rack" to "reactor"
183	17	Change "uncertain" to "uncertainty"
183	17,18	Change "INCK [spelled phonetically]" to "I&C key information"
183	18	Change "refernce" to "reference"
183	25	Change "of close to" to "assessment, thus"
184	10	Change "though, of" to "level"
184	11	Change "They get here a peak ground" to "That gives you a peak ground acceleration"
184	14	Change "the" to "a"
184	15	Change "perfection" to "liquefaction"
184	19	Change "screen" to "screened"
184	22	Add "Thank You." (at end of line)
184	23	Change "SR" to "FSAR"
184	24	Change "that site" to "the site"
185	1	Change "results of its" to "resultant"
185	7	Change "plan" to "plant" (both places)
185	8	Change "has" to "it is"
185	11	Change "APPGWGLR 101" to "APP-GW-GLR-101"
185	15	Change "mitigation events" to "mitigation of events"
185	16	Change "Tendency of our 5054" to "10 CFR 50.54"
185	19	Change "fuel cooling" to "fuel pool cooling"
185	22	Change "Vogtle 3" to "Vogtle units 3"
185	23	Change "mitigated" to "mitigative"
185	25	Change "10CFR50.80" to "10 CFR 50.80"
186	1	Change "commissions" to "Commission's"
186	2	Change "5280" to "52.80"
186	2	Change "and NEI0612" to "in NEI-0612"
186	5	Change "leverage" to "leveraged"
186	5,6	Change "B5B" to "B.5.B."
186	7	Change "fuel cooling" to "fuel pool cooling"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
186	10	Change "pipe" to "piped"
186	17	Change "and reactor" to "and the reactor"
186	17	Change "and mitigate" to "and to mitigate"
186	18	Change "due to" to "through the"
186	24	Change "address" to "addressing"
187	1	Change "regarded" to "provided"
187	6	Change "REIs" to "RAIs"
187	9	Change "-- [unintelligible] --" to "the VEGP 3 and 4"
187	10	Change "in NEI-06-12" to "Revision 3 of NEI-06-12"
187	11	Change "-- [unintelligible] --" to "10 CFR 52.80"
187	17	Change "In response" to "In the responses"
187	23	Change "50-54" to "50.54"
187	25	Change "features this" to "features for this"
188	1,3,6	Change "hard-pipe" to "hard-piped"
188	3,10	Change "a" to "the"
188	15	Change "prtctionion" to "protection"
188	15	Change "prevention" to "protection"
188	22	Change "process, and" to "process. The"
189	7	Change "Now" to "A"
189	14	Change "installations" to "installation"
189	17	Change "provide" to "provided"
189	21	Delete "a"
190	13	Change "DCD. They were" to "DCD that was"
190	14	Change "Practically," to "Practically"
190	15	Change "by the DCD and" to "from the DCD in"
191	6	Change "it" to "that"
191	8	Change "identifies" to "identified"
191	9	Change "actions" to "action"
191	20	Change "addressed" to "addresses"
191	21	Change "often" to "also"
191	22	Change "the - - [unintelligible] --" to "by reference the NEI"
191	25	Change "inspections test" to "inspections, tests"
194	1	Change "occurred" to "occur"
194	4	Change "out" to "at"
194	18	Add "response" between "design" and "spectra"
195	24	Change "exceedence" to "exceedance"
195	25	Change "SSEs" to "SSCs"
196	5	Change "ESB" to "ESP"
196	22	Change "pulling" to "polling"
198	12	Change "frequency" to "frequencies"
198	20	Change "main" to "mean"
198	23	Change "probably" to "probable"
199	7	Add "materials" after "hazardous"
200	4	Change "having been first duly sworn" to "having been previously duly sworn"
200	10	Change "we" to "I"
200	14	Change "LOLA -- [unintelligible] --" to "Vogtle LOLA"
200	16	Change "[unintelligible]" to "Andrukak"
200	18	Change "III and IV" to "3 and 4"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
200	25	Change "1CFR" to "10 CFR"
201	4-5	Change "special information and proven commitments" to "sufficient information, including commitments"
201	6	Change "10CFR52.80(d)" to "10 CFR 52.80(d)"
201	9	Change "or" to "and"
201	9	Change "strategy" to "strategies"
201	16	Change "Internal" to "Interim"
202	6	Change "on" to "of"
202	7	Change "limitation by" to "implementation via"
202	7	Change "in" to "and"
202	22	Add "in" after "included"
203	5	Change "[unintelligible]" to "release of radio"
203	5	Change "activity" to "radioactivity"
203	9	Change "endorse" to "endorsed"
203	20	Change "assessment" to "assessments"
203	25	Change "classifiable safeguard" to "Classified and Safeguards"
204	17	Change "[Unintelligible] – experience to manage – [unintelligible] –" to "A team of individuals knowledgeable and experienced in matters pertaining to LOLAs"
205	1	Change "under" to "of the"
205	6	Change "[unintelligible]" to "Andrukat"
205	8	Change "10CFR50.150" to "10 CFR 50.150"
205	21	Change "mitigating" to "mitigative"
205	24	Change "[unintelligible]" to "radios,"
205	25	Change "in" to "and"
206	1	Change "[unintelligible]" to "musterling"
206	5	Add "commit to" before "include"
206	9	Change "mitigating" to "mitigative"
206	16	Change "staff" to "staff's"
206	19	Change "Section 52.80(d) – [inaudible] – basis" to "Section 52.80(d), the regulatory basis"
207	1	Change "and classified" to "unclassified"
207	3	Change "[unintelligible]" to "under 10 CFR 2.390(d)."
207	5	Change "basis" to "bases"
207	23	Change "mitigating" to "mitigative"
208	2	Change "[unintelligible]" to "Maintenance"
208	11	Change "applicant – [unintelligible] –" to "applicant's submittal"
209	14	Change "design" to "design-related"
210	18	Change "Bais" to "Basis"
210	21	Change "assume" to "assumes"
211	4	Change "plant" to "the primary"
211	10	Change "CheckPLus" to "CheckPlus"
211	16	Delete "NRC"
212-213	<i>passim</i>	Change "XIQ" to " χ/Q " [page 212 lines 12, 13, 17, 19, 24; page 213 lines 1, 5]
212	4	Change "AP100DCD" to "AP1000 DCD"
212	5	Change "10CFR 52. 79(a)(1)" to "10 CFR 52.79(a)(1)"
212	8	Add "Staff's" before "FSER"
212	12	Change "referred to as" to "which is known as"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
212	14	Change "AP1 000" to "AP1000"
212	15	Change "radiological" to "rad"
212	16	Delete "or rad consequences"
212	21	Change "acomparison" to "a comparison"
213	4	Change "of" to "for"
213	6	Delete "the"
213	11	Change "AP1000" to "AP1000"
213	14	Change "continue with" to "cover the"
213	22	Change "INC" to "I & C"
214	14	Change "INC" to "I & C"
216	17	Change "INC" to "I & C"
216	24	Delete "COL"
217	6	Add "via" before "230/500"
217	14	Change "YR5" to "via 5"
217	16	Change "4500" to "500"
217	19	Change "SBA" to "SBAA"
217	24	Delete "COL"
219	22	Change "1 E" to "1E"
220	16	Change "raised -- [unintelligible] --" to "raised, I think in"
221	5	Change "- -" to "itself."
221	10	Change "experience -- the -- [unintelligible] --" to "experience. INPO"
221	14	Change "on" to "of"
222	5	Change "[Unintelligible] – comparison?" to "I'll ask Malcolm Patterson"
222	12	Change "a similar one" to "I had a similar role"
222	13	Delete "as" before "they are"
223	11	Change "define" to "defined"
223	21-22	Change "I just want to add that for individual license condition they do have the information (unintelligible)." to "I just want to add that for each of the individual license conditions they do have implementation milestones like fuel (unintelligible)."
224	11	Change "having been first duly sworn" to "having been previously duly sworn"
224	14	Change "information" to "instrumentation and"
224	15, 16	Change "INC" to "I&C"
224	17	Change "(inaudible)" to "Tech specs allowed outage"
224	18	Change "desk" to "DAS"
224	22	Change "[unintelligible]" to "software"
225	13	Insert "to" after "related"
225	19	Change "I think this is on me" to "This is Amy"
225	20	Change "with" to "with some of"
225	22	Change "applications" to "application"
226	3	Change "AP1000DCD" to "AP1000 DCD"
226	11	Change "(inaudible)" to "for a minimum of"
226	12	Change "the interactions" to "interactions"
226	13	Change "REIs" to "RAIs"
226	23	Insert "how" after "really"
227	2	Insert "a" between "at" and "high"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
227	4-5	Change "it was in" to "using"
227	22	Change "locking" to "blocking"
228	7	Change "was" to "is"
228	8	Change "These" to "Needs to"
228	12	Delete the "a" between "to" and "unit"; capitalize "U" in "unit"; change "force" to "Four"; and change "KB" to "kV"
228	13	Change "switch" to "switchyard"
228	14	Delete the comma after "way"
228	21	Change "having been first duly sworn" to "having been previously duly sworn"
228	23	Change "Tanya" to "Tania"
229	8	Change "regular" to "review"
229	16	Change "in structured" to "in-structure"
229	17	Add "CSDRS" after "the"
229	24	Add "point" after "just a"
230	2	Change "SSC" to "SSE"
230	4	Change "IDR" to "IBR"
230	9	Add "process" after "SSI"
230	21	Change "SSC" to "SSE"; change ".26G" to ".26g"; change "the probability" to "using the probabilistic"
230	23	Change "GNRS" to "GMRS"
232	3	Change "having been first duly sworn" to "having been previously duly sworn"
232	12	Change "[unintelligible]" to "results"
233	1	Change "571H1" to "50.71(h)(1)"
233	10	Change "want make" to "want to make"
233	15	Change "who" to "we"
233	18	Change "perform" to "performed"
233	25	Change "50-54HH" to "50.54(hh)"
234	4	Change "the" to "my"
234	7	Change "Phase 2, Phase 3" to "Phase 2 and Phase 3"
234	9	Change "three" to "three and four"
234	11	Change "to share" to "shared" and delete "Is that?"
234	14	Change "pump would" to "pump, we'd"
234	22	Delete "Have you for this" and capitalize the "F" in "for"
234	23	Delete "periodically"
235	3	Delete "mud"
235	4	Change "not normally be" to "not be normally"
235	5	Change "and, or" to "and/or"
235	6	Change "insure they" to "insure that they"
235	10	Change "do" to "does"
235	11	Delete "low"
235	12	Change "level" to "LOLA"
235	13	Change "the" to "one"
235	20	Change "but" to "and"
235	21	Change "retaining" to "maintaining"; Change "but they haven't made the commitments" to "and they have made commitments"
235	23	Change "strategists" to "strategies"
235	24	Change "insure" to "ensure"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
236	4	Delete "made a sort of"
236	6	Change "spend" to "spent"
236	23	Change "boiler" to "building"
237	17	Change "range" to "winds"
237	17	Change "[unintelligible]" to "a seiche"
237	25	Change "IMC" to "I and C"
238	4	Change "IMC" to "I and C"
238	15	Change "[unintelligible]" to "Chapter 8"
238	15	Change "[unintelligible]" to "station blackout"
238	19	Change "Tonia" to "Tania"
240	19	Change "ERA" to "PRA"
240	24	Change "feeding" to "exceeding"
241	9	Change "showed" to "mentioned"
241	10	Delete "a part --"
241	11	Insert "right" after "Is that"
241	23	Change "fire" to "failure"
242	2	Change "inpact" to "impacts"
244	4	Change by removing text: Atomic Safety and Licensing Board Panel
244	17	Change "trial" to "hearing"
245	9-12	Move the text to be above line 8 (Ms. Sutton appears on behalf of Southern Nuclear Operating Company)
245	14-18	Add Ann Hodgdon, Esq. and Patrick Moulding, Esq. 11555 Rockville Pike, Rockville, Maryland 20852-2738 (They appear on behalf of the staff of the United States clear Regulatory Commission)
246	2	Change "93" to "248"
246	4	Change "94" to "249"
246	5	Change "ERLINGER" to "ERLANGER"
246	5	Change "131" to "286"
246	6	Change "139" to "294"
246	8	Change "143" to "298"
246	11	Change "191" to "346"
248	1	Change "was called as a witness" to "were called as witnesses"
248	2	Change "having been first duly sworn" to "having been previously duly sworn"
248	2	Change "was" to "were"
248	6, 8	Change "Instant" to "Incident"
248	16	Change "was called as a witness" to "were called as witnesses"
248	17	Change "having been first duly sworn" to "having been previously duly sworn"
248	17	Change "was" to "were"
248	19	Delete "the"
248	21	Change "license supervisor" to "licensing supervisor, Vogtle 3 and 4"
248	22	Change "support license lead" to "Support Licensing Lead"
248	23-24	Change "[inaudible] Mr. Sparkman" to "I guess turn it to you Mr. Sparkman to begin"
249	2	Change "planning and" to "planning and the"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
249	4	Change "system" to "system,"
249	6	Change "first (three) plant" to "first-three-plant"
249	11-12	Change "VCs [spelled phonetically]" to "bases"
249	12	Delete "were"
249	12	Change "as" to "is"
249	14	Change "condition related" to "condition was related"
249	15	Change "departure of" to "departure from"
249	16	Change "for CD" to "DCD"
249	20	Change "action of" to "action on"
249	21	Change "license" to "licensed"
249	22	Change "and" to "in"
249	25	Change "levels" to "level"
249	25	Change "established, but consequently the" to "established. Consequently a"
250	1	Change "licensing" to "license"
250	3	Change "EALs" to "The EALs"
250	4	Change "7-01" to "07-01"
250	5	Change "Task and" to "Passive"
250	5	Change "EALs" to "the EALs"
250	6	Change "the state" to "with state"
250	9	Change "[inaudible] suggested," to "TSC as did"
250	10	Change "BCD" to "DCD"
250	10	Change "[inaudible]" to "deferred"
250	11	Change "TSE" to "TSC" (both places)
250	12	Change "AD .8-1" to "18.8-1"
250	12	Change "all one" to "follow-on"
250	13	Change "[inaudible]" to "habitability"
250	14	Change "they" to "the"
250	15	Change "have ability" to "habitability"
250	15	Change "to GSE" to "of the TSC"
250	17	Change "TSE" to "TSC"
250	19	Change "relocated" to "to be located"
250	20	Change "ATRS" to "ACRS"
250	20	Change "for" to "for a"
250	21	Change "TSE. We" to "TSC, we"
250	22	Change "Vogtle" to "both"
250	23	Change "Positions" to "The positions"
251	4	Change "TSE" to "TSC"
251	4	Change "grated" to "graded"
251	7	Delete "the"
251	8	Change "and of course" to "in accordance"
251	9	Change "7354E" to "73.54 echo"
251	10	Change "a plant" to "the plan"
251	14	Change "security and" to "security"
251	16	Change "objectives Reg." to "objectives of Reg."
251	17	Change "However, AP1000" to "However, the AP1000"
251	18	Change "plant" to "plan"
252	3	Change "other programs" to "other security programs"
252	4	Change "A4 to "Alpha4"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
252	4	Change "He" to "And he"
252	5	Change "of the five [inaudible]" to "other topics"
252	6	Change "Thanks" to "Thank you"
252	10	Change "in" to "in the"
252	13	Change "NRSR" to "in our FSAR"
252	14	Change "SEIL" to "COL"
252	14	Change "a" to "of"
252	17	Change "pads" to "paths"
252	18	Change "seal of" to "COL"
252	18	Change "Matamic" to "Metamic"
252	20	Change "Next" to "The next"
252	20	Change "of" to "for"
253	5	Change "drip" to "draft"
253	6	Change "circulated" to "circulating"
253	7	Change "system is to also provide" to "system also provides"
253	7	Change "for Units" to "for the Units"
253	8	Change "from the circling" to "when the circulating"
253	12	Change "fire," to "fire"
253	12	Change "de-mineralize" to "de-mineralized"
253	17	Change "COLA" to "The COLA"
253	17	Change "a" to "and"
253	22	Change "10CFR 20.1101B" to "10 CFR 20.1101Bravo"
253	22	Change "use to the extent practical" to "use, to an extent practical,"
253	23	Change "in" to "and"
253	23	Change "control" to "controls"
253	24	Change "principals. To" to "principals to"
254	7	Change "12AA" to "12 Alpha Alpha"
254	8,16	Change "08-08A" to "08-08 Alpha"
254	10	Change "contamination" to "contamination,"
254	18	Change "NEI" to "The NEI"
254	19	Change "established" to "the established"
255	1	Change "criticality," to "criticality"
255	1	Change "extension" to "ascension"
255	3	Change "and FSAR" to "in FSAR"
255	5	Change "applicants" to "applicant's"
255	10	Change "size and" to "site-"
255	12	Change "tests" to "tests,"
255	13	Change "not" to "on"
255	14	Change "instance" to "instance,"
255	17	Change "(three)" to "three"
255	20	Delete "I'm"
255	23	Change "and" to "in"
255	25	Change "licensed" to "license"
256	19	Change "CLR" to "COL"
257	8	Change "plan" to "plans"
257	13	Change "plan" to "plant"
257	17	Change "applications" to "application"
257	22	Change "reference" to "referenced"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
258	12	Change "addresses" to "address"
258	14	Change "adresse" to "address"
258	16	Change "path of" to "passive"
258	23	Change "agency's" to "agencies' "
259	2	Change "plan" to "plant"
259	6	Change "licensed" to "license"
259	12	Delete "and"
260	5	Delete "[spelled phonetically]"
260	13	Change "unit" to "unit's"
261	16	Change "loads" to "load"
262	1	Change "Part 52 of the" to "Part 52, the"
262	9	Change "instant" to "incident"
262	10	Change "established" to "cyber"
262	11	Add "power" after "nuclear"
262	19	Change "7354" to "73.54"
262	22	Change "[inaudible]" to "reactor"
263	2	Change "supports" to "support"
263	8	Change "the past attack" to "the terrorist attacks"
263	18	Change "[unintelligible]" to "Stuxnet"
263	23	Change "[unintelligible] as" to "Stuxnet"
263	25	Change "and" to "at"
264	12	Change "establish" to "cyber"
264	13	Change "[inaudible]" to "reactor"
264	16	Change "devised" to "revised"
264	20	Change "commission issued 10CFR 73-54 established" to "the Commission issued 10 CFR 73.54 cyber"
264	22	Change "[inaudible]" to "performance-based"
264	23	Change "10CFR 7354" to "10 CFR 73.54"
264	25	Change "importance of" to "important to"
264	25	Change "emergence of" to "emergency"
265	2	Change "importance of" to "important to"
265	2	Change "emergence of" to "emergency"
265	12	Change "instant" to "incident"
265	13	Change "mediate" to "mitigate"
265	13	Change "consequence" to "consequences"
265	14	Change "and establish" to "that established"
265	23	Change "phases" to "basis"
266	9	Change "entire" to "cyber"
266	11	Change "for vulnerability" to "or vulnerabilities"
266	13	Change "established" to "cyber"
266	18	Change "on, and" to "on an"
266	19	Change "this" to "NIST"; Change "800-S-53" to "800-53"
266	19	Change "venders" to "standards"
266	25	Change "method" to "methods"
267	4	Change "affected" to "effective"
267	8	Change "NES" to "NIST"
267	11	Change "the" to "their"
267	12	Change "NARC" to "NERC"
267	13	Change "NARC'S" to "NERC's"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
267	14	Add "CIP" after "NERC"
267	15	Change "[unintelligible]" to "CSET tool,"
267	17	Change "bodies" to "parties"
267	18	Change "[unintelligible] assurance working group" to "Software Assurance Working Group"
267	20	Delete "it"
267	25	Change "So [unintelligible]" to "The Vogtle COL"
267	25	Change "subject to the" to "submitted its"
268	1	Change "the 10CFR 73054 [spelled phonetically]" to "10 CFR 73.54"
268	2	Change "REIs" to "RAIs"
268	3	Change "plant" to "plan"
268	7	Change "cellular" to "submitted"
268	8	Change "Vogtle" to "Vogtle's"
268	11	Change "room" to "rule"
268	12	Change "[unintelligible]" to "Vogtle"
268	15	Change "collected" to "reflected"
268	19	Change "defensible" to "defensive"
268	20-21	Change "[unintelligible] layers" to "data diodes"
268	21	Change "layer" to "layers"
269	4	Change "the established" to "its cyber"
269	8	Change "established" to "cyber"
269	9	Delete "the"
269	13	Change "deviation" to "deviations"
269	16	Change "plant" to "plan"
269	19	Change "six months after Vogtle's plan" to "systems at the Vogtle plant"
269	22	Change "center" to "centers"
269	23	Change "39-8 [unintelligible]" to "13.8"; Delete "attached"
269	24	Change "come" to "turn"
270	8	Change "these presentations" to "this presentation"
270	14	Change "instructional analysis for" to "structural analysis of"
270	17	Change "audit" to "audits"
270	21	Change "from" to "of"
271	7	Change "full core also" to "fuel core offload"
272	13	Change "[unintelligible]" to "SNC"
272	13	Change "details behind" to "detailed design of"
272	25	Change "REIs" to "RAIs"
273	6,10	Change "SSDs" to "SSCs"
273	11	Change "carrying" to "carry"
273	11	Change "it" to "them"
273	13,15	Change "SSDs" to "SSCs"
273	14	Delete "of"
273	19	Change "REI" to "RAI"
273	22	Change "not" to "no"
273	23	Add "the" after "that"
274	5	Change "interesting" to "interest"; Change "for" to "of"
274	7	Change "plank" to "plant"
274	10	Change "provides" to "revised"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
274	16	Change "affluent" to "effluent"
275	3	Change "Vogtle's" to "Vogtle"
275	11	Change "rebounding" to "or bounding"
275	15	Change "does" to "dose"
275	15	Change "milligrams" to "millirem" (Two instances)
275	17	Change "to restricted" to "and restricted"
276	5	Change "at" to "of"
276	9	Change "stride of" to "startup"
276	9	Change "that are in" to "during"
276	10	Change "extension" to "ascension"
276	11	Change "or first pre-plant" to "or first-three plant"
276	22	Change "low" to "blow"
276	24	Change "on" to "of"
277	8	Change "for emergency planning." to "for the emergency plan."
277	24	Change "but" to "that"
278	2	Change "available to us yet." to "available yet."
278	7-8	Change "part of the district" to "Part 50"
278	9	Change "5047" to "50.47"
278	13	Add "a" after "from"
278	13-14	Change "emergency [unintelligible]" to "emergencies at the plant."
278	17	Change "5047" to "50.47"
278	19-20	Change "That's why they" to "But that's why we"
278	21	Delete "the"
278	25	Change "52-" to "52 --"; delete "20-"; change "5279" to "52.79"
279	4	Add "at that time" after "them"
279	11	Change "here" to "again"
279	17	Change "is tremendous" to "is a tremendous"
280	8	Change "BRUCE MUSICO" to "WESLEY SPARKMAN"
280	10	Change "from" to "of"
280	16	Change "Pierce" to "Pierce, Southern Nuclear"
280	21	Change "Metanic" to "Metamic"
280	25	Change "respect that" to "respect to that"
281	4	Change "them" to "it"
281	15	"Change "characterize" to "characterizes"
281	18	Delete "relate"
281	21	Delete "out"
281	24	Change "[unintelligible]" to "and eliminate the need to"
282	5	Change "four" to "all"
282	6	Change "[unintelligible] address the [unintelligible]" to "currently known address the currently known"
282	7	Change "[unintelligible] the answers" to "be used by the adversaries"
282	8	Change "part of [unintelligible]" to "part of philosophy that"
282	9	Change "the [unintelligible]" to "it applies to all"
282	13	Delete "not"
282	22	Insert "a" between "have" and "very"
282	25	Change "[unintelligible]" to "Chief vendor of inspections"
283	1	Add "Office of New" before "reactors"
283	2	Delete "[spelled phonetically]"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
283	3	Change "[unintelligible]" to "tests"
283	5	Change "[unintelligible]" to "tests in the"
283	6	Change "[unintelligible]" to "at the actual test site"
283	7	Change "[inaudible]" to "at the time"
283	10	Change "plan" to "plant"
283	17	Change "change" to "changed"
283	19	Change "DSD" to "TSC"
283	23	Change "as building" to "as the building"
284	1	Change "the support" to "those support"
284	15	Change "[unintelligible]" to "digital"
284	16	Change "over" to "in"
284	16	Change "south" to "cyber"
284	16	Change "plant" to "plans"
284	17	Change "have a" to "submit cyber"
284	17	Change "that" to "cyber"
284	18	Change "that incrementing [unintelligible]" to "they are implementing their cyber"
284	19	Change "[unintelligible]" to "high assurance that critical digital"
284	19	Delete "our"
284	20	Change "federal tax" to "cyber attacks"
284	20	Change "[unintelligible]" to "let me read actually – additionally"
284	21	Add "the cyber security" before "regulations"
284	24	Change "[unintelligible]" to "part of the cyber"
284	24	Change "NRC security" to "NRC's periodic"
284	25	Add "not" after "plan it is"
285	4	Change "security" to "during"
285	5	Add "criteria" after "those"
285	7	Change "ERLINGER" to "ERLANGER"
285	8	Change "Southern Nuclear Operating Company" to "staff of the Nuclear Regulatory Commission"
285	9	Change "having been first duly sworn" to "having been previously duly sworn"
285	11	Change "ERLINGER" to "ERLANGER"
285	11	Change "Erlinger" to "Erlanger"
285	12	Change "grants" to "branch"
285	12-13	Delete "[spelled phonetically]"
285	15	Change "the support" to "is important to"
285	18	Change "[unintelligible]" to "thought of"
285	18	Add "eventually" after "applicant"
285	19	Change "this" to "its" (two instances)
285	20	Change "an" to "it in"
285	23	Insert "in" after "mentioned"
286	3	Change "Erlinger" to "Erlanger"
286	3	Insert "of the" after "all"
286	4	Change "[inaudible]" to "plan"
286	6	Change "than" to "and"
286	9	Delete "[spelled phonetically]"
286	12	Change "ERLINGER" to "ERLANGER"
286	12	Change "Erlinger" to "Erlanger"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
286	13	Change "follow" to "fall to"
286	14	Change "[unintelligible]" to "that in the"
286	21	Change "TSA the" to "TSC with"
286	22	Change "lot" to "a lot"
286	22	Insert "a" after "state,"
286	24	Change "- - look at" to "for the"
287	6	Change "ERLINGER" to "ERLANGER"
287	8	Change "and" to "at"
287	10	Change "my directional" to "bidirectional"
287	18	Change "by regulation" to "by a regulation"
287	23	Change "We" to "But, we"
287	24	Change "the cyber security to protect [unintelligible]" to "a cyber security attack vector"
288	7	Change "7354" to "73.54"
288	8	Change "A1" to "(a) (1)"
288	10	Change "[inaudible]" to "emergency preparedness"
288	11	Delete "what this really then [unintelligible] the whole"
288	12	Delete "thing --"
289	1	Change "ERLINGER" to "ERLANGER"
289	13	Change "inside the" to "and cyber"
289	15	Change "ERLINGER" to "ERLANGER"
289	17	Change "7354" to "73.54 and"
289	23	Delete "[inaudible], showing me six minute [inaudible]"
289	25	Delete "test"
290	1	Change "Appendix c [spelled phonetically]" to "Appendix E"
290	1	Insert "exercise" before "within" and insert "to" between "prior" and "fuel"
290	2	Delete "[inaudible]"
290	9	Change "[unintelligible]" to "fleet"
290	10	Change "and we find" to "ahead, we plan"
290	11	Change "have those" to "have to have those"
290	15	Change "[unintelligible]" to "emergency planning"
290	16	Delete "[inaudible]"
290	18	Change "THEODORE AMUNDSON" to "BRUCE MUSICO"
290	20	Change "a [inaudible]" to "an emergency planning"
291	3	Change "sever" to "severe"
291	6	Change "THEODORE AMUNDSON" to "BRUCE MUSICO"
291	6	Change "during ESP" to "during the ESP"
291	7	Change "ASOB" to "ASLB"
291	8	Change "TSD" to "the TSC"
291	9	Change "those now" to "the personnel"
291	10	Change "state evaluation report" to "Safety Evaluation Report"
291	13	Change "THEODORE AMUNDSON" TO "BRUCE MUSICO"
291	18	Change "sort" to "start"
291	21	Change "[unintelligible]" to "significant" and insert "in" before "those"
291	22	Insert "Not" before "that"
291	23	Change "MALE SPEAKER" to "BRUCE MUSICO"
292	3, 16	Change "MALE SPEAKER" to "BRUCE MUSICO"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
292	5	Insert "was" after "One"
292	6	change "emergency plan" to "emergency planning"
292	13	Change "[unintelligible]" to "focus on the"; change "[inaudible]" to "in the Vogtle"; and change "so" to "that"
292	14	Insert "in" after "Anything"
292	15	Change "[inaudible]" to "reactors"
292	16	Change "offset" to "off-site"
292	17	Change "on" to "off"
292	24	Change "condition" to "question"
293	6	Change "having been first duly sworn" to "having been previously duly sworn"
293	9	Change "demand" to "design"
293	10	Insert "fleet" after "existing"
293	10	Add "of the facility" after "basis"
293	11	Add "specifically" after "actually"
293	12	Change "clarify" to "verify"
293	13	Change "phenomenon" to "phenomena"
293	18	Change "exclusively" to "explicitly no"
293	19	Change "[unintelligible]" to "passive core cooling"
293	19	Change "of" to "at"
294	1	Change "son" to "on"
294	2	Change "of inert" to "with NERC"
294	3	Insert "the" after "between"; delete the period after "interface"; and make the "t" in "Typically" lowercase
294	4	Delete the period and insert "and" after "interface"; make the "d" in "Discussion" lowercase; change "right" to "bright"; and delete the commas after "line" and "surveys"
294	6	Insert "with" after the comma after "have" and change "global" to "proposed"
294	7	Delete the comma and insert "between" after "boundary"
294	8	Change "already" to "wrote a"
294	8	Add "paper" after "SECY"
294	9	Change "you did for unit" to "in"
294	9	Change "associate" to "associated"
294	11-12	Change line 11-12 to "we have provided that information to the Vogtle and they have implemented their -- revised to reflect the changes into their Vogtle plan."
294	17	Change "NERK" to "NERC"
294	24	Change "clinical" to "critical"
294	25	Change "and would" to "that would"
295	23	Change "UF" to "EOF"
296	1	Change "for example" to "for an example"
296	3	Change "events" to "units"
296	4	Change "any dent in" to "an event at"
296	8	Change "We're" to "If"
296	10	Change "so we" to "so that we"
297	9	Delete "DALE FULTON"
297	10	Delete "AMY AUGHTMAN"
297	11	Delete "CHUCK PIERCE"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
297	12	Change "was called as a witness" to "were called as witnesses"
297	12	Change "Southern Nuclear Operating Company" to "the staff of the Nuclear Regulatory Commission"
297	13	Change "having been first duly sworn" to "having been previously duly sworn"
297	13	Change "was" to "were"
297	21	After line 21 add: CHAIRMAN JACZKO: Great. Now from the Applicant Add: "WHEREUPON, DALE FULTON, AMY AUGHTMAN, CHUCK PIERCE were called as witnesses for the Southern Nuclear Operating Company and, having been previously duly sworn, assumed the witness stand, were examined and testified as follows:"
298	5	Delete "[unintelligible]"
298	9	Change "efforts," to "efforts and"
298	14	Change "associates" to "associated"
298	15	Change "coded" to "covered"
298	15	Change "LWA," to "LWA, and"
298	17	Change "limit to" to "limited"
298	21	Change "incident in" to "and significant"
299	8	Change "Vogel" to "Vogtle"
299	14	Change "work root" to "water proof"
299	19	Change "out the" to "out that the"
300	1	Change "high land" to "island"
300	6	Change "[unintelligible]" to "for permanent"
300	15,21	Change "poppy" to "pocket"
300	15,23	Change "sand hills mill patch" to "sandhills milk vetch"
300	18	Change "impacts to" to "impacts of"
300	19	Change "Sothern" to "Southern"
300	22	Change "condition" to "construction"
301	3	Change "environment" to "environmental"
301	5	Change "I, II" to "I and II"
301	7	Change "findings" to "impact"
301	10	Change "with" to "which"
301	11	Change "Sothern's" to "Southern's"
301	12	Change "environment" to "environmental"
301	12	Change "to staff" to "the staff's"
301	17,24,25	Change "limit to" to "limited"
301	19	Change "regulations" to "regulation"
301	24	Change "addition" to "addition,"
302	1	Change "limit to" to "limited"
302	1	Change "authorization" to "authorizations"
302	10	Change "from" to "for"
302	10	Delete "be"
302	11	Change "stabilized" to "destabilize"
302	20	Change "as" to "As"
302	21	Change "to environmental" to "the environmental"
302	25	Change "not have" to "have not"
303	4	Change "Sothern's" to "Southern's"
303	8	Change "Vogel" to "Vogtle"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
303	13	Change "Southern Nuclear Operating Company" to "the Nuclear Regulatory Commission"
303	13	Change "Southern Nuclear Operating Company" to "NRC Staff"
303	14	Change "having been first duly sworn" to "having been previously duly sworn"
303	17	Change "Here" to "And"
303	18	Change "Vogtle 3 and 4" to "Vogtle Units 3 and 4"
303	19	Change "applications" to "application"
303	24	Delete "and"
303	25	Change "[unintelligible]" to "Endangered Species"
304	3	Change "testing" to "assessments"
304	5	Change "on" to "under"
304	5-6	Change "except for the agency's regulation transferred for Part 51" to "as set forth in the agency's regulation 10 CFR Part 51"
304	7-8	Change "was outlined for the Commission. The adequacy" to "will outline for the Commission the adequacy"
304	9	Change "issuance, the request to combine license" to "issuance of the requested combined license"
304	12	Change "represents" to "references"
304	13	Change "known as ESP. It's" to "known as an ESP is"
304	13	Change "view" to "review"
304	17	Change "[unintelligible]" to "a COL"
304	20	Change "and CIM" to "FEIS"
304	21	Change "and CIM" to "FEIS"
304	24	Change "applicant's" to "the applicant's"
304	24-25	Change "to find" to "for identifying"
305	2	Change "conclusion" to "conclusions"
305	3	Change "FEIS" to "SEIS"
305	5	Change "social methods but is now determined by additional analysis of new information, [unintelligible]." to "circumstances where the staff determined that additional analysis of new information was appropriate."
305	8	Change "ESP conclusions" to "ESP stage conclusions"
305	10	Change "conclusions" to "conclusion"
305	11-12	Change "Sothern's [unintelligible] prior amendment in" to "Southern's requests for amendments to"
305	14	Change "As [unintelligible] client explained," to "As described previously,"
305	15	Change "was" to "which was"
305	16-17	Change "[unintelligible] for the regulation, therefore 5175" to "Title 10 of the Code of Federal Regulations CFR 51.75"
305	18	Change "EIM" to "EIS"
305	18	Change "10CFR 5192E" to "10 CFR 51.92(e)"
305	20	Change "construction, operation" to "construction and operation"
305	23-24	Change "of 5192, [unintelligible] COL review [unintelligible] threat" to "in 51.92 direct the COL review to address"
305	25	Change "as" to "and to"
305	25	Change "focused" to "focus"
305	25	Change "there's" to "there is"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
306	4	Change "an essential" to "the central"
306	6	Change "will require" to "were required"
306	6	Change "and EIF" to "SEIS"
306	7	Change "to be considered" to "reconsidered"
306	7	Change "NRC" to "NRC's"
306	8	Change "and EIS" to "FEIS"
306	8	Change "—so first we" to "appropriately"
306	11	Change "references ESP" to "references an ESP"
306	12	Change "other ESP" to "other ESPs"
306	15	Change "about the ESP" to "of other ESPs"
306	16	Change "followed" to "following"
306	19	Change "socio-economic" to "socioeconomics"
306	22	Change "on past" to "from past"
306	24	Change "[unintelligible] to" to "including"
307	2	Change "optional." to "optional for the ESP stage."
307	2	Change "And as the applicant" to "An ESP applicant"
307	5	Change "[unintelligible]" to "subjects"
307	6	Change "then" to "them"
307	10	Change "[unintelligible]" to "of basing its"
307	11	Change "[unintelligible]" to "range of"
307	13	Change "[inaudible]" to "Which the NRC had already certified."
307	13	Change "afforded" to "avoided"
307	13	Change "impact" to "impacts"
307	14	Change "[unintelligible]" to "with less"
307	14	Change "design" to "designs"
307	14	Change "saw" to "Southern"
307	15	Change "until" to "its COL"
307	15	Change "with" to "would"
307	15	Change "[unintelligible]" to "the amended"
307	18	Change "will" to "would"
307	19	Change "[unintelligible]" to "ESP"
307	20	Change "FDIS" to "FEIS"
307	21	Change "has" to "had no"
307	23	Change "close in time to the EFC [unintelligible]" to "closely in time to the ESP the COL"
307	24	Change "ESP [unintelligible]" to "ESP are valid for"
307	25	Change "[unintelligible]" to "COL"
308	2	Change "was underway" to "was still underway"
308	2	Change "EIS" to "FEIS"
308	3	Change "the applications" to "its applications"
308	8	Change "into" to "and COL"
308	8	Change "[unintelligible]" to "tier off"
308	9	Change "[unintelligible]" to "final"
308	9	Change "streamline" to "streamlined"
308	10	Change "[inaudible]" to "supplement"
308	13	Change "and EIS" to "FEIS"
308	15	Change "conclusion" to "conclusions"
308	15	Change "SEIS" to "FEIS"
308	15	Change "SCIS" to "SEIS"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
308	16	Change “[unintelligible] the ESP [unintelligible] the” to “tiered off the ESP final”
308	18	Change “significant [unintelligible] definition” to “significance level definitions”
308	19	Change “impact” to “impacts”
308	22	Change “[unintelligible]” to “or to destabilize”
308	24	Change “impact” to “impacts”
309	1	Change “socio-economic” to “socioeconomics”
309	1	Change “its” to “the”
309	2	Change “[unintelligible]” to “historic and cultural”
309	2	Change “its” to “that”
309	3	Change “will be moderate” to “would be moderate”
309	3	Change “EIS explains” to “EIS analysis explains”
309	3-4	Change “will only be [unintelligible] will be mitigated” to “would only be temporary or would be mitigated”
309	6	Change “staff” to “staff’s
309	8	Change “partially accident [spelled phonetically]” to “postulated accidents”
309	13	Delete “[spelled phonetically]”
309	13	Change “to be” to “would be”
309	14-15	Change “licensee compliance of federal and state require permits and certification for the minimized and impact” to “licensee’s compliance with federal and state required permits and certifications would minimize any impacts”
309	18	Change “of [unintelligible]” to “to terrestrial”
309	18	Change “will be” to “would be”
309	19	Change “[unintelligible]” to “terrestrial”
309	20	Change “included the applicant’s [unintelligible]” to “including the applicant’s best”
309	22-23	Change “dependent on [unintelligible] transmission line route [unintelligible] the right upgrades would be moderate” to “depending on the final transmission line route, terrestrial ecology impacts within the right-of-way could be moderate.”
310	1-2	Change “[unintelligible], especially in [unintelligible]” to “adverse, especially in Burke”
310	5	Change “[unintelligible]” to “transmission”
310	6	Change “And the traffic impact [unintelligible] in site” to “as could traffic impacts on roads in the site”
310	7	Change “impact” to “effect”
310	8	Change “[unintelligible]” to “receipts in Burke”
310	13	Change “[unintelligible]” to “deposits”
310	14	Change “At [unintelligible] ESP” to “As explained in the ESP”
310	14	Change “are” to “were”
310	15-16	Change “litigation measures to indentify and” to “mitigation measures were identified to”
310	17	Change “SEIS” to “FEIS”
310	19	Change “agrees” to “agreed”
310	23	Change “[unintelligible]” to “obviously superior”
311	1	Change “was saying” to “explained”

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
311	1	Change “that ESP SEIS” to “the ESP FEIS”
311	2-3	Change “follows the structure of the ESP SEIS for the review prominently spoken on needs as soon as we get information” to “followed the structure of the ESP FEIS, but with the review process focused on new and significant information”
311	6	Add “I led” after “application”
311	8	Add “particular” before “technical”
311	12	Change “to find” to “in preparing”
311	12	Change “license and” to “licensing”
311	13	Change “especially” to “such as”
311	13	Change “ESP and COL” to “ESPs and COLs”
311	14	Add “were” before “also”
311	15	Change “[unintelligible] specific” to “leverage this”
311	16-17	Change “[unintelligible] 10CFR section 192 [spelled phonetically] the staff [unintelligible] environmental review focus” to “Pursuant to 10 CFR 51.92 the staff’s COL environmental review focused”
311	16-25	Replace lines 16-25 with “Pursuant to 10 CFR 51.92 the staff’s COL environmental review focused on whether there was new and significant information. As previously discussed, the NRC is required to prepare a supplemental environmental impact statement as part of its review of a COL application referencing an ESP. The NRC staff tiers off the ESP EIS at the COL stage and discloses the NRC conclusion for matters resolved in the ESP review. Detailed procedures for conducting the environmental portion of the review are found in NUREG-1555, the Environmental Standard Review Plan, or ESRP, which is the Staff’s principal guidance document for conducting environmental reviews.”
312	1-5	Replace lines 1-5 with “As I will explain, the staff’s review drew on staff guidance, information gathered during several site audits, the staff’s evaluation of the applicant’s process for identifying new and significant information obtained by the applicant through requests for additional information, interactions with the public and with other governmental agencies, and the staff’s independent analysis.”
312	7-8	Change “in [unintelligible]” to “and comment”
312	8	Change “amendment” to “amendments”
312	9	Change “license certifications approvals of nuclear power plant” to “licenses, certifications, and approvals for nuclear power plants”
312	10	Change “reference and ESP. [unintelligible]” to “referencing an ESP and aids the”
312	14	Change “must [unintelligible]” to “must -- it is defined as”
312	18	Change “SEIS” to “FEIS”
312	21	Change “[unintelligible]” to “may develop”
312	22	Change “conclusion” to “conclusions”
312	22	Change “to come away with” to “to become aware of”
312	24	Change “applicants” to “applicant”
312	25	Change “environmental [unintelligible], scientific literature, and [unintelligible]” to “environmental monitoring results, scientific literature, and surveying”

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
313	1	Change "this type of facility" to "the site vicinity"
313	2-3	Change "assumption and representation made in the ESP ER and ESP EIS are still [inaudible]" to "assumptions and representations made in the ESP ER and ESP EIS are still valid"
313	4	Change "[unintelligible]" to "guidance"
313	5	Change "[unintelligible] for the Vogtle [unintelligible]" to "for the Vogtle COL"
313	6	Change "consists" to "consisted"
313	7	Change "evaluated" to "evaluating"
313	8	Change "staff" to "staff's"
313	8-9	Change "As requirement 10CFR 5150c1 [unintelligible] referenced in any" to "As required by 10 CFR 51.50(c)(1), a COL applicant referencing an"
313	11	Change "[unintelligible] still the" to "tendered its COL"
313	13	Change "[unintelligible]" to "its COL"
313	13	Change "which" to "was"
313	14	Change "uses" to "used a"
313	15	Add "the" before "applicant's"
313	16	Change "on" to "in the"
313	20	Change "issue" to "issuance"
313	21	Change "has now" to "the staff"
313	21-22	Delete "[spelled phonetically]"
313	25	Replace line 25 with "The site audits also included several site tours, including"
314	1-3	Replace lines 1-3 with "a tour of the potential transmission line rights-of-way, and the location of the intake structure on the Savannah River, and the locations of cultural and historic resources."
314	4-9	Replace lines 4-9 with "The Staff also conducted a separate environmental audit associated with the applicant's requests to amend its ESP and LWA in May 2010, which included use of additional fill material from borrow areas that were not considered in the ESP FEIS. These requests were ultimately addressed in three separate amendments to the ESP and LWA, and for which the staff prepared Environmental Assessments."
314	11	Change "departments" to "developments"
314	12	Change "[unintelligible]" to "for the COL"
314	14	Change "education of the applicant's [unintelligible]" to "verification that the applicant did follow its"
314	19	Change "request" to "requests for"
314	20	Change "[unintelligible]" to "conducted its own"
314	25	Change "[unintelligible]" to "applicable"
315	1-5	Change lines 1-5 to "staff contacted the State of Georgia Historic Preservation Officer (SHPO), Georgia Department of Natural Resources, South Carolina Department of Natural Resources, U.S. Fish and Wildlife Service, U.S. Army Corps of Engineers, National Marine Fisheries and approximately 30 Federally-recognized Indian Tribes in order to gather relevant information."

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
315	6-8	Change "As an example, the staff received a response letter from special [unintelligible] service, indicating that the list of threatened or endangered species are [unintelligible] adequately addressed" to "As an example, the staff received a response letter from the Fish and Wildlife Service indicating that the listed threatened or endangered species under that agency's purview had been adequately addressed"
315	10	Change "staff [unintelligible]" to "staff's consideration of"
315	10	Change "Appendix C" to "Appendix E"
315	13	Change "[unintelligible] 5192E" to "10 CFR 51.92(e)"
315	14	Change "a way of development in NRC [unintelligible]" to "aware of developments in the NRC staff's parallel"
315	15	Delete "that"
315	16	Change "change of associates" to "changes associated"
315	18-19	Change "a potential to change the impact conclusions in the EIS" to "the potential to change its impact conclusions in the FEIS or SEIS"
315	20	Change "effective [unintelligible] of the SEIS" to "effective tiering off of the FEIS"
315	22	Change "a early site from the" to "the Early Site Permit"
315	23	Change "[unintelligible] with the" to "and evaluated"
315	24	Change "we" to "it"
316	3	Change "at EIS" to "FEIS"
316	6-7	Change "effective area acreage" to "affected acreage"
316	7	Change "279" to "379"
316	8	Change "fire trained [spelled phonetically] facility and a simulator building" to "fire training facility and the simulator building"
316	10	Change "[unintelligible] impact film [spelled phonetically]" to "for obtaining backfill"
316	13	Delete "[spelled phonetically]"
316	14	Change "planning" to "plan"
316	14	Change "In respect to mineralogy and air quality" to "With respect to meteorology and air quality"
316	16-17	Change "are provided in refined estimates on" to "and provided a refined estimate of"
316	20	Change "were made" to "remained"
317	5	Change "SEIS" to "FEIS"
317	6	Change "[unintelligible]" to "borrow"
317	7	Change "background" to "backfill"
317	8	Change "[unintelligible]" to "borrow areas"
317	9	Change "this" to "its"
317	11	Change "bowl" to "borrow"
317	13	Change "need to intercept the water table now requiring dewatering" to "neither intersect the water table nor require dewatering"
317	15	Change "bowl" to "borrow"
317	15	Change "which was used to the core mix model" to "which used the CORMIX model"
317	22	Change "SEIS" to "FEIS"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
317	23	Change "reran the CORMIX" to "re-ran the CORMIX"
318	7	Change "[unintelligible]" to "rule"
318	8	Change "[unintelligible]" to "and South Atlantic"
318	10	Add "determined" after "staff"
318	13	Change "distant" to "listing"
318	14	Change "conservation" to "consultation"
319	<i>passim</i>	Change "shiphold" to "SHPO"
319	3	Change "from the" to "from both"
319	4	Change "coastal" to "cultural"
319	5	Change "area potential effect" to "area of potential effects"
319	6	Change "affect" to "effects"
319	8	Delete "[spelled phonetically]"
319	13	Add "of" after "memorandum"
319	17	Change "SFESS" to "FSEIS"
319	19	Delete "[spelled phonetically]"
319	23	Change "10.04.5192" to "10 CFR 51.92"
320	7	Change "admittable" to "available"
320	9	Change "activate" to "reactivate"
320	11	Change "[unintelligible]" to "tailoring"
320	24	Change "10CFR 5010D" to "10 CFR 50.10(d)"
321	3-4	Change "would [unintelligible]" to "were later withdrawn"
321	5	Change "impact" to "impacts"
321	8	Change "SEIS" to "FEIS"
321	15	Change "redressed in" to "redressed is"
321	15	Change "bounded" to "bounding"
321	16	Change "SEIS" to "FEIS"
321	18	Change "support" to "supports"
321	20	Change "at in store" to "and install"
321	21	Change "bowl" to "borrow"
321	22-23	Change "for slopes used in three and four excavations" to "over the slopes of Units 3 and 4 excavations"
321	25	Change "moved" to "need"
322	<i>passim</i>	Change "bowl" to "borrow"
322	9	Change "application" to "classification"
322	10	Change "those" to "proposed"
322	10-11	Change "The system with [unintelligible]" to "Consistent with NEPA"
322	12	Change "SEIS" to "FSEIS"
322	13	Change "I referenced" to "by reference"
322	16-17	Change "impact off site footprint" to "impacts outside the footprint"
322	17-18	Change "a sandhill mill patch in" to "sandhills milkvetch, a"
322	25	Change "Sandhill's Mill Patch" to "sandhills milkvetch"
323	7	Change "So it" to "Southern"
323	8-9	Change "not only the kind of fundamental component of Sandhill's habitat in the burrow" to "longleaf pine, a fundamental component of sandhills habitat, in the borrow"
323	11	Change "bowl" to "borrow"
323	13	Delete "[spelled phonetically]"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
323	14	Change "Sandhill's Mill Patch" to "sandhills milkvetch"
323	18	Change "I referenced" to "by reference"
323	22-23	Change "confirmed to the guidance of line" to "conformed to the guidance outlined"
323	24	Change "included" to "including"
324	4	Change "took by additional backfill change" to "to acquire additional backfill changed"
324	4	Change "SEIS" to "FEIS"
324	8	Change "verbal" to "Vogtle"
324	10	Change "and" to "that it"
324	12	Change "it" to "and"
324	13	Change "water disciplinary" to "multidisciplinary"
324	13	Change "licensed" to "licensing"
324	22	Change "SEIS" to "FEIS"
324	24	Change "during" to "they're in"
325	5	Change "actions" to "action"
325	22	Change "an" to "the"
325	25	Change "Ms." to "Mr."
326	9	Change "straining, a" to "screening. In our"
326	10	Change "strain" to "screening"
327	14	Add "related" after "concerns"
328	13	Change "a design based" to "design basis"
329	2	Delete "you"
329	4	Change "not the" to "not a"
329	5	Change "considered" to "consider"
330	3	Insert a period after "presentations"; delete "in"
330	4	Delete "that" and capitalize the "T" in "the staff"
330	12	Change "because" to "but"
330	15	Change "applicant [unintelligible]" to "applicant's new and significant"
330	18	Change "[unintelligible]" to "because that is a staff"
330	20	Add "do" after "could"
330	25	Change "[unintelligible]" to "things"
331	7	Change "[unintelligible]" to "on the docket"
331	7	Change "when we did the" to "went ahead and did a"
331	8	Change "time" to "site"
331	9	Change "[unintelligible] we also had [unintelligible]" to "we also had Georgia Department of Natural"
331	12	Change "Sanhill Mill Patch" to "sandhills milkvetch"
331	21	Change "[unintelligible]" to "analysis"
331	22	Change "FCIN" to "ESP EIS"
331	22-23	Change "So, we kept those contacts [unintelligible]" to "So, we kept close contact with our safety counterpart to ensure that was the case"
332	8	Change "reference" to "referenced"
332	16	Change "the original" to "leveraging the"
332	20	Change "pocket [spelled phonetically] two" to "part 52"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
332	21-22	Change "[unintelligible], the areas of, you then -- let me use a [unintelligible] as well, with also unique features" to "I said -- but there is -- the areas of -- using -- not using a plant parameter envelope as well, was also a unique feature"
332	24	Change "after" to "in this"
333	2	Add a comma after "effort" and make the "i" in "It" lowercase
333	5	Delete "two"
333	12	Change "reduce [spelled" to "release"
333	13	Delete "phonetically"; change "radio activity." to "radioactivity."
333	14	Change "[unintelligible]" to "review of"
333	16	Delete "four"
333	17	Change "that's what" to "for the"
333	19	Change "regional" to "original"
333	20	Change "or" to "for"
334	3	Change "[unintelligible]" to "happened"
334	10	Replace line 10 with "It's separated that way."
334	14	Change "[unintelligible] to "the result"
334	24	Change "[unintelligible]" to "stating"
335	14	Change "Male Speaker" to "Robert Schaaf"
335	20	Change "a [unintelligible] reaction" to "our severe accident"
336	14	Change "Mr." to "Commissioner"
336	17	Change "[unintelligible]" to "external"
337	16	Change "like it was" to "like if there was"
337	17	Change "[unintelligible]" to "the only thing" and change "of" to "would be"
337	23	Change "EIS" to "Environmental Impact Statements" and change the last "the" to "these"
337	24	Replace the comma after "do" with "-- " and change "I thought more" with "I thought they would be more"
337	25	Delete "a lot of"
338	1	Change "work" to "analysis"
338	4	Delete "One more," and capitalize the "y" in "you"
338	5	Change "thought this." to "thought that."
338	6	Delete "-- didn't relay in"; change "that came from PPO." to "didn't rely on a PPE."; and change the comma after "envelope" to a period
338	7	Capitalize the "h" in "how"
338	8	Change "they used to PPT [spelled phonetically]" to "they used a PPE" and delete "that"
338	9	Change [inaudible]" to "how it would have impacted your analysis"
338	10	Add "North Anna" after "Well,"
338	11	Change "PSPPIN" to "ESP EIS"
338	13	Change "[unintelligible] potential" to "North Anna is quite substantial"
338	13-14	Change "it's [unintelligible]" to "it does cut down on the bulk"
338	14	Change "different" to "deferred"
338	21	Change "primer" to "parameter"
339	1	Change "primer" to "parameter"
339	3	Change "[inaudible]" to "the staff has to do."

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
339	8	Change "[unintelligible]" to "unfair" and insert "to" before "pick out"
339	9	Delete "and if you don't"
339	15	Change "I'd like to respond to that" to "I've got the response"
339	16	Change "As a part [unintelligible] of the staff, you see some" to "At the public meeting, the staff did receive some"
339	17	Delete "[spelled phonetically]"
339	17	Change "[unintelligible]" to "probably Rich Emch"
339	18	Change "and so when they communicated" to "there was indicated"
339	23	Change "[unintelligible]" to "to increased incidence of"
339	25	Change "[inaudible]" to "plants"
340	6	Delete "journal, I just wanted to ask though, I was"
340	7	Change "reading" to "question"
340	11	Change "effect of" to "affected"
340	12	Insert "a practice of" after "Is there" and change comma after "people" to a question mark; and capitalize the "h" in "how"
340	14	Delete "of"
340	15	Change "Vogtle" to "local"
340	16	Change "[unintelligible] asks if" to "try to ask them if they know of"
340	17	Change "SEIS" to "FSEIS"
340	18	Change "need" to "needed"
340	19-20	Change "the NCIS and the supplements remained [unintelligible]" to "the ESP EIS and the supplement remained bounded"
340	23	Delete "[spelled phonetically]"
340	25	Change "about four counties" to "no four counties"
341	9	Change "[inaudible]" to "supplement"
341	14	Change "environmental representation agency" to "Environmental Protection Agency"
341	15	Change "the ESP IS" to "on the FEIS"
341	17	Delete the comma after "comment"
341	18	Change "legislative documents," to "comments and were there"
341	20	Change "SEIS" to "FSEIS"
341	20	Change "application in" to "clarification"
341	20-21	Change "that that big update was not mentioned, that that information with any documentation" to "the staff did update the documents to reflect that information within the documentation"
342	2	Change "carried out" to "tiered off"
342	8	Change "4.4 section, section 4.4" to "a 404, section 404"
342	11	Change "[unintelligible]" to "cumulative"
342	13	Change "portal" to "corridor"
342	13	Change "core" to "corps"
342	15	Change "supplement agreement" to "supplemental question"
342	17	Insert "not" between "would" and "distinguish"
343	1	Change "CQ [spelled phonetically]" to "CEQ"
343	6	Change "and to" to "and then"
343	8	Change "have" to "need"
343	10	Change "Is it at high level" to "At a high level"
343	12	Delete "and any" and change "[unintelligible]" to "differences"
343	17	Delete "[spelled phonetically]"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
343	18	Change "information," to "information and"
343	19	Change "for example" to "for an example"
343	21	Delete "in"
343	22	Change "they want" to "they're going"
344	1	Change "ensure" to "ensure that"
344	3	Change "Where you said" to "From where you sit"
345	3	Delete "[spelled phonetically]"
345	6	Delete "CHUCK PIERCE"
345	9	Delete "BUZZ MILLER"
345	11	Change "was called as a witness" to "were called as witnesses"
345	11	Change "Southern Nuclear Operating Company" to "the Nuclear Regulatory Commission"
345	12	Change "having been first duly sworn" to "having been previously duly sworn"
345	12	Change "was" to "were"
345	14	Change "Shaw" to "Schaaf"
345	15	Change "safety and environmental reviews" to "Division of Site and Environmental Reviews"
345	18	Delete "Office"
345	19	Delete "of"
345	19	Change "Reactors" to "Reactor"
345	After line 19	Add "WHEREUPON, CHUCK PIERCE , BUZZ MILLER were called as witnesses for the Southern Nuclear Operating Company and, having been previously duly sworn, assumed the witness stand, were examined and testified as follows:"
346	9	Change "hearings" to "hearing"
346	10	Change "will" to "would"
346	13	Change "licensing" to "License"
346	14	Change "application" to "Application"
346	14	Change "that and" to "that last night and"
346	14,15	Change "Southern Nuclear did start" to "Southern Nuclear, NuStart,"
346	15	Change "that extended" to "have expended"
346	16	Change "and support" to "and to support"
346	19	Change "readiness of" to "readiness to begin construction of"
346	19	Change "rebar, to" to "rebar. To"
347	1	Change "site" to "site."
347	2	Change "several" to "Several"
347	5	Change "built and" to "built as"
347	6	Change "Shaw planning" to "Shaw in planning"
347	7	Change "ITAAC's" to "ITAAC"
347	10	Change "COL [spelled phonetically]" to "cold"
347	12	Change "COL" to "cold"
347	14	Change "they're requesting" to "there are approximately"
347	15	Change "plan" to "planned"
347	16	Change "May I" to "I'd like to"
347	18	Change "during" to "during the"
347	20	Change "crew" to "per month"
347	23	Change "in the" to "as"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
348	2	Change "identified" to "identify"
348	8	Change "about the" to "about about the"
348	9	Change "SR" to "FSAR"
348	15	Change "specifics" to "specific"
348	16	Change "We" to "And we"
348	23	Change "mechanical" to "mechanically"
349	7	Change "inconsistency" to "inconsistencies"
349	13	Change "on" to "upon"
349	15	Change "applications" to "application"
350	2	Change "a number of compensations" to "limited work authorizations"
350	4	Change "application. Past" to "application – that the"
350	4	Change "inadequate" to "adequate"
350	12	Delete "le"
350	19	Change "with" to "of"
350	20	Add "the" before "Vogtle"
350	25	Change "in" to "and"
351	4	Change "staff statement have supported this" to "staff's statement of support of this"
351	5 & 6	Change "10CFR" to "10 CFR"
351	6	Change "so affording" to "supporting"
351	8	Change "unsolved" to "unresolved"
351	11	Change "licenses" to "license"
351	21	Add "the" before "license"
351	24	Change "we" to "I would"
352	8	Change "an improved" to "and approved"
352	12	Change "conditional" to "Commission"
352	13	Change "in the" to "and any"
352	15	Change "this past" to "the staff's"
353	9	Insert "not" between "is" and "a real"
355	1	Change "applications" to "activities"
355	5	Change "to recognize" to "directed by the"
355	6	Change "looking" to "moving"
355	9	Change "the actors" to "new reactors"
355	9	Change "and" to "in"
355	11	Change "designs that are" to "design cert if"
355	11	Change "appropriate to the COL" to "appropriate, to the COL"
355	12	Add "to" between "requirements," and "adjust the license"
355	13	Change "where" to "we're"
355	16	Change "MALE SPEAKER" to "BUZZ MILLER"
355	17	Change "fully" to "fleet"
355	20	Change "an" to "our"
356	5	Delete "to" after "ability"
356	8	Insert "later" after "it"
356	19	Insert "to" after "getting" and insert "of" after "milestone"
356	22	Change "subjugator rule" to "adjudicatory role"
357	1	Insert "what" after "could do"
357	5	Change "is" to "in"
357	6	Change "importance of the" to "important work that"

**APPENDIX A: Changes to the Transcript for the Vogtle Mandatory Hearing
September 27 - 28, 2011**

Page	Line	Correction
357	7	Delete "do you feel,"
357	14	Change "to" to "for"
357	16	Change "solve" to "resolve"
357	17	Change "in terms of" to "with respect to"
357	18	Change "processes" to "process"
357	18	Change "recommendation" to "implementation"
357	18	Add "program" between "ITAAC" and the period
357	21	Change "were" to "are"
357	22	Change "confidence" to "confident"
358	1	Change "date, the" to "date, on the"
358	5	Insert "a" after "and so"
358	14	Insert "the" after "objection to"; change "proposed change" to "proposed changed"
358	16	Change "so in may be" to "so it may be"
358	21	Change "that two" to "that in two"
358	22	After "for." add on next line: "COMMISSIONER SVINICKI: Okay"
358	22	Add on next line: "CHUCK PIERCE: Having" and then resume Mr. Pierce's statement as shown on lines 23-25.
358	24	Delete "could"
359	10	Insert "he" after "confident"
359	14	Change the comma to a period
359	21	Add a comma after "effort" and make the "t" in "The" lowercase
359	23	Change "ACRS's use" to "ACRS reviews"; change "address" to "addressed"
360	1	Add a comma after "licensing"
360	2	Add a comma after "kind" and change "combination" to "culmination"
360	7	Change "firsts" to "first"
360	10	Change "record the" to "record, but the"
363	18	Change "really give an assessment," to "give us an assessment,"

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26

United States of America
Nuclear Regulatory Commission

+ + + + +

CORRECTED TRANSCRIPT

HEARING

IN THE MATTER OF DOCKET NO: 52-025-COL and
SOUTHERN NUCLEAR OPERATING COMPANY 52-026-COL
VOGTLE ELECTRIC GENERATING PLANT,
UNITS 3 AND 4

Tuesday,
September 27, 2011

+ + + + +

Rockville, Maryland

The hearing commenced in the Commissioners' conference room,
11555 Rockville Pike, Rockville, Maryland, at 9:00 a.m.

BEFORE:

- Gregory B. Jaczko, Chairman
- Kristine L. Svinicki, Commissioner
- George Apostolakis, Commissioner
- William D. Magwood, IV, Commissioner
- William C. Ostendorff, Commissioner

1 APPEARANCES:

2 On Behalf of Southern Nuclear Operating Company:

3 M. Stanford Blanton, Esq.

4 BALCH & BINGHAM LLP

5 1710 Sixth Avenue North

6 Birmingham, Alabama, 35203-2015

7
8 Kathryn M. Sutton, Esq.

9 MORGAN, LEWIS & BOCKIUS LLP

10 1111 Pennsylvania Avenue, NW

11 Washington, DC 20004

12
13 On Behalf of the United States Nuclear Regulatory Commission:

14 Ann Hodgdon, Esq.

15 11555 Rockville Pike

16 Rockville, Maryland 20852-2738

17
18 Patrick Moulding, Esq.

19 11555 Rockville Pike

20 Rockville, Maryland 20852-2738

21
22
23
24
25

	<u>WITNESSES</u>	<u>PAGE</u>
1		
2	JOSEPH MILLER, CHUCK PIERCE	19
3	MICHAEL JOHNSON, FRANK AKSTULEWICZ, ROBERT SCHAAF	40
4	GREGORY HATCHETT	63
5	BRET TEGELER	69
6	BARRY ZALCMAN	78
7	WESLEY SPARKMAN, AMY AUGHTMAN, EDDIE GRANT	83
8	RAVINDRA JOSHI, DENISE MCGOVERN, MOHAMED SHAMS	83
9	SARAH TABATABAI	119
10	MICHAEL DUSANIWSKYJ	120
11	BARRY WRAY	125
12	JILL CAVERLY	128
13	DONALD MOORE	132
14	THOMAS SCARBROUGH	133
15	JOHN MCKIRGAN	133
16	LYNN MROWCA	182
17	MARK CARUSO	183
18	TERRY JACKSON	224
19	TANIA MARTINEZ-NAVEDO	228
20		
21		
22		
23		
24		
25		

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXHIBITS:	MARK	ADMT	WITH	RJCT
Party: Southern Nuclear Operating Company				
Exhibit No.: SNC000002	17	17-18		
Exhibit No.: SNC000003	17	17-18		
Exhibit No.: SNC000004	17	17-18		
Exhibit No.: SNC000005	17	17-18		
Exhibit No.: SNC000006	17	17-18		
Exhibit No.: SNC000007	17	17-18		
Exhibit No.: SNCR00008	17	17-18		
Exhibit No.: SNC000009	17	17-18		
Exhibit No.: SNCR00010	17	17-18		
Exhibit No.: SNCR20001	17	17-18		

	EXHIBITS:	MARK	ADMT	WITH	RJCT
1					
2					
3	Party: Nuclear Regulatory Commission				
4					
5	EXHIBIT NO.: NRC1	18	18		
6					
7	EXHIBIT NO.: NRC2	18	18		
8					
9	EXHIBIT NO.: NRC3	18	18		
10					
11	EXHIBIT NO.: NRC4	18	18		
12					
13	EXHIBIT NO.: NRC5	18	18		
14					
15	EXHIBIT NO.: NRC6	18	18		
16					
17	EXHIBIT NO.: NRC7	18	18		
18	Subpart: A, B,C,D				
19					
20	EXHIBIT NO.: NRC8	18	18		
21	Subpart A, B				
22					
23	EXHIBIT NO.: NRC9	18	18		
24					
25	EXHIBIT NO.: NRRCR10	18	18		

	EXHIBITS:	MARK	ADMT	WITH	RJCT
1					
2					
3	EXHIBIT NO.: NRRCR11	18	18		
4					
5	EXHIBIT NO.: NRRCR12	18	18		
6					
7	EXHIBIT NO.: NRRCR13	18	18		
8					
9	EXHIBIT NO.: NRRCR14	18	18		
10					
11					
12					
13					
14					
15					
16					
17					
18					
19					
20					
21					
22					
23					
24					
25					
26					

1 P-R-O-C-E-E-D-I-N-G-S

2 9:00 a.m.

3 CHAIRMAN JACZKO: Well good morning everyone and I think now
4 that we can appropriately populate the table. Annette, are we
5 repopulating the table now?

6 ANNETTE: Yes.

7 CHAIRMAN JACZKO: So whoever's supposed to come up.

8 ANNETTE: The staff and, I mean the applicant and staff
9 counsel.

10 CHAIRMAN JACZKO: Well good morning everyone. I now call
11 this hearing to order. We are here today to conduct a mandatory hearing
12 as required by section 189 A of the Atomic Energy Act on Southern
13 Nuclear Operating Company's application to build and operate two new
14 reactors at the Vogtle site near Waynesboro, Georgia.

15 This hearing will address the Southern Company's application
16 for two combined licenses and its related request for limited work
17 authorization to conduct pre construction activities at the Vogtle site.
18 The review of the new reactor license application is a substantial
19 undertaking. It involves a host of complex, technical and legal
20 questions in a broad range of important safety, security and
21 environmental issues.

22 For the past several years the staff has been analyzing these
23 issues so the Commission can make an informed and considered decision on
24 this application. Today's mandatory hearing is one of the final steps
25 in our licensing process before the Commission renders a decision on the

1 application. Everyone here at the NRC has approached this effort fully
2 aware that this is among the most important safety decisions entrusted
3 to the agency. The Commission's role in this hearing is to serve as an
4 effective check on the staff's work. Before we can reach a decision on
5 the application, we must carefully and thoroughly evaluate whether the
6 staff's safety and environmental reviews have been adequate to support
7 the necessary regulatory findings. Those findings are at the heart of
8 our regulatory mission.

9 Our findings fall into two categories, safety and
10 environmental. They include whether the staff's environmental analysis
11 meets the requirements of the National Environmental Policy Act, whether
12 the applicant has the necessary technical and financial resources and
13 ultimately whether the facility will be constructed and operated safely
14 and securely. Similar findings must also be made with regard to the
15 applicants request for limited work authorization.

16 We have fully set forth the findings in the notice for
17 today's hearing. This is an important and historic day at the NRC.
18 This is the first mandatory hearing on a new reactor license application
19 since the 1970s. This is also the first application to reach this final
20 step under Part 52 licensing process which while established in the late
21 1980s has not been utilized until only recently. And this is the first
22 time that the Commission itself, rather than licensing boards will
23 conduct a mandatory hearing.

24 So I'd like to acknowledge the strong leadership of our
25 predecessors in the Commission and of course the diligence of the NRC

1 staff in developing and implementing this new licensing process. The
2 decision to assume the responsibility for conducting these mandatory
3 hearings was not taken lightly. The Commission did so after a task
4 force led by former Commissioner Jeff Merrifield recommended doing so.
5 I fully supported the decision at the time and continue to believe that
6 it was right because the Commission ultimately bears the responsibility
7 of making this licensing decision.

8 I want to thank my colleagues for their efforts in preparing
9 for this important hearing and to acknowledge the many NRC staff who
10 have worked on this application. The Commission is committed to moving
11 forward with this hearing and reaching a decision on this application in
12 a thoughtful, timely manner that befits the important safety issues
13 under review. So with that, I would offer my colleagues on the
14 Commission to make any opening remarks. Commissioner Svinicki.

15 COMMISSIONER SVINICKI: Thank you, Mr. Chairman, you've
16 really covered many of the points that I would make. So I will align
17 myself with your comments about the history, the process, the purpose
18 that we convene here today. And I was also going to note that I feel
19 that I stand very much on the shoulders of previous Commissions and all
20 of the staff's support that has built such a voluminous record that we
21 will add to today, ultimately leading us to the objective of the
22 important findings that we have to make. So thank you, Mr. Chairman.

23 CHAIRMAN JACZKO: Other comments? Okay. Well before we
24 begin with the presentations, we have some formalities to take care of.
25 So I will swear in the witnesses and formally admit the written

1 testimony and other exhibits into the record. Following that, we will
2 turn to the presentations, starting with the applicant's overview panel.
3 We expect the hearing to continue through tomorrow, although we will
4 take a break to sleep tonight. After we have heard from all the panels,
5 we will conclude with closing statements from both parties and final
6 questions and concluding statements from each of the Commissioners.

7 Now let's start with the witnesses, both the staff and the
8 applicants have provided their witness list in advance. The witnesses
9 should please stand as their names are called and remain standing until
10 we finish with the process. Counsel for the applicant will read his
11 witness list first. Please clearly identify for the record any
12 witnesses who are absent. Counsel, if you could begin.

13 STAN BLANTON: Good morning Mr. Chairman and Commissioners,
14 I'm Stan Blanton. I'm counsel for the applicant. The applicant's
15 witnesses are seated behind me and I'm going to read - call them in
16 alphabetical order. Amy Greene Aughtman, Theodore E. Amundson, Dale L.
17 Fulton, Eddie Grant, Richard Grumbir, Neil Haggerty, Joseph A. Miller,
18 Donald P. Moore, Charles Pierce, Jerry G. Sims and Wesley Sparkman.

19 CHAIRMAN JACZKO: Okay, thank you. Now counsel for the
20 staff, please read your list, clearly identifying for the record any
21 witnesses that are absent.

22 ANN HODGDON: My name is Ann Hodgdon, Office of the General
23 Counsel, Counsel for the NRC staff. The staff is presenting a total of
24 49 witnesses, including those for both the safety and environmental
25 reviews. The staff witnesses are Michael Johnson, Frank Akstulewicz,

1 Ravindra Joshi, Denise McGovern, Larry Harris, Edward Roach, Duncan
2 White, Barry Ray, Michael Dusaniwskyj, Seshagiri Rao Tammara, Brad
3 Harvey, Jill Caverly, Weijun Wang, Bret Tegeler, Sarah Tabatabai, Thomas
4 Scarbrough, Jennifer Dixon-Herrity, Kaihwa Robert Hsu, Eileen McKenna,
5 Mohamed Shams, David Terao, Yi-Hsiung Hsii, John Segala, John McKirgan,
6 Terry Jackson, Tania Martinez-Navedo, Om Chopra, Larry Wheeler, Bruce
7 Musico, Eric Lee, Michael Shinn, Juan Peralta, Michelle Hart, Mark
8 Caruso, Malcolm Patterson, Dennis Andrukat, Eric Powell, Lynn Mrowca,
9 Craig Erlanger, John Honcharik, Raul Hernandez, James Beardsley, Mark
10 Kowal, Robert Schaaf, Gregory Hatchett, Mallecia Sutton, Mark Notich,
11 Nancy Kuntzleman, Barry Zalcman.

12 CHAIRMAN JACZKO: Okay, now if everyone could please raise
13 their right hands. And this is going to take a little bit of time. But
14 I will need an audible, verbal response from each of you in turn. And
15 we will start on my left and go down the rows, one by one, starting with
16 the first row. And I'm going to ask everyone to be seated after you
17 provide your individual response. So here is the statement for the
18 oath, so do you swear or affirm that the testimony you will provide in
19 this proceeding is the truth, the whole truth and nothing but the truth.

20 WHEREUPON,

21 AMY GREENE AUGHTMAN

22 THEODORE E. AMUNDSON

23 DALE L. FULTON

24 EDDIE GRANT

25 RICHARD GRUMBIR

1 NEIL HAGGERTY

2 JOSEPH A. MILLER

3 DONALD P. MOORE

4 CHARLES PIERCE

5 JERRY G. SIMS

6 WESLEY SPARKMAN

7 having been identified as witnesses for the Southern Nuclear

8 Operating Company, individually duly swore or affirmed as follows:

9 AMY GREENE AUGHTMAN: I do.

10 THEODORE E. AMUNDSON: I do.

11 DALE L. FULTON: I do.

12 EDDIE GRANT: I do.

13 RICHARD GRUMBIR: I do.

14 NEIL HAGGERTY: I do.

15 JOSEPH A. MILLER: I do.

16 DONALD P. MOORE: I do.

17 CHARLES PIERCE: I do.

18 JERRY G. SIMS: I do.

19 WESLEY SPARKMAN: I do.

20

21 WHEREUPON,

22 MICHAEL JOHNSON.

23 FRANK AKSTULEWICZ

24 RAVINDRA JOSHI

25 DENISE MCGOVERN

1	LARRY HARRIS
2	EDWARD ROACH
3	DUNCAN WHITE
4	BARRY WRAY
5	MICHAEL DUSANIWSKYJ
6	SESHAGIRI RAO TAMMARA
7	BRAD HARVEY
8	JILL CAVERLY
9	WEIJUN WANG
10	BRET TEGELER
11	SARAH TABATABAI
12	THOMAS SCARBROUGH
13	JENNIFER DIXON-HERRITY
14	KAIHWA ROBERT HSU
15	EILEEN MCKENNA
16	MOHAMED SHAMS
17	DAVID TERAQ.
18	YI-HSIUNG HSII
19	JOHN SEGALA
20	JOHN MCKIRGAN
21	TERRY JACKSON
22	TANIA MARTINEZ-NAVEDO
23	OM CHOPRA
24	LARRY WHEELER
25	BRUCE MUSICO

1 ERIC LEE
2 MICHAEL SHINN
3 JUAN PERALTA
4 MICHELLE HART
5 MARK CARUSO
6 MALCOLM PATTERSON
7 DENNIS ANDRUKAT
8 ERIC POWELL
9 LYNN MROWCA
10 CRAIG ERLANGER
11 JOHN HONCHARIK
12 RAUL HERNANDEZ
13 JAMES BEARDSLEY
14 MARK KOWAL
15 ROBERT SCHAAF
16 GREGORY HATCHETT
17 MALLECIA SUTTON
18 MARK NOTICH
19 NANCY KUNTZLEMAN
20 BARRY ZALCMAN

21 having been identified as witnesses for the staff of the Nuclear
22 Regulatory Commission, individually duly swore or affirmed as follows:

23 MICHAEL JOHNSON: I do.
24 FRANK AKSTULEWICZ: I do.
25 RAVINDRA JOSHI: I do.

1 DENISE MCGOVERN: I do.
2 LARRY HARRIS: I do.
3 EDWARD ROACH: I do.
4 DUNCAN WHITE: I do.
5 BARRY WRAY: I do.
6 MICHAEL DUSANIWSKYJ: I do.
7 SESHAGIRI RAO TAMMARA: I do.
8 BRAD HARVEY: I do.
9 JILL CAVERLY: I do.
10 WEIJUN WANG: I do.
11 BRET TEGELER: I do.
12 SARAH TABATABAI: I do.
13 THOMAS SCARBROUGH: I do.
14 JENNIFER DIXON-HERRITY: I do.
15 KAIHWA ROBERT HSU: I do.
16 EILEEN MCKENNA: I do.
17 MOHAMED SHAMS: I do.
18 DAVID TERAQ: I do.
19 YI-HSIUNG HSII: I do.
20 JOHN SEGALA: I do.
21 JOHN MCKIRGAN: I do.
22 TERRY JACKSON: I do.
23 TANIA MARTINEZ-NAVEDO: I do.
24 OM CHOPRA: I do.
25 LARRY WHEELER: I do.

1 BRUCE MUSICO: I do.

2 ERIC LEE: I do.

3 MICHAEL SHINN: I do.

4 JUAN PERALTA: I do.

5 MICHELLE HART: I do.

6 MARK CARUSO: I do.

7 MALCOLM PATTERSON: I do.

8 DENNIS ANDRUKAT: I do.

9 ERIC POWELL: I do.

10 LYNN MROWCA: I do.

11 CRAIG ERLANGER: I do.

12 JOHN HONCHARIK: I do.

13 RAUL HERNANDEZ: I do.

14 JAMES BEARDSLEY: I do.

15 MARK KOWAL: I do.

16 ROBERT SCHAAF: I do.

17 GREGORY HATCHETT: I do.

18 MALLECIA SUTTON: I do.

19 MARK NOTICH: I do.

20 NANCY KUNTZLEMAN: I do.

21 BARRY ZALCMAN: I do.

22 CHAIRMAN JACZKO: Thank you. The witnesses present as
23 identified by counsel have now been sworn in. Are there any objections
24 to submitting the witness list into the record?

25 STAN BLANTON: No objection.

1 ANN HODGDON: No objection.

2 CHAIRMAN JACZKO: Hearing none then, the witness lists are
3 admitted into the record of this proceeding. Now I'll turn to admission
4 of evidence, pursuant to our September 14th scheduling order both the
5 staff and the applicant have provided to the Secretary a table listing
6 all of the exhibits they intend to propose for admission into evidence
7 at the hearing. For those exhibits that are written testimony, the
8 sponsoring witnesses have provided written certification that one, the
9 testimony was prepared by the witness or under the witnesses direction;
10 two, that the written testimony is true and correct to the best of the
11 witnesses information, knowledge and belief; and three, that the witness
12 adopts the identified testimony as his sworn testimony in the
13 proceeding.

14 Counsel for the applicant, do you have any additions,
15 deletions or changes to your revised exhibit table served on September
16 26th or to the testimony included in your revised and updated exhibit
17 table?

18 STAN BLANTON: No, sir.

19 CHAIRMAN JACZKO: Hearing none, let the record reflect that
20 the applicant's exhibits have been identified and marked as indicated on
21 the applicants revised exhibit table. Counsel for the staff, any
22 objections to the admission of the exhibit table or any of the exhibits
23 listed in the table?

24 ANN HODGDON: No objection.

25 CHAIRMAN JACZKO: Okay, the applicant's consecutively

1 numbered exhibits SNC000002 through SNC000007, SNC000009 and SNCR20001,
2 SNCR00008 and SNCR00010 as identified on the applicant's revised and
3 updated exhibit tables are admitted into the record.

4 (Whereupon, the documents marked as Exhibits SNC000002 through
5 SNC000007, SNC000009 and SNCR20001, SNCR00008 and SNCR00010 for
6 identification, were admitted into the record.)

7 Counsel for the staff do you have any additions, deletions or
8 changes to your revised exhibit table served on September 23rd or to the
9 testimony included on your revised exhibit table?

10 ANN HODGDON: No, we do not.

11 CHAIRMAN JACZKO: Given that there aren't any, then let the
12 record reflect that that staff's exhibits have been identified and
13 marked as indicated on the staff's revised exhibit table.

14 CHAIRMAN JACZKO: Counsel for the applicant; are there any
15 objections to the admission of these exhibits?

16 STAN BLANTON: No objections.

17 CHAIRMAN JACZKO: Okay, hearing none the staff's
18 consecutively numbered exhibits NRC, I'm just going to say 1 through NRC
19 9, sub parts A through D of exhibit NRC 7 and sub parts A and B of
20 exhibit NRC 8, NRCR10 through NRCR13 and NRC14 as identified in the
21 staff's revised exhibit table are admitted into the record.

22 (Whereupon, the documents marked as Exhibits NRC000001 through NRC000014
23 for identification, were admitted into the record.)

24 Okay. With that we are now ready for our first panel during
25 which the applicant will provide a general overview of its application.

1 Would all witnesses seated at the table, well please come to the table
2 first and then we'll go from there.

3 Okay, we are now ready for our first panel during which the
4 applicant will provide a general overview of the application. Will the
5 witnesses at the table please state your name and title for the record?

6 WHEREUPON,

7 JOSEPH MILLER

8 CHUCK PIERCE

9 were called as witnesses for Southern Nuclear Operating Company and,
10 having been previously duly sworn, assumed the witness stand, were examined and
11 testified as follows:

12 JOSEPH MILLER: My name is Joseph Buzz Miller; I'm Executive
13 Vice President for Nuclear Development for Southern Nuclear Operating
14 Company and for Georgia Power Company.

15 CHUCK PIERCE: And my name is Chuck Pierce, I'm the AP1000
16 Licensing Manager for Southern Nuclear Operating Company.

17 CHAIRMAN JACZKO: Well you'll have about 30 minutes for your
18 presentation and then we'll have about 30 minutes of Commission
19 questions following that. Thank you, you can begin.

20 JOSEPH MILLER: Good morning, thank you Mr. Chairman and
21 Commissioners. As stated my name is Buzz Miller, Executive Vice
22 President for the applicant, Southern Nuclear Operating Company as well
23 as for Georgia Power Company. I also represent our co owners,
24 Oglethorpe Power, The Municipal Electric Authority of Georgia and the
25 City of Dalton.

1 This is a truly historic occasion as this Commission
2 considers the issuance of the first combined license under Part 52 of
3 its regulations. On behalf of the employees and customers of Southern
4 Company, we would like to begin by thanking the NRC, especially the NRC
5 staff for its diligence in conducting a thorough but efficient review of
6 our application.

7 Likewise, I would like to recognize the members of our
8 Southern Company team and our partners in NuStart, who have worked
9 tirelessly over the past several years to reach this point. My purpose
10 today is to provide you with an overview of the Vogtle construction
11 program and the importance of the timely issuance of the COL and the
12 limited work authorization Bravo to that construction program. After my
13 remarks, our licensing manager for Vogtle Units three and four, Chuck
14 Pierce, will spend a few minutes describing the combined license
15 application. Next slide please.

16 As you know, Vogtle units three and four are planned to be
17 the first units built in the United States utilizing the Westinghouse
18 AP1000 passive design. The rulemaking proceeding reviewing of the
19 AP1000 has been conducted in parallel to the review of our combined
20 license proceeding. Our employees have been active and interested
21 participants in many interactions with Westinghouse and the NRC staff
22 regarding the certification of the amendments to the AP1000 standard
23 design. We believe that the NRC staff's review, which has involved
24 countless hours of technical analysis of the safety of the design, has
25 resulted in a very sound, safe and workable design. Next slide please.

1 This slide simply illustrates the near term construction
2 activity required to support completion of Vogtle Unit 3 in 2016 and
3 Vogtle Unit 4 in 2017. We began to excavate the foundations for the
4 nuclear islands and turbine buildings in 2009. And later in 2009, the
5 NRC issued the early site permit for Vogtle which included a limited
6 work authorization Alpha, authorizing the placement of back fill in the
7 excavation and the construction of nuclear island mud mats, mechanically
8 stabilized earth retaining walls and the waterproof membrane.

9 Installation of rebar in the nuclear islands will proceed
10 when authorized by the NRC by issuance of either the combined license or
11 additional limited work authorizations. Next slide please.

12 Here you can see the Vogtle site, it's located in eastern
13 Georgia, south of the City of Augusta, east of Waynesboro and just
14 across the river from the Savannah River site. The Vogtle site is
15 situated more than 100 miles inland from the Atlantic coast and sits 220
16 feet above sea level. As you know there are also two operating
17 Westinghouse units on the site. Next slide please.

18 This slide summarizes the status of key activities authorized
19 by limited work authorization Alpha to prepare the nuclear island
20 foundations. As you can see in bold in the second bullet, Unit 3
21 foundation work has been completed to the point needed to begin rebar
22 installation. Next slide please.

23 This overhead picture of the site captures the progress of
24 limited work authorization Alpha activities that I referenced on the
25 previous slide as well as other significant activities including

1 installation of the heavy lift derrick foundation, installation of
2 cooling tower foundations, installation of circulating water pipe and
3 preparation of the assembly pad for CR 10, which is the rebar cradle for
4 the containment vessel bottom head. Next slide please.

5 Adjacent to the west side of the previous photo, fabrication
6 of the containment vessel bottom head has been initiated. Welding of
7 the bottom head plates began earlier this month. Also in the background
8 behind the bottom head is the module assembly building where platens are
9 in place to support assembly of module CA 20 which is the auxiliary
10 building for the AP1000 and module CA 01 which will support the reactor
11 vessel and the steam generators. Next slide.

12 This photograph shows the Unit 3 nuclear island mud mat and
13 mechanically stabilized earth walls which will serve as the form for
14 both the nuclear island foundation and the walls. Next slide please.

15 So in this slide we illustrate the linkages between the NRC's
16 review schedules and our construction schedule. We are ready to
17 commence installation of rebar now in unit three.

18 Given that the NRC schedule for the combined license is
19 linked to the schedule for approval of the AP1000 rulemaking, both of
20 those processes are critical to the continuation of our construction
21 sequence. Next slide please.

22 Based on the schedule interaction presented on my previous
23 slide, we have requested this Commission to address a policy question
24 relative to the timing of issuing limited work authorization Bravo and
25 or the combined licenses as promptly as possible after Commission

1 affirmation of the AP1000 rulemaking. We requested that you consider
2 issuance of the limited work authorization and combined license based on
3 the affirmation of the AP1000 rulemaking rather than delaying until 30
4 days after publication of the rule. We will be in a position to
5 implement the rulemaking as soon as it is affirmed. Continuing the
6 construction sequence with minimal disruption supports both project
7 quality and safety. I respectfully renew our request to the Commission
8 to consider our policy question. Now I would like to introduce our
9 Licensing Manager, Chuck Pierce, who will briefly summarize our combined
10 license application.

11 CHUCK PIERCE: Thank you, Buzz. For my portion of the
12 presentation I will focus on Southern Nuclear's combined license
13 application. The Vogtle 3 and 4 application was developed under the
14 regulatory provisions of Reg Guide 1.206 which is titled, "The Combined
15 License Applications for Nuclear Power Plants." This combined
16 regulatory standard provides detailed NRC expectations of what should be
17 in combined license applications. NUREG 0800, the standard review plan
18 for the review of safety analysis reports for nuclear power plants was
19 used to inform this application material. Various NEI templates or
20 Nuclear Energy Institute templates were applied as well. In applying
21 the appropriate 10 CFR Part 52 provisions, the Vogtle 3 and 4 combined
22 license application incorporates the AP1000, DCD Revision 19 with a
23 limited set of departures and the Vogtle 3 and 4 early site permit, site
24 specific analysis report also with a few variances.

25 In April 2009, Vogtle 3 and 4 became the reference combined

1 license application or RCOLA for the AP1000 fleet. Next slide.

2 In this role as the reference combined license application.
3 The industry made use of the NRC philosophy. Next slide please, okay.

4 In this role as the reference combined license application,
5 the industry made use of the NRC philosophy of one issue, one review,
6 one position which is also known as the design centered review approach.
7 I will briefly discuss how that worked. The NuStart design centered
8 working group working for the AP1000 community would establish one
9 standard position for the AP1000 fleet. If Southern Nuclear agreed with
10 that position, Southern Nuclear would then incorporate the position into
11 the Vogtle 3 and 4 combined license. The remainder of the AP1000 fleet
12 would then use this identical position as their own unless there were
13 site specific reasons. This position would then be submitted to the NRC
14 which would work its way through the NRC review process. Thus once the
15 NRC review process was complete for Vogtle 3 and 4, the NRC could then
16 apply those conclusions to the remaining AP1000 fleet. This resulted in
17 a maximum standardization benefit for both the industry and the NRC. As
18 noted in this slide, the design centered working group consists of South
19 Carolina Electric and Gas, Duke Energy, Progress Energy, Florida Power
20 and Light and Tennessee Valley Authority. The NuStart organization also
21 provided a centralized focus to interact with Westinghouse, NEI and the
22 NRC staff through numerous public forums to address questions and
23 issues. Next slide.

24 This slide focuses on some historic information regarding the
25 Vogtle 3 and 4 combined license application. The Vogtle early site

1 permit application was submitted in August 2006. This early site permit
2 was developed specific to the AP1000 design. Thus the Vogtle 3 and 4
3 early site permit could provide more detail than previous early site
4 permits. As NRC review activities were being completed on Vogtle early
5 site permit, the Vogtle combined license application was submitted on
6 March 28, 2008. Thus the Vogtle 3 and 4 program has been under detailed
7 NRC staff review for over five years. The combined license application
8 was submitted initially as a subsequent combined license or a SCOLA with
9 a TVA application for Bellefonte being the RCOLA. Originally under this
10 concept using the design centered review approach, Vogtle 3 and 4
11 directly incorporated into its application the applicable standard
12 material that was being reviewed on the Bellefonte docket. As a result
13 of TVA looking at other options for the Bellefonte site and given the
14 Vogtle plans for a near term construction program, a transition was made
15 for Vogtle 3 and 4 to be the reference RCOLA starting in April 2009.

16 Thus in April 2009, the Vogtle 3 and 4 combined license
17 application already had the standard, applicable standard material
18 directly incorporated. The NRC staff had already begun incorporating
19 the applicable standard evaluations into the Vogtle safety evaluation
20 report with open items. The COLA final safety evaluation report issued
21 in August 2011 concludes that the issuance of the combined license would
22 meet the associated standards and is not inimicable to the common
23 defense and security or to the health and safety of the public. Next
24 slide.

25 The point of this slide is to demonstrate the completeness

1 and structure of the Vogtle RCOLA application. NuStart established a
2 common structure for the application of AP1000 utilities. Vogtle 3 and
3 4 as well as the other standard combined licenses generally used this
4 format. Note that most of the detailed information being discussed
5 today is provided in the final safety analysis report in part two and
6 the environmental report in part three. However, other parts of the
7 application also provide important information. Next slide.

8 As mentioned before, the Vogtle 3 and 4 combined license
9 application incorporated by reference DCD Revision 19 and the early site
10 permit site safety analysis report material. As a result, Southern
11 Nuclear requested six departures, six variances and two exemptions from
12 the DCD in the early site permit material. The detail of these
13 departures, variances and exemptions is in the testimony of Amy
14 Aughtman, Wes Sparkman and Eddie Grant. In addition the combined
15 license application addressed the DCD combined license information and
16 holder items and the early site permit combined license items.

17 Finally some of the early site permit conditions were
18 addressed in the combined license applications such as the relocation of
19 the technical support center. Next slide.

20 There are approximately 875 ITAAC per unit tied to the Vogtle
21 3 and 4. Of these there are approximately 819 ITAAC in DCD Rev. 19 and
22 56 ITAAC from either the early site permit or the combined license. The
23 56 site specific ITAAC comprise such issues as site back fill, emergency
24 planning and security related changes. Next slide.

25 Part of the analysis of the Vogtle 3 and 4 early site permit

1 and combined license application was to demonstrate that the
2 characteristics of the site are bounded by the parameters in DCD
3 Revision 19. For those cases where Vogtle 3 and 4 was not demonstrated
4 to be bounding a justification would need to be provided. Southern
5 Nuclear's evaluation of the site comparison confirmed that the site
6 parameters are indeed within the DCD bounding parameters evaluated in
7 DCD Revision 19. Later, Southern Nuclear's presentations will expand on
8 this concept. Next slide.

9 Finally another important area of the COL application is the
10 environmental report. Southern Nuclear submitted a complete
11 environmental report with its Vogtle 3 and 4 early site permit
12 application which analyzed all environmental issues associated with both
13 construction and operation. Subsequently the NRC's early site permit
14 and environmental impact statement resolved these issues and concluded
15 that there were no unresolved environmental issues. The COL application
16 then provided a new and significant review of the finding in the early
17 site permit final environmental impact statement. This Southern Nuclear
18 review concluded that there was no new and significant information.
19 Later in our presentations Dale Fulton will discuss the early site
20 permit amendments and how they were addressed in this process.

21 The NRC staff then reviewed Southern Nuclear's new and
22 significant information, provided their conclusions in the combined
23 license final supplemental environmental impact statement issued in
24 March 2011. The NRC agreed with Southern Nuclear's conclusions and they
25 were -- that there were no additional new and there were no new and

1 additional significant information. And found that the early site
2 permit and environmental impact statement findings are still applicable.
3 Additionally the NRC concluded that the environmental, economic and
4 technical benefits of the project outweigh the environmental impacts and
5 other costs and that the COL should be issued. Next slide.

6 In conclusion the Vogtle 3 and 4 combined license application
7 is the reference combined license or RCOLA for the AP1000 fleet. This
8 combined license application has incorporated by reference DCD Rev 19
9 and the Vogtle 3 and 4 early site permit, SSAR or site specific analysis
10 report. This application is complete and has undergone extensive
11 regulatory reviews by the NRC staff and the ACRS. The results of these
12 reviews demonstrate that these two units can be safely constructed and
13 operated on the Vogtle site. Southern Nuclear is confident that the
14 Commission review will substantiate this conclusion. Thus Southern
15 Nuclear believes that all required findings can be made by the NRC to
16 allow issuance of the LWAB and the Vogtle combined licenses. This
17 concludes my remarks. Thank you for your attention.

18 CHAIRMAN JACZKO: Well thank you for that. We'll now proceed
19 with six minutes of questions for each Commissioner and I will start.
20 Either Mr. Miller or Mr. Pierce, on Slide 10 of your presentation you
21 use the phrase that the LWAB at the earliest allowable date would
22 benefit quality of construction in a number of ways. And then you say
23 it avoids destruction of construction processes important to quality.
24 That seems to imply that you'll be unable to maintain acceptable quality
25 if construction is disrupted. Can you provide me more detail about that

1 and what the challenges would be in terms of quality and again quality
2 has a certain meaning in this context. And I'm wondering if it's meant
3 in that context or what exactly do you mean by quality in that case?

4 JOSEPH MILLER: Okay, Mr. Chairman, I'll give you an answer
5 for that. First of all, the sentence is not meant to imply that we
6 cannot maintain quality in the nuclear sense. But it is meant to
7 emphasize as we are handling a very complex schedule and work in the
8 nuclear island specifically involves thousands of different craft that
9 will be coming and going, and training on nuclear safety and culture,
10 there's a continuity to the construction sequence. And by maintaining
11 that continuity, it certainly makes maintaining both personnel safety
12 and nuclear quality a much more manageable item.

13 CHAIRMAN JACZKO: When you originally received the LWA, were
14 you anticipating that there would be a gap at this period or how were
15 you anticipating maintaining the challenges or dealing with the
16 challenges that you are experiencing or you would anticipate
17 experiencing?

18 JOSEPH MILLER: I assume you are referring to the LWA Bravo
19 that's in --

20 CHAIRMAN JACZKO: I'm referring to the LWA Alpha when you
21 received it, when you had a plan and you initiated construction at a
22 certain point in that -- construction you had a plan for completing that
23 work at a certain point. Were you anticipating at the time that work
24 was completed you would have a COL issued at that point?

25 JOSEPH MILLER: That's correct.

1 CHAIRMAN JACZKO: What in your mind was the basis for the COL
2 not being issued at that point?

3 JOSEPH MILLER: Well as we've talked about the parallel
4 process is ongoing and reviewed by the Commission. Our COL depends on
5 the affirmation of the design certification document revision. And the
6 delay in getting the DCD approved results in a commensurate delay in
7 getting the license.

8 CHAIRMAN JACZKO: Was part of the reason for a delay in the
9 DCD a need to rework the design cert because there were pieces of the
10 designed certification that were unacceptable to the staff?

11 JOSEPH MILLER: I believe that's a partially accurate
12 assessment.

13 CHAIRMAN JACZKO: What would be partially inaccurate about
14 it?

15 JOSEPH MILLER: Partially accurate assessment, I think there's
16 probably other modifications and things that Westinghouse discovered
17 along the way that weren't necessarily the staff problems they made to
18 the DCD.

19 CHAIRMAN JACZKO: About how long do you think those
20 contributed to delay in the schedule?

21 JOSEPH MILLER: I could only -- maybe Chuck could allow but I
22 could only quantify it from a macro sense, that we originally expected
23 the process for DCD approval of revisions to occur more toward the first
24 quarter of this year.

25 CHAIRMAN JACZKO: So six months, maybe six months or more?

1 JOSEPH MILLER: Roughly.

2 CHAIRMAN JACZKO: Okay, thanks. The issue of the LWAB is
3 something that I think was also brought up in your statements. And the
4 ability of the NRC to issue the LWAB is also dependent on the AP1000
5 design certification rulemaking. Why, perhaps you could give some
6 better explanation to why you chose to make the LWAB dependent on the
7 AP1000 design certification amendment instead of standalone independent
8 action like the LWA was?

9 JOSEPH MILLER: I'll let Mr. Pierce elaborate a little more
10 but in a general sense the activity included in LWA Bravo requires, is
11 contained in the design certification amendment and requires approval of
12 the design certification.

13 CHUCK PIERCE: The LWA Alpha when it was submitted did depend
14 on the early site permit being approved. There were, it did address
15 some of the seismic evaluations in the early site permit, of course a
16 fitness for duty and QA programs and so forth. They were all in the
17 early site permit. So it did depend on the early site permit. The LWA
18 Bravo does depend on a number of areas that are specifically in the
19 certification. So it was, the decision would be, was to submit,
20 completely submit design certification material which could be somewhat
21 inefficient for the staff and for us or to rely on the certification
22 which was more efficient, a more efficient process.

23 CHAIRMAN JACZKO: Now on your slide and this is Slide 10, you
24 have a statement that the SNC has requested by letter that the COL LWA
25 be issued based on affirmation of AP1000 design certification rule. And

1 then you have a statement there that affirmation would constitute final
2 Commission approval of the design, necessary findings could be made.
3 Where you state that affirmation would constitute final Commission
4 approval, is that the position of Southern Company or do you believe
5 that's the position of the NRC?

6 JOSEPH MILLER: No, we believe that is the position that, we
7 believe that is a position that NRC can take is an option.

8 CHAIRMAN JACZKO: But is it currently? That statement says
9 it would constitute final approval that is your opinion as Southern
10 based on your reading and interpretation?

11 JOSEPH MILLER: That is correct.

12 CHAIRMAN JACZKO: Okay, thank you. I think those are all my
13 questions. Thank you. Commissioner Svinicki.

14 COMMISSIONER SVINICKI: Thank you. My question can be
15 answered by either witness but I suspect it will fall to you, Mr.
16 Pierce. On Slides 12 and 13, you discuss the assumption of the role by
17 Vogtle of the reference COLA and you discuss that at some length on
18 Slides 12 and 13. What I would like you to probe maybe by the use of
19 examples for me though, as the applicant what affect if any did the
20 assumption of the role of being the reference COLA have in your view of
21 the review of the application and your engagement with the staff? You
22 do reference in Slide 13 that Vogtle includes the applicable Bellefonte
23 three and four standard material. But could you use maybe a specific
24 example of an area where having mid process to assume the role of being
25 the reference COLA, how that, if it did alter the process for you as an

1 applicant, what was the affect? Also could you maybe speak about,
2 you've also invoked the ESP process which is another delta. Was that
3 also a factor in how the review process moved forward for you when you
4 had to assume the role of being the reference COLA?

5 CHUCK PIERCE: With regard to the reference COLA, the change
6 was that the standard material if you go look at our combined license
7 application, there'll be sections that'll be specifically designated
8 standard material sections. That standard material previously was being
9 reviewed on the Bellefonte docket and the NRC evaluations were going to
10 the NuStart Bellefonte docket. When Southern Nuclear became the -- and
11 Vogtle 3 and 4 became the RCOLA, those standard materials evaluations
12 were then being directly applied to the Vogtle 3 and 4 docket. As far
13 as a number of examples are concerned, many of the specific system
14 evaluations of raw water and those type of evaluations, security and
15 some of the other evaluations of that type were now done on the Vogtle
16 docket and then applied to the other dockets, rather than being done on
17 the Bellefonte docket.

18 COMMISSIONER SVINICKI: So in terms of the site specific
19 evaluation, what I'm drawing from your answer is that this was an easily
20 identified and designated universe of standard material that needed to
21 be incorporated. And then in terms of the incorporation of it into the
22 Vogtle application, that was something that was somewhat seamless from
23 your experience as an applicant, is that correct?

24 CHUCK PIERCE: That's correct, all the material that is
25 standard is specifically identified as standard in the Vogtle combined

1 license application. So it's the transition was fairly seamless from
2 that point of view.

3 COMMISSIONER SVINICKI: Okay, thank you. That's my only
4 question and I would ask to reserve the balance of my time. Thank you.

5 CHAIRMAN JACZKO: Commissioner Apostolakis.

6 COMMISSIONER APOSTOLAKIS: Thank you, Mr. Chairman. Since
7 this is the first COL application under Part 52. I'm just curious, what
8 was the level of effort devoted to this application say in responding to
9 requests for additional information from the staff preparing for
10 meetings with the staff and the ACRS and so on, can you give me some
11 idea?

12 CHUCK PIERCE: Wow, the --

13 COMMISSIONER APOSTOLAKIS: Was it a day or two?

14 [laughter]

15 CHUCK PIERCE: I think the best way to answer that would be
16 relative to the staffing levels that we actually used to do, to support
17 this work. If you look at just the Vogtle 3 and 4 team throughout the
18 combined license process, we probably averaged 15 or 20 FTE in dealing
19 with the various issues when you look at the contractors we used and our
20 own internal team. So there was a lot of people that were employed
21 throughout the process. If when you -- when you look at the NuStart
22 organization and their oversight and support as well, you could probably
23 add another five, six, seven or eight people. So I mean, it was a large
24 staff of people that was on a day to day basis dealing with the various
25 questions and ACRS activity and so forth.

1 JOSEPH MILLER: Commissioner, I think he's understating a
2 little bit. If you think of the timeline of this starting with the ESP
3 being prepared in 2005, we're going on roughly six years here of
4 constant interaction, both on the ESP and the combined license,
5 addressing issues with the staff, addressing issues with the vendor
6 Westinghouse on the design and interaction with them, obviously
7 addressing issues relevant to the combined license. So it's a, you
8 know, the level of FTEs has increased over the time and it has been a
9 constant incredible effort by our staff.

10 COMMISSIONER APOSTOLAKIS: Thank you, Mr. Chairman.

11 CHAIRMAN JACZKO: Commissioner Magwood.

12 COMMISSIONER MAGWOOD: Thank you, Chairman. I just really
13 have one question at this point but I wanted to, well first welcome. I
14 appreciate having both of you here today because as you noted earlier,
15 this is an historic event. And it's worth noting that it's an event
16 that isn't just six or eight years in coming, it's probably an event
17 that's more like 20 years in coming. There's been a lot of work by
18 thousands of people over the years and different organizations including
19 obviously Southern Company but many other utilities reflected NuStart
20 and other organizations. Also the Department of Energy and I didn't
21 want the day to go by without acknowledging my colleagues at the
22 Department of Energy who worked so hard to move some of these processes
23 along. And I also think it's worth noting that this is an effort that
24 has involved NRC staff on a very intimate for more years than I think
25 many of them really care to count. So I think the public should

1 understand that this is a process that's involved many hundreds, if not
2 thousands of people over a very long period of time thinking about these
3 issues and trying to do the best job possible to bring this application
4 before the Commission. So it's been -- and I think as I've gone through
5 the many volumes of paper that have led to this, it has impressed me as
6 to how much work has gone into this. So I wanted to let both the
7 applicant and the staff know that I recognize the vast effort that has
8 gone into this and appreciate what all of you have contributed to it.

9 However one of the things about this process and anything
10 this complicated that does come up is that there'll always be these
11 inevitable adjustments and changes as we go forward as much as we try to
12 have a standard design. As we've already seen in this process which has
13 led to the staff creating the changes during construction process. And
14 we have in this institute, this preliminary acceptability review process
15 which is assigned to assist that. And my question for you is how much
16 of that process do you expect to use going forward? What additional
17 license amendments might be necessary if the license is issued? And if
18 you can anticipate those now, why were those not built into the license
19 in the first place? I wonder if you could give some thoughts about
20 that.

21 CHUCK PIERCE: Okay. Starting with the second part of the
22 question first and that is why weren't those built into the license, for
23 the license amendments that we're looking at issuing shortly after we
24 receive the license, the license amendment request that we're looking at
25 issuing. Those were -- there is a point in time where under, as you

1 move through the process you need to make a start, you need to let the
2 COL sort of move to conclusion. You need to let the design
3 certification move to conclusion. And so there was -- so IGS-11 was
4 contemplated and created that provided guidance on what type of issues
5 and what type of changes would need to go before the NRC as part of the
6 process and which issues or changes could be deferred until the COL has
7 been received. So there are some specific changes that we're looking at
8 today that will need to be processed after we get the COL, the combined
9 license application. Now for those, you are correct that there is now
10 this changes during construction process that is currently under
11 development. For the preliminary amendment request that you mentioned,
12 I really don't expect that we'll be using at least initially that
13 process very often. As a matter of practice, initially for the
14 amendments that we're looking at right now, the initial submittal of
15 them, those amendments really can be processed without having to apply a
16 PAR. But as we get into the process and get into construction, there
17 may be needs for short turn around items during construction where we'll
18 need to use the PAR process. But for the ones that we're looking at
19 right now, that is not needed.

20 COMMISSIONER MAGWOOD: Okay, thank you. Thank you Mr.
21 Chairman.

22 CHAIRMAN JACZKO: Commissioner Ostendorff.

23 COMMISSIONER OSTENDORFF: Thank you, Mr. Chairman. I want to
24 join with my colleagues comments in acknowledging the historic nature of
25 this hearing today and in acknowledging the extreme hard work by the

1 license applicant and the NRC staff. I think this is a very significant
2 occasion. I want to start out with Mr. Pierce with the one question
3 that is related to Commissioner Svinicki's question about the reference
4 COL shifting from Bellefonte to Vogtle. I know that you touched on that
5 a bit but from a process standpoint, were there any difficulties or
6 lessons learned in trying to shift from Bellefonte being the reference
7 to Vogtle being the reference COL?

8 CHUCK PIERCE: In making the shift itself, I think that one
9 aspect that was -- I mean it was the way it worked and I don't know if
10 would call it lessons learned is that when you're doing it in process,
11 you can't make the change overnight. At that point in time when we made
12 the transition, the Bellefonte draft SAR safety evaluation reports were
13 being generated. That needed to be allowed to go to completion. And so
14 the transition was started in April 2009 but actually took several
15 months as that transition was formally completed. So it wasn't
16 something that happened, you know, at one point in time. It took
17 several months for that to be made. So I think that was the primary
18 lesson let's say I took away, you just really can't declare that it's
19 done on this day but we started in April.

20 COMMISSIONER OSTENDORFF: Okay. The second question and
21 Commissioner Magwood touched on this with respect to looking forward,
22 recognizing any construction project is going to have things that come
23 up, that emerge as new issues or challenges, that could not be foreseen
24 basing it to circumstances. Are there -- and I understand that Southern
25 Company has been watching closely the AP1000 construction over in China

1 and I'm wondering just at a high level, are there any particular areas
2 of construction that you have looked at in the China experience to date
3 that would perhaps be areas of particular focus for Southern as you move
4 forward with the Vogtle construction project?

5 JOSEPH MILLER: I would, Commissioner, I would answer the
6 question this way, the Chinese are proceeding very rapidly. The level
7 of design as they finish it, they're implementing it in a much more
8 rapid pace than is set up for Vogtle 3 and 4. So a lot of the issues
9 that they're finding in construction have been lessons learned that have
10 been taken back by Westinghouse and by Shaw and incorporated into
11 construction technique that will be used. A very simple one that's
12 just the way to assemble certain modules, instead of horizontally,
13 they'll be done vertically at our site. We do know that the Chinese had
14 several issues with penetrations and things that in our framework would
15 have required obviously the change process to work. Without question,
16 there will be some that we have to apply but to the extent practical
17 that those lessons from China have already been incorporated. They're
18 being incorporated in readiness reviews and construction reviews and
19 we'll identify them early, to the extent that they exist. And we'll
20 follow the process.

21 COMMISSIONER OSTENDORFF: Thank you. Thank you, Mr.
22 Chairman.

23 CHAIRMAN JACZKO: Any other questions from anyone? Okay,
24 well thank you very much for your testimony. We'll now turn to the
25 staff. We're now ready for our second panel. During this panel

1 representatives of the NRC staff will provide an overview of key safety
2 information related to the AP1000 design certification, review important
3 licensing activities related to the application and provide a summary of
4 its regulatory findings. Would all of the witnesses state your name and
5 title for the record?

6 WHEREUPON,

7 MICHAEL JOHNSON

8 FRANK AKSTULEWICZ

9 ROBERT SCHAAF

10 was called as a witness for the Nuclear Regulatory Commission and, having
11 been previously duly sworn, assumed the witness stand, was examined and
12 testified as follows:

13 MICHAEL JOHNSON: Michael Johnson, Director of the Office of
14 New Reactors.

15 FRANK AKSTULEWICZ: I'm Frank Akstulewicz; I'm the Deputy
16 Director for Licensing Operations in the Division of New Reactors,
17 Office of the New Reactors.

18 ROBERT SCHAAF: I'm Bob Schaaf; I'm the Acting Division
19 Director for the Division of Site and Environmental Reviews in the
20 Office of New Reactors.

21 CHAIRMAN JACZKO: Do you want to begin, Mike?

22 MICHAEL JOHNSON: Yes, good morning Chairman and
23 Commissioners. It's my pleasure to address the Commission today at this
24 public meeting. I'll provide a few, brief introductory remarks to
25 preface the staff's overview that follows. With me this morning of

1 course is Frank Akstulewicz and Robert Schaaf, who are in the
2 organization, who will make presentations following my overview. Mr.
3 Akstulewicz and Mr. Schaaf will provide an overview. Slide two please.

4 Mr. Akstulewicz and Mr. Schaaf will provide an overview of
5 the staff evaluation for the Vogtle Electric Generating Plant, Unit 3
6 and 4, combined license application, and the limited work authorization
7 request. This will include an overview of the safety review, including
8 the use of the design center review approach, the staff's environmental
9 review, and a summary of the regulatory findings of the staff based on
10 its safety and environmental review has made related to the combined
11 license application and the limited work authorization request.

12 Mr. Akstulewicz will also provide a status of the AP1000
13 design certification amendment rulemaking, which the Vogtle application
14 incorporates by reference and will discuss the issues, and presentations
15 that will be provided to you later today and tomorrow. The Vogtle
16 review is the first combined license review completed by the staff.
17 This is a major milestone and the preparation of the safety and
18 environmental review is a significant accomplishment by the staff.

19 The staff completed its review of the Vogtle combined license
20 application in August of 2011. The review began in the first half of
21 2008 when the applicant submitted its initial version of the
22 application. Since then, the staff has expended approximately 26,000
23 hours on the safety review and 5,000 hours on the environmental review,
24 which involves well over a hundred engineers, scientists, and technical
25 specialists. During this time, the staff conducted over 60 public

1 meetings and conference calls in support of the Vogtle combined license
2 review. The applicant responded to over 500 staff questions, including
3 over 70 questions associated with the environmental review and 460
4 related to the safety review. In addition, the staff considered more
5 than 300 comments on the draft supplemental environmental impact
6 statement. Additional efforts were provided by technical support
7 contractors under NRC monitoring. Contractors provided approximately
8 8,000 hours to support the environmental and safety reviews.

9 While completing its review of the Vogtle application, the
10 staff performed in parallel, a review of the amendment to the AP1000
11 design certification. The final safety evaluation report for the AP1000
12 review was issued in August of this year. The AP1000 was also a major
13 project for the new reactor program. The staff expended approximately
14 52,000 hours in completing the AP1000 review.

15 Within the NRC, of course the Office of New Reactors led the
16 review effort and provided most of the staff technical expertise.
17 However, other offices provided significant expertise. The Office of
18 Nuclear Security and Incident Response conducted evaluations in the
19 security, and emergency preparedness area. The Office of Nuclear
20 Reactor Regulation conducted evaluation in the financial review area and
21 assisted with resolution of some issues, some safety issues.

22 The Office of Nuclear Material and Safety and Safeguards, the
23 Office of Federal and State Materials and Environmental Management
24 Program and Region One provided support in Part 30, Part 40 and Part 70
25 license reviews, and of course, the NRC Region Two Office supported

1 environmental meetings in the community, around the Vogtle site. The
2 Department of Homeland Security also contributed to the NRC Review. The
3 staff has found that the final safety evaluation report of the final
4 supplemental environmental impact statement and our statement in support
5 of the hearing provide an adequate basis for meeting the necessary
6 regulatory findings and we look forward to participating in the
7 mandatory hearing and successful completion of the hearing phase of the
8 Vogtle combined licensing process.

9 I'll now turn the presentation over to Frank Akstulewicz and
10 Robert Schaaf for the balance of the staff overview. Thank you.

11 FRANK AKSTULEWICZ: Thank you, Michael. Good morning. Next
12 slide, please. On March 28th, 2008 Southern Nuclear Operating Company
13 on behalf of itself and four co-owners submitted its application to the
14 NRC for combined licenses for two AP1000 advanced passive pressurized
15 water reactors to be located on the existing Vogtle units one and two
16 site in Burke County, Georgia. The Vogtle COL application incorporates
17 by reference 10 CFR Part 52, Appendix D, the design certification rule
18 for the AP1000 design and the Westinghouse Electric Corporation
19 application for amendment to portions of the design control document
20 revision 19. The application also incorporates by reference the Vogtle
21 early site permit, revision 5, dated December 23rd, 2008, as approved by
22 the NRC and the Vogtle early site permit, and the limited work
23 authorization number one.

24 In addition, the NRC issued three amendments to the early
25 site permit on May 21st, June 25th, and July 9th, 2010. As discussed by

1 the applicant, the limited work authorization one includes the
2 installation of engineered backfill retaining walls, lean concrete
3 backfill, mud mats, and the waterproof membrane on which the nuclear
4 island will rest. In its presentation earlier today, Southern Nuclear
5 provided pictures of some of those activities that have occurred and are
6 occurring on the site. Next slide, please.

7 The staff safety evaluations associated with the AP1000
8 design certification document and the Vogtle early site permit that are
9 incorporated by reference are found in NUREG 1793, titled Final Safety
10 Evaluation Report related to Certification of the AP1000 Standard Design
11 and its Supplements and in NUREG 1923, the Safety Evaluation Report for
12 an Early Site Permit at the Vogtle Electric Generating Plant Early
13 Permit Site, respectively. The FSER, which I will use repeatedly
14 throughout my statements as the final safety evaluation report, for the
15 AP1000 design amendment was issued on August 5th, 2011, and the staff is
16 currently taking steps to issue that document as supplement two to NUREG
17 1793. Based on the finality that NRC regulations afford to a certified
18 design or early site permit referenced in a combined license application
19 the scope of this application review as it relates to the certified
20 design is more limited than it would be for a combined license
21 application referencing neither. What that means is that for safety
22 issues, the staff's combined license review team did not need to perform
23 a technical review of items that were resolved within the scope of the
24 certified design or the early site permit. Rather, the combined license
25 review focused on aspects of the application such as combined license

1 information items, design information, replacing conceptual design
2 information and programmatic elements that are the responsibility of the
3 applicant. Similarly, because the staff's environmental review of the
4 Vogtle early site permit resolved all environmental issues. The staff's
5 combined license stage environmental review was limited to a review of
6 new and significant information.

7 In addition to incorporating by reference the AP1000 design
8 certification and early site permit, the Vogtle combined license
9 application also consists of sections that are standard for combined
10 license applicants in the AP1000 design center. Standard content
11 material refers to the portions of the application, which if
12 incorporated by reference, by subsequent COLs will be able to take
13 advantage of the single review performed for the reference combined
14 license. The applicant identified the standard content material in its
15 final safety analysis report, by the use of left margin annotations. In
16 the Vogtle combined license FSER, the staff notes, those portions of the
17 review that will be considered as resolution of standard content through
18 the use of indented italicized text. Because the AP1000 reference
19 combined license application changed from the Tennessee Valley Authority
20 Bellefonte Station to Vogtle, a portion of this standard review was
21 performed during the review of the Bellefonte application. The Vogtle
22 FSER reflects the closure of the Bellefonte standard content open items
23 that were completed after the transition to Vogtle as the reference
24 combined license. I will present more regarding the transition of the
25 RCOL from Bellefonte to Vogtle in a later slide. Next slide, please.

1 The Vogtle combined license application also consists of site
2 specific information as well as a second limited work authorization
3 request. Specifically on October 2nd, 2009, Southern Company submitted
4 a second LWA as part of their application. This LWA involves installing
5 reinforcing steel, sumps and drains, and other imbedded items into
6 nuclear island foundation base slab and placement of concrete for the
7 nuclear island foundation base slab. The staff's evaluation of the
8 second limited work authorization request is found in Section 3.8.5 of
9 the Vogtle final safety evaluation report. Next slide, please.

10 Use of the design center review approach for the standard
11 content sub-evaluations is summarized in Section 1.2.3 of the Vogtle
12 final safety evaluation report. The design center review approach is
13 described in regulatory issue summary 2006-006 and was endorsed by the
14 Commission's staff requirements memorandum associated with SECY 06-0187,
15 dated November 16th, 2006. The design center review approach is used in
16 the staff review of several portions of the application, including the
17 safety analysis report and the quality assurance plan. As described in
18 the technical evaluation sections that rely on the design center review
19 approach, the staff ensured that the standard content developed for the
20 Bellefonte SER with open items was applicable to the Vogtle site.

21 For example, Section 17.5, which is the quality assurance
22 program description, contains both a mixture of double indented
23 italicized material and site specific evaluations. The Bellefonte
24 safety evaluation with open items is quoted in the Vogtle safety
25 evaluation and is publically available. The staff does not currently

1 intend to issue the Bellefonte SER as a NUREG. Next slide, please.

2 As mentioned earlier, Bellefonte units 3 and 4 was the
3 reference combined license for the AP1000 design center. In April of
4 2009, NuStart Energy Development, LLC submitted a transition plan which
5 the staff accepted, to change the RCOL designation for the AP1000 design
6 center from the Bellefonte units 3 and 4 to Vogtle units 3 and 4. The
7 staff completed the transition of the RCOL after the Bellefonte safety
8 evaluation with open items was issued. In certain areas of the
9 applications, the two applicants submitted similar information in an
10 accordance with the new reactor standardization needed to support the
11 design-centered review, licensing review approach. The staff determined
12 that the similar information would be standard for all of the AP1000
13 design center and that the evaluation that had been performed was
14 directly applicable to the Vogtle review. In portions of the Vogtle
15 FSER, where the staff made these determinations, the technical
16 evaluations were quoted directly from the corresponding sections of
17 previously issued and publically available safety evaluation sections.
18 Next slide, please.

19 The staff's safety review of the Vogtle combined license
20 application was also examined by the Advisory Committee on Reactor
21 Safeguards in accordance with 10 CFR 52.87, three AP1000 ACRS sub-
22 committee meetings were held on the Bellefonte safety evaluation with
23 open items related to the standard contact material. The applicant and
24 the staff also supported for AP1000 ACRS sub-committee meetings
25 specifically on the Vogtle application and its advanced final safety

1 evaluation. The staff presented the results of its Vogtle review to the
2 ACRS full committee on January 13th, 2011. The ACRS provided this
3 letter related to the Vogtle combined license application on January
4 24th, 2011. The ACRS letter contained four recommendations associated
5 with the containment interior debris limitations, the in service
6 inspection testing program requirements for squib valves, the power
7 measurement uncertainty and any future changes as required because of
8 the AP1000 design certification changes and its impact on the Vogtle
9 FSAR.

10 During the subsequent SER panel presentations, the staff will
11 provide a more detailed discussion of the first three items. The fourth
12 issue involved the ACRS request to review with them the changes and
13 commitments to the final design certification document and the FSAR that
14 deviated significantly from those that the ACRS had previously reviewed.

15 In the staff's response dated September 13th, 2011, to
16 question 20 of this Commission's pre-hearing questions, the staff stated
17 that none of the changes in the Vogtle application were of sufficient
18 significance to warrant an ACRS briefing. These changes were discussed
19 with the ACRS, AP1000 sub-committee chair and he agreed with the staff
20 that no further interaction was necessary. The staff's response to the
21 ACRS, January 2011 letter report can be found in a letter dated March
22 3rd, 2011. The staff issued the Vogtle FSER on August 5th, 2011. Next
23 slide, please.

24 In order to issue a combined license, the Commission must be
25 able to conclude that each of the findings on this slide are met. In

1 its testimony to support this hearing found in SECY -11-0110, dated
2 August 9th, 2011, the staff summarized the bases that would support the
3 Commission's determination that the staff's review had been adequate to
4 support the findings set forth in both 10 CFR 52.97 and 10 CFR 51.107.
5 This SECY paper provides a no review of the findings that subject to
6 final certification by rulemaking of the AP1000 amended design can be
7 made in support of the issuance of a Vogtle combined license -- I'm
8 sorry, a Vogtle combined license. I will review each finding and the
9 staff's basis supporting the finding that can be made.

10 First, the applicable standards and requirements of the act
11 in the Commission's regulations have been met. The staff review
12 reviewed the application and evaluated it against the applicable
13 requirements in 10 CFR, Parts 20, 26, 30, 31, 32, 40, 50, 51, 52, 55,
14 70, 73, 74, 100, and 140. Based on the staff's review documented in the
15 final safety evaluation report and the environmental impact statement,
16 and the conclusions of the ACRS, the staff concludes that for purposes
17 of issuing combined licenses for Vogtle Units 3 and 4, the applicable
18 standards and requirements of the Atomic Energy Act of 1954 as amended,
19 and the Commission's regulations have been met. Second, any required
20 notifications to other agencies or bodies have been duly made. As
21 documented in the SECY paper, the staff believes that all required
22 notifications, including those to the U.S. Department of Agriculture
23 Rural Utility Service, the U.S. Securities and Exchange Commission, the
24 Federal Energy Regulatory Commission, the Georgia Public Service
25 Commission, and the required federal register notifications have been

1 made.

2 Third, there's reasonable assurance that the facilities will
3 be constructed and operated in conformity with the licenses, the
4 provisions of the Act, and the Commission's regulations.

5 Again, as documented in the SECY paper, the staff believes
6 that the staff review as documented in its final safety evaluation as
7 well as the ITAAC and license conditions contained in the combined
8 licenses provide the necessary assurance that the plants will be
9 constructed and operated as required.

10 Fourth, the applicant is technically and financially
11 qualified to engage in the activities authorized. The technical and
12 financial qualifications of the applicant are summarized in the SECY
13 paper and documented in detail, in Chapter 1 of the staff's final safety
14 evaluation.

15 Fifth, the issuance of the licenses will not be inimical to
16 the common defense and security, or to the health and safety of the
17 public. Based on the staff's review of the application as documented in
18 its final safety evaluation, the staff concludes that the issuance of
19 the combined licenses will not be inimical to common defense and
20 security, or the public health and safety,

21 And sixth, the findings required by Sub-part A of 10 CFR,
22 Part 51 have been made. The staff's conclusions supporting the findings
23 required by Sub-part A, will be presented shortly by Mr. Schaaf. In
24 addition, as summarized in SECY 11-0110, the staff believes that the
25 analogous findings can also be made for the second limited work

1 authorization and that as required by 10 CFR 50.10, there are no
2 unresolved safety issues relating to the activities to be conducted
3 under the limited work authorization that would constitute good cause
4 for withholding the authorization. Mr. Schaaf will now provide an
5 overview of the staff's environmental review.

6 ROBERT SCHAAF: Good morning. I will be presenting an
7 overview of the environmental review related to the Southern COL
8 application, which referenced its early site permit and the applicant's
9 request for a second LWA as part of the application. Next slide.

10 In accordance with the Commission's requirements 10 CFR Part
11 51 implementing Section 102(2) of the National Environmental Policy Act
12 of 1969, the staff prepared a supplemental environmental impact
13 statement or SEIS, for the Vogtle Units 3 and 4, COL application. If an
14 applicant for COL references an ESP, 10 CFR 51.75 C requires the staff
15 to prepare a supplement to the ESP EIS. In preparing the SEIS, the
16 staff is guided by the requirements set forth in 10 CFR 51.92.
17 Specifically, a SEIS developed for a COL referencing an ESP shall
18 contain an analysis of those issues related to the impacts of
19 construction and operation that were resolved in the ESP proceeding for
20 which new and significant information has been identified. The staff
21 will provide additional details on the new and significant process
22 associated with the review in a later presentation on its environmental
23 review. The ESP FEIS was completed in August 2008 and the ESP was
24 issued a year later, in August, 2009. Next slide, please.

25 The staff's environmental review was based largely on the

1 resolution of issues at the ESP stage. The staff began its
2 environmental review process for the Vogtle COL application by
3 publishing a Notice of Intent to prepare a supplemental EIS in the
4 Federal Register on September 28, 2009. In the notice the staff
5 informed stakeholders that the SEIS for the COLs would be prepared in
6 the same manner as the final EIS for the ESP, except that the NRC
7 determined that it would not conduct a formal scoping process in
8 accordance with 10 CFR 51.26(d). The staff sent consultation letters to
9 various federal, state, tribal, and local agencies to solicit feedback
10 from these stakeholders on any new and potentially significant
11 circumstances or information relevant to environmental concerns related
12 to the proposed action. The staff also conducted detailed audits
13 concerning potential new and significant information in September, 2009,
14 and May, 2010. Next slide, please.

15 The draft SEIS was issued in September, 2010. A 75 day
16 comment period for the draft SEIS began on September 3rd, 2010, the date
17 of publication of the U.S. Environmental Protection Agency notice of
18 availability. The staff held a public meeting on October 7th, 2010 in
19 Waynesboro, Georgia, to describe the results of the staff's
20 environmental review, provide members of the public with information to
21 assist them in formulating comments on the draft SEIS and to respond to
22 questions, and accept comments. The staff developed responses to
23 comments received on the draft SEIS and provided these responses in
24 Appendix E of the final SEIS. On March 25th, 2011, the staff published
25 the final SEIS as NUREG 1947, final supplemental environmental impact

1 statement for combined licenses, for Vogtle electric generating plant
2 Units 3 and 4.

3 As stated in the final SEIS, the staff's recommendation
4 related to the environmental aspects of the proposed action is that the
5 COLs and LWAs should be issued. The staff based its recommendation on
6 the applicant's environmental report and responses to staff requests for
7 additional information; the staff's review conducted for the referenced
8 early site permit application and the assessment documented in the ESP
9 EIS; consultation with federal, state, tribal, and local agencies; the
10 staff's own independent review of potential new and significant
11 information available since the preparation and publication of the ESP
12 EIS, and the assessments summarized in the SEIS, including the potential
13 mitigation measures identified and consideration of public comments
14 received on the draft SEIS.

15 Finally, the staff concluded that the requested LWA
16 construction activities defined at 10 CFR 50.10(a), described in the
17 site redress plan would not result in any significant adverse
18 environmental impacts that cannot be redressed. Next slide.

19 This slide continues the discussion of the 10 CFR 51.107(a)
20 findings that the staff believes can be made to support the issuance of
21 the Vogtle Units 3 and 4, COLs, and LWAs. For the first finding, in
22 accordance with NEPA Section 102(2)(A), the staff's environmental review
23 used a systematic interdisciplinary approach to integrate information
24 from many fields, including the natural and social sciences as well as
25 the environmental sciences. The staff's review comports with the NRC's

1 requirements in Appendix A to 10 CFR Part 51, format for presentation of
2 material in environmental impact statements. The staff concludes that
3 the environmental findings in the SEIS constitute the hard look required
4 by NEPA and have reasonable support in logic and fact. The staff's
5 process for developing the SEIS will be discussed further in a separate
6 panel as part of the mandatory hearing.

7 In accordance with NEPA, Section 102(2)(C), the SEIS for the
8 Vogtle COL, which tiered off the ESP FEIS addresses the environmental
9 impacts of the proposed action; any unavoidable adverse environmental
10 effects; contains no discussion of alternatives to the proposed action,
11 because they were resolved at the ESP stage, except for limited new
12 information which was considered in the COL review; addresses the
13 relationship between local short term uses of the environment and the
14 maintenance and enhancement of long term productivity; and addresses any
15 irreversible and irretrievable commitments of resources that would be
16 involved in the proposed action, should it be implemented.

17 As supported by correspondence presented in Appendix F to the
18 SEIS, the staff concludes that it fulfilled the requirement of NEPA
19 Section 102(2)(C), by consulting with and obtaining comments from other
20 federal agencies with jurisdiction by law or special expertise. In
21 accordance with NEPA Section 102(2)(E), the ESP FEIS demonstrated that
22 the staff adequately considered alternatives to the proposed action, to
23 the extent that it involves unresolved conflicts concerning alternative
24 uses of available resources.

25 Since siting matters were resolved at the ESP stage, the

1 staff SEIS did not include a separate discussion on alternative sites.
2 Further, the staff evaluated whether any new and significant information
3 affected the conclusions previously made in the ESP FEIS, with respect
4 to other alternatives. As explained in the SEIS, after examining this
5 new information, the staff determined that it did not ultimately change
6 the staff's conclusions in the ESP FEIS.

7 For the second finding, Chapter 11 of the SEIS provides the
8 staff's summary of the cost benefit assessment. The staff concluded
9 that the construction and operation of the proposed Units 3 and 4, with
10 mitigation measures identified by the staff would have accrued benefits
11 that most likely would outweigh the economic, environmental, and social
12 costs. Again, this finding is supported by the resolution of issues at
13 the ESP stage. For the third finding, the LWA application indicates
14 that the existing site redress plan from the Vogtle ESP application is
15 applicable to the LWA-2 activities and the activities requested in LWA-2
16 would involve no additional impacts beyond those presented in the ESP
17 FEIS. The staff verified that the site redress plan discussed in the
18 ESP FEIS would adequately redress the impacts requested under LWA-2 in
19 the event construction is terminated, the COL application is withdrawn
20 or denied, or the LWAs are revoked. Therefore, the staff determined
21 that the redress plan will adequately redress the activities performed
22 under the LWAs, should limited work activities be terminated by the
23 holder of the LWAs or revoked by the NRC, or upon effectiveness of the
24 Commission's final decision denying the COL application.

25 For the fourth finding, the staff considered the cost benefit

1 analysis recognizing the resolution of issues concerning the need for
2 power and reasonable alternatives to the proposed action at the ESP
3 stage. In preparing the SEIS in the absence of new and significant
4 information that would change the cost benefit conclusion. Based on
5 that analysis, the staff recommends that the COLs be issued.

6 For the fifth finding, the staff believes that the Commission
7 will be able to determine based on the record of this proceeding, that
8 the NEPA review performed by the staff has been adequate. As will be
9 discussed in more detail, in a later presentation, the staff performed a
10 thorough and complete environmental review sufficient to meet the
11 requirements of 10 CFR, Part 51, implementing NEPA and adequate to
12 inform the Commission's action on the COL request. Thank you.

13 FRANK AKSTULEWICZ: Next slide, please. Although the staff's
14 review of the AP1000 design amendment is not the focus of this hearing,
15 because the Vogtle COL combined license incorporates the design
16 certification, my intent is to provide just the brief status of the
17 rulemaking activities. The AP1000 design, which is Rev. 15, was
18 certified in January of 2006. Westinghouse subsequently submitted an
19 application to amend that certification. The notice for the proposed
20 rulemaking regarding the AP1000 design certification was published in
21 February of 2011 and was based on Revision 18. The public comment
22 period for the proposed rulemaking ended in May of this year and the NRC
23 received over 13,000 comments on the proposed rule to which the staff is
24 now finalizing its responses.

25 Subsequent to the publication of the proposed rule,

1 Westinghouse issued an AP1000 design certification revision 19, in June
2 of this year. This revision includes some clarifications and
3 information regarding peak containment pressure analysis shield building
4 design methodology and other revisions to the application based on staff
5 comments associated with Rev. 18. Rev. 19 includes all of the still
6 current information from all the previous revisions. The staff issued
7 the safety evaluation, its final safety evaluation, including Rev. 19,
8 in August of this year and the FSER will be issued as a supplement to
9 the previously issued FSER. The ACRS sub-committee was briefed on Rev.
10 19, on August 16th of 2011, and the full committee was briefed in
11 September. The staff now expects to submit the rulemaking package to
12 the Commission in October of this year. Next slide, please.

13 Over the next two days, the staff will be presenting
14 information on the issues listed in this table. On this slide and the
15 next, I've outlined the nature of the information that the staff will be
16 presenting during its safety evaluation report and environmental panels,
17 and as indicated today where we will be speaking to panels one, two, and
18 three. That concludes my remarks.

19 MICHAEL JOHNSON: That concludes our presentation of the
20 overview.

21 CHAIRMAN JACZKO: All right, thank you. As you look at the
22 environmental impact statement, of course one of the most challenging
23 aspects is the new and significant information. Did the staff consider
24 whether the accident Fukushima Daiichi constituted new and significant
25 information?

1 ROBERT SCHAAF: No, we did not include that as consideration
2 at this time. It's continuing the review of -- under -- for the
3 Commission.

4 CHAIRMAN JACZKO: Do you think that there are issues that
5 could constitute new and significant information based on the accident?

6 ROBERT SCHAAF: As we evaluated it, the task force report
7 indicated that the current plants and licensing are not expected to be
8 affected and we await further long term task force evaluations.

9 CHAIRMAN JACZKO: So, you did consider the events, or no?

10 MICHAEL JOHNSON: We did not. We were more broadly waiting
11 for the outcomes of the Fukushima task force and we'll apply those
12 requirements in terms of new requirements, whether they be in safety or
13 environmental --

14 CHAIRMAN JACZKO: I mean strictly from the NEPA prospective,
15 from the standpoint of severe accidents, any of those kinds -- did you
16 look at that from a new and significant information from a NEPA
17 standpoint?

18 FRANK AKSTULEWICZ: We didn't. We did not.

19 CHAIRMAN JACZKO: Thanks. If we look at the COLs in
20 particular as we transition from the design certifications to the COLs,
21 there are a number of items that were passed through to the COL, I guess
22 known as COL action items. What is the status of those COL action items
23 as they get transitioned and I don't know, maybe Frank you could comment
24 on that. How do they wind up getting incorporated? Do they get
25 incorporated as commitments? Do they get incorporated as license

1 conditions or what happens with those things in the COL?

2 FRANK AKSTULEWICZ: There's several ways to do this and two
3 of them that you've identified are in fact ways to do that. They can be
4 commitments in the FSAR to follow on with certain activities.

5 CHAIRMAN JACZKO: What's the licensing affect of a commitment
6 in the FSAR?

7 FRANK AKSTULEWICZ: A licensing effect in the -- of a
8 commitment in the FSAR is binding, because it constitutes the regulatory
9 basis for that particular plant, all right. It is changeable, though.
10 There's a process that they go through to change commitments that's,
11 that's --

12 CHAIRMAN JACZKO: What is that?

13 FRANK AKSTULEWICZ: -- governed by -- it's a commitment
14 change process. There's a generic process that's an NEI standard
15 process for commitments. I don't recall the specifics of that process,
16 but it's not the same as a license amendment process. They can go
17 through and they have to notify us that a change is happening, and we
18 either agree with them or we don't. All right, but otherwise they can
19 become license conditions. They can become specific -- even ITAAC, they
20 can roll up to that, which are just another separate form of a license
21 condition.

22 CHAIRMAN JACZKO: Can you -- and I don't expect you to know
23 this now, but can you provide us with kind of a breakdown of where each
24 of the COL action items wound up, that they wound up as commitments,
25 they wound up as licensed conditions or what?

1 FRANK AKSTULEWICZ: We'll try to get that information for
2 you. We don't have it with us right now.

3 CHAIRMAN JACZKO: Okay, yeah that's fine, and just again,
4 just briefly, can you touch on the -- how do you decide which of the
5 bins it goes into?

6 FRANK AKSTULEWICZ: You mean what is either going to be a
7 commitment or a license condition. I think there's no hard and fast
8 criteria that says if it says this is a condition of -- I think a lot of
9 it is determined through the negotiation that happens during the review
10 process about the relative importance of that material either being
11 controlled or to have some additional flexibility with respect to that
12 particular process. So, I would say it's issue specific.

13 CHAIRMAN JACZKO: Okay. I appreciate that. I wanted to
14 touch briefly on the issue of LWAs. When the staff issues the LWA, does
15 the staff make any commitments about the subsequent issuance of a COL
16 related to that particular --?

17 FRANK AKSTULEWICZ: When we issue an LWA, there's no
18 commitment made to the -- to any respect to the issuance of a COL.

19 CHAIRMAN JACZKO: In fact, do our regulations specifically
20 say that the operator or the applicant in this case undertakes an LWA at
21 their own risk or something to that?

22 FRANK AKSTULEWICZ: Yes, that's right. Okay, thank you.

23 CHAIRMAN JACZKO: One of the issues of importance of course
24 this has been a long process. I think everybody's talked about it,
25 everybody's worked very hard on that, on doing this and a lot of

1 activity on all sides, applicants, staff, stakeholders. There's a lot
2 of different people involved, but of course at some point we kind of
3 have to say, "Stop," and then you move forward, and but of course in
4 that time new issues can come up. So, maybe you could just touch on
5 briefly how we deal with emergent issues that come up after an
6 application's been submitted and kind of where the cutoff point is for
7 dealing with those issues.

8 FRANK AKSTULEWICZ: Yeah, go ahead. I'll start. I believe
9 the correct starting point that the applicant recognized is ISG-11. It
10 does identify very specific criteria that say, "If you meet this
11 threshold for that type of information, it's information that must be
12 submitted to the NRC prior to the action being taken. It's very
13 definitive in that respect.

14 CHAIRMAN JACZKO: Does that go all the way up to literally
15 the day at which we would issue a COL?

16 FRANK AKSTULEWICZ: Correct. That's right and that would
17 include any errors in calculations that were identified, or significant
18 they could potentially undermine the staff's safety conclusions.

19 MICHAEL JOHNSON: The other thing I would add -- thanks Frank
20 for starting while I think, is that our oversight process is continuing
21 and ongoing, and that can always result in identification of issues,
22 some of which may have significant speed run through those tests and
23 would apply those either in licensing space, or enforcement space. We
24 have of course an allegation program that runs through -- we would end
25 up for an allegation that would follow in the process, looking at that

1 allegation of course. So, as we do our oversight, we continually look
2 and make judgments based on where we are in the process, about what
3 changes would need to be made, if any, to ensure that the design that we
4 approve is adequate or that the plan is safe, post COL, as we go
5 forward.

6 CHAIRMAN JACZKO: Okay. Thank you. Commissioner Svinicki.

7 COMMISSIONER SVINICKI: Well, thank you for your overview
8 presentation and I particularly found helpful that you focused on the
9 safety and environmental findings that we need to make. I have them
10 here, printed on a card just so that I will keep them front of mind as
11 we proceed through the mandatory hearing, and Mike, I also want to state
12 that you used the term milestone. I want to compliment you and the
13 staff for reaching what is a significant milestone of arriving here
14 today at the mandatory hearing. I feel also personally that you've done
15 so in a way that was very open and also provided with all of the public
16 meetings and the transparency. I think that most of us that weren't
17 doing the review day to day had good visibility into what issues were
18 open, what the approaches to resolution were, and I think that there's
19 been as a result, a certain degree of predictability to this process
20 that even if changes had to be made over time, people had a sense of the
21 status of items and I appreciate that very much. I think that also
22 facilitated the back and forth with the ACRS, and I also want to thank
23 the ACRS, if any of them are listening for the fact that they worked
24 with the Office of New Reactors to be able to make adjustments over
25 time, and it would be my assessment that I think that things worked

1 pretty well with the right amount of flexibility from both sides. I
2 think we were able to arrive at this in a fairly orderly process.

3 I do have a couple of questions, but before I begin, I
4 noticed that -- well, I'm not sure that I understood the response to
5 Chairman Jaczko's question about new and significant information arising
6 out of Japan. I noticed that some of the counsel were conferring. I
7 would ask if any representative of the Office of General Counsel would
8 like to in any way supplement the answer that was given about new and
9 significant information. There seemed to be a sidebar going on. Is
10 there anything you'd like to add, because I'm not certain and even the
11 Chairman said the answer was, "kind of yes and no." I'm not sure what
12 the answer was.

13 STEPHEN BURNS: My understanding from -- excuse me,
14 Commissioner, my understanding from Counsel is that I think one of the
15 other witnesses who is going to appear at the environmental piece of it
16 I think had a more specific answer to it. So, that's --

17 COMMISSIONER SVINICKI: Okay, but I assume you're a sworn
18 witness, would you --

19 GREGORY HATCHETT: Yes. This is Greg Hatchet. I'm the branch
20 chief of the Environmental Projects Branch where the environmental
21 review was conducted. More importantly, during the SEIS review, the
22 staff didn't find any new and significant information relevant to the
23 impacts postulated accidents conducted during the ESP stage.
24 Furthermore, after the Fukushima accident, the staff examined the task
25 force report and noted that the task force report emphasized that a

1 Fukushima like event is unlikely in the U.S. and the staff determined
2 that this did not represent new and significant information for the
3 Vogtle Review. Additionally, for the purpose of the environmental
4 analysis accident consequences the staff draws its key inputs from the
5 design basis accidents in the PRA reference and design certification and
6 the COL safety side analysis. Because those have not changed following
7 the Fukushima event, this further supports the determination there is no
8 currently new and significant information that would change the staff's
9 conclusion in the SEIS.

10 COMMISSIONER SVINICKI: Okay, thank you for that
11 supplementary testimony. That's helpful. Since this is the overview
12 panel, I think something that I would find helpful, and maybe this is
13 very basic, but as I said, you stepped through the findings. The staff
14 has concluded that for both the safety and environmental findings that
15 it is staff's assessment that the Commission can make an affirmative --
16 make the findings in the affirmative that are the regulatory findings
17 that are necessary. But this mandatory hearing, of course, is the
18 Commission's assessment of whether or not the review that you've
19 conducted, in our view, permits us to make those findings.

20 So if we were to take -- I know we have very detailed panels
21 coming up, but I wanted to pick a very general topic since you're the
22 overview presenters and you're supported by, I think, the 49 witnesses
23 that we swore in this morning, so I won't make you field all the
24 questions more appropriate for them. But one of the findings has to do
25 with technical qualifications of the applicant. Using that as an

1 example, I know that you refer to the guidance and procedures and other
2 things that you can consider in deciding that the applicant is
3 technically qualified. But could you describe that process again,
4 realizing that one of the objectives here is for the Commission to be
5 able to assess that the review you conducted is sufficient to support
6 the regulatory findings? What would you say to me at a very high level
7 of why you are convinced that the applicant is technically qualified?
8 And again, I'm using that because it's a nice general example.

9 FRANK AKSTULEWICZ: Okay, I'll try to answer that question.
10 Pick a specific issue. When the staff engages with the particular
11 applicant, there's a submittal that's made that is a representation of
12 the technical issue or the regulatory issue that's presented. And it's
13 supported by material evidence as to whether or not a certain position's
14 taken, right. The quality of that information goes into the staff's
15 determination about whether the applicant understands the issue that
16 it's evaluating, whether or not the evaluations are appropriate for the
17 issue that are being performed and, as part of the RAI process,
18 determines whether or not, you know, the particular applicant would
19 continue to represent itself in a way that would -- represent that they
20 understand what the significance is, how the issue is to be evaluated,
21 and the outcomes that are required as a result of the action that's in
22 front of the Commission. So it's the cumulative interaction across the
23 spectrum of issues associated with the application review that forms the
24 staff's opinion.

25 COMMISSIONER SVINICKI: Okay. Thank you. Mike, would you

1 like to add anything to that? Okay, thank you. Thank you, Mr.
2 Chairman.

3 CHAIRMAN JACZKO: Mr. Apostolakis:

4 COMMISSIONER APOSTOLAKIS: Thank you, Mr. Chairman. Frank,
5 on slide 14, you had the number that I thought was large. You received
6 13,000 comments?

7 FRANK AKSTULEWICZ: Yes. That's a large number. That's
8 atypical of what we would receive for rulemakings, and that's the low
9 end of the number.

10 COMMISSIONER APOSTOLAKIS: Okay, what can I make out of it?
11 I mean, what does it mean?

12 FRANK AKSTULEWICZ: I think that the unique challenge of this
13 particular proposed rule happened to be the timing when it was issued
14 and the events that followed. The proposed rule went out. Then the
15 Fukushima event happened, and so you had a lot of interest in terms of
16 all of a sudden nuclear power and the public's perception of such and
17 the groundswell of petitions that the Commission received to take action
18 with respect to the operating units and the licensing. All are factored
19 into the rulemaking comments that are coming forward to the Commission
20 for their consideration.

21 So, one other factor was that in order to be open and
22 receptive to trying to capture as much of the comments as we could, we
23 considered comments well past the deadline of the comment period. We
24 were trying to speak to comments received as late as June 30th.

25 MICHAEL JOHNSON: I should add -- thanks Frank -- also that a

1 number of those 13,000 comments were form comments from a form letter,
2 valuable comments but from a form letter so that counted for some of the
3 volume, 13,000. As we look at those 13,000 comments, approximately 60
4 or so unique issues raised, and we'll deal with all of those in terms of
5 response to those comments as a part of the rulemaking package going
6 forward on AP1000.

7 COMMISSIONER APOSTOLAKIS: But you do have to respond to
8 every single one, right?

9 MICHAEL JOHNSON: Yeah -- well, we will respond to the
10 category of the comments in an analysis in a document that is about an
11 inch and a half thick, two-sided, based on -- to address the staff's
12 response to those comments.

13 COMMISSIONER APOSTOLAKIS: Now, another question. Maybe it's
14 a clarification. What is the difference between LWA-A and B? Why does
15 B require a DC?

16 FRANK AKSTULEWICZ: It's just -- it's the material that's the
17 subject of the LWA. The fact that LWA-B required the evaluation of the
18 base mat, it could have been done separately, but because that
19 evaluation is the same evaluation that's necessary to support the base
20 mat review for the design certification, to do those separate was viewed
21 as inefficient and as representation from the applicant. So it was
22 either do that review once or do it twice.

23 COMMISSIONER APOSTOLAKIS: But is it that in B the applicant
24 now is beginning to work on safety-related structures and components?

25 FRANK AKSTULEWICZ: Only under LWA-1 does it permit the

1 construction of any safety-related, if at all. I don't know. That's a
2 question I'd refer back to the applicant in terms of the scope, but I
3 don't recall specifically that there is safety-related work being
4 performed under LWA-1 or A.

5 CHAIRMAN JACZKO: You can just stand there by yourself.

6 CHUCK PIERCE: My name's Chuck Pierce. I'm the AP1000
7 licensing manager for Southern Nuclear. The LWA 1 included backfill,
8 the mud mats, and the waterproof membrane. Though the backfill was
9 described in the early site permit as being a safety-related feature,
10 and so from that point of view, those items were considered important
11 for the -- toward construction, if you will, of the plant, which is part
12 of 50.10, at this part of construction it's an LWA activity.

13 COMMISSIONER APOSTOLAKIS: Thank you. So -- I'm sorry.
14 There's another comment?

15 CHAIRMAN JACZKO: If you want to make a comment, come down to
16 the podium.

17 COMMISSIONER APOSTOLAKIS: You want to make a comment? Go
18 ahead. While the gentleman is coming, so is the fact then that we're
19 waiting for the DCD -- maybe that's our own work -- it's purely for our
20 convenience that we don't want to duplicate an analysis? Is that what
21 you're saying?

22 FRANK AKSTULEWICZ: It's the choice of the applicant on how
23 to proceed here. So they -- their application, in their application for
24 the LWA-B, they chose to proceed, to wait for the certification in lieu
25 of performing a separate evaluation.

1 COMMISSIONER APOSTOLAKIS: Oh, thank you.

2 CHAIRMAN JACZKO: And just to confirm that you have been
3 sworn in.

4 WHEREUPON,

5 BRET TEGELER

6 was called as a witness for the staff of the Nuclear Regulatory
7 Commission and, having been previously duly sworn, assumed the witness stand,
8 was examined and testified as follows:

9 BRET TEGELER: Yes, my name is Bret Tegeler, senior
10 structural engineer, Office of Research. I have been sworn in. The
11 distinction between LWA-1 and 2 with respect to the revision of the
12 certified design, LWA-1 involved the, as you mentioned, the placement of
13 the mud mat and the evaluation of the seismic stability of the nuclear
14 island which really pertained to more of the global parameters such as
15 the shape of the, or the footprint of the nuclear island, the overall
16 mass of the nuclear island. Those parameters did not change between
17 Rev. 15 and 19 now. So for the LWA, we were just looking at the
18 waterproof membrane with respect to the safety-related feature of
19 maintaining a coefficient of friction. The model or design that was
20 referenced was Rev. 15. Staff felt that was appropriate because that
21 design reflected the -- as I said, the more global parameters that
22 remain unchanged.

23 COMMISSIONER APOSTOLAKIS: So my conclusion is then that both
24 of them involve safety-related SSCs. The difference is the
25 documentation upon which we will rely to make a decision.

1 BRET TEGELER: Correct.

2 COMMISSIONER APOSTOLAKIS: Okay, thank you, Mr. Chairman.

3 CHAIRMAN JACZKO: Mr. Magwood.

4 COMMISSIONER MAGWOOD: Thank you, Chairman. Michael, this
5 thing is safe, right? Is that your conclusion, your personal
6 conclusion?

7 MICHAEL JOHNSON: I'm sorry? What was your question,
8 Commissioner?

9 COMMISSIONER MAGWOOD: Is this thing safe?

10 MICHAEL JOHNSON: It's safe. It is safe.

11 [laughter]

12 COMMISSIONER MAGWOOD: One of the -- the Chairman asked a
13 question about Fukushima Daiichi, and I think there is a broader
14 question I'd like to take from that. This work has gone on for quite
15 some time. And there clearly have been things that have happened,
16 operational experience, Fukushima, there's been earthquakes. There's
17 been lots of things that have gone on in the world while this has been
18 going on. Can you describe, as you're the person who's in charge of
19 this overall activity, can you describe what process your office takes
20 in absorbing whatever lessons learned might be out there and making sure
21 that your work is fully informed by what's happening in the world? Can
22 you describe that, just this --

23 MICHAEL JOHNSON: Certainly, Commissioner. First of all, we
24 have a very active component of the operating reactors that is engaged
25 in the ongoing operating experience, insights and review as a part of

1 the Office of Nuclear Reactor Regulation. For example, they are
2 clearing house review of those ongoing issues as they occur to mine
3 those for insight as they relate to our program. Of course, one of the
4 benefits that new reactors have is that they are in fact required to
5 capture -- to consider operating experience, previous operating
6 experience, and that's been captured in terms of our standards, our way
7 in which we review these applications, and the way in which what we
8 approve in terms of the final designs. We do however get in a
9 situation, and like Fukushima, where insights have been gained but final
10 recommendations haven't been decided. And so, that's the situation that
11 we find ourselves in with respect to AP1000 and these COLs. We've taken
12 a look based on the current requirements. They meet the current
13 requirements. We have processes in place to -- when those final actions
14 are decided by the Commission, to apply those to the designs or, if
15 appropriate, to the COLs going forward. So we think we're in a good
16 place with respect to the most recent insights as we move forward.

17 I guess the other thing I'll note is that we've already
18 gained with respect to the area of seismic, for example, and flooding
19 because the -- because we are a state-of-the-art with respect to those
20 evaluations, and those evaluations -- that state-of-the-art has already
21 been captured in terms of the way that we do the review and in terms of
22 the way that designs have been built or are being built. We've already
23 benefitted, continue to benefit on an ongoing basis in the area of new
24 reactors as we go forward.

25 COMMISSIONER MAGWOOD: I appreciate that. I was talking with

1 the applicant a bit earlier this morning about the PAR process and you
2 were sitting there during that. And the PAR -- having this process
3 makes a great deal of sense with a project this large and this
4 complicated. You know there's going to be some changes as we go
5 forward. Some of the changes we have to approve, some the applicant can
6 go forward with without immediate NRC approval. One question I have for
7 you is as you think about how this will transpire over the years, how do
8 we manage those changes in terms of what gets inspected and how they're
9 inspected and what the inspectors know when they're going through the
10 construction process? How do you manage all the changes? Can you give
11 us an overview of that?

12 MICHAEL JOHNSON: Sure. You want to start?

13 FRANK AKSTULEWICZ: All right. I'll start. I think one of
14 the benefits of the PAR is that it provides insight to the inspection
15 process for when inspections, if they were planned, would not be
16 performed so they wouldn't be a waste of staff resources where they
17 would have to do -- come back again. That was part of the envisioning
18 of the notification in terms of that particular part of the agency
19 review process.

20 COMMISSIONER MAGWOOD: Mr. Pierce mentioned that for some of
21 the licenses or some of the changes they anticipate, the PAR process
22 wouldn't even be used. And as I mentioned, for some of the -- there are
23 two changes they don't have to come to us at all in the first place
24 anyway. How -- since that information wouldn't be available up front,
25 how do the inspectors know what's been changing, what's going on? How

1 do they keep track of that?

2 FRANK AKSTULEWICZ: There's -- and I'm not a qualified
3 inspector saying -- say that. But there is a process that's involved
4 where, as part of our normal core program, we go out and look at changes
5 that are occurring at like a 50.59-like process that roll up to
6 determine how rigorous the applicant's program or the licensee's program
7 is with respect to making sure that the criteria that are laid out are
8 being met as to when something should be submitted to the NRC and should
9 not. Also, there is a regulatory requirement to update the FSAR on a
10 periodic basis so that this notification comes into the agency and
11 indicates where the changes are being made in the base documents that
12 were not part of an amendment process. And the staff then looks at that
13 and determines whether or not those changes should have been reviewed,
14 number one. And then number two, to build into a process that whether
15 or not to correct the inspection or whatever review activities are
16 appropriate.

17 MICHAEL JOHNSON: I'm going to, Commissioner, just add a
18 little bit -- I'm thankful for Frank starting off with an answer
19 because, yeah, it's a really -- it's a question that has many tentacles
20 to it. We'll certainly know the things that the licensee want to change
21 at that point, and we'll look at those items. We'll have, as Frank
22 indicated, pre-notice about things that we would -- that would impact
23 our inspection program. The other thing that's important to keep in
24 mind is that we'll have -- we've allotted 35,000 hours of inspection
25 over the course of that construction period. And as Frank alluded to

1 and the panel can later on provide additional detail on, inspectors will
2 be out looking for changes in terms of things that may have gone through
3 the ISG-11 process and not been provided to the staff as a routine
4 matter. We'll also be looking at all kinds -- all aspects of that
5 construction project as it goes forward. We've got an extensive process
6 and a database to capture findings, and we'll -- and an oversight
7 process that we'll begin piloting in December. So we'll have, from an
8 inspection oversight perspective, another feedback into our overall
9 management of the project so that when we get to the end we're aware of
10 what's been built, what's been constructed and how it compares to what
11 will be approved in terms of the license and the design.

12 COMMISSIONER MAGWOOD: Excellent. Thank you very much.
13 Thank you, Mr. Chairman.

14 CHAIRMAN JACZKO: Mr. Ostendorff?

15 COMMISSIONER OSTENDORFF: Thank you, Mr. Chairman. Thank you
16 all for your testimony today. Mike, I found your comments on trying to
17 provide some quantification to the staff's extensive review to be very
18 helpful as far as man hours you're spending for safety and environmental
19 portions of the analysis for the COL. I also agree completely with
20 Commissioner Svinicki's comments on the public nature of these 60
21 meetings, I understand. I believe that we as an individual commission,
22 I think I've been kept well-informed about the status of the staff's
23 review on this, so I'm grateful for that communication.

24 For my colleague, Commissioner Apostolakis, I, you know, my
25 initial reaction on the 13,000 public comments is also, well, that

1 sounds like a lot of comments, but I recall in 2008, the National
2 Nuclear Security Administration was doing a site-wide EIS for
3 transformation of their eight sites, and they received just over 100,000
4 comments that we're dealing with at the staff level three years ago.
5 So, again, another data point sometimes is helpful for perspective.

6 I wanted maybe to start out with a comment, I think, Mike you
7 were just making to Commissioner Magwood about the inspection program
8 and so forth. And the previous panel, I'd asked the license applicant
9 what lessons learned have they gleaned so far from the AP1000
10 construction projects in China, and I know that you and NRO and Region 2
11 have a construction inspection program, and there's been some rotational
12 assignments to people over to the Sanmen site. Could you comment very
13 briefly, either you or Frank, on anything that you gleaned from that
14 that would help the NRC going forward, looking at the construction if
15 the Commission does approve the Vogtle license application?

16 MICHAEL JOHNSON: I think, first of all, Commissioner, it has
17 been valuable for us to be able to send inspectors to the Salmon site
18 and for us to see those inspectors here. Some of the kinds of insights
19 we've gained, for example, deal with inspectability. It helps to be
20 able to go look at the site that is being built. They are not using
21 ITAAC in China, but it helps us to, as we look at the ITAAC, gain
22 additional insights about how do we approach, what are our strategies
23 for approaching inspection with respect to individual things that we
24 would be wanting to follow up on related to ITAAC and construction
25 inspection in general. So it's those kinds of insights that we've

1 captured, brought back, shared at counterpart meetings that we have
2 between Region 2 and NRO and actually captured and incorporated in our
3 procedures.

4 COMMISSIONER OSTENDORFF: Thank you. I have a question,
5 Robert, for you, associated with a big picture environmental question.
6 The applicant on the previous panel presented a map of the area. And
7 you know, you can't help but notice that right across the river is the
8 Savannah River Site, and albeit in a different state, but it's right in
9 close proximity to the proposed construction site for Units 3 and 4.
10 And I know that your slide 11 talked about the communication with
11 federal, state, and local agencies, and tribes. At a high level, if you
12 look at the Army Corps of Engineers that has activities down there at
13 Savannah River and they also have activities at the Savannah River Site.
14 The Department of Energy that has responsibility for the Savannah River
15 Site -- is the big picture of federal agency alignment on how to look at
16 environmental issues at Vogtle, I'd say, if you use as a reference point
17 how those environmental issues are pursued and evaluated across the
18 river, at the Savannah River Site.

19 ROBERT SCHAAF: Well, each agency, in conducting its
20 environmental reviews, will include consideration of accumulative
21 impacts of other not only federal actions but other actions in the
22 vicinity of the proposed action. We do reach out to, for example, the
23 Corps of Engineers, federal resource agencies, Fish and Wildlife,
24 National Marine Fisheries, and others to assess the broader area. So I
25 guess that's how I would answer the question, is that, you know, each

1 agency individually in the course of conducting its activities is
2 looking at the other activities that are taking place, including those.

3 COMMISSIONER OSTENDORFF: Well, let me just maybe put a finer
4 point on the question. With respect to, again, the high level or the
5 way the NRC team approached the environmental review for Vogtle 3 and 4,
6 any significant philosophical differences in the approach taken by the
7 NRC compared to the approach taken, to your knowledge, by the Army Corps
8 of Engineers or the Department of Energy as they look across the river
9 at how they do business at the Savannah River Site.

10 ROBERT SCHAAF: I'm not aware of any differences. I don't
11 know if you can expand on it.

12 COMMISSIONER OSTENDORFF: I don't know -- your slide 11 talks
13 about communicating with other agencies --

14 ROBERT SCHAAF: Right, right.

15 COMMISSIONER OSTENDORFF: If there's any significant feedback
16 or maybe there's not much of a feedback. I'm just curious at this
17 point.

18 ROBERT SCHAAF: Well, I mean, we do reach out to the, like I
19 said, to the resource agencies, to the Corps, to local and state
20 agencies. The draft goes out for an opportunity for all agencies to
21 comment on.

22 MICHAEL JOHNSON: I'm sorry. Let me just offer -- we'll
23 touch that, if it's acceptable, to the extent that there were any
24 disagreements. And there are none that come to mind. I think the
25 process provides for --

1 COMMISSIONER OSTENDORFF: And I realize subsequent panels
2 will have it detailed tomorrow, but I was talking about very high level
3 as far as the approach.

4 MICHAEL JOHNSON: Barry?

5 WHEREUPON,

6 BARRY ZALCMAN

7 was called as a witness for the staff of the Nuclear Regulatory
8 Commission and, having been previously duly sworn, assumed the witness stand,
9 was examined and testified as follows:

10 BARRY ZALCMAN: My name is Barry Zalcmán. I'm staff on the
11 environmental side. Let me point out, it's a very good question that
12 you ask. Different federal agencies have different responsibilities.
13 They have organic statues. They have mission responsibilities. The
14 Department of Energy at Savannah River National Laboratory is a facility
15 manager. They actually build. They actually operate facilities. The
16 Nuclear Regulatory Commission evaluates applications. We have a similar
17 situation with TVA as a owner-operator, builder of a nuclear power
18 plant, operator of a nuclear power plant. Their NEPA responsibilities
19 sometimes are living responsibilities. So when the Department of Energy
20 in building an environmental impact statement maintains the currency of
21 that information. Their actions are ongoing. The Nuclear Regulatory
22 Commission, when you decide this action, will complete the federal
23 action. So the environmental impact statement supports the decision you
24 must make. But thereafter, the NRC's work is done until there are
25 changes to the license. If there are amendments, that prompts another

1 NEPA action. So a regulatory agency has a different role in NEPA
2 then facilities and operators, sister agencies like managing forests,
3 preservation, conservation, consumption, utilization -- they all have
4 different responsibilities. But the NRC as a regulatory agency is very
5 unique in that respect.

6 COMMISSIONER OSTENDORFF: Thank you. Thank you, Mr.
7 Chairman.

8 CHAIRMAN JACZKO: Did you have --

9 COMMISSIONER OSTENDORFF: I was just going to comment. I'm
10 really -- I probably didn't frame the question well, and I'll maybe --
11 let me go ahead and just make a comment and then I'll -- maybe it will
12 be appropriate for me to ask tomorrow at the environmental panel. I
13 appreciate the distinction between the role of the NRC and DOE but if
14 I'm living -- if I'm a public citizen down there living by the, you
15 know, in that area, I look at the federal government as a federal
16 government. Whether it's the NRC or DOE, it doesn't make any
17 difference. I'm just trying to see is there a rough philosophical
18 alignment of the approaches that the two agencies that are -- that have
19 big footprints in that area take. And that's kind of the nature of the
20 motivation for my question. But I'll hold off until tomorrow on that.

21 MICHAEL JOHNSON: We'll get you a more complete answer. I
22 understand your question. Thank you, Commissioner.

23 COMMISSIONER OSTENDORFF: Thank you, Mr. Chairman.

24 CHAIRMAN JACZKO: Thank. I just wanted to follow up on one
25 point. If we go back to the question and maybe, Greg, maybe this would

1 be more for you. I just want to get correct -- I think I heard some
2 different information so I want to try and get straight what the staff
3 position is. When it comes to Fukushima and the staff's supplemental
4 EIS, the staff did consider this as new information and determined it
5 not to be significant? Is that the correct -- my correct understanding?

6 WHEREUPON,

7 GREGORY HATCHETT

8 was called as a witness for the staff of the Nuclear Regulatory
9 Commission and, having been previously duly sworn, assumed the witness stand,
10 was examined and testified as follows:

11 GREGORY HATCHETT: Yes, yes, Commissioner, I mean, Chairman.
12 Yes, sir, we did. It was new information, but it wasn't significant.
13 We looked at the task force report, and then with respect to severe
14 accident analysis, when the environmental review, we looked back to the
15 design certification in the COL to see what is changed in response to
16 that because we don't do anything different with respect to severe
17 accident than they do on the safety side in terms of the components. So
18 we're looking at the same thing. They didn't change. We didn't see a
19 need to proceed because nothing changed.

20 CHAIRMAN JACZKO: So there -- so this was looked at as new
21 but determined not to be significant. The -- and just walk me through
22 one more time. I'm confused why the safety side is relevant. I mean,
23 let's say if we in three months, or let's say in six months, the
24 Commission imposes regulatory requirements that require a modification
25 to a facility because, you know, we're concerned that the accident

1 consequences may be more significant. There's no going back for the
2 NEPA. I mean, we -- and I think, as Barry did a nice job explaining,
3 the NEPA is tied to the license issuance. So once the license is issued
4 our NEPA responsibilities end. Well, in the safety space, we can go and
5 impose new regulatory requirements. We can't go back and impose a new
6 environmental requirement. So I'm not understanding why this wasn't
7 significant information.

8 GREGORY HATCHETT: It depends. Because what happens is,
9 depending on the form that the Commission decision takes in terms of any
10 future action to impose different requirements, how the staff will
11 implement that may require further NEPA review for that particular
12 action because that will be an action -- federal action of the
13 Commission being taken with respect to new requirements. So if it, for
14 instance, it's an amendment, right, then you would have three potential
15 NEPA actions you could take: categorical exclusion, an EA, or an EIS,
16 depending on the level of impact that could be caused as a result of the
17 action that the Commission wanted to take at a nuclear facility.

18 CHAIRMAN JACZKO: But the licensing action is done?

19 GREGORY HATCHETT: Yes.

20 CHAIRMAN JACZKO: So the staff's position is that there is
21 not significant information from a NEPA perspective relative to
22 Fukushima Daiichi from a current licensing perspective?

23 GREGORY HATCHETT: At this time.

24 CHAIRMAN JACZKO: At this time.

25 GREGORY HATCHETT: Because there had been changes that would

1 require the staff to go back and relook as to what we would have to do
2 in response to some change. We haven't seen a change in requirements, a
3 change in accidents, and change in the design that will require us to go
4 back and reconsider anything to determine whether or not, assuming it is
5 significant, then determining whether or not it would change the
6 conclusions that were reached in the supplemental environmental impact
7 statement.

8 CHAIRMAN JACZKO: Okay. I'm not -- we'll probably have an
9 opportunity to explore this some more tomorrow. Any other comments or
10 questions from any of my colleagues? Okay, thank you very much. We'll
11 take a quick five-minute break.

12 (Whereupon, a short recess was taken)

13 CHAIRMAN JACZKO: Okay, we will now reconvene. I'll start
14 with our first safety panel. I'll note for the remaining panels the
15 applicant is expected to discuss the contents of the COL application,
16 they'll have 15 minutes for that, while the staff is expected to discuss
17 their regulatory conclusions and the review process. Each panel should
18 include a discussion of site specific ITAAC or other licensing
19 conditions associated with the subject matter of the panel.

20 Our first safety specific panel with focus on the first three
21 Chapters of the safety evaluation report and the relevant section of the
22 application.

23 And I would just remind anybody who is coming to the podium
24 to speak, if they can remember to state their name and whether or not
25 they've been sworn in, if they've not been sworn in then we'll have to

1 go through that process, so people can just remember to do that. So, if
2 all the people seated at the table could please state their name and
3 title for the record.

4 WHEREUPON,

5 WESLEY SPARKMAN

6 AMY AUGHTMAN

7 EDDIE GRANT

8 were called as witnesses for Southern Nuclear Operating Company
9 and, having been previously duly sworn, assumed the witness stand, were
10 examined and testified as follows:

11 WESLEY SPARKMAN: I'm Wes Sparkman, I'm the COL licensing
12 supervisor for SNC Vogtle Units 3 and 4.

13 AMY AUGHTMAN: Amy Aughtman, Southern Nuclear AP1000
14 licensing supervisor.

15 EDDIE GRANT: Eddie Grant, AP1000 Licensing Support Lead for
16 NuStart.

17 CHAIRMAN JACZKO: And let's have the staff as well, we'll do
18 this once and then --

19 WHEREUPON,

20 RAVINDRA JOSHI

21 DENISE MCGOVERN

22 MOHAMED SHAMS

23 were called as witnesses for the Nuclear Regulatory Commission and,
24 having been previously duly sworn, assumed the witness stand, were examined and
25 testified as follows:

1 RAVINDRA JOSHI: Hi, my name is Ravindra Joshi, I'm Senior
2 Project Manager with Office of New Reactors.

3 DENISE MCGOVERN: Denise McGovern, project manager, NRO.

4 MOHAMED SHAMS: Mohamed Shams, acting branch chief for
5 structural engineering in NRO.

6 CHAIRMAN JACZKO: Thank you, okay. We'll start with the
7 applicant.

8 WESLEY SPARKMAN: Thank you. As you said, this first panel
9 discusses selected items from Chapters one, two, and three of the
10 combined license application final safety analysis report for Vogtle
11 Units 3 and 4.

12 Next slide please. I will begin by covering a request for
13 licenses associated with 10 CFR Parts 30, 40, and 70 -- next -- Amy will
14 discuss Vogtle site characteristics and the water proof membrane
15 departure, and finally Eddie Grant will cover examples of key safety
16 information incorporated by reference from the AP1000 design control
17 document.

18 Next slide please. Part one of Vogtle's combined license
19 application included a request for Part 30, 40, and 70 licenses to allow
20 receipt, possession, and use of by-product, source, and special nuclear
21 material. Because there was no specific guidance provided for Part 52
22 COL applicants, the information needed to be provided in the support of
23 materials licenses, SNC did not identify the information specifically
24 needed to support the staff's review in the initial submittal. In
25 response to staff requests for additional information provided over the

1 past year or so, it became apparent that much of the information needed
2 for the staff's review was in fact included throughout the various Parts
3 of the COLA. For example, radiation protection details were provided in
4 FSAR Chapter 12, including the radiation protection program description
5 in Appendix 12 Alpha Alpha, the physical security details were provided
6 in the physical security plan in COLA Part eight, fire protection
7 program information was provided in FSAR Chapter 9, and training and
8 procedures information was provided in FSAR Chapter 13.

9 However, the staff's review also identified several elements
10 that needed to be clarified or enhanced to support their review of
11 material license applications. These included a description of a
12 program to address control and accounting of special nuclear material to
13 meet the requirements of 10 CFR Part 74, a description of a program to
14 address new fuel receipt and storage prior to establishing an
15 operational protected area to meet the requirements of 10 CFR 73.67, a
16 plan for procedures and instructions to address transfer of control of
17 new fuel to a qualified shipper, in other words, one with a approved
18 transportation security plan, in the event that new unirradiated fuel
19 needed to be returned to the manufacturer to meet the requirements of
20 73.67, Golf 1 through Golf 3. Also limitations on the types, form and
21 quantities of byproduct, source, and special nuclear material to be
22 received on site, especially during the period preceding the
23 Commission's 10 CFR 52.103(g) finding.

24 In addition, this includes restrictions on receipt of any
25 quantities of uranium hexafluoride at any time on the Vogtle site. Next

1 slide please.

2 To support approval of the material control and accounting
3 program description, Southern Nuclear also requested an exemption from
4 certain requirements in 10 CFR Parts 70 and 74. Approval of this
5 request will extend the applicability of Part 50 exceptions to these
6 regulations such that the exceptions are equally applied to the Part 52
7 licensees. The basis for this exemption request is that the
8 requirements under the consideration are applicable to fuel cycle
9 facilities as opposed to utilization facilities and there is no
10 technical or regulatory basis to treat Part 52 licensees any different
11 than Part 50 licensees in this respect.

12 Following satisfactory completion of the staff's review of
13 Vogtle COL application the staff developed Interim Staff Guidance, ISG-
14 23, clarifying the information to be provided in support of future COL
15 applications. A review of this draft guidance confirmed that the
16 information needs identified in this guidance have now been provided to
17 the staff or addressed in commitments and license conditions for the
18 above described materials programs. As discussed in SECY 11-0110,
19 several license conditions are proposed to address implementation of the
20 key nuclear material programs and controls on the nuclear materials
21 described in the previous slide. SNC has reviewed the requirements
22 specified in these proposed license conditions and is prepared to
23 implement the Part 30, 40, and 70 licensees in accordance with these
24 regulations.

25 Next slide please. I will now turn over the presentation

1 over to Amy Aughtman to discuss Vogtle site characteristics.

2 AMY AUGHTMAN: Chapter two of the FSAR presents site
3 characteristics. For the Vogtle COL application the majority of these
4 are incorporated by a reference from the Vogtle early site permit, site
5 safety analysis report, and were resolved in the ESP proceeding. Now, I
6 would like to distinguish between use of the terms resolved and bounded,
7 on this slide and in this discussion. The intent of this slide is to
8 provide a high level snapshot where we were when the ESP was issued.
9 Each site characteristic that was provided at the ESP phase was actually
10 bounded by the corresponding DCD site parameter, however there were a
11 few site characteristics that were not provided at the ESP phase and
12 therefore were not resolved in the ESP phase.

13 Additionally, there are a couple of site characteristics
14 that, while they were determined be to be bounded at the ESP phase, have
15 now been supplemented or re-determined at the COL phase due to changes
16 in the DCD site parameters themselves. Any characteristics that were
17 previously resolved at the ESP phase that were not modified during the
18 COL application review are then considered to be both resolved and
19 bounded. Our application development process considered DCD changes
20 that impacted any portion of our COL application, and specifically here,
21 including the manner in which site characteristics should be defined or
22 compared. The parameters provided on this slide and the following slide
23 are not a comprehensive listing of the parameters, but do provide the
24 categories of those parameters.

25 Of the categories shown on this slide there are three

1 characteristics that were not fully resolved within the ESP proceeding.
2 The first of these was the maximum and minimal normal air temperatures.
3 While the site characteristic values for these parameters were
4 calculated at the ESP phase, they were calculated based on the DCD
5 revision 15 parameter definitions. Those definitions were revised
6 during the DCD amendment process to reflect industry practice and
7 terminology, and we updated our site characteristic determinations to
8 allow for an appropriate comparison. This is characterized in variance
9 2.3-1.

10 The second characteristic that required additional work at
11 the COL phase are the atmospheric dispersion values. The information
12 regarding the site boundary and low population zone atmospheric
13 dispersion values were provided at the ESP phase and found to be
14 acceptable for the ESP. However, an ESP permit condition was created to
15 require that if a COL application referencing the ESP and also a
16 certified design, would require that the COL applicant to demonstrate
17 compliance with the radiological consequences evaluation factors by
18 demonstrating that the site-specific atmospheric dispersion values
19 determined in the ESP fall within those evaluated in the approval of a
20 reference certified design. This permit condition was fulfilled by
21 carrying forward the bounded site boundary and low population zone
22 atmospheric dispersion values and by providing the control room
23 atmospheric dispersion values for the DCD-identified release points.

24 The third category from this slide that was also determined
25 at the COL phase is with respect to water level. At the ESP phase we

1 did establish the design basis river flood level, and that was
2 considered resolved. However, the other element to water level is
3 maximum local, probable maximum precipitation flood, also known as local
4 intense precipitation, and that was determined and established at the
5 COL phase. Next slide.

6 This slide shows the soil and seismic related characteristics
7 that were primarily resolved at the ESP phase as well. There is one
8 seismic parameter that was supplemented at the COL phase to provide a
9 more detailed evaluation demonstrating the in-structure response spectra
10 is bounded by the DCD's certified seismic design response spectra site
11 parameter. This characteristic comparison will be discussed in
12 additional detail in safety panel two. As you can see, minimal
13 additional information was necessary to be provided at the COL phase for
14 site characteristics due to the majority of those being resolved at the
15 ESP phase. Next slide.

16 One of the special topics requested for this panel was the
17 water proofing membrane departure. This departure exists because the
18 DCD does not describe the water proofing option that was selected for
19 use at Vogtle 3 and 4, and that had been reviewed and approved at the
20 ESP phase to support the LWA, we call it Alpha request, others refer to
21 it as One. While the Vogtle design is not specifically described in
22 the generic DCD, it is consistent with the DCD design. This design
23 feature does have a site specific ITAAC, which will confirm the
24 specified coefficient of friction of 0.7. And now Eddie Grant will
25 cover the next slide on DCD key safety information.

1 EDDIE GRANT: Thank you, Amy. Chapter three describes the
2 design of structures, components, equipment, and systems. This
3 information is primarily within the scope of the certified design
4 control document, and thus provided in the DCD, and incorporated by
5 reference into the combined license application, final safety analysis
6 report, in the corresponding sections of Chapter 3. The COLA FSAR does
7 provide some supporting information on the site-specific systems and
8 site related aspects of the DCD systems, as well as some programmatic
9 information such as in-service testing and equipment qualification.

10 Some of the key information incorporated by reference would
11 include the information related to the nuclear island structures,
12 including, for example, the shield building redesign to support the
13 related regulation revisions. Much of this shield building information
14 has been included in the DCD in Sections 3.7, Seismic Design, and in
15 Section 3.8, Structural Design, and then in any associated DCD Chapter
16 three appendices. These sections describe the structure and its
17 functions, as well as the methodology used for the design of the
18 structure. These sections are incorporated by reference into the COLA
19 at FSAR Sections 3.7 and 3.8.

20 There are also several ITAAC associated with the nuclear
21 island structures and these are included in the DCD again, in Tier 1, in
22 Section 3.3, and there are some associated DCD Tier 1 figures, 3.3-1
23 through 10 that show some specific details. These have been identified
24 to be included in the license as proposed by the staff SECY COL
25 attachment.

1 Another key example, on the next slide, of information in
2 Chapter 3 is general information related to the design of various safety
3 systems and their safety evaluations, including, for example, the vacuum
4 relief system and the containment pressure evaluation. However, the
5 details of these systems, the vacuum relief system in particular, is
6 discussed in detail in the DCD in Chapter 9 and incorporated by
7 reference again into the COLA FSAR in section 9.4.7. The containment
8 pressure evaluation is also discussed in detail in the DCD in Chapter 6
9 and is incorporated by reference at the COLA FSAR Section 6.2. The
10 results are also included for this containment pressure evaluation in
11 the DCD generic tech spec 5.5.8, which identifies the containment leak
12 rate testing program. And this tech spec is also included in the Vogtle
13 plant specific tech specs. And that concludes the applicant panel one
14 discussions.

15 CHAIRMAN JACZKO: Well, thank you. We'll have the staff come
16 to the table and give their presentation.

17 RAVINDRA JOSHI: Good morning, my name is Ravi Joshi and I'm
18 a senior project manager with the Office of New Reactors. I've been
19 working as a lead safety project manager under Vogtle COL application
20 since April of 2009. I've been heavily involved in the development and
21 coordination of the final safety evaluation report, FSER, for Vogtle
22 Electric Generating Plant reactor, I will call Vogtle Units Three and
23 Four. For the Vogtle application our work has included the use of
24 various parts of the Vogtle application including the final safety
25 analysis report, that is FSAR numerous requests for additional

1 information, face-to-face meeting between NRC staff and the technical
2 representatives. I also have with me my colleague, Denise McGovern,
3 project manager who has been instrumental in supporting the development
4 of the FSER. She'll be presenting several chapters during the course of
5 today's presentation and tomorrow's presentation. For this panel I'll
6 be representing Chapters 1 and 2, Chapter 3 will be presented by Denise
7 McGovern and Mohamed Shams, who is sitting next to me, acting branch
8 chief, Structural Engineering Branch. Next slide please.

9 We'll be presenting the staff review of the FSAR Chapter 1 --
10 slide number 3. The application consists of 11 parts, presented in next
11 two slides. Part one, general and administration, includes the
12 financial information and the staff review is included in section 1.5.1
13 of the Final Safety Evaluation Report, FSER, for the application. We'll
14 be discussing the staff review in this topic later. This table describes
15 where the staff's evaluation of each part of COL application appears
16 within either the FSER or the final supplemental environmental impact
17 statement, that is FSEIS. For example, the staff evaluation of limited
18 work authorization, request number two, is included in the FSER Section
19 3.8.5. Now, please go to slide number five.

20 Part 2 of the application is FSAR. This table identifies
21 whether information contained in this section is incorporated by
22 reference IBR, standard content, or site-specific, or supplemental
23 information to standard content. Next slide please.

24 For example, Section 1.9, Compliance with Regulatory
25 Criteria, indicates that information contained in this section is IBR

1 with standard and site-specific supplements. Compliance with a certain
2 Reg. Guide is resolved as a result of referencing the AP1000 DCD, that
3 is IBR, while compliance is either addressed via standard content
4 applicable to all the AP1000 COL applicants, which would refer to
5 throughout our presentation as standard content, all this specific to
6 Vogtle COL, which would be same as plant-specific. Next slide please.

7 Staff evaluated three exemptions from NRC regulations
8 requested by the applicant and found them acceptable. The exemptions
9 are identified in this table. The exemption related to special nuclear
10 material referred to as SNM, Material Control and Accounting program,
11 also referred as MC and A is evaluated in FSER Section 1.5.4. I'll be
12 discussing the staff's review of the exemption request later. Next
13 slide please.

14 The staff evaluated applicant's proposed six departures from
15 tier 2 information in AP1000 DCD revision 19, presented in this table
16 and found them to be acceptable, but some of the application describes
17 and justifies the departure. It also evaluates each departure against
18 the criteria in Appendix D to 10 CFR Part 52. The departure related to
19 the voltage regulating transformer is evaluated in FSER Section 8.3.
20 Departure related to technical support center is evaluated in Section --
21 FSER Section 13.3. We'll be describing those evaluations later. Next
22 slide please.

23 The staff requested six variances from the ESP, as shown on
24 this table. The staff evaluated each request and determined that
25 alternative information supplied by the applicant was acceptable. Part

1 7 of the application describes the variances in detail. The variance
2 related to updated climatological data is evaluated in the staff's FSER
3 Section 2.3 and will be discussed in our presentation on Chapter 2.

4 Next slide please.

5 In the next few slides, I will present results of the staff's
6 review of selected technical topics. These results are documented in
7 Chapter 1 of the FSER. I will summarize the staff's review of financial
8 and technical qualifications; the applicant's request for exemption to
9 SNM, MC and A; and the applicant's request for material license under 10
10 CFR Parts 30, 40, and 70. Next slide please. Staff reviewed
11 information provided by SNC in Chapters 1 and 17 of the FSAR, about the
12 applicant's technical qualifications. The review included an evaluation
13 of operating experience, and Quality Assurance, or QA, program of SNC.
14 SNC has over 30 years of experience in the design, construction, and
15 operation of nuclear generating plant. SNC currently operates nuclear
16 plants at its Hatch, Vogtle and Farley sites. SNC also holds Part 50
17 licenses for these plants and has demonstrated the ability to choose and
18 manage the oversight of nuclear steam supply system vendors, architects
19 and engineers, and constructors of nuclear-related work.

20 The staff reviewed the QA program found it acceptable, as
21 documented in FSER Section -- Chapter 17. Based on the staff's
22 evaluation of SNC's experience with nuclear power plants and its QA
23 program, the staff concludes that SNC is technically qualified to hold
24 combined licenses for Units Three and Four. Next slide please.

25 The staff reviewed information about applicant's financial

1 qualifications. The review included an evaluation of financial
2 qualification, decommissioning funding assurance, foreign ownership, and
3 nuclear insurance and indemnity. The staff evaluated information about
4 the total construction costs of Units Three And Four. The staff also
5 reviewed funding sources for each of the Vogtle owners. Applicable
6 regulations and the guidance considered by the staff include Part 140,
7 52.97(a)(1)(iv), 50.33 and NUREG1577.

8 Based on the staff's evaluation of the financial information
9 provided by the applicant, NRC staff concludes that the four owners and
10 the operators, that is SNC, of Units Three And Four have demonstrated
11 that they possess or have reasonable assurance of meeting estimated
12 construction costs as well as decommissioning funding assurance.
13 Therefore the staff concludes that the applicant is financially
14 qualified to construct and operate Units Three and Four and engage in
15 activities authorized by the combined licenses. Next slide please.

16 The provisions of 10 CFR 70.22(b) require an application for
17 license for Special Nuclear Material to include a full description of
18 the applicant's program for the MC&A of SNM under 10 CFR Part 74,
19 likewise 10 CFR 70.32(c) requires a license authorizing the use of SNM
20 to include a condition requiring the licensee to maintain and follow the
21 SNM MC&A program. However, the applicable regulations include exception
22 for nuclear reactor licensed under Part 50.

23 The applicant requested an exemption from these requirements.
24 The applicant stated that the purpose of this exemption request is to
25 seek similar exception for this COL under Part 52, such that the same

1 requirements will be applied to its SNM MC&A program as to the reactor
2 license under Part 50. The next slide please.

3 The criteria for granting the subject exemptions are included
4 in several NRC regulations, including in Part 70 and 74, such as
5 70.17(a), 74.7. In addition pursuant to 10 CFR 50.7, the Commission
6 may, upon application by an interested person or upon its own
7 initiative, grant exemptions from the requirements of Part 52.

8 10 CFR 52.7 further states that the Commission's
9 consideration will be governed by 50.12, which states an exemption may
10 be granted when the exemptions are, one, authorized by law: will not
11 present an undue risk to the public health and safety, and consistent
12 with the common defense and security; and two, when special
13 circumstances are present. The special circumstances are present
14 whenever "Application of regulation in the particular circumstances
15 would not serve the underlying purpose of the rule or is not necessary
16 to achieve the underlying purpose rule."

17 Recognizing the appropriateness of treating the MC&A program
18 of both Part 50 and Part 52 licensees consistently, the staff determined
19 that this requested exemption meets all the criteria of 50.12 that I
20 just described. The staff considers that this request also demonstrates
21 that exemption criteria in 52.7 and other related exemption criteria are
22 satisfied. Therefore the staff finds exemption is justified. Slide 15.

23 As part of the COL application, SNC also requested material
24 licenses for receipt, possession, and use of by-product, source, and
25 Special Nuclear Material, also referred to as Part 30, 40, Part 70

1 respectively.

2 This 30, 40, 70 review was a first-of-a-kind review, for an
3 application in Part 52 licensing process. The staff coordinated this
4 review with other NRC offices. These other offices routinely review
5 applications for 30, 40, 70 licenses. They are the Office of Nuclear
6 Material Safety and Safeguards, Part 70; the Office of Federal and State
7 Materials and Environmental Management Programs; and NRC Region One, for
8 Parts 30 and 40; and the Office of Nuclear Security and Incident
9 Response for Security and Emergency Preparedness Requirements applicable
10 to Part 30, 40 and 70.

11 The staff's review confirmed that some the key information
12 requirements under Part 30, 40, and 70 were made by information
13 previously submitted by SNC to meet Part 52 requirements. In
14 particular, Part 52 information pertaining to the radiation protection,
15 fire protection, emergency planning, and non-licensed staff training,
16 including the operational programs for those areas were directly
17 applicable to the licensing requirements of what -- Parts 30, 40, and
18 70. Next slide please.

19 The applicant provided information regarding specific types
20 of sources and by-product material, the chemical and physical form, and
21 the maximum amount of the material at any time, for requested material
22 licenses for under Parts 30 and 40. By-product material and source
23 material should be in the form of sealed neutrons sources for reactor
24 startup, sealed sources for reactor instrumentation, and radiation
25 monitoring equipment calibration. The applicant also committed that no

1 Part 40 specifically licensed source material including natural uranium,
2 depleted uranium, uranium hexafluoride, that is UF₆, would be received,
3 possessed or used during the period between issuance of COL and the
4 Commission's 10 CFR 52.103(g) finding for each of the Vogtle Units Three
5 and Four. In addition, SNC committed that UF₆ would not be received,
6 possessed or used even after the 52.103(g) finding, that is during plant
7 operation.

8 SNC provided sufficient details of the operational programs
9 such as radiation protection program, fire protection program, and
10 non-licensed staff training program, to support Parts 30 and 40 material
11 licenses. These operational programs are required by regulations.
12 Vogtle FSAR Table 13.4-201 lists each operational program, the
13 regulatory source of the program, the section of the FSAR in which the
14 operational program is described and associated implementation
15 milestones. Next slide please.

16 For the Part 30 and 40 reviews, the staff used portion of the
17 NUREG-1556 as guidance. Part 52 information pertaining to radiation
18 protection, fire protection, emergency planning, and physical security
19 and associated operational programs was directly applicable to licensing
20 requirements of Parts 30 and 40. This aspect of review is discussed in
21 Section 1.5 of the staff's FSER.

22 The applicant stated that no by-product material would be
23 received, possessed, or used of a physical form that is unsealed, on
24 foils or plated sources, or sealed in glass, that exceeds the quantities
25 of Schedule C of 10 CFR 30.70. Since the contents do not exceed

1 Schedule C, emergency plans that meet the requirements of Part 30 are
2 not required.

3 Similarly, the applicants request for a Part 40 license state
4 that no Part 40 specifically-licensed source material will be received,
5 possessed, and used during the period between the issuance of the COL
6 and 52,103(g). Since the above quantities are not exceeded during this
7 time, an emergency plan is not required.

8 The key element of the staff review is to ensure the presence
9 of appropriate controls on the sources and material during construction,
10 that is prior to fuel load. Therefore, the draft license include
11 license conditions that establish controls in the form of limits of a
12 type and quantity of materials that licensees may possess prior to the
13 52.103(g) finding, after the 52.103(g) finding. The requirements of
14 these sources and materials are met by the controls in place for
15 operation. Next slide please.

16 SNC provided information regarding Part 70 material, SNM, as
17 nuclear fuel, by referencing specific Vogtle FSAR Section. These
18 sections included information regarding general financial information
19 and site description; organization and administration; radiation
20 protection; nuclear criticality safety; and fire protection. It also
21 referenced sections of the FSAR regarding emergency preparedness;
22 environmental protection, MC&A program for SNM; physical security plan.
23 Next slide please.

24 Part 70, Safety and Security Reviews, the staff utilized
25 portions of NUREG-1520 and NUREG-0800. For the reason described in

1 section 1.4 of the FSER the staff agrees that applicant is technically
2 qualified to engage in the proposed activities. The finding is based on
3 the applicant's ongoing experience in the safe operation of the nuclear
4 power plants as described in section 1.4 of the Vogtle FSAR. Likewise,
5 the applicant's financial qualification and ownership structure meet the
6 requirements of Part 70.22 for the same reasons described in the staff's
7 FSER Section 1.5, with respect to the COL as a whole. Similarly, the
8 applicant has explained how the anticipated amounts, types, and uses of
9 Part 70 material at this site are consistent with the provisions of Part
10 70.22.

11 In addition, the Vogtle FSAR provides information regarding
12 regional hydrology, geology, meteorology, nearby population and
13 potential effects of natural phenomena that could occur at the facility.
14 The applicant has described the responsibilities and associated
15 resources for the receipt, possession, and inspection and storage for
16 the Part 70 material. Therefore, it meets the requirements of 10 CFR
17 70.22(a)(1).

18 As indicated in Vogtle FSAR 13.4-201 applicable portions of
19 Radiation Protection Program will be implemented prior to initial
20 receipt of byproducts, source, or SNMs. The Radiation Protection
21 Program is in accordance with the NRC-approved template, NEI 07-03A,
22 which is incorporated by reference into Vogtle FSAR. The appropriate
23 radiation protection program elements will be in place prior to initial
24 receipt of by-products, source, or special nuclear materials.

25 Staff also concluded, based on the information included in

1 Vogtle FSAR section 9.5, that capabilities of the fire protection
2 program and the fire protection equipment servicing this area are
3 sufficient to meet the requirements of 10 CFR 70.22(a)(7) and a(8).

4 Finally, the applicant will be storing new fuel racks, stored
5 dry, on the spent fuel racks prior to loading into the reactor. The
6 safety analysis included an AP1000 DCD Section 9.1 indicates that
7 criticality evaluation meets the requirements of 10 CFR 50.68(b).
8 Therefore, the criticality accident alarm system is not required. As a
9 result, an emergency plan is also not required, while the fuel is stored
10 on-site prior to being loaded into the reactor. Next slide please.

11 The applicant described MC&A programs and stated the program
12 be developed in accordance with the applicable requirements of Part 74,
13 subparts A and B. This program will be consistent with relevant
14 guidance of American National Standard Institute, ANSI, 15.8 2009.

15 In order to address the applicable Part 74 requirements,
16 prior to operation the applicant proposed that this program would be an
17 operational program, it would be implemented prior to receipt of nuclear
18 fuel on site. Implementation of the program prior to receipt of fuel
19 will also address the possession and storage requirements of SNM during
20 construction and prior to operation. This program will remain in effect
21 until the SNM is shipped from this plant site.

22 The staff finds the applicant MC&A program for SNM is
23 consistent with ANSI 15.8, meets reporting and recordkeeping
24 requirements of Part 74. The applicant documented how it meets the
25 applicable requirements of material accounting and control consistent

1 with Part 74. In addition, the staff is proposing a license condition
2 that requires a schedule to support NRC's inspection for the MC&A
3 program for the SNM. This is consistent with the policy established in
4 SECY 050197. Next slide please.

5 Pursuant to requirements of 10 CFR 73.67, the applicant
6 provided a physical security plan, referred to as PSP, regarding the
7 protection of new fuel, as SNM, at the Vogtle site, prior to declaration
8 of an operational protected area, or PA, and implementation of the
9 requirements of 73.55. This plan includes transportation security
10 provisions. It also considers the ability of the substantive provisions
11 of interim compensatory measure orders, or ICMOs, that were issued to
12 Category III Fuel Cycle Facilities to ensure adequate protection when
13 SNM is on site, prior to activation of the PA.

14 In addition, the applicant revised Section 13.5 to include
15 new fuel shipping plan. This plan addresses the applicants Part 73.67
16 requirements in the event that unirradiated fuel assemblies or
17 components are returned to the supplying fuel manufacturer's facility.
18 The New Fuel Shipping Plan summarizes the procedures and written
19 agreement that applicant will have in place prior to shipment of new
20 fuel back to the manufacturer.

21 The NRC staff reviewed the applicant's PSP for fixed site
22 physical protection of SNM of Low Strategic Significance and chemicals
23 of concern. The methods and procedure outlined in the PSP satisfy the
24 performance objectives, system capabilities, and reporting requirements
25 specified in Part 73.67. The PSP for the facility is acceptable and

1 provides reasonable assurance that requirements for the physical
2 protection of SNM of low strategic significance and chemicals of concern
3 will be met. In addition, staff found the new fuel shipping plan
4 acceptable because it meets the applicable requirements of 10 CFR
5 78.67(g). Slide number 22.

6 The staff found the SNC satisfies applicable requirements of
7 Parts 30, 40, and 70. A key element of the staff review was to ensure
8 the presence of appropriate controls on the sources and materials before
9 and after 52.103(g) finding. Therefore, staff has proposed license
10 condition authorizing SNC to receive, possess, and use Parts 30, 40, and
11 70 materials. These conditions are identified in the staff's FSER as
12 well as in the draft license attached to the staff's SECY information
13 paper.

14 In addition, the staff has determined that SNC's application
15 is expected to be standard for other remaining AP1000 COL applicants and
16 the staff's evaluation is expected to constitute a standard review for
17 the AP1000 COLs. In the remaining AP1000 COL reviews only plant
18 specific differences between RCOL, Vogtle, and SCOLs will be addressed
19 separately. That concludes my Chapter 1 presentation.

20 I will continue with the presentation for Chapter 2. Slide
21 number 24. I will present a summary of safety aspects of the ESP and
22 LWA number 1, that were reviewed previously by the staff and, and
23 resolved in the ESP proceeding, but are discussed here to provide
24 context for the COL review.

25 I will also present a staff review of the Chapter 2 of the

1 Vogtle FSAR. Specifically I'll provide background information regarding
2 the AP1000 design and the ESP as it relates to the COL application. In
3 addition I will present an overview of the applicant's submittal
4 regarding the Vogtle site-related topics. The next slide please.

5 Part 2 of the Vogtle ESP application, revision 5, consisted
6 of a site safety analysis report on SSAR, which provided complete and
7 integrated information for the Vogtle site which NRC staff reviewed. In
8 August of 2009 the NRC issued the ESP for the Vogtle site.

9 The staff review on all safety issues associated with the ESP
10 application and the LWA request is documented in NUREG-1923, the staff's
11 ESP FSER. The staff's evaluation included a technical review of the
12 information and data the applicant submitted, with emphasis on the
13 topics listed on the slide. This includes, for example, potential
14 hazards of the nearby facilities including hazards at Vogtle Units One
15 And Two, as well as transportation accidents.

16 10 CFR 52.39 generally states that the Commission shall treat
17 as resolved those safety matters resolved in the ESP, except that COL
18 applicant needs to update the emergency preparedness information that
19 was provided with the ESP application.

20 Part 3 of the Vogtle ESP and COL application consisted of
21 environmental reports. These reports described the environmental
22 impacts of constructing and operating new units at the Vogtle site. The
23 staff's review of the environmental issues associated with the ESP and
24 COL applications is scheduled to be discussed tomorrow. Next slide.

25 The staff's SER for ESP also documents the technical

1 evaluation of the applicant's LWA request, LWA number one. The staff's
2 evaluation included a technical review of the information and data the
3 applicant submitted with emphasis on the following matters: the
4 acceptability of design properties related to the engineered backfill,
5 the acceptability of the mud mat and waterproof membrane, the Quality
6 Assurance requirements, and the Fitness For Duty program. The next
7 slide please.

8 In the next few slides I will present a summary of the
9 staff's evaluation of Chapter 2. Consistent with the 10 CFR 52.83, the
10 staff review of the COL application was limited by the scope and nature
11 of the matters resolved in the previous ESP application and the AP1000
12 DC rule and included those area associated with the COL applicant's
13 referencing of the Vogtle ESP application, Site Safety Analysis Report,
14 and the AP1000 standard design certification.

15 Staff reviewed the resolution of ESP permit condition 9,
16 variances, departure 2.5-1, and the AP1000 COL information and action
17 items. The next slide please.

18 This table identifies the information contained in each
19 section of the Vogtle FSAR Chapter 2 is IBR, standard, site specific or
20 supplemental information to standard content. For example, Section 2.2,
21 nearby industrial transportation and military facilities contains IBR,
22 standard, and plant-specific information. A discussion related to
23 potential hazards from chemicals stored onsite at an AP1000 plant is
24 applicable to all AP1000 COL applicants and is therefore standard plant
25 information. A discussion related to potential hazards due to other

1 chemicals stored on site at Vogtle or near the Vogtle site is plant-
2 specific information. Next slide please.

3 Staff reviewed and compared the Vogtle site-specific
4 characteristic values presented in a Vogtle FSAR against the AP1000 site
5 parameters presented in the AP1000 DCD. Note that most of the site
6 characteristic values were reviewed and approved as part of ESP. The
7 staff review confirmed that the AP1000 site parameters were enveloped by
8 corresponding Vogtle site characteristic values. One exception was
9 Vogtle ground motion response spectra, GMRS, which is expected -- which
10 exceeded the AP1000 DCD certified seismic design response spectra, that
11 is CSDRS. The evaluation of exceedance will be discussed in the Chapter
12 3 presentation. Slide 30.

13 The applicant provided an evaluation of potential hazards to
14 Vogtle's Units 3 and 4 control rooms due to an accidental release of
15 various AP1000 standard chemicals, and other chemicals stored on-site at
16 Unit 3 and 4, as well as hydrazine from storage tanks located at Unit 1.

17 The staff reviewed the applicant's evaluation of AP1000
18 standard chemicals and assessed whether any of these chemicals needed to
19 be evaluated further. The assessment was based on information provided
20 in the FSAR, confirmatory analysis, and review of responses to the
21 requests for additional information. The staff concluded that two
22 standard chemicals, hydrazine and carbon dioxide, could exceed IDLH
23 concentration limits outside the control room.

24 The staff also evaluated potential hazards to the Units Three
25 and Four control rooms, due to an accidental release of site-specific

1 chemicals stored at Units 3 and 4, as well as accidental release of
2 hydrazine from storage tanks located at Unit 1. The staff concluded
3 that two site specific chemicals, MPA and ammonium bisulfate could
4 exceed IDLH concentration limits outside the Units 3 and 4 control room,
5 but an accidental release of hydrazine stored at Unit would not
6 threaten control room habitability for Units 3 and 4.

7 Those chemicals found to have a potential to exceed IDLH
8 concentration outside the Unit 3 and 4 control rooms were further
9 evaluated for control room habitability in Section 6.4 of the staff's
10 FSER.

11 Next slide, please. In the ESP SSAR the applicant identified
12 one percent annual exceedance temperature values as appropriate site
13 characteristics for comparison with the AP1000 normal temperature site
14 parameter values versus AP1000 DCD values. In its ESP review staff
15 found these proposed values to be acceptable. Staff also evaluated 0.4
16 percent annual exceedance site temperature values proposed by the ESP
17 applicant and found those proposed temperature values to be acceptable
18 as well.

19 In revisions to AP1000 DCD, which were issued after the
20 Vogtle ESP was issued. Westinghouse clarified that AP1000 normal
21 temperature site parameter values are based on one percent seasonal
22 exceedance frequency. The one percent seasonal exceedance values are
23 approximately equal to 0.4 percent annual exceedance values and
24 therefore more conservative than one percent annual exceedance values.

25 As a result of this clarification provided by Westinghouse in

1 revisions to the DCD, the applicant proposed a variance from the Vogtle
2 ESP normal air temperature site values in the Vogtle FSAR.

3 Because of the proposed site temperature values were already
4 evaluated and found to be acceptable as part of the staff's review of
5 the Vogtle ESP, and because of the revised site values remain bounded by
6 the AP1000 normal temperature site parameter values, the staff found the
7 variance to be acceptable. I'd like to ask Denise to continue the
8 presentation to chapter three.

9 DENISE MCGOVERN: Thank you. Good morning again. I'm Denise
10 McGovern, a project manager in the Office of New Reactors. In the next
11 few slides we will present a summary of the staff's evaluation of Vogtle
12 FSAR chapter 3, which is design of structures, components, equipment and
13 systems. Next slide, please. One more, yup. Thirty-three. Thank you.

14 The table on the following two slides gives an overview of
15 the Vogtle FSAR chapter 3. It identifies whether the information
16 contained in the section is IBR, standard, site-specific or supplemental
17 information to standard content.

18 Next slide, please. For example, in section 3.8, Design of
19 Category 1 Structures, a discussion related to construction and
20 inspection procedures could be applicable to all AP1000 COL applicants.
21 That is standard. In that same section, the discussion related to the
22 limited work authorization work activities is specific to the Vogtle COL
23 and plant specific. Also in 3.8 is a discussion on the waterproof
24 membrane departure, which I will present in a moment.

25 To provide context for this chapter, two design issues associated with

1 the AP1000 will make a more selective for further discussion. They are
2 the shield building and containment vacuum relief system. The COL
3 topics of interest are seismic design, limited work authorization number
4 two and squib valves. These will be discussed in panel two. Mohamed
5 will now continue with the discussion of the AP1000 shield building
6 design.

7 MOHAMED SHAMS: Good morning [inaudible]. I'm sorry. Now
8 I'm on. I'm the acting branch chief for the structure engineering
9 branch responsible for the review of the structural aspects of the
10 AP1000 DCD. Over the next two slides, I will try to provide an overview
11 of the AP1000 shield building design, the staff's review and our
12 regulatory finding. The shield building, circled in the slide, slide
13 35, is a safety related seismic category one structure that provides
14 structural and radiological shielding for the containment vessel and
15 radioactive systems located in the containment building. Protects the
16 containment from external events, including missiles, tornadoes and
17 seismic events, provides radiation shielding from nuclear materials and
18 containment, supports the passive containment cooling water storage tank
19 or PCCWS tank, and provides for natural air circulation cooling for the
20 containment vessel.

21 Next slide, please. The shield building design was revised
22 from reinforced concrete to a steel concrete composite, or SC structure,
23 to improve its resistance to aircraft impact. As part of its review,
24 the staff evaluated the shield building's capability to resist design
25 basis demand such as seismic, tornado and wind loads. Given the unique

1 construction of the shield building, there was extensive analysis and
2 testing by Westinghouse and an extensive staff review, including
3 consultants. The aircraft impact resistance was examined by the staff
4 through multiple inspections. The staff notes that the design of the
5 shield building in the AP1000 is unique in the fact that it is the first
6 U.S. nuclear use of steel, concrete composite modules. Also, the shield
7 building has a unique design function in its support of the PCCWS tank.
8 The PCCWS tank holds more than three million kilogram or 6.7 million
9 pounds of emergency cooling water. This water load accounts for a
10 considerable portion of the load on the roof of the shield building.
11 The shield building is separate from the steel containment and consists
12 of a cylindrical wall that supports both the conical roof and the PCCWS
13 tank. The shield building wall is constructed with both conventional
14 reinforced concrete with an auxiliary building and new SC wall modules
15 exterior to the auxiliary building. The SC wall modules constitute
16 about 75 percent of the shield building structure. The SC module
17 consists of two steel face plates with concrete infill contained within.

18 Sheer studs anchor the concrete to steel face plates and tie
19 bars connect the two outer face plates together. The shield building
20 roof, a reinforced concrete structure, is supported on steel beams and
21 is connected to the cylindrical wall by steel ring girder and also
22 called tension ring. The auxiliary building roof and external walls
23 are connected to the SC cylindrical portion of the shield building. The
24 floor slabs and interior structural walls of the auxiliary building are
25 also structurally connected to the reinforced concrete cylindrical

1 portion of the shield building.

2 There were two topics related to the shield building required
3 additional information in revision 19 of the AP1000 DCD. Those are the
4 load combinations related to thermal and seismic loads and the revision
5 of the seismic analysis method for the PCCWS tank. Both issues were
6 reviewed by the staff and found to be adequately addressed by
7 Westinghouse in revision 19. In terms of the overall shield building
8 review by the staff, recognizing its first-of-a-kind nature, the staff
9 conducted a careful review of the unique and complex design of the
10 shield building. To ensure that under design basis loads, including the
11 safe shutdown earthquake, the shield building possesses sufficient
12 strength, stiffness and ductility to remain functional.

13 The staff relied on the applicable regulatory requirements
14 such as Appendix S to part 50 for earthquake engineering criteria, and
15 Appendix A to part 50 for general design criteria. The staff also
16 utilized the implementation guidance in NUREG 800 for the standard
17 review plan to conduct its review. The staff reviewed the applicant's
18 design approach of using a combination of ACI code requirements, testing
19 and confirmatory analysis.

20 In its review, the staff concluded that this approach was
21 found on sound engineering principles and was acceptable, satisfied the
22 applicable NRC regulatory requirements. Based on the applicant's
23 acceptable design approach and the demonstration of a substantial margin
24 in the design on the design basis, loads and beyond the staff concluded
25 that the AP1000 shield building design is safe and provides a reasonable

1 assurance that the building will remain functional under design basis
2 loads.

3 In addition, independent reviews by expert consultants to the
4 Office of Nuclear Regulatory Research and the ACRS agreed with the
5 staff's conclusion that the design is safe. Now I will turn the
6 presentation to Denise for discussion on the AP1000 containment vacuum
7 relief system and the waterproofing departure.

8 DENISE MCGOVERN: Slide 37, please. Certain design basis
9 events and credible inadvertent system actuations have the potential to
10 result in containment external pressure loads. Evaluations of these
11 events show that a loss of all AC power sources during cold ambient
12 conditions has the potential for creating the worst-case external
13 pressure load on the containment vessel.

14 A containment vacuum relief system was added to an existing
15 vent line penetration. The vacuum relief system consists of redundant
16 vacuum relief devices sized to prevent differential pressure between
17 containment and the shield building from exceeding the design value.
18 This figure depicts the system design. Each of the two vacuum relief
19 device flow paths consists of a check valve inside containment, a motor-
20 operated butterfly valve outside containment and associated piping.
21 Each of these four valves also has a containment isolation function.
22 Each relief device is designed to provide 100 percent of the required
23 capacity. Each relief flow path functions such that a single failure of
24 any of the relief devices would not limit the flow below what is
25 required to mitigate a containment vacuum relief event.

1 Next slide, please. The containment external design pressure
2 was reduced from 2.9 to 1.7 psid, the opening set point of the vacuum
3 relief system MOVs. While the vacuum relief system MOVs are open, the
4 containment will be at vacuum and flow will be into containment. Once
5 the vacuum condition inside containment is reduced to near ambient
6 pressure conditions, the open signal would automatically clear. This
7 would allow the vacuum relief system MOVs to close automatically in the
8 event that a containment isolation signal or high radiation signal is
9 present.

10 Next slide, please. In this slide, I will be discussing a
11 COL departure associated with a waterproof membrane. AP1000 DCD
12 revision 15 did not specify the type of material to be used for the
13 waterproofing membrane system for the nuclear island foundation.
14 Therefore, the Vogtle applicant in its ESP SSAR specified an alternate
15 material and elastomeric membrane material utilizing methyl methacrylate
16 resins as the base material. This material was reviewed and approved by
17 the staff as part of the ESP. The AP1000 DCD revision 18 stated that
18 for applicants who choose to use the sprayed on waterproofing membrane
19 system for the foundation, the waterproofing material will consist of
20 100 percent solid material polymer modified asphalt, or polyurea. The
21 applicant proposed a tier 2 departure from the AP1000 DCD for this
22 issue.

23 Next slide, please. Vogtle's chosen membrane material will
24 serve as an architectural aid to limit the infiltration of subsurface
25 water for seismic category 1 structures below grade, consistent with

1 that provided by the DCD. It will also provide for adequate transfer of
2 horizontal seismic shear forces. As I mentioned before, the use of this
3 material was reviewed and approved by the staff as part of the ESP.
4 Therefore, the staff found the departure acceptable. This concludes the
5 Panel 1 presentation. Chapter 3 will be further discussed in Panel 2.

6 CHAIRMAN JACZKO: Well thank you for that presentation.
7 Maybe to start where you left off. Why the difference in materials for
8 the membranes? Why is it something like that that shows up?

9 DENISE MCGOVERN: I'll give the simple answer while the
10 expert comes to the microphone.

11 MOHAMED SHAMS: That was just a choice made by Vogtle early
12 on when they studied the waterproofing membrane. When Westinghouse in
13 rev 15 defined the waterproofing membrane, it was a material that would
14 be mixed with the concrete and Vogtle decided that that was not their
15 choice.

16 CHAIRMAN JACZKO: What's the substantive difference between
17 the spray-on membrane that was in the DCD versus the spray-on membrane
18 that the applicant actually went with in ESP? Guess the difference
19 between the methyl methacrylate resin and polymer-modified asphalt or
20 polyurea.

21 MOHAMED SHAMS: Just chemical properties -- some physical
22 properties -- nothing substantive other than that, but the fact that
23 it's a different material, it requires a departure.

24 CHAIRMAN JACZKO: Now, as I understand, the DCD, or the
25 design certification process, tier two elements are elements that

1 applicants can modify and change without prior approval from the NRC.

2 Why, in this case, was this specifically requested as a departure?

3 MOHAMED SHAMS: The reason the staff looked or -- I'm sorry,
4 did you say requested the departure or the staff reviewed --

5 CHAIRMAN JACZKO: I guess -- the staff reviewed the departure
6 then -- but maybe answer that question. It might be the better
7 question.

8 MOHAMED SHAMS: Sure.

9 RAVINDRA JOSHI: The Appendix D, section 8 actually, provides
10 the provisions for the applicant how to deal with departures and there's
11 some process that goes through. Applicant can implement those
12 departures if he can use those certain process analysis that no prior
13 approval required. In this particular case, or not only that, but the
14 rest of the departures that was submitted by applicant, actually
15 reviewed and they in the application actually say that no prior approval
16 required. However, because this entire departure was a part of the
17 application, staff chose to actually review and make sure that we did
18 our part of review and that is reflected in SER.

19 CHAIRMAN JACZKO: So, they could have chosen not to indicate
20 this departure in the application. Or they could have done it
21 subsequent to COL approval if it was a tier two departure.

22 MOHAMED SHAMS: They could have done that, yeah.

23 CHAIRMAN JACZKO: So they just chose to do it, so that's why
24 we looked at it?

25 MOHAMED SHAMS: Yeah.

1 CHAIRMAN JACZKO: I mean, we could have [unintelligible]
2 otherwise they would file 50, 59 process and then we could have
3 subsequently reviewed it -- okay. I just wanted to make sure I
4 understood that.

5 Chapter 1 involves a description of operating experience or
6 information [unintelligible], is that correct?

7 RAVINDRA JOSHI: That's correct. They actually provided in
8 section 1.4 of the FSAR, they talk about their 3 plants which they have
9 a license for as well as over 30 years of operating experience, plus
10 they also mention about their involvement in the oversight of the NSSS
11 vendors as well as the other A and E as well as the other constructor
12 also, so they explain that particular portion of it.

13 CHAIRMAN JACZKO: Were there any areas of operational
14 experience that the staff identified that the applicant had not
15 discussed or indicated in the application?

16 RAVINDRA JOSHI: Our review did not find anything different.

17 CHAIRMAN JACZKO: Okay. As you, again -- in chapter 1 also
18 includes a description of -- or maybe it's chapter -- yeah, chapter 1 as
19 well. And that includes as part of the operational experience, an
20 explanation or maybe a response or description of generic communications
21 and the applicant's approach to dealing with generic communications.
22 Were there any generic communications that the staff has issued that
23 weren't discussed by the applicant in the application?

24 RAVINDRA JOSHI: The Applicant's FSAR section 1.8 actually
25 provides the list of all the generic communications that were required

1 by the applicant to address. So staff looked at all those particular
2 instances like generic letters, bulletins, all those ones, and we
3 confirmed that they have actually looked at everything that they're
4 supposed to be looking at.

5 CHAIRMAN JACZKO: And those were all the generic
6 communications as of the time of the application. Did they supplement
7 that, that is, the applications being reviewed, this new generic
8 communications are issued?

9 RAVINDRA JOSHI: They actually added couple of more during
10 the process of submitting. That is correct.

11 CHAIRMAN JACZKO: And what's the cutoff date then for getting
12 those generic communications? I mean if we issue generic communication
13 tomorrow, does that then require supplement by the applicant?

14 RAVINDRA JOSHI: Generally speaking, by the regulation,
15 actually they are required to provide that information six months prior
16 to the application date. However, depending upon issue and significance
17 of the issue, we are actually having in a case for the applicant to
18 provide information on those subject matters, so --

19 CHAIRMAN JACZKO: Okay, can you give me an example of one or
20 two of those that --

21 RAVINDRA JOSHI: Good example, I can give you in the chapter
22 8 of the FSAR, there was a generic letter that relates to the
23 underground cable or inaccessible cable that requires some condition
24 monitoring program, that issue actually came during our review of the
25 chapter 8.

1 CHAIRMAN JACZKO: Is the staff going to talk about that in
2 chapter 8.

3 RAVINDRA JOSHI: We will be talking about that, yes.

4 CHAIRMAN JACZKO: The -- and I think you're going to touch on
5 this in the afternoon, so if you are, then you can tell me and I'll ask
6 it later, but the ground motion response specter did exceed the design
7 certification spec. I think the design certifications for rock site I
8 guess or whatever the basis is. Can you tell me a little bit about that
9 analysis or are you going to talk about that in the next --

10 MOHAMED SHAMS: Sure. We'll talk further about this analysis
11 in the afternoon but I can just mention in general that as COL
12 applicants would have to demonstrate that, if they are to reference the
13 design and not do any changes, that their demands, seismic demands be
14 it, are enveloped by what the DCD was designed for. And for Vogtle,
15 there were exceedances given the specific GMRS or ground motion response
16 spectra-4 for the site itself. There were specific exceedances and they
17 were dealt with. We'll go through how that was done.

18 CHAIRMAN JACZKO: And you know, and again one of the
19 challenges we have, this is the -- these we are using the updated
20 probabilistic seismic response program. So -- and in comparison, then
21 also to the existing units there would be differences as well presuming,
22 there are -- seismic analysis is a completely type of seismic analysis I
23 guess relative to the existing units.

24 MOHAMED SHAMS: I would speak to the new units saying that
25 yes, the new seismic hazards were addressed for the existing units,

1 Generic Issue 199 is dealing with that and each applicant is
2 implementing their way of how to address that.

3 CHAIRMAN JACZKO: And just a final question on this would be,
4 effectively they resolve GSI 199 through the use of the updated response
5 factor, is that correct? Or is there subsequent analysis that needs to
6 be done for GI 199?

7 MOHAMED SHAMS: I'd refer that answer to someone else.

8 WHEREUPON,

9 SARAH TABATABAI

10 was called as a witness for the staff of the Nuclear Regulatory
11 Commission and, having been previously duly sworn, assumed the witness stand,
12 was examined and testified as follows:

13 SARAH TABATABAI: I'm Sarah Tabatabai, seismologist in the
14 Office of New Reactors. The applicant did perform an updated seismic
15 hazard analysis. However, there's a new model coming out. They didn't
16 use that, however we don't expect there to be any big surprises. The
17 Charleston Seismic Source Zone dominates the hazard at the site, and
18 there's no fundamental differences between the one we used in this PSHA
19 versus the new PSHA. So there shouldn't be any --

20 CHAIRMAN JACZKO: And the new PSH then is related, is what
21 199 is based on? Or this is an additional one beyond that? Or --

22 SARAH TABATABAI: In GI 199 there it's related to this new
23 PSHA coming out.

24 CHAIRMAN JACZKO: Okay.

25 SARAH TABATABAI: Yes.

1 CHAIRMAN JACZKO: But conceptually they're more consistent,
2 the public seismic analysis that was used in Vogtle is more consistent
3 with 199 than the Vogtle PSHA is relative to the seismic design for the
4 existing unit?

5 SARAH TABATABAI: Yes they weren't actually, PSHA wasn't
6 actually used for the existing units.

7 CHAIRMAN JACZKO: Thank you. Commissioner Svinicki.

8 COMMISSIONER SVINICKI: As a sub-element of the review of
9 financial qualifications, the staff reviews the financial assurance for
10 decommissioning and issues related to that. I had a follow-up question
11 to the staff response to a pre-hearing question on this topic, and my
12 question is as follows: Once the staff receives, as I understand it, a
13 report that would contain the certification for financial assurance for
14 decommissioning wherein the applicant would select the financial
15 instrument to be used for financial assurance for decommissioning -- the
16 selection of that financial instrument -- with what criteria is that
17 reviewed against? And then once it's reviewed and accepted, what kind
18 of communication would the staff issue back to the applicant regarding
19 the acceptability?

20 WHEREUPON,

21 MICHAEL DUSANIWSKYJ

22 was called as a witness for the staff of the Nuclear Regulatory
23 Commission and, having been previously duly sworn, assumed the witness stand,
24 was examined and testified as follows:

25 MICHAEL DUSANIWSKYJ: Good afternoon, my name is Michael

1 Dusaniwskyj. I'm an economist in NRR. I was the principal reviewer for
2 this area of the FSAR and yes I have been sworn in. The decommissioning
3 funding assurance mechanism is under 10 CFR 50.75 and prior to the
4 licensee -- in this point the applicant, loading fuel they would have to
5 already establish what their decommissioning trust will be and of course
6 prepare the proper trust for it. 10 CFR 50.75 basically gives a
7 possibility of either a sinking fund, pre-payment, parent company
8 guarantee, and a few other methodologies that are prescribed in the
9 regulations. The licensee, or excuse me, the applicant at that point
10 would have to just simply state which one of those they would choose and
11 of course produced for proper certification towards it.

12 COMMISSIONER SVINICKI: And you said that's prior to fuel
13 loading --

14 MICHAEL DUSANIWSKYJ: Yes.

15 COMMISSIONER SVINICKI: -- is when they would make that
16 selection? And how much in advance of that would, is there just some
17 reasonable time frame in advance of fuel loading that you would expect?

18 MICHAEL DUSANIWSKYJ: I know that the regulations specify 30
19 days prior or after the Federal Register Notice. Roughly 30 days before
20 they put in to load.

21 COMMISSIONER SVINICKI: Okay. Could the staff look that up
22 if it's not as you just indicated and provide that in some subsequent
23 testimony? Thank you.

24 And in relation to a limited work authorizations, could one
25 of the staff witnesses just at a very high level describe the inspection

1 process that would be used to verify the quality of work performed under
2 an LWA but before further construction takes place? And I'll kind of
3 narrow my question, for example there's a Table 3.8.5-1, which
4 identifies ITAAC and acceptance criteria for the waterproof membrane
5 between the mud mat layers. Can someone describe just generally in
6 terms of inspection of that when and how the designated verification and
7 testing would be completed?

8 MOHAMED SHAMS: You want me to take a shot at it?

9 RAVINDRA JOSHI: Yes, take a shot.

10 MOHAMED SHAMS: In terms of the ITAAC, the design commitment
11 is for Vogtle to demonstrate that their mud mats waterproofing a
12 membrane. It processes the .7 coefficient of friction and as far as the
13 acceptance criteria is for Vogtle to produce a report that documenting
14 this process, documenting that the material and the mud mat system was
15 qualified to provide that. So our inspection process is to -- and I'm
16 not an inspector and I did not do an inspection, but from my
17 understanding is our inspectors visited the site, observed what Vogtle
18 had installed, and ultimately looked at the report to see what was
19 documented in the report to justify that the system actually achieved
20 the requirement. So that was the process for verifying this ITAAC.

21 COMMISSIONER SVINICKI: Okay, so since it's in the ITAAC
22 process it would generally be pursued consistent with our process for
23 verifying ITAAC. Okay, thank you. I think those are my questions and
24 if I could reserve that time. Thank you.

25 CHAIRMAN JACZKO: Commissioner Apostolakis. Commissioner

1 Magwood.

2 COMMISSIONER MAGWOOD: Thank you, Chairman. General question
3 -- as you were going through the -- I was looking at your slide 11 about
4 the technical qualifications review and states that staff concludes that
5 the Southern Nuclear is technically qualified to hold licenses for
6 Vogtle Units 3 and 4, et cetera. I fully expect the Southern Company is
7 qualified to operate a nuclear plants, and since they do operate nuclear
8 plants, but what goes into that analysis? I mean, is it -- is that an
9 analysis that actually looks at the operating history of the licensee
10 and its performance in operating current plants? What goes into that
11 assessment?

12 RAVINDRA JOSHI: We did not go into more detail on that one.
13 We actually looked at the information included in FSAR on that basically
14 talks about the -- what kind of oversight they have, what kind of
15 experience they have, and there's a well-known fact that they have been
16 operating these reactors for so many years, so it's -- without going
17 into more detail, we already know about those based on the information.
18 It already exists publicly.

19 COMMISSIONER MAGWOOD: Let me ask the question a different
20 way, if --

21 RAVINDRA JOSHI: Okay.

22 COMMISSIONER MAGWOOD: If we had a case of an applicant that
23 operated a nuclear plant and let's just sort of say hypothetically they
24 had a troubled history, let's say. Would that be a factor in your
25 evaluation?

1 RAVINDRA JOSHI: I don't know the answer. I'll have to get
2 back to you on that.

3 COMMISSIONER MAGWOOD: Okay. A couple of these -- these are
4 actually small questions but they are things I couldn't figure out so
5 they were bothering me, so maybe you can help me out. We talked about
6 the MC&A exemptions based on the fact this is a Part 52 application,
7 what exactly are we exempting the applicant from doing?

8 RAVINDRA JOSHI: There is exception allowed for Part 50
9 license to have certain requirements that are not to be implemented by
10 power reactor versus fuel facilities, and that exception is not
11 available for Part 52 licensee right now. So we are trying to provide
12 the same treatment that we are giving to the Part 50. So that what I
13 call is really administrative kind of exemption we are trying to give to
14 them because right now the current regulation does not recognize Part 52
15 applicants or licensees right now.

16 COMMISSIONER MAGWOOD: So these are program activities that
17 have nothing to do with operating nuclear power plants? Is that what
18 you're saying?

19 RAVINDRA JOSHI: That is correct.

20 COMMISSIONER MAGWOOD: Okay. All right. And then this one's
21 even more minor but we haven't been able to figure this one out. The --
22 both the applicant and the staff made the point of discussing the Part
23 40 licenses, and the fact that prior to the 103(g) finding there's a
24 condition that basically indicates that the applicant can't - I think
25 the phraseology is, let's see -- receive, possess, or use Part 40

1 materials in effect. And then after the 103(g) finding, you made a very
2 specific point of saying that the applicant could not possess uranium
3 hexafluoride. You didn't however say they couldn't possess uranium, and
4 I'm just curious as to what is the history of that, and why is that
5 distinction in there?

6 RAVINDRA JOSHI: I'd like to get my technical staff, Barry
7 Wray, to explain this, especially concerning in terms UF₆.

8 CHAIRMAN JACZKO: If you can state your name and if you're
9 sworn in or not.

10 WHEREUPON,

11 BARRY WRAY

12 was called as a witness for the staff of the Nuclear Regulatory
13 Commission and, having been previously duly sworn, assumed the witness stand,
14 was examined and testified as follows:

15 BARRY WRAY: Good morning. My name -- my name is Barry Wray,
16 Fuel Cycle Transportation Security Branch of NSIR. I've been sworn in.
17 When we first looked at the application we noticed that there was a
18 provision that allowed them to have UF₆. We couldn't figure out why a
19 reactor would need UF₆, that's something used in the enrichment cycle.
20 And when a facility has UF₆ that activates an ICMO requirement to do a
21 critical target area analysis, so we wanted to put that provision in
22 there -- it's like we don't know why you need it so if you don't need it
23 we want to exclude it so that after you become operational you don't
24 bring it back on for whatever reason. And if you did you would have to
25 go through the ICMO process to do a critical target area analysis. If

1 you determine you have a critical target area then you have to implement
2 additional security measures to protect that area. But since we
3 couldn't determine why they needed it we thought it best just to
4 eliminate it.

5 COMMISSIONER MAGWOOD: So that was a response to a specific
6 point in the applicant --

7 BARRY WRAY: Correct.

8 COMMISSIONER MAGWOOD: -- Well since the applicant is here
9 can you just give us a little background on that? Why was that in
10 there?

11 WESLEY SPARKMAN: As a part of the Part 40 License. That's
12 one of the items that's available to us in Part 40, and it wasn't
13 something that we actually needed and it wasn't something that was
14 really considered as a requirement initially, but it was included as
15 part of the license. And so when questioned by the staff we concurred
16 that we would not ever need that and so we were fine with taking that
17 out of the license.

18 COMMISSIONER MAGWOOD: Interesting. All right, thank you
19 very much. Thank you Chairman.

20 CHAIRMAN JACZKO: And can you just for the record state what
21 an ICMO is?

22 BARRY WRAY: It's an Interim Compensatory Measure Order.

23 CHAIRMAN JACZKO: Commissioner Ostendorff?

24 COMMISSIONER OSTENDORFF: Thank you Mr. Chairman. I wanted
25 to turn to the site characteristics. I'm going to start out with some

1 questions. The first question I ask for the applicant and I believe Ms.
2 Aughtman this is in your -- on your slide five. If I understood
3 correctly this is a site characteristics in the ESP and there were three
4 of those that were not necessarily resolved by the ESP process. One of
5 those dealt with the water level and not in the, I wanted to just ask a
6 question on, in that context about flood protection and you made
7 reference to local intense precipitation. I wanted to get a little more
8 of a, a little deeper into what criteria were used to define the
9 probable maximum flood of the Vogtle site?

10 AMY AUGHTMAN: The criteria that were used to determine --

11 COMMISSIONER OSTENDORFF: I'm trying to understand is there a
12 particular scenario that was looked at, you know -- you mentioned this
13 intense precipitation. Are we talking about a storm, rainstorm that
14 causes the river to overflow based on historical analyses going back x
15 number of years? I'm trying to understand what was the scenario that
16 defines the level of flood protection you're providing at the site?

17 AMY AUGHTMAN: So in this case what that's looking at is the
18 precipitation buildup if you will around the nuclear island structure
19 itself. So if there's no, I mean to the extent you have drainage
20 ditches or areas that water could collect, those do contribute but
21 there's not a, the effects of the river are not accounted for here in
22 particular due to our elevation. So since that's a separately
23 established characteristic for contributions from the river. I don't
24 know if that's --

25 COMMISSIONER OSTENDORFF: So you're, so the flood protection

1 for the nuclear facilities there, at Vogtle 3 and 4, would be driven by
2 local precipitation that basically could not be handled perhaps by
3 drainage or sewage systems? Is that -- I'm trying to understand what a
4 scenario that might be bounding that we could understand in as far as
5 the site experience in that area.

6 AMY AUGHTMAN: So in this case that would, this is the
7 parameter that is considered more limiting if you will.

8 COMMISSIONER OSTENDORFF: Okay.

9 AMY AUGHTMAN: Because the -- again the site elevation for
10 the plant is at 220 mean sea level and the evaluated flood elevation due
11 to the local intense precipitation is 219.47 feet.

12 COMMISSIONER OSTENDORFF: Okay. Did you want --

13 RAVINDRA JOSHI: Is it okay if I ask my staff to add to that?

14 COMMISSIONER OSTENDORFF: Certainly.

15 WHEREUPON,

16 JILL

17

18 was called as a witness for the staff of the Nuclear Regulatory
19 Commission and, having been previously duly sworn, assumed the witness stand,
20 was examined and testified as follows:

21 JILL CAVERLY: I was just going to add on. I'm Jill Caverly.
22 I'm a hydrologist in NRO and I have been sworn in. In the ESP phase of
23 the review we looked at several flooding causal mechanisms which
24 included flooding from the river dam break and so forth. In this
25 portion of the -- within the COL phase the only thing we had to look at,

1 we hadn't looked at in the earlier review was the local intense
2 precipitation on the site itself.

3 COMMISSIONER OSTENDORFF: Well that, that's, and I'm looking
4 at just that aspect that was not resolved by the early site permit. Can
5 you talk a little more about what the you know maximum of inches per
6 hour or day? Was there a particular criteria that was quantified that
7 would say the site needs to be able to withstand this deluge over a
8 period of time?

9 JILL CAVERLY: Yeah, the PMP is a method of determining a
10 depth of rainfall over a given site and it's based on hydro-
11 meteorological parameters and it's a method that was developed by the
12 National Weather Service and it's a method that we use to develop a
13 depth of rain over specific area. And in this case it was our site
14 area. I know that PMP for the hourly rate was about 19 inches but, of
15 course, that's for, you know, a water shed. We look at a point rainfall
16 so we look at that depth of rainfall and then we verify that the
17 drainage ditches can handle the amount of flow and move the water away
18 from the specific structures that we're interested in.

19 COMMISSIONER OSTENDORFF: Okay, let me -- okay, you're
20 getting to, you're answering the questions good. So boring down a
21 little bit on that, do you take the applicant's analysis or does the
22 staff here at NRC do an independent analysis and verification?

23 JILL CAVERLY: Well, we do a combination of both. In this
24 case we did our, an independent determination of the depth of rainfall
25 and then we used the applicant's hydraulic model but we used that as our

1 baseline. We checked and we verified the model and then we looked at
2 the model with different parameters and looked at the sensitivity of
3 that -- of that model and how it would be, how does the results would
4 affect the conclusions.

5 COMMISSIONER OSTENDORFF: Thank you, this is very helpful,
6 thank you. Thank you Mr. Chairman.

7 CHAIRMAN JACZKO: One follow-up question. Mohamed, you
8 indicated in regard to the ITAAC for the waterproof membrane that the
9 licensee would produce a report. Is it that the ITAAC requires them to
10 produce a report or that they have a report? And I think there's a --
11 assuming there's a distinction. I mean one I would assume involves
12 submittal to the NRC, one, and involves a report that they have at the
13 site that the staff would then review. I just want to clarify which
14 that is.

15 MOHAMED SHAMS: The criteria is to have a report.

16 CHAIRMAN JACZKO: Okay.

17 MOHAMED SHAMS: And they don't have to submit it.

18 CHAIRMAN JACZKO: They don't have to.

19 MOHAMED SHAMS: Yeah, and the staff chooses to close the
20 ITAAC that, would chose to inspect the report and you know understand
21 its contents.

22 CHAIRMAN JACZKO: Okay, so that would not be submitted and be
23 on the docket?

24 MOHAMED SHAMS: No it would not.

25 CHAIRMAN JACZKO: Okay, okay, thank you, appreciate that.

1 Any other questions or comments? Okay, well we will now
2 break for lunch and we will reconvene at 2:00. Thank you.

3 (Whereupon, at 12:35 p.m., the above-entitled matter recessed to
4 reconvene at 2:00 p.m.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

23

2:00 p.m.

1 CHAIRMAN JACZKO: Okay, now we'll start our second safety
2 panel this afternoon. We'll have this discussion and then one other
3 panel and then we will close for the day. We'll begin our afternoon
4 session focused on remaining issues in Chapter 3 of the Final Safety
5 Evaluation Report, Chapter 6, and then other relevant sections to the
6 application. Among the issues to be discussed is key safety information
7 incorporated by reference from the AP1000 design certification and then
8 I'll remind, or ask all the witnesses, please again state your name and
9 title for the record and we'll start with the applicants.

10 WHEREUPON,

11 AMY AUGHTMAN

12 WESLEY SPARKMAN

13 EDDIE GRANT

14 DONALD MOORE

15 were called as witnesses for Southern Nuclear Operating Company
16 and, having been previously duly sworn, assumed the witness stand, were
17 examined and testified as follows:

18 AMY AUGHTMAN: Amy Aughtman, AP1000 licensing supervisor.

19 DONALD MOORE: Donald Moore, consulting engineer with
20 Southern Nuclear.

21 WESLEY SPARKMAN: Wes Sparkman, COL licensing supervisor for
22 Vogtle 3 and 4.

23 EDDIE GRANT: Eddie Grant, AP1000 Licensing Support Lead from
24 NuStart.

25 WHEREUPON,

1 RAVINDRA JOSHI

2 THOMAS SCARBROUGH

3 were called as witnesses for the staff of the Nuclear Regulatory
4 Commission and, having been previously duly sworn, assumed the witness stand,
5 were examined and testified as follows:

6 RAVINDRA JOSHI: Ravindra Joshi, senior project manager,
7 Office of New Reactors.

8 THOMAS SCARBROUGH: Tom Scarbrough, senior mechanical
9 engineer for [inaudible].

10 CHAIRMAN JACZKO: Are we getting -- Yeah, we need you to come
11 up to the microphones because I don't think we're getting it in the -

12 RAVINDRA JOSHI: Once again, Ravi Joshi, senior project
13 manager, Office of New Reactors.

14 THOMAS SCARBROUGH: Tom Scarbrough, senior mechanical
15 engineer, Component Integrity Branch, Office of New Reactors.

16 BRET TEGELER: Bret Tegeler, senior engineer, Office of New
17 Reactors.

18 JOHN MCKIRGAN: John McKirgan, chief of the Ventilation and
19 Containment Branch for NRO

20 CHAIRMAN JACZKO: Thanks, okay, we'll start with the
21 applicant.

22 WESLEY SPARKMAN: All right, thank you. As you stated, we
23 will be covering in this safety panel, selected topics from Chapters
24 three and six, next slide please. Don Moore will start out by covering
25 the soil structure and action analyses for Vogtle site, I will then

1 cover our request for a limited work authorization, included in part
2 six, of the COLA application submittal and provide a brief discussion of
3 information related to squib valves. Next, Eddie Grant will cover
4 engineered safety features systems and finally Amy Aughtman will provide
5 information related to our containment cleanliness program and control
6 room habitability. Next slide please, and I will now turn it over to
7 Don Moore.

8 DONALD MOORE: Good afternoon, I'm Don Moore, consulting
9 engineer with Southern Nuclear Operating Company. I will present the
10 purpose and results of the Vogtle site specific seismic soil structure
11 interaction analysis. As mentioned earlier, the Vogtle GMRS, that is
12 the site ground motion response spectra, compared to the AP1000
13 certified seismic design response spectra, the CSDRS, showed exceedances
14 at certain frequency ranges, therefore a site specific analysis was
15 performed. The purpose of these SSI analysis is to demonstrate that the
16 calculated Vogtle site-specific seismic response is enveloped by the
17 standard AP1000 certified seismic response used in the design of
18 structure systems and components.

19 This is allowed per the AP1000 DCD site tier one requirement
20 for seismic ground motion. There were several site specific SSI
21 analyses performed. A 2D Vogtle site specific seismic evaluation was
22 performed as part of the ESP to demonstrate -- as part of the
23 demonstration of acceptability of the Vogtle site limited work
24 authorization alpha. This included a north-south, plus vertical and
25 east-west, plus vertical, SSI analysis using the AP1000 2D structural

1 model of the nuclear island, but with the Vogtle GMRS as seismic input
2 and the Vogtle site specific soil profiles.

3 The results showed no material exceedances. In general the
4 AP1000 2D results were significantly higher than the Vogtle 2D results.
5 This large margin provided one of the bases for the acceptability of the
6 Vogtle site limited work authorization alpha. A 3D Vogtle site specific
7 seismic evaluation was performed for the COLA. The AP1000 design is
8 based on a broadened envelope of a 3D seismic analysis results from a
9 number of generic soil block profiles. Therefore, for the COLA a 3D
10 site specific model was used to provide a direct comparison. This
11 evaluation considered a comparison or a check of the in-structure
12 response spectra at six key locations in the nuclear island that is
13 referenced in the DCD. This site specific analysis included three site
14 specific soil profiles, what we called the lower-bound, upper-bound, and
15 best estimate. So our profiles per involving NUREG, NRC NUREG 0800
16 standard review plan, this accounted for the range of uncertainty in the
17 soil properties.

18 The 3D model result provided in the COLA demonstrated that
19 the standard AP1000 plant certified design is fully acceptable for the
20 Vogtle site. The 3D comparisons of the Vogtle site specific in-
21 structure response spectra to the AP1000 design envelope and in-
22 structure response spectra showed no material exceedances and overall
23 the AP1000 standard seismic design is significantly greater than what
24 would be required for the Vogtle site specific seismic demand. Thus it
25 is demonstrated that the Vogtle and site specific demand is enveloped by

1 the AP1000 standard seismic demand used for design and therefore
2 satisfied the tier one requirement for seismic ground motion. Now I'll
3 turn it over to Wes, who will present the next slide on limited work
4 authorization bravo. Thank you.

5 WESLEY SPARKMAN: Thank you Don. Southern Nuclear requested
6 certain activities be allowed under a limited work authorization in its
7 application for an early site permit, we've called that LWA alpha or LWA
8 one, depending on the context. We received that on August 26, 2009. As
9 discussed in the overview presentation, the work covered in the original
10 LWA is nearing completion. SNC is requesting a second LWA as part of
11 the combined license application in accordance with the 10 CRF 50.10
12 delta requests for limited work authorizations. SNC was unable to
13 request this additional scope as part of the ESP LWA because the base
14 mat design had not been finalized at that time.

15 The LWA request is to support the project schedule by
16 assuring these activities occur independent of the COL issuance schedule
17 and contribute to maintaining a margin in the construction schedule that
18 ensures the operation need dates will be met. This LWA requests
19 authorization to perform the following safety related nuclear island
20 foundation work: installation of reinforcing steel, sumps and drain
21 lines and other embedded items in the nuclear island foundation base mat
22 and placement of concrete for the nuclear island foundation base slab.

23 As part of preparing the environmental report for the COL
24 application, SNC reviewed the conclusions in the ESP EIS to determine if
25 there was any new and significant information that had the potential to

1 change the NRC's conclusions presented in the ESP EIS as required by 10
2 CFR 51.50. The methodology for that review is described in the COL
3 application's environmental report in part three. SNC found no new and
4 significant information regarding the impacts of construction. Because
5 the activities covered in the LWA request were considered in the
6 original analysis of construction impacts and in the new and significant
7 review, SNC has determined that there is no new and significant
8 information regarding the LWA activities. Therefore all environmental
9 impacts were reviewed and resolved as part of the ESP FEIS. The final
10 design of the nuclear island foundation is now complete and contained in
11 revision 19 of the AP1000 design control document, which we incorporate
12 by reference into the COLA. This design will be used for the associated
13 LWA activities. Next slide please.

14 I will now address one of the special topics requested as
15 part of this panel, squib valves. The design and qualification of the
16 squib valves is addressed by the AP1000 DCD, which is incorporated by
17 reference into our COLA. During the advisory committee on reactor
18 safeguards -- review of the COL application, the ACRS members questioned
19 whether given the importance of squib valves, additional aspects should
20 be added to the in service testing and in service inspection programs to
21 ensure the operability of these valves. SNC has addressed this in the
22 FSAR by ensuring that the industry and regulatory guidance is considered
23 in the development of the IST program for squib valves and that in
24 addition to the test firing of the explosive actuator charges in
25 accordance with the ASME code, the IST program for squib valves will

1 incorporate lessons learned from the design and qualification process
2 for these valves such that the surveillance activities will provide
3 reasonable assurance of the operational readiness of the squib valves to
4 perform their safety functions. Next slide please. I will now turn the
5 presentation over to Eddie Grant.

6 EDDIE GRANT: Thank you Wes. Chapter Six describes the
7 engineered safety features and this information is primarily within the
8 scope of the DCD and thus provided in the DCD and incorporated by
9 reference into the COL application FSAR in the corresponding sections of
10 Chapter Six. Some key systems addressed, described, and evaluated in
11 this chapter include the passive core cooling system and the passive
12 containment cooling system. The license is also expected to contain the
13 associated ITAAC for these systems as provided in tier one of the DCD.

14 The COLA FSAR does provide some supporting information on the
15 systems, some quality controls or special processes and this is provided
16 in section 6.1 of the COL FSAR and also some programmatic information
17 related to leak-rate testing in 6.2 and some programmatic in-service
18 inspection information in Section 6.6. We've also included some
19 information on containment cleanliness and control room habitability in
20 section 6.3 and 6.4, respectively, and I will now turn the panel
21 discussion over to Ms. Aughtman to provide some additional information
22 on these two topics.

23 AMY AUGHTMAN: Thank you Eddie. So on the subject of
24 containment cleanliness, the DCD addresses the design and analysis
25 aspects of assuring long-term coolant following a loss of cooling

1 accident. The DCD, however, could not describe the programmatic aspects
2 for a containment cleanliness program and therefore created a COL
3 information item for COL applicants to address. COL information item
4 6.3-1 was addressed in a standard manner and describes the containment
5 cleanliness program elements that would control containment entry and
6 exit, housekeeping and a sampling program. This sampling program would
7 be used to confirm that we are within the limits, the debris limits,
8 that are specified in the DCD as tier two star requirements. Next
9 slide.

10 And the final topic related to Chapter Six is on control room
11 habitability. The control room habitability design is incorporated by
12 reference from the DCD. There are DCD ITAAC for both the emergency and
13 non-radioactive ventilation systems. FSAR subsection 2.2.3 evaluates
14 the impacts of potential accidents in accordance with reg guide 1.78 as
15 appropriate. This subsection also incorporates by reference evaluations
16 that were provided and resolved at the ESP phase. FSAR subsection 6.4.3
17 indicates that procedures and training will be conducted in accordance
18 with Reg guides 1.78 and 1.196.

19 FSAR section 6.4.4 provides the results of standard and site
20 specific chemical evaluations. The standard evaluations were based on
21 standard plant plans and assumptions that Westinghouse made. The site
22 specific evaluations considered other materials that are specifically
23 planned for the Vogtle site. FSAR table 6.4-201 provides the material
24 name, physical state, evaluated quantity and distance to the control
25 room intake, describes the evaluated location and the type of evaluation

1 that was performed.

2 Subsection 6.4.4 also indicates that an analysis was
3 performed to confirm that doses to control room operators from an
4 adjacent AP1000 unit would not be higher than the doses on the affected
5 unit. This analysis was performed in a standard manner. For Vogtle, we
6 also have our existing units on site and the impacts as a result of an
7 accident on those two units were evaluated at the ESP phase and
8 resolved.

9 To summarize, there are no chemical or radiological hazards
10 that were identified that would challenge control room habitability as a
11 result of these evaluations. This concludes our presentation for safety
12 panel two.

13 CHAIRMAN JACZKO: Thank you. The staff can give their
14 presentation now?

15 RAVIDRA JOSHI: Good afternoon, once again my name is Ravi
16 Joshi. The staff will now continue to discuss the remaining COL portion
17 of Chapter Three, then go to Chapter Six. Joining me at the table are
18 Bret Tegeler on my left, Tom Scarbrough on my right, and John McKirgan
19 will be presenting Chapter Six, sitting at the end. I will turn over to
20 Bret to continue the discussion of Chapter Three. Bret?

21 BRET TEGELER: Thank you Ravi. Good afternoon, my name is
22 Bret Tegeler, I'm a senior structural engineer in the Office of New
23 Reactors, and I was the lead reviewer involved in the review of the
24 Vogtle COLA application. On the next few slides I'll review the seismic
25 design and analysis issues for Vogtle units three and four and I'll

1 describe the resolution of these issues.

2 To assess the suitability of the AP1000 standard design for a
3 particular site, the AP1000 DCD requires the COLA applicant to make a
4 comparison of site-specific ground motion response spectra or GMRS, to
5 the certified seismic design response spectra, or the CSDRS, of the
6 standard design. In the case of Vogtle, the GMRS exceeds the CSDRS in
7 the low and high frequency ranges. Consequently, the applicant was
8 required to perform a plant-specific seismic evaluation to demonstrate
9 that the AP100 will meet the General Design Criteria 2, or design basis
10 for the protection against natural phenomena. Vogtle accomplished this
11 by showing that the AP100 structure systems and components will remain
12 functional during and after a safe shutdown seismic event. The
13 applicant developed a detailed, three dimensional soil structure
14 interaction model of the nuclear island, referred to as the NI15 model.
15 Excuse me. This model made use of shell, beam, and solid elements, to
16 model the AP100 structural members. The refined NI15 model was based on
17 the AP1000 seismic analysis model but it used a finer mesh to capture
18 the high frequency range of response where the Vogtle GMRS exceeds the
19 AP1000 CSGRS. For modeling the soil that supports and surrounds the
20 nuclear islands, the applicant performed three, sorry, the applicant
21 developed three deterministic soil columns representing the best
22 estimate, lower bound and upper bound shear wave velocity profiles.

23 The SSI model, comprising the soil column profiles and the
24 NI15 structural model was run using acceleration time histories matched
25 to the free field response spectra. The envelope formed by the best

1 estimate, lower bound and upper bound analysis results were used to
2 compare the in-structure response spectra for Vogtle to the in-structure
3 response spectra of the standard design at six key locations. Next
4 slide please.

5 The staff performed a review of the applicant's in-structure
6 response spectra at the six key locations. These comparisons showed
7 that above one Hertz there were no exceedances of the standard design.
8 However, below one Hertz there were exceedances in the 0.55 hertz range.
9 The staff found that these exceedances were not significant because
10 there were no AP1000 structure systems or components with resonant
11 frequencies in this range. The staff, after a detailed review of the
12 applicant's modeling approach and input parameters, found that the
13 analysis was performed in accordance with standard review plan
14 guidance.

15 The staff reviewed the applicant's use of four percent
16 structural damping instead of the five percent used in the standard
17 design analysis model and verified that this damping value was
18 representative of the predicted levels of stress and strain. The
19 applicant's assumption to use lower damping and therefore credit less
20 energy dissipation is acceptable because the seismic demands on Vogtle
21 units three and four nuclear islands are not as severe as those analyzed
22 for the standard design.

23 The staff confirmed that the validation of the applicant's
24 computer models by making independent comparisons of responses between
25 the NI15 model and the AP1000 analysis model. We were careful to ensure

1 that the ongoing changes made to the AP1000 seismic model, such as the
2 shield building design changes, had been reflected in the applicant's
3 NI15 model. The NSC staff concluded that a site specific soil
4 interaction analysis performed by the applicant to evaluate the
5 exceedances of the AP1000 CSGRS by the Vogtle GMRS demonstrated that,
6 from a structural perspective, the AP1000 design is adequate for use at
7 Vogtle. Next slide please.

8 Next I'll discuss the applicant's request for a second
9 limited work authorization or LWA. The applicant proposed to install
10 the Vogtle foundation base slabs, also called base mats, during this
11 authorization. In part six of the COL application the applicant
12 submitted details for performing work within the scope of the LWA
13 request. This is in accordance with 50.10(d). The scope of the request
14 involves the installation of reinforcing steel, sumps, drain lines and
15 other items to be embedded in the nuclear island base slabs. In
16 addition, it calls for the placement of the slabs concrete. In the LWA
17 request the applicant stated that the rebar and other embedded items
18 would be above the mud mats and inside of the mechanically stabilized
19 earth walls. These walls will serve as a permanent form works for the
20 nuclear island foundation base slab. Additionally, the applicant stated
21 that the design of the base slabs reinforcing and concrete are in
22 accordance with the applicable codes and standards as described in the
23 AP1000 DCD.

24 The staff used section 385 of NUREG0800 in its review of the
25 applicant's LWA request to construct the nuclear island foundation base

1 slabs. On the basis of its review of the AP1000 DCD and the site
2 specific seismic analysis, the staff finds that the applicant's proposed
3 scope of work to be acceptable. The staff accepted the applicant's
4 proposal based on the DCD commitment to use ACI 349 for the design of
5 the base slab and the finding that the standard plant design is
6 acceptable for Vogtle. Consequently, the staff finds that there is
7 reasonable assurance that the base slabs will have adequate strength,
8 stiffness and ductility under the Vogtle seismic demands. Additionally,
9 as part of the AP1000 standard design review the staff found the
10 detailed design of foundation base slab and method of construction to be
11 consistent with new NUREG0800 Section 3.85 and therefore acceptable.

12 The staff's review is described in AP1000 SER section 3.8.5.
13 Consequently the staff concludes that the limited work authorization
14 request is consistent with the applicable requirements of part 50.10(d)
15 for the installation of the nuclear island foundation base slabs for
16 Vogtle units three and four, including the placement of concrete.

17 This concludes my presentation. Tom Scarbrough will continue
18 with the discussion of squib valves.

19 THOMAS SCARBROUGH: Thank you, good afternoon. Next slide,
20 can you get the slide, slide six, next up, there you go, thank you. The
21 AP1000 reactor design uses explosive actuated valves, referred to
22 commonly as squib valves, in the automatic depressurization system to
23 reduce reactor pressure to allow the gravity driven system to provide
24 cooling water to the reactor core in the event of a loss of cooling
25 accident. The AP1000 reactor design also uses squib valves in the

1 passive core cooling system to allow the injection of cooling water into
2 the reactor vessel, to provide for natural recirculation of the
3 containment sump to the reactor cooling system, and to increase the
4 containment water level if necessary in the event of a severe accident.

5 The AP1000 design control document requires the use of ASME
6 standard QME-1, that's 2007, which specifies qualification methods for
7 mechanical equipment in nuclear power plants to demonstrate the design
8 basis capability of safety-related valves. The NRC staff accepted the
9 use of QME-1-2007 in revision 3 of the regulatory guide, 1.100. For the
10 qualification of power operated valves to perform their design basis
11 safety functions QME-1-2007 incorporates lessons learned from valve
12 testing and research programs performed by the NRC Office of Nuclear
13 Regulatory Research and the nuclear industry in response to past
14 performance issues with motor operated valves at nuclear power plants.
15 Tier one of the AP1000 DCD specifies ITAAC to require that tests be
16 performed that demonstrate the capability of AP1000 squib valves to
17 operate under their design conditions. The ITAAC also require that a
18 report exists and concludes that the squib valves are bounded by those
19 tests. The NRC staff is monitoring the design and qualification process
20 for the Vogtle squib valves through attendance at design review and test
21 planning meetings at the Westinghouse offices, the valve vendor facility
22 in Erie, Pennsylvania, and the test facility in Huntsville, Alabama.
23 The staff has also observed the performance of prototype tests of the
24 squib valves by the valve vendor. In addition, the staff is monitoring
25 the development of surveillance provisions for the squib valves,

1 including in-service testing and internal inspections.

2 The NRC staff conducted audits of the valve procurement
3 specifications as part of the Vogtle COL application review. During the
4 audits the staff found that the procurement specifications for the
5 Vogtle squib valves applied the principles of QME-1-2007 in the
6 qualification process. Prior to the start up of Vogtle units three and
7 four, the NRC staff will conduct inspections in support of the closure
8 process for the ITAAC, requiring the qualification of squib valves to
9 perform their safety functions. The NRC regulations in 10 CFR 50.55a
10 required COL licensees to implement the edition of the ASME code for
11 operation and maintenance of nuclear power plants for in-service testing
12 of pumps and valves in new reactors that is incorporated by reference in
13 the regulations 12 months before fuel loading. COL licensees are
14 required to update their IST programs to the latest ASME OM code
15 edition, incorporated in the regulations every 10 years.

16 With respect to squib valves, the addition of the ASME OM
17 code presently incorporated by reference in 50.55a focuses on test
18 sampling of the propellant charges in the simple squib valves used in
19 current operating reactors. The NRC staff is participating in an ASME
20 project to revise the OM code to provide updated IST requirements for
21 new reactors, including improved surveillance provisions for testing and
22 internal inspections of squib valves.

23 The 2011 addenda to the ASME OM code provides several IST
24 improvements for new reactors with additional improvements such as squib
25 valve replacements being considered for later code editions. When the

1 ASME project is complete the NRC staff will review the OM code
2 improvements for new reactors for incorporation by reference in 50.55a
3 with appropriate modifications including applicable improvements to the
4 IST requirements for squib valves. Next slide please.

5 Commission paper SECY 05-0197 states that a COL applicant
6 should fully describe the in service testing and other operational
7 programs as part of its application to avoid the need for operational
8 program ITAAC. Using the guidance in the NRC standard review plan
9 section 3.9.6 and regulatory guide 1.206, the NRC staff reviewed the
10 description of the IST operational program submitted with the Vogtle COL
11 application to determine whether a reasonable assurance finding could be
12 reached on the acceptability of the IST program description. In
13 addition to meeting 50.55a the Vogtle FSAR requires that the IST program
14 for squib valves incorporate lessons learned from the design and
15 qualification process for these valves, such that surveillance
16 activities provide reasonable assurance for the operational readiness of
17 squib valves to perform their safety functions. Based on the
18 requirements in 10 CFR 50.55a and the IST program description in the
19 Vogtle FSAR, the NRC staff found that the Vogtle COL application
20 adequately describes the IST program for squib valves for incorporating
21 the lessons learned from the design and qualification process, such that
22 there is reasonable assurance of the operational readiness of squib
23 valves to perform their safety functions. That concludes my
24 presentation. I'll turn it over to John for Chapter Six.

25 WHEREUPON,

1 JOHN MCKIRGAN

2 was called as a witness for the Nuclear Regulatory Commission and,
3 having been previously duly sworn, assumed the witness stand, was examined and
4 testified as follows:

5 JOHN MCKIRGAN: Thank you Tom. My name is John McKirgan, I'm
6 chief of the containment ventilation branch in NRO. To provide a
7 context for the COL incorporation by reference of the AP1000 design I
8 will briefly describe some of the basic AP1000 engineered safety
9 features. As discussed in the next few slides, the AP1000 design uses
10 passive safety features to provide safety functions for emergency core
11 cooling and long-term core cooling, containment heat removal, and
12 control room habitability without operator action or reliance on AC
13 power. In addition there are normal or non safety active systems that
14 provide many of the accident mitigation functions as well. For example,
15 there is a non safety make up system, residual heat removal system,
16 containment spray system and control room ventilation system. The non-
17 safety active systems are not credited in the accident analysis but are
18 expected to function if available, but now we will turn to the passive
19 systems that are credited in the accident analysis. Unlike the current
20 operating fleet, the AP1000 design uses passive systems that rely on
21 natural forces such as gravity to operate. Next slide please.

22 This figure shows that the AP1000 passive core cooling system
23 design. The passive core cooling system consists of one passive
24 residual heat removal heat exchanger, two core make up tanks, two
25 accumulators, two sets of automatic depressurization valves, and one in-

1 containment refueling water storage tank. The in-containment refueling
2 water storage tank, or IRWST is a large tank located above the reactor
3 coolant loops containing borated water. It is the source of low-
4 pressure safety injection and the heat sink for the passive RHR,
5 residual heat removal, heat exchanger. The passive RHR heat exchanger
6 is connected to one reactor coolant system hot leg and a steam generator
7 cold leg plenum. The passive RHR heat exchanger is submerged in the
8 IRWST, and removes core decay heat by natural circulation. The passive
9 RHR heat exchanger in conjunction with a passive containment cooling
10 system, is designed to remove decay heat in a closed loop mode of
11 operation. The core makeup tanks are located above the RCS loops and
12 filled with borated water. Each core make up tank inlet is connected to
13 the reactor coolant system, or RCS, by a pressure balance line from a
14 cold leg, to maintain the core make up tank at the RCS pressure. Each
15 core make up tank outlet is connected to a direct vessel injection line.
16 The automatic depressurization system, or ADS, consists of four stages.
17 The first three stages are connected to the top of the pressurizer and
18 discharged into the IRWST. The fourth stage valves connect to the top
19 of the hot legs and discharge into the containment atmosphere. The ADS
20 are actuated sequentially to depressurize the RCS, to allow for gravity
21 injection from the IRWST. The accumulators similar to those used in
22 operating plants are filled with borated water that is pressurized with
23 nitrogen. Each accumulator will inject into the RCS through a direct
24 vessel injection line when the RSC pressure falls below the accumulator
25 pressure. For events other than loss of coolant accidents, the passive

1 RHR heat exchanger will actuate to remove decay heat. The passive HRH
2 heat exchanger is designed to cool the reactor coolant system. This
3 allows the reactor coolant system to be depressurized, and allows the
4 plant conditions to be established for initiation of normal residual
5 heat removal system operation. For loss of coolant accidents, the core
6 make up tanks will actuate to provide safety injection. When the core
7 make up tank levels decrease, the ADS valves are actuated to
8 depressurize the RCS. Once the RCS has depressurized from either the
9 opening of the ADS valves or from the loss of coolant accident, the
10 accumulators will inject automatically.

11 The in-containment refueling water storage tank injection
12 lines open automatically on a fourth stage ADS actuation signal.
13 Gravity injection from the IRWST starts when the reactor coolant system
14 has been depressurized to below the IRWST injection head. After the
15 accumulators, core make up tanks and the IRWST inject, the containment
16 is flooded up. When the IRWST level decreases to a low level and the
17 containment is flooded up to a level sufficient to provide recirculation
18 flow, the containment recirculation lines open to allow containment sump
19 water to circulate through the direct vessel injection lines back into
20 the reactor coolant system. This provides long-term recirculation core
21 cooling and is driven entirely by natural circulation. The use of
22 natural circulation here is one of the somewhat novel aspects of the
23 AP1000 design. Next slide, please.

24 The primary containment serves as an interface to the
25 ultimate heat sink, and is an important component of the passive

1 containment cooling system. This figure shows the basic design. Steam,
2 either from a IRWST heat up, or from a pipe break, condenses on the
3 interior wall of the containment. Heat is transferred through the steel
4 containment to the exterior of the containment vessel. A path for the
5 natural circulation of air from the outside is always open. Natural
6 circulation air flow path begins at the shield building inlet, goes
7 through the annulus, past the primary containment vessel, and out the
8 exhaust. The containment is cooled by this air flow and by evaporation
9 of water from a gravity fed tank. The containment shell provides a
10 surface for evaporative film cooling, and works in conjunction with the
11 natural draft air flow created by the shield building and exhaust
12 arrangement, to reduce the pressure and temperature of the containment
13 atmosphere, following a design basis accident. The source of water for
14 the evaporative cooling is the passive containment cooling water storage
15 tank, located at the top of the shield building.

16 Actuation of the passive containment cooling system consists
17 of opening the passive containment cooling water storage tank isolation
18 valves. This allows the water in the tank to be delivered to the top
19 external surface of the steel containment shell. The flow of water,
20 provided entirely by the force of gravity, forms a water film over the
21 dome and side walls of the containment structure. This flow provides
22 cooling and the desired reduction in containment pressure and time, and
23 removes decay heat. Here again is a somewhat novel feature of the
24 AP1000 design and its use of gravity and natural circulation to provide
25 this cooling function.

1 Now, as a part of the shield building design change, the
2 number and size of the air vent openings was revised. Westinghouse
3 performed a revised safety analysis to confirm adequate containment
4 pressure control. In the AP1000 DCD review, the staff reviewed these
5 changes and performed independent confirmatory analysis, and found the
6 changes acceptable. The ACRC reviewed both the Westinghouse analysis
7 and the staff's independent analysis, and also found them acceptable.
8 Next slide, please.

9 As part of the DC amendment, Westinghouse provided
10 information to resolve generic safety issue 191. Westinghouse evaluated
11 the effects of containment debris generation on the ability of the
12 emergency core cooling systems to function. The AP1000 has containment
13 recirculation screens and IRWST screens to capture debris following a
14 LOCA. All screen are designed to have solid top covers, so that the
15 debris that settles out of the water does not fall on the screening
16 surfaces. The screens are constructed of stainless steel to be
17 corrosion resistant, and are comprised of individual pockets to provide
18 greater filtering area for a given volume.

19 In addressing GSI 191, Westinghouse relies on AP1000 design
20 attributes and a stringent containment cleanliness program, which
21 results in a very low debris source term. The principal design features
22 include using low or non-fibrous insulation, like metal reflective
23 insulation, limiting the amount of aluminum that can be submerged, and
24 selecting coatings that limit debris generation and transport. The
25 screens are designed to provide a negligible reduction in flow due to

1 debris accumulation. Head loss testing, using the design basis source
2 term, and prototype screens, verifies negligible head loss across the
3 screens. The key design features are specified in the AP1000 DCD and
4 verified through ITAAC. A COL applicant is also required by a COL
5 action item to implement a stringent containment cleanliness program
6 that limits the amount of latent debris on the containment. I will
7 discuss the containment cleanliness program more in a later slide.

8 To resolve the in-vessel issues related to GSI 191,
9 Westinghouse performed a series of fuel assembly head loss experiments
10 to quantify the effects of fibrous and particulate debris, and
11 containment chemical effects on the head loss across the fuel
12 assemblies. Westinghouse used a partial height fuel assembly to model,
13 pardon me, a partial height fuel assembly model that is consistent with
14 the fuel assembly design described in the AP1000 DCD. The flow rates,
15 debris loadings, and methods of debris addition vary from test to test.
16 The ratio of fibrous to particulate debris varied, as did the
17 temperature and chemistry of the cooling. The purpose of the test was
18 to select a combination of debris variables and simulated plant
19 variables that would bound any AP1000 LOCA, and to demonstrate adequate
20 long-term cooling for the AP1000 design. The fuel assembly test results
21 showed the head loss was well below what would prevent adequate core
22 flow, and therefore demonstrated that adequate core cooling is
23 maintained under a post-LOCA environment. The staff's review is
24 documented in the FSER. The ACRS review, as documented in their
25 December 20, 2010 letter concluded that the regulatory requirements for

1 long-term cooling for design basis accidents have been adequately met,
2 and for the AP1000 design, and GSI 191 is resolved.

3 In response to ACRS about potential future changes to the
4 latent debris limit and the containment cleanliness program, the DCD
5 revision 19 designates information related to the debris source term as
6 Tier 2 star material. The final rule will also include this item.

7 Turning to containment peak pressure, during the review by
8 the ACRS, the committee found a scaling error in the containment pre-
9 pressure analysis related to the time for the containment to be fully
10 wetted. This error was part of the initial certification. As part of
11 the corrective action for this discovery, Westinghouse reassessed the
12 mass and energy release, and containment peak pressure analysis
13 calculations. In this assessment, they found other areas where the
14 analysis had not been updated to reflect design changes. For example,
15 the use of an epoxy top coat had not been modeled. Westinghouse also
16 found other items that were viewed as nonconservative assumptions, like
17 omitting the contribution of nitrogen from the accumulators to the peak
18 pressure calculations. After the accumulators inject water into the
19 RCS, the nitrogen can increase containment pressure by a small amount.

20 DCD revision 19 addresses all of these changes to the
21 analysis, which had the overall effect of increasing calculated peak
22 containment pressure. However, the updated analysis also revises other
23 assumptions that resulted in off-setting the effects of some of these
24 increases. For example, Westinghouse took credit for some existing
25 metal gratings inside containment to act as heat sinks, which reduce the

1 calculated peak containment pressure. The specific gratings used in the
2 analysis were designated as Tier 2 star material. As a result, the
3 calculated peak accident pressure was changed from 57.8 PSIG to 58.3
4 PSIG. The calculated peak accident pressure is referred to as P_a and is
5 included in the technical specifications as the pressure to be used for
6 containment leak rate testing. This remains below the containment
7 design pressure of 59 PSIG. The staff notes the calculated peak
8 accident pressure is calculated in a conservative manner. Additionally,
9 the staff expects the containment vessel to remain functional at
10 pressures well above the design pressure. In the AP1000 safety
11 evaluation, the staff reviewed these changes and performed confirmatory
12 calculations, and found the changes acceptable. Next slide, please.

13 The AP1000 design includes an active non-safety related
14 ventilation system, with two 100 percent capacity supply air handling
15 units, return fans and filtration. The system is not safety related and
16 requires AC power to function. The main control room emergency
17 habitability system is a passive system. The design consists of safety
18 related canisters of air that supply the control room with fresh,
19 uncontaminated breathing air. The system also includes an eductor
20 driven filter train to clean the control room air. This system does not
21 require AC power to function. To promote the use of AP1000 design at
22 more sites, the radiation dispersion factors or x/Q were expanded in the
23 AP1000 DCD amendment. In developing a control room integrity program,
24 which includes in-leakage testing for the control room envelope,
25 Westinghouse was able to establish an achievable acceptance criteria for

1 the in-leakage testing with the new radiation dispersion factors. As a
2 result, Westinghouse made a series of significant design changes to add
3 margin to the control room dose calculations. The changes included
4 reducing control room in-leakage, through various design provisions,
5 such as precluding duct work from penetrating the control room envelope,
6 and reconfiguring the vestibule.

7 A filter train was added to the passive system, as well. The
8 filter train consists of an eductor, with duct work, silencers, a
9 particulate filter and a high efficiency particulate or HEPA filter.
10 The revised configuration was reviewed by the staff and found to be
11 acceptable. The ACRS also reviewed the Westinghouse submittals and the
12 staff safety evaluation and found them acceptable.

13 That completes our discussion of information incorporated by
14 reference, from the AP1000 DCD. We will now move on to the staff review
15 of two topics in chapter six, of the Vogtle FSAR. They were not
16 incorporated by reference, but instead items that the COL applicant
17 needed to address. Next slide, please.

18 The two topics we will discuss are the containment
19 cleanliness program, and threats to the control room from toxic gas.
20 The applicant's containment cleanliness program is described in chapter
21 6.3 of the Vogtle FSAR, which provides details of the program and
22 procedures to minimize the amount of debris that might be left in
23 containment following refueling and maintenance outages. The program
24 includes requirements for cleanliness inspections and limits on
25 materials introduced into containment. The staff's evaluation of the

1 program is described in the Vogtle FSER, section 6.3. The staff found
2 the Vogtle containment cleanliness program acceptable, because it is
3 consistent with regulatory guide 1.82, and related guidance document
4 recommendations that will limit the latent debris to acceptably small
5 quantities used in the long-term cooling evaluation. The long-term
6 cooling analysis demonstrates the plant complies with the emergency core
7 cooling requirements set forth in 10 CFR 50.46.

8 The ACRS recommended in its letter, that the technical
9 specifications include containment interior cleanliness limits on latent
10 debris. ACRS also indicated that the basis for this recommendation was
11 that the latent fiber acceptance limits should not be changed without
12 NRC staff review. The staff agrees with ACRS, that the AP1000 fiber
13 limits are particularly stringent and the limits should not be changed
14 without NRC review. However, it is more appropriate to address this
15 issue by designating the information as Tier 2 star in the AP1000 design
16 control document, rather than including them in the Tech specs of the
17 COL. The AP1000 DCD was revised to reflect that.

18 Now, I will discuss the toxic gas review. In the evaluation
19 presented in section 2.2.3 of the SER, the staff reviewed the
20 applicant's chemical inventory and screened out the toxic chemicals that
21 do not pose a threat to main control room habitability. The staff
22 determined that hydrazine, carbon dioxide, methoxypropylamine, or MPA,
23 and ammonium bisulfate had the potential to exceed established limits
24 outside the main control room. The applicant conducted analysis which
25 the staff reviewed. Further, the staff performed independent

1 confirmatory calculations. The final analysis for the staff and the
2 applicant shows that the concentrations of these chemicals at the
3 controlled intake, and inside the control room, would not exceed the
4 established limits because the design of the control room ventilation
5 intake at the auxiliary building is located some 57 feet above ground.
6 The staff concluded that the applicant complies with GDC 19, and the
7 control room will remain habitable. That concludes the staff's
8 presentation for this panel, and we are prepared to take your questions.

9 CHAIRMAN JACZKO: Well, thank you. We'll start maybe with
10 just -- the last point, the containment debris limitation. Explain to
11 me how Tier 2 -- as I understood it ACRS was concerned, they were
12 worried about the operational limit on the three kilograms of fiber or -
13 - and that the 50 kilograms of debris. How will a Tier 2 star element
14 in the DCD be captured and maintained in operations, in plant operations
15 in the same way that a Tech Spec would?

16 JOHN MCKIRGAN: One of the key issues for the ACRS in the
17 discussion was that the -- they were concerned that the applicant would
18 be able to change these limits, and operate for some period of time
19 without the staff being aware. And so they were very concerned that the
20 staff would review and approve those and not -- they had some concern
21 that over the 5059-like process that's established in Appendix D. And
22 so the intent really was to get the staff review on these. The staff
23 considered, and there was discussion during the meeting, about the use
24 of Tech Specs, and whether that was the most appropriate regulatory
25 tool. And in the end, the applicant proposed Tier 2 star. The staff

1 reviewed that and agreed it seemed to keep the intent of the ACRS desire
2 to have that review --

3 CHAIRMAN JACZKO: Right, we don't have a lot of time here
4 but, I'm trying -- and again, I'm not terribly expert at this stuff, but
5 a Tech Spec is something that an operator licensee has to monitor, and
6 if their plant conditions deviate from a Tech Spec then there are
7 certain they have to take within certain periods of time. They have to
8 remember and modify the condition. That's very different, in my mind,
9 which appears to be the intent of the ARCS, that you're monitoring this
10 on a fairly rigorous basis. That's very different from a licensing
11 requirement in a Tier 2 star, that from a licensing perspective they
12 cannot deviate from the limits, the three kilograms, and the 59
13 kilograms. So, from an operational standpoint, how does that Tier 2
14 star achieve the same effect as a Tech Spec that has to be more
15 currently monitored?

16 JOHN MCKIRGAN: The limits established -- are established in
17 Tier 2 star. The cleanliness program and the description, which is
18 fairly detailed in the Vogtle FSAR of that program, including the
19 reference to the NEI guidance on how to do sweeps and do sampling to
20 ensure that you stay below those limits, so when the staff looks at the
21 totality of that regulatory process, that's viewed as --

22 CHAIRMAN JACZKO: What happens when a licensee is doing their
23 sweep and they then determine -- I don't know if they determine before
24 they raise power or when they make that determination -- but what if
25 they make a determination that exceeded the three kilogram? What do

1 they do -- or the 59 kilogram -- what do they have to do given that it's
2 a Tier 2 star?

3 JOHN MCKIRGAN: Well, in Tier 2 star, I mean, the sweeps are
4 done on the exits, they're evaluated -- I'd have to think for a moment -
5 --

6 CHAIRMAN JACZKO: I mean, if there's a Tech Spec, there would
7 be an action associated when --

8 JOHN MCKIRGAN: Yes.

9 CHAIRMAN JACZKO: So, what is that comparable action with a
10 Tier 2 star?

11 JOHN MCKIRGAN: Yeah, I mean, the other actions the staff
12 we're considering is that these kind of actions --

13 CHAIRMAN JACZKO: No, no, sorry I'm asking what's the
14 comparable way that a Tier 2 star commitment is the same as a Tech Spec
15 when, you know, 15 years into operation and they're doing the sweeps,
16 and they exceed the limits, what happens under Tier 2 star?

17 JOHN MCKIRGAN: We'll have to get back to you on that.

18 CHAIRMAN JACZKO: Okay, thanks, I appreciate -- I probably
19 could have waited to do that. But I think that, as I understand what
20 the ACRS is saying, that was the relevant issue, is that it's during
21 operation and it's just one of those specifics -- if you can just kind
22 of help me understand that better, I'd appreciate it. Okay, turning
23 back to the squib valves, which seems to be fairly risk significant
24 component, the key here seems to be a couple of things. And again, my
25 impression may be wrong of that whole squib valve thing, I'm trying to

1 piece together a lot of information in a very period of time. So, as
2 you look at squib valves, the whole point that I'm seeing is that we
3 don't quite have everything done yet, maybe. And we're waiting on an
4 updated ASME code, we're waiting on kind of lessons learned from the
5 testing program, I guess, to figure out kind of lessons learned, and how
6 we can kind of monitor the squib valves in an effective way. Is that a
7 fair assessment or no?

8 THOMAS SCARBROUGH: Yes, sir. Because it's an operational
9 program --

10 CHAIRMAN JACZKO: Yeah.

11 THOMAS SCARBROUGH: The way the process was set up was the
12 applicant would submit a description of the program, and Vogtle
13 submitted as part of their FSAR, a description of their IST program.
14 One is they specified that they will meet the ASME OM code, and then
15 specifically --

16 CHAIRMAN JACZKO: The code doesn't exist yet, right?

17 THOMAS SCARBROUGH: Well, there is, the code does exist and
18 it does have --

19 CHAIRMAN JACZKO: But is the code, as it stands right now,
20 sufficient from say ACRS's perspective, to accomplish what they believe
21 is necessary for in service inspection for squib valves?

22 THOMAS SCARBROUGH: For squib valves, for the new reactors,
23 no. And we agree with ACRS, that the --

24 CHAIRMAN JACZKO: So there is no ASME code right now?

25 THOMAS SCARBROUGH: It has provisions, but they focus on

1 sampling of the propellant charges --

2 CHAIRMAN JACZKO: But they're not sufficient?

3 THOMAS SCARBROUGH: Right, we don't think they're sufficient,
4 and the ACRS does not either.

5 CHAIRMAN JACZKO: Okay, so how are we saying that the
6 description of the program is sufficient then, if we know it's
7 contingent on ASME code inspection that doesn't exist right now?

8 THOMAS SCARBROUGH: That's why we had them specify in the
9 FSAR that the surveillance requirements that they developed as part of
10 the program must incorporate the lessons learned from the design and
11 qualification process, that's ongoing.

12 CHAIRMAN JACZKO: But if it's in the -- and again, I'm
13 learning, I think -- if it's in the FSAR, then it's a 50.59 change
14 process.

15 THOMAS SCARBROUGH: Right, well, except, for an operational
16 program, we'll conduct operational program inspections and 12 months
17 before a fuel load, the then licensee will have to apply the OM code
18 that's incorporated by reference.

19 CHAIRMAN JACZKO: But what if ASME's not done with that code
20 at that point?

21 THOMAS SCARBROUGH: Well currently ASME has issued the 2011
22 addenda, which has some improvements for new reactors.

23 CHAIRMAN JACZKO: And is that sufficient in our mind for
24 what's --

25 THOMAS SCARBROUGH: Not yet. They're starting to --

1 CHAIRMAN JACZKO: SO what happens if in 12 months, before
2 start-up, there's not an ASME code that we're comfortable with? What do
3 we do at that point?

4 THOMAS SCARBROUGH: Well, two things. One is we currently
5 are reviewing the 2011 addenda, for incorporation by reference and we
6 are --

7 CHAIRMAN JACZKO: Well, I, we have very little time here, so
8 I'll end it with this but -- what do we do, I mean -- it's all
9 contingent on a new ASME code which doesn't exist, and an FSAR, which is
10 not a very strong commitment. So, what do we do if we get to this point
11 and this is no ASME code at that point?

12 THOMAS SCARBROUGH: The operational program inspection for
13 IST will be done before fuel load. And then --

14 CHAIRMAN JACZKO: So we would, so essentially what, I'm going
15 to have to cut you off here, so we would essentially find, we would have
16 an inspection finding against the program.

17 THOMAS SCARBROUGH: It's inadequate. And then we report back
18 to the commission for the 103 finding that we found their IST program
19 inadequate.

20 CHAIRMAN JACZKO: But there's not ITAAC related to the
21 operation?

22 THOMAS SCARBROUGH: No there's no ITAAC --

23 CHAIRMAN JACZKO: So that wouldn't be a 103(g) finding?

24 THOMAS SCARBROUGH: Well, it would be as far as the overall
25 approval of the, you know, operation of the plant. So, it would be that

1 permission to start the plant up --

2 CHAIRMAN JACZKO: Okay, so it would not contingent on the
3 103(g) finding, but you could potentially be in a position that would
4 effectively put the plant into column five in the action matrix, during
5 start-up?

6 THOMAS SCARBROUGH: Well, we would recommend not starting the
7 plant up, at that point, if they did not have an adequate surveillance
8 for the squib valve.

9 CHAIRMAN JACZKO: I'm going to have to stop you right there,
10 I apologize, but you know, we can do a follow-up question to get, I
11 mean, OGC can kind of weigh in about how, what our, again, where we get
12 into this funny legal space where we don't have an ITAAC for something,
13 an operational program that we're finding insufficient that could, in
14 the staff's mind, not allow start up of the plant and what's our legal
15 authority to do that at that point if we don't have an ITAAC, so, maybe
16 I'll have you do that in writing and then --

17 THOMAS SCARBROUGH: Okay, that's fine. Thanks.

18 CHAIRMAN JACZKO: Okay, Commissioner Svinicki.

19 COMMISSIONER SVINICKI: Okay, thank you. My questions are
20 principally for the staff. If I have anything for the applicant, I'll
21 designate that. But, on the staff's slides three and four, you talk
22 about review of seismic issues, and specifically the applicant had a 3D
23 soil structure interaction analysis. Could a staff witness just
24 generally address how, when you have that kind of a 3D model of
25 something, what is your process for independent validation that a model

1 developed by the applicant such as this 3D soil structure interaction
2 analysis is an accurate representation so that it can be relied upon.
3 What, in general, do you look at in validating the usage of something
4 like that?

5 BRET TEGELER: I can address that. The process we used to
6 look at the Vogtle model was to make direct comparisons to the AP1000
7 three-dimensional model that was used in the standard design. So, as an
8 example, we would take -- we requested Southern to take their NI15 model
9 and imply the same base motion input into that model as what was done
10 with the AP1000 model, and compare responses at six key locations. In
11 the case of the NI15 model, the responses came out very close, so we
12 judged that model to be adequate, to represent the AP1000 design.

13 COMMISSIONER SVINICKI: So it's fundamentally a comparison
14 and cross-referencing type of operation?

15 BRET TEGELER: Correct. Other metrics are looked at: total
16 model mass, frequency response, element properties with respect to
17 material properties and element types. So, we do a pretty thorough
18 check of that model.

19 COMMISSIONER SVINICKI: Okay, thank you. And on staff slide
20 11, this is a question a little bit in a similar vein. The applicant
21 utilized data from fuel assembly head loss tests that you were
22 discussing there. And I believe a statement was made that it was a
23 partial assembly that was utilized, obviously a full assembly would be
24 very large. In that instance, where you have the applicant providing
25 some test results but they have had to design the test and

1 experimentation, how does the office of new reactors, or do you in
2 consultation with the office of research, how do you assess that the
3 experimental set up is accurate and can be relied upon for licensing
4 purposes?

5 JOHN MCKIRGAN: In this instance, the staff has reviewed the
6 use of the protocol that was developed to conduct that testing. We
7 actually were fortunate enough to witness some of that testing, and that
8 proved to be invaluable in the staff's review. So these are partial
9 height assemblies, the remainder of the cross-section of the assembly
10 was as described in the DCD. So that the review, the audits of the
11 calculations and the supporting documentation is what the staff used to
12 inform its review.

13 COMMISSIONER SVINICKI: Does the staff have the opportunity
14 to see or input to these experimental protocols prior to the conduct of
15 the test? So that if you had had concerns or suggested revisions to the
16 protocol, you would have had an opportunity for that input, and did you
17 have that opportunity in this case?

18 JOHN MCKIRGAN: As a generic issue, the staff doesn't
19 generally pre-approve protocols like this.

20 COMMISSIONER SVINICKI: Okay.

21 JOHN MCKIRGAN: In the case of GSI 191, because of its
22 history, the staff has worked very extensively to ensure that concerns
23 are communicated very early. And so in this instance, we did have the
24 opportunity to discuss the protocols, and again, witness the testing.

25 COMMISSIONER SVINICKI: Okay, thank you. And on the topic of

1 the squib valves, I'm thinking about the underlying phenomenology of
2 concern there, in terms of development of the testing and inspection
3 protocols. Are there other one-time use types of components that are
4 required to have high reliability that we've looked at to inform this
5 nuclear application? And what comes to mind for me there is perhaps use
6 of certain explosive components in perhaps space or missile types of
7 applications, or ejection booster seats in the military, things like
8 that. Are there, is there a body of operational experience in, you
9 know, non-nuclear but high safety and reliability applications that
10 could be of use here in informing these inspection and testing
11 requirements?

12 THOMAS SCARBROUGH: Well, Westinghouse is working with Copes-
13 Vulcan to develop the squib valves. And they have brought in expertise
14 from other industries and there the Goodrich company does propellants
15 with quite a -- experience with this type of issue. And so, they've
16 brought in -- and I think because of this new area for nuclear power
17 plants, they have reached out and obtained resources and expertise from
18 other sources as well. So, I think, you know, we are monitoring that as
19 part of what we're doing in preparation for ITAAC inspections, we are
20 monitoring the design qualification process with Westinghouse, with
21 Copes-Vulcan, with Southern Nuclear to go through step-by-steps. And in
22 their development of surveillance recommendations, as part of what
23 they're doing, as part of their design qualification process. So they
24 are reaching out and gathering as much expertise as they can from other
25 sources.

1 COMMISSIONER SVINICKI: Okay, thank you. And just very
2 quickly, on staff's slide four, there was discussion of the four percent
3 damping instead of five percent and I just wanted to be certain that I
4 understood. Is five percent more conservative than four percent?

5 BRET TEGELER: I can address that. Four percent is more
6 conservative in that you're crediting less energy dissipation in the
7 structural mechanical system So, if you're using lower values of
8 damping, you're going to see a slightly higher response.

9 COMMISSIONER SVINICKI: Okay, okay, that intuitively makes
10 sense. Thank you. Mr. Chairman.

11 CHAIRMAN JACZKO: Commissioner Apostolakis?

12 COMMISSIONER APOSTOLAKIS: Thank you, Mr. Chairman. Do we
13 have any idea how reliable squib valves are?

14 THOMAS SCARBROUGH: In terms of the experience we have
15 through the current operating plants the boiling water reactors, they do
16 use small squib valves for, you know, the stand by liquid control
17 system. And so we have that experience. And then for the current
18 design qualification process, they're going through a series of testing
19 of varying different parameters of propellant mass and things of that
20 nature, the dimensions to look at how reliable they are in terms of what
21 their flexibility you have, in terms of the amount of propellant and
22 things of that nature. So they're going through an extensive testing
23 process.

24 COMMISSIONER APOSTOLAKIS: Do they blow up any?

25 THOMAS SCARBROUGH: Yes, they do.

1 COMMISSIONER APOSTOLAKIS: Okay, and do we have any idea what
2 the reliability is, or is it nobody has found that?

3 THOMAS SCARBROUGH: Well, they test multiple times of testing
4 them, so there's an extensive amount of data that they're gathering in
5 terms of the amount, in how they test it, the amount of packing and
6 things of that nature to make sure it's reliable in terms of the
7 repetitiveness of being able to pack the charges and things of that
8 nature. So, they're looking at a lot of those issues, because this is a
9 new area for nuclear industry.

10 COMMISSIONER APOSTOLAKIS: Because I'm wondering, you said on
11 slide seven, that surveillance activities would provide reasonable
12 assurance of operational readiness. And I'm wondering, if you mean, by
13 surveillance, you will look at those parameters you just mentioned that
14 are within the established limits? Is that --

15 THOMAS SCARBROUGH: Well yes, what we feel is that, what's in
16 the current OM code is insufficient for these types. The complexity of
17 the design is much more than the simple ones that are used in the
18 current reactors. And so there's more aspects, that's what we're
19 talking about. Not only did you test the charges periodically, but also
20 you look into terms of internal inspections to look for the internal
21 condition of the actuator itself and things of that nature. Foreign
22 material that might be gathered somehow, things like that could
23 interfere with their operation. All those things are considering -- and
24 that's part of what we told them. They have to complete as part of this
25 design qualification process to develop recommendations of the types of

1 surveillance that would be appropriate.

2 COMMISSIONER APOSTOLAKIS: So all this has to do with
3 availability, when I want it, is there such a thing as purely
4 [unintelligible] of those? Would they explode when they're not needed?

5 THOMAS SCARBROUGH: Well, that is an area that the I&C people
6 look at for spurious actuation, and part of the overall review of squib
7 valves is the loads on the piping and things of that nature. And when
8 they do actuate. So that is all part of the -- our engineering
9 mechanics branch is looking at the piping loads and things of that
10 nature for when these things, you know, explode.

11 COMMISSIONER APOSTOLAKIS: Thank you. Let's go to the
12 seismic, Bret. First of all, on slide four, you say that above one
13 Hertz there were no exceedances, below, there were some. But then you
14 also said that if I look at the slide on the other panel, there are
15 exceedances above 10 Hertz. What is this statement here, you're
16 referring to what?

17 BRET TEGELER: Sorry, let me check that slide.

18 COMMISSIONER APOSTOLAKIS: Slide four. Are you dealing only
19 with structures here?

20 BRET TEGELER: Oh, okay. The, correct. When I talk about
21 exceedances above 10 Hertz, I'm referring to the free-field response.
22 So it's the exceedance of the CSDRS by the GMRS. So, certainly in the
23 free-field, a particle on the free surface at Vogtle site, there will be
24 exceedances.

25 COMMISSIONER APOSTOLAKIS: Is this statement correct here?

1 That above one Hertz there were no exceedances?

2 BRET TEGELER: And so where this is, this sentence is
3 speaking to, is in the in-structure, in the nuclear --

4 COMMISSIONER APOSTOLAKIS: Oh, the in-structure.

5 BRET TEGELER: I'm sorry, I wasn't clear on that. And so
6 when you do the, when you performed the SSI analysis, the nuclear island
7 is essentially a large vibration absorber filtering out the motion above
8 10 Hertz. So that's --

9 COMMISSIONER APOSTOLAKIS: What is about the exceedances
10 above 10 Hertz? Somebody else, because of instrumentation, and things
11 like that --

12 BRET TEGELER: In the case of Vogtle, they will have for a
13 high frequency site, like a hard rock site, you'd be more concerned with
14 that. In a case of Vogtle, they're not -- they're getting almost no
15 energy above 10 Hertz, so anywhere in that structure, it's not going to
16 be an issue for electrical components, as an example.

17 COMMISSIONER APOSTOLAKIS: Now, you found that the
18 exceedances were not safety significant because there were no SSCs with
19 resonant frequencies in this range below -- I mean, above 155 Hertz.

20 BRET TEGELER: Correct.

21 COMMISSIONER APOSTOLAKIS: Is that the general --

22 BRET TEGELER: No, we had to check. We did a check of the
23 modal response of at least on the structural side of, were there
24 significant structural modes in that area? And we determined that there
25 were not typical piping package frequency of interest are much higher,

1 maybe five Hertz. And electrical, as you mentioned, even higher. When
2 you talk about low frequency response, you're in the range of tank
3 sloshing, tank -- loads on tanks. And for the AP1000 their tank
4 sloshing frequencies, the fundamental frequencies are even lower than
5 the .6. They're around the .15 Hertz range for the fundamental. And
6 there are other high order ones, but that's the most mass participation
7 is in the .13, .15 Hertz range. That's why we chose that exceedance to
8 not be safety significant.

9 COMMISSIONER APOSTOLAKIS: Now, I'm just curious, what do the
10 regulations say, that the GMRS should not exceed the CSDRS, or that if
11 it does, you should demonstrate safety. I mean, what are the criteria?

12 BRET TEGELER: Well, the first check done for the COLA is
13 what you just described, where you do a comparison in the free field
14 with the site GMRS to the standard design CSDRS. If you're bounded, and
15 there are site soil parameters are bounded also by the standard design,
16 you essentially do not have to do any site specific SSI. In the case of
17 Vogtle, they ran into a problem where they did have an exceedance. Now,
18 the AP1000 has a provision that even if you do have an exceedance of
19 their CSDRS, it talks about ways in which you would do your site
20 specific analysis, and Vogtle followed that process.

21 COMMISSIONER APOSTOLAKIS: Would you say that as a result of
22 all this evaluation, the seismic margins have been eroded a little bit?

23 BRET TEGELER: No, I don't think so. And the reason I say
24 that is because -- and even though there was an exceedance in the free-
25 field, again, that nuclear island is really a massive vibration

1 absorber. You're getting very little energy into the SSCs above 10
2 Hertz. And so there's quite a bit of margin. When you look at the in-
3 structure, when you look at the comparisons of the --

4 COMMISSIONER APOSTOLAKIS: There is margin, but has it been
5 eroded a little bit? I know there is margin.

6 BRET TEGELER: Yeah.

7 CHAIRMAN JACZKO: Like Jeopardy, we're going to put a little
8 tick-tock in.

9 [laughter]

10 BRET TEGELER: Well, I'm not sure the mechanism that would
11 erode the margin, because when I look at the comparison and response
12 spectra, they're clearly enveloped by a standard design by a factor of
13 almost two to three in most locations. And then I also know that the
14 standard design has a margin over the CSDRS, and so that, when you say
15 the reference point for an eroding margin, I'm thinking of the standard
16 design and the fact that --

17 COMMISSIONER APOSTOLAKIS: Well, I mean compare to a plant or
18 to a site where there would be no exceedances.

19 BRET TEGELER: There would be -- if there was a reduction in
20 margin it would only be in that narrow frequency range where they have
21 an exceedance. But again, judging that they don't have any significant
22 components in that, the --

23 COMMISSIONER APOSTOLAKIS: So there is some reduction, it's
24 very small, that's what you're smaller.

25 BRET TEGELER: Very small, correct.

1 COMMISSIONER APOSTOLAKIS: Okay. Thank you, Mr. Chairman.

2 CHAIRMAN JACZKO: Commissioner Magwood?

3 COMMISSIONER MAGWOOD: Thank you, Mr. Chairman. Back to
4 squib valves for a moment. I'm sorry, I found -- I appreciate my
5 colleagues going through this, because I think we got good feedback from
6 you about the situation and it sounds like we all have roughly the same
7 sorts of questions. But, let me a bit more forward looking approach to
8 this, is there anything that you can do in the way of testing or
9 surveillance other than what you've already described? The test
10 firings, the internal inspections, is there something else that, you
11 know, the technical community is thinking about in terms of testing
12 these valves that you haven't discussed?

13 THOMAS SCARBROUGH: Well, that was one reason why we
14 specified, why we had been specifying in the SER that they incorporate
15 the lessons learned from valve qualification, because the internal
16 inspections and the foreign material, that was all coming out so far at
17 a design qualification process. That was part of like, because
18 originally the OM code says, you know, sample some charges. And once we
19 were monitoring the design qualification process, we saw that the
20 complexity indicates that we need to know more about the internals, and
21 any foreign material, as part of that. So, we've already found some
22 lessons learned, and those are some areas that we're thinking about
23 making sure that are incorporated either in the OM code or specified in
24 55a when we incorporate by reference the OM code. Because we can add
25 those requirements if the OM code does not do it themselves. So, those

1 are some things we're thinking about, but there may be others that we
2 want to keep monitoring. We've been attending design review meetings,
3 tests -- they're going to start actually testing flow testing squib
4 valves in January, first of next year. So we'll be monitoring that and
5 seeing what's going on in terms of what else might be appropriate for
6 types of surveillance for these components.

7 COMMISSIONER MAGWOOD: So in other words, there's a test
8 firing that's -- the way this development might come up, you're saying
9 we have, there might be some protocol in test firing, some protocol on
10 internal inspection. And then there's something else out there that
11 right now, we don't know what that is. And that may be, some
12 combination of those things, might be the answer a few years from now.
13 Is that --

14 THOMAS SCARBROUGH: Yes, because we could have had them put
15 specifics in the FSAR right now to say, look for foreign material, look
16 for internal, but there may be something that comes out next year, that
17 we want to have them do even more. And so, I didn't want to be too
18 specific in the FSAR right now, because I want to give us some
19 flexibility that next year, when we have ASME working on this, you know,
20 we'll continue to monitor. Copes-Vulcan is looking at surveillance
21 requirements. Once we bring in all those experts, we want to be able to
22 come up with the best possible surveillance for these valves, and not
23 just sort of pick something right now.

24 COMMISSIONER MAGWOOD: So barring some revelation, it's going
25 to be some combination of protocols, test firing, and surveillance.

1 THOMAS SCARBROUGH: Right, yes sir.

2 COMMISSIONER MAGWOOD: So, I guess that's both good and bad
3 news. Because it sounds like what you're saying is that we could have
4 the definitive protocol. We could have done that now. But the staff is
5 of the opinion there might be some better developments, so you're
6 holding it open just in case there's something better. But you're not -
7 - I'm wondering if you believe that what's available today is not good
8 enough, or you think that --

9 THOMAS SCARBROUGH: It might be sufficient, once we, once the
10 testing program is completed next year. What we were sort of thinking
11 about now may be adequate, but I wouldn't want to say this is what the
12 surveillance is going to be until we sort of see how the test program
13 finishes up next year.

14 COMMISSIONER MAGWOOD: I guess I'm -- your dialogue with the
15 Chairman is actually kind of interesting because it seems like there is
16 a scenario where we get to a certain point in this process, and the
17 staff would come back and say, we're not happy, we don't think it's a
18 good solid test protocol, we can't start this, we can't allow this to
19 start. Is that a realistic scenario based on what you know today?

20 THOMAS SCARBROUGH: I don't think we get to that point. Of
21 probably all our operational programs, we might have that problem.
22 Because all the operational programs, you know, are waiting until fuel
23 loads. SO there's going to be some group of operational programs
24 inspections that have to be dealt with. But, in this case, we already
25 have some ideas, the industry knows they need to develop surveillance,

1 appropriate surveillance requirements for these. ASME is working on it,
2 we're actually starting reviewing the 2011 addenda which begins the new
3 reactor OM code improvements. We're going to be starting putting out
4 ideas for that. So over the next year, there's going to be a lot of
5 work, in terms of developing surveillance requirements for these. And
6 so, I don't think we get to that point. If we got far enough down, we
7 could -- if ASME did not put something in the OM code, we could put it
8 in 55a when we incorporate by reference that edition of the code. So we
9 could put it in there ourselves. But I want to have the industry to
10 take the lead on this, because they're the experts in doing the testing
11 right now. And then we can monitor that and make sure that we're
12 comfortable with what their final recommendations are, and then endorse
13 that in the code.

14 COMMISSIONER MAGWOOD: Let me give the applicant a chance. I
15 don't know if you have some technical expertise at the table on this, if
16 you wanted to opine or offer an observation.

17 WESLEY SPARKMAN: I don't know that I would say that I have
18 technical expertise in it, but our perspective would be that we want to
19 have the best tests available at the time as well. We do believe that
20 what we -- what has been identified thus far, would be an acceptable
21 test, if nothing else comes to light. But we want to have the
22 opportunity to, if something else does come to light, to consider that
23 for implementation.

24 COMMISSIONER MAGWOOD: Okay. Well, I think, I appreciate --
25 I think everybody's understanding where you're coming from. So, it

1 wouldn't be fair to ask the question, how do we get to this point and
2 still have this question open? Because you're leaving this question
3 open somewhat on purpose. Is that a fair statement?

4 THOMAS SCARBROUGH: Yes sir, because we have -- they have to
5 incorporate by reference the OM code 12 months before fuel load; we have
6 that, we have the FSAR, we have the operational program inspections. We
7 have a lot of safety nets here to make sure that before fuel load, they
8 have an acceptable surveillance program for squib valves. So, we're
9 sort of intentionally letting them complete some more of the design
10 qualification testing before we establish final what the surveillance
11 requirements would be for squib valves.

12 COMMISSIONER MAGWOOD: Mr. Chairman, I just have one quick,
13 what I think is a quick, question on slide four, which Commissioner
14 Apostolakis spent some time on. We were talking about this, the
15 damping, and where did those numbers come from? Are those externally
16 derived numbers?

17 BRET TEGELER: These values are informed through past
18 experiments, they're at a regulatory guidance, at 1.61 in particular.
19 And the four percent is representative of an OBE type operating basis
20 earthquake level of damping, in which you have, it's not a -- it is a
21 severe seismic event, but it's not severe enough to cause high stresses
22 in structures. So, as opposed to an SSE level event, where you are
23 going to, you are approaching a fairly high level of stress, so you're,
24 it's an attempt to try to make a -- your damping level commensurate with
25 a level of stress in the analysis. Now the five percent, of course,

1 there's a material dependence here; reinforced concrete will have one
2 value, seven percent, shield building uses five percent for SSE level.
3 The applicant, or Vogtle, chose to use four percent across the board,
4 which is a fairly conservative assumption, given that they could have
5 used five percent at some locations. So that's the purpose of that
6 bullet.

7 COMMISSIONER MAGWOOD: Excellent, thank you very much. Thank
8 you Chairman.

9 CHAIRMAN JACZKO: Commissioner Ostendorff?

10 COMMISSIONER OSTENDORFF: Thank you, Mr. Chairman. I want to
11 continue just a little bit on squib valve discussion. I found it very
12 interesting that ballistic missile submarines, they use those in some
13 applications for almost 50 years. So I'm a little surprised that there
14 appears to be a -- I'm interpreting a little bit of a vacuum about how
15 to test these things. Let me ask you a couple questions here. We have
16 squib valves, I'm not familiar with the technology, used in existing
17 BWR's. Is that, but there are some squib valves?

18 THOMAS SCARBROUGH: There are some small squib valves used in
19 a stand by liquid control system.

20 COMMISSIONER OSTENDORFF: Are the designs of the AP1000 squib
21 valves fundamentally different?

22 THOMAS SCARBROUGH: Fundamentally different. And much
23 larger.

24 COMMISSIONER OSTENDORFF: Okay. Do the existing smaller
25 different valves for BWRs, are they subject to some kind of in-service

1 testing program?

2 THOMAS SCARBROUGH: Typically, the OM code specifies for
3 those that every outage they remove 20 percent of the charges and test
4 fire them separately in a lab. And then if any of those failed, then
5 they pulled the whole batch out and replace those. And that's been an
6 acceptable OM code for these small squib valves, simple squib valves
7 used in the current reactors.

8 COMMISSIONER OSTENDORFF: Okay. Got it. All right, let me
9 go, Bret, your slide three: Bottom bullet talks about the NI-15 system
10 for analysis of a soil structure interaction? I'm just not familiar
11 with that, is that a system, a modeling system, that's been around for
12 some period of time or is that new and unique to the AP1000?

13 BRET TEGELER: Yeah, my apologies, I may not have been that
14 clear on that. It is a, the NI-15 model, it's really a, it's not a code
15 per se. It's really just a term to finding the analysis model. The
16 structural model, you can imagine, is comprised of elements on the order
17 of about 15 feet in size. So, the characteristic element model for this
18 3-D shell model is about 15 feet. And the significance of that is the
19 ability of that model to have bandwidth to pass higher frequency
20 responses into the structure. So, we, or the applicant, refer to that
21 model as the NI15 model.

22 COMMISSIONER OSTENDORFF: Is this model, or one closely
23 associated with it been used previously by the NRC?

24 BRET TEGELER: The, I'm going to throw another, an NI20 model
25 at you now, that is the design basis model. That's the model that

1 Westinghouse developed, which is also a 3D shell model. And it has a
2 characteristic element size of 20 feet, a little larger. So, you're not
3 going to be able to pass as result high frequency motion as well. So,
4 again, Vogtle chose to refine this model. And the refinements aren't
5 everywhere, it's mostly at elements, or locations below grade to get
6 higher frequency soil input into the structure. So it is -- these are
7 SASI models, SASI is a soil structure interaction analysis code in which
8 the NI-15 model, which is a structural model that's placed in the soil
9 media then analyzed for the ground motion at the Vogtle site.

10 COMMISSIONER OSTENDORFF: Is that kind of model used
11 elsewhere by the federal agencies doing similar work?

12 BRET TEGELER: Yeah, this type of model is very, I'll call it
13 -- particularly now it's standard practice, most of the applications
14 we've been seeing now are using 3D SASI type models, just like Vogtle
15 used, and what AP1000 used. So it is, I'll say, typical of what we're
16 seeing these days for seismic analysis in nuclear plants.

17 COMMISSIONER OSTENDORFF: Thank you, that's very helpful.
18 John, I want to ask you one question here. On your slide 12 and 13,
19 control room habitability, toxic gas monitoring, at a big picture level,
20 is there anything significantly different about the Vogtle application
21 as far as toxic gas or habitability compared to our existing power
22 plants?

23 JOHN MCKIRGAN: No.

24 COMMISSIONER OSTENDORFF: Okay.

25 JOHN MCKIRGAN: Is that too brief?

1 COMMISSIONER OSTENDORFF: Nope, that's good.

2 [laughter]

3 CHAIRMAN JACZKO: No.

4 COMMISSIONER OSTENDORFF: Thank you, and thank you, Mr.
5 Chairman.

6 CHAIRMAN JACZKO: Any other questions or comments from anyone
7 else? Okay, thank you very much for your presentations. We will -- are
8 we taking a break?

9 FEMALE SPEAKER: Yeah.

10 CHAIRMAN JACZKO: Okay, quick break.

11 (Whereupon, a short recess was taken)

12 CHAIRMAN JACZKO: Okay so we will now finish our last panel
13 for the day. Will be a discussion of Chapters 7, 8, 15 and 19 and the
14 relevant sections of the application, and these chapters touch on issues
15 like off-site power, probabilistic risk assessment and digital
16 instrumentation and controls. Again, if I could just ask everyone to
17 repeat, state their names.

18 AMY AUGHTMAN: Amy Aughtman, Southern AP1000 licensing
19 supervisor.

20 DONALD MOORE: Don Moore, Consulting engineer, Southern
21 Nuclear.

22 WESLEY SPARKMAN: Wes Sparkman, COL licensing supervisor,
23 Southern.

24 EDDIE GRANT: Eddie Grant, AP1000 Licensing Support Lead,
25 NuStart.

1 LYNN MROWCA: Lynn Mrowca, chief PRA and severe accidents
2 branch, Office of New Reactors.

3 MARK CARUSO: Mark Caruso, senior reliability and risk
4 analyst, Office of New Reactors.

5 RAVINDRA JOSHI: Ravi Joshi, senior project manager, Office
6 of New Reactor.

7 DENISE MCGOVERN: Denise McGovern, project manager, Office of
8 New Reactors.

9 CHAIRMAN JACZKO: Do you want to start this?

10 WHEREUPON,

11 the witnesses for Southern Nuclear Operating Company and for the
12 staff of the Nuclear Regulatory Commission, having been previously duly
13 sworn, assumed the witness stand, were examined and testified as
14 follows:

15 WESLEY SPARKMAN: All right, thank you. As you stated, this
16 panel covers selected safety items from Chapters 7, 8, 15 and 19. Go to
17 the second slide please. In this presentation Don Moore will begin by
18 covering seismic margin analysis for the Vogtle site. I will then take
19 over the presentation to discuss other external events covered in
20 Chapter 19 and a discussion of a loss of large areas of the plant due to
21 explosion or fire, our submittal for that, and then Eddie Grant will
22 then take over reactor power uncertainty measurement and DCD I&C key
23 information by reference and then finally Amy Aughtman will take over
24 off-site power system and underground cables. Next slide please.

25 I'll turn it over to Don.

1 DONALD MOORE: Good afternoon, I will present a brief
2 overview of the seismic margin assessment performed for the Vogtle COL
3 with the Chapter 19, 19.55. A comparison was made to the standard plant
4 seismic margins assessment, thus the AP1000 standard margin assessment
5 in regards to seismic stability and design of the nuclear island --
6 seismic design of the nuclear island. The Vogtle nuclear island safety
7 margins against sliding and overturning were demonstrated to be greater
8 than the limiting safety factors calculated for the standard AP1000
9 design cases, also as previously discussed a Vogtle site specific
10 seismic demand is enveloped by the AP1000 seismic demand used for
11 design. It is therefore concluded that the AP1000 seismic margin
12 assessment is applicable to the Vogtle site and therefore the Vogtle SMA
13 for seismic stability and seismic design is demonstrated by this
14 comparison. The review level of earthquake for a margin assessment for
15 the Vogtle site is defined as 1.67 times the Vogtle GMRS. That gives
16 you a peak ground acceleration of .44Gs. The following soil related
17 failures were evaluated and screened out basically on -- based on
18 sufficiently high margins, these are site specific failure modes that
19 are -- have to be evaluated on a site specific basis and this is soil
20 liquefaction and soil bearing failure. Engineering evaluations were
21 performed and that demonstrated that the seismic margins against soil
22 failure due to soil liquefaction and soil bearing were well above the
23 review-level earthquake. Therefore, they were screened out for the
24 review level earthquake and based on these assessments the Vogtle
25 seismic margin assessment requirements are fully met. Now I'd like to

1 turn it over to Wes Sparkman who will present the next slide on other
2 external events. Thank you.

3 WESLEY SPARKMAN: Thank you Don. Excuse me. FSAR Table
4 19.58-201 documents the site specific external events evaluation that
5 has been performed for the VEGP units three and four site. This table
6 provides a general explanation of the evaluation and resultant
7 conclusions and provides a reference to applicable sections of the COLA,
8 where more supporting information, in other words including data used,
9 methods and key assumptions, regarding a specific event is located.
10 Included in the slide are general areas that were evaluated. No site
11 specific susceptibilities were identified in this evaluation. Where
12 standard plant analyses are provided the standard plant analyses were
13 shown to be applicable. Based upon the evaluation performed it is
14 concluded that the VEGP units three and four site, is bounded by the
15 high winds, floods and other external events analysis documented in DCD
16 section 19.58 and APP-GW-GLR-101, no further evaluation are required at
17 the COL application stage. Next slide please.

18 I will now discuss our loss of large areas of the plant
19 submittal. In early 2009, the commission codified the requirements for
20 mitigation of events involving loss of large areas of the plant due to
21 explosions or fire, otherwise known as LOLA. 10 CFR 50.54 hotel, hotel
22 two codified the requirements to develop and implement guidance and
23 strategies intended to maintain or restore core cooling, containment and
24 spent fuel pool cooling under LOLA conditions. These requirements are
25 essentially the same as those imposed on the operating reactors by the

1 interim compensatory measures order section bravo five bravo in February
2 of 2002. In May of 2009 Southern Nuclear submitted the Vogtle units 3
3 and 4 LOLA mitigative strategies description and plans for
4 implementation document. It is our understanding that this was the
5 first MSD submitted in accordance with the requirements of 10 CFR 50.80
6 delta. As discussed in the response to the Commission's pre-hearing
7 question number 31, the VEGP three and four MSD was based on 52.80 delta
8 template in NEI-0612 revision three. To the extent possible, for phase
9 one of the requirements, VEGP three and four MSD addresses phase one
10 responses and strategies from units one and two and leveraged those
11 B.5.B phase one responses as much as possible. With respect to phase
12 two, the B.5.B phase two spent fuel pool cooling strategies for one and
13 two are based on 0612 revision two, however, the AP1000, which is for
14 units three and four, spent fuel make up and spray strategies are
15 facilitated by the AP1000 design features including a hard piped
16 redundant spray system to provide makeup and spray to the pool, gravity-
17 driven sources of makeup spray -- makeup and spray cooling water; and
18 external hard-piping connections for independently powered portable
19 pumps.

20 And our Phase II and Phase III evaluations were based on NEI-
21 06-12 Revision 3. Phase III of the LOLA mitigative strategies is
22 intended to restore or maintain core and containment cooling in order to
23 mitigate potential damage to the fuel and the reactor system and to
24 mitigate potential radiological releases through the containment walls
25 or other release pathways. The revised guidance in NEI-06-12 Revision 3

1 include a new chapter 4, which recognizes that some new plant designs
2 employ passive features and may be evaluated differently for LOLA
3 effects. Passive features and other design features, such as in-
4 containment passive systems to provide long-term core cooling and decay
5 heat removal simplify the approach of addressing the key safety
6 functions for the AP1000.

7 The guidance provided in NEI-06-12 Revision 3 was endorsed by
8 -- for use in ISG-16 in June 2010. The ISG provided additional guidance
9 for meeting the staff's expectations for LOLA mitigation. The
10 additional guidance includes items like equipment tagging, fire brigade
11 equipment staging, command and control, equipment allowed outage times
12 and equipment maintenance, many of which were addressed in RAIs issued
13 during the staff's review.

14 Next slide, please.

15 Because to the VEGP 3 and 4 MSD was the first LOLA MSD
16 written based on the new template Revision 3 of NEI-06-12 and the first
17 submitted under 10 CFR 50.80 delta. And because the NRC's supplemental
18 guidance in ISG-16 was not issued until the staff's review was well
19 under way, SNC received a number of requests for additional information
20 for details on the planned approach to implementing the mitigative
21 strategies, as well as commitments to address the additional topics
22 identified in ISG-16.

23 In the responses to the to these RAIs, SNC committed to a
24 number of additional future actions that cannot be accomplished until
25 the facility is near completion and the LOLA procedures and guidance are

1 ready for implementation. These commitments are discussed in SNC's
2 response to the commission's pre-hearing question, number 31.

3 As discussed previously, the AP1000's passive design and
4 other design features factored heavily into the 50.54 Hotel, Hotel II
5 assessment and the determination of LOLA mitigative strategies. Several
6 of the more important design features for this assessment include: a
7 permanent hard-piped spent-fuel pool spray system that includes two
8 headers, each with 16 spray nozzles on opposite sides of the pool;
9 ground-level external hard-piped connections to the spent-fuel pool
10 spray and makeup piping. These connections are designed for a fire
11 department pumper truck or a portable pump to be connected directly to
12 these hard-piped systems.

13 In addition, there are numerous alternative diverse water
14 systems, one of which is the passive containment cooling water storage
15 tank located above the containment structure. This tank provides the
16 ability to makeup or spray by gravity flow to the spent-fuel pool
17 without the use of pumps.

18 In addition to the AP1000 passive features discussed
19 previously, it is important to note that the AP1000 design does not
20 require the use of alternating current power for the initial 72 hours
21 following a LOLA event for the protection of the core. This facilitates
22 the LOLA response by eliminating the need for emergency diesel
23 generators or other AC sources during this critical period of time. In
24 addition, by using the ground-level connections, water can be pumped
25 either to the PCCWST or to the spent-fuel pool.

1 Although LOLA mitigative strategies are not an operational
2 program per se, as defined in the SECY-05-0197, they will be developed
3 and implemented, following the same process, and strategies will be
4 maintained using the regulatory commitment tracking program once the
5 units are placed into operation. And there's a license condition which
6 requires periodic updates and submittal of an implementation schedule,
7 NRC pre-implementation inspection audits and LOLA strategies, which
8 would be fully implemented prior to initial fuel load.

9 Next slide, please.

10 I will now turn the presentation over to Eddie Grant to
11 discuss reactor power uncertainty measurement.

12 EDDIE GRANT: Thank you, Wes.

13 A reactor power calorimetric uncertainty at 1 percent is
14 evaluated in Chapter 15 of the DCD. Each appropriate evaluation is
15 incorporated by reference into the COLA at FSAR Section 15.0.
16 Additionally, DCD Section 15.0 contains a COL information item, number
17 15.0-1, to verify that the installed instruments will provide the
18 required 1 percent uncertainty. The COLA addresses this uncertainty by
19 indicating in FSAR 15.0.3.2 that the instrumentation is verified to meet
20 the analysis assumptions after installation. The instrumentation is
21 laboratory calibrated prior to installation and in-place tested after
22 installation.

23 Additionally, administrative controls are provided to
24 implement contingency activities such as for failure of the
25 instrumentation related to the power calorimetric instrumentation and to

1 provide for proper maintenance of the instrumentation. This commitment
2 is also supported with plant-specific ITAAC on the instrumentation,
3 installation and analysis. Additionally, the staff is proposing a
4 license condition per their SECY COL draft to provide for submittal
5 within one year after issuance of the COL of a schedule that identifies
6 the expected availability of the documentation of the analysis for
7 verification of the installed instrumentation uncertainties and for the
8 expected availability of the procedures for maintenance and for
9 contingencies. This schedule information is expected to be used by the
10 NRC staff to schedule their inspections of the documentation.

11 Finally, we were requested to address the related power
12 measurement uncertainty recommendation made by the ACRS in their letter
13 of January 24, 2011. In response to this recommendation, the FSAR
14 Section 15.0.3.2, as mentioned earlier, was revised to include an
15 explicit commitment to perform the calibrations with representative
16 piping configurations and to conduct the in-plant confirmatory tests.

17 The next slide brings us to Chapter 7 topics. We were
18 requested for Chapter 7 to discuss key information incorporated by
19 reference from the DCD that was related to the instrumentation and
20 controls addressed in Chapter 7. Practically the entire chapter is
21 incorporated by reference from the DCD in the FSAR. The COLA FSAR
22 contains only information on confirming set points and a few site-
23 specific post-accident monitors, or PAMs, for radiation monitoring at
24 the site boundary and for meteorological data. Some of the key
25 instrumentation and controls addressed by the DCD include, of course,

1 the reactor controls and also the controls for actuation of engineered
2 safety features, including diverse actuation controls for both of these
3 systems.

4 And now Ms. Aughtman will wrap up this panel by discussing
5 Chapter 8 topics.

6 AMY AUGHTMAN: Okay, thanks, Eddie.

7 This slide covers the overview of offsite power and the one
8 departure taken in Chapter 8. In terms of an overview of the offsite
9 power system, there are three high-voltage switchyards for all four
10 units on site. There is one 230/500 kV switchyard for units one, two
11 and three; a 500 kV yard for unit four and a 230 kV reserve auxiliary
12 transformer supply yard for units three and four. Hopefully that gives
13 you a little bit of a visual for the layout of all four units.

14 The DCD identified three interface areas for COL applicant
15 action, each of which are addressed in FSAR Section 8.2. Additionally,
16 through the course of the NRC's review, a standard plant-specific ITAAC,
17 comprised of six design commitment elements, was established for offsite
18 power.

19 The departure taken in Chapter 8 is related to the class 1E
20 voltage regulating transformers. This departure is simply to clarify
21 DCD language to make it more clear that the AP1000 voltage regulating
22 transformers do not have active components to limit current since the
23 isolation and protection function is provided by circuit breakers.

24 Last slide.

25 Finally, underground cables were requested to be discussed

1 here. The FSAR actually addresses this discussion in FSAR Section 17.6
2 as part of our maintenance rule program description, which also
3 incorporates by reference the NEI program description. The cable
4 condition monitoring program incorporates lessons learned from industry
5 operating experience, addresses regulatory guidance and utilizes design
6 information to determine the appropriate inspections, tests and
7 monitoring criteria.

8 This program also considers the information contained in
9 generic letter 2007-01. And that concludes our presentation for Safety
10 Panel 3.

11 CHAIRMAN JACZKO: Thank you. We'll have the staff --

12 DENISE MCGOVERN: Good afternoon. In this panel, we will be
13 presenting SER Chapter 19, including the novel issue related to the
14 review of the loss of large area of the plant due to explosions or
15 fires, also known as LOLA. This panel will also address Chapters 15, 7
16 and 8. I will be presenting Chapter 19 and 7. Joining us at the table
17 are Mark Caruso and Lynn Mrowca, who will present the LOLA review; and
18 then Ravi will present Chapters 15 and 8.

19 Slide two, please. Oh, never mind -- back one slide.

20 I will begin with the Vogtle Chapter 19, "Probabilistic Risk
21 Assessment," or PRA, and severe accidents. We will start with the
22 information incorporated by reference from the AP1000 DCD and then
23 address the plant-specific information from the COL application.

24 Slide, please -- three, please.

25 The AP1000 DCD chapter covers severe accidents and PRA. The

1 aircraft impact assessment is also discussed in this chapter of the DCD.
2 10 CFR 50.150 requires design certification applicants to perform an
3 assessment of an aircraft impact upon the facility. A COL application
4 like Vogtle's does not need to address this issue if it references a
5 design certification that does so. The rule requires that a DC
6 applicant identify and incorporate into the design those design features
7 and functional capabilities to show that the reactor core remains cool
8 or the containment is maintained and spent-fuel cooling or integrity
9 remain intact.

10 The DC application must describe the features if the detailed
11 assessment itself is not submitted. The staff reviewed the design
12 certification amendment application using the approved review guidance
13 in NEI 07-13 to determine if the rule requirements were met.

14 Next slide, please.

15 This slide lists the design features credited for the AP1000
16 aircraft impact assessment. The staff also performed an inspection at
17 Westinghouse to examine their assessment and supporting calculations.
18 The staff determined in its AP1000 DCD FSER that the rule requirements
19 were met. Accordingly, it was not necessary for the Vogtle COL
20 applicant to separately address the provisions of 10 CFR 50.150.

21 Next slide, please.

22 As you've seen previously, this table provides an overview of
23 the scope of the staff's review for Chapter 19. In the next slides, I
24 will summarize the staff's review of the plant-specific information,
25 namely the seismic margin analysis and consideration of external events.

1 The site characteristics are evaluated during the ESP process.
2 Consequences of external events are evaluated in other chapters of the
3 safety evaluation. To be certified, a new reactor design must cope with
4 any external event that occurs as frequently as once every one million
5 years. In Chapter 19, we look at the same site and the same events, but
6 this time we do it from a risk perspective.

7 Multiple failures occur during events that are expected to
8 occur, and this contributes to risk. In addition, we must consider risk
9 from events that occur less frequently than 1×10^{-6} per year. PRA begins
10 with internal events occurring when the plant is at power. But that's
11 only part of the story. For a clear picture of total plant risk, we
12 must look at risk while the plant is shut down, risk from fire and
13 flooding and risk from various external events. Whether they are
14 natural or manmade, external event risks can only be addressed
15 hypothetically in the AP1000 DCD. External event risks will be
16 different at each site, so we must revisit external events for each COL,
17 even when it references the certified design.

18 I will start with earthquakes. Slide five, please.

19 The magnitude of an earthquake concerns us only indirectly.
20 We really care about how much the plant structures, systems and
21 components shake. The energy of the earthquake dissipates as it travels
22 through the earth's crust and must then be transmitted through the soil
23 column between the crust and the plate. The red line on this figure
24 shows the certified seismic design response spectra for the AP1000 or
25 CSDRS. That's the shaking that results from a safe shutdown earthquake,

1 or SSE. We say that the SSE is a 0.3G earthquake. This is shorthand
2 for acceleration spectra that are shaped like the CSDRS pinned to that
3 little green dot, 0.3G at 100Hz on the right side of the graph.

4 The site-specific ground-motion response spectra for Vogtle
5 is the dark line, and you can see that it exceeds the CSDRS at very low
6 frequencies and over most of the range from six to 60Hz.

7 Next slide, please.

8 In the staff requirements memorandum for SECY-93-087, the
9 commission directed the staff to assess seismic events using a PRA-based
10 seismic margin analysis. The commission said that the review-level
11 earthquake will be a 1 2/3 as strong as the safe shutdown earthquake --
12 that's a 0.5G earthquake -- during which the equipment needed to shut
13 down safely must function with a high probability in low consequence of
14 failure.

15 Because the response spectra at the Vogtle site are greater
16 than the CSDRS, at least for some frequencies, the COL applicant had to
17 show adequate margin based on the higher spectra. To determine whether
18 the design is sufficiently robust, the next step is to determine the
19 local motion -- seismic acceleration at specific points within the
20 plant. The Vogtle analysts developed a detailed dynamic model of the
21 plant and use the SSE as input to develop the accelerations that will be
22 experienced by the seismically qualified SSEs.

23 For AP1000, these in-structure response spectra, or ISRS,
24 were calculated for six key locations that are used to determine how
25 much a component will shake at a particular spot. ISG 20 provides

1 interim staff guidance on implementing seismic margin analysis.
2 Consistent with this guidance, Vogtle developed ISRS for the same key
3 locations that had been analyzed for the AP1000 DCD. The site-specific
4 results were close to the ISRS for the generic design, exhibiting no
5 more than 10 percent exceedance in any case and then only at frequencies
6 too low to be of concern for AP1000 SSCs.

7 The applicant concluded that the seismic margin analysis
8 performed by the DC amendment remains applicable to Vogtle. The staff's
9 evaluation of this analysis was based on guidance in the standard review
10 plan and ISG 20. The staff audited the detailed calculations as part of
11 the ESP review and limited work authorization process and concluded that
12 the generic seismic margin analysis remained applicable to the Vogtle
13 site. Since the AP1000 generic design has adequate seismic margin, the
14 COL applicant has demonstrated that the Vogtle units three and four will
15 have adequate seismic margins.

16 Next slide, please. I think we should be on slide seven --
17 oh, I'm sorry, we should remain on seven.

18 MALE SPEAKER: [Inaudible.]

19 DENISE MCGOVERN: I'm sorry?

20 MALE SPEAKER: [Inaudible.]

21 DENISE MCGOVERN: I went ahead? We're good now. Slide
22 seven.

23 Risk from seismic events and local geology are not the only
24 site-specific considerations. Other external events must also be
25 considered for potential contribution to the risk profile of the plant.

1 For AP1000 COLs, high winds, flooding, fire, transportation accidents
2 and hazards from nearby facilities must also be evaluated. Westinghouse
3 took the approach of polling the potential AP1000 COL applicants and
4 tried to select the most limiting external event of each type. From
5 these, Westinghouse created a generic site profile. In this way, each
6 COL applicant would only have to demonstrate that the conditions at
7 their proposed site are bounded by those conditions of the generic site
8 profile.

9 Initially, the COL applicants in the AP1000 design center
10 offered a standard supplement, asserting this position. However, the
11 staff required each COL applicant to provide a site-specific supplement.
12 SNC had to describe the magnitude and frequency of natural and manmade
13 hazards at the proposed site. In this way, the staff was able to make
14 an independent assessment. If the COL applicant demonstrates that an
15 external event for its site is bounded in both magnitude and frequency
16 by the same external event for the generic site, the associated risk has
17 been already assessed in the DCD, and it need not be evaluated further.

18 In addition, if it can be shown that a particular external
19 event will not contribute to the core damage frequency, or CDF, in any
20 significant way, there is no need to describe it as part of the total
21 plant risk, and it is screened from further analysis. This screening is
22 appropriate, because even though the CDF for AP1000 internal events at
23 power is so low -- less than 3×10^{-7} per year -- rare events still have
24 the potential to affect CDF.

25 For AP1000, the ground rules for external event screening are

1 part of the certified design. If an event is more frequent than 1×10^{-6}
2 per year, the plant must be designed to withstand it. If an event is
3 more frequent than 1×10^{-7} per year, then its contribution to CDF must be
4 calculated. If this delta CDF is less than 1×10^{-8} per year, its
5 consequences are negligible and it need not be further evaluated. But
6 if the frequency is less than 1×10^{-7} per year, its frequency -- it is
7 negligible and it need not be further evaluated. Otherwise, the risk
8 from the event must be included in the results from the risk analysis
9 that I've reported in the FSAR.

10 This table shows how each of the external events was
11 screened. I'll provide a little more detail on how the applicant made
12 each case.

13 For winds, the design basis of the AP1000 safety-related
14 structures is a load from a 300-mph tornado. The staff has issued
15 guidance to the effect that the continental United States winds of 230
16 miles per hour do not occur more frequently than 1×10^{-7} per year.
17 However, wind speeds are less likely, so their contribution to risk is
18 negligible. All other categories of tornado have event frequencies that
19 are bound by those used in the DCD.

20 The applicant made the same case for hurricanes, extra-
21 tropical cyclones or storms with winds less than 74 miles per hour. For
22 Vogtle, they may be more frequent than assumed in the DCD, but the
23 switchyard and all structures of the AP1000 are designed to withstand
24 them without damage.

25 With respect to flooding events, Vogtle's plant grade is 220

1 feet above mean sea level. The design basis for flooding from the
2 Savannah River is the result of cascading upstream dam failures
3 coincident with wind setup and wave run-up. This flood is more than 40
4 feet below plant grade. The probable maximum precipitation event, as
5 calculated in Chapter 2 of the applicant's FSAR comes close to the plant
6 grade, but the conservatism in this calculation led the staff to agree
7 with the applicant's conclusion that it is a bounding analysis. Unless
8 an external flooding event can reach the plant grade, it can have no
9 consequence on safety-related structures and is screened out.

10 Transportation accidents were either bounded by the frequency
11 and consequence used in the DCD; not applicable at all, as in the case
12 of marine transport; or they had no significant consequence. Onsite
13 storage tanks of potentially hazardous materials were assessed in
14 accordance with the regulatory guide for potentially explosive or
15 flammable vapors. Hazardous chemicals were evaluated in accordance with
16 the guidance on control room habitability. The staff agreed with the
17 applicant's determination that external fires cannot approach the plant
18 closely enough to challenge safety-related structures. A fire at an
19 offsite industrial facility was also considered.

20 Finally, the applicant addressed radiological hazards from
21 other nuclear facilities on the site. Using conservative assumptions,
22 the consequence of a LOCA at Vogtle unit one or two is comparable to a
23 LOCA in unit three or four and remains within the control room
24 habitability limits of GDC 19. So such events would not be expected to
25 contribute to CDF. Staff concluded that the applicant has addressed all

1 external events applicable to Vogtle units three and four and provided a
2 sufficient basis for screening these external events from further
3 evaluation.

4 And now Mark will continue with the Chapter 19 and the
5 presentation on loss of large areas of the plant due to explosions and
6 fires.

7 WHEREUPON,

8 MARK CARUSO

9 was called as a witness for the Nuclear Regulatory Commission and,
10 having been previously duly sworn, assumed the witness stand, was examined and
11 testified as follows:

12 MARK CARUSO: Thank you. Good afternoon. My name is Mark
13 Caruso. I'm a senior reliability and risk engineer in the Office of New
14 Reactors. I was technical lead in the Office of New Reactors for
15 developing guidance for staff review of LOLA mitigation strategies
16 submitted by applicants for a combined license. And by LOLA, I mean
17 loss of large areas of the plant due to explosions or fires.

18 At the table with me is Lynn Mrowca, chief of the PRA and
19 Severe Accidents Branch in the Office of New Reactors, which has primary
20 responsibility for Vogtle LOLA review. Additional supporting witnesses
21 seated to the right would be Dennis Andrukat and Eric Powell. Dennis is
22 a member of the fire protection team in the Office of New Reactors and
23 handled fire protection issues in the Vogtle 3 and 4 LOLA review. Eric
24 Powell is a reliability and risk engineer in the Office of New Reactors,
25 PRA and Severe Accidents Branch.

1 Eric, along with myself and Glenn Kelly, who has since
2 retired from the agency, was principal reviewer of the treatment of LOLA
3 in the Vogtle application. In this presentation, the staff will
4 summarize its evaluation of information provided by the applicant
5 regarding how Vogtle will satisfy the requirements of 10 CFR
6 50.54(hh)(2). We will discuss guidance the staff finds acceptable for
7 satisfying the applicable NRC requirements and the scope and depth of
8 review the staff has done to obtain reasonable assurance that the
9 applicant has adequately satisfied the guidance and provided sufficient
10 information, including commitments made with revised application to meet
11 the requirements of 10 CFR 52.80(d). This provides reasonable assurance
12 that the requirements in Section 50.54(hh)(2) will be met.

13 The provisions of section 50.54(hh)(2) require nuclear power
14 plant licensees to develop and implement guidance and strategies for
15 addressing the loss of large areas of the plant due to explosions or
16 fires from a beyond-design-basis event. Specifically, licensees must
17 develop and implement guidance and strategies intended to maintain or
18 restore core cooling, containment and spent-fuel pool cooling
19 capabilities under the circumstances associated with a LOLA. These
20 requirements are based on similar requirements originally found in
21 Section B5B of the NRC's Interim Compensatory Measures Order issued
22 February 25, 2002, which I will refer to as the ICM Order.

23 Section 52.80(d) requires that an application for combined
24 license contain a description and plans for implementation of the
25 guidance and strategies required by Section 50.54(hh)(2). The

1 strategies and guidance required by Section 50.54(hh)(2) are considered
2 similar to those operational programs for which a description of the
3 program is provided as part of the combined license application and
4 subsequently implemented before plant operation.

5 The development of strategies and guidance is performed by
6 the applicant at the combined license application stage. The results of
7 the activity are provided in the application. Staff reviews the results
8 as part of the licensing process to determine if the applicant has
9 provided reasonable assurance that the requirements in Section
10 50.54(hh)(2) will be met prior to initial fuel load.

11 Detailed development of strategies and guidance and
12 implementation via operating procedures and associated basis documents
13 is performed prior to initial loading of the fuel into the reactor.
14 Staff will inspect implementation of the strategies and guidance in
15 Vogtle prior to initial loading of fuel in the reactor.

16 Could I have Slide 11, please.

17 The staff's review is based on guidance in design
18 certification, combined license, interim staff guidance document number
19 16, which I will refer to as ISG 16. Comments on the draft version of
20 the ISG provided by the nuclear industry in November of 2009 are
21 reflected in ISG 16. ISG 16 identifies guidance from three primary
22 guidance documents for use in developing and implementing strategies and
23 guidance required by Section 50.54(hh)(2).

24 The first document consists of safeguards information issued
25 to current reactor licensees by the commission on February 25, 2005.

1 The second document provides further clarifying safeguards-level
2 guidance issued in January of 2006 and included in NRC temporary
3 instruction 25.15.168. The third is NEI-06-12 Revision 3, an industry
4 guidance document endorsed by the NRC in ISG 16.

5 In addition to identifying these guidance documents, ISG 16
6 contains additional guidance for new reactors not contained in any of
7 these three documents. The guidance issued by the NRC on February 25,
8 2005, and in January of 2006 addressed firefighting and specific
9 operations for mitigating fuel damage and minimizing the release of
10 radioactivity from the containment. Guidance for developing strategies
11 for maintaining and storing core cooling, spent-fuel pool cooling and
12 containment capability is contained in NEI-06-12, as I will discuss in
13 more detail.

14 The NEI -- excuse me, the NRC endorsed NEI-06-12 Revision 2
15 in 2006 as an acceptable means for developing and implementing the
16 mitigation strategies requirement in the ICM order. NEI-06-12 Revision
17 2 provides guidance for implementing a set of strategies intended to
18 maintain and restore core cooling containment and spent-fuel pool
19 cooling capabilities under the circumstances associated with a LOLA in
20 several areas, namely adding makeup water to the spent-fuel pool,
21 spraying water on the spent fuel, enhanced initial command-and-control
22 activities for challenges to core cooling and containment, enhanced
23 response strategies for challenges to core cooling and containment.

24 The specific strategies covered in the NEI-06-12 Revision 2
25 were developed based on the results of assessments conducted at

1 currently licensed power reactor facilities. These assessments were for
2 the purpose of enhancing plant-specific mitigation capability for damage
3 conditions caused by a large explosion or fire. NRC staff observed each
4 of these assessments. The specific strategies covered in NEI-06-12
5 Revision 2 are informed by the results of Classified and Safeguards
6 studies performed by the NRC as a result of interaction between the NRC
7 and the nuclear industry following the issuance of the ICM order.

8 The NRC staff reviewed several draft versions of NEI-06-12
9 Revision 2, and our comments are reflected in the final version endorsed
10 by the NRC.

11 Revision 3 of NEI-06-12 includes the guidance approved for
12 the implementation of NEI-06-12 Revision 2 at current operating
13 facilities. In addition, Rev 3 provides guidance and the reporting
14 template for new power plant applicants and licensees to assist them in
15 complying with the requirements in Section 50.54(hh)(2) and in Section
16 52.80(d). Indeed, Rev 3 of NEI-06-12 provides additional general
17 guidance for developing strategies that utilize unique design features
18 in new reactors such as passive core cooling systems, physical
19 separation of redundant safety features and robust fire barriers.

20 The NRC staff reviewed several drafts of NEI-06-12 Rev 3, and
21 our comments are reflected in the final version endorsed by the NRC.

22 A team of individuals knowledgeable and experienced in
23 matters pertaining to LOLAs was assigned to the Vogtle LOLA review. The
24 team included two individuals, Glenn Kelly and myself, who were members
25 of the original task force assigned to review implementation of the ICM

1 order at operating reactors. We participated in NRC independent
2 assessments of strategies for maintaining or restoring spent-fuel pool
3 cooling at operating plants, NRC oversight of industry efforts to
4 develop strategies and guidance to address LOLA events at operating
5 plants and technical review of actions on the part of licensees to close
6 out Phases II and III of implementation of the ICM order.

7 We also contributed to the development of guidance for these
8 activities and were members of the NRC team that reviewed NEI-06-12
9 Revisions 2 and 3 as they were developed.

10 In addition, two members in the Vogtle LOLA team, Dennis
11 Andrukat and myself participated in the development of guidance for
12 complying with the aircraft impact assessment rule in 10 CFR 50.150 in
13 the staff's procedures for inspecting the aircraft impact assessments.

14 Can I have slide 12, please?

15 The staff issued more than 90 requests for additional
16 information to the applicant pertaining to a LOLA review. This large
17 number of questions was a result of the applicant submitting that
18 portion of its combined license application that addresses LOLA
19 requirements prior to the staff completing its guidance for submitting
20 information to address LOLA requirements, including guidance on the
21 necessary level of detail.

22 The questions that were asked of the applicant generally
23 resulted in three types of responses: clarifications, commitments and
24 significant changes. Questions that resulted in clarifications
25 generally asked the applicant to provide more detail about a mitigative

1 strategy in order for the staff to ensure the adequacy of the proposed
2 strategy. For example, the staff asked for clarification about the
3 specific locations or equipment; for example radios, portable pumps,
4 firefighting equipment, will be stored and mustering locations for
5 onsite and offsite responders.

6 Questions resulting in commitments asked the applicant to
7 provide a commitment to perform an action that was best taken closer to
8 the completion of Vogtle but prior to initial fuel load. For example,
9 the applicant was asked to commit to include details in plant procedures
10 and guidance for fire brigade staging and dress-out areas, to perform
11 pre-operational tests and to label LOLA-specific equipment as such.

12 Finally, in some instances, staff questions resulted in
13 significant change in the mitigative strategy in the application that
14 was submitted by the applicant. For example, as I will explain in
15 greater detail later in the presentation, a significant change was made
16 to the spent-fuel pool cooling strategy in Vogtle's application as a
17 result of questions asked by the staff. Many of the questions resulted
18 in the applicant making revisions to the application that was initially
19 submitted.

20 The staff's safety evaluation is documented in the final
21 safety evaluation report as appendix to Chapter 19 of the report.
22 Appendix 19A contains the following: a summary of information provided
23 by the applicant in accordance with Section 52.80(d), the regulatory
24 basis for the staff's review, a description of the staff's evaluation, a
25 description of the associated plant-specific license conditions and

1 expected post combined license activities and the staff's overall
2 conclusion. The detailed descriptions of the applicant's strategies and
3 guidance and the details of the staff's technical review of the
4 strategies and guidance are included in the attachment to Appendix 19A.
5 The information in the attachment is sensitive and unclassified non-
6 safeguards information, which is withheld from the public under 10 CFR
7 2.390(d).

8 This format is similar to the format of safety evaluation
9 reports that document the staff's bases for concluding that licensees
10 for operating reactor facilities complied with the ICM order and now
11 comply with 50.54(hh)(2).

12 I will now summarize the staff's review of several important
13 issues. NRC inspections for compliance with the ICM order at licensed
14 power reactor facilities in 2008 have shown that to successfully
15 implement some mitigation strategies, diverse pieces of equipment such
16 as fire hoses or electrical devices that may not regularly be connected
17 or tested must be connected.

18 The inspection has also revealed that the quality of
19 procedures in performing these operations varied widely. In light of
20 the information from these inspections, the staff ensured that the
21 applicant had a plan to perform a walkthrough, either by simulation or
22 actual performance of the step -- of the steps in each procedure to
23 provide assurance that the procedure implemented the strategy correctly
24 and the steps could be accomplished in the time required.

25 Also during inspections at licensed power reactor facilities

1 in 2008, the NRC staff found that some licensees had not established a
2 maintenance program for equipment relied upon to implement mitigative
3 strategies. With that in mind, the staff ensured Vogtle's application
4 discussed maintenance of equipment relied upon for LOLA mitigative
5 strategies.

6 In summary, their approach is maintenance activities for
7 equipment used in mitigation strategies that's also used to support
8 plant operations will be covered by established maintenance and testing
9 requirements for the systems that include this equipment. Additional
10 maintenance activities will be developed to cover equipment that is only
11 used to support LOLA mitigative strategies and not used otherwise to
12 support plant operations. The maintenance activities will include
13 periodic surveillance checks, start-and-run checks and flow tests.

14 Initially, the applicant's submittal stated that the
15 operational programmatic aspects of responding to LOLA events would be
16 addressed in facility procedures prior to fuel load. Staff agreed with
17 this implementation schedule but felt that it should be more strongly
18 enforced through a plant-specific license condition because of an
19 importance of showing that procedure and equipment from a -- mitigating
20 a LOLA event were in place and had been inspected by the NRC prior to
21 irradiation of fuel in the reactor.

22 The staff asked the applicant to propose a draft license
23 condition to be added to part 10 of the Vogtle combined license
24 application for the purposes of establishing an implementation schedule.
25 In response, the applicant proposed license condition establishes a

1 schedule for completing prior to initial full load full implementation
2 of the operational and programmatic elements of responding to a LOLA
3 event.

4 Spent-fuel pool cooling was the most significant technical
5 issue that arose during the staff's review. This was a result of the
6 applicant deviating from NRC guidance for addressing spent-fuel pool
7 cooling. The staff needed to evaluate the applicant's proposed
8 alternative strategy to determine if it was acceptable and met the
9 regulatory requirements. Initially, the applicant submittal said that
10 the dispersal of hot fuel, as described in NRC guidance documents, was
11 not necessary for Vogtle because of unique features in the design that
12 relied -- design relied upon to mitigate a LOLA event.

13 The staff questioned a number of technical aspects of this
14 approach and asked the applicant to consider dispersing the hot fuel as
15 a Defense-in-Depth measure. In response, the applicant proposed an
16 alternative strategy that did not -- excuse me -- did not involve
17 dispersal of hot fuel because of design-related constraints on the pool
18 loading patterns. The applicant enhanced spent-fuel pool spread
19 capability to compensate for the departure from the guidance. The
20 applicant provided an analysis that showed that the alternative strategy
21 could provide adequate cooling for all the fuel stored in the spent-fuel
22 pool.

23 After several meetings between the applicant and the staff
24 and satisfactory responses to several requests for additional
25 information, the staff found that the proposed spent-fuel pool cooling

1 strategy met the regulatory requirements of Section 50.54(hh)(2) and was
2 therefore acceptable.

3 Can I have slide 13, please.

4 Staff concluded that with the revisions made to the
5 application and the enhanced design features discussed in both, the
6 applicant adequately satisfied the guidance provided in ISG 16 and
7 provided sufficient information, including commitments made in the
8 application, to meet the requirements of Section 52.80(d). This
9 provides a reasonable assurance that the requirements of Section
10 50.54(hh)(2) will be met prior to initial fuel load at Vogtle.

11 Thank you for your attention. This concludes my presentation
12 of LOLA, and I will now turn it over to Ravi Joshi.

13 RAVINDRA JOSHI: Thank you, Mark.

14 Slide 14, please.

15 Once again, this is Ravi Joshi. I will be presenting the
16 staff review of Vogtle's COL Chapter 15.

17 Next slide, please.

18 This table describes the scope of the staff review of Chapter
19 15. In the next slide, we will summarize the staff's review of plant
20 calorimetric uncertainty methodology and --

21 Next slide, please.

22 The Design Basis Radiological Consequences analyses found in
23 Section 15A.

24 Next slide.

25 The AP1000 DCD assumes a 2 percent power uncertainty for the

1 initial conditions for most transients and accidents. However, the DCD
2 assumes a 1 percent power uncertainty for the initial reactor power for
3 the large break LOCA. Westinghouse introduced a related new COL
4 information item in the AP1000 DCD. The information item states that:
5 following selection of the actual plant operating instrumentation and
6 calculation of the instrumentation uncertainties of the operating plant
7 parameters prior to fuel load, the Combined License holder will
8 calculate primary power calorimetric uncertainty. The calculations will
9 be completed using an NRC acceptable method and confirm that the safety
10 analysis primary power calorimetric uncertainty bounds the calculated
11 value.

12 The applicant submitted information regarding this item. The
13 applicant stated the plant operating instrumentation for feedwater flow
14 measurement would be the Caldon/Cameron LEFM CheckPlus system, also
15 known as the Caldon system and referenced the NRC staff's SE that
16 approved the Caldon topical report ER-157P.

17 The NRC staff has previously approved several plant
18 applications of the Caldon system to support a power measurement
19 uncertainty lower than 1 percent. This AP1000 COL information item
20 supports the 1 percent power uncertainty. The staff's review herein
21 focused on ensuring that the generically approved Caldon topical reports
22 are properly implemented for Vogtle. The NRC staff verified compliance
23 with the applicable conditions in the staff's SE for the topical
24 reports. The staff's review also confirmed that appropriate license
25 conditions, and ITAAC, were established for verifying the installation

1 and ensuring proper administrative controls.

2 Next slide, please.

3 Design Basis Radiological Consequences analyses. In this
4 slide I will discuss another issue that remained for the COL applicant
5 to address. The applicant incorporated by reference the Design basis
6 accident, or DBA, dose analyses from the AP1000 DCD, by showing the
7 site-specific input to the analyses is bounded by the assumption in the
8 AP1000 DCD. This information was provided in support of compliance with
9 offsite dose requirements in 10 CFR 52.79(a)(1), and the control room
10 dose criterion in GDC 19. In addition, the applicant provided the
11 technical support center, TSC, habitability analysis which was reviewed
12 by the staff in staff's FSER Section 13.3.

13 Next slide, please.

14 The estimated DBA dose calculated for a particular site is
15 affected by the site characteristics through the calculated atmospheric
16 dispersion, which is known as x/Q , input to the analysis; therefore,
17 depending on the x/Q values, the resulting dose for each site would be
18 different than that calculated generically for the AP1000 design in the
19 DCD. However, all other inputs and assumptions in the COL rad
20 consequences analyses remain the same as in the DCD. Smaller x/Q values
21 are associated with greater dilution capability, resulting in lower
22 radiological doses. When comparing a DCD site parameter x/Q value and a
23 site characteristic x/Q value, the site is acceptable for the design if
24 the site characteristic value is smaller than the site parameter value.
25 Such a comparison would show that the site has better dispersion

1 characteristics than that required by the reactor design.

2 For each of the DBAs, the Vogtle site-specific x/Q values for
3 each time averaging period, are indeed less than the comparable design
4 reference x/Q values, used by Westinghouse in the AP1000 DCD rad
5 consequences analyses.

6 Since the result of the rad consequences analysis for a DBA
7 during any time period for radioactive material release from the plant
8 is directly proportional to the x/Q for that time period, and because the
9 Vogtle site-specific values are less than comparable AP1000 DCD design
10 reference values for all time periods and all accidents, then the Vogtle
11 site-specific estimated total dose for each DBA is, therefore, less than
12 the AP1000 DCD estimated dose.

13 Because the estimated doses for Vogtle are less than the
14 AP1000's offsite and control room rad consequences, which have already
15 been found to meet the regulatory dose requirements of 10 CFR
16 52.47(a)(2) and GDC 19, the staff concluded that Vogtle meets the
17 applicable requirements as well. Denise McGovern will cover the Chapter
18 7.

19 DENISE MCGOVERN: Hello once again. I will be presenting the
20 staff's review of the Vogtle COL Chapter 7, "Instrumentation and
21 Control," or I&C, specifically the information incorporated by reference
22 from the AP1000 DCD. This information will be resolved in the scope of
23 the AP1000 design certification rulemaking, so we discuss here solely to
24 provide context for the COL review.

25 Next slide, please.

1 The AP1000 DCD describes the I&C for the reactor that
2 includes the protection system as well as normal operational controls.
3 I will discuss one of the systems in more detail shortly but first
4 wanted to give a very brief overview of the protection and safety
5 monitoring system, or PMS. There are four divisions within the PMS,
6 each with its own sensors for parameters such as power, pressure, et
7 cetera. A two out of four voting logic actuates the system to initiate
8 protective action. The system uses the common-qualified, or Common Q,
9 platform. The Common Q is a computer system consisting of a set of
10 commercial-grade hardware and previously developed software components.
11 It also contains design-specific application software.

12 The PMS initiates a reactor trip when the logic detects a
13 condition requiring shutdown. Similarly, it actuates engineered
14 safeguards such as containment isolation, passive core cooling and
15 passive containment cooling when conditions require it. The system also
16 provides the means to monitor the plant's post-accident conditions in
17 the control room. The amendment to the AP1000 design certification
18 included more design detail about the I&C system, which allowed design
19 acceptance criteria, or DAC, to be removed.

20 Next slide, please.

21 The PMS is a digital system. In the original AP1000 design
22 certification, the NRC required Westinghouse to provide a diverse
23 actuation system, or DAS, that functions independently of the PMS to
24 initiate protective actions to address common-cause failures of the
25 digital PMS. The DAS is a non safety-related, diverse backup system to

1 the fully redundant and independent PMS. The DAS system has two modes
2 of operation -- automatic and manual. The automatic actuation is by a
3 two-out-of-two logic. The automatic mode actuates reactor and turbine
4 trips, initiates passive residual heat removal, actuates core makeup
5 tanks and trips the reactor coolant pumps. Which actuations occur
6 depend upon the signal that actuates the system and therefore which
7 functions are needed.

8 Manual mode is implemented by hardwiring the controls located
9 in the main control room directly to the final loads in a way that
10 completely bypasses the PMS cabinets and the DAS automatic logic.

11 Next slide, please.

12 The manual mode can actuate the opening of automatic
13 depressurization valves and initiate in-containment refueling water
14 storage tank injection and containment recirculation. The manual mode
15 can also initiate the actuations found in the automatic mode. The
16 manual mode of DAS is administratively controlled by technical
17 specifications, or tech-specs, with a 30-day completion time. It is
18 included in the tech-specs because of the risk-reduction role that it
19 was credited as part of the focused PRA conducted for the regulatory
20 treatment of non-safety systems or RTNSS.

21 Availability controls are another aspect of RTNSS. They
22 restrict entry into various operating conditions unless specific --
23 specified equipment is available. The automatic mode is covered by
24 availability controls with a 14-day time period. With the two-out-of-
25 two logic, if maintenance or testing must be performed on the automatic

1 DAS, that feature is unavailable.

2 Next slide, please.

3 In reviewing the AP1000, the ACRS expressed concerns that
4 there are no explicit provisions prohibiting both the manual mode and
5 the automatic mode from being out of service at the same time. In its
6 response to the ACRS concern, the staff noted that the requirements of
7 10 CFR50.65(a)(4) to perform risk assessments prior to taking equipment
8 out of service would limit the length of time both the manual mode and
9 the automatic mode could be simultaneously out. In addition, the staff
10 found that the likelihood to be low of a common-cause failure of PMS an
11 event and both DAS manual and automatic functions being unavailable at
12 the same time.

13 However, in its May 2011 response, the ACRS reiterated its
14 concern, adding that the 30-day completion time was too long. The staff
15 responded to the ACRS and restated its basis for concluding that the
16 current requirements, which date from the initial certification, were
17 acceptable. In particular, the staff noted that the DAS manual control
18 tech-spec completion time was consistent with regulatory practice for a
19 non-safety system that provides backup features for a safety-related
20 protection system.

21 As I mentioned before, most of the I&C information in the
22 Vogtle FSAR Chapter 7, including the content I just summarized, is
23 incorporated by reference. Therefore, there are no site-specific topics
24 of interest.

25 And now Ravi will conclude this panel presentation with the

1 overview of Chapter 8.

2 RAVINDRA JOSHI: Thank you, Denise. Slide 25, please.

3 We will be presenting the staff review of the Vogtle Chapter
4 8, Electric Power, beginning with the Overview of Chapter 8, then site-
5 specific areas of interest. Next slide, please.

6 This table describes the scope of the staff's review of
7 Chapter 8. In next slides, we will summarize staff's review of each of
8 the topics.

9 Next slide, please.

10 Vogtle Unit 3 is connected to the Units 1, 2 and 3, via
11 230/500 kV kilovolt switchyard at the 230 kV level. Vogtle Unit 4 is
12 connected to an independent 500 kV switchyard. If we go the next slide
13 just for a minute or so, I will describe the switchyard configuration.

14 This slide shows a simplified diagram of the 3 switchyards
15 onsite. Vogtle Unit 3 is connected to the Units 1, 2 and 3, 230/500 kV
16 switchyard at the 230 kV level. The 230/500 kV switchyard is connected
17 to the remainder of the Southern Balancing Authority Area, or SBAA,
18 transmission grid via 5, 230 kV and one, 500 kV transmission line. There
19 are two 500 kV tie lines connecting the 230/500 kV Units 1, 2 and 3
20 switchyard with the Unit 500 kV switchyard.

21 Vogtle Unit 4 is connected to an independent 500 kV
22 switchyard. The Unit 4 500 kV switchyard is connected to the remainder
23 of the SBAA transmission grid via two, 500 kV transmission lines. The
24 reserve auxiliary transformers of Units 3 and 4 are connected to a
25 different 230kV switchyard by two overhead transmission lines.

1 Now let's go back to the previous Slide 27.

2 The results of the applicant's grid stability analysis
3 indicated that loss of the largest generating capacity being supplied to
4 the grid, loss of largest load from the grid, and loss of the most
5 critical transmission line will not cause grid instability. This
6 analysis is to satisfy the AP1000 DCD interface requirement that the
7 reactor coolant pump bus voltage will remain above the voltage necessary
8 to maintain the flow assumed in the Chapter 15 analyses for a minimum of
9 3 seconds following a turbine trip as specified in DCD Section 8.2.

10 The results of the COL applicant's grid stability studies
11 performed for each available connection to an offsite power supply,
12 demonstrate the adequacy of the offsite power source capacity and
13 capability to power plant components during shutdown, startup, and
14 turbine trip conditions.

15 The NRC staff has found this information is sufficient to
16 demonstrate that as specified in the DCD, the grid will remain stable to
17 maintain reactor coolant pump operation for three seconds following a
18 turbine trip.

19 Now that we are finished with the offsite power topic let's
20 go to the next two slides for the next topic. Slide 29:

21 This slide addresses the topic of monitoring underground or
22 inaccessible cables. In an RAI, the staff asked the applicant to include
23 a inspection, testing and monitoring program, to detect degradation of
24 inaccessible or underground control and power cables, that support
25 equipment and other systems that are within the scope of 10 CFR 50.65,

1 also known as the maintenance rule.

2 In response to that RAI, the applicant stated that the
3 Maintenance Rule program will not be implemented until prior to fuel
4 load; as such, specific information necessary to determine appropriate
5 inspections, tests and monitoring is not yet available. However, the
6 applicant also stated that the latest industry experience and other
7 available information, including NUREG CR-7000, will be followed in
8 developing a cable condition monitoring program, as part of the
9 Maintenance Rule program. The applicant also revised its FSAR to include
10 condition monitoring of underground or inaccessible cables in its
11 Maintenance Rule program.

12 The staff concludes that the applicant's commitment to
13 implement a condition monitoring program for underground or inaccessible
14 cables is acceptable. Next slide, please.

15 This slide addresses offsite power system ITAAC. 10 CFR 52.79
16 (d) and 52.80(a) require ITAAC for the site-specific systems. However,
17 the applicant initially did not provide an ITAAC for its offsite power
18 system. In a response to the staff's RAI, the applicant included such
19 an ITAAC which provides that the as-built offsite portion of the power
20 supply, from the transmission network, that interfaces with plant onsite
21 power, will be verified to perform as designed. The staff concluded that
22 the applicant meets the applicable NRC requirements.

23 Next slide, please.

24 Our final topic relates to a departure from the DCD. The
25 AP1000 DCD Section 8.3, states, that the Class 1E voltage regulating

1 transformers are designed to limit the input AC current to an acceptable
2 value under faulted conditions, on the output side. However, the
3 applicant clarified, that the voltage regulating transformers do not
4 have active components to limit current.

5 The applicant revised its application to include a departure,
6 clarifying the current limiting feature of voltage regulating
7 transformers. The applicant stated that the voltage regulating
8 transformer, in combination with fuses and, or breakers, will interrupt
9 the input or output current under faulted conditions on the output side.
10 The staff reviewed the justification for the departure and found it
11 acceptable because the isolation function provided by use of the
12 breakers/fuses for regulating transformers is consistent with criteria
13 for independence of electrical safety systems. This concludes the
14 Staff's presentation for Panel 3.

15 CHAIRMAN JACZKO: Well, thank you very much for the very
16 thorough discussion of a number of issues. I wanted to turn to two
17 questions, actually, I have. Both these are for the applicant. And I
18 think the first question -- and maybe it gets back to an issue that
19 Commissioner Ostendorff had raised, I think in early onset in the
20 overview panel but I think is relevant in this section as well. And
21 that gets to the external hazard from flooding. I believe -- I think
22 the comment was made in the beginning that the river flooding level and
23 the maximum river flooding level is 219 feet on the site. Is that --

24 AMY AUGHTMAN: No.

25 WESLEY SPARKMAN: The river water is, I think, 178 feet, is

1 that correct?

2 AMY AUGHTMAN: Yes.

3 CHAIRMAN JACZKO: Okay, then what was the -- was there a 200

4 --

5 AMY AUGHTMAN: That was the local intense precipitation.

6 CHAIRMAN JACZKO: Okay, the local intense precipitation on

7 the --

8 AMY AUGHTMAN: On the site itself.

9 CHAIRMAN JACZKO: On the site, oh, okay. That was not the
10 river level flooding to -- okay, thank you. That clarifies that. The
11 other question I had for you is also that the -- when it comes to
12 station blackout coping time -- and again, getting back to operating
13 experience. INPO has put out some guidance on operating experience
14 related to station blackout coping times. Is that something that you've
15 incorporated at this point or plan to address in some way, shape or form
16 for units three and four? Do you have a sense of how you intend to
17 handle that?

18 EDDIE GRANT: You know, that actually would be part of the
19 design for the AP1000. And, of course, they're capable of dealing with
20 loss of offsite power for 72 hours.

21 CHAIRMAN JACZKO: So I think the INPO recommendation was for
22 24 or something like that. So your sense would be that they -- you
23 satisfy that --

24 EDDIE GRANT: We believe they do, yes.

25 CHAIRMAN JACZKO: Thanks. Let me turn to -- there are a

1 number of -- and this is for the staff -- there are a number of license
2 conditions -- there were really three of them that stood out to me a
3 little bit -- having to do with the as-built plants and kind of final
4 walk-downs, one of them related to seismic margin analysis; the other
5 one was related to PRA; and the last one was internal fire and internal
6 flood analyses. Could you give me a sense of what the purpose of those
7 specific license conditions were or is -- or are?

8 RAVINDRA JOSHI: I'll ask Malcolm Patterson.

9 CHAIRMAN JACZKO: Sure. They seem to be related to the
10 external hazards and the PRA, in Chapter 19 issues. I'm not sure if
11 they're related to things that came out of that review or --

12 MALCOLM PATTERSON: Yes, sir, indirectly. I'm Malcolm
13 Patterson. I'm a reliability and risk analyst in the Office of New
14 Reactors. I was the lead reviewer for PRA related matters on Vogtle and
15 I had a similar role for the D.C. amendment. The important thing about
16 these walk-downs is, I think, they are walk-downs, we need an as-built
17 plant to be able to perform them and they are to confirm that the
18 assumptions that were made at the time the license is granted remain
19 valid. They are very discipline specific. They require teams of
20 experts with experience in these particular areas who travel about the
21 plant and examine the particular things that we think we know when we
22 license the design. We think we know that these things will be correct
23 but they need to be confirmed because they're very subtle.

24 CHAIRMAN JACZKO: Given that, how does the staff intend to
25 handle -- and I don't know when these are required -- these are some

1 time before fuel load, or prior to fuel load. Is there a time period
2 before fuel load that these are to be done?

3 MALCOLM PATTERSON: It's not specified.

4 CHAIRMAN JACZKO: So when does the staff anticipate that
5 these will be done then?

6 MALCOLM PATTERSON: The staff thinks these will be done
7 fairly close to fuel load because so much of the plant needs to be in
8 place to be able to determine that the seismic margin analysis, for
9 example, is maintained.

10 CHAIRMAN JACZKO: And what if it's not? What's the path
11 forward at that point then?

12 MALCOLM PATTERSON: The licensee will have to correct the
13 problem.

14 CHAIRMAN JACZKO: Is there right now a clearly defined way to
15 do that? Or would that essentially -- I mean, does the staff have a
16 clear methodology to determine whether that condition is met or what,
17 kind of -- we'll know it when we see it? Or --

18 MALCOLM PATTERSON: I think that it will be clear that the
19 conditions are met; it would be a surprise when they aren't but we will
20 be on the alert for it. I know there have been problems in operating
21 reactors. That's the reason we're doing this kind of walk down. So we
22 do know how to identify these things and we do know how to correct them.

23 CHAIRMAN JACZKO: Ravi, did you want to add anything?

24 RAVINDRA JOSHI: I just want to add that for each of the
25 individual license conditions they do have implementation milestones

1 like fuel (unintelligible).

2 CHAIRMAN JACZKO: Okay.

3 RAVINDRA JOSHI: Sorry about that.

4 CHAIRMAN JACZKO: No problem. Thank you. And then last
5 question: The ACRS was in a very different place on the 30 days for the
6 allowed or the limited condition for operation for actuations, I guess,
7 for the manual mode. They were looking at something closer to 72 hours.
8 Can you give me a sense of why there's significant difference? And
9 again, if you could --

10 RAVINDRA JOSHI: Can we try to get Terry Jackson?

11 CHAIRMAN JACZKO: Okay.

12 WHEREUPON,

13 TERRY JACKSON

14 was called as a witness for the Nuclear Regulatory Commission and,
15 having been previously duly sworn, assumed the witness stand, was examined and
16 testified as follows:

17 TERRY JACKSON: Yes, my name is Terry Jackson, I'm the chief
18 of the instrumentation and controls branch in the Office of Nuclear
19 Reactors. My staff was responsible for a review of the Vogtle I&C
20 designs as well as the AP1000 I&C design. Yes, we did have several
21 interactions with ACRS on the Tech specs allowed outage time for the DAS
22 manual actions as well as the investment protection controls for
23 automatic DAS functions.

24 The ACRS concern was that they saw that both the DAS manual
25 and the DAS automatic could potentially be out of service at the same

1 time so they had concern that if they didn't have that function, then --
2 and you had a software common cause failure --

3 CHAIRMAN JACZKO: Just focus specifically on why there is
4 such a big discrepancy. The staff has come through with 30 days; ACRS
5 has come through I think with only 72 hours, which is three days?

6 TERRY JACKSON: I think the 72 hours is more comparable to a
7 safety related front-line primary protection system from the staff's
8 point of view. And a 30 day is more for a non-safety system to just
9 provide the backup function. So that was from the staff's point of view
10 as we understood it. And that's basically what I can say about it.

11 CHAIRMAN JACZKO: Okay, thank you. I appreciate it.

12 Commissioner Svinicki

13 COMMISSIONER SVINICKI: My first question I'll direct to one
14 of the applicant's witnesses and the applicant's Slide 9 mentions the
15 ITAAC related to offsite power interface requirements. The staff also
16 covered this topic and stated that the applicant did not propose this
17 but as a result of a request for additional information, the applicant
18 developed ITAAC related to off-site power interface requirements.

19 I would like to ask an applicant witness to describe
20 generally what -- generally describe the ITAAC that were ultimately
21 developed and if you could talk about if there's anything relevant in
22 terms of back and forth with the staff and the ITAAC getting into the
23 final form that it was ultimately accepted as.

24 AMY AUGHTMAN: Okay. This is Amy. I'll briefly describe the
25 ITAAC itself and then Eddie Grant may be able to help with some of the

1 history of the interactions and how it did get into the application.

2 Again, there are six design commitments that were
3 established. Most of them have to do, again, with interfacing with the
4 off-site circuits. And, for example, this first one is a minimum of one
5 off-site circuit supplies electric power from the transmission network
6 to the interface with the on-site AC power system.

7 I guess I could also remind that the AP1000 DCD did receive -
8 - I believe it's characterized as a partial exemption from GDC-17 which
9 would require that you have two sources of off-site power. And what
10 that exemption did for the DCD was to allow for one off-site source.
11 And so that's one of the design elements as well is that there be a
12 confirmation for at least one off-site source. And then, as was also
13 touched on, there is a design commitment for the reactor coolant pumps
14 to continue to receive power from either the main generator or the grid
15 for a minimum of three seconds following a turbine trip.

16 In terms of interactions with the staff, there was a series
17 of RAIs and phone calls and in the end we listened to the staff's
18 concerns and agreed to include the ITAAC. I don't know if Eddie has
19 more to add.

20 EDDIE GRANT: I would ask if that's sufficient and if it's
21 not, I can elaborate.

22 COMMISSIONER SVINICKI: No, no, that's fine. Thank you.
23 That's helpful.

24 This question is directed to the staff, I think, to Mark,
25 probably. You discussed the fact that there are strategies to address

1 loss of large areas which require a demonstration. My question revolves
2 around really how the commitment is memorialized or tracked in terms of
3 the COL. There was reference to plant specific license conditions and
4 that may be the answer to the question. But I'm interested in maybe a
5 bit more into the mechanics of how and when and just the mechanics of
6 these demonstrations and anything at a high level you can describe
7 there.

8 MARK CARUSO: Yes. Mark Caruso of the staff. The
9 commitments that the applicants made will be tracked by them and using
10 the same commitment tracking system, management system that was
11 discussed before. Now when you said demonstration, were you talking
12 about like the walk-down simulation?

13 COMMISSIONER SVINICKI: Yes. I think that equipment
14 walk-throughs or walk-downs was something -- you used I think a few
15 different terms to refer to them -- but basically you talked about
16 strategies to address loss of large area and there was some use of the
17 term demonstrations. I don't know if that's just you're going to
18 observe an evolution by the applicant or how you're going to go about
19 that and what the time frame for doing that would be.

20 MARK CARUSO: Well they had made commitments in a number of
21 areas to actually walk through the strategy, walk through the procedure
22 after the development to make sure that they can implement it. And
23 especially if there's -- if it's time sensitive it's very important to
24 go through it, make sure you can see it, you can connect this to that
25 and do these things. In some cases, they said, well, if doing that

1 would involve creating a hazardous condition and are actually violating
2 requirements like blocking open fire doors, that they would do a
3 simulated version of it which is, well, maybe they would go to the
4 building and go as far as they can go and then say, okay, now we'll go
5 up these stairs and do this and can I do that in a certain amount of
6 time.

7 So those are commitments and to do those things we will --
8 when we do an inspection we will examine what they've done and what
9 they've found in those activities. The only other thing I might mention
10 is that we did impose a license condition for them to maintain their
11 program so that, as time goes on, these things are continued. That the
12 things it takes to make sure the program is always up to snuff and they
13 can implement the strategies effectively. Needs to continue and this
14 provides us some additional, if you will, ability to enforce that.

15 COMMISSIONER SVINICKI: Okay. Thank you, that's helpful.
16 And just to be sure I understood, on staff Slide 27 there is reference
17 in the second bullet to Unit Four connected to a different 500 kV
18 switchyard. Is that a switchyard yet to be constructed or does that
19 exist now? I wasn't sure, by the way this was written here -- I'm
20 talking about the second bullet on staff Slide 27.

21 RAVINDRA JOSHI: Can we ask Tania to expand on that one?

22 COMMISSIONER SVINICKI: Okay.

23 WHEREUPON,

24 TANIA MARTINEZ-NAVEDO

25 was called as a witness for the Nuclear Regulatory Commission and,

1 having been previously duly sworn, assumed the witness stand, was examined and
2 testified as follows:

3 TANIA MARTINEZ-NAVEDO: My name is Tania Martinez-Navedo. I'm
4 an electrical engineer in the Office of New Reactors. I'm already sworn
5 in. The 500 KV switchyard to which our Unit 4 is connected to it would
6 be a new switchyard.

7 COMMISSIONER SVINICKI: Okay, thank you, Tania. Thank you,
8 Mr. Chairman.

9 CHAIRMAN JACZKO: Commissioner Apostolakis.

10 COMMISSIONER APOSTOLAKIS: Thank you, Mr. Chairman. I'm
11 trying to understand how the seismic margin analysis was done. The
12 applicant mentioned that the review level earthquake was .44G. And I
13 understand the DCD has .5G as a review level earthquake. Is that true?

14 MALCOLM PATTERSON: Malcolm Patterson again. The seismic
15 margin analysis is performed with a 0.5G earthquake.

16 COMMISSIONER APOSTOLAKIS: That's -- but the applicant says
17 .44 for the site.

18 MALCOLM PATTERSON: .44 is used as the GMRS and they have to
19 show margin of 1.67 times the GMRS as a minimum basis for concluding
20 that the AP1000 seismic margins still apply is that the inside -- sorry
21 - in-structure response spectra for the GMRS of 0.44 produces actually a
22 lower excitation than the CSDRS.

23 COMMISSIONER APOSTOLAKIS: 1.67. or .44?

24 MALCOLM PATTERSON: That's correct.

25 COMMISSIONER APOSTOLAKIS: So what is the SSE?

1 MALCOLM PATTERSON: The SSE for Vogtle is the GMRS.

2 COMMISSIONER APOSTOLAKIS: .44. Is that too high for the
3 eastern United States? Go ahead.

4 BRET TEGELER: Maybe I can add just a point -- Bret Tegeler
5 again, structural engineering. I assisted with the seismic margin
6 evaluation. The .44 does incorporate the 1.67 so the --

7 COMMISSIONER APOSTOLAKIS: So the SSE is .26?

8 BRET TEGELER: Right. And so -- and that's the reason that
9 the IBR, that the margin for the DC, if you will, is covering the Vogtle
10 site.

11 COMMISSIONER APOSTOLAKIS: But you did check the fragilities
12 for the components that were in the frequency --

13 BRET TEGELER: Absolutely, absolutely. It was all done
14 through the SSI process.

15 COMMISSIONER APOSTOLAKIS: So the applicant did not do an
16 SMA, is that correct?

17 BRET TEGELER: They did, they did.

18 COMMISSIONER APOSTOLAKIS: The DCD, is that correct?

19 BRET TEGELER: The applicant looked at the incorporated by
20 reference the plant specific elements. The site specific elements such
21 as the assessment of liquefaction and bearing capacity overturning and
22 sliding stability, they was assessed separately. And they computed
23 factors of safety based on comparison to the review of our earthquake
24 and the demand of the site.

25 COMMISSIONER APOSTOLAKIS: And also my understanding is that

1 the SSE with .26g was not determined using the probabilistic seismic
2 hazard analysis. Is that correct? Is that what you said earlier?

3 BRET TEGELER: The 0.26 is coming -- that is the GMRS that is
4 coming from the PSHA.

5 COMMISSIONER APOSTOLAKIS: Oh, it does?

6 BRET TEGELER: It does. For the standard design that is a
7 deterministic analysis and that is not reflective of the PSHA but the,
8 again, the Vogtle GMRS --

9 COMMISSIONER APOSTOLAKIS: It is site specific.

10 BRET TEGELER: Yes.

11 COMMISSIONER APOSTOLAKIS: And it's a result of the PSHA?

12 BRET TEGELER: Yes.

13 COMMISSIONER APOSTOLAKIS: Thank you. I don't know if this
14 is appropriate for here. I went back to the FSAR and started reading
15 the SMA description and I can't quite follow it, the cyclical
16 statements. For example, it says for site specific conditions the
17 review level earthquake is 1.67 times VEGP GMRS, where the VEGP site
18 specific review level earthquake is 1.67 VEGP GMRS. I don't understand
19 that. I mean, somebody was cutting and pasting from the word processor
20 because this doesn't make sense. Now I don't know if that's relevant to
21 this review, but I couldn't let it go.

22 BRET TEGELER: Do you want an answer, or do you -- ?

23 COMMISSIONER APOSTOLAKIS: Well, do you have access to the
24 FSAR right now? You don't. So if you want to go back to it, it's
25 section 19.55.6.3. The paragraph starts, "For site specific

1 conditions." Somewhere in the middle there.

2 Now on Slide -- well, maybe I have some questions for Lynn so
3 she can't be quiet. How is the PRA used in the review? Was it used at
4 all?

5 WHEREUPON,

6 LYNN MROWCA

7 was called as a witness for the Nuclear Regulatory Commission and,
8 having been previously duly sworn, assumed the witness stand, was examined and
9 testified as follows:

10 LYNN MROWCA: Well, the PRA is really part of the DC
11 application and the amendment and what the plant does, what Vogtle would
12 do, is adopt the design certification PRA as their plant specific PRA at
13 the time of application. And, since the DC covered the bounding values
14 for the external hazards then the applicant had to show that they were
15 within those bounding values.

16 COMMISSIONER APOSTOLAKIS: But it doesn't look like the PRA
17 affected the results of the other reviews, did it?

18 LYNN MROWCA: Can you give me an example?

19 COMMISSIONER APOSTOLAKIS: Everything that was presented
20 earlier with no reference to anything that came from the PRA.

21 LYNN MROWCA: You mean, external hazards, or --

22 COMMISSIONER APOSTOLAKIS: Yes, was it used there at all?

23 LYNN MROWCA: The PRA, when design changes were made, we did
24 look for impacts --

25 COMMISSIONER APOSTOLAKIS: So you were looking only in case

1 something extraordinary happened but as long as it was below some limit

2 --

3 LYNN MROWCA: For external hazards, yes.

4 COMMISSIONER APOSTOLAKIS: -- it was okay. And there will be
5 a site specific PRA before fuel loading?

6 LYNN MROWCA: Yes, at fuel load, requirement 50.71(h)(1).

7 COMMISSIONER APOSTOLAKIS: Would that -- would the results of
8 that be able to be submitted to the NRC?

9 LYNN MROWCA: Not submitted to the NRC. Currently we don't
10 have an inspection procedure. We do have the regulation that they have
11 that site specific PRA. I think a lot of the staff would think it's a
12 prudent thing to do. I think as regulators we can inspect what we need
13 to but we don't have an inspection procedure in place. And, if the
14 applicant, for instance, decides to implement some risk informed
15 initiatives by license amendment then we would want to make sure that
16 the PRA is technically adequate for those applications.

17 COMMISSIONER APOSTOLAKIS: So we will only look at it if they
18 come back and say we want to implement 50-69 or whatever.

19 LYNN MROWCA: But for instance, one example might be
20 maintenance rule, we will do a maintenance rule inspection prior to fuel
21 load and typically people use the PRA to support A-4 of the maintenance
22 rule. So as part of that we have, in the past, operating plants
23 performed an inspection of the PRA to some level.

24 COMMISSIONER APOSTOLAKIS: Thank you very much. I appreciate
25 it.

1 LYNN MROWCA: You're welcome

2 CHAIRMAN JACZKO: Mr. Magwood.

3 COMMISSIONER MAGWOOD: Thank you, Mr. Chairman. Let's start
4 with a couple of questions for the applicant: The -- we've talked a lot
5 about the 50.54(hh) equipment that you'll require for units three and
6 four. I haven't heard anything yet about how that program might be
7 integrated, if at all, with the program from Units 1 and 2. Is there
8 any exchange between those two?

9 WESLEY SPARKMAN: In my presentation I did talk about the
10 fact that for Phase 1 information -- excuse me -- we did take into
11 credit for a number of things that have been done on unit one and two.
12 However, for Phase 2 and Phase 3 they're written more specific to the
13 AP1000 design. And so things that would be applicable to one and two
14 are not necessarily applicable to three and four.

15 COMMISSIONER MAGWOOD: So does that mean that there might be
16 some common equipment shared between the four units?

17 WESLEY SPARKMAN: More on the lines of procedures and
18 strategies and MOUs with outside agencies. I don't know if there would
19 be shared equipment. Like for instance, a portable pump, we'd probably
20 have different portable pumps for the units as opposed to one that would
21 serve all four.

22 COMMISSIONER MAGWOOD: Okay, so really you'll be operating as
23 two separate sites, to some degree.

24 WESLEY SPARKMAN: To some degree.

25 COMMISSIONER MAGWOOD: The -- what is your expectation for

1 how you'll maintain the proficiency of the use of the equipment going
2 forward? For these two new units, have you laid out a plan of doing
3 drills or anything of that nature?

4 WESLEY SPARKMAN: Those procedures have yet to be developed.
5 However, similar to what's being done in unit one and unit two, for
6 systems and components that are utilized in normal operation we would
7 take advantage of the normal maintenance that's done on those systems
8 but for things that -- such as hoses or a portable pump or something
9 like that that would not be normally used in the normal course of
10 operation we would have an inspection and/or testing program that would
11 cover those things to insure that they are available. And then, also,
12 again walking through what it would take to actually implement those
13 particular strategies on a periodic basis.

14 COMMISSIONER MAGWOOD: Let me switch to the staff with that,
15 then just ask, what consideration does the staff give to assuring the
16 long term viability of their strategies and methodologies to respond to
17 a LOLA incident?

18 MARK CARUSO: I think for Vogtle 3 and 4, one point I would
19 make is that for the -- for the core cooling and containment cooling
20 strategies especially, as the applicant described, they relied primarily
21 on unit specific safety related equipment which will get treatment of
22 the maintenance rule and safety rule, the equipment does. For fuel pool
23 the design features are not -- they're not safety related and that would
24 come under their additional maintenance program.

25 For fire protection, the strategies are described and they

1 have made commitments. But as far as maintaining all the strategies as
2 time goes on, as I mentioned, we felt that our initial inspection would
3 be to have implemented these strategies appropriately to ensure their
4 effectiveness. But going forward to insure that stays the case, we've
5 established an additional license condition that specifically requires
6 it to maintain the program and we'll inspect against that as we need to.

7 COMMISSIONER MAGWOOD: Okay. A specific question for you:
8 What -- the applicant highlighted the fact that they have hard pipes
9 which, I assume, are in lieu of running hoses to the spent fuel pools.
10 Why are hard pipes better than running hoses to the spent fuel pools?
11 Because if you think about the sorts of instances that could happen,
12 particularly post Fukushima, you've got significant damage to the
13 building and I wonder if the hard pipes are actually a more robust
14 approach at the end of the day than simply having hoses that you can
15 take to wherever they need to go.

16 MARK CARUSO: Well, I think in general the feeling is if you
17 -- if you have damage inside the building or perhaps a large fire inside
18 the building, access to the deck could be limited. In their particular
19 case, what they've done and in fact this was something that the industry
20 came up with and incorporated in the guidance was to have connections on
21 the outside of the building on both sides of the building. So if you
22 had your large area on one side you still have the other side with quick
23 connect flanges so you can just -- it really reduces the dependence on
24 human action. You basically roll up to this thing and connect up your
25 pump and turn it on and you've got water.

1 Now, if you have an event that involves severe damage to the
2 building, you still have the ability to use fire hoses. They still have
3 fire hoses. They have fire hoses on the deck but I think -- in general
4 I think the feeling is that especially with one on each side of the
5 building that this is a better way to go than having to have a lot of
6 people involved and get inside the building and worry about access.

7 COMMISSIONER MAGWOOD: Fair enough. Just one quick question,
8 I think, for Denise. The -- you went through the discussion on external
9 hazards, external threats. Was -- did any of the analyses include the
10 combination of many of those or were they all looked at as individual
11 events?

12 DENISE MCGOVERN: And as a project manager I'm not a
13 technical expert on any of the so I will call on my "phone a friend".

14 MALCOLM PATTERSON: Malcolm Patterson again. For each one of
15 those events, the individual class of event was looked at separately
16 but, for example, in trying to determine the maximum flooding, many
17 different events likely to occur together were considered at the same
18 time. We were looking for the one times 10 to the minus six flooding
19 event. So you'll have in the evaluation of the flooding associated with
20 a hurricane, you'll have not only the precipitation but also the run up.
21 With high winds you might have a seiche at some other plant. But yes,
22 we do combine things in order to establish a low enough probability.

23 COMMISSIONER MAGWOOD: Thank you very much. Thank you,
24 Chairman.

25 CHAIRMAN JACZKO: Commissioner Ostendorff.

1 COMMISSIONER OSTENDORFF: Thank you, Mr. Chairman. My
2 questions to the staff -- I'll let you figure out who wants to answer
3 these. Let's start with digital I and C. And earlier this year the
4 Commission -- well maybe it was late 2010, the Commission had a meeting
5 with ACRS and other meetings with staff dealing with basically design
6 acceptance criteria, DAC. Are there any elements of the DAC for a
7 Vogtle digital I and C that are specific to Vogtle or are they are being
8 handled as part the AP1000 design certification?

9 RAVINDRA JOSHI: Do you want to answer the question?

10 TERRY JACKSON: Terry Jackson again. And the design
11 acceptance criteria all reside with the AP1000. At DCD, there is not
12 site specific, design specific criteria for Vogtle. Within the AP1000
13 design, when they came in for the amendment, they proposed to provide
14 design information to address and basically remove the design acceptance
15 criteria from the certified design. They were successful in being able
16 to remove one but there is still one that remains in the AP1000 design.

17 COMMISSIONER OSTENDORFF: Thank you. I'm going to shift over
18 to electric power, the station blackout discussion, specifically
19 batteries. And can you talk briefly about what protection exists for
20 the batteries at Vogtle 3 and 4 against external event hazards? Could
21 somebody address that?

22 RAVINDRA JOSHI: Let me ask Tania to address the question.

23 OM CHOPRA: Om Chopra, electrical systems branch, Senior
24 Electrical Engineer. The batteries are qualified for GDC-2, GDC-4, so
25 they are protected from seismic as well as flooding.

1 COMMISSIONER OSTENDORFF: Were there any specific aspects of
2 the battery with respect to the siting of the Vogtle site location that
3 warranted special attention by the staff in this review of the license?

4 OM CHOPRA: I don't think anything would be different because
5 it's AP1000 design.

6 COMMISSIONER OSTENDORFF: Strictly referencing back to the
7 AP1000 design certification.

8 OM CHOPRA: Yes.

9 COMMISSIONER OSTENDORFF: Thank you. Last question gets into
10 the accident analysis. On slide 16 of the staff slides, there are
11 several sections that reference plant specific information as opposed to
12 basically being incorporated by reference. Can you -- I'm trying to
13 understand, for instance, the decreased reactor coolant inventory.
14 Let's just take that one as an example. Why is that particular item not
15 bounded entirely by the AP1000 design cert? There's a couple -- this
16 will be the context for the question.

17 RAVINDRA JOSHI: I can't recall specifically on that one but
18 I can get back to you --

19 COMMISSIONER OSTENDORFF: Okay.

20 RAVINDRA JOSHI: -- specific on that one. At this point I
21 don't have a reference on that one so --

22 COMMISSIONER OSTENDORFF: It just didn't strike me -- the
23 reason my question is that that's one that did not strike me as being a
24 site specific or licensee specific accident analysis and that's kind of
25 what struck me.

1 RAVINDRA JOSHI: Okay.

2 COMMISSIONER OSTENDORFF: Thank you. Thanks you, Mr.
3 Chairman.

4 COMMISSIONER APOSTOLAKIS: I was not too enlightened by the
5 answer to Commissioner Magwood's question about combination of events.
6 The way I understand it is this: If you do a seismic margin analysis
7 you're looking at the structure or the response of the plant. The fact
8 that you may have an internal flood because you may have a dam failed,
9 or you may have a fire that would follow its own course is not
10 investigated, is that correct? You're nodding, Lynn.

11 LYNN MROWCA: Yes. I would say that in some of the issues,
12 for instance, like Malcolm talked about flooding, he might add water
13 levels to get a higher flooding level but do we look at flooding and
14 seismic together? No.

15 COMMISSIONER APOSTOLAKIS: So the answer to the question was
16 no.

17 LYNN MROWCA: Well, I think that --

18 COMMISSIONER APOSTOLAKIS: We are not looking at secondary,
19 so to speak, an external event that is caused by the earthquake. Nobody
20 ever does. Why should you do it?

21 MALCOLM PATTERSON: I'd like to point out that the seismic
22 margin analysis is not like a seismic PRA.

23 COMMISSIONER APOSTOLAKIS: I know it isn't.

24 MALCOLM PATTERSON: And all we're doing is demonstrating that
25 the structure system and components are sufficiently robust to give us

1 margin. We can do the safe shutdown. We aren't looking at the
2 consequences of exceeding seismic margin.

3 COMMISSIONER APOSTOLAKIS: So the answer to you, Commissioner
4 Magwood, is no. Thank you, Mr. Chairman.

5 CHAIRMAN JACZKO: Any other questions? Do you have a
6 question?

7 COMMISSIONER MAGWOOD: Just a comment, maybe a question
8 before we run away. You know, I think Commissioner Apostolakis is
9 correct about that but it's -- the way I understood your response
10 earlier was that I don't think you claimed to have covered all the
11 combinations but there were some logical combinations that you did look
12 at. For example I think the example you mentioned was the Katrina
13 scenario where you have a storm surge plus flood plus wind that would be
14 one of the combinations you looked at. Is that right?

15 MALCOLM PATTERSON: That's exactly right.

16 COMMISSIONER MAGWOOD: But they didn't look at the spectrum.
17 For example, as you pointed out, flood plus earthquake or some other
18 combination. All those weren't looked at.

19 MALCOLM PATTERSON: I would say, in doing the internal
20 flooding analysis, what we do is we look at tanks in the plant and if
21 those tanks failed, where will the water go? And what will the
22 consequences be? So we sort of do a piecewise consequence analysis.

23 COMMISSIONER MAGWOOD: For example, as a result of an
24 earthquake, is that --

25 MALCOLM PATTERSON: We wouldn't -- we would assume a tank

1 failure. We would not make it conditional on an earthquake.

2 COMMISSIONER MAGWOOD: Thank you.

3 CHAIRMAN JACZKO: Since we're late in the day, I'll confuse
4 matters even more. So as I understand it, you don't look at the
5 initiating event and the fullest range of impacts of the initiating
6 event. You look at consequences and you look at ways to get maximum
7 consequences. But for instance, you don't take -- if your maximum flood
8 occurred because you had a hurricane followed by dam failure somewhere,
9 which was -- and the dam failure was the result of a seismic event, that
10 would give the maximum flood level. But you wouldn't look at the plant
11 to see what is the impact on the plant of a simultaneous earthquake and
12 seismic earthquake and hurricane simultaneously and generically look at
13 the impact on a plant?

14 MALCOLM PATTERSON: We would not combine a seismic event with
15 a hurricane. We would look at dam failures caused by hurricanes. We
16 might consider those together. We would look at the consequences of dam
17 failure --

18 CHAIRMAN JACZKO: And then there would be consequences so
19 there would be the elevated water levels that are impacting the plant
20 but not then simultaneously the impact of the hurricane as well on the
21 plant for high wind speeds or other types of effects. Okay, thanks.
22 Anything -- any other questions?

23 Well, I want to thank everybody and in particular my
24 colleagues on this side of the table. It's been a long but very
25 productive day and we will adjourn for the evening. We'll be back

1 tomorrow morning at 9:00 and finish up with the safety panel and then
2 the environmental discussion and we appreciate the applicant being here
3 as well. Thank you.

4 (Whereupon, at 5:16 p.m., the above-entitled matter recessed
5 to reconvene at 9:00 a.m., September 28, 2011)

6 E-N-D-P-R-O-F-P-R-O-C-D-E-E-D-I-N-G-S

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

United States of America
Nuclear Regulatory Commission

+ + + + +

HEARING

IN THE MATTER OF DOCKET NO: 52-025-COL and
SOUTHERN NUCLEAR OPERATING COMPANY 52-026-COL
VOGTLE ELECTRIC GENERATING PLANT,
UNITS 3 AND 4

Wednesday,

September 28, 2011

+ + + + +

Rockville, Maryland

The hearing commenced in the Commissioners' conference room,
11555 Rockville Pike, Rockville, Maryland, at 9:00 a.m.

BEFORE:

1
2
3
4
5
6

Gregory B. Jaczko, Chairman

Kristine L. Svinicki, Commissioner

George Apostolakis, Commissioner

William D. Magwood, IV, Commissioner

William C. Ostendorff, Commissioner

1 APPEARANCES:

2 On Behalf of Southern Nuclear Operating Company:

3 M. Stanford Blanton, Esq.

4 BALCH & BINGHAM LLP

5 1710 Sixth Avenue North

6 Birmingham, Alabama, 35203-2015

7
8 Kathryn M. Sutton, Esq.

9 MORGAN, LEWIS & BOCKIUS LLP

10 1111 Pennsylvania Avenue, NW

11 Washington, DC 20004

12
13 On Behalf of the United States Nuclear Regulatory Commission:

14 Ann Hodgdon, Esq.

15 11555 Rockville Pike

16 Rockville, Maryland 20852-2738

17
18 Patrick Moulding, Esq.

19 11555 Rockville Pike

20 Rockville, Maryland 20852-2738

21

22

23

24

25

26

	<u>WITNESSES</u>	<u>PAGE</u>
1		
2	MICHAEL SHINN, ERIC LEE, DENISE MCGOVERN	248
3	THEODORE AMUNDSON, EDDIE GRANT, WESLEY SPARKMAN,	
4	JERRY SIMS	249
5	CRAIG ERLANGER	286
6	JUAN PERALTA	294
7	ROBERT SCHAAF, MALLECIA SUTTON, GREGORY HATCHETT	
8	DALE FULTON, AMY AUGHTMAN, CHUCK PIERCE	298
9	CHUCK PIERCE, MICHAEL JOHNSON, FRANK AKSTULEWICZ	
10	BUZZ MILLER, ROBERT SCHAAF	346
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		

1 P-R-O-C-E-E-D-I-N-G-S

2 9:00 a.m.

3 CHAIRMAN JACZKO: Well, good morning. Now, we'll reconvene the
4 second day of the mandatory hearing on the Southern Nuclear Operating Company's
5 application for two combined licenses for the nuclear reactors and for a
6 limited work authorization at the Vogtle site near Waynesboro, Georgia and at
7 the onset I want to remind all the witnesses that they are under oath and
8 again, if witnesses are not at the table -- witnesses who are not at the table,
9 do come and speak either at the microphone or the podium, I'll remind them to
10 state their name and if they are not -- or whether they've been sworn in. And
11 most importantly they have not been sworn in, that we make sure that they're
12 sworn in.

13 We'll begin this morning with the fourth and final safety panel and
14 we'll focus on Chapters 9, 12, 13, and 14 of the FSER and the relevant sections
15 of the application. Among the important issues analyzed in these chapters
16 include emergency planning, spent fuel design, radiation, protection for
17 workers, and initial test programs. And I should also note that the staff has
18 informed the Commission that they do not have a specific topics to discuss in
19 Chapters 4, 10, and 11, and if the Commission has questions on those chapters,
20 this would be the most appropriate time to raise them. So, we'll begin with
21 the staff, if you could again just state your name and title for the record.

22 WHEREUPON,

23 MICHAEL SHINN

24 ERIC LEE

25 DENISE MCGOVERN

1 were called as witnesses for the Nuclear Regulatory Committee and,
2 having been previously duly sworn, assumed the witness stand, were examined and
3 testified as follows:

4 DENISE MCGOVERN: Denise McGovern, Project Manager, NRO.

5 ERIC LEE: Eric Lee, Senior Security Specialist with the Office of
6 the Nuclear Security and Incident Response.

7 MICHAEL SHINN: Mike Shinn, contractor supporting the Office of
8 Nuclear Security and Instant Response.

9 CHAIRMAN JACZKO: So, we'll allow the applicant to take their name
10 and then begin their presentations.

11 WHEREUPON,

12 THEODORE AMUNDSON

13 EDDIE GRANT

14 WESLEY SPARKMAN

15 JERRY SIMS

16 were called as witnesses for Southern Nuclear Operating Company
17 and, having been previously duly sworn, assumed the witness stand, were
18 examined and testified as follows:

19 THEODORE AMUNDSON: Ted Amundson, EP Consultant.

20 JERRY SIMS: Jerry Sims, security consultant for Southern Nuclear.

21 WESLEY SPARKMAN: Wes Sparkman COL licensing supervisor, Vogtle 3
22 and 4.

23 EDDIE GRANT: Eddie Grant, AP1000 Support Licensing Lead.

24 CHAIRMAN JACZKO: Okay. Great. Well I will I guess turn it to you
25 Mr. Sparkman to begin.

1 WESLEY SPARKMAN: Thank you very much. Can we go to slide two
2 please? Today is safety panel four. We will be covering items from Chapters
3 9, 12, 13, and 14. Ted Amundson will begin by covering emergency planning and
4 the technical support center. Next, Jerry Sims will discuss the cyber security
5 plan. I will then cover spent fuel pool redesign, raw water system,
6 information related to ALARA and minimization of contamination, and finally
7 Eddie Grant will cover the first plant only and the first-three-plant only
8 testing. Next slide, please. And now, I'll turn it over to Ted.

9 THEODORE AMUNDSON: Thank you, Wes. A complete and integrated
10 emergency plan was approved in the early site permit. Seven permit conditions
11 were associated with the emergency plan. Six of the permit conditions, three
12 for each unit, were associated with emergency action levels. The bases and
13 disposition of the permit conditions related to EALs is discussed in more
14 detail on the next slide.

15 One permit condition was related to the approval of the technical
16 support center location. The location of the TSC is a departure from the
17 location of the TSC as specified in the AP1000 for DCD. Although the design
18 and location of the TSC was found to be acceptable by the staff, because the
19 ESP application was based on Revision 15 of the AP1000 DCD and because Revision
20 15 of the DCD did not include the same material regarding the location of the
21 TSC, as did Revision 19 of the AP1000 DCD, the staff deferred regulatory action
22 on the location of the TSC to the combined licensed application phase. The
23 departure was approved by the staff in the COL final safety evaluation report.
24 Next slide, please.

25 Because certain design details are not complete, some emergency

1 action level set points have not yet been established. Consequently a proposed
2 combined license condition contains a requirement that a complete set of EALs
3 be submitted to the NRC for review at least 180 days before fuel load. The EALs
4 will be in accordance with Revision 0 of the Nuclear Energy Institute 07-01,
5 which is titled Methodology for Development of Emergency Action Levels Advanced
6 Passive Light Water Reactors. In addition, the EALs will contain no deviations
7 and the EALs will have been discussed and agreed upon with state and local
8 officials. Next slide, please.

9 Because Revision 15 of the AP1000 DCD did not include the same
10 material regarding the location of the TSC as did Revision 19 of the AP1000
11 DCD, the staff deferred regulatory action on the location of the TSC to the COL
12 application phase. The location of the TSC was addressed in Departure 18.8-1.
13 As part of the departure review and as follow-on to an ASLB question, both
14 radiological and non-radiological habitability questions were addressed in the
15 COL phase. As a result an ITAAC was added to verify that the habitability
16 issues will be addressed by the design to TSC. Next slide, please.

17 The TSC will be designed to handle an accident that affects one or
18 all four units at Vogtle and will be designed to accommodate the emergency plan
19 provisions for all four units to be located at the Vogtle site. In response to
20 an ACRS open item which raised a question related to human factors engineering
21 for a multi-unit TSC, we modified the emergency plan to include provisions for
22 specific positions dedicated to both Units 1 and 2, and Units 3 and 4. The
23 positions are operation support supervisor and engineering supervisor. In
24 other words, we will have a dedicated operation support supervisor position for
25 Units 1 and 2, and another dedicated operation support supervisor for Units 3

1 and 4.

2 Similarly, we will have two dedicated positions for the engineering
3 supervisor position. To better verify the human factor design elements within
4 the TSC, we added a graded exercise related ITAAC to ensure equipment and data
5 display is clearly identified and reflect the affected unit. Next slide,
6 please, and Mr. Jerry Sims will discuss cyber security.

7 JERRY SIMS: Thanks Ted. Good morning. In June of 2010, Southern
8 Nuclear Company submitted a cyber security plan in accordance with the
9 requirements of 10 CFR 73.54 echo, brand new rule. Vogtle was one of the first
10 applicants to develop a plan using the plan template that was provided in Reg.
11 Guide 5.71, as appendix alpha.

12 Cyber security program will be developed using this plan that was
13 submitted. Vogtle's Cyber Security Plan, CSP, is a standard AP1000 cyber plan.
14 It was developed with the assistance of a team that included cyber security
15 subject matter experts from each of the current AP1000 applicants. In general,
16 Vogtle's CSP adopts all of the key elements and objectives of Reg. Guide 5.71.
17 However, the AP1000 cyber security team looked very critically at what was in
18 5.71, including the plan template which was appendix alpha and in so doing, the
19 team identified a number of deviations. Each deviation was discussed and
20 evaluated in the CSP, including a justification for SNC's determination that
21 the deviation meets the objectives of the cyber security rule and the
22 objectives of Reg. Guide 5.71 or alternatively it does not reduce protection
23 from a cyber security attack.

24 Following the guidance in SECY 05 0197, SNC proposed implementing
25 the CSP as an operational program. A proposed license condition will require

1 periodic updates to the cyber security program implementation schedule to
2 facilitate any pre-implementation inspections that need to be performed. The
3 program implementation schedule is consistent with other security programs as
4 per 7355-Alpha4. I'll now turn it over to Wes. Next slide, please. And
5 Wesley Sparkman will address three other topics.

6 WESLEY SPARKMAN: Thank you, Jerry. I will now address some of the
7 -- several actual special topics requested by this panel and the first being
8 spent fuel pool redesign. The DCD addresses spent fuel pool design and
9 evaluations in sub-section 9.1.2 spent fuel storage. The DCD section provides
10 design descriptions, including the recent redesign and corresponding revisions
11 in the criticality and seismic evaluations. This DCD information is
12 incorporated by reference into the COLA at FSAR section 9.1.

13 There are some site specific additions to that NRSR. The site
14 specific COL information item 3.7-2 addresses procedures for verification, of
15 spent fuel pool, rack to wall gap dimensions following a seismic event. In
16 addition, we have some supplemental information, supplemental information item
17 9.1-3, which addresses safe load paths for heavy loads near the spent fuel pool
18 and a standard COL information item 9.1-7, which addresses Metamic coupon
19 monitoring to check for swelling and boron depletion. Next slide, please.

20 The next special topic requested for this panel is the raw water
21 system. The raw water system is a site specific system which is addressed in
22 COLA FSAR, Section 9.2-11. The raw water system performs no safety related
23 functions. And failure of the raw water system or its components does not
24 affect the ability of safety related systems to perform their intended
25 function.

1 Sources of water for the raw water system include river water and
2 well water. The system provides waste -- excuse me, provides water for
3 numerous uses, examples of which are included in the following three bullets.
4 I will discuss these functions within the context of the sub-system that
5 supplies them. The raw water system river water sub-system provides river
6 water for makeup to the circulating water system, natural draft cooling tower
7 basins and fill water for the circulating water system. The river water sub-
8 system also provides dilution water for the Units 3 and 4 blow down sump, for
9 rad waste discharge when the circulating water system is not available.

10 The second sub-system of the raw water system is the well water
11 system, which provides make-up for the service water system, mechanical draft
12 cooling tower basins, the potable water system, fire protection system, yard
13 fire water systems, and de-mineralized water treatment system. In addition,
14 the well water sub-system also provides lubrication cooling water to the
15 circulating water system pumps and well water for miscellaneous plant uses.
16 Next slide, please.

17 The last special topic that I'll discuss is ALARA and minimization
18 of contamination. COLA incorporates DCD Section 12.4 by reference and
19 supplements DCD Section 12.4 to address radiation exposure to construction
20 workers. The construction worker doses were conservatively estimated as shown
21 in COLA FSAR Table 12.4-201, which identifies the estimated maximum annual dose
22 for each pathway as well as the total dose. The concept of ALARA as codified
23 in 10 CFR 20.1101Bravo, which states, the licensee shall use, to the extent
24 practical, procedures and engineering controls based upon sound radiation
25 protection principals to achieve occupational dose and dose to members of the

1 public that are as low as reasonably achievable. The ALARA program is part of
2 the Radiation Protection Program. The ALARA principals are included in DCD
3 Section 12.1 and 12.3 for programmatic and design considerations. The ALARA
4 program applicable to Units 3 -- excuse me, 3 and 4 during construction is the
5 VEGP Units 1 and 2 ALARA program until such time as Unit 3 is completed, at
6 which time the ALARA program for Unit 3 will then cover Unit 4.

7 The COLA also incorporates DCD Section 12.5 by reference and
8 supplements DCD Section 12.5 with appendix 12 Alpha Alpha radiation protection
9 program description. This appendix adopts NEI 08-08 Alpha for a description of
10 the operational and programmatic elements, and controls that minimize
11 contamination. 10 CFR 20.1406, minimization of contamination, is applicable to
12 Part 52 applicants submitted after August 20th, 1997. The DCD includes
13 considerations for minimization of contamination of the facility and the
14 environment. The COLA will implement procedures for operation that will
15 minimize contamination of the facility and environment, facilitate eventual
16 decommissioning and minimize generation of radioactive waste. The mechanism
17 for accomplishing this is NEI 08-08 Alpha, which was reviewed by and endorsed
18 by the NRC staff as an acceptable method of meeting the applicable requirements
19 of 10 CFR 20.1406. The NEI guidance is based on Reg. Guide 4.21 and takes
20 advantage of the established industry guidance of NEI 07-07 for ground water
21 monitoring. Next slide, please. I will now turn the presentation over to
22 Eddie Grant to discuss first plant testing and first three plant testing.

23 EDDIE GRANT: Thank you, Wes. Chapter 14 addresses the initial
24 test programs, including some tests designated as to be accomplished or
25 required to be accomplished by the first plant only or the first 3 plant only.

1 This initial or start-up testing program includes pre-operational testing,
2 initial criticality and low power testing, and the power extension testing.
3 The majority of the initial test program is discussed in the DCD, Chapter 14
4 and of course incorporated by reference into the COLA and FSAR Chapter 14.

5 The COLA also supplements the DCD with a commitment to develop a
6 start-up administrative manual that will provide the applicants administrative
7 controls over the initial test program and the COLA also provides a description
8 of the applicant's start-up organization, including staffing and
9 responsibilities. These two items comprise the majority of the COLA FSAR
10 material related to Chapter 14. The COLA also includes a few test descriptions
11 included for some of the site-specific systems, and monitoring outside the
12 scope of the DCD.

13 A few of these initial tests, as I indicated, are required to be
14 performed on only the first plant or the first three plants. A few of these
15 are listed on the slides. Slide 11, for instance, shows preoperational
16 testing, first plant only tests. There are three of those. Next slide,
17 please.

18 Slide 12 indicates a couple of preoperational tests that are first
19 three plant only tests, heated recirc tests and assisted ADS blow down test.
20 Next slide, please.

21 This slide shows two first plant only initial criticality and low
22 power tests, and the final slide, Slide 14, sorry, shows two first plant only
23 power ascension tests. These DCD described tests are incorporated by reference
24 into the COLA, FSAR Chapter 14 and are also specified as proposed license
25 conditions in the proposed license attached to the staff's SECY attachment.

1 These tests will be completed and the results made available to the NRC upon
2 completion of the license conditions, and this completes the applicant's
3 presentations for panel four.

4 CHAIRMAN JACZKO: Let's have the staff come forward and begin.

5 DENISE MCGOVERN: Good morning. In this panel we will be
6 presenting SER Chapter 13, highlighting emergency planning and cyber security;
7 Chapter 9, auxiliary systems; Chapter 12, radiation protection, and then
8 Chapter 14, initial test program.

9 I will be presenting emergency planning and then joining me at the
10 table are Eric Lee and Michael Shinn, who will discuss the cyber security
11 review. Eric is a senior security specialist in the Office of Nuclear Security
12 and Incident Response. Michael is a subject matter expert in the field of
13 cyber security. Following their presentation, I will finish up and address SER
14 Chapters 9, 12, and 14. Slide three, please.

15 I will begin with a summary of the staff's evaluation of FSAR
16 Chapter 13, conduct of operations and provide an overview of the application,
17 the information that is IBR from the standard AP1000 and the staff's -- and
18 provide an overview of the staff's earlier review of the emergency plans
19 submitted as part of the early site permit or ESP application. Certain issues
20 that were resolved in the ESP proceeding are also discussed here to provide
21 context for the COL review. Next slide, please.

22 This table provides an overview of FSAR Chapter 13 and identifies
23 whether the information in each FSAR section is IBR, standard, site, specific,
24 or supplemental information. For example, Section 13.3, emergency planning
25 includes information that is standard from the AP1000 design as well as

1 information that is site specific. Next slide, please.

2 Section 13.3 of the COL application addresses emergency planning
3 associated with the proposed Vogtle Units 3 and 4. The overall emergency plan
4 sometimes referred to as a complete and integrated emergency plan consists of
5 both the applicant's onsite emergency plan and the state, and local, which is
6 the offsite emergency plans. The COL application incorporates by reference the
7 ESP and the AP1000 standard design. As part of its ESP application, Vogtle
8 included a complete and integrated plan for the Vogtle site consisting of the
9 applicant's onsite plan, including an evacuation time estimate or ETE, and a
10 state and local offsite plans.

11 As documented in the ESP review, the staff concluded in
12 coordination with the Federal Emergency Management Agency referred to as FEMA,
13 that the overall state of onsite and offsite emergency preparedness, when fully
14 implemented, will meet the relevant regulatory requirements to support full
15 power operations of the plant.

16 As part of the ESP application review, FEMA evaluated the offsite
17 emergency plans for Georgia and South Carolina, and the affected counties.
18 FEMA provided its detailed findings to the NRC in 2007. For the COL
19 application, FEMA provided its findings in 2008, which stated that the finding
20 and determinations made for the ESP application remain unchanged for the Vogtle
21 COL application.

22 A summary of FEMA's conclusions from its ESP application review,
23 which are applicable to the COL application, are provided in the final safety
24 evaluation report. Because of the finality given to referenced NRC approvals
25 under NRC regulation, the staff's review of the COL application was limited by

1 the scope and nature of matters resolved in the previous ESP application review
2 and the AP1000 design certification rule. Therefore, the staff's emergency
3 planning review of the COL application focused on the resolution of ESP permit
4 conditions, a variance from the ESP, AP1000 COL action items, a departure from
5 the AP1000 design and associated supplemental information. Next slide, please.

6 Are we on five? Slide five, please. Nope. Okay. I must be mis-
7 numbered.

8 CHAIRMAN JACZKO: I think you're already on five. You're --

9 DENISE MCGOVERN: Yep. All right, EALS. For Vogtle ESP --

10 CHAIRMAN JACZKO: Slide 6.

11 DENISE MCGOVERN: Yes. Thank you. The Vogtle ESP includes nine
12 permit conditions, seven of which are related to the emergency planning. The
13 staff's review confirmed that the COL applicant met all of the seven ESP permit
14 conditions for emergency planning. Permit conditions 2 through 7 address the
15 completion of a fully developed emergency action level, or EAL scheme for both
16 Units 3 and 4. Permit conditions 2 and 3 require the EAL schemes to reflect
17 the final revision of NEI 07-01, which is the industry's generic methodology
18 for developing EALs for advance passive light water reactors such as the AP1000
19 design. Permit conditions 4 and 5 require the EAL scheme to reflect the
20 completed AP1000 design details, and permit conditions 6 and 7 reflect the
21 applicable requirements related to as built plant conditions and interfaces
22 with offsite governmental agencies.

23 To satisfy permit conditions 2 and 3, the applicant committed to
24 the submission of an EAL scheme that is consistent with NEI 07-01 and proposed
25 a licensed condition to ensure that this is done, including offsite agencies

1 agreement with the EAL scheme. The applicant's submission of a fully developed
2 set of site specific EALs consistent with NEI 07-01 will also meet permit
3 conditions 4 and 5, since NEI 07-01 reflects the AP1000 advanced passive
4 reactor design and the fully developed EALs will reflect the as built plant.

5 This is also supported by one of the emergency planning ITAAC,
6 which states that analysis of the EAL technical basis were performed to verify
7 as built site specific implementation of the EAL scheme. Finally, permit
8 conditions 6 and 7 will be satisfied because the proposed license condition
9 requires the EALs to be discussed and agreed upon with state and local
10 officials. Next slide, please.

11 Permit condition 8 requires that the COL applicant referencing the
12 ESP resolve the difference between the Units 3 and 4 common TSC and the TSC
13 locations specified in the AP1000 certified design. The resolution of permit
14 condition 8 is based on the staff's evaluation of the common TSC habitability
15 together with the evaluation of the applicant's requested AP1000 departure and
16 ESP variance.

17 The TSC must provide an area from which effective direction can be
18 given and effective control can be exercised during an emergency. NRC guidance
19 states that the TSC shall have the same radiological habitability as the
20 control room under accident conditions and TSC personnel shall be protected
21 from radiological hazards to the same degree as control room personnel.

22 The applicant provided the radiological consequences analysis for
23 the common TSC for the postulated design basis accidents associated with the
24 AP1000 standard design. The results of the analysis demonstrated that the TSC
25 met the control room exposure acceptance criterion.

1 The applicant also stated that the common TSC will be designed to
2 meet the same habitability requirements as outlined in the AP1000 design
3 control document and that the TSC habitability requirements are included in an
4 ITAAC. The ITAAC addresses that TSC ventilation system including heating and
5 cooling, and activation of the HEPA and charcoal filter system upon detection
6 of high radiation in the TSC.

7 The staff concluded that the radiation protection design of the
8 common TSC is acceptable and the TSC radiological and non-radiological
9 habitability requirements will be met. Next slide, please.

10 Consistent with the design certification rule for AP1000, the
11 applicant requested departure 18.8-1, which addresses permit condition 8 and
12 reconciles the TSC location difference between the AP1000 standard design and
13 the common TSC. Specifically, the departure moves the Units 3 and 4 TSCs from
14 the control support area in the annex building to the common TSC in the
15 communication support center. The departure also moves each unit's operational
16 support center into the now available control support area for the respective
17 units.

18 During its review of the Vogtle ESP application, the staff
19 evaluated the proposed common TSC for Units 3 and 4, and found that from a
20 support and functional standpoint the common TSC was acceptable subject to
21 demonstration of adequacy during the full participation exercise. Unit 3 ITAAC
22 provides for this demonstration. The staff's ESP stage evaluation of the
23 common TSC is described in section 13.3 of NUREG 1923, the ESP final SER.

24 Finally, the COL applicant requested a variance from the ESP, which moved
25 the TSC location within the protected area by about 150 feet. The staff found

1 that this relocation did not materially change the basis for the TSC's
2 compliance with applicable requirements and therefore was acceptable. Next
3 slide, please.

4 With respect to a common TSC for all four Vogtle units, the ACRS
5 asked the applicant to address the capability of TSC equipment and data
6 displays to clearly identify and reflect the affected unit during an incident
7 at the Vogtle site. In response, the applicant proposed an additional Unit 3
8 ITAAC acceptance criterion. This addressed the demonstration of the capability
9 of TSC and EOF equipment, and data displays to clearly identify and reflect the
10 affected unit. The staff reviewed this acceptance criterion and found it
11 acceptable, because it was consistent with ITAAC guidance, and NUREG 0800.
12 Next slide, please.

13 Activities that will occur after the COL is issued will include the
14 licensee's submission of the EALs, detailed implementation procedures for the
15 emergency plan, and the schedule for implementation of the emergency planning
16 operational program. In addition, this licensee must conduct a successful
17 onsite exercise and full participation exercise, and complete all EP ITAAC
18 prior to initial fuel load. Next slide, please.

19 At the early site permit stage, the staff and FEMA performed a
20 detailed review of the complete integrated emergency plans. This review
21 concluded that the emergency plans for Vogtle's Unit 3 and 4 are adequate,
22 subject to the ESP permit conditions and proposed ITAAC. Staff's review of the
23 combined license stage was limited to the matters not resolved during the ESP
24 review. Without reevaluating the emergency plans, which were fully reviewed
25 and found acceptable at the ESP stage, the staff reviewed the applicant's

1 resolution of the ESP permit conditions and COL action items. Staff found that
2 all of the ESP permit conditions and COL action items were adequately
3 addressed. As required by Part 52, the Emergency Planning ITAAC from the ESP
4 carried forward into the combined license.

5 The staff concludes that there are the reasonable assurance that
6 adequate protective measures can and will be taken in the event of a
7 radiological emergency at Vogtle Units 3 and 4. And now Eric will continue
8 with the Chapter 13 presentation on the staff's cyber security review.

9 ERIC LEE: Thank you. Thank you. Good morning. My name is Eric
10 Lee and I'm a Senior Security Specialist with the Cyber Security and Integrated
11 Response Branch in the Office of Nuclear Security and Incident Response. I
12 have been working on the NRC cyber security programs since 2002. This work
13 includes leading the NRC's first pilot study on cyber security at four nuclear
14 power plants, reviewing the nuclear power industry's first established security
15 program guidance document NEI 04-04. Cyber security programs for power
16 reactors and developing regulatory guide 5.71, cyber security programs for
17 nuclear facilities which I will refer to hereafter as the regulatory guide.

18 My colleagues and I have been heavily involved in the development
19 of the regulatory guide and related cyber security policies, and in the
20 evaluation of licensees and applicant's cyber security plans for complying with
21 the requirements of 10 CFR 73.54, protection of digital computer and
22 communication systems and networks. This includes the review of Vogtle's cyber
23 security plan, which was the first cyber security plan review that the staff
24 completed for a new reactor application. The review, which I will discuss more
25 in detail in a later slide, took more than a year.

1 I also have with me Mr. Michael Shinn, a subject matter expert in
2 the field of cyber security who has been instrumental in supporting the
3 agency's cyber security program in recent years. His involvement includes
4 providing technical support in the development of regulatory guide Part 73
5 cyber security licensing reviews and a variety of related cyber security policy
6 efforts.

7 Today, we will discuss the staff's review of Vogtle's cyber
8 security plan as well as a brief history of the NRC's cyber security
9 regulations and activities to date. Second slide, please.

10 In response to the terrorist attacks of September 11, 2001, and
11 subsequent information provided by intelligence and law enforcement agencies,
12 the NRC issued orders to enhance the physical and cyber security at nuclear
13 power plants to address the threats environment at the time. This was the
14 beginning of the NRC's involvement in cyber security at nuclear power plants.

15 Cyber security threats represent a new and unique challenge for
16 nuclear power plants. Previously, nuclear power plants have implemented
17 safeguard measures to protect against credible physical threats with the intent
18 of preventing physical access. However, with the growing use of digital
19 systems in nuclear power plants, adversaries may not need to have physical
20 access to the plant to cause harm. The well publicized Stuxnet cyber attack in
21 2010, which was directed against the Iranian nuclear facilities demonstrates
22 that adversaries can cause harm without direct, or even physical access, to
23 digital systems in nuclear power plants. By the way, the regulatory guide has
24 numerous security measures to address the types of attacks that made Stuxnet as
25 possible.

1 Recognizing the potential rise in cyber threats and cyber related
2 issues resulting from increased use of digital technology at nuclear power
3 plants, NCR initiated a cyber security pilot study at four nuclear power plants
4 in 2002. The purpose was to develop a method that licensees could use to
5 manage cyber risk at nuclear power plants. The results of the study were
6 published in NUREG CR6847, in 2004. This study provided NRC with a preliminary
7 method for evaluating the risk to individual systems in nuclear plants. Based
8 on additional research and lessons learned from trial and error, the NRC
9 determined that a more comprehensive method was required to adequately protect
10 nuclear power plants. This evolution, which I will discuss momentarily,
11 resulted in the method used in the regulatory guide.

12 In 2005, industry took the initiative to develop NEI 04-04, using
13 the method provided in NUREG CR6847 and insights gained during the pilot study.
14 This was the industry's first standard approach to cyber security. The purpose
15 of the document was to provide operating reactor licensees with the guidance
16 for developing and maintaining a cyber security program at their facilities.

17 Finally, in 2007, the NRC revised design basis rule and published
18 regulatory guide 5.69, which is not publically available, to describe the
19 enhanced characteristics of adversaries, including the use of a cyber attack
20 against nuclear power plants. Next slide, please.

21 In January, 2009, the Commission issued 10 CFR 73.5454 cyber
22 security regulations for nuclear power plants. This regulation is high level
23 performance-based and programmatic, and is consistent with other security
24 regulations such as the physical security regulations. 10 CFR 73.54 requires
25 licensees to provide high assurance that digital computer communication systems

1 and networks associated with safety, important to safety, security, and
2 emergency preparedness functions and support systems that if compromised would
3 adversely impact safety, importance of safety, security, or emergence of
4 preparedness functions are adequately protected from cyber attacks up to
5 including design based threats. These systems are referred to as critical
6 digital assets or CDAs. Next slide, please.

7 To provide high assurance that CDAs are adequately protected from
8 cyber attacks, regulation requires licensees to implement Defense-in-Depth
9 strategies. These strategies include the following: One, implementing
10 multiple protective security boundaries so that you can delay, detect and
11 respond to a cyber attack; two, implementing cyber security controls to address
12 known credible and applicable potential vulnerabilities that adversaries can
13 use to compromise CDAs; three, implementing cyber security incident response
14 and mitigation programs to mitigate the consequences of a successful cyber
15 attack; and four, implementing maintenance programs to ensure that established
16 cyber security programs are continuously effective against currently known
17 applicable vulnerabilities and newly discovered applicable vulnerabilities.

18 Finally, the regulation requires licensees to submit their
19 established security plans to the Commission for review and approval. The plan
20 must describe how licensees will implement and maintain their established
21 security programs to provide high assurance that CDAs are protected from cyber
22 attacks. Thus, once the Commission reviews and accepts a plan, it becomes a
23 condition of the plant's license. Therefore, the cyber security plan becomes a
24 part of the plant's licensing basis, just like the physical security plan.

25 Cyber security plan must also account for site specific conditions

1 affecting the implementation. Additionally, it requires policies,
2 implementation procedures, site specific analysis, and other supporting
3 technical implementation used by the licensees are not required under 10 CFR
4 7354 to submit to the NRC for review and approval as part of the cyber security
5 plan. However, they are subject to inspection by NRC's staff on a periodic
6 basis. Next slide, please.

7 In January, 2010, the NRC issued regulatory guide. The regulatory
8 guide is designed to provide a standard based method that the licensees can use
9 to establish cyber security programs for nuclear power plants to comply with
10 the cyber security regulation. The regulatory guide includes 148 security
11 controls that provide safeguard measures to address known potential root causes
12 or vulnerabilities that adversaries can use to compromise CDAs. The regulatory
13 guide also includes a template that licensees and applicants may use to develop
14 their cyber security plans for the NRC's review and approval. Next slide,
15 please.

16 The regulatory guide was developed based on insights gained since
17 2002 dealing with cyber security, as well as insights from cyber security
18 experts and industry. Additionally, the regulatory guide was developed based
19 on an already well-established foundation of security controls provided in NIST
20 special publication, 800-53 and 82. These standards are based on several
21 decades of ongoing work and research in cyber security. The process National
22 Institute Of Standard And Technology, NIST, used in developing these standard
23 is public and allows for input from all industries as well as outside cyber
24 security experts. It was partially because of the widespread consensus in
25 these standards that the NRC choose to use them as the starting point for the

1 development of the regulatory guide. The methods using these standards are
2 well understood, widely peer-reviewed and have decades of operating experience
3 that has informed the evolution of the standards. The approaches securing any
4 systems from cyber attack embodied in these standards are also known to be
5 effective. Because of this, these standards are widely used to protect our
6 most sensitive systems in the U.S. government as well as used by other
7 industries to implement cyber security programs for their needs. Next slide,
8 please.

9 The regulatory guide was thoroughly vetted by the nuclear power
10 industry. It has also been reviewed by DHS, NIST, NERC, FERC, and cyber
11 security experts since its publication in 2010. As a result, other agencies
12 and cyber security experts commonly reference the regulatory guide as a sound
13 way to develop cyber security programs at their facilities.

14 For example, NERC has stated that sites that implement the
15 regulatory guide meet NERC's cyber security requirements, and the regulatory
16 guide is equivalent replacement for the NERC CIP standards. DHS has included
17 the regulatory guide's security controls in its CSET tool which it uses to
18 assess the security posture of facilities and makes it available to outside
19 parties to perform their own assessments. While participating in the DHS
20 Software Assurance Working Group earlier this year, DHS used the regulatory
21 guide as an example of a security program that other organizations should
22 implement. And specifically singled out the NRC as an organization leading the
23 way on this subject. At the recent Cyber Security at Nuclear Facility
24 Conference at the University of Maryland, numerous cyber security experts
25 provided their support for the regulatory guide as a sound method for securing

1 nuclear power plants from cyber attacks. Next slide, please.

2 The Vogtle COL applicant submitted its cyber security plan to the
3 NRC accordance with the 10 CFR 73.54. Following several RAIs and face-to-face
4 meetings involving NRC staff and Vogtle representatives to discuss technical
5 issues within the plan, the applicant ultimately submitted an updated cyber
6 security plan based on the template provided in the regulatory guide. Although
7 the applicant submitted cyber security plan essentially followed the template
8 provided in the regulatory guide, the submitted cyber security plan did include
9 some deviations from the template. The staff met with the Vogtle's
10 representatives several times to discuss technical issues associated with the
11 deviations. The purpose of the deviation was to account for a site specific
12 design and processes that the applicant will use to comply with the cyber
13 security rule. Most of the deviations were minor in nature. For example,
14 Vogtle deviation from the template to clarify in its cyber security plan that
15 flexibilities associated with implementing security controls provided in the
16 regulatory guide are reflected when security controls are discussed in the
17 applicant's plan.

18 The only significant, but anticipated, deviation within the Vogtle
19 cyber security plan was located in the section describing the site's cyber
20 security architecture. Guidance contained in the regulatory guide provides for
21 a defensive architecture that includes multiple cyber security defensible
22 layers separated by security boundary devices such as firewalls and data diodes
23 that restrict digital communication in a manner that protects CDAs from cyber
24 attacks. The anticipation for deviation in this particular section of the
25 cyber security plan is based on staff's expectation that each licensee will

1 describe their site-specific cyber security architecture which may be different
2 from the example provided in the regulatory guide.

3 Since Vogtle's cyber security architecture is unique to the design
4 of AP1000, its cyber security architecture does not exactly fit the example as
5 described in the regulatory guide. Therefore, the staff evaluated whether the
6 cyber security defensive architecture outlined by Vogtle in its cyber security
7 plan effectively protects CDAs and provides multiple defensive security
8 boundaries comparable to what's described in the regulatory guide. Although it
9 is not possible in a public setting to specifically describe the applicant's
10 architecture, we can say that the cyber security architecture provided in
11 Vogtle's cyber security plan provides no less protection than the example
12 provided in the regulatory guide, and therefore staff concluded that the
13 deviation is in compliance with provisions set forth in the cyber security
14 regulations. Next slide, please.

15 As we explained in the example, the staff evaluated each
16 deviations. And keep in mind that whether deviations maintained the intent of
17 template section and did not reduce protection for CDAs. After detailed
18 review, the staff determined that deviations did not alter the plan in a way
19 that lessened or reduced the level of protection for CDAs. Therefore, the
20 staff found that Vogtle -- therefore, if Vogtle implements its cyber security
21 plan as described, systems at the Vogtle plant within the scope of the cyber
22 security regulations, will be adequately protected from cyber attacks.

23 Additionally, the Vogtle cyber security plan is
24 expected to be used by other applicant design centers. The staff's evaluation
25 is provided in Section 13.8 of the FSER. This completes my presentation on

1 cyber security. I will now turn back to Denise.

2 DENISE MCGOVERN: I will now present the staff's review of the
3 Vogtle COL for Chapter 9 auxiliary systems. I'll start with the information
4 incorporated by reference from the AP100 DCD and which we'll discuss here to
5 provide context for the COL review. Slide 22, please.

6 I will continue with a couple items that the COL applicant
7 addressed in the Vogtle FSAR Chapter 9. Slide 23, please.

8 This slide summarizes some of the topics from the AP1000 DCD,
9 Chapter 9 which are incorporated by reference into the Vogtle Chapter 9. For
10 this presentation, as an example of an IBR topic, I will describe the spent
11 fuel pool storage. As part of the AP1000 DC amendment, Westinghouse increased
12 the number of assemblies that could be stored in the pool from 619 to 889. And
13 as a result, Westinghouse performed new analysis in several areas. Next slide,
14 please.

15 In the initial AP1000 design certification there had been a COL
16 item for confirmatory structural analysis of the fuel storage racks to be
17 provided by the COL applicant, but as part of the design certification
18 amendment, Westinghouse provided a new design and the staff performed a
19 detailed review including audits and confirmatory calculations. The staff
20 concluded that the structural design of the pool met applicable regulatory
21 requirements. And this topic is no longer needed to be separately addressed by
22 COL applicants referencing the AP1000 design. Next slide, please.

23 With respect to spent fuel pool cooling, as a result of the
24 additional number of assemblies, Westinghouse updated the AP1000 thermal
25 analysis to show adequate spent fuel pool cooling for normal and accident

1 conditions. The spent fuel pool capacity is 190,500 gallons of water, although
2 there is a two-train, AC-powered, non-safety-related, spent fuel pool cooling
3 system, the safety analysis credits the thermal capacity of the tech spec
4 controlled volume of water from the pool with some other connected water
5 sources such as the cask wash-down pit to maintain the fuel in a submerged and
6 cool condition. Pool water level instrumentation is safety-related, is
7 controlled by tech specs, and is alarmed in the control room. Two spray
8 headers were added to the pool as part of the amendment. The scenarios
9 Westinghouse analyzed included blackout, seismic, and emergency fuel core
10 offload. Next slide, please.

11 The spent fuel storage racks can hold a total of 889 assemblies.
12 There are two regions in the pool: region one, with 243 assemblies, and region
13 two with the remaining. Region two has a higher density of assemblies, and the
14 criticality analysis for that region considers poison panels which are Metamic
15 -- which are boron materials to absorb neutrons, soluble boron and credit for
16 fuel burnup. Westinghouse's analysis was done in a manner consistent with
17 present staff review guidance. A separate analysis was also done to show the
18 pool remained sub-critical if flooded with un-borated water. Next slide,
19 please.

20 This table describes the scope of the staff's COL review for
21 Chapter 9. In the next slide, I will summarize the staff's review of each of
22 the topics of interest for the COL review, namely the Metamic coupon monitoring
23 program and the raw water system. Next slide, please.

24 Initially, the applicant did not provide sufficient detail of the
25 Metamic coupon surveillance program for the spent fuel pool neutron-absorbing

1 material. This was due to limited service experience with the material.
2 However, the applicant subsequently revised its FSAR to include additional
3 details of the program, which the staff evaluated in Section 9.1 of the FSER.
4 The applicant's program includes tests to monitor for blistering, bubbling,
5 cracking, or flaking, as well as a test to monitor for corrosion of the spent
6 fuel pool neutron absorbers. The need for this coupon monitoring program arose
7 from experience in the operating plants in which similar neutron-absorbing
8 materials were found to have degraded over years of operation. The staff
9 proposed a license condition that requires the implementation of a Metamic
10 coupon-monitoring program prior to initial fuel load. The licensee will have a
11 monitoring program in place during plant operation to detect any potential
12 degradation of the neutron-absorbing material. Next slide, please.

13 The AP1000 DCD does not describe the design of the raw water
14 system. DCD Chapter 1 states that the raw water system is wholly out of scope.
15 Therefore, SNC provided the detailed design of the site-specific raw water
16 systems. The raw water system is classified as non-safety-related. The raw
17 water system serves no safety-related function and therefore has no nuclear
18 safety design basis. Raw water system is broken down into two subsystems, the
19 river water subsystem and the well water subsystem. The river water subsystem,
20 the source is the Savannah River. For the well water subsystem, the source is
21 from onsite deep wells. The raw water system supplies water to many users
22 including the service water system cooling towers, fire protection systems,
23 circulating water system cooling towers, and circulating water system pumps.
24 It also supplies dilution water for rad waste discharge if the circulating
25 water system is not available. This is just a partial list to give you a few

1 examples. Next slide, please.

2 The staff reviewed the applicant's FSAR and issued RAIs regarding
3 the design of the raw water system. The staff's review focused on GDCs 2 and 4
4 to ensure that the facility and the raw water system and the components will
5 not adversely affect the ability of other systems to perform their intended
6 safety-significant functions. The applicant responded that the raw water
7 system does not directly interface with any safety-related systems and is not
8 routed in close proximity to safety-related SSCs. The majority of the piping
9 is routed underground, and any flood resulting from a break in the raw water
10 system piping is bounded by the analysis for a break in the circulating water
11 system piping. The flood analysis for the CWS in the yard ensures that the
12 potential water sources are located far from safety-related SSCs and also that
13 the site grade would carry water away from them.

14 In summary, the staff concluded that the failure of the raw water
15 system or its components will not affect the ability of any safety-related SSCs
16 to perform their intended safety functions because the raw water system is not
17 located in the vicinity of any safety-related SSCs, and the water from the
18 postulated break will not reach them. Next slide, please.

19 The staff review also focused on 10 CFR 20.1406 to ensure that the
20 raw water system is adequately designed to prevent contamination at the
21 facility and environment. The applicant stated in the RAI response that
22 contamination of the raw water system piping is not plausible based on the raw
23 water system design -- it's pressurized -- and because the raw water system has
24 no direct interconnection with any system that contains radioactive fluids.
25 The staff concluded that the contamination of the raw water system is not

1 credible due to its configuration relative to potential sources of
2 contamination and meets 10 CFR 20.1406. Next slide, please.

3 And now for the staff review of Vogtle COL Chapter 12 Radiation
4 Protection. Next slide, please.

5 This table describes the scope of the staff review of Chapter 12.
6 One the next slide, I will summarize the staff's review of the topics of
7 interest including minimization of contamination and radiation exposure of
8 construction workers. Next slide, please.

9 The AP1000 DCD described the AP1000 plant design in compliance with
10 10 CFR 20.1406, Minimization of Contamination. However, it's the COL
11 applicant's responsibility to describe its operational programs and site-
12 specific information that demonstrates regulatory compliance. SNC revised the
13 Vogtle FSAR to adopt NEI 08-08A. This document describes how the facility
14 design and procedures for operation will minimize to the extent practical
15 contamination of the facility and the environment. This information was
16 reviewed by the staff and is consistent with Reg. guide 4.21. SNC agreed to
17 develop a groundwater monitoring program whose scope goes beyond the normal
18 effluent monitoring program typically used in current operating plants. SNC
19 also provided site-specific information describing design features associated
20 with exterior radioactive waste discharge piping. These features are
21 implemented to control the unplanned or undetected release of radioactivity
22 from that system. This information is described in Sections 9.2 and 11.2 of
23 the Vogtle FSAR. The staff's review of the applicant's information provided in
24 the FSAR confirms that the applicant meets the requirements 10 CFR Part
25 20.1406. Next slide, please.

1 The applicant was requested to describe the expected radiation
2 exposure to the construction workers building Vogtle Units 3 and 4 from all
3 radiation sources during construction. These workers would be considered
4 members of the public under 10 CFR 20.1301, and the staff asked the applicant
5 to provide the basis for these dose estimates. Accordingly, in Vogtle FSAR
6 Section 12.4, SNC described the contributions to construction worker dose from
7 the various direct radiation sources, including the existing Vogtle Units 1 and
8 2 and proposed independent spent fuel storage installation and the planned
9 Vogtle Unit 3.

10 In addition, SNC described the contributions to construction worker
11 dose from gaseous and liquid effluents release during the normal operations of
12 Vogtle Units 1 and 2. Since the exposure to construction workers completing
13 the Vogtle Unit 4 would be the most conservative or bounding, it is discussed
14 in more detail.

15 SNC estimated that the annual whole body dose to a Vogtle Unit 4
16 construction worker from all radiation sources would be approximately 23.8
17 millirem. This dose is well below the 100 millirem per year limit to members
18 of the public. In Vogtle's FSAR Section 12.4, SNC also addressed the conduct
19 of surveys in uncontrolled and restricted areas to implement 10 CFR 20.1302 and
20 demonstrated compliance with the standards of Part 20.1301. The staff's review
21 of the applicant's information provided in the FSAR confirms that the applicant
22 meets the requirements of 10 CFR Part 20.1301.

23 And now the staff review of the Vogtle Chapter 14 Initial Test
24 Program. Next slide.

25 This table describes the scope of staff's review of Chapter 14. In

1 the next slide, I will summarize staff reviewed two topics, first plant-only
2 tests and first three plant-only tests. Slide 38.

3 The first plant-only tests are special prototypical tests that
4 establish the performance parameters of the unique design features of the
5 AP1000 standard design that will not change from plant to plant. Because of
6 standardization of the AP1000 design, once such a test is successfully
7 completed, it will not be required of subsequent plants. There are seven tests
8 shown on the next slide for your reference, but I do not plan on discussing
9 them in detail. Some of the tests are conducted post-fuel load.

10 For this Vogtle COL, the staff has proposed a license condition to
11 cover the entire startup testing program during pre-operational testing and
12 power ascension testing. All licensees that reference the AP1000 design will
13 have to perform special tests or first-three plant tests unless they request a
14 license amendment based on an acceptable result which is applicable to their
15 plant. Next slide, please.

16 So this is the list of tests that I'm not going to discuss. All of
17 these tests will be required by license condition. Next slide, please.

18 The first three plant tests will verify the performance of the
19 AP1000 design features and do not change the design parameters or operation of
20 the AP1000 plant. In addition, these tests are intended to confirm consistent
21 passive system functions prior to allowing a subsequent COL to admit
22 performance of the testing. There are two first three plant-only tests. They
23 are the core makeup tank heated recirculation test and the automatic
24 depressurization system blow down test. Both tests are performed prior to fuel
25 load. Once again, a license condition is proposed to cover these tests during

1 the pre-operational testing. This concludes the staff's overview of this panel
2 and the safety review.

3 CHAIRMAN JACZKO: Well, thank you. I want to start with the
4 question on the EALs that I'm just a little confused why they're not specified
5 at this point.

6 DENISE MCGOVERN: I will call on my colleague from Emergency
7 Planning.

8 BRUCE MUSICO: Good morning. My name is Bruce Musico. I'm a
9 senior emergency preparedness specialist. I was the reviewer for the Vogtle
10 application for the emergency plan. What was the question again, please?

11 CHAIRMAN JACZKO: Well, we have a license condition that specifies
12 the completion of the EALs within 100, 180 days of some period of -

13 BRUCE MUSICO: Yes, 180 days.

14 CHAIRMAN JACZKO: It's unclear to me why that they're not already
15 specified.

16 BRUCE MUSICO: They're not specified because a lot of them are
17 based on the as built aspects of the plant systems and equipment.

18 CHAIRMAN JACZKO: Okay, give me a little more -- give me a little
19 bit more about that.

20 BRUCE MUSICO: Well, the EALs are basically -- it's a scheme that
21 has certain triggers that initiate actions with respect to an emergency
22 preparedness program.

23 CHAIRMAN JACZKO: Yeah, I know what the EALs are, but not -- I mean
24 -- so we don't know specific parameters at this point, insufficient details in
25 the EALs?

1 BRUCE MUSICO: There are some that we don't know yet. So there's a
2 structure in NEI 0701 which is from industry with respect to what they'll look
3 like. And a lot of them could be specified at this time, but the complete
4 scheme is not available yet.

5 CHAIRMAN JACZKO: Does Part 52 require the EALs to be submitted at
6 the application?

7 BRUCE MUSICO: No, no. Part 50 requires the submission of the EAL
8 scheme. Part 52 doesn't address it. What Part 52 does, with respect to
9 emergency planning, it refers you back to the requirements to Part 50.

10 CHAIRMAN JACZKO: Right. And 50.47 includes -- so it includes --
11 so it requires the specification of the scheme, not of the EALs themselves?

12 BRUCE MUSICO: Well, EALs are part of the scheme. And EALs, you
13 have certain equipment and system triggers that will initiate certain actions
14 which result from classification, one of the four classifications of
15 emergencies at the plant.

16 CHAIRMAN JACZKO: Okay, so it may be a -- maybe I can just get a
17 written kind of answer to this. You said, just as I tracked through it, Part
18 52 requires that -- the requirements of 50.47 are included in the application.
19 I thought that included the requirements for the EALs too.

20 BRUCE MUSICO: Maybe I could expand on that. It does. But that's
21 why we have a license condition that they'll have to submit at 180 days prior
22 to fuel load, so we'll have a chance to review them prior to loading fuel.

23 CHAIRMAN JACZKO: Right, and again, I don't want to belabor this.
24 We have some other questions but the requirement in Part 52 is in the content
25 of the application, so the information was not included in the application, so

1 presumably there would have been an exemption to 52- whatever-it-is - 52.79 -
2 20-something, whatever it is.

3 BRUCE MUSICO: No, no. The requirement for the EALs, when we do
4 get them, again, they'll be evaluated against -- they'll be consistent with NEI
5 0701. We'll evaluate the adequacy of them at that time.

6 CHAIRMAN JACZKO: Well, yeah -- I still have other questions I want
7 to get to. I'm -- you can give me a writing of a better explanation of why
8 they weren't included in the application, but I don't want to belabor --

9 BRUCE MUSICO: We can do that.

10 CHAIRMAN JACZKO: Okay, good. Thank you. I wanted to turn to the
11 applicant for a moment. And I'm not going to ask the staff anything about this
12 because I promised Mike Johnson I would never ask about ITAAC again, but I
13 didn't promise I wouldn't ask the applicant about ITAAC. So we've had a lot of
14 discussion -- well, let's say I've had a lot of discussion about ITAAC and I
15 worry a little bit about lack of clarity when we get into an important phase of
16 when we issue a license and we're in a phase where we're trying to resolve
17 ITAAC and we've had confusion about what ITAAC means. And in some cases, I
18 think that there is a tremendous amount of vagueness in the ITAAC which could
19 lend itself to confusion about what they ultimately need.

20 So I asked a question in the pre-hearing questions and hopefully
21 you've all received copies of pre-hearing questions. I believe -- and I asked
22 how we would resolve disagreements. And it's particularly asked how we would
23 ultimately compel an applicant to perform a different test inspection or
24 analysis if, one, that either that the staff had done was inadequate,
25 especially in those cases where we didn't specify a particular test, or it was

1 just a generic statement that a test will be performed, something to that
2 effect, which to my surprise appears to exist in more ITAAC than I was aware.
3 And the staff's response, they stated that ultimately -- and this is almost a
4 direct quote -- the NRC is responsible for interpreting requirements of the
5 ITAAC.

6 So I'll ask you as the applicant, do you concur that ultimately the
7 staff is responsible for interpreting the requirements of the ITAAC? A simple
8 yes or no would do. I'll take that as a yes.

9 WESLEY SPARKMAN: Well, we both have the requirement, but they
10 ultimately have the requirement to ensure that it's done, and we have to meet
11 what they require of us. So we are required to meet the requirements of the
12 ITAAC, but it --

13 CHAIRMAN JACZKO: "But" is no answer. If the answer's no, that's
14 fine. You just tell me yes or no. The statement that the staff made is that
15 ultimately the NRC is responsible for interpreting the requirements of the
16 ITAAC. So do you agree with that statement or not?

17 CHUCK PIERCE: This is Chuck Pierce, Southern Nuclear. We agree
18 with that statement.

19 CHAIRMAN JACZKO: Okay, thank you. I want to touch on -- I won't
20 touch on it [unintelligible]. Commissioner Svinicki?

21 COMMISSIONER SVINICKI: Thank you. I'll also begin with a question
22 for the applicant witnesses. Could you elaborate on the operating experience
23 that you evaluated with respect to the Metamic and explain somewhat at a high
24 level but with some specificity why you are confident that the coupon
25 monitoring program that you developed and that the staff accepted will ensure

1 that there is no unacceptable degradation over time in this material?

2 WESLEY SPARKMAN: With respect to that material, there is not a lot
3 of data, but we do believe that having a program that will monitor it on an
4 ongoing basis would capture, in addition to operating experience, would capture
5 anything that we need to capture to ensure that we can catch any degradation in
6 time to prevent it from causing any issues with it.

7 COMMISSIONER SVINICKI: So it's -- is it accurate to state that the
8 development of your monitoring program was more focused on a bit of an early
9 warning system or catching degradation, not necessarily just proof of
10 preventing degradation but catching it if it does occur because there is, as
11 you stated, not as much experience and data on this material at this point in
12 time?

13 WESLEY SPARKMAN: That would be correct.

14 COMMISSIONER SVINICKI: Thank you. For the staff, I think, Eric,
15 this would be a question for you. You discussed the deviations. I don't know
16 if you gave a figure. I have a figure. I'm not sure that it's right, taken
17 from regulatory guide 5.71. The applicant cyber security plan -- characterizes
18 nearly all of those deviations as being minor. You did indicate that there was
19 one non-minor deviation. But I also understood the case to be that many of the
20 deviations, even the minor ones, are technology specific or relevant to the
21 AP1000, and I also understand that the staff will inspect the cyber security
22 plans for other AP1000 applicants either to have taken or take in the future
23 similar deviations. Is the staff giving any consideration to the development
24 of a technology-specific or AP1000-specific kind of subchapter to Reg. Guide
25 5.71 that could eliminate the need for NRC to review and grant all of these

1 non-minor and minor deviations and eliminate the need to grant these
2 repeatedly? And some, you know, are often confused of why we have to grant
3 deviations and exceptions from things. Does that give any programmatic
4 consideration to the development of the technology specific Reg. Guide for the
5 AP1000?

6 ERIC LEE: No. The regulatory guide is a guide that is written for
7 all different types of technology, and it provides a framework and currently
8 know address the currently known vulnerabilities and root causes that could be
9 used by the adversaries to cause, you know -- compromise our [unintelligible]
10 or assets. And so part of philosophy that we follow using the NIST standard
11 and it applies to all different technology, so it could be continuous.

12 COMMISSIONER SVINICKI: Well, and this isn't something that is
13 germane to the regulatory findings that need to be made for this mandatory
14 hearing. It's a bit of a programmatic tangent. I'm sure the staff is aware
15 and the Commission is very aware that many of the agency's external
16 stakeholders feel that our repeated granting of deviations and exceptions is a
17 failure of our regulatory program, so, I point out that if a substantial number
18 of deviations have to do with the fact that they simply have no applicability
19 to the AP1000 then it's -- it just makes the statistics look a certain
20 direction and I don't think it's accurate. You don't need to make a comment on
21 that. Could you describe very generally the difference of how staff decided
22 certain tasks would be the first three plant versus the first plant only? I
23 think, Denise, you have a very general description of what fell in each
24 category, but were there any judgment calls that you made and something could
25 have been the first plant to the first three was a bit of a judgment call?

1 JUAN PERALTA: Good morning. Juan Peralta, Chief vendor of
2 inspections, Office of New Reactors. Well, these decisions were made back when
3 the AP600 was being reviewed. There's a lot of judgment call because some of
4 these tests are transient, so yes, there was a consideration, one was practical
5 at the time and which ones where we more comfortable respect to tests in the
6 test facilities, which ones we need to observe at the actual test site. So
7 there was a lot of judgment call and back and forth in discussion with the
8 applicant at the time.

9 COMMISSIONER SVINICKI: But overall this was -- at the end of the
10 day, was it pretty much a consensus to you amongst the staff of which should be
11 the first plant, the first three plants, was there any -- there weren't any
12 non-concurrences or anything?

13 JUAN PERALTA: Absolutely not.

14 COMMISSIONER SVINICKI: Okay. Thank you very much. And then I
15 hope this -- perhaps the applicant could address this quickly in my remaining
16 time, but between the issuance of the ESP and the COL application, the
17 locations of the operations support center and the technical support center
18 changed, could you briefly describe what prompted those changes? This is for
19 the applicant.

20 THEODORE AMUNDSON: The actual change was just to the TSC only.

21 COMMISSIONER SVINICKI: Okay.

22 THEODORE AMUNDSON: From the time of the application, from the ESP
23 application, basically the -- at the time of the ESP application, we had
24 prepared preliminary design for support buildings such as the building that
25 would house the technical support center. Between the time of the ESP

1 application and the COL application, those designs were refined and modified
2 somewhat and so we had to reflect the change in the design of those support
3 buildings and the location of those support buildings, and that prompted the
4 variance that we submitted as part of the COL application.

5 COMMISSIONER SVINICKI: And do I recall a figure correctly from the
6 staff's presentation, was it I think Denise said 150 feet?

7 THEODORE AMUNDSON: 150 feet is correct.

8 COMMISSIONER SVINICKI: Okay, thank you. Thank you, Mr. Chairman.

9 CHAIRMAN JACZKO: Commissioner Apostolakis.

10 COMMISSIONER APOSTOLAKIS: Thank you, Mr. Chairman. This is a
11 question for Eric. The ACRS in this letter notes the level of protection
12 designated for the technical support center is lower than that for the units
13 and I understand that you had the give and take with ACRS with that. Will you
14 briefly tell us what this is about?

15 ERIC LEE: Yes, sir. During the presentation to ACRS, there was
16 some discussion as to whether TSC is critical digital asset or not. But, as we
17 have explained in our presentation, the cyber security plans is supposed to --
18 regulation requires licensees to submit cyber security plan and cyber security
19 plan supposed to describe how they are implementing their cyber security
20 program to provide high assurance that critical digital assets that are
21 protected from cyber attacks, and also the regulation requires that -- let me
22 read actually - additionally the cyber security regulation states that the
23 policies, implementation procedures and site specific analysis and other
24 supporting technical information used by the licensees, and that needs to be
25 submitted for Commission's review and approval as a part of the cyber security

1 plan. But they are subject to NRC's periodic inspections, so at this time --
2 as a part of the cyber security plan it is not necessary for them to, you know,
3 make that determination. However, what they have give us in the cyber security
4 plan is that criteria that will be used to identify what systems are within the
5 scope of a -- in a CDA and what systems are not. So at this time, we have that
6 during inspection time, we will determine whether they have applied those
7 criteria properly or not.

8 WHEREUPON,

9 CRAIG ERLANGER

10 was called as a witness for the staff of the Nuclear Regulatory
11 Commission and, having been previously duly sworn, assumed the witness stand,
12 was examined and testified as follows:

13 CRAIG ERLANGER: Good morning, everyone, my name is Craig Erlanger.
14 I'm the chief of cyber security and integrated response branch. I'm a sworn in
15 witness. Sir, I was at that meeting when the question was posed and at the
16 time the applicant proposed where they felt the TSC would fit in their defense
17 of architecture. What is important to note is that regardless of where the
18 assets actually fits -- in this case technical support center -- all the cyber
19 security controls that are outlined in regulatory guide will be applied thought
20 of throughout the process, so when the applicant eventually makes its
21 determination where the technical support center will sit in its architecture,
22 as Eric mentioned, we will look at it in inspection, but the bottom line is
23 they have to go through the process of applying all the security controls
24 outlined in the Reg. Guide. We can't speak today. We did not review where
25 individual assets fell in the architecture but as Eric mentioned, in the

1 oversight program, that's one of the elements we'll look at.

2 COMMISSIONER APOSTOLAKIS: Is it true that the level of protection
3 is lower?

4 MICHAEL SHINN: This is Mike Shinn. No, the level of protection is
5 not lower as Mr. Erlanger stated. All CDAs must address all of the security
6 controls in the cyber security plan.

7 COMMISSIONER APOSTOLAKIS: So it appears that the committee and you
8 agree that this is a generic issue. So how can it not be lower and be a
9 generic issue? That's what it says here. The [unintelligible] -- this will be
10 addressed in the [unintelligible]. This is a potential generic concern, there
11 will be special meetings with subcommittee of the ACRS and discuss it. Is that
12 consistent with what you just said? The level of protection is not lower?

13 CRAIG ERLANGER: Commissioner, this is Craig Erlanger again. I
14 think in one respect that question to fall to the applicant, where they decided
15 -- when they eventually decide where they're going to place that in the
16 architecture. Again, all of the security controls, they go through a process
17 where each are applied to a critical digital asset. Today, I can't answer you
18 where they determine it's going to fall. They may not know where they can --
19 they may not be at that stage but it will be addressed. I don't believe it's a
20 generic issue at this time.

21 COMMISSIONER APOSTOLAKIS: Yes, sir?

22 JERRY SIMS: We will have to communicate at the TSC with the
23 county, a state, a lot of local people who will have digital systems that will
24 be interfacing with the TSC. The TSC will be at a level 2, which is a level
25 that's lower than the other levels - for the critical systems. But as Craig

1 has noted, there will be interface between those systems that will be
2 controlled through the cyber security controls to ensure that those higher
3 levels are not exposed because of the level 2 communication and data transfer
4 occurring at the level 2.

5 COMMISSIONER APOSTOLAKIS: I would appreciate a written response,
6 because I must say -- it's not very clear to me what exactly would happen.

7 CRAIG ERLANGER: No problem, we can do that. What I will offer to
8 build on Mr. Sim's comment is what you read in the Reg. Guide is an
9 architecture that has multiple levels at the higher levels, what is espoused is
10 one way communication. What Mr. Sims is alluding to due to the function of the
11 technical support center there is a need for bidirectional communication,
12 probably part of the rationale of why the applicant decided to put it on that
13 level. But again, all the security controls are applied but there is a need
14 for bidirectional communication. And we will provide you with a written
15 response.

16 COMMISSIONER APOSTOLAKIS: What does the applicant gain by
17 declaring level 2 protection rather than 3 or 4? Is it really that expensive
18 or what is it?

19 JERRY SIMS: Well, we're required by a regulation to be able to
20 communicate that data to all these other agencies. So we don't have control
21 over their circuits. So because we're required to communicate with them, then
22 that takes place at the level 2.

23 COMMISSIONER APOSTOLAKIS: Level 2, [inaudible].

24 JERRY SIMS: But, we are protecting the exposure that that would
25 create to the higher levels relative to a cyber security attack vector or

1 something like that.

2 COMMISSIONER APOSTOLAKIS: Thank you very much. Thank you. Thank
3 you, Mr. Chairman.

4 COMMISSIONER MAGWOOD: Thank you, Mr. Chairman. Stay on cyber
5 security for a moment. I appreciate your history of the evolution of the cyber
6 security. It's a good dissertation. You pass on the history.

7 [laughter]

8 COMMISSIONER MAGWOOD: The -- I was reviewing 73.54 and it's --
9 I'll just read a little part of it here. It says in paragraph (a)(1): Licensee
10 shall protect digital computer and communication systems and networks
11 associated with safety related important safety functions, security functions
12 and emergency preparedness. And that's interesting because it speaks very
13 clearly to protection of the cyber systems. Much of what we do at NRC is focus
14 on protecting the core. This is a little bit different. However, I noticed
15 that the license condition related to the cyber security program, which is
16 condition 2D-11, indicates that the cyber security program has to be in place
17 prior to fuel load. And I wonder if you can explain whether there is a window
18 of vulnerability from our standpoint as to whether the cyber security program
19 has been verified and in place, after the systems have been installed, because
20 seems to me the systems to be installed long before the fuel's been loaded, so
21 what's -- what's happening in that in-between period?

22 ERIC LEE: The -- let me collect my thoughts before I --

23 COMMISSIONER MAGWOOD: You've got some help up there if you want
24 it.

25 [laughter]

1 CRAIG ERLANGER: Sir, I'll start off the response, and Eric and
2 Michael, please chime in if I miss anything. There's also an additional
3 license condition that adds that one year after license is granted, the
4 applicant, who will then be a licensee, will submit a implementation schedule
5 and continue to submit that implementation schedule up until I believe it's six
6 months prior to fuel load. That will afford the staff the opportunity, as we
7 develop our oversight program and have interaction with the licensee to
8 understand what systems have been implemented and whether it would be
9 appropriate to go out and do an inspection. But again we're not -- the intent
10 is not to wait until six months prior to fuel load to go out there, and then
11 they've gone down a path that can't be corrected or there's a problem.

12 COMMISSIONER MAGWOOD: So then why have the license conditions and
13 cyber security program be in place at fuel load instead of at some point --

14 CRAIG ERLANGER: Another element, as well as it's consistent, it's
15 a milestone is consistent with the physical security program. It's important
16 to note that 73.54 the cyber security plan and program implementation is tenet
17 over the overall physical protection strategy is one of four security plans and
18 consistency of milestones implementation. That's why the whole entire physical
19 security program will be in place at that time.

20 COMMISSIONER MAGWOOD: Okay, I want to think about that bit
21 further, though. I'll take that for now and move on to something else.

22 Talk about emergency planning. There's -- as you highlighted in
23 your presentation, there's an ITAAC that requires full participation exercise
24 within I think, Appendix E says two years prior to fuel load. One question I
25 have about that is, I haven't seen these any specificity -- maybe I should

1 direct this to the applicant first, and I'll come back to the staff at another
2 point. Is there any clarity as to when that test will actually be scheduled?
3 I know it has to be two years prior. Can you define that at this point?

4 THEODORE AMUNDSON: Yes, we have. We have to work with the state
5 and local agencies, federal agencies including the NRC and FEMA for the conduct
6 of exercises that we conduct throughout the fleet throughout the region. We
7 meet periodically with those agencies. We look ahead, we plan when are we
8 going to have to have those exercises conducted. And on a preliminary basis,
9 we put a place keeper in for Vogtle Unit 3's exercise for January of 2015.

10 COMMISSIONER MAGWOOD: Thank you. Appreciate that. For the staff.
11 What's FEMA's role in that -- at that point, I assume? FEMA -- this will be
12 part of the emergency planning program at that point, so FEMA will evaluate the
13 exercises as it evaluates all the other exercises, so does that require FEMA's
14 evaluation to be complete, and provided to the NRC before the ITAAC can be
15 closed?

16 BRUCE MUSICO: Yes.

17 COMMISSIONER MAGWOOD: Okay. Appreciate that. At one point. And
18 I think this is less -- this is partially an emergency planning question,
19 partially a TSC question. One of the requirements of TSC is that there be easy
20 access between the TSC and the control room. We've talked already about how
21 the control room and TSC both have to have a habitable environment in case of a
22 severe accident. Now, the way the TSC is located, the orientation, the TSC --
23 the control room there's a distance, it's not a great distance, but it's a
24 distance. And I think there was something in the SER about there being a
25 motorized vehicle could be available to transport people back and forth as

1 necessary? In the event of a severe accident, how would you handle exposures
2 of personnel who had to go back and forth? Would you go back and forth or
3 would that just not be necessary if you had the situation where those --

4 BRUCE MUSICO: That issue was addressed during the ESP proceedings.
5 The ASLB specifically asked about the habitability in transit from the TSC to
6 the control room and back. And there's equipment in place to protect the
7 personnel in the event they have to go from one facility to the other, and
8 that's explained in the Safety Evaluation Report.

9 COMMISSIONER MAGWOOD: Okay, so there was preparation, there was
10 equipment, so you could get people from one place to the other --

11 BRUCE MUSICO: Yes. Yes.

12 COMMISSIONER MAGWOOD: Okay. I'll look into that. Thank you.
13 Thank you. Thank you, Chairman.

14 CHAIRMAN JACZKO: Commissioner Ostendorff.

15 COMMISSIONER OSTENDORFF: Thank you, Mr. Chairman. I'll also go
16 along with Commissioner Magwood on emergency planning, to start out. The big
17 picture with respect to the Vogtle license and interface emergency planning
18 area, the state, local officials, offsite first responders, were there any
19 significant comments that -- or concerns that were raised - in those areas?

20 DENISE MCGOVERN: -- Not that I'm aware of but I'll [inaudible].

21 BRUCE MUSICO: In regard to what, sir?

22 COMMISSIONER OSTENDORFF: Primarily offsite response -- were the
23 responsibilities of the people that are not part of the utility, but
24 firefighters, police, et cetera that might be called upon to coordinate with
25 the licensee for the offsite piece of this.

1 BRUCE MUSICO: Not that I'm aware of. It's important to note that
2 the plant currently has an existing operational emergency plan in place. The
3 license for Unit One was issued in 1987. The license for Unit Two was issued
4 in 1987. At that time, they had to comply with the existing emergency planning
5 requirements that were essentially established after the Three Mile Island
6 accident in 1979, and ever since then, for the next 24 years, up until about
7 now, up till now, those emergency plans are in place, they're operational,
8 they're functional, they're periodically tested and evaluated by us as well as
9 FEMA. So I haven't heard anything even --

10 COMMISSIONER OSTENDORFF: Well let me just -- for time's sake focus
11 on the two new sites down there in the Vogtle proposal, that went from two to
12 four reactors. I should have rephrased the question. Anything in that
13 particular context about going from two to four reactors?

14 BRUCE MUSICO: From an off-site standpoint, no because essentially
15 nothing changes off site.

16 COMMISSIONER OSTENDORFF: Okay. Thank you. Let me, Denise, a
17 question on testing, first plant-only test, this is on slide 39. There's a
18 reference to natural circulation test and to my understanding, that basically
19 that test would be conducted in order to demonstrate the unit's ability to cope
20 with a station blackout. And I'm going to ask two questions here. One is, can
21 somebody talk at a very high level about describing that test and to what
22 extent does it mimic a station blackout condition? And the second question is,
23 I believe there are natural circulation tests for existing plants, as part of
24 their licensing back many years ago and how that test might compare to what
25 might have been done for natural circulation tests and existing tests.

1 WHEREUPON,

2 JUAN PERALTA

3 was called as a witness for the Nuclear Regulatory Committee and,
4 having been previously duly sworn, assumed the witness stand, was examined and
5 testified as follows:

6 JUAN PERALTA: Juan Peralta, again. Natural circulation of the
7 AP100 is a specific design feature, so it's not the test that is conducted in
8 existing fleet -- it's a unique feature that is part of the design basis of the
9 facility as opposed to the natural circulation in the existing plants. But
10 it's not actually specifically tied to a station blackout. It's simply a
11 thermal-hydraulic test to verify that the behavior of the phenomena in the
12 AP1000 design. There are other tests that will address station blackouts.

13 COMMISSIONER OSTENDORFF: Okay, is there a relationship between the
14 other tests and station blackout and natural circulation test referred to for
15 the first --

16 JUAN PERALTA: No, not explicitly no. This is one aspect of the
17 passive core cooling system that is done, only to verify behavior at that
18 stage. There's a separate test for station blackout, to subject the plant to
19 that event and see its behavior.

20 COMMISSIONER OSTENDORFF: Can you briefly summarize the other test
21 for station blackout? It's okay, come back to Marty, but -- I'd be interested
22 in knowing in some detail what the test you're referring to are for station
23 blackout purposes.

24 Eric, I have a question for you, on the cyber area. And over the
25 last year or so there's been discussions with NERC and FERC, about the boundary

1 between the NRC and FERC/NERC with interface typically for nominal purposes of
2 the switchyard interface and discussion about the bright line surveys and
3 determining where that interface or handoff is between the NRC and other
4 agencies. Are there any issues or concerns you have, with the proposed cyber
5 plan as to that interface boundary between FERC/NERC responsibilities?

6 ERIC LEE: No sir. As you may be aware, the staff already -- SECY
7 paper in response to Commission's SRM to associated with specifically
8 addressing the issues to define what it means to be important to safety. And
9 we have provided that information to the Vogtle and they have implemented their
10 -- revised to reflect the changes into their Vogtle plan.

11 COMMISSIONER OSTENDORFF: Have there been any challenges or misuse
12 of interpretation or application of that guidance?

13 ERIC LEE: Not that I'm aware of sir.

14 CRAIG ERLANGER: Sir, I'll just add that we continue to work with
15 FERC and NERC and to date there have been no challenges and as Eric mentioned,
16 as the author of the staff response in November, the applicant did supplement
17 their cyber security plan on the docket to reflect the Commission's
18 interpretation. So it's captured in a licensing action and we continue on a
19 day to day basis to work NERC and FERC on implementation.

20 COMMISSIONER OSTENDORFF: Let me ask the applicant, are there any
21 concerns in this area?

22 JERRY SIMS: No sir. We will include BOP critical systems and look
23 at those CDAs that would be part of that interface. And if the interface
24 moves, we'll move with it.

25 COMMISSIONER OSTENDORFF: Thank you. Thank you Mr. Chairman.

1 MALE SPEAKER: Are there other or comments on these sections?

2 CHAIRMAN JACZKO: I had one area that I wanted to briefly explore.
3 The --this is not something we've talked a lot about, but it's similar context
4 to the technical support center. One of the first votes, actually, the first
5 one of, maybe the first vote I cast, probably the first substantive vote I cast
6 as Commissioner was to approve the combined EOF for seven for Vogtle Farley and
7 Hatch and one of the concerns I had at that time is whether that would really
8 be a workable system. And coming out of that, one of comments that Southern
9 made was to do a drill, a dual site drill once every five years. And I assume
10 that decision was in 2005, one of the drills has been conducted.

11 THEODORE AMUNDSON: Yes, those drills have been conducted.

12 CHAIRMAN JACZKO: The question that I have is of course, one of the
13 challenges we saw from Fukushima was the potential for multi-unit events. And
14 if the Commission approves this license and you're successful and constructing
15 plants at Vogtle, even at four units there, that would be a large site. So
16 your EOF would be handling potentially large, potentially a large number of
17 units at one time, up to potentially eight units. Have you considered, for the
18 EOF, what the impacts would be on the EOF to handle a large number of events
19 like that simultaneously?

20 THEODORE AMUNDSON: One of the things that we have done is look at
21 the impact of adding two more units to the UF, Vogtle 3 and 4. And --

22 CHAIRMAN JACZKO: And when you say that, does that mean the impact
23 of simultaneously having to deal with all of those units or --

24 THEODORE AMUNDSON: We already are in place, for an example, the
25 tech--as I mentioned in my previous testimony, the technical support center is

1 designed to handle an event on one or all four units at the same time. The
2 existing EOF is designed to handle an event at multiple sites and that would
3 include two sites, two reactors at each site. So it's already designed to
4 handle from four units.

5 Now we've been looking at it in terms of our planning for the EOF.
6 If going to be adding two more sites, or two more reactors, one more site. And
7 we have already looked at that and are planning and working that into our
8 emergency planning procedures so that we will in fact be able to handle
9 multiple units, multiple sites at one time.

10 CHAIRMAN JACZKO: Well that's good to hear, and I recognize at this
11 point, there's not a clear regulatory basis for this but I think as we look at
12 the Fukushima events, certainly one of the issues that I think we're going to
13 have to address is somehow how we handle multiple unit events and so it's good
14 to hear that this is something you're thinking about. And that if we do move
15 in that direction, it sounds like you'll be prepared to handle that.

16 THEODORE AMUNDSON: We believe we will be. Yes.

17 CHAIRMAN JACZKO: Thank you. Any other questions? Okay, thank
18 you. We will take a quick, take a five minute break.

19 (Whereupon, a short recess was taken)

20 CHAIRMAN JACZKO: That last panel concluded our safety focus panels
21 for the hearing. We're now going to turn to the core environmental issues
22 raised by the application. During this panel, we'll focus on the environmental
23 impact statement including the staff's analysis and conclusions as well as the
24 process by which the staff developed the EIS. This is an area where the staff
25 works closely with governmental agencies at the federal, state, and local level

1 and with the public. Will all the panelists please state their names for the
2 record and your title?

3 WHEREUPON,

4 ROBERT SCHAAF

5 MALLECIA SUTTON

6 GREGORY HATCHETT

7 were called as witnesses for the staff of the Nuclear Regulatory
8 Commission and, having been previously duly sworn, assumed the witness stand,
9 were examined and testified as follows:

10 ROBERT SCHAAF: Robert Schaaf, acting Director of the Division of
11 Site, Environmental Review within the Office of New Reactors.

12 MALLECIA SUTTON: Mallecia Sutton, environmental project manager,
13 [unintelligible] reduction.

14 GREGORY HATCHETT: Greg Hatchett, I'm chief of the branch,
15 department of projects branch that led the review for this particular COL
16 action.

17 CHAIRMAN JACZKO: We'll begin with the same way, with the applicant
18 first for 15 minutes.

19 WHEREUPON,

20 DALE FULTON

21 AMY AUGHTMAN

22 CHUCK PIERCE

23 were called as witnesses for Southern Nuclear Operating Company
24 and, having been previously duly sworn, assumed the witness stand, were
25 examined and testified as follows:

1 DALE FULTON: Dale Fulton, Nuclear Development Environment Project
2 Manager for Southern Nuclear.

3 AMY AUGHTMAN: Amy Aughtman, AP1000, Licensing Supervisor.

4 CHUCK PIERCE: And I'm Chuck Pierce, the licensing manager for
5 Southern Nuclear.

6 CHAIRMAN JACZKO: I'm sorry, if you all could slide one way or
7 another. Thank you.

8 DALE FULTON: Again, my name is Dale Fulton, I'm the Nuclear
9 Development, Environmental Project Manager. I'm responsible for the
10 environmental licensing efforts and environmental activities associated with
11 the construction of Vogtle Units 3 and 4. I'll be giving you a general
12 overview of the environmental activities associated with the Vogtle 3 and 4
13 project that satisfies the National Environmental Policy Act or NEPA
14 requirements. Next slide please.

15 The NEPA activities associated with the Vogtle 3 and 4 project
16 covered the early site permit or ESP with the limited work authorization or
17 LWA, and included three license amendments for the ESP, a combined license or
18 COL that included an additional limit to work authorization request for our
19 COL, environmental report, it referenced the ESP environmental impact statement
20 that has finality. The process that governed the development of the COL
21 environmental impact statement, referencing an ESP environmental impact
22 statement is the new and significant process that provides a methodical,
23 comprehensive review of the conclusions presented in the ESP environmental
24 impact statement and the supporting information for those conclusions to
25 identify any new and significant information that has the potential to change

1 the NRC's conclusions presented in the ESP environmental impact statement.

2 Due to the timing of the submittal of our combined license
3 application, the environmental report was initially developed using the
4 information identified during the new and significant process on the draft ESP
5 environmental impact statement and was then revised to capture the conclusions
6 made in the ESP final environmental impact statement. This new and significant
7 process is procedurally controlled and the reviews will continue until the
8 issuance of the COL. Next slide please.

9 The Vogtle 3 and 4 ESP application was unique in that it was the
10 first application that did not follow the plant perimeter envelope and chose a
11 specific design, the AP1000. The ESP environmental report included additional
12 evaluations associated with items like need for power, cost, and site redress.

13 In addition, the ESP application included the environmental
14 evaluations associated with the request for LWA to install engineered back
15 fill, retaining walls, mud mats, water proof membrane and lean concrete fill.
16 The staff issued the ESP final environmental impact statement in 2008 with no
17 unresolved environmental issues. The impacts associated with the ESP ranged
18 from small to moderate for construction, which includes impacts associated with
19 site preparation, pre-construction, and the LWA activities. As for operations,
20 the impacts ranged from small to large but I'll point out that the large
21 impacts revolved around taxes and economy, which are beneficial, and therefore
22 the adverse impacts are small.

23 Another aspect of the environmental activities associated with the
24 ESP are the license amendments. These license amendments were granted,
25 allowing Southern to use Category I and Category II backfill material from

1 additional on-site sources and to use engineered granular fill over the side
2 slopes of the nuclear island excavation instead of Category I and II fill. Two
3 of the three license amendment requests included an environmental report
4 developed by Southern. License amendment I was for additional borrow sources
5 in areas not included in the safety analysis, however were included in the ESP
6 environmental impact statement. Since these areas are located in areas
7 impacted by construction or for permanent facilities.

8 Amendment II was for additional borrow sources in areas not
9 included in the safety analysis nor in the ESP environmental impact statement.
10 The environmental impacts associated with license amendment II did result in a
11 change in the ESP environmental impact statement conclusion with regard to
12 terrestrial impacts, from small to moderate. During our environmental
13 evaluations, triggered as part of the new and significant evaluations for our
14 COL and ultimately used to develop the environmental reports for the license
15 amendments identified the presence of two state listed threatened species, the
16 southeastern pocket gopher and the sandhills milk vetch. Again, these are
17 state threatened species and no regulatory requirement exists for protection.
18 However, Southern initiated consultation with the Georgia Department of Natural
19 Resources to conduct voluntary relocation to minimize the impacts of the two
20 species. Prior to disturbing the area, Southern in conjunction with Georgia
21 Department of Natural Resources and the University of Georgia, trapped and
22 relocated southeastern pocket gophers to areas on site outside of the footprint
23 of construction and in areas with better habitats for the species. As for the
24 sandhills milk vetch, we worked with the Georgia Department of Natural
25 Resources, the Georgia Plant Conservation Alliance and State Botanical Garden

1 of Georgia to also relocate this species to better habitat. Both voluntary
2 efforts have resulted in continual collaboration with the mentioned groups to
3 further research the species and refine conservation efforts.

4 The third amendment did not have an environmental consequence as it
5 was an administrative change to allow engineered granular fill along the slopes
6 of the nuclear island instead of the category I and II fill. The staff
7 conducted environmental assessments for the three amendments and concluded a
8 finding of no significant impact or FONSI, associated with the environmental
9 impacts. Next slide please.

10 Now let's discuss the environmental activities associated with the
11 COL application, which referenced the ESP environmental impact statement with
12 the new and significant process being the primary driver to develop Southern's
13 environment report and ultimately to staff's supplemental environmental impact
14 statement. As mentioned before, due to the timing, the initial environmental
15 report for COL was developed based on the conclusions in the draft ESP
16 environmental impact statement and was later revised to capture the ESP final
17 environmental impact statement. The COL application also included a request
18 for additional limited work authorization activities where Southern developed a
19 standalone environmental report for these activities in accordance with
20 regulation.

21 Since the environmental impacts associated with the second LWA
22 request were already evaluated and finality granted during the ESP, the
23 standalone environmental report evaluated the ESP environmental impact
24 statement conclusions and provided additional assurance that no additional
25 impacts result from the limited work authorization activities. In addition,

1 the second limited work authorization conclusions from -- in addition to the
2 second limited work authorizations, the conclusions from the three license
3 amendments were incorporated in the COL supplemental environmental impact
4 statement. The COL supplemental environmental impact statement was issued
5 earlier this year with no open items. The environmental impacts concluded in
6 the COL supplemental environmental impact statement were consistent with the
7 conclusions in the ESP environmental impact statement with the exception of the
8 change in terrestrial impacts from small to moderate, resulting from the
9 license amendments.

10 However due to the environmental findings and voluntary mitigation
11 efforts for the two state threatened species, the impacts will not destabilize
12 terrestrial resources. Again, the COL supplemental environmental impact
13 statement was issued with no open items. Next slide please.

14 Now I will discuss the new and significant review. But before I
15 get into the general overview, I would like to take a moment to discuss
16 Fukushima. Obviously the Fukushima event is the subject of a lot of
17 discussion. While it was tragic and unexpected, the accidents comparable to
18 the Fukushima accident, and severe accident mitigation design alternatives have
19 already been considered during the NEPA review for the ESP environmental impact
20 statement. Therefore there is no new and significant information.

21 Now the new and significant review. As previously mentioned, the process
22 used to develop to the environmental report for the COL application and
23 ultimately the staff's independent evaluation to develop the COL supplemental
24 environmental impact statement referenced the ESP environmental impact
25 statement, which is the new and significant process. For information to be

1 new, it must have not been considered in preparing the ESP environmental impact
2 statement and not generally known or publicly available during the preparation
3 of the ESP environmental impact statement. For new information to be
4 significant, it must have a potential to materially affect the conclusions made
5 in the ESP environmental impact statement. The staff audited Southern's new
6 and significant process and found it acceptable. Southern concluded no new and
7 significant information was identified during the period of time between the
8 ESP and the COL. With that, I conclude my presentation on the NEPA process
9 associated with the Vogtle 3 and 4 licensing activities. Thank you.

10 CHAIRMAN JACZKO: Thank you. Now I'll turn to the staff members'
11 presentation.

12 WHEREUPON,

13 MALLECIA SUTTON

14 was called as a witness for the staff of the Nuclear Regulatory
15 Commission and, having been previously duly sworn, assumed the witness stand,
16 was examined and testified as follows:

17 MALLECIA SUTTON: Good morning Chairman and Commissioners. My name
18 is Mallecia Sutton. And with me today is Gregory Hatchett and Robert Schaaf.
19 I am the project manager that led environmental reviews for the Vogtle Units 3
20 and 4 combined license application. Today I will be presenting the staff's
21 environmental review of the Vogtle application.

22 Before coming to work for the NRC, I worked with the U.S. Army
23 Corps of Engineers. While working with the Corps of Engineers, as a technical
24 biologist and project manager, I gained extensive hands on experience in
25 environmental regulatory work including the purpose of documenting compliance

1 of the National Environmental Policy Act, NEPA, Endangered Species Act,
2 National Historic Preservation Act and other regulatory compliance laws. I was
3 responsible for preparation and review of technical environmental documentation
4 such as environmental assessments and environmental impact statements. In
5 presenting how the staff conducted environmental review I will focus on how we
6 fulfilled the agency's publications under NEPA, as set forth in the agency's
7 regulation 10 CFR Part 51. Consistent with the findings summarized in the
8 staff's SECY information paper, this presentation will outline for the
9 Commission the adequacy of the staff's review and why it supports the issuance
10 of the requested combined license, and the limited work authorization. Next
11 slide please.

12 This slide briefly describes the structure of today's presentation.
13 The fact that the Vogtle COL application references an early site permit, also
14 known as an ESP is central to understanding the staff's environmental review
15 for the Vogtle COL. As documented in NUREG 1947, the final supplemental
16 environmental impact statement for combined license for Vogtle electric
17 generating plants Units 3 and 4.

18 The NRC's regulations require that for a COL application
19 referencing an ESP, the staff is to prepare a supplement to the final
20 environmental impact statement, or FEIS, prepared for the ESP. Accordingly, I
21 will first explain the rule of the environmental ESP and FEIS for the COL
22 review. I will describe the structure and key findings of the ESP and FEIS at
23 the starting point for the development of the COL supplement.

24 Second, I will describe the process the staff used to prepare the
25 supplement. This will include how the staff considered the applicant's process

1 for identifying new and significant information. I will also describe the
2 staff's independent analyses and its interaction with the public and other
3 agencies. Finally, I will summarize the staff's COL analysis and conclusions
4 as documented in the supplemental EIS which I will refer to as today as SEIS.
5 This will outline the staff's findings in the various resource areas covered by
6 the review and provide examples of circumstances where the staff determined
7 that additional analysis of new information was appropriate.

8 It will also explain why, with one exception, the staff found that
9 its ESP stage conclusions were not affected by new information. As part of
10 this discussion, I will explain in more detail, the one resource area where the
11 staff's conclusion did change. In doing so, I will highlight how the staff
12 accounted for the novel situation of Southern's requests for amendments to its
13 ESP limited work authorization which was submitted during the COL review. Next
14 slide please.

15 As described previously, the COL application references Vogtle
16 Early Site permit and limited work authorization which was issued to Southern
17 in August 2009. Title 10 of the Code of Federal Regulations CFR 51.75 requires
18 that if the COL application references an ESP, then the NRC staff shall prepare
19 a supplement to the ESP, EIS, in accordance with 10 CFR 51.92(e). Because an
20 ESP requires an environmental impact statement that considers the impact of
21 all, of both construction and operation of a reactor, or reactors, at a
22 selected site, the regulations enable the COL review to take advantage of the
23 substantial resolution of issues that occurs at the ESP stage.

24 Accordingly, the regulations in 51.92 direct the COL review to
25 address unresolved issues, if any, that may remain from the ESP stage and to

1 otherwise focus and whether there is new and significant information with
2 respect to issues that were resolved.

3 The regulations also directly preclude the staff from revisiting
4 certain issues from the ESP that have finality. Most importantly because the
5 suitability of the site is the central determination made in an ESP, the COL
6 supplement is not permitted to discuss any alternative sites. While
7 alternative sites were required to be examined in the ESP and SEIS, they are
8 not reconsidered at the COL stage. The NRC's regulations require the staff to
9 take the ESP and FEIS as a starting point in order to -- appropriately focus on
10 COL review.

11 The Vogtle COL application is not the first to be submitted to the
12 NRC that references an ESP. However there are several features of the Vogtle
13 ESP that distinguishes it from other ESPs that the agency had issued, as will
14 become clear during my presentation. These differences resulted in important
15 efficiencies in the review. Next slide please.

16 Consistent with the reviews of other ESPs. The Vogtle ESP,
17 following the environment impact statement addressed potential impacts from
18 construction and operation of new units in a wide range of relevant resource
19 areas. These areas are shown in this figure. The areas include land use,
20 meteorological and air quality, water use and quality, ecology, socioeconomics,
21 historical and cultural resources, and environmental justice. They also
22 include impacts in non-radiological and radiological health, impacts of
23 postulated accidents and fuel cycle and the cumulative effects from past,
24 present, and reasonably foreseeable future actions. As required by NEPA, the
25 ESP also considers viable alternatives including alternative sites. Next slide

1 please.

2 However, the Vogtle ESP applicant chose to address certain topics
3 that under NRC regulations are optional for the ESP stage. An ESP applicant
4 can decide to defer consideration of need for power or energy alternatives
5 through the COL stage.

6 Because the Vogtle applicant addressed these subjects in its ESP
7 application, the staff evaluated them in its Final Environmental Impact
8 statement. And these issues were therefore resolved at the ESP stage.

9 Another unique feature at the Vogtle ESP application is that it was
10 the first ESP not to use the Plant Parameter Envelope approach. That is,
11 instead of basing its Environmental Impact Evaluation on a combination of
12 representative parameters from a range of potential reactor design, the
13 applicant based its evaluation on parameters of a single reactor design, the
14 Westinghouse AP1000. Which the NRC had already certified. This avoided the
15 need to consider impacts that might be associated with less well known designs.
16 Also Southern anticipated that its COL application would reference the amended
17 AP1000 design.

18 Using the parameters of the AP1000 certified design further
19 minimized the likelihood that there would be environmentally significant
20 differences between the basis for the ESP analysis and the design ultimately
21 selected for the COL. For all these reasons the ESP FEIS had no unsolved
22 issues.

23 Another important feature of the Vogtle environmental review is how
24 closely in time to the ESP the COL application was submitted. Under NRC
25 regulations the ESPs are valid for up to 20 years. That means that a COL

1 applicant may reference an ESP whose EIS had been prepared more than two
2 decades earlier. However, the Vogtle COL application was submitted in March
3 2008. While the Vogtle ESP review was still underway and the FEIS was not yet
4 issued. By minimizing the time gap between its applications, Southern further
5 decreased the practical likelihood that there will be extensive new information
6 to be addressed in the COL.

7 In sum, because the Vogtle ESP not only took advantage of the early
8 resolution of issues anticipated by Part 52, but also coordinated the timing of
9 its ESP and COL applications the ability to tier off the ESP final
10 environmental impact statement resulted in a streamlined and more focused COL
11 supplement.

12 Furthermore, the COL environmental team was able to complete its
13 efforts in approximately 18 months. Next slide please.

14 For all the reasons just discussed, the ESP and FEIS was the key
15 starting point for the development of the COL SEIS. I will now briefly
16 summarize the conclusions in the ESP FEIS NUREG 1872. Because the SEIS tiered
17 off the ESP final environmental impact statement, it closely followed the
18 structure of that document. The ESP conclusions were reached using the
19 significance level definitions of small, moderate, and large impacts. These
20 definitions are based on guidance developed by the Counsel of Environmental
21 Quality. They consider the environmental effects are detectable and, if so,
22 whether they are significant to noticeably alter or to destabilize important
23 attributes of that resource.

24 The staff found that ESP EIS with a few exceptions most of the
25 environmental impacts of construction and operations to the two new units at

1 the Vogtle site would be small. In three resource areas land use, ecology, and
2 socioeconomics, the staff determined that the impact would be small to
3 moderate. In one area historic and cultural resources the staff found that
4 impacts would be moderate. For many resource areas the EIS analysis explains
5 why impacts would only be temporary or would be mitigated. Next slide please.

6 As I just mentioned, most impacts of the new units were determined
7 to be small. This was the staff's conclusion in the areas of air quality,
8 water use and quality, environmental justice, health, radiological and non-
9 radiological, and from postulated accidents and fuel cycle. For example, with
10 respect to water use and quality, the staff determined that the plant would use
11 only a very small proportion of the water in the Savannah River at the plant
12 location that impacts such as the construction of intake and discharged
13 structure and the thermal effects of the discharge plume would be localized and
14 temporary, and the licensee's compliance with federal and state required
15 permits and certifications would minimize any impacts. Next slide please.

16 In a few resource areas the staff determined that ESP -- the
17 impacts will be small to moderate. For example, the staff found that impacts
18 to terrestrial ecology resource would be small to moderate. The staff's
19 conclusion of generally small terrestrial ecology impacts was based on factors
20 including the applicant's best management practice of interaction with the
21 State of Georgia Department of Natural Resource. However, the staff concluded
22 that depending on the final transmission line route, terrestrial ecology
23 impacts within the right-of-way could be moderate.

24 As another example, the staff determined that impacts of socio-
25 economics resource would be mostly small. It found that in a few sub-

1 categories impacts would be moderate and adverse, especially to Burke County
2 where the plant is located. And that in certain sub-categories like property
3 tax revenues, impacts would be moderate and beneficial. The staff found that
4 impacts of infrastructure and community service would be small, but aesthetic
5 impacts along the transmission line route would be moderate as could traffic
6 impacts on roads in the site vicinity during construction. The effect on tax
7 revenues would be beneficial and small, except for property tax receipts in
8 Burke County would be beneficial and moderate.

9 Finally, the staff determined that impacts to historical and
10 cultural resources would be moderate based on the adverse effect of
11 construction activities near recognized historical sites and the likelihood of
12 inadvertent discoveries of agricultural deposits during construction
13 activities. As explained in the ESP, these impacts were considered in with
14 consultation with Georgia's state historic preservation officer and mitigation
15 measures were identified to minimize those impacts. Next slide please.

16 As previously mentioned, the ESP FEIS also evaluated the need of
17 power as well as alternatives to the proposed action. The staff agreed that
18 the applicant has demonstrated the need for the base load power that would be
19 produced by two new units at the site. The staff also found that there were no
20 environmentally preferable alternatives. The staff also examined several
21 alternative sites and concluded that there was no environmentally preferable
22 site and thus that there was no obviously superior site. The staff also found
23 that after considering environmental costs and benefits of the proposed action,
24 primary the demonstrated need for power, the analysis supported issuance of the
25 ESP. As I explained previously, the ESP FEIS had no unresolved issues. As a

1 result, the SEIS review followed the structure of the ESP FEIS, but with the
2 review process focused on new and significant information. Next slide please.

3 In the next two slides, I will be discussing the staff's
4 environmental review process for the COL application I led. To complete an
5 agency's environmental review of the COL application a multi-disciplinary team
6 of NRC staff and contractors from Pacific Northwest National Laboratory or
7 PNNL. This team was comprised of more than 25 members with backgrounds in
8 particular technical and scientific disciplines required to perform the
9 environmental review. The team members are identified in Appendix A of the
10 Supplemental Environmental Impact Statement. The team members also had
11 experience with other NRC environmental reviews and PNNL has supported NRC in
12 preparing the EIS for previous NRC licensing actions, such as those prepared
13 for the ESPs and COLs. Furthermore, most of the team members were also on the
14 ESP team are able to leverage this experience for the COL review. Next slide
15 please.

16 Pursuant to 10 CFR 51.92 the staff's COL environmental review
17 focused on whether there was new and significant information. As previously
18 discussed, the NRC is required to prepare a supplemental environmental impact
19 statement as part of its review of a COL application referencing an ESP. The
20 NRC staff tiers off the ESP EIS at the COL stage and discloses the NRC
21 conclusion for matters resolved in the ESP review. Detailed procedures for
22 conducting the environmental portion of the review are found in NUREG-1555, the
23 Environmental Standard Review Plan, or ESRP, which is the Staff's principal
24 guidance document for conducting environmental reviews.

25 As I will explain, the staff's review drew on staff guidance,

1 information gathered during several site audits, the staff's evaluation of the
2 applicant's process for identifying new and significant information obtained by
3 the applicant through requests for additional information, interactions with
4 the public and with other governmental agencies, and the staff's independent
5 analysis.

6 Let me begin by describing what is meant by new and significant
7 information. The introduction of the ESRP was revised and issued for use and
8 comment in 2007 to be consistent with 2007 amendments to the rules of licenses,
9 certifications, and approvals for nuclear power plants. This document included
10 guidance for COL application referencing an ESP and aids the staff to determine
11 whether or not information is new and if so whether new information is
12 significant.

13 For information to be new, in the phrase, "new and significant," it
14 must - it is defined as information that was first not considered in preparing
15 the ESP ER or EIS. Second, not generally known but probably available during
16 the preparations of the ESP EIS. For information to be significant it must be
17 material to the issue being considered. That is, it must have the potential to
18 affect the staff's findings or conclusion from the ESP FEIS. The staff is
19 ultimately responsible for determining the significance of new information.

20 In addition to the information provided or made available by the
21 applicant, the staff may develop independent sources to inform its conclusions.
22 The ESRP guides the staff in methods to become aware of new information and
23 provide several examples that could be considered by the staff as well as the
24 applicant. These include methods such as considering environmental monitoring
25 results, scientific literature, and surveying environmental professionals

1 familiar with the site vicinity. The staff methods all seem to verify that the
2 assumptions and representations made in the ESP ER and ESP EIS are still valid.

3 Consistent with the ESRP guidance the staff's new and significant
4 review process for the Vogtle COL review consisted of several activities,
5 including appropriate site audits. The site audits are used for evaluating for
6 the applicants process and for gathering information for staff's independent
7 evaluation. As required by 10 CFR 51.50(c)(1), a COL applicant referencing an
8 early site permit is to establish a process to identify new and significant
9 information.

10 Because the Vogtle applicant tendered its COL application while the
11 ESP application was still pending, the staff site audit conducted early in its
12 COL environmental review process, was focused on determining whether the COL
13 applicant's process used a reasonable methodology to identify new and
14 significant information. The audit on the applicant's process was conducted in
15 August 2008 and documented in the audit report. Because the applicant's
16 presentation has a -- excuse me -- I will now -- however, the process --
17 however, the applicant process is summarized in the SEIS, and I will not go
18 into it today.

19 Subsequent to the issuance of the ESP and the accounting LWA the
20 staff conducted another audit in September 2009 to determine if Southern
21 followed its new and significant information process. However, any new and
22 potential significant information was identified that could affect the
23 evaluation performed and resolved in the ESP.

24 The site audits also included several site tours, including a tour
25 of the potential transmission line rights-of-way, and the location of the

1 intake structure on the Savannah River, and the locations of cultural and
2 historic resources.

3 The Staff also conducted a separate environmental audit associated
4 with the applicant's requests to amend its ESP and LWA in May 2010, which
5 included use of additional fill material from borrow areas that were not
6 considered in the ESP FEIS. These requests were ultimately addressed in three
7 separate amendments to the ESP and LWA, and for which the staff prepared
8 Environmental Assessments.

9 However, the staff appropriately accounted for these -- for those
10 developments including informational change to the site audits in its SEIS for
11 the COL environmental review. Based on the staff's independent review of the
12 applicant's new and significant information process, including the verification
13 that the applicant did follow its process, concerning environmental issues
14 addressed in the ESP EIS, the staff found the process to be adequate. Next
15 slide please.

16 At the completion of the site audit, the staff identified areas
17 where additional information was needed to complete this review and submitted
18 requests for additional information to the applicant. The staff also conducted
19 its own independent search for new and significant information concerning
20 issues resolved in the ESP EIS and then determined whether or not that
21 information had the potential to change the impact level assigned to a
22 particular resource.

23 The process included but was not limited to contacting applicable
24 federal, state, tribal, and local agencies. In particular the staff contacted
25 the State of Georgia Historic Preservation Officer (SHPO), Georgia Department

1 of Natural Resources, South Carolina Department of Natural Resources, U.S. Fish
2 and Wildlife Service, U.S. Army Corps of Engineers, National Marine Fisheries
3 and approximately 30 Federally-recognized Indian Tribes in order to gather
4 relevant information.

5 As an example, the staff received a response letter from the Fish
6 and Wildlife Service indicating that the listed threatened or endangered
7 species under that agency's purview had been adequately addressed. The staff
8 had a public comment meeting on October 7, 2010 and collected comments on the
9 draft SEIS. The staff's consideration of comments are included in Appendix E
10 of the Supplemental Environmental Impact Statement. The staff used the results
11 from these processes to analyze all resolved issues from the ESP EIS in order
12 to meet the requirements set forth in 10 CFR 51.92(e). The staff also kept
13 aware of developments in the NRC staff's parallel safety review of the COL
14 application to the extent they might be relevant to the environmental review.
15 This included considering changes associated with revisions to the reference
16 AP1000 design control document, or DCD. The staff determined that none of the
17 changes between the revisions to the DCD had the potential to change its impact
18 conclusions in the FEIS or SEIS. Next slide please.

19 In order to facilitate the effective tiering off of the FEIS, the
20 supplemental environmental impact state is organized with exactly the same
21 structure, as the Early Site Permit final EIS. The staff searched for and
22 evaluated new information in each Chapter. When the staff identified new
23 information that warranted further analysis it described that new information
24 in the SEIS and explained whether it resulted in any change in the staff's ESP
25 stage conclusion. As explained in the supplemental environmental impact

1 statement, with exception of terrestrial, the impacts level in the SEIS did not
2 change from the ESP at FEIS. Next slide please.

3 Now I will discuss some examples of where the staff identified new
4 information warranting further analysis and how the staff analyzed that
5 information. With respect to land use, there was a change in affected acreage.
6 The development of site would require additional 379 acres for the fire
7 training facility and the simulator building, in addition to another 900 -- 494
8 acres that will be temporarily impacted for obtaining backfill. This did not
9 change the land use impact level from the ESP EIS, given that the new acreage
10 is already on the Vogtle site, which is zoned commercial and the intended use
11 of new disturbed acreage matches the use described in Burke County
12 comprehensive plan. With respect to meteorology and air quality, the staff
13 considered information from a 2009 traffic study that made some changes in
14 assumptions about construction worker shifts and site workforce and provided a
15 refined estimate of vehicle emissions.

16 The staff also found that EPA had issued a new standard for ozone
17 in the national ambient air quality standards. However, because the results of
18 the traffic study remained consistent with the staff's ESP stage analysis, and
19 because Burke County continues to be in attainment for the National Ambient Air
20 Quality standards, even under the revised ozone standard, the assessment of
21 small air quality impacts remained the same.

22 The staff also assessed new information related to surface water
23 and ground water impacts. The applicants submitted new information on the
24 proposed intake structure design. However, the staff determined that these
25 changes did not significantly modify the width of the intake canal or the

1 length of the canal extending beyond the existing river bank. Consequently,
2 the hydrological alterations resulting from construction activities would thus
3 remain localized and temporary as concluded in the ESP FEIS. The applicant
4 also provided new information regarding additional on site borrow areas, from
5 which it sought to obtain backfill material, including three new borrow areas.
6 I will discuss this topic in more detail later in my presentation, regarding
7 its effect on the staff's terrestrial ecology analysis. However, with respect
8 to water-related impacts, the staff found that these borrow areas are included
9 in the applicant's national pollutant discharge elimination system permit for
10 construction stone mortar and that the excavations would neither intersect the
11 water table nor require dewatering. The staff therefore concluded that with
12 respect to surface water and ground water that the ESP EIS conclusion remains
13 valid for excavations from new borrow areas.

14 Also, with respect to water quality impacts, the staff identified
15 new information that warranted further analysis regarding the total effluent
16 discharge to the Savannah River, namely, an increase of three percent in the
17 discharge rate. The ESP EIS thermal plume analysis which used the CORMIX
18 model, made a number of conservative assumptions. Nevertheless, the staff
19 wanted to verify its assessment in the ESP FEIS of small impacts would remain
20 valid. Accordingly, the staff re-ran the CORMIX model with the three percent
21 higher discharge rate. Because the size of the thermal plume did not
22 significantly change, the staff determined that the impact level would not
23 change. Next slide please.

24 The staff found new information in both aquatic and terrestrial
25 ecology resources that warranted further analysis. The staff did determine

1 that the information in the area of terrestrial ecology was new and
2 significant. I will discuss this in more detail in my upcoming slides. With
3 respect to aquatic ecology, the staff determined that October 2010 the National
4 Marine Fisheries Service had developed a proposed rule listing for the Carolina
5 and South Atlantic distinct population segment of the Atlantic sturgeon, as
6 endangered on the Endangered Species Act. In the ESP review the NRC staff
7 determined that an impact to Atlantic sturgeon would be small. The staff
8 determined that the project has not been modified in any way that would cause
9 an effect to the Atlantic sturgeon, not previously considered in this ESP.
10 Nevertheless, because of the listing proposal, the staff compiled information
11 in a conference consultation letter to National Marine Fisheries. None of the
12 information compiled by the staff for the Atlantic sturgeon resulted in a
13 change to the ESP conclusion because none of the contemplated shoreline
14 construction activities will prevent the Atlantic sturgeon from migrating past
15 the site. National Marine Fisheries responded and agreed with the staff's
16 views on impacts to Atlantic sturgeon. Also in connection with aquatic
17 impacts, the applicant confirmed during the COL that it had received this
18 required certification on this section 401 of the Clean Water Act from Georgia
19 Department Natural Resource in June of 2010. It also received a Clean Water
20 Act section 404, Rivers and Harbors Act section permit from the Army Corps of
21 Engineers in September 2010.

22 The Corps permits confirmed impacts and mitigation measures such as
23 pressures of stream mitigation credits consistent with those analyzed in the
24 staff's ESP EIS. This continued to support the staff's conclusion of small
25 impacts to the aquatic resource from both construction and operation of the new

1 units. Regarding historic and cultural resource the new areas for the ESP
2 amendments were identified in the existing area of potential effects. The area
3 of potential effects had been surveyed for cultural resource at the ESP stage
4 and potential culture resources in those areas had been determined not to be
5 significant. The Georgia SHPO concurred with this finding.

6 Also during the COL audits the staff identified a newly fenced area
7 that contained a historic cemetery. The cemetery was located outside of the
8 direct impact area that was fenced in order to protect it. The applicants
9 signed a memorandum of understanding with Georgia SHPO to ensure the site is
10 properly preserved. These actions further indicate that applicant will protect
11 historical and cultural resource on the Vogtle site or mitigate impacts with
12 consultation with the Georgia SHPO. The staff concluded that the conclusion in
13 the ESP EIS of moderate impacts remained valid in the FSEIS. Next slide
14 please.

15 In the need for power review, Georgia Public Service Commission
16 certification was issued in June of 2010. This certification supported that
17 staff's conclusion regarding the need for power in the ESP, confirmed the need
18 for additional base load generation in the region of interest. As required by
19 10 CFR 51.92, further consideration of alternative site is precluded at the COL
20 stage. However, other aspects of the ESP alternative analysis remain subject to
21 review for new and significant information during the COL review.

22 For example, regarding energy alternatives, the staff determined
23 that Georgia Power Company expects to achieve 900 megawatts electric demand
24 reduction by 2013 through demand site management, which would represent more
25 than five percent of Georgia Power Company current load. However, the staff

1 verified the 900 megawatt electric is already accounted for in the Georgia
2 Power Company integrated resource plan and thus not available to offset the
3 need for the two new units as determined by Georgia Public Service Commission.

4 Also the staff confirmed that applicant has no plans to reactivate
5 any retired power plants in this region of interest. The staff also discussed
6 EPA's tailoring rule, which would regulate new source pollutants under the
7 Clean Air Act. The staff considered that the rule might reduce emissions to
8 fossil fuel energy alternatives and emissions associated with nuclear fuel
9 cycle. However, the staff determined that even without considering the
10 potential effects on emissions associated with nuclear fuel cycle, any changes
11 as a result of the rule would not reduce emissions in such a way as to change
12 the relationship between the potentially viable energy alternatives that have
13 been analyzed in the ESP. For these reasons, none of this new information
14 changed the staff's analysis of alternatives in such a way that it would make
15 those alternatives environmentally preferable to the proposed action as
16 described in the ESP. Next slide please.

17 In October 2009, the applicants submitted an application for a
18 second limited work authorization or LWA. The second LWA, in accordance with
19 10 CFR 50.10(d), would authorize insulation of reinforcing steel, sumps, drain
20 lines and other embedded items along with placement of concrete on the nuclear
21 island foundation base lab. In Chapter 4 of the ESP EIS the staff had already
22 evaluated construction impacts associated with these activities because they
23 had originally been within the scope of the ESP stage LWA request, but were
24 later withdrawn. As explained in the ESP EIS, the impacts associated with LWA
25 activities would only be a small portion of overall construction impacts and

1 therefore be small. The SEIS referenced this previous analysis in the ESP and
2 accordingly found that the impacts associated with the second LWA are already
3 bounded by the analysis and conclusions in the ESP FEIS would remain small.
4 The staff also verified the site redress plan discussed in the ESP EIS would
5 adequately redress the impact of the activities requested under the second LWA.
6 In the event construction is terminated, the COL application is withdrawn or
7 denied or the LWA is revoked.

8 As a result, the staff's conclusion that an LWA activities
9 submitted would not result in any significant adverse environmental impacts
10 that would not be redressed is bounding and valid. In sum, the SEIS drawing on
11 the ESP FEIS has analyzed the impacts of the LWAs as well as the full range of
12 construction operation impacts associated with the COLs. The staff review in
13 the SEIS accordingly supports issuance of both COLs and LWAs. Next slide
14 please.

15 In April 2010, Southern submitted to a license amendment request or
16 LAR to amend the ESP Site Safety Analysis Report to obtain and install backfill
17 materials from additional on site borrow locations. In May 2010, Southern also
18 submitted an LAR seeking to change a past location of backfill over the slopes
19 of Units 3 and 4 excavations, which would decrease the total amount of
20 qualified backfill needed. As a result, while the staff performed an
21 environmental review for the ESP amendment the applicants need to obtain the
22 backfill materials from additional on site sources was also considered as new
23 and potentially significant information with respect to the COL environmental
24 review.

25 The staff proceeded to prepare three environmental assessments for

1 the LARs; the first addressed the request to obtain backfill from on site
2 borrow areas and areas whose disturbance had already been addressed in the ESP
3 EIS. The second addressed a request for borrow sources in previously
4 undisturbed areas that were not previously evaluated in the ESP EIS. The third
5 addressed the applicant's proposal to change the classification of the
6 backfill. In each case the staff reached a finding of no significant impact
7 for proposed actions. Consistent with NEPA and minimized duplication of effort
8 the staff discussed the three ESP amendments in the COL FSEIS and incorporated
9 the description analysis in the second environmental assessment by reference.

10 The impacts discussed in the first and third environmental
11 assessments were already fully addressed by the analysis in the ESP EIS.
12 However, the use of additional on-site borrow areas resulted in some impacts
13 outside the footprint previously analyzed, in particular with respect to
14 sandhills milkvetch, a Georgia-state listed threatened plant species and the
15 South Eastern Pocket Gopher in Georgia's state listed mammal. The staff
16 determined that this information would result in a change in the construction
17 impact level for terrestrial ecology from small in the ESP EIS to moderate, in
18 the COL FSEIS. The impact level resulted from the use of additional on-site
19 borrow areas not previously evaluated in the ESP EIS and the subsequent loss of
20 Sandhill's habitat and displacement of localized populations of Southeastern
21 Pocket Gopher and the sandhills milkvetch species which are indicative of the
22 Sandhill's habitat.

23 ROBERT SCHAAF: If we can just beg the Commission's indulgence,
24 we're getting to the finish line.

25 CHAIRMAN JACZKO: That's fine.

1 MALLECIA SUTTON: Thank you. Southern has voluntarily mitigated
2 impacts to both species via relocation efforts to suitable habitats on site
3 that would not be disturbed during the construction. So it has also committed,
4 if possible, to replant longleaf pine, a fundamental component of sandhills
5 habitat, in the borrow areas that were disturbed.

6 The staff concluded that the site preparation and construction
7 activities related to obtaining backfill from additional on-site borrow areas
8 could noticeably alter terrestrial resource to the loss of Sandhill's habitat
9 and displacement of localized populations of the Southeastern Pocket Gopher and
10 the sandhills milkvetch, but would not have a destabilizing effect on either
11 habitat or the populations of those species in Georgia. Consistent with NEPA
12 and to minimize duplication of effort, the staff discussed the three ESP
13 amendments in the COL FSEIS and incorporated the description and analysis in
14 the second environmental assessment by reference. Next slide please.

15 In summary, subsequent issuance of the ESP, the staff concluded
16 that the applicant's process to identify new and significant information was
17 adequate for the purpose of meeting the requirements of Part 51. It conformed
18 to the guidance outlined in regulatory guide 1.206. This conclusion was based
19 on the staff's audit of the process and its independent evaluation including
20 independently developed sources. Consequently, the staff has high confidence
21 in the reliability of the information that it used to analyze the issues that
22 would be affected by new and significant information. The NRC staff found that
23 land-disturbing activities associated with the request for a license amendment
24 to acquire additional backfill changed one conclusion from the ESP FEIS,
25 namely, the area of terrestrial ecology impacts, but did not otherwise alter

1 the ESP stage conclusions.

2 The NRC staff took comprehensive measures to become aware of the
3 new information during the Vogtle environmental review process, including the
4 opportunity for the public to raise comments on the draft SEIS and has
5 confidence that it adequately considered the significance of source
6 information. The staff's review approach was consistent with NRC applicable
7 staff guidance, realized the benefits of referencing in recent and thorough
8 ESP, and was performed by an experienced multidisciplinary team. The ESP and
9 COL licensing actions and the aforementioned ESP amendments were coordinated
10 and staged effectively to ensure that the work of the staff was performed
11 efficiently and conformed to NRC's regulations by implementing NEPA. This
12 concludes my presentation, thank you.

13 CHAIRMAN JACZKO: Well thank you. We'll turn now to questions.
14 How often do we have anything other than small impacts in EISs, is that typical
15 or atypical? Can you give me a sense?

16 GREGORY HATCHETT: Just more recently -- and some of the other
17 ones, this summer -- FEIS was published back in April of this year and they had
18 some moderate impact related to EJ. So, I mean, we do get them from time to
19 time but usually they're in the small range.

20 CHAIRMAN JACZKO: And then at what point, just kind of a mitigation
21 will kick in, do moderate impacts require some kind of a mitigation strategy,
22 is it large impacts that do, or how does that work?

23 GREGORY HATCHETT: Just as a matter of practice or process the
24 applicant, in their ER, provides for the staff review, measures and controls
25 that they would implement to mitigate the impact of their action and some of

1 those things are within the Commission's purview and some of those things are
2 outside of the Commission's purview.

3 CHAIRMAN JACZKO: So if you take this moderate impact for the
4 terrestrial ecology, are there, either through state or federal agencies, are
5 there requirements for specific mitigating measures to address that?

6 MALLECIA SUTTON: Yes, there's state permits that the applicant
7 must follow, that mitigates those impacts.

8 CHAIRMAN JACZKO: So is it moderate after the mitigation or before
9 the mitigation?

10 GREGORY HATCHETT: With respect to the specific question on the
11 terrestrial ecology, we'll note that there are no specific requirements for
12 mitigation on private land, and as the applicant indicated in their
13 presentation, they voluntarily did the mitigation, working with the state and
14 the other agencies and we physically were out there when they were doing some
15 of the trapping of the Pocket Gopher. Having said that, we look at the staff's
16 definitions and its regulations of small, moderate, large. We used that
17 process because we went from the ESP of no impact to the Pocket Gopher, to a
18 noticeable impact to the Pocket Gopher and we made the requisite change.

19 CHAIRMAN JACZKO: Okay. So at this point there is no relevant
20 state or local requirement that anything be done to address, okay. Mr.
21 Fulton, I had a question for you, you mentioned with regard to Fukushima, the
22 bounding of the Fukushima accident, can you provide whatever technical analysis
23 you have to support that statement?

24 DALE FULTON: Essentially what we considered was the Fukushima
25 event and the consequences associated with that event and not necessarily the

1 initiating event.

2 CHAIRMAN JACKZKO: As you can just provide us with whatever
3 analysis you have.

4 DALE FULTON: What we do is a screening. In our new and
5 significant process, we do a screening to determine if it's new and
6 significant. There was not --

7 CHAIRMAN JACZKO: Again, if you could just provide whatever
8 analysis you have, if you can just provide that. Thanks.

9 Turning back to this issue with the staff as well. We have -- as
10 to my recollection was that the EIS had come out a little bit later in than it
11 did, I think the date on it is March, by the time it goes to the printer and
12 all that, probably finished working on it sometime in February, and so
13 obviously Fukushima happened sometime after the current final EIS was done.
14 One of the things that was done -- and I'm not an expert in our severe accident
15 analysis that we do in the EISs, but one of the things that I would think would
16 be a little bit different, I think that we've learned from Fukushima is that
17 maybe to consider in a way that we haven't, multi-unit events and the potential
18 impact that that may have. So, I'm wondering if you can give me a sense if
19 that's something we've looked at, at this point or not.

20 GREGORY HATCHETT: Chairman, I think those issues are currently
21 under consideration as part of the task force recommendation and --

22 CHAIRMAN JACZKO: Which issues?

23 GREGORY HATCHETT: The issues of multi units events or station
24 blackouts, all the kinds of things that the lessons that we're learning about
25 the Fukushima event, what we principally focused on was first, any new any

1 significant information that we may have found with respect to the original
2 environmental analysis for severe accidents and that was done, published in the
3 same month that the event occurred,

4 CHAIRMAN JACZKO: So that analysis was done before --

5 GREGORY HATCHETT: But we didn't find anything, so then the next
6 step was the task force report came out, we looked to it, they essentially
7 documented that a Fukushima-like event was not likely in the U.S., but then
8 more importantly, we're looking at the Vogtle application and the Vogtle-
9 specific concerns related to an AP1000 plant and the ability of that plant to
10 withstand certain external events and obviously no one here at this table, the
11 staff part, are experts in severe accidents either, but we're looking to that
12 information.

13 CHAIRMAN JACZKO: So when we do the severe accident analysis, do we
14 assume that the severe accidents happen?

15 GREGORY HATCHETT: Do we assume that these happen?

16 CHAIRMAN JACZKO: I mean we do a severe accident analysis so we
17 assume a severe accident.

18 GREGORY HATCHETT: Yes, we do assume the accident --

19 CHAIRMAN JACZKO: And then when we do that analysis, do we assume,
20 let's take specifically the AP1000, did we consider more than one unit at a
21 time having a severe accident?

22 GREGORY HATCHETT: With respect to what we're doing in looking for
23 new and significant information --

24 CHAIRMAN JACZKO: No, I'm talking about the analysis that was done.

25 GREGORY HATCHETT: I can't answer the question about the analysis,

1 we can get back to you about that.

2 CHAIRMAN JACZKO: Can you --

3 GREGORY HATCHETT: From a safety side perspective --

4 CHAIRMAN JACZKO: No, I mean from the severe accident analysis that
5 was done in the EIS.

6 GREGORY HATCHETT: What we do with the EIS, we look at what's done
7 at the safety side and make sure we are consistent with what we are looking at
8 in terms of accidents, whether they're design basis accidents or severe
9 accidents. And what I said yesterday, with respect to that --

10 CHAIRMAN JACZKO: I mean -- we have a methodology for a severe
11 accident analysis that we do for EIS, is that not true?

12 ROBERT SCHAAF: In the environmental reviews?

13 CHAIRMAN JACZKO: Yeah.

14 ROBERT SCHAAF: Yes, yes.

15 CHAIRMAN JACZKO: So the licensee submits that, or we do that?

16 MALLECIA SUTTON: The information is submitted to the staff and the
17 staff then evaluates that information.

18 CHAIRMAN JACZKO: Okay, so the information that was submitted as
19 part of the early site -- I mean we go back to the early site permit. Did we
20 consider the severe accident involving more than one reactor simultaneously or
21 with some time lag or something like that?

22 DALE FULTON: Mr. Chairman, can I help answer that?

23 CHAIRMAN JACZKO: Sure.

24 DALE FULTON: Our severe accident analysis, I'm not a severe
25 accident expert, but in our ESP environmental report, we consider the dose

1 released to the public for a event of -- taking into account not only our
2 Vogtle three and four, also one and two.

3 CHAIRMAN JACZKO: So simultaneously?

4 DALE FULTON: Simultaneously.

5 CHAIRMAN JACZKO: All four? Okay. So that's the reason why it's
6 bounding.

7 DALE FULTON: I would tend to agree with that, yes.

8 CHAIRMAN JACZKO: Okay, thank you. When the staff looks at these
9 kinds of things -- so there's the issue of whether there's new and significant
10 information, then to what extent do we document that, to what extent do we put
11 in the EIS, a statement that says, as Mr. Fulton indicated, we previously
12 analyzed this and based on what we previously analyzed this accident is
13 bounding? Is there an extent to which -- does that require then a complete
14 supplementing of the EIS in order to conclude something like that or can that
15 be done, I guess, through the hearing process I suppose.

16 GREGORY HATCHETT: The answer to that question would be, yes, with
17 some clarification. Yes, if we found a need to do a supplement, we would have
18 done that. And we didn't find a need to do a supplement in this case. And
19 yes, if the record of decision of the hearing. The hearing basically serves as
20 the record of decision for the EIS, and so it could be documented as part of
21 the hearing as well. Thank you.

22 CHAIRMAN JACZKO: Commissioner Svinicki?

23 COMMISSIONER SVINICKI: Well thank you for your presentations. The
24 staff talked occasionally about site audits that the staff conducted and it
25 seems to me from the instances where that was mentioned, occasionally that

1 might take the form of maybe a desktop audit, how did the applicant look for
2 new information and then how did they assess whether or not it was significant.
3 But, Greg, you just mentioned that you also observed some trapping of species
4 and relocation. Can you very broadly describe to me the types of site audits
5 and other activities that were conducted by the staff? And you made some
6 reference to these, and I think some would take the form of paperwork, but
7 some, it sounds like, involved field work. Could you just elaborate on that?

8 MALLECIA SUTTON: Yes I can. The staff audit is a very important
9 part of reviewing the applicant new and significant process. The staff looked
10 at a range of resource areas and determined if there's new information -- if
11 the information was represented in a category of significance or whether it was
12 significant or not, because that is a staff determination.

13 COMMISSIONER SVINICKI: Would you also look at how thoroughly they
14 looked for new information? I think you made reference to, they could do
15 literature searches and other things. Do you have a way of auditing how hard
16 they looked?

17 MALLECIA SUTTON: What we do when we look at that information, we
18 also, the staff also verifies the information by contacting other things,
19 federal agencies and things, contact information to verify the information is
20 reliable for the staff's review.

21 COMMISSIONER SVINICKI: Okay, and then in terms of any auditing of
22 actual field data or things like that, was this observation of the species
23 relocation just more informational or was that actually an auditing activity or
24 some sort of surveillance?

25 MALLECIA SUTTON: When the applicant submitted the license

1 amendment for the ESP on the docket, what we did was went ahead and did a
2 second site audit to verify the information we received in a licensed amendment
3 request, in June the site we also had Georgia Department of Natural Resources
4 that came out. We actually walked the site, we were able to see the relocation
5 efforts from, for the Pocket Gopher and the location efforts for the sandhills
6 milkvetch.

7 COMMISSIONER SVINICKI: Thank you. I believe that the COL
8 supplement EIS assessed that changes between revisions 15 and 17 of the AP1000
9 design control document were not significant for purposes of environmental
10 review. Was there an assessment that would have looked at changes between
11 revisions 17 and 19?

12 MALLECIA SUTTON: As I mentioned earlier, the staff looked at
13 revision, all of the revisions, and revision 19 was more correction-based;
14 there was nothing that linked it back to the environmental review analysis.
15 And there was nothing that changed from the original revision 17 to 18 that
16 changed our analysis from the ESP EIS. So, we kept close contact with our
17 safety counterpart to ensure that was the case.

18 COMMISSIONER SVINICKI: And you have mentioned, again I think this
19 is more of a programmatic assessment really than something for the regulatory
20 findings at issue here, but you did mention a couple of times in your
21 presentation about having the benefit of the fact that the COL application
22 followed on so closely in time after the ESP, even I think you mentioned, in
23 terms of PNNL expert support that the team benefitted from having some of the
24 same individuals that had worked or looked at the ESP EIS for this. By that do
25 you indicate or do you think that it's fair to conclude that if a COL

1 application did not follow on so quickly in time after an ESP, you mentioned
2 the 20 year period in which it would be referenced. Do you think that if the
3 Commission were to assess how it went in terms of the staff resourcing and the
4 amount of time and effort they had to put into for the global COL supplement
5 EIS, that that may not be a good indicator or model of how this would go in the
6 future in terms of the amount of effort involved, if indeed an ESP were invoked
7 much later than it was granted?

8 MALLECIA SUTTON: I think we have to keep in mind that Vogtle was
9 unique, that it resolved all issues, there was no deferred issues to the COL
10 supplement. And leveraging the staff that worked on the ESP EIS was very
11 fundamental in looking for areas where there was new information to see if it
12 was significant, so I don't want to -- when I look at the Part 52, I mean,
13 Vogtle, I don't want to say this but might be the closest reference to probably
14 what the Part 52 application might look like. So, it's, like I said - but
15 there is - the areas of - using - not using a plant parameter envelope as well,
16 was also a unique feature. So, there was a lot of different features that
17 Vogtle did that was different from the other ESP EIS's that we benefited from
18 in this review.

19 COMMISSIONER SVINICKI: And I think all I'm concluding is because
20 you're emphasizing some of that uniqueness and saying in some instances it was
21 a benefit to the staff's effort, it may be that not all experiences would be
22 the same -- not be the model for how they all would --

23 GREGORY HATCHETT: No, what I would add is this that is probably
24 the closest that we've seen to date that's how the Part 52 process is intended
25 to work, particularly on the environmental side, because of the way the

1 applicant approached the process.

2 COMMISSIONER SVINICKI: Thank you. Robert, did you want to add
3 anything? Okay, all right, thank you, Mr. Chairman.

4 CHAIRMAN JACZKO: Commissioner Apostolakis?

5 COMMISSIONER APOSTOLAKIS: First of all, you mentioned, Mr. Fulton,
6 that you considered an accident from all four units in the release of
7 radioactivity. Did you do that because of Fukushima, or is it something that
8 is expected to be done in an environmental review of sites?

9 DALE FULTON: Yes, that was part of our original environmental
10 impact statements for the ESP.

11 COMMISSIONER APOSTOLAKIS: Because that's what we've been doing for
12 decades now? We consider multi-units? In the original environmental statement
13 for Vogtle, the two units, would they consider the simultaneous accident of
14 both, or is it more recent?

15 DALE FULTON: I couldn't answer that.

16 COMMISSIONER APOSTOLAKIS: Okay. Another one, another question
17 that, maybe it's because I don't understand how these things work but you said
18 that you found small to moderate impacts for land use. And does this include
19 accidents? That would be a moderate impact on land use if there is an
20 accident? Particularly Fukushima, it seems to me, the major impact has been
21 land contamination. So, is that a moderate thing what happened at Fukushima?

22 GREGORY HATCHETT: With respect to what the staff analyzed, the
23 land-use impact that we're talking about primarily has to do with the actual
24 land disturbance there. And then with respect to the radiological impacts,
25 that's actually in the other section of the EIS, where we talk about

1 radiological consequences in the EIS; not in the land use part of the EIS.

2 It's separated that way.

3 COMMISSIONER APOSTOLAKIS: So we do look at the --

4 GREGORY HATCHETT: The radiological part of the accident section of
5 the EIS.

6 COMMISSIONER APOSTOLAKIS: And, what was the result --

7 GREGORY HATCHETT: Again, we didn't find any changes from the ESP
8 EIS.

9 COMMISSIONER APOSTOLAKIS: Okay, you didn't find any changes but
10 the original finding was what?

11 GREGORY HATCHETT: It was small.

12 COMMISSIONER APOSTOLAKIS: And how does that compare with what
13 happened in Japan?

14 GREGORY HATCHETT: Again, we're talking about an AP1000 reactor,
15 not a boiling water reactor. And we're talking a plant that if you're looking
16 at things like, again, -- stating for the record, we're not severe accident
17 experts here, but as we followed a review to inform what we do for the
18 environmental analysis. Okay, this plant has a -- it's passive 72 hour coping,
19 it's not an eight hour coping. All these other features related to the AP1000
20 are not necessarily applicable to a boiling water reactor that was in the
21 accident at the Fukushima site. We're focused on the specific applicable
22 reactor and the specific site that's, you know, a few hundred miles or so
23 inland from the shore, in terms of looking at a earthquake and a coincident
24 tsunami occurring at this site is not necessarily something that's like --

25 COMMISSIONER APOSTOLAKIS: That's initiated [unintelligible] --

1 GREGORY HATCHETT: Yes. More than likely at this site.

2 COMMISSIONER APOSTOLAKIS: If I understand from what you're saying,
3 that you do not expect from the calculations shown that even in the case of a
4 severe accident [unintelligible] you do not expect to see the radiological
5 consequences of what we saw in Fukushima. Is that what you're saying?

6 ROBERT SCHAAF: I think one of the distinctions in the severe
7 accident analysis that's done for the environmental review, the impact
8 determination takes into account the probabilistic analysis and it's a
9 probability weighted consequence evaluation.

10 COMMISSIONER APOSTOLAKIS: Okay, what does that mean?

11 GREGORY HATCHETT: Again, I mean to provide you with a more
12 specific response, we'd have to engage our severe accident counterparts, but
13 again it's a tag-a-long kind of thing. We look at the release, the date, the
14 date provided to us, I mean we take that release and do the consequence
15 calculations --

16 COMMISSIONER APOSTOLAKIS: The question I have is --

17 GREGORY HATCHETT: So nothing's changed to date, so if we need to
18 get back to you with a more specific response, we can --

19 COMMISSIONER APOSTOLAKIS: Wait, wait, wait. I'm not questioning
20 the severe accident analysis. You say you start with the release. So the
21 question is, with the release that they gave you, you are concluding that we
22 will not have a decided radiological impact similar to those at Fukushima?

23 GREGORY HATCHETT: I'm trying to make the distinction between what
24 could happen what happened at Fukushima, what could happen with an AP1000
25 reactor at this site. And I don't believe that it's necessarily comparable in

1 terms of trying to draw the same --

2 COMMISSIONER APOSTOLAKIS: What could happen is the
3 [unintelligible] of a severe accident, so they did that calculation. Somebody
4 else made that calculation. They gave you the release. Now, does that release
5 lead to radiological consequences similar to Fukushima, or not?

6 GREGORY HATCHETT: Again, what I'll state, Commissioner
7 Apostolakis, in looking at what we did, we do not have or believe that it's an
8 issue for this site because the AP1000 reactor has been designed to withstand
9 those types of severe accidents or external events.

10 COMMISSIONER APOSTOLAKIS: So that's part of a severe accident
11 analysis. Your conclusion is, that given the release of the severe accident
12 people give you, you will not have the same consequences --

13 GREGORY HATCHETT: We're still bounded within the ESP conclusions.

14 COMMISSIONER APOSTOLAKIS: So they practice moderate --

15 GREGORY HATCHETT: Small.

16 COMMISSIONER APOSTOLAKIS: Small. Okay, that's what I asked. When
17 you calculate, by the way, when you have a severe accident just in general, you
18 calculate the consequences. That severe accident most likely will be the
19 result of some severe external event. Are you including in your calculations
20 the fact that maybe the area will be devastated in an earthquake or something,
21 there's a really significant impact. Or, are we assuming, that everything as
22 before we had a ground acceleration of .4 G's, but it only affected the plant
23 and we're calculating the consequences. Which one are you --

24 GREGORY HATCHETT: I wouldn't want to speculate here about .4 G's
25 or all these other issues. I know that we have staff that do the severe the

1 accident calculation, they use the Madison code, but if you want more specific
2 responses, we can provide it, because we don't --

3 CHAIRMAN JACZKO: Can you please provide that?

4 GREGORY HATCHETT: Yes.

5 COMMISSIONER APOSTOLAKIS: Yes, okay, so, thank you very much.

6 CHAIRMAN JACZKO: Commissioner Magwood?

7 COMMISSIONER MAGWOOD: Thank you, Chairman. Interesting dialogue
8 from my colleagues. It sounds like if there was a major external event that
9 the only thing left standing in Georgia would be the AP1000, but I guess we'll
10 find out when we get the information from the record, but --

11 COMMISSIONER APOSTOLAKIS: [inaudible]

12 COMMISSIONER MAGWOOD: During your presentation -- well, first let
13 me say, I did spend a lot of time going through the EIS and a lot of the
14 supplementary material including trip reports and everything else. My
15 impression before coming to NRC about NRC's Environmental Impact Statements
16 because of the nature of these EISs versus what other agencies do -- I thought
17 they would be more pro forma, but I was actually quite impressed with the
18 effort that went into, you know, the environmental analysis, so I just wanted
19 to pass that on and congratulate everybody.

20 MALLECIA SUTTON: Thank you.

21 COMMISSIONER MAGWOOD: You're very welcome. You mentioned that
22 this was the first EIS, and I hadn't thought that. You said that the ESP
23 didn't rely on a PPE, performance plan envelope. How do you think it would
24 have affected your review of these global EIS had they used a PPE? Do you have
25 a sense of that how it would have impacted your analysis?

1 MALLECIA SUTTON: Well, North Anna the other ESP EIS and it only
2 took a couple months longer than the Vogtle ESP EIS took to complete. And I
3 don't have a copy of my supplement that the team did, but there's approximately
4 100 some pages of the supplement for the Vogtle and North Anna is quite
5 substantial, so it does cut down on the bulk of the review, because everything
6 was -- there's no deferred issues for the Vogtle supplement.

7 COMMISSIONER MAGWOOD: Okay, so it would be a significant extra
8 effort to go from an ESP with a PPE versus this applied specific one, so it's
9 pretty significant.

10 GREGORY HATCHETT: So, what I think we're talking about here is the
11 difference has to do with how many issues get resolved at the ESP stage, even
12 if they would use a plant parameter envelope, if they decided to address, for
13 instance, need for power at that stage, or energy alternatives at that stage,
14 we would have to re-look at it, except for new and significant information once
15 we got it to COL.

16 But most folks who have done it, other than Vogtle, have deferred a
17 lot of issues to the next phase. And being a plant parameter envelope or not,
18 resolution of significant issues is a key driver, and what the remaining amount
19 of work the staff has to do.

20 COMMISSIONER MAGWOOD: So there really is a good comparison --

21 GREGORY HATCHETT: Not to date, on that front.

22 COMMISSIONER MAGWOOD: A couple of minor questions. As I went
23 through the EIS I spent some time looking at the comments. And I noticed one
24 comment, I know this is probably completely unfair, to pick out one specific
25 comment and see if you remember this, but it's on page E37, where the commenter

1 noted that there was a study supposedly from University of South Carolina that
2 showed elevated levels of cancer around Vogtle site, higher mortality rates in
3 Burke County. If you happen to remember that, did the staff look into that
4 report and concluded whether any relevance to what you were doing?

5 MALLECIA SUTTON: I've got the response. Robert can add additional
6 information. At the public meeting, the staff did receive some information and
7 when the staff came back, the staff probably Rich Emch did an analysis and also
8 contacted the CDC, there was indicated there was a slight increase. But the
9 increase was below the state level and below the national level. And there was
10 no information that was linked to the proposed action in front of the agency.

11 COMMISSIONER MAGWOOD: Was there any information linked to the
12 operation of Vogtle One and Two to increased incidence of cancers or anything
13 like that?

14 MALLECIA SUTTON: There was no causability linked to any of the
15 existing plants as well.

16 COMMISSIONER MAGWOOD: So, there's a part in the radiological
17 numbers, I guess, just okay -- [unintelligible] the University of South
18 Carolina study, it was a real study?

19 MALLECIA SUTTON: I cannot talk on the --

20 COMMISSIONER MAGWOOD: Okay, that's okay. Like I said, it was just
21 a specific comment. Another question, I was reading, in reading the comments
22 there were some people who were, I guess, concerned about the environmental
23 justice impacts of the project. And one commenter said something that sort of
24 resonated with me, which was, no one asked them what they thought. And I just
25 wondered, what's our process? We go through the environmental justice

1 analysis, can you talk to the affected populations? Is there a practice of
2 meeting with people? How do you know whether you've covered the ground or not?

3 MALLECIA SUTTON: The staff of environmental justice review deals
4 with the contact local states, we contact departments of service, and we try to
5 ask them if they know of any population or minority groups that we need to be
6 aware of. At the time of the ESP EIS and FSEIS, there was no information
7 provided to the staff that there was any pockets of concern that we needed to
8 be aware of. So the staff concluded that the information from both the ESP EIS
9 and the supplement remained bounded.

10 COMMISSIONER MAGWOOD: So based on information you got from the
11 state, is that what you're saying?

12 GREGORY HATCHETT: We did interviews, the staff did interviews in
13 all three counties. I believe it was three counties. It was Burke County,
14 Columbia County, no four counties. Screven County and Richmond County. And
15 then we talked to all of the leaders and social services folks, we talked to --
16 we interviewed folks at the local school districts, by trying to uncover
17 information in the overall socio-economic and environmental justice review
18 process. And by doing that, that leads us to beyond the table-top exercise of
19 doing the census block review, and evaluating the applicant's information in
20 the ER, so that we can make sure that we're very thorough. And so we found no
21 pathways or issues, related to environmental justice that would change our
22 conclusions from the ESP stage at the supplement.

23 COMMISSIONER MAGWOOD: Thank you, thank you very much Chairman.
24 Thank you Mr. Chairman.

25 CHAIRMAN JACZKO: Commissioner Ostendorff.

1 COMMISSIONER OSTENDORFF: Thank you, Mr. Chairman. I have a
2 question for the staff. Did the Environmental Protection Agency review or
3 comment either on the FEIS or the SEIS for your process?

4 MALLECIA SUTTON: Yes.

5 COMMISSIONER OSTENDORFF: Can you comment briefly on the EPA
6 comments and were there any big concerns?

7 MALLECIA SUTTON: The EPA had no big concerns on either the ESP EIS
8 or the FSEIS and any comments or clarification in that EPA requested the staff
9 did update the documents to reflect that information within the documentation.

10 COMMISSIONER OSTENDORFF: Was there any engagement or any
11 interaction with the Army Corps of Engineers throughout this process? And if
12 so, can you describe that?

13 MALLECIA SUTTON: During the Army Corps permit that was issued,
14 with Vogtle, the Army Corps and myself and the staff spoke about the issuance
15 of this permit. The Army Corps of Engineers actually tiered off the
16 supplemental environmental impact statement for issuance of the permit for the
17 applicant.

18 GREGORY HATCHETT: Just to clarify, commissioner. When the staff
19 went out at the ESP stage we informally interacted with the Corps of Engineers
20 and asked if they would become a cooperating agency. They declined because it
21 didn't have a 404, section 404 Clear Water Act permit action in front of them,
22 but we continued those informal interactions all the way through to the SEIS
23 stage and in fact, I'll note, that we made sure when we made sure that when we
24 were doing our cumulative impact analysis on the transmission line, because the
25 transmission route, it had been determined it was a representative delineated

1 corridor. We communicated directly with the Corps to make sure we were using
2 the same information, and in fact we were.

3 COMMISSIONER OSTENDORFF: A supplemental question, I'll just tack
4 on to that question. People, living in the state of Georgia or South Carolina,
5 you know right across the river, would not distinguish between one agency of
6 the federal government or another, whether it be NRC, DOE, EPA, Army Corps of
7 Engineers, et cetera. Based on your informal discussions and the liaison
8 between your staff and the Army Corps of Engineers, where there any fundamental
9 differences as to how they approach some of these environmental issues, looking
10 for coherency, consistency, or a divergent system of how the NRC is looking at
11 things and how the Corps is.

12 GREGORY HATCHETT: Going back to the response yesterday that Barry
13 Zalcmann provided, just by process we all follow sort of the guidelines laid out
14 in the CEQ and particularly how NRC adopted the section 1022C in its
15 regulations, so you know going out, putting out a notice of intent, putting out
16 -- having a scoping meetings, there's some difference in how the Corps does
17 their scoping and -- public interest review they called it, but in terms of,
18 just, fundamentals of doing an EIS, we are not inconsistent.

19 COMMISSIONER OSTENDORFF: Okay, to stay on the same topic and then
20 shift back to the applicant here, I assume you have a number of permits you
21 need to apply for and receive in the state of Georgia, is that --

22 DALE FULTON: That's correct, we do.

23 COMMISSIONER OSTENDORFF: At a high level, are there any -- I'm
24 trying to understand how we all wind up in the federal, state, local
25 authorities, big differences as to approaches in the environmental area. Are

1 there any big differences in the approaches or the kind of questions for you to
2 answer to the Georgia authorities, for say, the water-use permits, and the kind
3 of question you get in those kind of areas from NRC staff?

4 DALE FULTON: I think the way I'd answer that is the process, is
5 while this is for a NEPA analysis, when we're going after and applying for a
6 permit, we provide environmental information and typically for an example for
7 water withdrawal resources we reference the environmental evaluations conducted
8 as part of our ESP and COL EISs, and therefore -- the governing agency takes
9 that into consideration when they're determining whether they're going to grant
10 us a permit. Now keep in mind that once our NEPA process stops, it doesn't
11 stop our environmental oversight of the construction project and into
12 operation. We will still have permit conditions that we will have to abide by,
13 we'll still have compliance regulations that we'll have to abide by and we'll
14 continue to provide that oversight to ensure that we remain in compliance with
15 those permits and regulations.

16 COMMISSIONER OSTENDORFF: From where you sit, are there any
17 significant substantive differences between what you would have to satisfy at
18 the state level, compared to the NEPA requirements that we're looking at?

19 DALE FULTON: I would say, I don't see a significant difference,
20 no.

21 COMMISSIONER OSTENDORFF: Thank you. Thank you Mr. Chairman.

22 CHAIRMAN JACZKO: Well thank you everyone for your good
23 presentations this morning. we will take a break for lunch for about an hour
24 and come back at 1:30 and then have closing remarks. Thank you everybody.

25 (Whereupon, at 12:26 p.m., the above-entitled matter recessed to

1 reconvene at 1:25 p.m.)

2

3

4

5

6

7

8

9

10

11

12

13

14

A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

15

1:25 p.m.

16

CHAIRMAN JACZKO: Okay, well again, we'll just review everyone,

17

please state their name and title for the record.

18

WHEREUPON,

19

MICHAEL JOHNSON

20

FRANK AKSTULEWICZ

21

ROBERT SCHAAF

22

were called as witnesses for the staff of the Nuclear Regulatory

23

Commission and, having been previously duly sworn, assumed the witness stand,

24

were examined and testified as follows:

25

ROBERT SCHAAF: Robert Schaff, acting director, Division of Site

1 and Environmental Reviews.

2 MICHAEL JOHNSON: Michael Johnson, director of the Office of New
3 Reactors.

4 FRANK AKSTULEWICZ: Frank Akstulewicz, deputy director for New
5 Reactor licensing.

6 WHEREUPON,

7 CHUCK PIERCE

8 BUZZ MILLER

9 were called as witnesses for the Southern Nuclear Operating Company
10 and, having been previously duly sworn, assumed the witness stand, were
11 examined and testified as follows:

12 BUZZ MILLER: Buzz Miller, executive vice president for Southern
13 Nuclear Company.

14 CHUCK PIERCE: And I'm Chuck Pierce, licensing manager for Southern
15 Nuclear.

16 CHAIRMAN JACZKO: All right, we'll begin then with the applicants.
17 Fifteen minutes.

18 BUZZ MILLER: Okay, I'd just like to start by saying thank you to
19 the Chairman and thank you to each of the Commissioners for your own time and
20 effort put into this; I want you to know we do appreciate your insights, we
21 appreciate your questions and we're going to try to address some of those
22 today. We do believe this hearing has demonstrated the exhaustive nature of
23 the staff's review and the validity of the staff's safety and environmental
24 findings. We agree with the conclusion that the AP1000 design is safe and that
25 this commission has the information to make the necessary findings. I'd like

1 to follow up on a few items raised during discussions during the hearing and
2 then our team can answer any further questions you may have. First, I would
3 again like to recognize the professionalism of our Southern Company team and
4 the NRC staff as well. Commissioner Apostolakis asked about the level of
5 effort, yesterday, applied to developing the Vogtle Combined License
6 Application. We looked into that last night and we confirmed that Southern
7 Nuclear, NuStart, and contractors for Southern Nuclear have expended several
8 hundred thousand man hours to develop the application and to support its review
9 by the NRC staff since 2005.

10 Next, in our opening presentation I spoke briefly about our
11 readiness to begin construction of the nuclear island rebar. To reinforce our
12 overall readiness, to continue construction I want to expand on those thoughts.
13 Southern Nuclear has developed a robust construction oversight program already.
14 Our oversight organization is currently manned by over 200 individuals having
15 both construction and nuclear operations experience. This organization is
16 involved in quality assurance, licensing, vendor surveillance, construction
17 oversight and engineering. Our organization will grow as this project evolves.
18 Today approximately 1,200 craft workers are performing construction on the
19 site. Several thousand additional craft jobs will support the increased
20 construction activity in the future. With regard to ITAAC, both Southern
21 Nuclear and our suppliers recognize the critical role that ITAAC plays in
22 providing reasonable assurance that the plant is built as licensed. To that
23 end we will be implementing an integrated approach with Westinghouse and Shaw
24 in planning for executing and documenting ITAAC performance. Looking forward,
25 Southern Nuclear recognizes that we must have a fully trained operational staff

1 at the time of turnover and eventual start up. Training of our operations
2 staff is well underway. We currently have four cold license classes
3 representing 62 operators in our operator training program. Another three cold
4 license classes are scheduled in the near future.

5 In terms of regulatory oversight, which was mentioned yesterday,
6 the NRC staff mentioned in their response there are approximately 35,000 man
7 hours per unit planned for NRC oversight and inspections of the Vogtle three
8 and four units. I'd like to point out that Vogtle already has two NRC
9 residents, full-time, at our site that monitor daily activities. A third
10 resident is expected on site in January and we anticipate seven full time
11 residents eventually during the construction progress. Additionally, Southern
12 Nuclear is averaging approximately two on-site NRC region two inspections per
13 month currently.

14 Next, I'd like to touch on the topic regarding containment
15 cleanliness that was discussed yesterday. Consistent with operating plants,
16 containment debris limits are not typically implemented as technical
17 specification requirements. From a licensing -- licensee operating
18 perspective, a technical specification is treated no more significantly than a
19 design basis limit identified in the licensing basis, whether it is treated as
20 Tier 2 Star or Tier 2 material. Should a licensee identify through sampling
21 that the debris limits have been exceeded as discussed yesterday, the plant
22 would be considered to be outside the design basis and in an unanalyzed
23 condition. Therefore, we would remain shut down until such time the design
24 basis to support operation could be restored. We do not take a graded approach
25 to compliance.

1 Relative to seismic questions, a question came about the meaning of
2 FSAR Section 19.55.6.3 during the discussion of seismic margins. We have
3 reviewed the wording in that section and while we recognize the wording could
4 be crafted in a more artful fashion, the information provided is correct. The
5 section means that for site specific conditions concerning soil related failure
6 modes, the demonstration of adequate seismic margin is performed for a review
7 level earthquake equal to 1.67 times the Vogtle GMRS. Thus, both the
8 calculated seismic -- specific seismic response and the seismic loads are
9 scaled up by a factor of 1.67. And we can answer further questions about that
10 if desired.

11 Finally, I want to address again our request for Limited Work
12 Authorization Bravo and clarify several issues that arose during the hearing.
13 Limited Work Authorization Alpha, which was issued with the early site permit
14 for Vogtle 3 and 4, did include the authorization to install safety related
15 backfill in the nuclear island foundation in addition to the mud mat waterproof
16 membrane and mechanically stabilized earth retaining walls.

17 Similarly, Limited Work Authorization Bravo includes safety related
18 work including installation of rebar and nuclear island foundation base slab
19 for the nuclear island foundation. The foundation design was a necessary
20 component of the application for Limited Work Authorization Bravo. But to be
21 clear, we incorporated that design information from the DCD rather than
22 including it verbatim in the Limited Work Authorization Bravo request in order
23 to avoid duplicative reviews by NRC staff of the same foundation design. We
24 believed at the time and believe now that such redundant design reviews could
25 have resulted in inconsistencies in the design reviews. And the inefficiencies

1 also could have delayed the DCD further and ultimately the combined license.

2 We are committed to maintaining the standards of quality that this
3 Commission demands, regardless of when the Commission acts on our application.
4 However, as I said yesterday, the continuity in our construction processes that
5 Commission -- the continuity in our construction processes provided by the --
6 that Commission action upon DCD information would provide greatly enhances our
7 ability to maintain those standards. We believe that the evidence presented
8 yesterday emphasizes that our applications satisfies all Commission regulations
9 and requirements and we once again respectfully request that this Commission
10 act on the application at the earliest possible opportunity to approve the
11 combined license and Limited Work Authorization Bravo.

12 Mr. Chairman, thank you again for your efforts. Thank you as well
13 to your fellow commissioners. We welcome any further questions you may have
14 regarding Vogtle Units 3 and 4 combined license application.

15 CHAIRMAN JACZKO: Thank you. Now we'll have the staff give their
16 closing statements.

17 MICHAEL JOHNSON: Thank you, Chairman. In its SECY information
18 paper, in the staff's FSER and FSEIS and in its presentations during this
19 hearing, we have explained why all the findings necessary to issue combined
20 licenses and limited work authorizations can be made. In doing so, we
21 demonstrated why the Commission can agree with the staff's review of the
22 application - that the staff's review of the application has been adequate.
23 The review was appropriately focused by the finality accorded to issues within
24 the scope of the reference ESP and AP1000 design certification. We have
25 demonstrated this thoroughness -- the staff has demonstrated the thoroughness

1 of its safety review. We explain the use of a design centered work review
2 approach. We discussed the relevant information incorporated by reference from
3 the AP1000 design. We've explained our review process, the use of staff
4 guidance and interactions with the ACRS including the ACRS's agreement with the
5 staff's conclusion regarding the Vogtle application.

6 We highlighted the novel aspects of our safety review and security
7 review particularly with regard to issuance of -- including materials licensees
8 under Parts of 30, 40 and 70, loss of large areas of the plant due to
9 explosions and fires and the first cyber security review completed for a new
10 reactor application.

11 We also explained the adequacy of our environmental review, the
12 relationship of the Vogtle ESP/FEIS as the crucial starting point for efficient
13 development, of our SEIS, how the fact that the Vogtle -- how the fact that
14 Vogtle referenced a complete ESP resulted in review efficiencies expected under
15 Part 52 process including the appropriate focus on new and significant
16 information. Our compliance with the NRC's NEPA regulations in Part 51 and
17 other applicable environmental statutes, and appropriate interactions with
18 other government agencies and the public. And finally, how the environmental
19 review appropriately accounts for impacts of the requested LWAs.

20 The Office of New Reactors has found that the application, the
21 final safety evaluation report, the final supplemental environmental impact
22 statement and the staff's statement of support of this hearing to provide an
23 adequate basis for meeting the necessary findings set forth in 10 CFR 5297,
24 50.10 and 10 CFR 51.107, supporting issuance of the combined licenses for
25 Vogtle Units 3 and 4 and also for issuance of the LWAs.

1 As required by 50.10, we believe there are no unresolved issues
2 relating to activities to be conducted under the LWA that would constitute good
3 cause for withholding authorizations and for all these reasons, the record
4 supports issuance of combine license -- of the combined license and the LWA.

5 As a final thought -- and this relates to discussions that we had
6 on a number of issues regarding the regulatory vehicle chosen by the staff --
7 we're confident with respect to the work that was done by the staff in
8 consultation with OGC to support the regulatory findings as previously
9 discussed. We're similarly confident with respect to Part 52 processes related
10 to post COL issuance activities and tools including ITAAC, including
11 construction, reactor oversight process, including inspection of construction,
12 including inspection of operational programs, inspection oversight transition
13 to operations. Those activities will enable us to confirm that the plant will
14 have been built and will operate in conformance with the license, the Act and
15 the Commission's regulations.

16 Whether or not we chose a tech spec or an LCO or regulation, in
17 specific instances I would just note that they're all requirements. Licensees
18 understand the necessity of complying with requirements whether it be
19 regulations or tech specs or conditions of license.

20 Licensees also understand what needs to be done and when they find
21 they're violation of the requirements including determining the safety
22 significance, determining operability, determining the extended condition,
23 taking prompt and corrective action including restoring compliance. In those
24 instances in which we relied on commitments, we've done it in accordance with
25 the Commission's commitment policies and practices. And there is an

1 established an improved process by which licensees maintain commitments and
2 implement changes and we oversee those changes.

3 I would note finally that there are several questions -- there were
4 several questions that were raised during the course of the mandatory hearing.
5 We will provide supplemental responses in accordance with Commission procedures
6 and any direction that is provided by the Commission. The staff certainly
7 appreciates the time of the Commission and the opportunity to present to the
8 Commission the results of the staff's review.

9 With that, that concludes our presentation.

10 CHAIRMAN JACZKO: Well thank you, Mike. We'll now have the short
11 round or six minutes for each of the Commissioners to make any closing comments
12 or ask any additional questions and then we will conclude.

13 I'll start just with a question and then perhaps a brief statement.
14 This is certainly a significant activity for the Commission and I think the
15 last day and a half has shown that there's a tremendous amount of work that's
16 been done both on the applicant side on the part of the staff to carefully and
17 thoughtfully prepare information and then carefully and thoughtfully review
18 that information.

19 I think it's also clear that there are always going to be areas of
20 imperfection in what we do and uncertainty. Because I look at this information
21 and the question for me in those areas that are unresolved and as we make the
22 findings, are any of those areas of uncertainty or imperfection significant
23 enough to warrant not making findings? And that's the question that I think
24 I'll have to look at, certainly, with all these Vogtle issues in other ways.

25 I just -- I can't help commenting on a certain aspect. I think,

1 Mike, your statement was -- your statements about the fact that we are all
2 perfectly aware and perfect players in compliance space, I just think is not a
3 real reflection of how things work. Six years on this Commission, I have found
4 that there is most often, when these kinds of things get into practice, there
5 is discussion, there is back and forth. It's not simply a simple statement by
6 the licensee that, well, we understand what's required for compliance and we're
7 going to do it. It's usually a back-and-forth. So in those areas I pushed, I
8 pushed because I know how these things play out. And they don't play out as
9 simply as we make it sound right now, where everyone just goes about it and if
10 they were to say something everybody says, well, we'll happily comply. That's
11 not a value statement or a negative statement against the applicants; it's part
12 of the business.

13 But I do think there are areas in which there are subtle
14 differences and those subtle differences do play out significantly when it
15 comes to enforcement and the actual implications. And this is a very
16 significant action we're taking, to license a facility with this action. It is
17 not to issue a construction authorization. It is to give an operating license
18 for the facility. That's a very, very different step and it's one we've never
19 taken really as an agency before. So as I said, those areas of some
20 uncertainty and imperfection that I've seen, that will be how I look at this.
21 Are these things that will manifest themselves in a way that is challenging as
22 we go forward?

23 But I did want to touch on one issue which we haven't really
24 touched on directly. This is a significant activity today. It's a very
25 different activity today than it would be if this happened in February or early

1 March of this year. And we haven't really touched upon how we deal with the
2 events of Fukushima Daiichi. And very early on in this situation I was asked a
3 question about how would we move forward with new reactor licensing in dealing
4 with the lessons of Fukushima, and what I said at the time and what I still
5 believe is that the timeline for those activities are generally somewhat
6 consistent. The licensing action, we still have a little bit more work to do
7 and if things move forward smoothly, we'd probably be in a position to have a
8 final decision sometime end of this year or early next year on the Vogtle
9 application. We should presumably also by the end of the year have a good
10 sense of where the Commission stands on a lot of the post Fukushima actions.

11 So, what I think is still missing is how we somehow tie those
12 activities together. What is the linkage between what we're doing with
13 Fukushima Daiichi, what we're going to be doing with the final decision on the
14 licensing of Vogtle? And if that license is in the affirmative, how do we
15 ensure that in the right way we are incorporating and securing what will likely
16 be a series of efforts and activities. So I would like to just offer that
17 first, to you Mike, and to Buzz or any of the -- anyone else who would like to
18 comment on what they see is the best way to kind of marry those two activities
19 together.

20 MICHAEL JOHNSON: Thank you, Chairman. In terms of moving forward,
21 I think it is important that we stay connected with the operating fleet in
22 terms of those actions that would play out. And in fact, as you are well
23 aware, I'm a member of that group, looking at the actions directed by the staff
24 in terms of what we'll do moving forward. Our plan would be to follow those
25 actions, to be involved in consideration of those actions, in fact, and to

1 raise for the Commission's consideration those actions in terms of how they
2 play out on new reactors. Those actions, once decided by the Commission in
3 terms of requirements, would be actions that we would take using our process to
4 go back to the design cert if appropriate, to the COL as appropriate to adjust
5 those requirements to adjust the license, if you will, depending on how those
6 requirements play out. So we're attuned, we're in step working certainly with
7 the AP1000 and Vogtle in terms of putting into place the actions decided by the
8 Commission with response to Fukushima.

9 BUZZ MILLER: Just to say it in a slightly different way, much like
10 we're confident our operating reactor fleet is safe and should continue
11 operating, we don't believe there's a technical basis to hold back this
12 licensing process. And the Commission has the same tools for license -- this
13 post licensing that you do for our operating fleet. And it's not like it goes
14 away so you still have the same opportunity to come back to us.

15 CHAIRMAN JACZKO: Well, thanks a lot. I appreciate those answers.
16 I have to say I may be in a slightly different place. We do have a big tool
17 right now which is the issuance of a license. I think we have an obligation to
18 make sure that we don't miss the opportunity to put in place the right kinds of
19 -- whether it's a license condition or whether it's some other statement that
20 does connect these things in a more significant way. Because it's one thing to
21 have an existing plant that has a licensing process, in my mind, and then to go
22 back and use our process to adjust that and adapt it versus one that we newly
23 licensed. We have the ability, knowingly, affirmatively to make that decision,
24 knowing what we know about what happened in Japan. And I think for us to
25 simply ignore it, to say we'll take care of it -- if we issue a license we'll

1 take care of it later -- I think that's missing, I think, an obligation that we
2 have all the more to the public to address those issues. So I -- it's
3 certainly something I'll be looking at as we go forward. I appreciate your
4 answers and I appreciate your work.

5 COMMISSIONER SVINICKI: Well, I will join in thanking everyone or
6 doing some acknowledgments and then I do have a couple of specific questions
7 and then I'll close in the six minutes here.

8 First of all, I would like to thank the applicant and the team
9 there for a very informative and a very vigorous defense of the application.
10 It's clear that a lot of careful work has been done and it's clear that there's
11 been exhaustive engagement with the NRC staff and so I would also congratulate
12 the Office of New Reactors in again, getting to the milestone of being here to
13 defend their review process for this application.

14 I also want to acknowledge that the Commission is supported in this
15 adjudicatory role here presiding over this hearing by our Office of Commission
16 Appellate Adjudication and the Office of the Secretary of the Commission who
17 really provided phenomenal support to the Commission in this role. It's not
18 something that the technical staff necessarily gets to see but I don't think
19 the Commission could do what we do without the support of some of our
20 commission level offices. So I appreciate that as well and people have had to
21 do things on tight timeframes so I wanted to acknowledge that.

22 My two specific questions have to do, first of all, Mike, it's a
23 little bit of what you talked about in post issuance of a license. There's
24 still lot of important work that goes on. So you mentioned ITAAC but I was
25 just going to ask you, are you confident based on the continued level of

1 interface between the applicant and the NRC staff, those who are directly
2 responsible for the successful execution of the ITAAC process, do you think
3 that we continue to have a level of interface there that makes you confident
4 today of the ITAAC process moving forward effectively?

5 MICHAEL JOHNSON: I am confident of the process and the interfaces
6 that we have. I think the work incredibly well. I also have learned that
7 there can be surprises and we'll be alert for those surprises. Some of those
8 surprises can mean that we'll have close interactions, closer interactions to
9 resolve specific issues as they unfold. I'm confident moving forward today
10 based on the work that we've done and the changes that we've put in place with
11 respect to our process that we can execute including the implementation of the
12 ITAAC program.

13 COMMISSIONER SVINICKI: Okay. And it wasn't a trick to have you
14 somehow indicate that we live in a world where there weren't going to be some
15 issues that are arising. And so I would ask Mr. Miller as well, do you feel
16 that the level of communication with the staff leaves you confident in the
17 ITAAC process, both what you're responsible for and the successful execution of
18 the processes as it exists today?

19 JOSEPH MILLER: I would say absolutely yes, particularly based on
20 the experience we have to date, on the new ITAAC that we have.

21 COMMISSIONER SVINICKI: Well and I -- it may seem I'm
22 overemphasizing the point but I think it gets to a little bit of what Chairman
23 Jaczko talked about, which is that this is -- this Part 52 process is very
24 different and so a lot of really important confidence measures reside in that
25 ITAAC process. So as the Commission concludes this hearing this afternoon and

1 moves forward in terms of the findings, that's certainly not the end of
2 anybody's kind of confidence building measures that we need to have
3 successfully executed to move forward in this process.

4 The other specific question I had was about the changes during
5 construction license condition which provides for the ability for the licensee
6 in conjunction with some level of a license amendment request to request
7 something that I think is kind of novel: to request a notification that the NRC
8 has no objection to the licensee constructing the proposed changed design
9 feature pending the NRC's review of the license amendment request. And I --
10 again, I know we don't live in a perfect world so it may be that during
11 construction, we would find ourselves in a circumstance of needing to exercise
12 this process, but I would ask the applicant if they anticipate at this time
13 that they would invoke this opportunity of trying to get a kind of a no
14 objection to continuing at risk in this process.

15 CHUCK PIERCE: I would answer that in two ways: One is, at this
16 time we don't -- do not know an amendment that we would use the process for.

17 COMMISSIONER SVINICKI: Okay.

18 CHUCK PIERCE: Having said that though, if there is an opportunity
19 where our construction project may be impacted through a license amendment,
20 that we come across while we're doing construction, I think we would apply that
21 process at that time.

22 COMMISSIONER SVINICKI: Okay, thank you. And so I think just as a
23 closing thought then I would state, that I talked a little bit in the opening
24 about all the work that's gone forward by the previous commissions and others
25 who developed this Part 52 process and we do have the clarity of findings that

1 the Commission will need to make in this case. And so I think I'm in agreement
2 with Chairman Jaczko, that it is for each commissioner, then, a threshold
3 judgment to be rendered here on whether, again, we have the staff's view that
4 they put forward that the findings could be supported. But it is for the
5 Commission itself now to determine whether or not the preponderance of that
6 evidence has been put forward in a way that each commissioner is confident he
7 can support those findings. So that's what I think each member on this side of
8 the table will be undertaking in the coming times. So, thank you again. Thank
9 you, Mr. Chairman.

10 CHAIRMAN JACZKO: Commissioner Apostolakis.

11 COMMISSIONER APOSTOLAKIS: I join my fellow commissioners in
12 complementing the staff and the applicant witnesses for their significant
13 efforts in preparation for this hearing. I also recognize and appreciate the
14 efforts of the hundreds of others who have completed the review of the Vogtle
15 COL application as well as the earlier ESP review and AP-1000 design
16 certification amendment agreement. One can't help but be impressed by the
17 amount of resources that have been devoted to this effort, the number of public
18 meetings, the number of requests for additional information, the support for
19 ACRS reviews and the breadth of the requirements that have been addressed.

20 At the same time, as my colleagues have indicated, the Commission
21 is feeling an important responsibility in assessing the adequacy of the staff's
22 review. This review represents a major milestone in new reactor licensing,
23 with many firsts of a kind, and yet is also the culmination of efforts of that
24 began in the 1980's to provide a more efficient and effective licensing process
25 for new reactors, the Part 52 process. Thus it is both a privilege and a

1 challenge to be participating in this hearing.

2 I found this to be a learning experience in many ways, partly
3 because of the many first-of-a-kind facets of this hearing but also because the
4 record is quite detailed and complex. I have benefited from the opportunity to
5 probe analyses that I wanted to understand better. We have an extensive and
6 invaluable written record, but the question and answer periods were very
7 beneficial in getting information, in getting additional perspective on key
8 issues. We now have much food for thought and I will carefully review post
9 hearing responses to questions as I deliberate on the issues raised. Thank
10 you.

11 CHAIRMAN JACZKO: Commissioner Magwood.

12 COMMISSIONER MAGWOOD: Thank you, Chairman. Well, let me not go
13 without thanking everyone who has already been thanked, particularly the staff
14 did a -- not so much for what was done over the last couple of days but really
15 for the effort that has taken place over the course of the year, and I know how
16 much work has gone into this. It's been well represented here over the last
17 day and a half and as I mentioned earlier, it's an impressive body of work.

18 Buzz, you and your team, I appreciate everything you have gone
19 through in the last day and a half answering all the questions. I guess you
20 should probably reflect on the fact, this is probably the easy part as this
21 process goes forward, because the real hard part comes after we make a
22 judgment, assuming this project goes forward. And other -- also Commissioner
23 Svinicki highlighted the role of the SECY and OCAA, the roles that they played
24 in helping us put all this together. Very important, couldn't do it without
25 you; thank you for all that. Also wanted to thank people who helped me, Mark

1 and Molly are over there somewhere -- there they are -- for all their help and
2 all the time they spent putting all the material together for me.

3 I sort of stepped back and thought about this process a little bit
4 and it occurs to me that for many countries, when the federal government gets
5 involved and the national government gets involved in a process like this, the
6 kinds of questions that come up are rather different from the questions we've
7 dealt with today. The questions that come up are often, you know, economic
8 impacts. What does it do for employment? What does it do for local
9 development? What does it do for energy security? Those are the kinds of
10 questions they usually come up with, national governments. I think there
11 really is -- it's worth stepping back and remembering that our role in that is
12 so very different and we're so -- and the way we handle things in the United
13 States is so very different from the way that other countries handle it. That
14 -- I think, you know, the fact that our role precludes even the consideration
15 of those issues, despite the fact they're very important and clearly, you know,
16 the White House and others have been pushing very hard to find ways of
17 increasing employment and reducing red tape. We're isolated from that and we
18 have the opportunity to sit back and think about the single mission of this
19 agency, which is protecting the health, safety and security of the American
20 people, and so we are able to do that.

21 And so I think it's important to remember that while we go through
22 that, we have before us a very long and complicated process to think about with
23 those issues of health, safety and security. And as I've said on other
24 occasions and will repeat today, I never apologize for that. And I don't think
25 that -- and clearly the staff shouldn't apologize for that and really, the

1 applicant should never apologize for that. I know that the applicant has to
2 deal with a lot of different forces that don't understand why things take so
3 long, why does it take so long to put a project like this together, but when
4 you think about it, this is a project that, if it goes forward, will result --
5 it will be one of the biggest projects in the country if this goes forward.
6 And it will result in a plant that will operate for 40, 60, maybe longer years.
7 So this is very, very significant in every measurable way so it's worth every
8 detail, every effort that goes into making this project get done the right way,
9 every step of the way.

10 A couple items I just wanted to highlight: One is, we had a long
11 discussion about squib valves yesterday. We didn't ask for anything further on
12 the record but I think I'd like now to formally ask that we get a clearer
13 explanation of what exactly is the situation there, because it seems to me that
14 it's very difficult for us to make the finding that we're being asked to make
15 if we don't know that the situation is stable right now. Not what happens in
16 the future, but can we make a finding based on what we have today. I'd like to
17 get the staff's view on that.

18 I have a comment about the EIS process. I think that the -- as I
19 mentioned, a way that this agency does NEPA, or the way our view of NEPA is
20 different from many other agencies, and the way that this particular document
21 came together, it reference lots of other documents. It referenced the
22 [unintelligible], it referenced ESP. And as you go through this document, it's
23 very difficult to read it without having those other documents handy. And I
24 noticed there were several comments from the public that it was very difficult
25 to understand and assess what was going on. I guess what I would say is, just

1 because various parts of the analysis are no longer open for discussion doesn't
2 mean you can't talk about them in the document. So simply stating ESP, we're
3 not going to talk about it, I don't think that's good enough. I think there
4 should be a more fulsome coverage in the ESP to allow the public to understand
5 what's being proposed. Because when you think about it, the NEPA is really the
6 one place where the broad public has an opportunity to hear and engage with the
7 government over what's being proposed to go forward. So and I think we should
8 think about the ESP process that way.

9 Final comment I will have, this is more of an encouragement for --
10 I'll direct it to Buzz. You have people in the Southern Company who were
11 around the last time the Southern Company went through a nuclear plant
12 construction project. I think it would be really useful for -- or maybe you've
13 already done this -- to talk to those people as the process goes forward and
14 give us an assessment, to not just us, but maybe to the broader community about
15 how this process worked and what worked compared to what happened in the past.
16 And at the end of the day, give us a grade; what did you think? How did this
17 work? Did this process go the way you thought it would go? Where can we do
18 better? Because we are going to make adjustments as we go forward. And this
19 commission, as we go on to the next -- past this project and onto others, we'll
20 probably make adjustments in the process going forward so we appreciate that
21 input.

22 So with that I'll close and again thank everyone. I look forward
23 to reaching a conclusion on our findings. I look forward to talking to my
24 colleagues about that. I'm sure we'll have lots of views about what should be
25 considered and again, I appreciate my colleagues as well. Thank you very much.

1 CHAIRMAN JACZKO: Commissioner Ostendorff.

2 COMMISSIONER OSTENDORFF: Thank you, Mr. Chairman. I add my thanks
3 to those of my colleagues. I appreciate Southern's hard work and attention to
4 detail on the application. Mike, you and your team, I appreciate what you have
5 all done in your exercise of due diligence and a very thoughtful and careful
6 review. I think you've done your job. I know we're going to get some post
7 hearing calls from you guys on some questions that were asked yesterday and
8 today, but I think you have a very good foundation for us to make a decision
9 here as individual commissioners. We appreciate that very much. Thank you.

10 CHAIRMAN JACZKO: Well thank you, everyone. This concludes our --
11 what is an historic hearing in the -- really, for the agency, in completing the
12 first mandatory hearing on a new reactor application since 1970 or I should
13 say, conducting our first mandatory hearing. The NRC has demonstrated its
14 commitment and effectiveness in meeting our important safety and security
15 mission. As the past two days of hearings have demonstrated, the review of a
16 new reactor application necessarily involves many important safety, security
17 and environmental issues. On behalf of the Commission I want to thank the
18 staff for their hard work over the past three years in reviewing the
19 application in completing the final safety evaluation report as a supplement
20 final and formal impact statement.

21 I also want to thank the staff as well as the applicant for their
22 presentations and their responses to our questions over the past three days.
23 This hearing has helped us better understand the important issues involved in
24 the review of this application. Because of the discussions during this
25 hearing, we will be in a better position to make an informed and considered

1 decision on this application. I believe the Commission is committed to moving
2 forward with a decision on this application in a thoughtful timely manner that
3 befits the importance safety issues under review.

4 While we have had a productive hearing over the past two days, we
5 still have some work ahead of us before we reach a decision. And I look
6 forward to seeing the supplemental responses to our questions. An order will
7 be issued within the next seven days regarding those supplemental responses and
8 any further follow-up questions. The parties should coordinate regarding any
9 additional exhibits included with your responses so they are shared in advance
10 and the Commission is informed of any objections by the time they are
11 submitted. We expect a transcript of this hearing to be available within a few
12 days. At that time, the secretary will issue a short order identifying the
13 deadline for any transcript corrections. Although there is still some work
14 ahead for the applicant, the staff and the Commission, I believe this has been
15 a very productive hearing. Thank you all for your participation and this
16 concludes our hearing. Thank you.

17 (Whereupon, at 2:12 p.m. the above-entitled matter was concluded)

18 E-N-D-P-R-O-F-P-R-O-C-D-E-E-D-I-N-G-S
19
20
21

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

In the Matter of)
)
SOUTHERN NUCLEAR OPERATING COMPANY) Docket Nos. 52-025-COL and
) 52-026-COL
)
(Vogtle))
)
(Mandatory Hearing))

CERTIFICATE OF SERVICE

I hereby certify that copies of the foregoing COMMISSION ORDER (ADOPTING PROPOSED TRANSCRIPT CORRECTIONS, ADMITTING POST-HEARING RESPONSES AND CLOSING THE RECORD OF THE PROCEEDING), ON THE COMBINED LICENSES FOR VOGTLE ELECTRIC GENERATING PLANT, UNITS 3 AND 4 have been served upon the following persons by Electronic Information Exchange and by electronic mail as indicated by an asterisk*.

Office of Commission Appellate
Adjudication
U.S. Nuclear Regulatory Commission
Washington, DC 20555-0001
E-mail: ocaamail@nrc.gov

U.S. Nuclear Regulatory Commission
Office of the Secretary of the Commission
Mail Stop O-16C1
Washington, DC 20555-0001
Hearing Docket
E-mail: hearingdocket@nrc.gov

U.S. Nuclear Regulatory Commission
Office of the General Counsel
Mail Stop O-15D-21
Washington, DC 20555-0001
Marian Zabler, Esq.
Ann Hodgdon, Esq.
Sara Kirkwood, Esq.
Patrick Moulding, Esq.
Marcia Carpentier, Esq.
Joseph Gilman, Paralegal
Karin Francis, Paralegal
E-mail: marian.zabler@nrc.gov
ann.hodgdon@nrc.gov
sara.kirkwood@nrc.gov
patrick.moulding@nrc.gov
marcia.carpentier@nrc.gov
joseph.gilman@nrc.gov
karin.francis@nrc.gov

OGC Mail Center : OGCMailCenter@nrc.gov

Southern Nuclear Operating Company, Inc.
40 Inverness Center Parkway
P.O. Box 1295, Bin B-022
Birmingham, AL 35201-1295
John L. Pemberton, Esq.*
E-mail: jlpebmer@southernco.com

Southern Nuclear
Inverness Building 42 – Bin 357
Birmingham, Alabama 35242
Charles Pierce
E-mail: crpierce@southernco.com

Vogtle, Docket Nos. 52-025-COL and 52-026-COL (Mandatory Hearing)

COMMISSION ORDER (ADOPTING PROPOSED TRANSCRIPT CORRECTIONS, ADMITTING POST-HEARING RESPONSES AND CLOSING THE RECORD OF THE PROCEEDING), ON THE COMBINED LICENSES FOR VOGTLE ELECTRIC GENERATING PLANT, UNITS 3 AND 4

Balch & Bingham LLP
1710 Sixth Avenue North
Birmingham, Alabama 35203-2014
M. Stanford Blanton, Esq.
Peter D. LeJeune, Esq.
Chad Pilcher, Esq.
Millicent Ronnlund
E-mail: sblanton@balch.com
plejeune@balch.com
mronnlund@balch.com
cpilcher@balch.com

Morgan, Lewis & Bockius, LLP
Co-Counsel for Southern Nuclear Operating
Company, Inc.
1111 Pennsylvania Ave., NW
Washington, DC 20004
Kathryn M. Sutton, Esq.
Mary Freeze
E-mail: ksutton@morganlewis.com
mfreeze@morganlewis.com

Balch & Bingham, LLP
1901 6th Avenue, Suite 2600
Birmingham, AL 35203
C. Grady Moore, III, Esq.
Leslie Garrett Allen, Esq.
E-mail: gmoore@balch.com
lgaillen@balch.com

[Original signed by R. Giitter]
Office of the Secretary of the Commission

Dated at Rockville, Maryland
this 1st day of November 2011