

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

+ + + + +

SUBCOMMITTEE ON REGULATORY POLICIES AND PRACTICES

+ + + + +

CLOSED SESSION

+ + + + +

TUESDAY,

JULY 10, 2007

+ + + + +

The meeting was convened in Room T-2B3 of Two White Flint North, 11545 Rockville Pike, Rockville, Maryland, at 10:30 a.m., Dr. William J. Shack, Chairman, presiding.

MEMBERS PRESENT:

- WILLIAM J. SHACK Chairman
- SAID ABDEL-KHALIK ACRS Member
- GEORGE E. APOSTOLAKIS ACRS Member
- J. SAM ARMIJO ACRS Member
- MARIO V. BONACA ACRS Member
- MICHAEL CORRADINI ACRS Member
- THOMAS S. KRESS ACRS Member
- OTTO L. MAYNARD ACRS Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

R/5

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

NRC STAFF PRESENT:

ROBERT PRATO

JOCELYN MITCHELL

RICHARD SHERRY

JOSEPH JONES

JASON SCHAPEROW

JIMMY NEROKA

CHARLES TINKLER

JOHN MONNINGER

MIKE SHIU

ATA ISTAR

JEFF GAZOR

FAROUK ELTAWILA

DONALD DUBE

SELIM SANCAKTAR

HOSSEIN NOURBAKSH

C O N T E N T S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PAGE

Initial Findings:

Overview, Robert Prato . . . . . 104

Accident Sequence Selection, Richard  
Sherry . . . . . 106

Preliminary MELCOR Insights, Jason  
Schaperow . . . . . 124

Structural Analysis, ta Istar . . . . . 166

Emergency Preparedness, Joseph Jones . . 172

Dose Threshold . . . . . 193

Adjourn

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(1:28 p.m.)

1  
2  
3 CHAIRMAN SHACK: Well, since it's just us  
4 chickens here, I think we can start even though Dr.  
5 Kress isn't here yet.

6 Bob, it's back to you.

7 MR. PRATO: Okay. Good afternoon. We're  
8 going to continue on with the results session of our  
9 presentation.

10 We do have a guest in the audience, a  
11 gentleman from Peach Bottom. I'm sorry.

12 MR. GAIVER: Jeff Gaiver.

13 MR. PRATO: Jeff Gaiver. He's a Peach  
14 Bottom representative. Because we have a site  
15 representative and OGC has limitations as to what  
16 information we can relate to them, I'm going to be  
17 orchestrating the bulk of the presentation.

18 We're going to be presenting the Peach  
19 Bottom results first and I'll walk you through it.  
20 When we get to Surry's slides, we're going to skip by  
21 those slides, and then we'll go back after we're done  
22 with Peach Bottom and do the Surry results  
23 presentation.

24 We are pressing along on Peach Bottom. It  
25 is the first site that we visited. We have got all of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 their information and we're a little bit further ahead  
2 on Peach Bottom than Surry. So it's probably a good  
3 way to give you a better picture initially.

4 Before we get started, Jocelyn found an  
5 answer --

6 (Laughter.)

7 MR. PRATO: -- to the question on the dose  
8 conversions.

9 MS. MITCHELL: I'll do it later. I'll  
10 pick it up at my piece at the end.

11 MR. PRATO: Okay. So this is the agenda  
12 for this afternoon. Sequence selection will be  
13 covered by Rich Sherry. Preliminary accident  
14 progression insights will be handled by Jason  
15 Schaperow. Structural analysis will be presented by  
16 Ata Istar at the end. Emergency preparedness, again,  
17 Joe Jones will be filling in for Randy Sullivan, and  
18 then latent cancer fatality dose response model.  
19 We'll address that at the end, and that will be  
20 Jocelyn Mitchell who will present that.

21 DR. APOSTOLAKIS: So the reason why this  
22 meeting is closed is these are very preliminary?

23 MR. PRATO: Generally, yes, and it may  
24 impact the Commission's ability to make signals in the  
25 future. So we requested -- I forgot the exact

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 terminology on it, but it's one of the set criteria  
2 for allowing the meetings to be closed.

3 We may also be touching on some security  
4 related issues with AIB, but that wasn't the main  
5 impetus for us requesting that this to be closed.

6 DR. APOSTOLAKIS: But eventually the final  
7 results will be public, correct?

8 MR. PRATO: Absolutely, yes, sir.

9 Rich.

10 MR. SHERRY: Okay. Next slide, Bob.

11 Basically, the way I'm going to present  
12 the results is for each of the two plans, Peach Bottom  
13 and Surry. First I'll show the results of the Level  
14 1 CDF analysis after we grouped the sequences or  
15 grouped some similar sequences for the internal events  
16 initiators, initiated sequences.

17 Then I will go through and discuss each of  
18 the sequence groups which went forward to an  
19 evaluation of the containment system status or the  
20 status of containment systems for both the internal  
21 and external events.

22 Also, on the slides which show the  
23 sequence groups you'll show a CDF per year given in as  
24 like mid-ten to the minus seven or low ten to the  
25 minus seven. The reason we're using this terminology

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is because this represents our looking at both the  
2 SPAR model results and the plant PRA, okay, and making  
3 judgments based on our reviews about what we believe  
4 are the most appropriate representation or modeling of  
5 the sequences, and so what is the most representative  
6 core damage frequency.

7 For Peach Bottom after this review,  
8 essentially we found no sequence groups which were  
9 near or above the screening criteria of ten to the  
10 minus six per year, and in addition, there were no  
11 special sequences, for example, no containment bypass  
12 sequences which were above ten to the minus seven for  
13 internal events.

14 DR. APOSTOLAKIS: Rick.

15 MR. SHERRY: Yes.

16 DR. APOSTOLAKIS: Something that is on the  
17 high side of the ten to the minus eight like the  
18 sequence number three, is that considered near the  
19 cutoff?

20 MR. SHERRY: Well, that sequence would be  
21 judged against a cutoff at ten to the minus six  
22 because it does not represent a sequence which we  
23 would consider one that has a potential for a large  
24 release, for example, like a containment bypass  
25 sequence.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: So this is before the  
2 screening?

3 MR. SHERRY: This is before the screening.

4 DR. ARMIJO: So everything would be  
5 screened out?

6 MR. SHERRY: Everything from the internal  
7 event initiated sequences would be screened out.

8 DR. APOSTOLAKIS: Even if you go by the  
9 CDF, it says here that the total CDF is low ten to the  
10 minus six, right? Is that the real CDF compared to  
11 the conclusion from the SPAR and --

12 MR. SHERRY: And plant PRA, yes.

13 DR. APOSTOLAKIS: So shouldn't the  
14 screening frequency, even if we accept that that  
15 should be on the basis of CDF, should it vary  
16 depending on how low the CDF is?

17 I mean, if I have a plan that has 310 to  
18 the minus four total CDF --

19 MR. SHERRY: You're saying would a  
20 screening criteria be more appropriate if it was some  
21 fraction or percentage of total CDF?

22 DR. APOSTOLAKIS: Right, right. Instead  
23 of a fixed number, again, assuming that this the  
24 appropriate criteria, which I have doubts.

25 MR. SHERRY: It would be appropriate, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think, in one sense, but then it would lead to  
2 essentially differences in absolute screening values  
3 among different plants.

4 DR. APOSTOLAKIS: Of course, but right now  
5 you have a total CDF in the low ten to the minus six  
6 region. Your cutoff is ten to the minus six. I mean,  
7 no wonder --

8 DR. ARMIJO: End of story, yeah.

9 DR. APOSTOLAKIS: No wonder no sequence  
10 makes it.

11 DR. MAYNARD: Yeah, I guess I'm not  
12 excited about having a different one for each plant.  
13 For the type of study that this is and what it's  
14 trying to convey, I think you almost have to have a  
15 definitive number that you're using.

16 DR. APOSTOLAKIS: But you see none of them  
17 makes it.

18 CHAIRMAN SHACK: Well, he'll get to  
19 another slide.

20 (Laughter.)

21 MR. SHERRY: I'd just like to mention --

22 DR. APOSTOLAKIS: But this kind of  
23 frequency is just an issue of convenience that there  
24 is nothing magical about.

25 DR. CORRADINI: How low should you go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1        though?

2                   DR. APOSTOLAKIS: I'm telling you for CDF  
3        typically a calculation goes about a factor of 1,000  
4        below what you expect. So if you expect the frequency  
5        to be ten to the minus five, you include maybe  
6        sequences greater than ten to the minus eight. That's  
7        the more or less standard practice, but it's always  
8        relative to what you're trying to find. It's a means  
9        of saving time and effort. It's not a technical  
10       thing, and with the new computer codes now and the  
11       methods of BDDs and all that, you don't need any  
12       cutoff frequencies.

13                   But this is an additional assumption here  
14        that it's ten to the minus six no matter what.

15                   MR. SHERRY: Just one other thing I wanted  
16        to mention before I leave this slide is that in our  
17        early analysis we did identify one sequence which  
18        would exceed the ten to the minus six, one sequence  
19        group. However, after we've reviewed the plant PRA  
20        results and compared them, made judgments, we decided  
21        that the plant model was more in depth, more  
22        representative, and essentially we judged that their  
23        evaluation of the frequency was most appropriate.

24                   I mention that because we had done some  
25        initial work on that sequence, and Jason will be using

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that as an example later on.

2 Next slide.

3 The one sequence group or sequence type  
4 that we judge to be above the threshold was an  
5 external event, principally seismic initiated, station  
6 blackout.

7 DR. APOSTOLAKIS: So all of the internal  
8 sequences are out.

9 MR. SHERRY: All of the internal sequences  
10 are screened out.

11 DR. APOSTOLAKIS: Okay.

12 MR. SHERRY: And this sequence basically  
13 has in-vessel injection early to the HPCI until some  
14 time at or after loss of DC power or possibly failure  
15 of room cooling, and --

16 DR. APOSTOLAKIS: But if you have an SBO,  
17 you have a loop, right? Why do you say loop and SBO  
18 curves?

19 MR. SHERRY: Well, loop is the initiator,  
20 and then SBO is --

21 DR. APOSTOLAKIS: It becomes an SBO.

22 MR. SHERRY: It becomes an SBO.

23 And for these particular sequences you  
24 lose AC power. Eventually you lose DC power. The  
25 assumption is no possibility of recovery, and so in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the way of engineered safeguards you have only those  
2 which I said are dependent upon other power sources  
3 than AC power for at least -- and are available only  
4 for a limited period of time.

5 DR. APOSTOLAKIS: What is the mission  
6 time? You have already assumed that the batteries  
7 have been depleted. How long is that?

8 PARTICIPANT: Four hours.

9 DR. APOSTOLAKIS: Huh?

10 PARTICIPANT: Four to eight hours.

11 MR. SCHAPEROW: We'll talk a little bit  
12 more about that when we get to the accident  
13 progression part.

14 DR. APOSTOLAKIS: They keep postponing  
15 things.

16 (Laughter.)

17 DR. APOSTOLAKIS: Everything will be  
18 answered in the last five minutes. All right. Jason,  
19 you win.

20 MR. SCHAPEROW: Actually it's about two  
21 slides from now or something.

22 DR. CORRADINI: If I can ask a question  
23 I'll watch Charlie. Take all sharp objects away from  
24 Charlie.

25 I'm back to the internal with sequences

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 one and two which are in the mid-ten to the minus  
2 seven, so below your cutoff. Is there something  
3 uniquely different about those in terms of plan damage  
4 state or would it be captured within the station  
5 blackout from an external event?

6 The topmost sequence group is essentially  
7 characterized by the availability of essentially all  
8 your containment safeguards, drywall sprays, canned  
9 heat removal.

10 DR. CORRADINI: The top one.

11 MR. SHERRY: The top one.

12 DR. CORRADINI: Okay.

13 MR. SHERRY: So even if it would have gone  
14 forward as a circa sequence, it would have been, I  
15 think, very unlikely that you would get a substantial  
16 source term or early containment failure because of  
17 the fact that you had essentially all of your  
18 containment engineered safeguards.

19 DR. CORRADINI: The same thing with number  
20 sequence group two. I guess what I'm looking for is  
21 I guess, to be honest with you, numbers get me kind of  
22 twitchy down here in these low values. I'm rather  
23 looking for qualitative differences. There is  
24 something qualitatively different about these sequence  
25 groups than you might come up with from a station

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 blackout sequence even though it was driven  
2 externally. If they're approximately the same and all  
3 you're doing is looking at consequence anyway.

4 MR. SHERRY: Well, I think I can say this  
5 in confidence, that the station blackout is certainly  
6 going to bind all of these. It's going to be more  
7 severe.

8 MR. PRATO: Okay. The next couple of  
9 slide are on Surry. Let's go to slide 11, please.

10 DR. APOSTOLAKIS: What did we learn from  
11 Slide 5?

12 MR. PRATO: That's the only sequence.

13 DR. APOSTOLAKIS: Yeah, but I mean the  
14 table. Did you learn --

15 MR. PRATO: That's going to set it up for  
16 Jason. That's what he's got left.

17 DR. APOSTOLAKIS: So PCS is not available  
18 because that's part of the sequence, but the safety  
19 relief valves are not part of the sequence, and you  
20 assume they're perfect. That's what you said earlier.  
21 Okay. Okay means they will work.

22 MR. SHERRY: Right.

23 DR. APOSTOLAKIS: With probability one.

24 MR. SHERRY: Unless Jason fails.

25 DR. APOSTOLAKIS: What's the difference

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 between not failed and available?

2 MR. SHERRY: The SRVs can have several  
3 failure modes. They can fail to open or they can fail  
4 opening, and I'm trying to indicate with a few words  
5 the fact that they're both not failed to open and --

6 DR. APOSTOLAKIS: Essentially you are  
7 saying these three are available when Jason does his  
8 work.

9 MR. SHERRY: Right.

10 DR. CORRADINI: So how can HPCI be  
11 available if I've depleted the batteries?

12 I'm sorry. I'm not good at that either.

13 MR. SHERRY: HPCI is available until --

14 DR. CORRADINI: Oh, until. Excuse me.  
15 I'm sorry.

16 MR. SHERRY: -- battery depletion.

17 DR. CORRADINI: I'm sorry. I'm sorry.

18 MR. SHERRY: That's why it's the so-called  
19 long term station blackout.

20 DR. CORRADINI: Sorry.

21 MR. SHERRY: You have injection fray  
22 while --

23 DR. CORRADINI: No problem. Thank you.

24 MR. TINKLER: We worked pretty closely  
25 with Rick and the folks doing this SPAR to look at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issues of timing effect, which might not normally be  
2 looked at closely, but when you're trying to do a  
3 constance calculation and you're looking at timing and  
4 you're looking at timing of EP, all of those things  
5 become more important than --

6 DR. APOSTOLAKIS: Maybe instead of a table  
7 like this you should have time line to show this.

8 MR. TINKLER: The timing we'll discuss  
9 more in the accident progression, but --

10 DR. APOSTOLAKIS: I mean, a time line  
11 somewhere there would be useful.

12 MR. TINKLER: We worked with Rick to look  
13 at the issues of timing, as well as to look at the  
14 issues of whether or not any of these sequence groups,  
15 as Mike suggested, pose some unique sort of  
16 characteristic. Okay?

17 And we satisfied ourselves that none of  
18 the internal events pose anything that was so unique  
19 that it wouldn't have been covered by --

20 DR. CORRADINI: But you would be leaving  
21 it out and it might challenge it and cause an odd  
22 looking source term.

23 MR. TINKLER: And, in fact, as Rick said,  
24 many of them have containment systems which were  
25 operable.

1 MR. SHERRY: Okay. On to Slide 11.

2 DR. APOSTOLAKIS: Again, I'm sorry.

3 MR. SHERRY: Okay, sir.

4 DR. APOSTOLAKIS: This is the  
5 subcommittee. We're trying to understand as well.  
6 Could we go to slide 4?

7 This perennial issues of what is a  
8 sequence comes up. So if I look at the sequences, you  
9 have seven, nine, and ten all starting with loss of  
10 off-site power, right?

11 MR. SHERRY: Un-huh.

12 DR. APOSTOLAKIS: Seven, nine and ten,  
13 correct on Slide 4?

14 DR. CORRADINI: And two of the three are  
15 failure of SPC.

16 DR. APOSTOLAKIS: Yeah. So why on the one  
17 group?

18 MR. SHERRY: Actually eight is also --

19 DR. APOSTOLAKIS: Station blackout.  
20 You're right.

21 MR. SHERRY: -- initiated by loop.

22 DR. APOSTOLAKIS: So seven, eight, nine,  
23 and ten, should they be one group, one sequence?

24 MR. SHERRY: Not necessarily.

25 DR. APOSTOLAKIS: Are the consequences of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 loss of off-site power so different that it's worth  
2 having separate sequences?

3 MR. SHERRY: These are, again, sequence  
4 groups.

5 DR. APOSTOLAKIS: Yeah, but I mean why  
6 aren't these groups one super group with all four?

7 MR. SHERRY: Because they would have --  
8 and I'm not sure of the details, but they have  
9 different systems available and failed or unavailable,  
10 and --

11 DR. APOSTOLAKIS: Well, even if one system  
12 is different you say they're different sequences?

13 MR. SHERRY: Well, depending on what the  
14 system is.

15 And I don't have the details of what  
16 separates these right now.

17 MR. SHIU: George, some of those  
18 differences are whether you have high pressure systems  
19 available or low pressure systems available, whether  
20 you have failure at high pressure, low pressure, for  
21 example, or you have failure of long-term heat  
22 removal. So these are kind of the different criteria  
23 that were used to group the sequences.

24 DR. APOSTOLAKIS: RCS depressurization was  
25 successful. One would have to really look carefully

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to identify the difference between the sequences. I  
2 mean, since you are using that kind of frequency, one  
3 has to be careful as to which sequence or group of  
4 sequences the frequency is referring to, and here are  
5 four sequences that appear to be fairly similar to  
6 each other.

7 I mean I can take the external event  
8 sequence and maybe subdivide it into four different  
9 sequences and go below the cutoff.

10 Why can't I do that? I think you need a  
11 story. I'm not saying that you did it on purpose, but  
12 you really need a convincing story why you keep these  
13 separate, why the seismic is one and not four.  
14 Because the definition of an accident sequence is not  
15 precise, right? It would be in terms of trains. It  
16 would be in terms of components. It would be in terms  
17 of systems, and there is an agreement in this agency  
18 that when we say accident sequence we mean the  
19 initiator and systems, front line systems.

20 But, again, you know, so telling a nice  
21 story about that would be every helpful here.

22 MR. SHIU: I think I want to repeat the  
23 fact that the way these sequences are made up was so  
24 that if we look down the line if we had to propagate  
25 these sequences into the Level 2 containment systems

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or the consequences, we can distinguish between the  
2 cardinal sequences with high pressure systems  
3 available or if it's a low pressure core melt or if it  
4 is a long term sequence where we fail RHR, for  
5 example.

6 So these sequences are picked so that we  
7 can distinguish between the system interactions  
8 towards the --

9 DR. APOSTOLAKIS: But the problem, Mike,  
10 is that you are eliminating them. That's the problem.  
11 If you were handling them in a different way, more  
12 power to you. But what you're saying is whew, ten of  
13 them out.

14 MR. PRATO: But if you had four low ten to  
15 the minus six, you're still going to be in ten to the  
16 minus seven which would be outside of our --

17 MR. SHIU: In this case it's --

18 DR. APOSTOLAKIS: Assuming that our  
19 criterion is correct and assuming that there are no  
20 other sequences that do this. All right.

21 DR. CORRADINI: All four of them that you  
22 picked though, just to take their side for a minute,  
23 they're cooking at high pressure just like the  
24 external event one. So the qualitative way in which  
25 the thing all goes to hell in a hand basket is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 similar.

2 DR. APOSTOLAKIS: With the external event.

3 DR. CORRADINI: Yeah, in terms of how the  
4 source term would be developed. That's my  
5 understanding of what it all means.

6 MR. SHIU: That's correct.

7 DR. CORRADINI: I was guessing you would  
8 argue them that way, but you didn't. So I thought I'd  
9 try that way.

10 MR. SHIU: We could argue in that way  
11 also. I mean the fact that these four actually  
12 subsume or are covered by the external events  
13 initiator.

14 DR. ARMIJO: If you hadn't had that  
15 external event and that's your criteria, what would  
16 you --

17 DR. APOSTOLAKIS: Sam, what did you say?  
18 I'm sorry.

19 DR. ARMIJO: If you hadn't had that  
20 external event that met your screening criteria, then  
21 what would you do?

22 (Laughter.)

23 DR. ARMIJO: Fall over?

24 DR. CORRADINI: Put another one at  
25 Philadelphia I'd say.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. ELTAWILA: This is Farouk Eltawila  
3 from Research.

4 When we proposed this program to the  
5 Commission, we said we are going to do a realistic  
6 analysis, and if the answer come that there is no  
7 sequences, that's going to cause risk, early fatality  
8 or it can surface out to report that finding. That's  
9 all what our mission is, you know, so that there's  
10 nothing wrong based on the screening criteria that the  
11 staff has selected. There are no scenarios that lead  
12 into early failure, early fatality or late kinds of  
13 fatality (phonetic).

14 DR. ARMIJO: I'm very glad about that, but  
15 that's a fact that I'm just saying for the purposes of  
16 this analysis it's all over in the first screen.

17 MR. ELTAWILA: If the plants have done  
18 enough modification to the plant and reduced the core  
19 damage frequency, we should acknowledge that and say  
20 they fixed the plant and the core damage frequency  
21 does not meet the criteria that we established and,  
22 therefore, there are no scenarios.

23 If the Commission wants to send us back to  
24 start working on it and take additional scenarios, we  
25 can do that, but right now there is nothing wrong with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reporting the actual results.

2 DR. ARMIJO: Okay.

3 DR. APOSTOLAKIS: Silence does not mean  
4 agreement.

5 (Laughter.)

6 MR. TINKLER: I also want to say that this  
7 didn't all happen in a vacuum. We had other  
8 calculations, for example, and we discussed this with  
9 the committee a number of times for the BWRs that show  
10 that CRD injection flow rates are adequate to maintain  
11 core cooling. so when we looked at some of these  
12 sequenced groups, while these may show up in SPAR  
13 because of either a temporary or long-term loss of  
14 HPCI or low pressure injection, if we could see other  
15 systems were available and we did this when we thought  
16 we had an internal event that was close to our  
17 threshold, when we look in detail at the precise  
18 availability of all the systems, we could judge that  
19 we would not calculate core damage in any event, and  
20 we'll talk about that a little more when we walk  
21 through an example.

22 That's yet another reason why even though  
23 on its face they may appear to be sequences that would  
24 proceed to core damage, may not indeed go that far.

25 MR. PRATO: Slide 11, please.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SHERRY: Okay. Now, we're at the  
2 Peach Bottom summary. Basically just two insights  
3 from the sequence selection process or that the total  
4 initiating event CDF is quite low, in the low to mid-  
5 ten to the minus six range, and we observed that the  
6 external event initiated sequences have estimated CDFs  
7 that are equal to or sometimes substantially greater  
8 than the internally initiated sequences.

9 MR. PRATO: Next Jason will talk about  
10 preliminary accident progress for the Peach Bottom.

11 MR. SCHAPEROW: This is just to set it up.  
12 This is what we get from our view of the PRAs. Again,  
13 as Rick said, no external event scenarios with the CDF  
14 greater than ten to the minus six, and the bypass  
15 scenario, the ISLOCA. At the PRA you had an extremely  
16 low number on that.

17 The only sequence we are left with is the  
18 longer station blackout for external events with a CDF  
19 of about ten to the minus six.

20 In the long-term station blackout, AC  
21 power fails both off site and on site diesels. We do  
22 have a HPCI left after this event. It is a turbine  
23 driven system, and its batteries are used to control  
24 the system, and so we have that system until battery  
25 depletion. So we do have injection for a while.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Of course, the question is what is "a  
2 while."

3           Again, batteries are needed to control  
4 injection, also to hold the relief valves open so they  
5 can start to depressurize. The battery life depends  
6 on the age of the batteries, how long they've been in  
7 the plan, and also the effectiveness of load shedding.

8           Peach Bottom does have a procedure to shed  
9 loads on their battery when they get into a situation  
10 like this.

11           The licensee gave us two numbers for their  
12 battery life in this all AC power failure situation.  
13 One estimate was two hours. That's based on when they  
14 would take the battery out of the plant and replace  
15 it. The battery is at that point.

16           The eight hour value that we got is based  
17 on a new battery recently installed in the plant.

18           Now, the issue of load share also is  
19 important. We understand that if the licensee did  
20 implement the load shed procedure as written  
21 effectively that they would be able to bring the two  
22 hour number up to something like four hours.

23           So, again, we're talking about several  
24 hours are available on the battery. Now, once the  
25 battery does go, we do have options for mitigation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 One option is the manual operation of a turbine driven  
2 system, in this case HPCI.

3 Also the licensee is purchasing equipment  
4 and implementing procedures to use portable generator  
5 and to inject with a portable pump, a portable diesel  
6 driven pump. This is recently purchased equipment or  
7 is going to be purchased shortly. So an initial look  
8 at this is that mitigation of rent core damage may be  
9 feasible for this sequence.

10 DR. APOSTOLAKIS: So what does that mean  
11 in terms of the actual calculation?

12 MR. SCHAPEROW: We have not yet begun the  
13 core calculations on this sequence. Just started.  
14 Excuse me.

15 DR. CORRADINI: We had a loss of on-site  
16 power.

17 MR. SCHAPEROW: We are just getting to the  
18 point where we are ready to start calculations with  
19 MELCOR for this season.

20 DR. MAYNARD: That really bothers me.

21 (Laughter.)

22 DR. APOSTOLAKIS: Well, Jason, you said  
23 may be feasible. What does that mean? Are you going  
24 to assume that these actually mitigation measures will  
25 be implemented?

1 MR. SCHAPEROW: The operation of HPCI, we  
2 will reflect that because we do have that. We'll have  
3 that until the batter deflates, and that will give us  
4 a certain amount of time until core damage, until  
5 things really start to go bad, and then we will need  
6 to take a look and evaluate how long for them to get  
7 the portable pump and generator in place to see, which  
8 is reasonable to model that also as part of the --

9 DR. APOSTOLAKIS: Is that part of any  
10 procedure that they have to do this?

11 MR. SCHAPEROW: They're developing  
12 procedures for this equipment. This is the new  
13 equipment.

14 DR. APOSTOLAKIS: And then what happens?  
15 If they are successful, when does core melt occur?

16 MR. SCHAPEROW: It won't. It doesn't.

17 DR. APOSTOLAKIS: You don't get any  
18 results.

19 MR. SCHAPEROW: The result may be a  
20 prediction of continued core cooling.

21 DR. APOSTOLAKIS: But ultimately you  
22 wanted to calculate deaths. It would be zero.

23 MR. SCHAPEROW: Well, the objective is to  
24 do a real estate consequence assessment. If there's  
25 no release, the consequence is zero.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: But if you assume that  
2 these mitigation measures are successful, you're just  
3 cooling the core.

4 MR. SCHAPEROW: That may be a result of  
5 this scenario.

6 DR. APOSTOLAKIS: In which case the number  
7 of deaths is zero.

8 MR. SCHAPEROW: that's correct.

9 DR. APOSTOLAKIS: In which case then you  
10 would have to go to other sequences, wouldn't you?

11 DR. CORRADINI: Not unless they were  
12 directed to. That's what I heard earlier.

13 DR. APOSTOLAKIS: A political result.

14 MR. MONNINGER: No, no, it's not a  
15 political result. I think we are adhering to the  
16 program plan that we established. I mean, you know,  
17 the plan to carry out this study was proposed by the  
18 staff, endorsed by the Commission, and we are carrying  
19 that out.

20 DR. APOSTOLAKIS: I understand.

21 MR. MONNINGER: And we will report that.  
22 If there's other options or approaches they want us to  
23 take, you know, we would do that.

24 DR. APOSTOLAKIS: Yeah. There are two  
25 things that we are confusing here. One is that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are doing what the Commission directed you to do,  
2 which is fine. That's the way you should act. And  
3 the other is whether we are really doing what Bob  
4 mentioned at the beginning, namely, providing a bete  
5 estimate of the consequences, which you were not.

6 MR. MONNINGER: I think it's a best  
7 estimate of the consequences for the expected  
8 accidents for a realistic spectrum of accidents. You  
9 know, the notion of a project was not to calculate  
10 consequences for extreme events in the frequency  
11 range. It was meant to be if there was an event what  
12 is the more likely event and what are the bet  
13 estimated calculated consequences?

14 DR. ABDEL-KHALIK: Fundamentally do you  
15 think there is a fundamental difference between a  
16 cutoff frequency of ten to the minus six and ten to  
17 the minus seven?

18 MR. MONNINGER: Fundamentally?

19 DR. ABDEL-KHALIK: Right.

20 MR. MONNINGER: I mean in terms of what  
21 the results will be?

22 DR. ABDEL-KHALIK: No, no, in terms of a  
23 number that you pick out.

24 MR. MONNINGER: I think in terms of our  
25 confidence in our ability to predict events, I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there is a difference between events, you know, ten to  
2 the minus four, five, and six, and events that are ten  
3 to the minus eighth, ninth, tenth, eleventh, and  
4 twelfth. So I do think there is a difference between,  
5 you know, our ability to predict events in the more I  
6 don't want to say frequent range, but in the -

7 DR. ABDEL-KHALIK: But some of the  
8 internal events that you excluded were sort of in that  
9 fuzzy range, and the question is -- in my mind the  
10 whole purpose of doing this is, you know, to convey  
11 some information to the public, and anything you do  
12 that sort of casts doubt on the process by which you  
13 arrive at that final number will make the results of  
14 this study sort of DOA in a sense that nobody would  
15 believe it.

16 Because, you know, people may perceive it  
17 as biased, and if it is perceived as being biased,  
18 then it will not be believed and will not be of any  
19 value.

20 MR. ELTAWILA: But you will also have  
21 element of the public. You will have other groups  
22 that will look at the results and say, "If you don't  
23 have a containment failure, I'm not going to believe  
24 your results."

25 So you have to establish a criteria and

1 you try to do your analysis based on the criteria.  
2 And the staff has looked at the criteria and found  
3 that's a reasonable criteria because we have  
4 confidence in the way we calculate the frequency.

5 In addition to that, Charlie indicated  
6 that even for those scenarios that you are concerned  
7 about in the margin, they might not lead into core  
8 damage frequency. They might not lead into core  
9 damage, you know.

10 So the story is going to come together  
11 when you try to provide all this information together,  
12 but if you don't have established a criteria, we have  
13 one of our stakeholders say if you don't have any  
14 scenario that does not lead into immediate release,  
15 I'm not going to believe your results."

16 So I have to manufacture a scenario for  
17 him to accept that result. So you are going to get  
18 that regardless of what you're doing. You're going to  
19 get that criticism about the believability of the  
20 answer, and as long as we do the analysis and we do  
21 the uncertainty analysis, we do the best analysis that  
22 we can, and we try to justify it. I think that's the  
23 only thing we can do at this time.

24 DR. ABDEL-KHALIK: Now, would the  
25 uncertainty analysis include uncertainty in the cutoff

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 frequency? I mean, would you go back and do this with  
2 a cutoff frequency of ten to the minus seven? If  
3 that is the case, you know, then that might add  
4 credibility to your bottom line result.

5 DR. CORRADINI: Can I ask? Are you going  
6 to answer his question? Otherwise I'm going to add to  
7 his question.

8 MR. SHERRY: Let me just answer. Remember  
9 this is an externally initiated sequence including a  
10 large seismic component. We want to assess the  
11 potential for using these special mitigative measures  
12 and equipment within the context at least for some  
13 fraction of that sequence frequency of a large seismic  
14 event having occurred.

15 And then we have to ask the question: is  
16 the portable pump available? Has it been damaged?  
17 Are the injection points that you're going to use to  
18 inject water into containment, are they available?  
19 Have they been damaged?

20 So you know, it's not like we're going to  
21 assess the mitigative action and the equipment in a  
22 vacuum without considering the context.

23 DR. APOSTOLAKIS: You will have a  
24 fragility curve for the bottom generator?

25 MR. SHERRY: No, we don't have that. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 don't even think that the plant has it.

2 DR. APOSTOLAKIS: So how can you ask the  
3 question whether it's available? I mean, this is a  
4 fairly strong effluent.

5 MR. SHERRY: Right. I mean, where is it  
6 stored? You know, is it stored in a seismic Category  
7 1 building or in an industrial building? Questions  
8 like that.

9 DR. CORRADINI: But here's the sense of  
10 what I'm hearing at least. I don't know if I'm on the  
11 same page that he's worried about, but what I'm  
12 hearing is that if I knew what the CCDF curve is,  
13 you're saying that the shape of it has evolved because  
14 of licensee modifications, something from this to  
15 something like this with a tail down here that you  
16 don't know what it is and you're not going to find out  
17 from this study.

18 That leads me to then say, ut-oh. Then  
19 somebody is going to come back to you and say, "Where  
20 is that bottom?" You know, you've proven to me that  
21 it's like this instead of where it was like that, but  
22 you've chopped off the frequency, and I ask you where  
23 it is and you say, "Well, we weren't asked to find  
24 that."

25 Can you imagine the push-back you're going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 to get from some quarters?

2 I mean, that's what I hear from the  
3 discussion here, is that you really are saying that  
4 you've by conscious effort of proper engineering  
5 pushed the whole thing to be more reliable and lower  
6 consequence, and you don't know if there is a bottom  
7 out here, nor do you know where it is. You don't know  
8 where it is this way. You don't know where it is that  
9 way.

10 CHAIRMAN SHACK: But again, coming back,  
11 you know, there's a question of whether you're looking  
12 at risk or you're looking at consequence. If you're  
13 looking at consequence, I think the choice of a cutoff  
14 frequency is a policy decision. You just have to sort  
15 of decide what's a reasonable number to pick.

16 The uncertainties would come in to make  
17 sure that you got every sequence that really had that.  
18 I don't think there's such a thing as an uncertainty  
19 in the threshold number. There's an uncertainty in  
20 whether a sequence meets that threshold number, but it  
21 seems to me the threshold number is a policy decision,  
22 and you know, you make that. It's like any policy  
23 decision. You know, it's hard to say whether it's  
24 right or it's wrong. It's a decision, and you know,  
25 these are the consequences with this kind of a cutoff.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           It's a different answer that you would get  
2           from a risk analysis where you looked at everything  
3           and counted in the likelihood that it would happen.  
4           You're asking two different questions.

5           DR. CORRADINI:    So is the way to ask  
6           Said's question because it's appeal to me is instead  
7           of changing the limit based on a certainty is to ask  
8           what's the uncertainty in the number we were given a  
9           few slides back?

10          CHAIRMAN SHACK:   And you know, is there  
11          another sequence that the uncertainty would push up  
12          into the range that you were looking at?  And I think  
13          the answer seems to be no, and the consequences of all  
14          those sequences are bounded by the sequence that he  
15          has picked.

16          But, again, to argue that you should  
17          really be doing a risk study when they are doing a  
18          consequence analysis, you know, that's a different  
19          decision than you're now doing a consequence analysis.  
20          The cutoff frequency is a policy decision, and what  
21          you have to do within the context of that analysis is  
22          to make sure that you're consistent with those  
23          assumptions, and I think, you know, they're trying to  
24          do that.

25          DR. APOSTOLAKIS:  Yeah, but the objectives

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 were not stated that way. Determine best estimates of  
2 the radiological consequences. It didn't say  
3 according to a certain policy.

4 CHAIRMAN SHACK: But I think with a  
5 consequence analysis you always have to make that  
6 statement, that there is some -- you know, the risk  
7 may reach some asymptotic level, but the consequences  
8 -- well, they're probably reach some asymptotic level,  
9 too, but that asymptotic level could be --

10 DR. KRESS: You've got to avoid having  
11 another NUREG 740.

12 CHAIRMAN SHACK: Right. You know, NUREG  
13 740 is probably the asymptotic limit.

14 DR. KRESS: Yeah.

15 DR. ABDEL-KHALIK: But in the eyes of the  
16 public the concern is the low frequency, high  
17 consequence event. So if you arbitrarily draw a  
18 bottom line on the frequency, you will not satisfy a  
19 lot of people.

20 CHAIRMAN SHACK: You can't satisfy  
21 everybody. I think a rigorous analysis to the  
22 threshold frequency that they've done gives you a  
23 picture, you know, whether it --

24 DR. APOSTOLAKIS: It doesn't give me the  
25 best estimate I was promised.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MONNINGER: I think in just one  
2 statement here with regard to our goal, I do think it  
3 is consistent with our goal because if you keep  
4 reading on it talks about off site consequences for  
5 dominant accident sequences, and what we're doing here  
6 is we are calculating to consequences for the dominant  
7 accident sequences.

8 CHAIRMAN SHACK: Except the definition of  
9 dominant is a decision that you make.

10 DR. APOSTOLAKIS: Right. For dominant  
11 accident sequences, for accident sequences dominate in  
12 the core damage frequency. That's what it should be.

13 CHAIRMAN SHACK: Accident sequences for  
14 the release frequency greater than ten to the minus  
15 six, which they are approximating by going back and  
16 looking at core damage frequencies of ten to the minus  
17 six because they think that's a conservative estimate  
18 for the release frequency.

19 MR. TINKLER: Yes, and we are further  
20 going down --

21 DR. APOSTOLAKIS: You are --

22 MR. TINKLER: -- that day for the bypass.

23 DR. CORRADINI: I understand that, but,  
24 Charlie, here's where I'm still struggling. So we say  
25 to you, okay, you've neglected those three, and you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 say, well, those are qualitatively similar to the one  
2 we're including. Okay. Now we have a sequence for  
3 all of Peach Bottom that kind of looks, smells, walks  
4 like a duck, quacks like a duck, looks like all of the  
5 other ones that you've left off because they're a  
6 little bit lower frequency. So it could generate the  
7 same qualitative source term.

8 Now you put in very perfect operation of  
9 mitigative effects. That gives me real pause because  
10 now --

11 MR. TINKLER: Well, let's talk about this.

12 DR. CORRADINI: Wait a minute.

13 MR. TINKLER: Rick mentioned that, look,  
14 we know that we've identified this for a seismic  
15 event, and there are questions about whether or not  
16 this mitigation capability would be functional during  
17 a seismic event.

18 DR. CORRADINI: So if I went down --

19 MR. TINKLER: I just want to say that's  
20 not a done deal on this one. You still need to look  
21 at that issue, and at the end of the day, at the end  
22 of the day it might turn out that we do a calculation  
23 where the mitigation is effective and the mitigation  
24 is not effective. It's not in concrete, but that  
25 might be how it turns out.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So if you want to assess how reliable that  
2 additional mitigation capability will be and how  
3 important it is --

4           DR. CORRADINI:   You look at the two  
5 extremes.

6           MR. TINKLER:   -- you look at the two  
7 calculations.

8           DR. CORRADINI:   So then the second part of  
9 my question goes like this.   So now you have Peach  
10 Bottom.   You have a site; you have a location.   You go  
11 back to the '82 study.   What did the '82 study show  
12 for this site relative to what you -- so in other  
13 words, if I were going to do this from a best estimate  
14 standpoint, I kind of look back 25 years and say,  
15 "Gee, what did this site look like then relative to  
16 it, compared to now?"

17           MR. TINKLER:   Well, let's talk about that.  
18 This is going to generate a source term of a given  
19 timing, and one could pretty clearly in the worst case  
20 -- assuming the mitigation does not work, we can  
21 compare that source term both qualitatively and  
22 quantitatively to the SST-1 source term and see that  
23 they are manifestly different.

24           DR. CORRADINI:   The SST-1 --

25           MR. TINKLER:   Yes, the SST-1 is a source

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 term --

2 DR. CORRADINI: -- is the big source term  
3 that made --

4 MR. TINKLER: That came out in an hour and  
5 a half. Okay? Over half the core radionuclide  
6 inventory in an hour and a half. This one,  
7 radionuclide, even if nothing works beyond what we  
8 described here, you'll be looking at a release in 16  
9 hours, 18 hours, 20 hours. So your whole concept of  
10 the effectiveness of EP and everything changes  
11 radically just by looking at that. Okay?

12 DR. CORRADINI: Okay, but to me that would  
13 be a useful -- if you say that it's on, you know, the  
14 mitigative works, doesn't work, now you've got the  
15 extremes. No discussion about what the shape looks  
16 like. That gets me personally nervous.

17 It's on; it's not on. And then you look  
18 at historically. Then you have a way of kind of  
19 balancing what you've done relative to what occurred  
20 25 years ago.

21 MR. TINKLER: Agreed, although like I say,  
22 I'm not sure how we proceed to one with and one  
23 without, whether or not we develop, God help us, a  
24 distribution before that with and without, but you  
25 know, there are other ways to address that issue to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 look at the importance of those measures, what kind of  
2 reliability you would like to have for those measures,  
3 but ultimately if we get to -- if we were identifying  
4 sequences where we thought the additional mitigation  
5 was effective and was reliable, then we would have no  
6 sequences.

7 This is a special case because it's a  
8 seismic event. Okay? If it were an internal event,  
9 we would think that the additional capability that's  
10 been brought to bear in the plant could very well be  
11 effective. We wouldn't have the same kinds of  
12 concerns, but because this one has a special set of  
13 conditions attached to it, we may have to look at it  
14 a little more.

15 CHAIRMAN SHACK: I mean, we won't ask you  
16 how you're dealing with security issues because that  
17 kind of throws these frequencies out the window.

18 MR. TINKLER: Agreed, but it's important  
19 to recognize that what we're actually ending up with  
20 is I won't say a routine, but you know, a long term  
21 station blackout is not some sequence that's never  
22 been considered. And the fact that we're ending up  
23 with a long term station blackout that has a signature  
24 associated with it is quite different than what the  
25 1982 study has.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   CHAIRMAN SHACK: Another question is why  
2 Peach Bottom didn't find this in their internal events  
3 IPE. Is that because they had a ten to the minus five  
4 cutoff for vulnerabilities there and you're going to  
5 ten to the minus six here?

6                   MR. SHERRY: Well, this is external  
7 events.

8                   CHAIRMAN SHACK: No, IPEEE, their external  
9 events thing. They presumably did it, and they didn't  
10 identify this as a vulnerability then. Did they do a  
11 lousy job on the external events?

12                  MR. SHERRY: Well, I think with  
13 frequencies at this range, doing an analysis may not  
14 result in identifying the vulnerability.

15                  CHAIRMAN SHACK: Right. I mean, they  
16 wouldn't have called it a vulnerability. It's so low  
17 that it's still not a vulnerability from that point of  
18 view. I mean you've now pushed it down.

19                  MR. TINKLER: I think it's pretty clear  
20 that these kinds of results are consistent with  
21 license renewal PSAs. There's nothing shocking about  
22 that from that standpoint, that the external events  
23 are larger frequency than the internal events in the  
24 license renewal applications that have been seen,  
25 correct?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: License renewal PSAs?  
2 Does anybody do that? Who?

3 CHAIRMAN SHACK: Everybody.

4 DR. APOSTOLAKIS: They just look at the  
5 difference in the human actions?

6 CHAIRMAN SHACK: No, no, no. This is  
7 license renewal, not power uprate.

8 MR. TINKLER: This is not an atypical  
9 result.

10 DR. KRESS: It's going to be a lot more  
11 typical for the new plants.

12 MR. TINKLER: It's starting to look like  
13 a new plant. CDF would look with the additional  
14 capability and a harder look at some of these things.  
15 They're starting to look like -- the internal event  
16 CDFs are starting to look not quite as well, but  
17 they're --

18 DR. APOSTOLAKIS: What would be the  
19 additional level of effort to actually do a Level 3  
20 PRA?

21 MR. TINKLER: I knew this was coming.

22 DR. APOSTOLAKIS: No, I mean, are --

23 MR. TINKLER: It's logical.

24 DR. APOSTOLAKIS: -- we talking about  
25 something huge?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. MONNINGER: Order of magnitude. Order  
2 of magnitude, George.

3 PARTICIPANTS: An order of magnitude.

4 (Laughter.)

5 MR. MONNINGER: I think, you know, to  
6 myself when I think about this project, the way I put  
7 it into context is, you know, over the past ten to 15  
8 years, you know, essentially what the NRC has done is  
9 focused on core damage frequency. I mean, the reactor  
10 oversight process, SDP, et cetera. I mean, we do a  
11 little bit of LERF, but we don't do full blown, you  
12 know, Level 2 or Level 3, and we have our surrogates  
13 there, and you know that through past studies the  
14 surrogates show that if your numbers are less than  
15 this, you generally met the safety goals.

16 And through that we have learned a lot  
17 with regard to the safety of the plants. One of the  
18 things we also want to do with this project is show  
19 what the other tools we have out there can do in terms  
20 of demonstrating the safety. So as opposed to, you  
21 know, in the past we're spending 95 percent of our  
22 time on CDF and Level 1 on the front end and very  
23 little on the back end, the focus of this project is  
24 really supposed to be on the back end, on the MELCOR  
25 analysis and the MAX analysis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I mean, we have put in a considerable  
2 amount of time on the sequence selection and all, but  
3 one of the things we're trying to demonstrate from  
4 this project is the enhanced safety in these designs  
5 when you do do the severe accident progression,  
6 accident analysis, et cetera.

7 So in terms of our resources, we really  
8 want to devote our resources to that back end and not,  
9 you know, what we've done over the, past 15 years to  
10 the front end. So I'm not sure if that helps at all.  
11 You know, where we have been the past 15 years and at  
12 the same time advances have occurred with system mods  
13 and availability and reliability. The same has  
14 occurred on the back end, and it's time to look at  
15 that back end, and that's what we're trying to do.

16 DR. ARMIJO: But if you cut off the CDF at  
17 too low a value or high a value, you don't exercise  
18 all and see the benefits of all of these other  
19 improvements on the down stream. That's why I asked  
20 the question. If you hadn't had an external event as  
21 far as Peach Bottom, that would be the end of the  
22 analysis, right? Nothing happened.

23 MR. MONNINGER: It would have been for  
24 where the criteria were set, yes.

25 DR. ARMIJO: I would have said, well,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 invent something so that you do find out what happens  
2 if you challenge a containment or leak and you get all  
3 of the plume effects you know about.

4 MR. MONNINGER: And let's say, for  
5 example, we did that or, you know, some plants had  
6 cutoff values here and others were there. If  
7 ultimately, hypothetically, if ultimately there's a  
8 table out there that lists this, I mean, what kind of  
9 comparison would that provide of these relative plans?

10 If, for example, some pass the screening  
11 criteria and you used events, others were lower but  
12 you hypothesized some event in there. I mean, what  
13 kind of portrayal of results would that provide?

14 DR. ARMIJO: It's sort of like a defense  
15 in depth. It says even if that failed, these other  
16 improvements that we've made in meteorology or  
17 evacuation planning, all of these, you're going to be  
18 protected by virtue of these other downstream --

19 MR. MONNINGER: I mean, you know, if we  
20 would have done that, I mean, we could have just  
21 hypothesized some event and applied that event to  
22 every single plant out there, you know, as opposed to  
23 really trying to go in plant by plant and identify the  
24 sequence.

25 We may go if we continue this study to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 next BWR, you know, three or four, slash mark, one.  
2 It may be a different sequence. It may be an internal  
3 event, you know. So we're trying to do it as site  
4 specific as possible, and if it ends up that they're  
5 below the mark, they're below the mark or above. I'm  
6 not sure.

7 MR. TINKLER: Once upon a time we were  
8 asked, well, why don't you just redo the SST-1 with  
9 all of your better technology. Well, that kind of  
10 ties both hands and both feet behind your back, but we  
11 could do better plume dispersal, I suppose, but you  
12 know, it would be kind of -- so we have to decide how  
13 far you want to go on that.

14 So we think the most important thing is to  
15 demonstrate when it shows itself that these sequences  
16 at a minimal have much more relaxed, if you will,  
17 timing associated with them. You know, you can't melt  
18 100 tons of fuel in an hour and release the fusion  
19 products in the next ten minutes. These kinds of  
20 events take longer to evolve. The thermal hydraulic  
21 calculations reveal that.

22 The thermal hydraulic calculations also  
23 reveal that the opportunities for mitigation are more  
24 than you thought in the past and that it's easier to  
25 mitigate than might have been thought in the past, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that you can recover events later than you could in  
2 the past, a la TMI.

3 So you know, all of those points we would  
4 want to show, but we don't want to create an artifact  
5 in order to show those either. We don't want to  
6 elevate artificially the importance of a sequence.

7 DR. APOSTOLAKIS: So if I go to 1150 and  
8 I look at the Peach Bottom seismic contribution, how  
9 much does it contribute to deaths? And how different  
10 is your new result from that? That would be an  
11 interesting comparison, and that would be meaningful,  
12 in fact, because you're comparing apples to apples.

13 MR. TINKLER: Yes.

14 DR. APOSTOLAKIS: I mean, if you don't  
15 remember, you don't remember.

16 MR. TINKLER: No, no, no.

17 DR. APOSTOLAKIS: I mean, what is it that  
18 they didn't have at the time? These options for  
19 mitigation?

20 MR. TINKLER: Well, they clearly didn't  
21 have, you know, all of the more recent mitigation  
22 options, this new portable pump, this new portable  
23 generator.

24 DR. APOSTOLAKIS: Right.

25 MR. TINKLER: You know, all of the efforts

1 to more effectively use diesel driven systems, you  
2 know, not to mention CMGs that have been developed  
3 since that time, the guide operators. There are a  
4 host of additional things that could be brought to  
5 bear that would in some cases lower the frequency and  
6 in some cases vacate it, okay, at a minimum increase  
7 the timing.

8 DR. APOSTOLAKIS: There would be two  
9 answers or two questions to which the answers would be  
10 useful. One, how much are the early deaths affected  
11 by the mere fact that we have better computational  
12 tools now?

13 And second, by how much are they affected  
14 by the additional mitigation? And then, of course,  
15 the combination.

16 MR. TINKLER: Right.

17 DR. APOSTOLAKIS: Because when 1150 goes  
18 down, there was a comparison with WASH-1400, and they  
19 found that in terms of release of cesium, the median  
20 of 1150 was about an order of magnitude lower than the  
21 median in the WASH-1400 evaluation, and that was  
22 attributed primarily to better models, removal of  
23 conservatisms.

24 That's an interesting insight. The  
25 difference between the two studies was something like

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 12 years on average maybe, maybe 13 years or something  
2 like that. So in a period of a little over 13 years,  
3 the models improved and the impact was an order of  
4 magnitude down.

5 I mean these kinds of comparisons make  
6 sense and also you have these mitigation measures and  
7 so on. It would be nice to see the impact.

8 MR. TINKLER: Well, to the extent that  
9 Rick's earlier table reveals how internal event  
10 frequencies have dropped, they've dropped primarily as  
11 a result of the additional systems. Okay?

12 To the extent that when you eventually get  
13 to a scenario where the core melts, you would see the  
14 reduction and we will see that if we do a calculation  
15 that proceeds. We'll see a further reduction in the  
16 cesium release fraction, and we'll see a delay in the  
17 timing of the release, and coupled with more realistic  
18 treatment of EP, it will cascade to reduced health  
19 effects.

20 DR. APOSTOLAKIS: Okay. So, I mean, it  
21 would really be nice to see how these curves that are  
22 shown in 1150 move as a result of these things.  
23 That's a useful contribution because the curves have  
24 been produced, and I'm sure they move towards the  
25 lower left-hand corner there, right, to be consistent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with the consequences?

2 These are very useful results in my view.

3 MR. SHERRY: I just want to add one thing  
4 to what Charlie said. I think another major reason  
5 for the drop in core damage frequency is essentially  
6 industry performance in terms of the reduction in  
7 component failure rates and initiating event  
8 frequency. That has had a substantial impact on --

9 DR. APOSTOLAKIS: And common cause  
10 failures.

11 MR. SHERRY: And possibly common cause  
12 failures.

13 DR. APOSTOLAKIS: Not possibly. We've  
14 seen evidence of that.

15 MR. SHERRY: Okay.

16 DR. APOSTOLAKIS: They keep going down.

17 MR. SCHAPEROW: Okay. Can we go to Slide  
18 15, please?

19 DR. APOSTOLAKIS: Is that a slide?

20 PARTICIPANT: We lost power.

21 MR. SCHAPEROW: Paper copies.

22 (Pause in proceedings.)

23 MR. SCHAPEROW: As Rick had mentioned, we  
24 did initially have an interesting scenario identified  
25 for Peach Bottom and an internal event scenario, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 we did do a little bit of MELCOR analysis on this  
2 scenario. I just wanted to talk about what we learned  
3 just briefly.

4 The scenario is the loss of vital AC bus  
5 E-12. This scenario involves the loss of AC power to  
6 the DC inverters. We do have some systems still  
7 operational for this sequence. We have turbo driven  
8 systems, control high drive hydraulic system which has  
9 two pumps. We can open and close SRVs, and we have  
10 low pressure injection.

11 The EOPs in this case will direct the  
12 operators to maintain level with RCIC turbine driven  
13 system and begin a controlled depressurization, and  
14 again, where we lost our DC inverters, now we just  
15 have the battery.

16 We did perform some preliminary analysis  
17 in MELCOR. I'd like to direct you to Slide 16 to  
18 show the results.

19 DR. APOSTOLAKIS: Let me have the slide.  
20 The first line, E, dash, 12.

21 MR. SCHAPEROW: That's the name of the  
22 bus.

23 DR. APOSTOLAKIS: It's not E to the minus.

24 MR. SCHAPEROW: No. I know it looks like  
25 it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 DR. APOSTOLAKIS: I was hoping for a  
3 second.

4 MR. SCHAPEROW: The name of the bus is E-  
5 12, and this particular bus is an important one  
6 because it's the one that provides power.

7 DR. APOSTOLAKIS: So what is the frequency  
8 of this sequence?

9 MR. SCHAPEROW: Originally we were right  
10 about at ten to the minus six, but now we're down  
11 about a factor of ten.

12 MR. MONNINGER: I think one thing  
13 important to recognize is, you know, over the past  
14 couple of months the staff, we were running with this  
15 as a potential internal events sequence. We then met  
16 with the licensee in an effort to insure that we were  
17 modeling and representing the plan as realistically as  
18 possible, and it ends up that there were some  
19 differences in assumptions between, you know, the  
20 plant and the way the NRC was modeling it, and it  
21 eventually screened out.

22 So you know, we are trying to stay  
23 religious to the project in terms of what the  
24 screening threshold was. One day of the week, one --

25 DR. APOSTOLAKIS: The ten to the minus six

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cutoff came from the Commission

2 DR. ARMIJO: Initial Commission study

3 DR. APOSTOLAKIS: It's in an SRM that you  
4 have to consider sequences only of frequency greater  
5 than ten to the minus --

6 MR. PRATO: On initial focus.

7 DR. APOSTOLAKIS: That's what the  
8 Commission said.

9 MR. PRATO: That's what they told us.

10 DR. APOSTOLAKIS: When did they say this?

11 MR. PRATO: Actually --

12 DR. APOSTOLAKIS: The date is? April 14,  
13 2006. So initial focus means? How long is initial?

14 DR. CORRADINI: Until they tell us  
15 something different, I'm sure.

16 MR. PRATO: Until they give us different  
17 directions.

18 DR. APOSTOLAKIS: Oh, they have to tell  
19 you something. I see. Well, maybe we can help them  
20 do that.

21 MR. SCHAPEROW: I wanted to just spend a  
22 minute on this because it did illustrate one of the  
23 things that we are coming across in these kinds of  
24 scenarios, which is we do a realistic analysis of  
25 MELCOR, and we come up with either known core damage

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or core damage. In this case I would say no core  
2 damage.

3 If you take a look at Slide 16, the bottom  
4 curve shows the reactor vessel water level with no  
5 injection. It just keeps going down as a result of  
6 boiling off through the SRV.

7 But a realistic look at this, we have a  
8 RCIC operation for probably quite a number of hours  
9 actually. We just assumed RCIC operation, operation  
10 in one case for two hours, in another case for three  
11 hours.

12 What that does is that provides injection  
13 of the vessel for a few hours, at which point the  
14 decay power is now a lot lower. This sequence also  
15 has one controller drive hydraulic system pump  
16 operating. So that is enough to get you to the point  
17 where you don't get core damage after many hours  
18 because that 110 gallon per minute from the controller  
19 hydraulic system is enough to overcome decay power  
20 after a few hours.

21 DR. CORRADINI: That's the light gray one  
22 that sits there and hovers at nine feet.

23 MR. SCHAPEROW: Yes, that's it.

24 CHAIRMAN SHACK: So the battery lets you  
25 hang in there long enough so that you can then cover

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your butt with the CRD drive.

2 MR. SCHAPEROW: Exactly, exactly.

3 DR. CORRADINI: And how are you covering  
4 your butt with the CRD hydraulic? How is that water  
5 coming in after you get rid of your battery power?

6 MR. SCHAPEROW: It's an AC driven system.  
7 In this case we lost --

8 DR. CORRADINI: In a different bus.

9 MR. SCHAPEROW: In a different bus.  
10 That's right. We only lost one bus. We still have  
11 the other three.

12 DR. CORRADINI: Got it.

13 MR. SCHAPEROW: So anyway, so the message  
14 here is that if you do detailed thermal hydraulic  
15 analysis, you can see some margins to core damage, and  
16 in this case again for three hours of RCIC operation  
17 plus one CRD pump is no core damage.

18 So we didn't get a release for this  
19 scenario.

20 CHAIRMAN SHACK: The model uncertainties  
21 in MELCOR are small enough that I believe these  
22 numbers.

23 MR. SCHAPEROW: I think this is basically  
24 a question of decay power. We were able to keep up  
25 with the boil off with enough flow. I don't know if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this is even a MELCOR specific --

2 MR. TINKLER: Well, the top curve, we're  
3 both core and mid-plane. There's no reason to believe  
4 there's any significant uncertainty in that  
5 calculation

6 CHAIRMAN SHACK: That's true. I mean, as  
7 long as we're sort of dealing with heat and mass  
8 balance.

9 MR. TINKLER: The top curve looks like by  
10 our standards pretty impact geometry.

11 MR. SCHAPEROW: Yeah, the two-hour curve,  
12 two hours of RCIC operation would correspond to the  
13 absolute worst case where you had old batteries, no  
14 load shedding. That was the absolute quickest case,  
15 and even that one we didn't see much core damage. The  
16 water level dropped down to around a little below  
17 vessel core mid-plane.

18 Actually it's notable for this sequence.  
19 There was actually other mitigation that could be  
20 brought to bear. There's a procedure for increasing  
21 CRD flow by by open ended throttle.

22 Oh, 15. Sorry. Still on 15.

23 DR. APOSTOLAKIS: So which curve are you  
24 looking at? This is the only time we are really with  
25 this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SCHAPEROW: I'm sorry. There's one  
2 bottom curve, no injection. The top three curves have  
3 RCIC operation for either two or three hours plus  
4 CR&D.

5 DR. APOSTOLAKIS: Okay. There are two  
6 light grays or one dark gray and one light gray.

7 DR. CORRADINI: The one in there that  
8 comes down is the CRDHS one. That one.

9 DR. APOSTOLAKIS: Okay.

10 CHAIRMAN SHACK: But you have no  
11 calculations yet for the external event sequence.

12 MR. SCHAPEROW: That's correct. We're  
13 just starting those now. Bob said we just got the  
14 information from the plant. Whatever additional  
15 information so it will beef up tomorrow for the last  
16 week or two, and we're just going through that and  
17 making --

18 CHAIRMAN SHACK: But you're going to do  
19 that calculation without the new fire driven pump or  
20 the new fire pump thing and with?

21 MR. SCHAPEROW: We may do it both ways.

22 DR. CORRADINI: We got a "may" out of them  
23 earlier in the discussion.

24 MR. SCHAPEROW: Yes. We were thinking  
25 about that for a while. That is just an issue we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 wrestling with.

2 Let's go to Slide 17.

3 Overall insights from the Peach Bottom  
4 work so far. Two scenarios that we looked at that  
5 were initially identified involved loss of AC power;  
6 warning of loss of AC power throughout the plan. The  
7 other one was just the key equipment.

8 As Charlie noted, these scenarios evolved  
9 slowly. If you have eight hours of battery life,  
10 which you might have if you do some load shedding, it  
11 will be eight hours until you even start to lower the  
12 vessel level.

13 And then after that you're going to have  
14 many more hours because you're out far enough in the  
15 heat curve. It's going to take a while to boil stuff  
16 off, and you've got maybe 20 hours before core damage  
17 and vessel failure in such a case.

18 Our initial evaluation so far shows that  
19 the PRA success criteria do appear conservative  
20 certainly with respect to effectiveness of CRD  
21 hydraulic system. We feel that best estimate  
22 calculations would likely demonstrate no core damage  
23 for this type of scenario.

24 DR. APOSTOLAKIS: This is an internal  
25 events scenario.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SCHAPEROW: For that one, yes. We  
2 don't think we'd see core damage if we continued these  
3 calculations.

4 DR. APOSTOLAKIS: So these insights are  
5 really very useful, aren't they?

6 MR. SCHAPEROW: We think so.

7 DR. APOSTOLAKIS: You would not have  
8 derived them if you had applied your cutoff frequency.

9 (Laughter.)

10 PARTICIPANT: You were done for when you  
11 said that.

12 MR. SCHAPEROW: Well, I think it is a more  
13 general --

14 DR. APOSTOLAKIS: I like them. I think  
15 they're great.

16 MR. SCHAPEROW: When you're doing a  
17 risk --

18 DR. APOSTOLAKIS: You wouldn't have given  
19 yourself a chance to produce them.

20 MR. SCHAPEROW: When you're doing a risk  
21 study, you have lots and lots of scenarios and lots --

22 DR. APOSTOLAKIS: Keep going.

23 MR. SCHAPEROW: And the idea is that when  
24 you take the time to do an analysis with a code such  
25 as MELCOR, you're going to identify areas which may

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 have been treated conservatively in the past, and we  
2 have to do a better job.

3 DR. APOSTOLAKIS: You're right, absolutely  
4 right, and all I'm saying is you should give yourself  
5 opportunities to do this. This is great.

6 MR. SCHAPEROW: Okay.

7 DR. APOSTOLAKIS: I'm trying to agree with  
8 those guys and they refuse.

9 By the way, I hope you understand that all  
10 of these comments are made in order to be  
11 constructive. Okay? I'm trying to be constructive  
12 and they fail every now and then.

13 (Laughter.)

14 CHAIRMAN SHACK: We're from the ACRS, and  
15 we're here to help you.

16 (Laughter.)

17 MR. PRATO: Are there any more questions  
18 on the board? Oh, you have got one more?

19 MR. SCHAPEROW: Yeah, one more. The last  
20 bullet which deals with manual intervention. You  
21 know, these are slowly evolving scenarios. So it  
22 looks like there's going to be enough time to do a lot  
23 of manual intervention, and so they could prevent or  
24 limit the extent of core damage.

25 DR. APOSTOLAKIS: Would you say that this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is a fairly general conclusion, that in the past we  
2 have been conservative and we have overestimated the  
3 speed with which things evolve, the pace at which they  
4 evolve? I know this is the result of this one, but is  
5 that a more general result do you think?

6 MR. SCHAPEROW: I think so. I think  
7 that's the nature of the research. As time goes on  
8 you develop better modeling and you're able to  
9 eliminate conservatisms as you go along.

10 DR. CORRADINI: But I mean there is some  
11 physical modeling effects that you mentioned, somebody  
12 mentioned somewhere in the earlier bullets. I mean,  
13 the one that pops in my head is by the very fact  
14 you've observed that you've held the melt within the  
15 core region, you actually cook away many of the things  
16 that actually could provide you even more heating.

17 So now you've changed the potential heat-  
18 up or integrated amount of heat release so that you've  
19 now dragged out even the whole end core sequence. Add  
20 that to the fact that you now have potential small  
21 flows of water that then once you've dragged it out  
22 and decay heat is down even further, you can inject  
23 them. Now you've dragged even further.

24 I think that was where George is going.  
25 There's a combination of things that create the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sequence to be really dragged out.

2 MR. SCHAPEROW: The reason the decay heat  
3 would be down is because they have basically been  
4 making up for decay power with the turbine driven  
5 pulse for a while, and so after eight hours now you  
6 don't need as many gpm to make up for the boil-off.  
7 Is that what you were referring to?

8 DR. CORRADINI: Yeah, that and also you  
9 had a couple bullets about MELCOR modeling which  
10 identified now some physical effects from experiments  
11 that then put back into the integrated model. So now  
12 that you saw in the experiment and you've included in  
13 the calculation, now you're seeing an effect of  
14 essentially dragging out the whole meltdown process.  
15 That's what at least I --

16 MR. SCHAPEROW: What I was trying to say  
17 earlier is that we were trying to treat in more detail  
18 what's going on inside the core region. It may hold  
19 things up maybe a little longer in the core region,  
20 but things may happen a bit faster in the lower  
21 climes. So that may all kind of wash out. It's hard  
22 to see how it's going to play out yet

23 DR. ARMIJO: I'd like to ask a question on  
24 the batteries. If you have an external event, how  
25 confident are you that those batteries aren't damaged

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 so that you can get all of the energy out of them? Do  
2 they have a lot of --

3 MR. SCHAPEROW: There are external events  
4 that are severe enough to -- I may not be the best  
5 person to answer that. Rick, can you help me with  
6 that?

7 MR. SHERRY: I think probably we should  
8 ask our seismic expert. Selim.

9 DR. ARMIJO: I don't know anything about  
10 batteries. Is there a lot of margin that a battery  
11 set has compared to other equipment during an external  
12 event?

13 MR. SANCAKTAR: Selim Sancaktar, NRC.

14 There is another sister sequence to this  
15 with a slightly lower frequency, and in that case  
16 there is earlier core damage potentially. So  
17 batteries can also be damaged.

18 DR. ARMIJO: Okay, but this particular  
19 sequence, a seismic event wasn't sufficient to damage  
20 the batteries in any way? You get 100 percent of the  
21 energy out of those batteries?

22 MR. SANCAKTAR: Right, right. Remember  
23 these are representative sequences. One can find  
24 almost n-factorial combinations of failures. What we  
25 have tried to do was choose something consequential

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 enough to capture the essence of the situation, yet  
2 don't overdo it or under do it. So it requires a  
3 little bit of expertise and judgment.

4 But there is a second sequence here that  
5 you haven't seen because its frequency was lower than  
6 this artificially chosen ten to the minus six. So you  
7 don't see it, but there was a sequence like that.

8 DR. ARMIJO: That event damaged the  
9 batteries to some extent.

10 MR. SANCAKTAR: Yes, yes.

11 DR. ARMIJO: Okay.

12 DR. MAYNARD: batteries in a power plant  
13 are pretty substantial, you know, not all that  
14 dissimilar from a battery in a car. Typically they  
15 can take a pretty good shock and stuff. when you're  
16 talking about external events and seismic, I mean, you  
17 can always get an event that you want to postulate  
18 that would destroy everything, but a battery is  
19 typically going to be a fairly substantial item in  
20 something like this.

21 MR. SANCAKTAR: It doesn't have to be just  
22 the batteries, of course. It can be the cabinets that  
23 eventually you feed. That is probably more likely  
24 than the battery. As you mentioned, batteries are  
25 probably more robust.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. MAYNARD: But these are all  
2 seismically qualified, but you're obviously talking  
3 about a seismic event that exceeds the safe shutdown  
4 requirement.

5 MR. SCHAPEROW: Okay. That ends the  
6 preliminary insights on Peach Bottom. If we can  
7 proceed to slide 24. Ata Istar is going to give you  
8 a presentation on the structural analysis.

9 MR. ISTAR: Good afternoon. Just the  
10 Peach Bottom section, right?

11 The objective of the deterministic  
12 structural analysis here for both Peach Bottom and  
13 Surry was done, and the performance structure  
14 evaluation of each containment at selected site to  
15 determine functional failure pressure leading,  
16 structural failure pressure rupture, and the real  
17 objective of the structural evaluation is to determine  
18 realistic, plan specific leakage rate and/or area as  
19 a function of pressure that can be used as input data  
20 for MELCOR analysis.

21 Next page, please.

22 For Peach Bottom, considerable variations  
23 in predictive failure pressure levels and locations in  
24 numerous studies were performance previously. Failure  
25 pressure varies between 86 to 195 psig at various

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 temperature levels, and those locations are drywell  
2 shell melt-through, wet well rupture, equipment hatch  
3 leakage, bellow failures, penetration failures,  
4 seismic stabilizer punch-through of drywell shell, and  
5 drywell head flange leakage.

6 Next page, please.

7 And as an approach, reviewed, reevaluated  
8 major failure criteria based on the 25 years of  
9 research and testing carried out at SNL and other  
10 reports.

11 And based on those results, the plant  
12 specific information, the most dominant cause for  
13 leakage is determined to be at drywell head flange.

14 And next page, please.

15 This is the --

16 DR. CORRADINI: This is not due to the  
17 external event. This is due to the pressurization.

18 MR. ISTAR: Internal pressurization,  
19 correct.

20 DR. CORRADINI: Okay. Thank you.

21 MR. ISTAR: And this is the elevation view  
22 of a drywell head flange assembly. There are 68 two  
23 and a half inch bolts around those flanges, and the  
24 next page gives you the detail of that flange  
25 connection.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SHACK: I mean, did you do  
2 analysis for of these other failure modes at Peach  
3 Bottom?

4 MR. ISTAR: Not all of them, but reviewed  
5 each one whether they're credible and our intention is  
6 to find the realistic low pressure level that can be  
7 different than what has been done in the past. This  
8 is the evaluation that is somewhat lower than what was  
9 reported in the past.

10 And the next page which shows the detail  
11 of that flange connection, and it is a double prong  
12 connection which EPDM gaskets in there, but there are  
13 some unknowns in there, which is the pressure  
14 retaining ability of the gasket, and there is quite a  
15 bit of discussion, one, with the manufacturers, and  
16 it's, you know, expected in our analysis here. It's  
17 recovery of gaskets, about ten percent from its  
18 original shape after it's compressed, of course.

19 And one of the manufacturers' engineers  
20 gave a value of about 15 percent. I assume that is a  
21 high value from the manufacturer's point, and also  
22 they recommended in the static condition like that  
23 that the gasket is not to be compressed more than 30  
24 percent.

25 In the Peach Bottom case, it is kind of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 compressed about 50 percent, and also there are other  
2 reports that indicate -- the post test inspections  
3 that indicate that all gaskets experience severe  
4 degradations. In this calculation, it's the kind of  
5 gaskets -- the pressure retaining abilities are going  
6 to be considered very limited, very, very limited.

7 On the next page --

8 DR. ABDEL-KHALIK: So this scenario here  
9 involves elongation of all these two and a half inch  
10 bolts?

11 MR. ISTAR: Correct.

12 DR. ABDEL-KHALIK: And that's why the  
13 gasket sort of leaks out?

14 MR. ISTAR: Correct. And the next pages  
15 shows that by the table and the graph, and that table  
16 is much longer than what it is. I had to cut out that  
17 table, and as the pressure builds up and the bolts are  
18 elongated and somewhere on 80 psig we have a crack  
19 open and start leaking, and the graph was presented  
20 here to show that pressure versus area of the leakage  
21 area. So that's for the Peach Bottom.

22 So this value, 80 psig, is kind of lower  
23 than what was reported in the past. So we believe --

24 DR. CORRADINI: What was reported in the  
25 past?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ISTAR: Eighty psig is lower than what  
2 was reported. It was like I think the lowest reported  
3 as 86 psig or something.

4 CHAIRMAN SHACK: That's what your slide  
5 says.

6 MR. ISTAR: Yes. But, you know, there are  
7 others. IP, for example, there are conditions. This  
8 particular calculation doesn't involve temperature.  
9 It's ambient temperature. For example, in IP there is  
10 a condition which has a temperature range of 1,200  
11 degree Fahrenheit and the whole containment fails at  
12 lower pressure, which is about 48 psig.

13 But you have to put it into context that  
14 this is -- I'm assuming that we are in the ambient  
15 temperature and this will be the worst case and you  
16 don't have a high temperature condition, you know, and  
17 the pressure is the dominant failure mechanism.

18 DR. CORRADINI: So just to make sure I  
19 understood what you just said, this was done cold, not  
20 at the accident temperatures?

21 MR. ISTAR: This is done at cold.

22 CHAIRMAN SHACK: And why is that relevant?  
23 Why would you do it cold?

24 MR. ISTAR: Why would I do it cold?  
25 Because it's easier to do the analysis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SHACK: Oh, okay.

2 MR. ISTAR: That's one reason, which this  
3 is an Excel calculation analysis, much easier, and  
4 there is an argument. I kind of skipped that one.  
5 This is important to note that. The bolts were  
6 torqued to 850 foot-pound, and it is extremely low  
7 torque value for this bolt. Just putting it into  
8 context, it is probably less than 15 percent yield of  
9 that bolt. It's very, very low, and so I'll just  
10 state it's a snug tight condition here, but in the  
11 other reports, which they came up with a much higher  
12 pressure lever for leakage, which is around 120 psig,  
13 but they use a very, very high torque value.

14 So this is specific to this plant, you  
15 know, based on the torque value, but going back to  
16 your questions of temperature, there are reports that  
17 they've done that they say there's a difference  
18 between the temperature at the bolt and the drywell  
19 flange area or the containment shell, and the argument  
20 is that since you have a colder bolt, have delayed  
21 action, you know, flowing temperature, conducting  
22 temperature through the bolts, and they have a more  
23 holding ability than in this particular calculation we  
24 assume that temperature is, you know, the same  
25 throughout the body of the whole containment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So intuitively it makes sense, but in this  
2 particular calculation we assume that the temperature  
3 will conduct very fast, and it will include  
4 equilibrium in a very short period of time.

5           You know, if you were to consider that the  
6 leakage probably is going to be at a lower pressure  
7 rate, so module elasticity of the bolts will be, of  
8 course, lower and they're going to -- you know,  
9 resistance of those bolts is going to be going down.

10           DR. CORRADINI: Okay.

11           MR. PRATO: All right. That ends the  
12 presentation on structural for Peach Bottom.  
13 Emergency preparedness, Slide 42, please.

14           MR. JONES: We introduced this this  
15 morning. Basically the preliminary model for Peach  
16 Bottom is developed. We can't populate it fully until  
17 we have our source term values, but it's based on  
18 long-term station blackout scenario where a general  
19 emergency is declared in about two hours after loss of  
20 AC.

21           Evacuation does start at general emergency  
22 for this scenario.

23           Slide 44.

24           We're modeling the evacuation within the  
25 emergency planning zone. That's the zero to ten mile

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 zone, using the licensee evacuation time estimate  
2 report. For this site we're basically calling that  
3 estimate good and taking that as gospel and using  
4 those values.

5 From that report we get our delay time,  
6 such as when does the school cohort start or when does  
7 the public start. Those are our delay times, and then  
8 we also get the speed of the evacuating cohorts.

9 Now, the second part of our EP modeling is  
10 we recognize that from ten to 20 miles there will be  
11 movement of the public as well. So Sandia is modeling  
12 the ten to 25 mile ring using the Oak Ridge evacuation  
13 model or OREMs, and we're doing just a crude model.  
14 You'll see some of the nodal networks. It's not that  
15 crude, but you'll see that in a couple of slides  
16 demonstrate the amount of detail we're putting into  
17 there.

18 From our model we will then be able to  
19 decimate the delay times for this evacuation, and we  
20 call it ad hoc in here because keep in mind that the  
21 ten to 20 mile zone is not planned to be evacuated at  
22 this point under most conditions. It's not planned  
23 under any conditions.

24 And then we use that model to estimate  
25 the travel speed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Page 45.

2 We've identified six cohorts that I'll  
3 list again in a couple of slides, but I mentioned them  
4 earlier today.

5 Now, for Peach Bottom early precautionary  
6 actions at site area emergency are not taken in  
7 Pennsylvania, and that's not typical. In most of the  
8 evacuation emergency planning that we've looked at and  
9 reviewed schools at the very least are evacuated at  
10 site area emergency, but that wasn't the case for  
11 this.

12 Peach Bottom does border Maryland, and  
13 Maryland follows the Pennsylvania lead. So we are  
14 assuming they would not have preliminary actions at  
15 site area emergency either.

16 Page 46 is put in here to illustrate a  
17 concept of how we're developing our data. So please  
18 don't, you know, put any value into these numbers at  
19 this point. I tried to change most of these to  
20 variables.

21 But what you can see here is you have an  
22 unusual event, which is immediately followed by an  
23 alert and then site area emergency. Once the siren is  
24 initiated, there will be a shadow evacuation, and we  
25 just see this with all of the evacuations we studied.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 So we --

2 CHAIRMAN SHACK: Which means? Shadow?

3 MR. JONES: A shadow evacuation is people  
4 that have not been ordered to evacuate but are  
5 evacuating. So it's a real phenomenon and it happens.

6 We're going to start a shadow evacuation,  
7 which is one of our cohorts. At general emergency,  
8 that's where the formal evacuation would begin and for  
9 Peach Bottom that's where schools would start to be  
10 evacuated, special facilities.

11 Now, here underneath that I have a shadow  
12 and special facilities. That special facilities  
13 really should be moved to the right, but when there's  
14 a formal evacuation of the zero to ten, we fully  
15 expect a shadow evacuation in the ten to 20. So we're  
16 going to move that cohort group. And we'll have to  
17 develop times all of which will have a basis  
18 associated with them when we put that together.

19 And then you can also see and hear after  
20 the general emergency you have a public evacuation,  
21 and then you have the tail that I mentioned earlier.  
22 We want to track that last piece of the evacuation  
23 separately.

24 At some point after release, at the bottom  
25 of this page to the far right you see public and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 schools and another evacuation tail. This is for the  
2 people in the ten to 20 mile zone. That's dependent  
3 on what the source term tells us. That may or may not  
4 exist. If the source term indicates that there's a  
5 dose far enough that an evacuation would be warranted,  
6 it would include them. If it is not warranted, we  
7 would not include them. So we'll have to wait until  
8 we get our source term.

9 DR. ARMIJO: Now, the early shadow  
10 evacuation, how do these people know? Just from the  
11 siren?

12 MR. JONES: Just from the siren. These  
13 are residents within the zero to ten miles. So they  
14 would likely be ordered to evacuate anyway, but they  
15 just take off.

16 The siren doesn't always mean evacuate,  
17 and in this case it wouldn't mean evacuate. It  
18 means --

19 DR. MAYNARD: Well, there's a radio  
20 frequency that the people could tune to also to get  
21 emergency notification.

22 MR. JONES: Correct. It's a siren or if  
23 there is speaker systems at Peach Bottom, that would  
24 tell them tune into radio or TV and wait for further  
25 notification.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And in this particular instance both the  
2 long-term station blackout, general emergency wouldn't  
3 have been declared yet so that evacuation would not  
4 have been ordered, but we would expect people to get  
5 in their cars and start leaving, and that is very  
6 common.

7                   Page 47 just gives you an example of how  
8 this is starting to look. Our zero to ten miles, we  
9 have about 70,000 people, and in the zero to five  
10 miles around the plant there is very few people, five,  
11 6,000 people. So the population is relatively low,  
12 which is a very good thing.

13                   In the ten to 20 miles though, the  
14 population grows considerably. We have almost 400,000  
15 people there. This turns into quite a few vehicles.  
16 On the left here I say the evacuation time for zero to  
17 ten miles is six and a half hours. We still need to  
18 select a scenario that's one of the times in the Peach  
19 Bottom evacuation time estimate, but we're likely  
20 going to go with a daytime winter scenario where  
21 schools are in session, people are at work. We want  
22 to pick a common scenario we could use for each of the  
23 sites. So that time might actually be closer to five  
24 hours or so. It's a little bit less for that  
25 scenario.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Zero to 20 miles though, now this is  
2 moving approximately 260,000 people. You're pushing  
3 20 hours to get those folks out.

4           The table in the middle or the graphic in  
5 the middle of the page says evacuation time. Now,  
6 this is, again, very rough because we don't have the  
7 sequences done. Nineteen hours and 19 minutes. The  
8 start time on this, and this is an artifact of the  
9 OREM's model. It defaults to 11:00 p.m. or 2200 hours  
10 for an initial evacuation.

11           So when you look at the little graphic  
12 over here on the right, this page, you see 50 percent  
13 of the public has effectively left the area. That's  
14 really two hours and 15 minutes because the start time  
15 is 2,200, and this gives you a good example of what  
16 the tail is. You can see 12 hours and 15 minutes here  
17 is really 14 hours and 15 minutes after the start of  
18 evacuation. Ninety-five percent of the people have  
19 evacuated, and you go to 19 hours just to get that  
20 last five percent out. So it takes a long time for  
21 the tail.

22           DR. ARMIJO: Is this supposed to be 10:00  
23 p.m. or what's --

24           MR. JONES: It defaults to 11:00 p.m.  
25 When we run the actual numbers we will put a more

1 realistic time in there.

2 DR. MAYNARD: These population numbers  
3 you're talking about, is that the total population  
4 within that radius or is that just in the zone that  
5 you picked as kind of the worst case?

6 MR. JONES: In the table at the beginning,  
7 at the top up here, that is the total population of  
8 zero to ten.

9 DR. MAYNARD: Okay.

10 MR. JONES: And it is the total population  
11 of ten to 20.

12 DR. MAYNARD: Okay.

13 MR. JONES: Well, the next page, page 48,  
14 gives you a better breakdown. The evacuation time  
15 estimates break out the populations for us, and then  
16 we had to do a little work to figure out some of the  
17 numbers in the ten to 20 zone.

18 Again, the values on this page are to  
19 illustrate the concept. We'll use real values when we  
20 get the source term.

21 DR. ARMIJO: Are the evacuation times  
22 dependent on the start time in real time?

23 MR. JONES: Not really, not for a long  
24 term.

25 DR. ARMIJO: But if it's really ten or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 11:00 p.m., you don't have any schools.

2 MR. JONES: Correct, and that's why the  
3 evacuation model we're using defaults to 11:00 p.m.  
4 I don't care today. When I have my scenario then I  
5 will set that up so that it coincides with the school  
6 day. So those numbers will all be reconciled. That's  
7 why I said don't put much into the values you see  
8 here. We'll probably start this at eight in the  
9 morning on a Wednesday or something to that effect,  
10 in which case it would take into account schools.

11 Page 49.

12 This is just a graphic that identifies.  
13 There's three rings here. The first ring is out five  
14 miles. The second ring is ten miles, and the third  
15 ring, the largest ring on here, is 20 miles out.  
16 Quite an area around the plant, and we're simulating  
17 the movement of the public and the different cohorts  
18 throughout.

19 Now, on page 50, I just wanted to show you  
20 -- and I don't want to spend much time on this because  
21 it's just developing the model -- we actually take the  
22 roadway network and we select intersections and then  
23 we code this so that we can identify the evacuation  
24 route.

25 Page 51, you know, if these were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 transparencies we could overlay 51 on 50 and you would  
2 see that our network aligns with the intersections.

3 And then when you get to page 52, you can  
4 see the detail we're putting into this network. To  
5 give you an example, the folks that did the evacuation  
6 and time estimate for the zero to ten miles probably  
7 used two or three times as many nodes as we have.  
8 We're not trying to be that precise, but we want to  
9 get a decent estimate of the time to evacuate.

10 Page 53 gives you a sample of the kind of  
11 output we're looking at, and this is the data that we  
12 then put into WinMACCS, and WinMACCS then crunches the  
13 consequences.

14 The lower right-hand side or the right-  
15 hand side of this you can see, and this is very  
16 typical of evacuations that start early, move  
17 relatively quickly. The graphic slows down very  
18 quickly and for a considerable time in this area, and  
19 then it starts to pick up towards the end of the  
20 evaluation.

21 This is where when we mentioned earlier  
22 WinMACCS can take three different speeds or speeds by  
23 grid element. We can use this information to put the  
24 speeds in by grid element.

25 Page 54.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Jocelyn mentioned this earlier, that  
2 WinMACCS is now set up for more angular resolution, 16  
3 sectors up to 64 sectors.

4           Page 55 is probably the same slide Jocelyn  
5 showed earlier. We will actually approximate the --

6           CHAIRMAN SHACK: No, it's not.

7           MR. JONES: Oh, okay.

8           CHAIRMAN SHACK: But that's close.

9           MS. MITCHELL: Different map.

10          MR. JONES: We'll approximate the  
11 evacuation route and we'll be able to select the  
12 speeds in each of these grid elements and the  
13 directions and move the traffic out, and there are a  
14 number of screens in WinMACCS where you establish the  
15 other delay times or the precipitations Jocelyn  
16 mentioned earlier. The weather scenario in MACCS  
17 shows that it's raining. Speeds would be slower, and  
18 that's all considered.

19          So it's considerable, and if this goes to  
20 many more rings it becomes tedious, but it's not  
21 really difficult at that point.

22          Page 56.

23          We expect to fine tune this model with the  
24 experience we gain on Peach Bottom, and then move on  
25 to Surry.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PRATO: Any questions on EP?

2 (No response.)

3 MR. PRATO: That ends the Peach Bottom  
4 presentation.

5 DR. ARMIJO: I'm curious. How are  
6 different roads treated differently?

7 MR. JONES: Each of these nodes that align  
8 with different roads, if it's a two-lane road, we  
9 input it as a two-lane road, and we have some speed  
10 limit that we assign to that. If it's an interstate,  
11 we input it as an interstate and we have a speed that  
12 we assign to it.

13 Those are your free flow speeds, and then  
14 they're all reduced in the model as traffic builds up  
15 on those roads.

16 DR. CORRADINI: So maybe you said you were  
17 going to do this later, and if this is the right time,  
18 so for Peach Bottom it's an external event.

19 MR. JONES: Yes.

20 DR. CORRADINI: Which is seismic, right?

21 MR. JONES: Yes.

22 DR. CORRADINI: So what roadways are  
23 killed?

24 MR. JONES: Well, let's go back to the one  
25 graphic on page 49. Again, as I mentioned, zero to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 five miles, there are very few people that live zero  
2 to five miles. There's one bridge within zero to five  
3 miles over the river. There's another bridge within  
4 zero to ten miles over the river, and as you get out  
5 to 20 miles, there are only a total of six bridges.

6 We don't have the graphic on the screen  
7 that would be easier to see, but if you look down here  
8 on this I-50 or I-60, the interstate in the lower  
9 right-hand corner where it crosses the river, if that  
10 bridge were to go out, you would go the other way.  
11 You would go radially the other way, in the other  
12 direction.

13 So we're not modeling that, and it might  
14 slow things up a bit, but it wouldn't cripple you.

15 DR. CORRADINI: So let me ask my next  
16 question, which is where is the epicenter of this  
17 earthquake that you're postulating that crippled the  
18 plant?

19 MR. JONES: Well, it has got to be near  
20 the plant if it's going to cripple the plant.

21 DR. CORRADINI: Well, but I'm pushing the  
22 point, which is if I start worrying about an external  
23 event that damages the plant, it damages a whole lot  
24 of other stuff around it, and if it's not right dead  
25 on the plant, it damages all of your evacuation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 routes.

2 MR. JONES: It might damage a quadrant.  
3 I mean if you think of something like the Frisco  
4 earthquake, it damages an area.

5 DR. CORRADINI: Right.

6 MR. JONES: It doesn't damage the city.

7 DR. CORRADINI: So is that being somehow  
8 considered?

9 MR. JONES: Not being considered, and it's  
10 not typically considered in assessing, you know, dual  
11 catastrophes like that, but it wouldn't shut down the  
12 network. It would affect -- it could affect a sector  
13 or quadrant, but it shouldn't affect the evacuation.  
14 If it was in the south, it wouldn't affect the  
15 northern half. It wouldn't take out the network in  
16 the northern half.

17 We are not actually --

18 DR. ARMIJO: It would degrade the  
19 efficiency of the evacuation, you know, because you've  
20 got to input it if it's an external.

21 MR. JONES: It would likely degrade the  
22 efficiency, yeah.

23 DR. CORRADINI: And now I'll push my final  
24 point since I don't think it's in your -- so if one  
25 started arbitrarily putting the epicenter somewhere

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 around it, there is a worst place where the epicenter  
2 would be that would degrade the evacuation and create  
3 the consequence that enlarges. Is that going to be  
4 considered?

5 MR. JONES: That's something that can be  
6 done, but it's not included in this. I mean, that  
7 type of assessment is done not very often in  
8 evacuation time estimating, but the capability is  
9 there, and it is done once in a while. We are not  
10 doing it on this.

11 DR. ABDEL-KHALIK: I guess to carry this  
12 discussion further, if this is an earthquake,  
13 presumably a lot of the homes that these people live  
14 in would be damaged, and that would impede people's  
15 ability to respond to whatever directives they're  
16 given. They may not be able to get their car out of  
17 the garage, for God's sake.

18 MR. JONES: It could. The zero to ten  
19 mile EPZ has plans to provide busing for people that  
20 do not have transportation. There are plans to  
21 address people who do not have transportation. That  
22 would be many more than they anticipate, I'm sure, but  
23 you know, the infrastructure is there to do that.

24 You know, an earthquake like that would  
25 require --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. CORRADINI: So this leads me to my  
2 final -- I'm on this point for a totally different  
3 reason, but I'm using you as a way to educate me.  
4 We're way beyond the safe shutdown earthquake. So  
5 what's the damage estimate outside the plant?

6 In other words, will we even forget  
7 there's a plant there that there's so much damage? Do  
8 you see my question?

9 So I'm looking for a balance for what you  
10 just initiated at the plant versus what the damage has  
11 caused in the surround neighborhood because all hell  
12 is breaking loose. Nobody cares that there's a plant  
13 there. They're just running for a wholly -- they're  
14 just moving.

15 MR. JONES: I don't see that with this  
16 site for one reason. There are no large  
17 municipalities within the site. You have Lancaster on  
18 the border of the 20 mile zone.

19 DR. CORRADINI: Okay.

20 MR. JONES: You don't have heavy downtown  
21 type infrastructure anywhere within the 20 mile zone.  
22 You have rural roads primarily. You have maybe  
23 shopping center areas and things like that, but you  
24 don't have a city, an urban area in this.

25 DR. CORRADINI: So I'll postulate one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 final point and you'll see where I'm going with this.  
2 So let's just say we had Zion. It's not there  
3 anymore, but let's say we had Zion. It's 45 miles  
4 north of Chicago. Waukegan, Gurney, Kanosha, Racine,  
5 it's my area of the world. So I'm very familiar with  
6 it.

7 A very high population area. All right?  
8 And the '82 study said that you have very low effects  
9 because it always will blow into the lake, but if I  
10 had an external event, the chance for evacuation would  
11 just totally decimate the chance of anything. So I'm  
12 kind of curious how all of this kind of plays  
13 together.

14 Once you start dealing with external event  
15 initiators versus internal, that's where I'm kind of  
16 trying to understand.

17 MR. JONES: And that's why it has to be  
18 considered site specific as we're doing. When you get  
19 into an urban area like that, that's where shelter in  
20 place might be something that official --

21 DR. CORRADINI: Okay, and that will be  
22 entered into this as an alternative.

23 MR. JONES: Well, we're not assessing  
24 alternatives.

25 DR. CORRADINI: I meant for emergency

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 planning purposes.

2 MR. JONES: Oh, emergency planning already  
3 considers that.

4 DR. CORRADINI: Okay.

5 MR. JONES: That's in Peach Bottom as  
6 well, and they might decide. You know, that's  
7 something we won't be second guessing, but they might  
8 decide that shelter in place is the best option until  
9 they can get their resources together.

10 DR. APOSTOLAKIS: Is this fire scenario at  
11 Peach Bottom, is that below the cutoff frequency? I  
12 mean the fire was a significant contributor.

13 MR. PRATO: They had put in a number of  
14 modifications. There's an express number of physical  
15 modifications to improve the separation to take place  
16 with the probability of fire, and it was because of  
17 physical modifications.

18 Any other questions specifically on page  
19 5? I'm sorry, John.

20 MR. MONNINGER: The only thing I'd say is,  
21 you know, a lot of these questions you had regarding  
22 this scenario we internal to the staff have discussed  
23 them and wrestled with how we would handle them all.  
24 So that was one of our notions with having this  
25 meeting because we don't on some of these issues have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a full-blown path forward.

2 One of our other thoughts was, well, with  
3 internal events a significant amount of work has been  
4 done over the years, and we have a high -- I don't  
5 want to say high level of confidence -- but in terms  
6 of the numbers that are used for the internal events,  
7 there's a higher level of pedigree. We had some  
8 internal thoughts or discussion with, you know, the  
9 use of maybe seismic margins assessments, scoping  
10 studies in the past. You know, how appropriate is  
11 that to use some of these potential sequences in a  
12 scenario that we're trying to say is best estimate as  
13 realistic as possible?

14 You know, so I personally would -- my view  
15 would be, you know, some of these events where we're  
16 potentially using a seismic event that was based on  
17 studies from, you know, ten, 15, 20 years ago, you  
18 know, is that really what we want to use? Is that  
19 really what we believe is the current state of the  
20 art, whatever?

21 So we have been wrestling with a lot of  
22 these issues that you have been discussing here also.

23 DR. MAYNARD: I think that on the  
24 emergency planning you said you really aren't making  
25 any adjustment for this being an external event.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. JONES: Correct.

2 DR. MAYNARD: You might want to look at  
3 that. We brought up a number of things.

4 The other part is the infrastructure may  
5 not be there and as much intact like it is ordinarily.  
6 A lot of the same people that may have to be  
7 responding to bridge failures or whatever would have  
8 E-plan responsibilities that are now going to be  
9 split.

10 So I don't know how you would quantify it.  
11 I don't think there's a way to quantify it, but I  
12 think just from a judgment standpoint there probably  
13 needs to be some adjustment made for that  
14 consideration on an external event.

15 MR. JONES: Well, we can certainly talk  
16 about it. I mean, it's very easy for us to cut a  
17 bridge in half and model it. It is, and it will tell  
18 you the time difference at that access point, but  
19 you're right. There are other considerations. The  
20 cars might be buried. The emergency responders might  
21 be putting out fires.

22 DR. CORRADINI: The chemical plant might  
23 be doing a few things in an external event.

24 PARTICIPANT: They might be taking all of  
25 the attention away.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. CORRADINI: Yeah, I guess that's what  
2 I was asking about the safe shutdown. If you get to  
3 the point that the external event that's driving this  
4 is so enormous that you have the community is  
5 responding to a whole bunch of things, this is just  
6 the way you model the emergency planning to me or the  
7 evacuation planning is important to those things.

8 MR. PRATO: That ends Peach Bottom's  
9 presentation. We'll reopen the door between four and  
10 4:15 per the schedule right now. Until then, if you  
11 don't mind stepping out.

12 Do we want to move on to --

13 CHAIRMAN SHACK: Well, I was going to  
14 argue it was time for a break. We will have no other  
15 chance to fix the overhead.

16 Fifteen minutes.

17 (Whereupon, the foregoing matter went off  
18 the record at 3:18 p.m. and went back on  
19 the record at 3:37 p.m.)

20 CHAIRMAN SHACK: We will come back into  
21 session.

22 MR. PRATO: I would like to recommend, at  
23 this point, as we go to latent cancer fatalities dose  
24 response, we have a few members of the staff from our  
25 Office of Research organization, and if we can cover

1 that before we go back into the survey, it may help  
2 them a little bit with Tom. So, it's Slide 57.

3 MS. MITCHELL: I did want to tell you that  
4 I did check over lunchtime about the federal guidance  
5 report issued. And it is for adults, the average  
6 adult which, presumably, averages over some reasonable  
7 age value and over two sexes.

8 So we do use adult values. So I want to  
9 talk about the latent cancer fatality dose response  
10 model. The released version of MACCS has one latent  
11 cancer fatality dose response model, and that is the  
12 linear no threshold model.

13 We do have, in the LNT model, we do have  
14 a does effectiveness reduction factor which is applied  
15 to chronic doses. Those are the long-term does rather  
16 than what happens in the immediate aftermath of the  
17 accident. So that it isn't strictly linear, it does  
18 have more of a quadratic shape.

19 DR. KRESS: If you cut off the analysis at  
20 some distance, that's essentially a threshold, right?

21 MS. MITCHELL: The problem with cutting off  
22 at a distance would be that big source terms would  
23 require one distance to have the same effective  
24 threshold and smaller source terms would require  
25 another one. So, if you cut off --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: It would be different  
2 threshold, but there would be thresholds.

3 MS. MITCHELL: Unknown.

4 DR. KRESS: Yes.

5 MS. MITCHELL: An unknown invariable value.  
6 So, in our original paper, we proposed to use a range  
7 of dose thresholds from zero to five Rem, zero being  
8 the standard LNT model.

9 And the Commission approved of that in  
10 their SRM. And we believe that it will no facilitate  
11 a common understanding, because it leaves the  
12 interpretation of the results to the reader, if the  
13 NRC doesn't take a position on it.

14 So we considered several different  
15 options, that we would have a range not only do what  
16 we originally proposed, to have some sort of expert  
17 elicitation and get a probabilistic distribution of  
18 thresholds.

19 And the third option was to use just a  
20 point value. So we are going to recommend to the  
21 Commission, this is a policy issue. We are going to  
22 recommend to the Commission, using 5 Rem in one year  
23 or 10 Rem in a lifetime, which is the Health Physic  
24 Society position, and represents, in their words, the  
25 detectable limit.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   That means epidemiologically detectable  
2                   limit.

3                   PARTICIPANT: If you do that is there  
4                   anywhere else in the NRC System that uses different  
5                   thresholds and would the Commission find itself  
6                   speaking to having two policies?

7                   MS. MITCHELL: Part 20 is certainly based  
8                   on linear no threshold assumptions.

9                   CHAIRMAN SHACK: It would make quite a  
10                  difference in calculating your QHOs?

11                  MS. MITCHELL: It may or may not. If you  
12                  have 5 rem in one year and 10 rem in a lifetime.  
13                  We'll have to do the calculations. We have only, we  
14                  have no preliminary results of this, because we have  
15                  only input values in order to check out the model.

16                  And they don't represent any realistic,  
17                  presently realistic source terms. So we're just  
18                  satisfying ourselves that the model works as we  
19                  propose it to work.

20                  DR. KRESS: Question.

21                  MS. MITCHELL: Yes.

22                  DR. KRESS: Why not also, also, in addition  
23                  to this recommendation, use zero and see what the  
24                  difference would be.

25                  MS. MITCHELL: The issue is that the team

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and the, as agreed to by the Steering Committee, is  
2 that they feel it will not facilitate a common  
3 understanding because it is open to interpretation  
4 unless the NRC takes a position to say they believe  
5 one or the other, you'll have some groups quoting one  
6 and you'll have other groups quoting the other.

7 DR. KRESS: Yeah.

8 MS. MITCHELL: And you will be open to  
9 interpretation.

10 DR. APOSTOLAKIS: Threshold means what?  
11 Nothing happens between zero and --

12 MS. MITCHELL: If you have five rem in a  
13 year and ten rem in a lifetime, let us focus on that,  
14 because that's what we're recommending. If we go  
15 through and we calculate a TEDE value of 5.1 rem, in  
16 year one, then we would tally latent fatalities for  
17 whatever population received that dose.

18 If, on the other hand, we calculated 4.99,  
19 we would tally zero. However, if you, we would look  
20 at the lifetime for the people who got 4.99, in the  
21 first year, what did they get in years 2 through 50.

22 And if that totaled to more than 10 rem,  
23 then we would tally latent fatalities.

24 DR. APOSTOLAKIS: The current policy is  
25 there is no threshold, is that correct?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MS. MITCHELL: Yes.

2 DR. APOSTOLAKIS: So you're proposing to  
3 the Commission to change its policy.

4 MS. MITCHELL: No, no, no.

5 DR. APOSTOLAKIS: Heaven forbid, right.

6 (Laughter.)

7 DR. APOSTOLAKIS: So what you're saying --

8 MS. MITCHELL: There is an issue between  
9 what are you doing to illuminate the situation for  
10 calculation for certain severe accidents, and then  
11 there is the regulatory arena in which you are looking  
12 at reducing by ALARA and all of those other things  
13 would remain the same.

14 DR. APOSTOLAKIS: So the Commission then,  
15 assuming they accept your results in the analysis,  
16 will be on record saying that for the regulatory  
17 activities, there's no threshold.

18 But from a realistic perspective we have  
19 a 5 rem. Is that what they're going to say?

20 MR. PRATO: It's a little bit different  
21 than that. The current policies will induce cancer  
22 effects. What we're doing here is we're putting  
23 consequences based on detectable.

24 Below 5 rem we cannot detect latent cancer  
25 effects. The percentage is so small it gets mixed up

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with the rest of the normal observed cancer.

2 DR. APOSTOLAKIS: But why can't they use  
3 the same argument to eliminate the no threshold  
4 hypothesis. I think we could have done that.

5 MR. PRATO: Because it's for public health  
6 and safety. We use the --

7 DR. APOSTOLAKIS: We want to be more  
8 conservative. So what I said is we will have two  
9 things. One is being very conservation for regulatory  
10 purposes, and for realistic purposes we do something  
11 else. I think that's what we're saying, huh?

12 MR. MONNINGER: Yes.

13 DR. APOSTOLAKIS: Now what, how did you  
14 guys manage this and for this project you get all  
15 these exemptions from everybody else.

16 (Laughter.)

17 DR. APOSTOLAKIS: The agency does. This is  
18 incredible.

19 MR. NEROKA: Just for the record --

20 DR. APOSTOLAKIS: All sorts of unique  
21 things.

22 MR. PRATO: We are very creative.

23 (Laughter.)

24 MR. NEROKA: For the record, this is a  
25 recommendation, we don't have an exemption to do this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: I know, I know.

2 MR. NEROKA: We want to be clear on that  
3 because this is --

4 DR. APOSTOLAKIS: I'm sure you will get it.

5 DR. MAYNARD: Also, the 5 rem in a year is  
6 consistent with what's been allowed for radiation  
7 workers, and that's been consistent with NRC policy  
8 for a number of years.

9 DR. APOSTOLAKIS: So there is something.

10 DR. KRESS: This may sound like a strange  
11 question. What do you mean by lifetime?

12 MS. MITCHELL: Fifty years.

13 DR. APOSTOLAKIS: Fifty years.

14 MS. MITCHELL: Fifty years.

15 DR. KRESS: So if he's already 50 years  
16 old, he dies at 100.

17 MS. MITCHELL: But the child dies at 50  
18 instead of 75 or 85 or whatever. So --

19 DR. APOSTOLAKIS: The average lifetime is  
20 considered to be 70 in most calculations.

21 MS. MITCHELL: But when you have an  
22 accident, you've got a population --

23 DR. KRESS: You've got a population --

24 MS. MITCHELL: -- that's exposed that has  
25 a distribution of --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: So that's remaining  
2 lifetime. Which is kind of high for a remaining, but,  
3 I'm with you on that. I'm really with you on that.

4 (Laughter.)

5 MR. SHERRY: I'd like to make a slight  
6 clarification. We just talked about the QHOs. The  
7 QHOs are for latent cancer fatality risk is for within  
8 ten miles of the plant. And the kind of accents we're  
9 talking about here are the leases that are going to be  
10 fairly substantial.

11 So this threshold probably won't come to  
12 play close to the plants that will be further out.

13 DR. ARMIJO: Let me go back to the issue of  
14 this 50 years of keeping track of dose commitment.

15 MS. MITCHELL: Yes.

16 DR. ARMIJO: How do you handle people who  
17 decided to move into that 20 mile zone, 20 years after  
18 the accident? How had not been there before.

19 MS. MITCHELL: We have a, there is a  
20 habitability criterion which we probably will use.  
21 The EPA returned criterion for, that says when the  
22 dose either decays by itself or is remediated to give  
23 less than a certain value, then people can come back.

24 The idea of Person A leaving and Person B  
25 coming back, is not accounted for. You might consider

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that to be a hidden LNT assumption in the whole  
2 calculation.

3 There are a lot of hidden LNT assumptions  
4 in calculating the dose itself. So in calculating the  
5 dose, there may be, there may be, there are, not there  
6 may be, there are hidden LNT assumptions.

7 And the idea that one person leaves and a  
8 different person comes back, is another hidden LNT  
9 assumption. We assume that if there were 100 people  
10 in this grid element before, and the return criterion  
11 is satisfied, 100 people come back.

12 DR. CORRADINI: You do not, you're not  
13 going to report anything about the land.

14 DR. KRESS: Actually it wouldn't be fair  
15 because this is a consequence model for CDF optimum  
16 things and the land, the land probably is, the  
17 contamination is probably dominated by the late  
18 releases, as well as --

19 MS. MITCHELL: By the what?

20 DR. KRESS: Probably as much affected by  
21 the late releases as the early. Which you wouldn't  
22 get any from the late releases. So it wouldn't be  
23 fair --

24 DR. APOSTOLAKIS: So even the cancers are  
25 dominated by early releases?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Yeah, if they evacuate. If  
2 they evacuate, you don't get any effect from the late  
3 releases.

4 MS. MITCHELL: We would have, we would have  
5 folks that would, who would evacuate in the zero to  
6 ten miles. We would have the ad hoc evacuation ten to  
7 20 miles.

8 Beyond 20 miles, we have relocation. That  
9 is you would be able to go out, after the plume  
10 passage, and with your little meter find hot spots and  
11 move people out, relocate people from those areas.

12 So the calculation would go out to 1,000  
13 miles. And then, as I say, for all of those people  
14 who are gone, there are return criterion that would be  
15 satisfied, and people who had been relocated, if their  
16 return criterion is satisfied, they would come back  
17 and reoccupy the housing.

18 DR. KRESS: But in order to calculate  
19 whether or not QHO for latent cancer is met, you would  
20 evacuate only out to, you only look out to ten miles.

21 MS. MITCHELL: It's only out to ten miles,  
22 yes.

23 DR. KRESS: Yeah, and the only people that  
24 are going to have a problem are the ones that didn't  
25 evacuate because they didn't have time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           So, I was trying to say that the late  
2 releases don't even enter into the QHO for that.

3           DR. CORRADINI: Right, I guess the other  
4 way, I wanted to make sure, because this is enough  
5 detail on the part that I'm not familiar with is,  
6 except of this dose response model where we have  
7 variability, all the other assumptions you just went  
8 through, this litany of assumptions, is pretty, not  
9 pretty standard, but is the standard approach to  
10 analyzing it. Correct?

11           MS. MITCHELL: Yes.

12           DR. CORRADINI: Okay, all right. So  
13 there's no differences? That's what I'm saying. I'm  
14 looking for a consistency of analysis.

15           MS. MITCHELL: The values might be  
16 different.

17           DR. CORRADINI: Right, right.

18           MS. MITCHELL: But the model is not  
19 different.

20           DR. CORRADINI: Okay.

21           DR. APOSTOLAKIS: So the Health Physics  
22 Society recommends this?

23           MS. MITCHELL: The Health Physics Society  
24 states that below this five rem in one year or ten rem  
25 in a lifetime, that you should not quantify the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 results, rather you should discuss a range of options.

2 And that below this value, the fatalities  
3 either do not exist or are not detectable.

4 MR. PRATO: We included a copy of that  
5 Health Physics paper in your briefing package. So you  
6 have that information.

7 DR. APOSTOLAKIS: So you want me to read  
8 it?

9 (Laughter.)

10 CHAIRMAN SHACK: Jason, will you explain to  
11 me again why this doesn't affect the QHOs?

12 MR. SCHAPEROW: The quantitative health  
13 objective for latent cancer fatality risk is for  
14 people within ten miles of the site. And --

15 DR. KRESS: Most accidents that are  
16 dominant are going to get a lot more than 5 rems in  
17 that sector.

18 MR. SCHAPEROW: Five rem near the site is  
19 more of like a containment leak kind of number, as  
20 opposed to a, you get 5 rem at the low population zone  
21 distance for containment leakage.

22 This is a containment failure or a bypass,  
23 so you're going to have hundreds of rem, hundreds of  
24 rem per year.

25 DR. APOSTOLAKIS: How many rem?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SCHAPEROW: Hundreds.

2 DR. KRESS: If you're going to have prompt  
3 fatalities you're going to get 500 or 1,000 rems.

4 MR. SCHAPEROW: Yeah, it could be a  
5 thousand. Well, actually if the wind changes, now  
6 we're getting a little better now with this modeling  
7 of breaking down the wind direction and we now have  
8 more than 16 directions, now we've got 32, 64.

9 So we might not see quite as high peak  
10 doses from the calculations. It's going to be more  
11 smeared out over the area. Which makes sense.

12 CHAIRMAN SHACK: At .1 percent of your  
13 thousand, don't you come way down in the dose that  
14 you're allowed to do and still meet the QHO?

15 MR. SCHAPEROW: I don't understand your  
16 question.

17 DR. CORRADINI: His point is if you can be  
18 that specific, you're going to have less people dosed  
19 at a high value, so you'll have more of a chance to  
20 meet the QHO. That's what I thought he just said.

21 CHAIRMAN SHACK: No, to meet the QHO, if  
22 that guy is only going to have .1 percent chance of  
23 getting the cancer, he can't take 1,000 rem, you know.  
24 He's going to have --

25 MS. MITCHELL: If you have 1,000 rem, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 person will be dead of a prompt fatality.

2 CHAIRMAN SHACK: Right.

3 MS. MITCHELL: It turns out that one, we,  
4 while we were doing everything else, and I didn't  
5 bring it up. We corrected a small handful or so of  
6 bugs. And there was a bug in MACCS that would allow  
7 you to kill people twice.

8 (Laughter.)

9 MS. MITCHELL: So the case that you have  
10 1,000 rem exposure, they would die promptly, but then  
11 they also would have some probability of dying of  
12 latent cancer fatalities.

13 DR. ARMIJO: And they can still vote.

14 MS. MITCHELL: And they can still vote,  
15 right, in Chicago.

16 DR. CORRADINI: In South Texas.

17 (Laughter.)

18 DR. APOSTOLAKIS: I think some people  
19 deserve it, anyway.

20 CHAIRMAN SHACK: But even .1 percent, don't  
21 I multiply the 1,000 by .001?

22 DR. APOSTOLAKIS: One thousand is early  
23 death.

24 CHAIRMAN SHACK: Right, and --

25 DR. APOSTOLAKIS: It's not cancer.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SHACK: It's early death.

2 DR. APOSTOLAKIS: I think about 500 it  
3 starts being early, right? Maybe 400 rem.

4 MS. MITCHELL: The threshold, there's a  
5 threshold for the LD 50.60 for bone marrow is  
6 somewhere in the range of 400 rad to the bone marrow.

7 But there is a threshold where the more  
8 radiosensitive people, people who are otherwise ill,  
9 may very well die at maybe 175 rad to the bone marrow.  
10 Don't quote me on that number.

11 But it's a number in that range. And then  
12 it has, it has this sort of S-shaped functional form  
13 that pivots around LD 50, with a shape factor.

14 DR. APOSTOLAKIS: Another thing, though,  
15 speaking of the Commission. Think about it, for Yucca  
16 Mountain. In 10,000 years they want 15 mili-rem a  
17 year.

18 DR. CORRADINI: But that's the groundwater.  
19 That's a groundwater permit.

20 MS. MITCHELL: Groundwater is 4 rem, 4  
21 milii-rem a year.

22 DR. APOSTOLAKIS: No, it's a milii-rem to  
23 the reasonably, maximally, exposed individual.

24 DR. CORRADINI: At the bottom.

25 DR. APOSTOLAKIS: Yeah.

1 DR. CORRADINI: Fifteen milii-rem per year.

2 DR. APOSTOLAKIS: And here we have, below  
3 5 and nothing happens? It's not detectable? They're  
4 talking about, what, two or three --

5 Fifteen milii-rem when below five is not  
6 detectable? I mean, come on, guys.

7 DR. MAYNARD: You've got apples and oranges  
8 there. Because even at a power plant, you're not  
9 allowed to have five rem at the site boundary for the  
10 public and stuff.

11 We're talking about an accident situation  
12 here.

13 DR. CORRADINI: Just so we're clear, you're  
14 ignoring the fact, the seismic event at Yucca Mountain  
15 gives you hundreds of thousands of rads, if you  
16 believe their analysis. The if is there.

17 DR. APOSTOLAKIS: No, it doesn't.

18 DR. CORRADINI: Yes.

19 DR. ARMIJO: So the use of this value, the  
20 five rem sort of appear to be biasing the result  
21 towards underestimating the consequences.

22 MS. MITCHELL: Are you asking my personal  
23 opinion on the subject?

24 DR. ARMIJO: Yes, ma'am.

25 MS. MITCHELL: I think you're exactly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 right. I think that it, that it does appear to bias  
2 the results.

3 DR. ARMIJO: Wouldn't that take away from  
4 the leakability or the credibility of the exercise?

5 MR. PRATO: But what's the alternative. To  
6 report full values for a single consequence and  
7 leaving it up to the individual to try and interpret  
8 that?

9 DR. KRESS: You could do the zero.

10 DR. ARMIJO: Right, you can do the zero.

11 DR. KRESS: And explain what it is, and it  
12 wouldn't be hard to interpret it.

13 MR. MONNINGER: We wanted, and we talked  
14 about doing the range or doing zero, three, five,  
15 etcetera. And I guess the thought was then, you know,  
16 dependent upon the user or the results out there,  
17 they're going to pick the number they want.

18 And we would get back in the same  
19 situation we were in the '82 study. We don't  
20 necessarily believe zero is the right value, but  
21 certain organizations or individuals may propagate  
22 that number out there.

23 So we believed it was more appropriate to  
24 come down to a single value and use that value for  
25 purpose of this analysis.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. ARMIJO: But some may argue that even  
2 though something is not detectable, does not mean it  
3 doesn't exist.

4 MR. MONNINGER: They may argue that, yes.

5 MR. PRATO: And we would argue that as  
6 well. I mean that's not an issue that we're trying to  
7 hide or deny. And the reality of it is, is that there  
8 may be a small percentage of additional health  
9 affects, as a result of this.

10 But, this is a consequence analysis. We  
11 are charged with reporting effects on the public. How  
12 do you report effects that you can't measure.

13 DR. ARMIJO: I guess I have to think  
14 through the process. But I'm just concerned about the  
15 credibility of the outcome.

16 You know, you spend a lot of time and  
17 effort doing this and you want to make sure that  
18 whatever you come up with is something that people  
19 will view as worthwhile.

20 PARTICIPANT: But if you use a linear no  
21 threshold, to me that's propagating an incredible  
22 situation. Things that, you know, we're endorsing  
23 something that at least a lot of us don't believe in.

24 And this is supposed to be the best  
25 estimate, realistic, and I think you ought to stick to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 your guns.

2 DR. APOSTOLAKIS: Until the Commission --

3 PARTICIPANT: Until they tell you know, or  
4 something. They asked you for a realistic, best  
5 estimate, and they're telling this is how to do it.

6 MR. PRATO: Just so that you understand our  
7 current plan, our current plan is to put this in a  
8 paper and present it to the Commission, the current  
9 plan.

10 DR. APOSTOLAKIS: That's good.

11 MR. PRATO: Okay, any other questions on  
12 this subject? Any other comments?

13 DR. APOSTOLAKIS: Is this the last subject  
14 or there's more?

15 MR. PRATO: No batteries --

16 DR. APOSTOLAKIS: To learn what?

17 MR. PRATO: Okay?

18 DR. APOSTOLAKIS: Sure, we're learning  
19 something.

20 MR. PRATO: Go back to Slide 6, please.  
21 Richard, you're up.

22 CHAIRMAN SHACK: Let me get my first  
23 question in. Surry, in its LRA says their internal  
24 events, you know, CDF is three times ten to the minus  
25 five. Which has lost an order of magnitude.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SHERRY: Well, there's several reasons  
2 for that. One, their internal events include internal  
3 flooding, okay.

4 DR. APOSTOLAKIS: Externally events include  
5 --

6 MR. SHERRY: Their internal events model.

7 DR. APOSTOLAKIS: Oh, they put it in?

8 MR. SHERRY: They include internal flooding  
9 also, which is significant for Surry.

10 DR. APOSTOLAKIS: By the way, this thing  
11 about fire at Peach Bottom. Are you sure the  
12 frequency is below this, ten to the minus six?

13 MR. SHERRY: Yes, sir.

14 DR. APOSTOLAKIS: Because it was a major  
15 contributor to the health effects.

16 MR. PRATO: They've made some significant  
17 modifications, at least the information we got on our  
18 site visit.

19 DR. APOSTOLAKIS: All right.

20 MR. SHERRY: And the second reason that the  
21 number is in the low to mid, ten to minus six after,  
22 excluding flooding, is that we, in the SPAR model we  
23 used the latest industry information on the component  
24 failure rates and indicating event frequencies.

25 And that has significantly brought down

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the frequencies of many of the internal event  
2 sequences.

3 And, I'm not sure that Surry has updated  
4 their model to include the latest information,  
5 industry average information.

6 CHAIRMAN SHACK: I can hardly wait to see  
7 what you're going to compute at South Texas.

8 (Laughter.)

9 DR. APOSTOLAKIS: So what did we learn from  
10 this, Rick?

11 MR. SHERRY: What I wanted to point out on  
12 this slide, this is the sequence groups for Surry. In  
13 this case, we have two sequence groups identified in  
14 red, which are above our screening criteria.

15 They are below ten to the minus six, but  
16 they are both containment bypass sequences. Sequence  
17 2 is a steam generator tube rupture sequence.  
18 Sequence 3 is an interfacing systems leak in the low  
19 pressure injection line. Okay.

20 It turns out that these are both quite  
21 similar in character.

22 DR. APOSTOLAKIS: This is a classical V  
23 sequence, right?

24 MR. SHERRY: V, yes. And sequence groups  
25 2 and 3 are, we have selected to carry forward in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 circuit analysis from the external events analysis.

2 Okay.

3 The steam generator tube rupture sequence  
4 basically progressed mainly due to human error.  
5 Failure to isolate the faulted steam generator,  
6 failure to cool down to pressure AC reactor.

7 And then, in the last stages, the action  
8 of again failure to depressurize and go on to residual  
9 heat removal.

10 Eventually, you go to core damage because  
11 you have continued to inject water through the high  
12 pressure injection system. You empty the RWST and the  
13 Operator then is assumed to fail to either refill the  
14 RWST or to switch over to an alternate water source,  
15 like the other units refilling water storage tank.

16 Okay, so, as I said, this sequence is  
17 dominated by human error. And it's a, go back. And  
18 it's a fairly long sequence in terms of the action and  
19 progression.

20 With a nominal leak rate of 459 gallons a  
21 minute, the action sequence will last, until you go to  
22 core damage for the initiating event, approximately 16  
23 hours, Jason?

24 MR. SCHAPEROW: That's assuming you just  
25 stay at pressure. If the pressure doesn't come down.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. SHERRY: But that's a --

MR. SCHAPEROW: It's a long event.

MR. SHERRY: It's a long time. This slide then shows you what the systems are available. Essentially all systems are available for this event.

However, once you drain the RWST and are forced to switch to recirculation, you don't have any water in the containment sump, so you, part of your recirculation systems will work. Then it's assumed you go to core damage by that.

From lack of injection during switch over to recirculation.

DR. APOSTOLAKIS: So this probability or frequency of five to the minus seven, contains the failure of the operators, why so late the faulted steam generator.

MR. SHERRY: And several other related.

DR. APOSTOLAKIS: How is that probability estimated? Is this the licensee's estimate?

MR. SHERRY: This is a SPAR model.

DR. APOSTOLAKIS: Oh, SPAR-H?

(Laughter.)

DR. CORRADINI: Oh, my gosh, here we go.

MR. SHERRY: But the licensee model, okay,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 gives essentially the same number. Okay, the same  
2 range.

3 DR. APOSTOLAKIS: Do you remember the  
4 number?

5 MR. SHERRY: Not off the top of my head.

6 DR. APOSTOLAKIS: See, that's another  
7 problem with these frequencies. I mean some of these  
8 probabilities come from models that are questionable.

9 CHAIRMAN SHACK: Well, at least it's not  
10 excluded, George.

11 (Laughter.)

12 DR. ARMIJO: -- bypass start in this event?  
13 When do you start releasing?

14 MR. SHERRY: Well, you wouldn't start  
15 releasing any nuclides until after you switch over to  
16 recirculation and then boil off the water, go to core  
17 damage.

18 So it would be quite late. I don't know,  
19 a day, would not be an unreasonable estimate.

20 DR. ARMIJO: But if the operator fails to  
21 isolate the faulted generator and depressurize the  
22 reactor, wouldn't you release regular nuclides from  
23 the secondary valves, early on?

24 MR. SHERRY: Yeah, that's the assumed  
25 pathway. It's basically up through the break in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 steam generator and then out through a safety valve,  
2 which may or may not be stuck open.

3 MR. SCHAPEROW: I'd like to ask if we could  
4 maybe leave this to, I'm going to go through more of  
5 this.

6 DR. ARMIJO: Oh, okay, sorry.

7 MR. SCHAPEROW: And scrubbing the steam  
8 generator and all that sort of thing. Yeah, I'm going  
9 to go through the whole thing, hopefully.

10 DR. ARMIJO: That's fine, thank you.

11 MR. SCHAPEROW: Sorry.

12 DR. APOSTOLAKIS: So why aren't the fan  
13 coolers available?

14 MR. SHERRY: The fan coolers for Surry, our  
15 first, they're not engineered safeguards. They're  
16 just normal fan cooling system. And if you, it's not  
17 important for this particular sequence, but if you  
18 actually get water into containment, you'll flood the  
19 lower portion of the system.

20 And three, the system gets isolated on a  
21 containment isolation signal.

22 DR. APOSTOLAKIS: The containment sprays?  
23 Oh, no, the injection is available, but recirc isn't  
24 open.

25 MR. SHERRY: This is the interfacing system

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 LOCA in the low pressure injection system. Basically  
2 the sequence involves valve of two check valves in the  
3 low pressure injection discharge line or discharge  
4 path.

5 Then, subsequent rupture of the low  
6 pressure piping in the system outside containment.  
7 And the inability to isolate the rupture. And both  
8 the licensee model and the SPAR model, essentially  
9 dis-assess the sequence to that point and then say,  
10 okay, it's core damage.

11 And we basically say, okay, how does core  
12 damage occur? Well, in a similar fashion to the steam  
13 generator tube rupture, you still have high pressure  
14 injection available.

15 You continue injecting water into the  
16 vessel leaks through the break outside of containment.  
17 Then you go to core damage when you empty the RWST and  
18 can't go to recirculation cooling, for lack of water  
19 in containment.

20 Again, it's quite similar to the steam  
21 generator tube rupture. Next slide. For the Surry  
22 plant we identified two external event-initiated  
23 sequences. The first being a long-term station  
24 blackout.

25 The second being a short-term station

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 blackout. At Surry, these can be initiated by a  
2 seismic event or potentially a flooding event.

3 DR. CORRADINI: Is the flooding from their  
4 lake?

5 DR. APOSTOLAKIS: Internal tanks.

6 DR. CORRADINI: Internal tanks?

7 MR. PRATO: The main configuration, the  
8 service water system, they pump up to a higher  
9 elevation and there's a long canal.

10 DR. CORRADINI: From the lake?

11 MR. SHERRY: The intake canal.

12 DR. CORRADINI: Yeah, the intake canal from  
13 the lake, okay.

14 DR. APOSTOLAKIS: Is that what it is?

15 MR. PRATO: It's just a canal. They're on  
16 the James River and they pump water from the James  
17 River and it's not much.

18 DR. APOSTOLAKIS: All right. So that canal  
19 fills due to some --

20 MR. SHERRY: No, the canal doesn't fill.  
21 It's the, conducts your, basically conducts your  
22 cooling water lines, that gravity feed.

23 DR. CORRADINI: Internal flooding is when  
24 you have, one of your internal pipes, something that  
25 breaks and water comes in.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. SHERRY: And so it's essentially  
2 failure of the pipe or a valve in that system.

3 DR. CORRADINI: But fed by this system?

4 MR. SHERRY: But gravity-fed.

5 DR. APOSTOLAKIS: I'm not saying to you  
6 it's not necessarily due to an earthquake, that's what  
7 he means.

8 MR. SHERRY: No, it could be a spontaneous,  
9 a round of fire in the pipe. It could be initiated by  
10 an earthquake, but there are internal initiating  
11 events which lead to station blackout.

12 Basically, you have a large flood in the  
13 turbine building, it overflows rear walls and you  
14 flood the emergency switchgear rooms.

15 And, just before we leave this slide, this  
16 is, the long-term station blackout. It has  
17 availability of DC power early and the turbine-driven  
18 auxiliary feedwater system.

19 Next slide. Similar, except you do not  
20 have DC power, you do not have a the turbine-driven  
21 aux feedwater system. And that's essentially the only  
22 difference between those two external event sequences.

23 DR. CORRADINI: But in all four cases, they  
24 all have the same signature in terms of how the system  
25 degrades. Oh, no, this one's available, PORVs

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 available, so you can depressurize here.

2 But all of them are station blackouts, so  
3 they all degrade at high pressure.

4 MR. SHERRY: Well, the external event  
5 sequences are station blackout. The internal event  
6 are containment bypass.

7 DR. APOSTOLAKIS: And this answers the only  
8 question from this morning when the question was where  
9 do we consider containment systems, drain failures and  
10 that's what you see from these sequences.

11 The containment systems don't really come  
12 into play in these sequences.

13 MR. PRATO: We went over this slide.  
14 Insights, over insights, Page 18.

15 MR. SCHAPEROW: Again, as Rick just pointed  
16 out, we had, we've got four sequences, as a result of  
17 our screening. Two internal events bypass sequences.

18 One is a lowhead injection ISLOCA and the  
19 other one is a spontaneous steam generator tube  
20 rupture. For external events we've got a long-term  
21 station blackout and what we call a short-term station  
22 blackout.

23 In the ISLOCA Sequence, the sequence  
24 starts off with the discs in two check valves in  
25 series, in the containment, failing. So now these two

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 discs have failed, we've now got high pressure, RCS  
2 pressure water, out in the Safeguards Building outside  
3 containment.

4 And that piping out there is not qualified  
5 to withstand these high pressures. So the assumption  
6 here is that as a result of the RCS pressure in the  
7 low pressure piping, that the low pressure piping  
8 starts to leak.

9 I'd also like to note that the valves are  
10 in a six inch pipe, and the pipe hasn't been  
11 cherished. That may give some, some sense of the  
12 hole, so called hole size in the system. It's not a  
13 huge hole but it's not tiny either.

14 Well, I guess it's hard to know how big  
15 the hole is because we're assuming a leak outside  
16 containment. I don't know if there's been a detail  
17 structural analysis of the piping system out there.

18 It could be a high pressure sequence, it  
19 could be a low pressure sequence, depending upon the  
20 hole size.

21 For mitigation, we do have, we've kind of  
22 lost our low head injection, because this is where it  
23 goes into the system, so you're not going to use that.

24 You'll just empty, empty the water out of  
25 the break. So we would rely, for this sequence, on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 high head injection. And we do have, we do have three  
2 pumps available, 150 GPM per pump.

3 So, and this is significant. I mean  
4 decay, I think just to make up for decay power at half  
5 hour into the event, you have to, you boil off about  
6 100 GPM, so this looks like it's in the right range to  
7 handle it.

8 This seems to be in the right range to  
9 handle, to handle decay power.

10 DR. ARMIJO: What is Surry's terminal  
11 power?

12 MR. SCHAPEROW: About 2,500 megawatts.

13 DR. ARMIJO: Twenty-five hundred.

14 MR. SCHAPEROW: In that range. I'd also  
15 like to note that because of the location of this  
16 piping, and the low head injection system is in the  
17 bottom of the Safeguards Building, it's an area that  
18 could be flooded and filled up with water.

19 So, eventually, there is a release, it  
20 would probably have to pass through the water.

21 DR. CORRADINI: But, if I understand the  
22 logic is that you say prevent. You mean delay, right?  
23 Because once you lose the RWST, you're going to go  
24 into degradation?

25 MR. SCHAPEROW: That's assuming that nobody

1 does anything, that's correct.

2 DR. CORRADINI: Oh, we're back to that.

3 MR. SCHAPEROW: Well, we've got a break  
4 size of, first of all, we don't know what the break  
5 size is, it's an unspecified break size.

6 It could be small. Even if we were using  
7 all three high head injection pumps at 150 GPM, that's  
8 450 GPM, that would, that would take 14 hours to pump  
9 the water, RWST inventory out the break.

10 That's the first one. Then there's  
11 another one right next to it. And there's another  
12 RWST that has a cross connect, so they can switch over  
13 if you realize what was going on.

14 So, it's, things are starting to look like  
15 they might be mitigated again. We're kind of getting  
16 into a scenario where things were so long, that we're  
17 starting to question some of the assumptions here  
18 about, well, it goes to core damage.

19 I'd also like to toss in that we do have  
20 a portable generator and portable pumps available  
21 here. We did do a site visit to Surry, about two or  
22 three weeks ago.

23 They showed us their new portable pumps.  
24 They've got two high head pumps. They do, not RCS  
25 pressure, they do about 900 pounds, they can deliver

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 100 GPM, 900 pounds.

2 At lower pressures they can deliver about  
3 500 GPM. They also have a low pressure, portable low  
4 pressure diesel-driven pump which delivers about 3,000  
5 GPM.

6 And they purchased other things, too.  
7 They've been working on having some additional  
8 capability, some portable capability in this area.  
9 Again, as a result of the security work.

10 DR. MAYNARD: Don't they also have an  
11 isolation valve? Did you say the isolation valve  
12 fails or they fail to close the isolation valve?

13 MR. SCHAPEROW: The isolation valve is, I  
14 believe it's --

15 MR. PRATO: It's locked open, and they  
16 would be flooded very quickly. So they don't have  
17 access.

18 DR. MAYNARD: They don't have access to it?

19 MR. PRATO: The external isolation valve,  
20 they won't have access to it.

21 MR. TINKLER: It's also true that if this  
22 scenario stays at high pressure, AFW is available  
23 throughout this entire sequence. So after 14 or 20  
24 hours, whatever you think, the likelihood that you'd  
25 be pressurized through the secondary system is pretty

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 high, okay.

2 So, Jason's argument about, you know,  
3 your, the leak rate would be reduced because the RCS  
4 pressure is being driven down by the normal cool down,  
5 the preferred cool down path through the secondary  
6 side.

7 This thing gets stretched out pretty long.  
8 And so, and Jason is just reflecting the fact you're  
9 looking at 20 plus hours or so, how much, how many  
10 shift changes, how many recommendations from the TSC,  
11 don't get followed.

12 MR. PRATO: And there's 800,000 gallons of  
13 cold water between the cumulative RWSTs that's going  
14 to flush through there to cool down.

15 MR. SCHAPEROW: Also, as Rick pointed out,  
16 the other sequence, very similar, the spontaneous  
17 steam generator tube rupture.

18 DR. APOSTOLAKIS: Let's talk about this  
19 mitigate, this bullet about mitigation. Yeah, on 19.  
20 We just reviewed NUREG-1852, operator actions during  
21 a fire.

22 And the staff made a very clear statement  
23 there that the operator actions during a fire, this is  
24 not risk-informed. Must be both visible and reliable.

25 Okay, and they go on and they list ten or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 so criteria that the Licensee may use to, in fact,  
2 argue that yes they are reliable.

3 In other words, if the available time is  
4 ten hours, or let's say two hours. And then they have  
5 to demonstrate that their time for action is less than  
6 two hours, with sufficient margin, so that the staff  
7 would believe them.

8 Now, here you seem to be focusing  
9 exclusively on the feasibility, but not the  
10 reliability of the intervention. And even in the  
11 Peach Bottom case, you told us, oh, they have this  
12 portable generator and this and that.

13 So the probability that they will do it is  
14 one. Well, yeah, I mean it's sufficient to prepare  
15 the core damage, but is it going to happen.

16 And why, in the case of fire, we put these  
17 extra criteria on the Licensees. But when we do it,  
18 we don't use any criteria.

19 MR. SCHAPEROW: I'm arguing on the basis of  
20 the long time periods available to act. Much more  
21 than two hours, 20 hours, ten times as long, it may be  
22 more.

23 MR. PRATO: We put basically a time line.  
24 We identified the initial conditions and then we went  
25 to everything that was remaining available to them.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   We tried to identify how long it would  
2                   take them to implement them. And not in parallel  
3                   either. It was basically in a series. And we asked  
4                   that they use conservative numbers and they provided  
5                   us with that input.

6                   DR. APOSTOLAKIS: I think, though, it would  
7                   be a stronger case if you actually consulted those  
8                   criteria, and had a paragraph or two saying, yeah, you  
9                   know, we obviously meet all that stuff.

10                   It really doesn't look good if we ask the  
11                   Licensees to follow criteria, but then we don't.

12                   MR. MONNINGER: I think -- this is Joe  
13                   Monninger. Yes, so the same organization we are  
14                   responsible for NUREG-1852. And one of the things I  
15                   would say there, that there is a difference between  
16                   this study here and NUREG-1852.

17                   NUREG-1852 was put together for guidance  
18                   for Licensees to use or to meet in terms of exemptions  
19                   from requirements. You know, so there is  
20                   conservatism, there is bells and whistles placed upon  
21                   that to provide assurance about a quick protection.

22                   Whereas, here, we are trying to be, you  
23                   know, more realistic, more best estimate and really  
24                   take maximum advantage of all the areas we can. I  
25                   mean, other examples within, you know, the PRA space,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 typically for like, we were talking about batteries  
2 before.

3           You know, even within your PRAs, your  
4 battery life may be assumed to be two hours. And  
5 there are certain requirements placed on those battery  
6 life, you know, that they get out of Reg Guide 1.200,  
7 and the ASME Standards, etcetera.

8           But there is capacity beyond that left.  
9 And we are trying to take advantage of that.

10           DR. APOSTOLAKIS: I understand this, you  
11 know, that's in regulatory specs, but obviously the  
12 criteria listed reflect the views of the staff as to  
13 what is important.

14           And I remember they referred to the  
15 environment that the fire creates. So in this case  
16 you would address the questions that Mike Corradini  
17 asked earlier, but the earthquake may damage other  
18 things, right.

19           You're looking at the context within which  
20 the actions take place. And I don't think it would be  
21 too hard for you, especially if, as Jason says, you  
22 have very long times, to cite those criteria and say,  
23 yeah, what are we meeting.

24           DR. MAYNARD: First of all, this is an  
25 incredible sequence of events, anyway, because you're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 having to assume a lot of errors and there are things  
2 that the operators are exercised on a lot.

3 This is one where it's fully demonstrated  
4 frequently in the simulator and practiced and  
5 everything.

6 DR. APOSTOLAKIS: It's not just for Peach,  
7 it's for the methodology. I mean for Peach Bottom it  
8 was a seismic. The criteria are much more relevant  
9 there than here. It's not a big deal. Not everything  
10 we raise is a big deal.

11 MR. DUBE: Can I add a comment on this? As  
12 the former manager of the Accident Management Team at  
13 a couple of sites, I would say, though, George, your  
14 point is well taken.

15 In that, you know, the initial blow down  
16 here, even it's a couple inch break, has got to be a  
17 couple thousand gallons a minute of 550 degree  
18 Fahrenheit water, you know, into the Safeguards  
19 Building that's going to create a rather harsh  
20 environment.

21 Not to mention there is going to be some  
22 radioactivity and the site staff is going to be  
23 extremely sensitive to the fact that they detect  
24 radioactivity being emitted outside the plant.

25 So, I think we still have work to do

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 regarding the accessibility of the various points  
2 where we may be, the Licensee might take credit for  
3 injecting water from alternate sources and so forth.

4 It's not, I think there's still work to be  
5 done here, because the environment that would be  
6 created, even if we have tens of hours, is still  
7 something to consider.

8 MR. PRATO: Just so you understand, we did  
9 take into account accessibility. We wanted to make  
10 sure that they had access to the areas where they were  
11 taking credit for the mitigative measures. So we did  
12 consider that.

13 MR. SCHAPEROW: Yeah, like we didn't take  
14 credit for being able to go down there and isolate the  
15 system, but we did, but the fueling water storage tank  
16 is not down there in the Safeguards Building.

17 It's out, you know, outside the building.  
18 So it's something that one could get to, to refill.

19 MR. DUBE: Okay.

20 MR. SCHAPEROW: I'd like to turn to the  
21 spontaneous tube rupture which, as Rick noted, is very  
22 similar. This one we can maybe argue that we have a  
23 little better handle on the break size.

24 We have had experience with tube ruptures,  
25 they rupture one tube, we've actually got data on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 tube ruptures.

2 For this sequence, the initial condition  
3 if the operator failed to diagnose the tube rupture  
4 and follow their procedures.

5 So, again, they result in pumping their  
6 fueling water storage tank inventory into the RCS to  
7 make up for the break. They don't know where the  
8 break is, but they know they have one, because they're  
9 using all their water to keep filling the RCS.

10 Again, if they're pumping full with all  
11 three pumps and they've got a break of about one tube,  
12 which is about a 450 GPM, they will deplete the one  
13 unit's RWST in about 14 hours.

14 Again, they've got a cross tie. Assuming  
15 they didn't know where the break was, but they knew  
16 they were depleting their tank, they could cross tie  
17 to the other, the other fueling water storage tank.

18 Similar arguments here about time. A lot  
19 of time. Arguments that are made, there's going to be  
20 additional crews of operators coming on. I mean this  
21 thing is taking place over, probably a couple  
22 different shifts.

23 Assuming they have a break somewhere, they  
24 don't know where it is, there's going to be, the TSC  
25 will be, their on-site Technical Support Center is

1 going to get staff up.

2 Maybe their off-site Emergency Operations  
3 Facility, and the NRC might even get staffed up. So  
4 they may have a lot of help on this one, if they don't  
5 know what's going on.

6 Because this is not a blackout, I mean  
7 we're in a situation where we basically have got  
8 everything available. We've got all of our injection  
9 systems.

10 Of course, we deplete the RWST. And  
11 another thing that maybe helpful, also, is the RCS  
12 pressure drops, as it will doing a tube rupture  
13 sequence.

14 Eventually, when pressure drops enough, as  
15 maybe naturally it will drop enough, you may be able  
16 to start your decay heat removal system. And also the  
17 steam generator pressure is going to be actually  
18 higher than the RCS pressure at some point.

19 You may actually get some back flow out of  
20 the RCS, so this is kind of a little tricky. Similar  
21 conclusion, similar sequence. The mitigation does  
22 seem to be feasible in this case.

23 DR. CORRADINI: So, I guess, can I just  
24 break in? So the portable generator and pumps I'm  
25 discounting for the moment. I'm still struggling with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the so you've done or are doing calculations that  
2 indicate that you don't get into any degraded core  
3 state.

4 Just by the, just by the available systems  
5 you have on and the reduction in decay heat with time?

6 MR. SCHAPEROW: We have not started  
7 calculations for Surry with MELCOR yet. We intend to  
8 do that very soon. These are preliminary insights  
9 from, basically, our meeting at, our discussions with  
10 the plant.

11 Our review of the systems available and  
12 our own experience in this area, on previous  
13 assessments.

14 Yeah, actually, the portable generator  
15 pumps, theoretically, if you had any idea what was  
16 going on, you wouldn't need them, because you've got  
17 all the plant systems.

18 You may, maybe you would call something in  
19 the portable pump into play to refuel an RWST, I don't  
20 know.

21 Turning to external events, Slide 21. The  
22 long-term station blackout, we do have a failure of  
23 off-site power. Failure of both diesel, so basically  
24 we don't have any AC power on-site.

25 Surry determined driven aux feed water

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 system would remove decay heat. As the sequence  
2 continues, the RCS water level will start to drop  
3 because we're not feeding the reactor cooling system.

4 We have water boiling off. We also have  
5 some leakage from the reactor cooling pump seals.  
6 Now, regarding the turbine driven off speed water  
7 system, for this sequence the battery is going to be  
8 used to indicate steam generator level and to control  
9 the aux feed water pump.

10 We've talked to the Licensee about their,  
11 their estimate of battery life. Their PRA does have  
12 a conservative estimate of eight hours for battery  
13 life.

14 I expressed surprise when we were there  
15 and said, well, how about, Peach Bottom has only got  
16 two hour battery life for their conservative estimate.

17 And they said, well, ours is eight. Their  
18 batteries must be more substantial.

19 DR. MAYNARD: Well, that depends a lot on  
20 what your DC loads are that you require. I mean it's  
21 not only the battery, battery size and battery power,  
22 but also what your loads are that you're requiring.

23 MR. SCHAPEROW: And they have less loads.  
24 They also, the thing that surprised me, they said that  
25 they didn't, they don't have a DC load shed procedure.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           If they were on the batteries, they don't  
2 have any procedures to start shedding DC loads. So  
3 maybe they don't have any loads on the batteries.

4           DR. APOSTOLAKIS: So what kinds of loads  
5 would one plant have but another would not?

6           DR. MAYNARD: Well, one might have some  
7 electric pumps, some electric DC pumps, which may draw  
8 some current, but usually it's instrumentation and  
9 valve control is what you're really using most of the  
10 DC power for.

11           MR. SCHAPEROW: This is a situation where  
12 we are on a battery since we've had a station  
13 blackout. So, once the battery is depleted, they  
14 would need to manually control their aux feed, the  
15 turbine driven aux feed water pump.

16           They do have a portable generator.  
17 They've got procedures for hooking it up to indicate  
18 level.

19           DR. APOSTOLAKIS: So you will take the  
20 eight hours and use it, right?

21           MR. SCHAPEROW: Yes.

22           DR. APOSTOLAKIS: Because the Licensee said  
23 that.

24           MR. SCHAPEROW: Well, actually, I'd like to  
25 do it using a bigger number than the eight hours,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 since eight hours is a conservative estimate. I'd  
2 like to find out what is a realistic estimate.

3 So, for eight hours, nothing is going to  
4 happen. The turbine, well, I shouldn't say that.  
5 You'll continue to feed the steam generators. You  
6 will have leakage out of the RCS through the pump  
7 seals.

8 Which, brings me to my next bullet.  
9 Leakage is estimated at 21 GPM per pump. This is a  
10 standard number. The issue here is that as the core  
11 damage starts to progress, you're going to start  
12 getting high temperatures in the RCS.

13 And you may get seal failure. At which  
14 point your leak load is going to go way up. Probably  
15 like ten times that big.

16 We do have research planned to provide a  
17 more realistic estimate of seal failure timing,  
18 they're working to get a project in place with the RCP  
19 seal experts at AECL, who've done a lot of work in  
20 this area before.

21 We'd like to get, again, a most realistic  
22 estimate of seal failure timing. Because this could  
23 have a big effect on the accident progression.

24 On the other hand, Surry does have  
25 procedures and portable pumps to provide make up to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the reactor cooling system. The procedures involve  
2 hooking up portable power supply to open up the relief  
3 valve on the RCS and to use their diesel driven  
4 portable pump to fill the RCS.

5 And this, again, these are new procedures,  
6 they just developed them. They just purchased the  
7 equipment. They recently built a small building to  
8 house this new equipment.

9 Again, we went to the site, they showed us  
10 their new equipment and where it was stored and all.  
11 And, again, it's starting to, this one looks like  
12 mitigation to prevent core damage is feasible.

13 With regard to the short-term station  
14 blackout, the, this is a more severe event because we  
15 also have a failure of DC power. For the non-seismic  
16 initiator, I notice that you had flooding on yours.

17 I still have fire on mine for some reason.  
18 Maybe you can clarify that for me, I don't know.

19 MR. SHERRY: It can also include fire.

20 MR. SCHAPEROW: Okay, so it's for the non-  
21 seismic initiators, it's a less severe event because  
22 we have turbine driven aux feed water pump intact.

23 It will, when you lose power to the  
24 turbine driven aux feed pump at Surry, the pump will  
25 automatically come on, with no power. It just starts

1 up and runs at the designed speed.

2 It's not like that at every plant.  
3 Because we've done similar analysis, I think it was at  
4 Sequoyah. But Surry has got this feature, where the  
5 turbine driven aux feed pump comes on when it loses  
6 power.

7 The operators would need to take control  
8 of the feed water pump to prevent overflow of the  
9 steam generators. So that's on the secondary side.

10 On the primary side, the operators could  
11 make up for the pump seal leakage with a portable pump  
12 that they have.

13 For the seismic initiator, the sequence is  
14 more severe. For this seismic initiator it was, this  
15 involves direct mechanical failure of the turbine  
16 driven aux feed pump.

17 So this is basically a sequence with no  
18 injection. So it's a limiting scenario in terms of  
19 timing prior to core damage.

20 DR. CORRADINI: So this is the only one  
21 that, by hook or by crook, you can't get away from  
22 core damage?

23 MR. SCHAPEROW: Well, the last bullet,  
24 we're evaluating the availability of --

25 DR. CORRADINI: I don't mean to phrase it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that way, but that's --

2 MR. SCHAPEROW: The portable equipment is  
3 sitting there in the small building outside of  
4 protected area. I guess the question is, is can they  
5 get to this equipment? Is there a place where they  
6 can hook it up?

7 How bad is the seismic event? Does it  
8 destroy the building it's in? We need to look at  
9 that.

10 DR. CORRADINI: So, I guess, let me, I  
11 don't want to pick on Dominion, but, so they now have  
12 a new building with pumps in it that are portable.  
13 And upon --

14 MR. SCHAPEROW: Diesel driven.

15 DR. CORRADINI: Diesel driven, that can be  
16 dispatched for various purposes?

17 MR. SCHAPEROW: That's correct. And  
18 there's time involved with that. I mean there's --

19 DR. CORRADINI: Quote us a number, eight  
20 hours, everything is done within eight hours?

21 MR. SCHAPEROW: There's a number of, they  
22 have to, it takes them a little while to get the  
23 thing, because they're skid-mounted. They have to  
24 take them out of the building, bring them to the hook-  
25 up location and connect them up.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. CORRADINI: And how does, since I don't  
2 understand this, this is outside of the design base,  
3 so how do I assess reliability?

4 MR. SCHAPEROW: I think it's being included  
5 in their commitments to us through issuing an - SE  
6 already?

7 MR. PRATO: We have a documented report  
8 from each Licensee as to what they're going to do with  
9 regards to B5B. That information, and we're starting  
10 to get into security-related area.

11 DR. CORRADINI: Oh, excuse me.

12 MR. PRATO: But, the bottom line is, is  
13 that the Licensee is committed to do certain things  
14 and they document what they're going to do.

15 And they're in the process of implementing  
16 it and proceduralizing it at this point.

17 DR. CORRADINI: So for a different reason,  
18 they're going to have to show reliability?  
19 For a different purpose, they have this here and  
20 they're going to have to show reliability up to some  
21 level, is that what you're saying? I'm trying to  
22 understand --

23 MR. SCHAPEROW: Yes.

24 DR. CORRADINI: -- within the context so we  
25 can discuss it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PRATO: The question that came up at  
2 the site was if the seismic event is severe enough to  
3 collapse a building, not only would the pumps be  
4 available.

5 What we did during our analysis is,  
6 typically, they have three pumps. They have two high  
7 pressure pumps, one low pressure pump. They told us  
8 that they typically keep the low pressure pump  
9 outside.

10 And they typically keep the high pressure  
11 pump within that building that they recently built,  
12 along with a fire truck that they have right outside  
13 there.

14 So we gave them credit for the low  
15 pressure pump, drawing our analysis. We're still  
16 trying to work through all of this to try to identify  
17 would the high pressure pumps be available?

18 Do we really consider the building falling  
19 down based on the degree of the seismic event? Is it  
20 .5, is it one? What kind of results can be expect?  
21 We're not sure yet.

22 And we're still trying to work through  
23 that assessment.

24 DR. CORRADINI: Thank you.

25 DR. ARMIJO: In this total loss of feed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 water event, can't they do feed and bleed?

2 MR. SCHAPEROW: The seismic initiator?

3 DR. ARMIJO: I guess it depends on what  
4 you, right, it depends on what you're assuming what  
5 else fails.

6 MR. SCHAPEROW: Yeah, the question is what  
7 pumps are available.

8 MR. SHIU: This is an SBO sequence, so you  
9 won't have power for your feed.

10 CHAIRMAN SHACK: Until he hooks up this  
11 portable pump, he's got nothing.

12 MR. TINKLER: And I heard you, if you say  
13 there's some concern that it might take up to six to  
14 eight hours?

15 MR. SCHAPEROW: I think they've committed  
16 for a certain number of hours to get it in place by.

17 MR. TINKLER: Well, you've boiled the steam  
18 generators dry long before that, if you had a direct  
19 mechanical failure of the AFW. So, they'd have to get  
20 it going sooner.

21 You know, the short-term SBO that we do  
22 for thermally-induced steam generator rupture, steam  
23 generators boil dry in an hour and a half. And the  
24 core starts heating up pretty severely in about three  
25 and a half hours.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PRATO: I don't remember what the time  
2 was. Jason seems to remember six to eight hours.

3 MR. SCHAPEROW: I think they said they can  
4 show that they can do it within eight hours, but they  
5 think they can probably do it in about two, if memory  
6 serves me.

7 MR. TINKLER: Eight wouldn't be quick  
8 enough for even a best estimate calculation.

9 MR. SCHAPEROW: I don't remember the exact  
10 number, but it was on the order of a few-ish hours.  
11 It wasn't ten minutes, it wasn't a day, it was hours.

12 MR. TINKLER: See, that would be okay, you  
13 know, if had, if you didn't have that direct failure  
14 of the turbine driven AFW. And then you're trying to  
15 make up for seal leakage and things like that.

16 But, an immediate loss of turbine driven  
17 AFW are a really constraining set of facts. Because  
18 even if it ran for a little while, you know, the other  
19 calculations we did were, even if it runs for a little  
20 while, you get one refill of the steam generator, it  
21 could push the accident progression out another eight  
22 to ten hours.

23 But without getting any refill of the  
24 steam generator, it would go quickly.

25 DR. CORRADINI: So, back to my, I didn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 mean to interrupt, but my question is that so I  
2 thought this one was going to lead to something that  
3 would lead to a source term.

4 But what I'm hearing is this may not  
5 either. So there is a possibility that Surry will  
6 have essentially zero source term with mitigating  
7 efforts?

8 MR. SCHAPEROW: It depends, this last one  
9 is the question mark, as you said.

10 MR. TINKLER: This could be another case of  
11 one with and one without.

12 DR. CORRADINI: That might not be a bad  
13 thing to do. That would be a suggestion.

14 MR. TINKLER: Because it's the same kind of  
15 issue, a seismic condition that effects operability.

16 DR. CORRADINI: And I guess back to --

17 DR. MAYNARD: I also think that there have  
18 been some changes made at all these plants within the  
19 last couple of years, that provide a lot more  
20 mitigation than what plants did back when the original  
21 studies and stuff were done. Pumps and generators and  
22 --

23 DR. CORRADINI: Sure, sure.

24 MR. TINKLER: Absolutely, and we're  
25 reflecting some of that. I mean, but you could also

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 question, as John mentioned earlier, what about that  
2 fragility model of the turbine drive AFW that causes  
3 it to fail on seismic, how realistic is that?

4 Is it realistic? Or was it just  
5 expedient? That turbine driven AFW is considered to  
6 be a fairly robust kind of simple thing, compared to  
7 a waterwheel.

8 DR. APOSTOLAKIS: Again, besides the  
9 frequency of the sequence that leads to core damage,  
10 you do not include anywhere the possibility of failure  
11 and you don't have any probabilities.

12 Things either work or you're assuming  
13 they're down. Is that correct?

14 MR. PRATO: In general, I think that that's  
15 an accurate statement. But the initial conditions,  
16 there's a tremendous amount of failure that need to be  
17 accounted for right up front.

18 MR. SCHAPEROW: Okay, so in conclusion for  
19 Surry, the scenarios identified generally we have a  
20 long time until core damage, as it relates to the  
21 environment.

22 The fastest scenario was the seismic-  
23 induced sequence we just discussed. Mitigation may  
24 prevent core damage for some scenarios. There's  
25 certainly more mitigation at the plants than there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 used to be, both with respect to procedures and  
2 equipment.

3 In some cases it looks like some of the  
4 PRA criteria we've used in the past, maybe on the  
5 conservative side with respect to crediting installed  
6 equipment and operator actions.

7 And the time to deploy this equipment, in  
8 many of these cases, does appear to be sufficient to  
9 prevent core damage, if the installed equipment is not  
10 available.

11 DR. ARMIJO: I see some, I don't understand  
12 long-term for this total loss of feed water we have.  
13 It would seem that the steam generators would  
14 completely boil dry in 30 minutes.

15 MR. SCHAPEROW: That total loss of feed  
16 event is a short-term station blackout which, which  
17 can --

18 DR. ARMIJO: No, I'm talking about the  
19 seismic event where you have total loss of feed water?

20 MR. SCHAPEROW: It takes a while to get to  
21 core damage for these. And if you have the boil out  
22 of the steam generators, then you have to start the  
23 boil off for the RCS and it takes a couple of hours.

24 DR. ARMIJO: So I guess I don't understand  
25 the meaning of the word long. What's long time in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this line?

2 MR. SCHAPEROW: Well, we used to have large  
3 releases to the environment starting in about two  
4 hours or one and a half hours from the start of the  
5 event.

6 You'd have an initiator and an hour and a  
7 half or two hours later you start getting this large  
8 release into the environment. You know, we're not  
9 even getting core damage for, let's say four hours  
10 now, even for this fastest scenario.

11 You know, even, and once you get core  
12 damage, you don't automatically have a release. Then  
13 it has to, it has to heat up the RCS and, for Surry,  
14 the dominate path is to fail the vessel and the  
15 containment won't fail for a couple of days.

16 For Surry, you might get a tube rupture  
17 after several hours. But that's the less dominate  
18 path. But, it is long-term compared to, if you go  
19 back to the 1982 study, we had a release starting  
20 around two hours, after being initiated. That's  
21 quick.

22 MR. PRATO: Next is the structural on  
23 Surry, Ata, Slide 31, please.

24 MR. ISTAR: Again, we are trying to develop  
25 a leak rate as a function of pressure for reinforced

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 concrete structure, like the one at Surry.

2 And, again, it's that leak rate is a  
3 function of pressure that's going to be used for the  
4 melt core analysis.

5 And looking back over 25 years of analysis  
6 and testing on reinforced concrete containment support  
7 hypothesis of the leak-before-break-failure condition.

8 Therefore, it is expected that the range  
9 of pressure needed to catastrophic rupture or burst  
10 can never be reached, since leakage should prevent  
11 catastrophic rupture.

12 And so this is one of our, you know,  
13 prerequisites to start analyzing the reinforced  
14 concrete containments.

15 And the next page is the approach, general  
16 behavior of concrete containment under gradual  
17 increase, increasing internal pressures.

18 First, as the pressure builds up inside  
19 containment, concrete will crack. Second, it will  
20 yield the liner. Then liner will tear, and a path of  
21 leakage is created.

22 And the third, yielding of hoop-  
23 reinforcement and enlargement of those tears. And,  
24 finally, reinforced concrete containment structures  
25 are predicted to have a significant leakage, rupture-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 like, once the global strain levels are reached at one  
2 to two percent.

3 I just want to define global strain.  
4 Global strain is located at mid-height level in the  
5 cylindrical section of the containment structure, away  
6 from the possible, you know, penetrations and other  
7 discontinuities. Next page, please.

8 And I, we took the NUREG-5121, as testing,  
9 one-scale model testing. I'm on six-scale modeling  
10 testing as a guide. And we developed these hoop-  
11 stress equations for different failure conditions for  
12 two percent strain, as well as rebar plus liner  
13 conditions.

14 Though we tried to adopt, tried to  
15 simplify analyses using these equations, whether it  
16 will match to the detail analysis was performed in the  
17 past, as well as to the testing. And, next page.

18 DR. APOSTOLAKIS: So what are analytical  
19 analyses?

20 MR. ISTAR: There are a lot of pre --

21 DR. APOSTOLAKIS: How can any analyses if  
22 they're not analytical?

23 (Laughter.)

24 MR. ISTAR: Well, computational. The term  
25 is used quite often.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 DR. APOSTOLAKIS: It's really used? I  
2 thought that was a slip.

3 MR. ISTAR: Next page, next table, provides  
4 some results from different round robin analyses, as  
5 well as the test data. And a simplified analysis kind  
6 of highlighted in your table.

7 They are pretty consistent. And we  
8 believe that those simplified analyses conditions,  
9 using those simplified analyses conditions, using the  
10 one-scale reinforced concrete model results, we can  
11 come up with some kind of leak rate versus pressure  
12 curves.

13 Next page, please. Again, this stress  
14 strain was taken out of the NUREG-5121, showing the  
15 strain and the pressure rates at different, for liner,  
16 as well as the reinforcement.

17 Next page, please. During the test, the  
18 one-scale reinforced concrete model test, there were  
19 a lot of measurements made, leakage measurements made.

20 We provide the leak rate in different  
21 units percent mass per day, standard cubic feet per  
22 minute, as well as percent volume per day. And the  
23 one-sixth scale reinforced concrete model has a design  
24 pressure of 46 psig.

25 And the next page, the curve that is shown

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 here, it is, again, for the one-sixth scale model.  
2 And it's, again, taken out of 5121. I, you know, do  
3 all of this, you know, they have a similar curve in  
4 the NUREG.

5 Next page, which is, they picked up some  
6 of the major reinforced concrete containment  
7 structures and tried to compare them whether they, you  
8 know, develop the same conditions.

9 And it appears that they are quite, you  
10 know, work well with the approach that we are taking  
11 here. And one thing I need to point out to you, Surry  
12 compared to Diablo Canyon, Salem and Seabrook, has a  
13 low modulus of elasticity of liner and rebar.

14 And liner plate yield was much lower.  
15 Rebar yield is much lower. And rebar, of course, two  
16 percent strain is much lower.

17 So, we're going to expect that the Surry,  
18 was going to have a lower, you know, pressure release.  
19 And which it's shown on the next page and the rest of  
20 the containment structures, including the one-sixth  
21 scale, have pressure over PD close to three in this  
22 case, and Surry would have about, right after two --

23 CHAIRMAN SHACK: Now the thick line is the  
24 predicted result and the thin line with the dots, are  
25 actually measurements?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ISTAR: No, the thin line is what we  
2 believe what's going to happen. The thick line is the  
3 equation, fitted equation that I developed, that can  
4 be used in the melt core analysis.

5 Which, if you look at the upper right-hand  
6 corner, there's a Y equation three to the E minus some  
7 equation, I can't read it. But there's an R squared,  
8 which is .86.

9 CHAIRMAN SHACK: Okay, so the thin line is  
10 a detailed finite element analysis prediction?

11 MR. ISTAR: No, no. The thin line is our  
12 simplified analysis prediction. And thick line is the  
13 fitted curve for that line.

14 CHAIRMAN SHACK: Oh, it's a fitted curve to  
15 that line, okay.

16 MR. ISTAR: Correct, fitted curve for that  
17 line. And the equation for that fitted curve is up  
18 here on the upper, right-hand corner.

19 DR. APOSTOLAKIS: Why do you have here a  
20 plot of leak rate?

21 MR. ISTAR: Leak rate --

22 DR. APOSTOLAKIS: And then for the BWR you  
23 have the area.

24 MR. ISTAR: Right. It can, you know, it  
25 can be, you know, leak rate can be converted into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 area.

2 DR. APOSTOLAKIS: But it's just the same?

3 MR. ISTAR: Just the same thing. And, but  
4 in the reinforced concrete condition we have to kind  
5 of shift that curve based on several issues that I'm  
6 listing here.

7 Some kind of interim judgement needs to be  
8 done. For example, the temperature effect,  
9 degradation, like corrosion and aging effect, and  
10 original construction defects.

11 And during the site visits and I talked to  
12 their Chief Engineer related to that and we still  
13 going to talk about that, whether those conditions  
14 exist and how we're going to shift that curve somewhat  
15 as a percentage of the curve that we have seen on the  
16 previous page.

17 And which I'm showing as the last page,  
18 you know, those degradation effects and the  
19 temperature effects can, may be something like this.  
20 This is like, curve was done by Sandia, as to show how  
21 the simplified, the dark lines simplify things and  
22 we're just trying to push to include some of the site-  
23 specific conditions to shift that curve to the right  
24 side.

25 And that's probably going to come out

1 within some kind of engineering judgement.

2 CHAIRMAN SHACK: Why does increasing  
3 temperature lower the leak rate?

4 MR. ISTAR: Increasing temperature is not  
5 lowering the leak rate. That's a prediction, again.  
6 Don't take this curve as a final curve. It just, it  
7 was developed at Sandia and I just, you know, cut and  
8 paste here.

9 DR. ARMIJO: What temperature is this?

10 MR. ISTAR: The temperature in the  
11 containment that effects the liner reinforcement.

12 DR. ARMIJO: And this is independent of  
13 what the composition of the containment environment,  
14 as whether it's steam or air?

15 MR. ISTAR: It's, in this case it's  
16 irrelevant whether you have steam or air. It's  
17 temperature is the affecting, the liner, if the liner  
18 were subject to the high temperature, the properties  
19 of the liner, physical properties are going to go down  
20 drastically.

21 So, it's going to fail in the earlier,  
22 earlier than what we're predicting here. And if,  
23 eventually it's going to go through the concrete and  
24 effect the reinforcement.

25 And it's going to effect the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reinforcements as well, the temperature.

2 DR. ARMIJO: Okay, and I, I guess I really  
3 can't think of any physical rationale for why the leak  
4 rate would go down, as the temperature increases?

5 MR. ISTAR: No --

6 CHAIRMAN SHACK: Well, it's true for a gas,  
7 the viscosity will go up. But that's the only  
8 mechanism I can think of and I don't think that's very  
9 important here.

10 DR. ARMIJO: Right, no, you're right.

11 MR. ISTAR: It's not important.

12 DR. ARMIJO: Not to this extent.

13 CHAIRMAN SHACK: No, we'll just write it  
14 off to journal briefs or results.

15 MR. ISTAR: That's it.

16 MR. PRATO: Okay, anymore questions on the  
17 structural? That completes the staff's presentation.  
18 Any questions on any of the issues discussed?

19 DR. ARMIJO: I guess it would be nice to  
20 really get an explanation for this result, counter-  
21 intuitive.

22 CHAIRMAN SHACK: I mean, it shows the  
23 earlier collapse which is, you know, plausible. I'd  
24 certainly believe that. But why I have a lower leak  
25 rate up until the time that I finally go boom, is a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 little difficult to understand.

2 MR. ISTAR: That's a very good question,  
3 but that's, you know, I would think it's going to be  
4 higher, but I just, but again, this curve is just  
5 hypothetical.

6 If you look at our curve, it's very steep.  
7 It comes out at P over Pd, it's, it comes out like  
8 straight up and it's just going to be a curve and some  
9 percentage coming towards the right.

10 And this is kind of a, you know, --

11 CHAIRMAN SHACK: Until I manage to melt the  
12 core, this is all academic anyway.

13 (Laughter.)

14 MR. ISTAR: Yeah, show and tell.

15 DR. APOSTOLAKIS: Otherwise it's all  
16 national regulatory-like.

17 (Laughter.)

18 MR. PRATO: Any other questions?

19 CHAIRMAN SHACK: I think we're finished  
20 with the staff presentation. I'll open for  
21 discussion.

22 (Whereupon, the proceedings went back into  
23 Open Session.)

24

25

CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

Name of Proceeding: Advisory Committee on  
Reactor Safeguards  
Regulatory Policies and  
Practices

Docket Number: n/a

Location: Rockville, MD

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and, thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



Charles Morrison  
Official Reporter  
Neal R. Gross & Co., Inc.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701