

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Public Meeting to Discuss Overview of NRC
 Monitoring Activities of the Saltstone
 Disposal Facility

Docket Number: (n/a)

Location: Aiken, South Carolina

Date: Monday, August 6, 2012

Work Order No.: NRC-1791

Pages 1-113

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

PUBLIC MEETING TO DISCUSS
OVERVIEW OF NRC MONITORING
ACTIVITIES OF THE SALTSTONE
DISPOSAL FACILITY

+ + + + +

Monday, August 6, 2012

+ + + + +

DOE Meeting Room/DOE Center
230 Village Green Blvd
Suite 220
Aiken, South Carolina

+ + + + +

The above-entitled hearing was conducted at

1:00 p.m.

BEFORE: NISHKA DEVASER, Facilitator

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ATTENDEES:
2 George Alexander
3 Nancye L. Bethurem
4 Thomas Frank England
5 Harry Felsher
6 Victor Franklin
7 Kim Hauer
8 Brenda Hays
9 Justin Koon
10 Barry Lester
11 Lisa London
12 Karen Patterson
13 Karen Pinkston
14 Christianne Ridge
15 Kent Rosenberger
16 Sherrri Ross
17 Mark Schmitz
18 Roger Seitz
19 Richard Sheppard
20 Scott L. Simons
21 Malcolm Smith
22 Gregory Suber
23 Linda Suttora
24 Steven Thomas
25 Shelly Wilson

26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

A G E N D A

| <u>ITEM</u> | <u>PAGE</u> |
|---|-------------|
| Meeting Opening and Introductions | 4 |
| NRC Presentation to the Public on Project History and NRC Role at the Saltstone Disposal Facility with Public Comment | 9 |
| DOE Presentation to the Public on Project History and NRC Role at the Saltstone Disposal Facility with Public Comment | 30 |
| <i>DOE Presentation on DOE Path Forward to Resolve NRC Concerns</i> | 49 |
| <i>Inventory Methodology</i> | 73 |
| <i>Adjourn</i> | 106 |

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

P R O C E E D I N G S

1
2 *MR. DEVASER: I'm Nishka Devaser. I'm the*
3 *meeting organizer here. I work for the NRC. The title*
4 *of the meeting today is the Overview of NRC Monitoring*
5 *Activities of the Saltstone Disposal Facility.*

6 *Before we get started, let's have a round*
7 *of introductions, who all's called in on the line.*

8 *Anybody?*

9 *(No response.)*

10 *MR. DEVASER: I guess not. All right.*
11 *We'll start down here with Kent.*

12 *MR. ROSENBERGER: Kent Rosenberger with*
13 *the Savannah River Remediation.*

14 *MR. SMITH: Malcolm Smith, Savannah River*
15 *Remediation.*

16 *MS. ROSS: Sherri Ross, DOE Savannah River.*

17 *MS. SUTTORA: Linda Suttora, DOE*
18 *Headquarters.*

19 *MR. DEVASER: Nishka Devaser, NRC, Global*
20 *Waste Branch.*

21 *MR. SUBER: Gregory Suber, Chief, Low Level*
22 *Waste Branch, NRC.*

23 *MS. PINKSTON: Karen Pinkston, NRC,*
24 *Performance Assessment Branch.*

25 *DR. RIDGE: Christianne Ridge, NRC,*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *Performance Assessment.*

2 *MR. ALEXANDER: George Alexander, NRC,*
3 *Performance Assessment.*

4 *MR. FELSHER: Harry Felsher, NRC, Global*
5 *Waste Branch.*

6 *MR. HAUER: Kim Hauer, Savannah River*
7 *Remediation.*

8 *MR. THOMAS: Steve Thomas, Savannah River*
9 *Remediation.*

10 *MR. ENGLAND: Savannah River Remediation.*

11 *MR. SHEPPARD: Richard Sheppard, SRR.*

12 *MR. LESTER: Barry Lester, Savannah River*
13 *Remediation.*

14 *MR. KOON: Justin Koon, SCDHEC, Solid Waste*
15 *Programing Section.*

16 *MR. FRANKLIN: Victor Franklin, SRR.*

17 *MS. PATTERSON: Karen Patterson, South*
18 *Carolina Government Nuclear Advisory Council.*

19 *MR. SIMONS: Scott Simons, South Carolina*
20 *DHEC, Regional Office in Aiken.*

21 *MS. WILSON: Shelly Wilson with South*
22 *Carolina DHEC.*

23 *MS. HAYS: Brenda Hays, DOE-SR.*

24 *MS. BETHUREM: Nancy Bethurem, SRR.*

25 *MR. DEVASER: Great. Thank you,*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *everybody. And if I could remind everyone to sign in on*
2 *the sign-in sheet here. It's at the table just -- at the*
3 *break I might pass it around for everyone to sign.*

4 *Now I can extend opening remarks -- anyone?*

5 *Gregory, did you want to say anything?*

6 *MR. SUBER: Oh, sure. Thanks. Once again*
7 *my name is Gregory Suber. First of all, I'd like to thank*
8 *everybody for coming to participate in this meeting.*
9 *When we first came down we thought it would be important*
10 *to do an up-front presentation here in South Carolina of*
11 *some of the findings that we had and some of the*
12 *conclusions that we had in our TER and, of course, in the*
13 *Type IV letter of concern.*

14 *So we welcome some open dialogue and some*
15 *positive technical exchange during this meeting and hope*
16 *that it will be productive.*

17 *MR. DEVASER: Linda, Sherri? Anything to*
18 *open up with?*

19 *MS. SUTTORA: My name is Linda Suttora, and*
20 *I work at DOE Headquarters, Department of Energy*
21 *Headquarters, for the Office of Environmental Management*
22 *and I'd like to thank everybody for participating and*
23 *attending this meeting. It's always very helpful to*
24 *have public meetings and be able to provide status of*
25 *projects.*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Do you want me to just head right in?

2 MR. DEVASER: Well, there were a few more
3 things I had to say --

4 MS. SUTTORA: Go right ahead.

5 MR. DEVASER: -- or I had to go through just
6 before we get started.

7 Shelly, did you want to say anything?

8 MS. ROSS: No, thank you very much.

9 MR. DEVASER: All right. So just a
10 reminder, this is a Category 2 public meeting by way of
11 NRC's public meeting styles which means that the public
12 is invited to participate in the meeting and has the
13 chance to ask questions at certain points identified in
14 the meeting.

15 However, I'm not sure we actually -- well,
16 we do have at least one member of the public so I'll make
17 everyone aware of those times when they happen.

18 So the style of the meeting was going to be really
19 the first half of the meeting prior to the break, which
20 I believe is about 2:30 or so NRC was going to go through
21 just an explanation of their monitoring process and
22 where -- that's under 3116, and some of the history of
23 the project.

24 And then I believe DOE was going to have a
25 similar-type presentation. So what I wonder is if I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *should go ahead and get started. Yeah, okay.*

2 *All right. Well, okay. Great. So as I*
3 *mentioned, we're going to go through some of the history*
4 *of the monitoring process with NRC and how it fits under*
5 *NDAA. I'm going to explain monitoring itself and then*
6 *I'm going to hand it over to Dr. Christianne Ridge here,*
7 *who's going to go through the PA analysis that we did over*
8 *the past couple of years and some of the results that came*
9 *out of our technical evaluation report that came out in*
10 *April.*

11 *Slide 3. So the background here is that in*
12 *2005 Section 3116 of the National Defense Authorization*
13 *Act was signed which said -- it was two pieces there. In*
14 *Part A we provided consultations to DOE during*
15 *development of their Saltstone waste determination*
16 *during which time we published a technical evaluation*
17 *report.*

18 *Following that, the final Saltstone waste*
19 *determination came out. Some years passed. We put out*
20 *a monitoring plan for the Saltstone facility in 2007.*
21 *We've had twelve on-site observations since and multiple*
22 *technical reviews.*

23 *And then in 2009 DOE published the revised*
24 *Saltstone performance assessment and over the next year*
25 *and a half or two years we went through a couple of rounds*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of questions and multiple public meetings to discuss the
2 performance assessment and develop an analysis.

3 In April of this year, NRC published its
4 technical evaluation report documenting this review.
5 Alongside with that we submitted a Type IV letter of
6 concern. Type IV is some jargon that comes from our
7 guidance document, our draft interim guidance document,
8 NUREG-1854, and it's an early letter in the process that
9 just states that we have some concern about DOE's ability
10 to meeting the 10 CFR Part 61 performance objectives.

11 And at this point I can pass it over to
12 Christianne Ridge.

13 DR. RIDGE: Sure. And since we have people
14 on both sides of me, I was thinking I might stand up. I
15 don't want to have my back to anybody.

16 So Nishka thanked you already for having up
17 here but I want to reiterate that. You will notice, some
18 of you, that some of the information we're going to
19 present here today we presented in a public meeting on
20 May 7 but we did want to come down to the site and we're
21 very pleased to be here.

22 We thought it was important to have a
23 meeting even though it's going to reiterate a little bit
24 of what we said on May 7, we wanted to have a meeting
25 closer to the site. So that is what you're going to see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 today.

2 And just to start off, the very
3 beginning -- for our regulations that are relevant to our
4 reviews for the DOE performance assessment for the
5 Saltstone Disposal Facility, our low-level waste
6 performance objections, there are four of them.

7 I'm going to be talking today mostly about
8 this first one. Our conclusions for our review -- I'll
9 cut right to the chase -- is that we had reasonable
10 assurance that DOE was going to meet these three
11 performance objectives -- protection of individuals
12 from inadvertent intrusion, protection of individuals
13 during operations, and stability of the disposal site
14 after closure.

15 Our technical evaluation report -- I may
16 lapse and call that a TER, but that's what it is, a
17 technical evaluation report. We concluded that we had
18 reasonable assurance DOE was going to meet these three.

19 We did have some questions about the first
20 one, the first performance objective being protection of
21 the general population from releases of radioactivity.
22 And essentially what this means to us is that we
23 hypothesized that in the future there is a person living
24 a hundred meters from the Saltstone Disposal Facility.

25 Now, of course, right now that's an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *impossibility because all of that land and a much larger*
2 *buffer zone around it is owned by DOE and it's the*
3 *extensive Savannah River Site.*

4 *So when we say off site, which I'll say when*
5 *I'm describing this protection of the general*
6 *population, we hypothesized that the general population*
7 *is living 100 meters from the Saltstone, the much smaller*
8 *Saltstone Disposal Facility within the Savannah River*
9 *Site. I want to make that clear because sometimes NRC*
10 *and DOE use the term "off site" differently.*

11 *Now I'm going to talk about the basis -- I*
12 *going to talk for a few slides about the technical basis*
13 *for our review conclusions. And I'm going to talk*
14 *primarily about DOE's Case A, which they call their base*
15 *case, meaning it's their most expected case, and I'm*
16 *going to talk about an alternative sensitivity analysis*
17 *they ran called "Case K."*

18 *Essentially, the NRC technical staff had a*
19 *number of questions about the DOE base case and he did*
20 *not think it was and appropriate case to use as a*
21 *most-expected case. This is a point on which we*
22 *disagree, the NRC and the DOE disagree.*

23 *The base case, as we interpreted it, and*
24 *actually I don't think there's a lot of interpretation*
25 *here, as DOE stated -- the Saltstone doesn't fracture*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 within their 20,000-year-analysis period. So there is
2 no fracturing inside the monolith. There's some
3 degradation in the disposal vault but the saltstone
4 remains essentially intact for a 20,000-year-analysis
5 period.

6 In addition, almost all of the water is shed
7 by a drainage layer that's above the disposal units. And
8 that is true for almost the entire performance period.
9 Now, the performance period -- I mentioned a
10 20,000-year-analysis period. The performance period we
11 agree is about -- not about, is 10,000 years. DOE for
12 its internal purposes uses 1,000 years but for the
13 incidental waste evaluations that the NRC is involved in,
14 we use 10,000 years and that's because 10,000 years is
15 what NRC uses for commercial low-level waste sites.

16 Again, I said we agreed and that we agreed
17 on the performance period in the context of incidental
18 waste. DOE internally, of course, uses 1,000 years.
19 But for essentially all of this 10,000 years, almost all
20 is water and when I say almost all, for example 8,000
21 years, 99.8 percent of the water that makes it through
22 the cover is shed around the disposal units.

23 Now that result, that intermediate result,
24 relies on very good performance of the roofs of the
25 disposal facilities and very good performance from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 drainage layer itself. Probably the high hydraulic
2 conductivity of these lower layers is certainly as
3 important as the very -- I'm sorry, a low hydraulic
4 conductivity, meaning it does not let a lot of water in,
5 of these lower layers is as important as the high
6 hydraulic conductivity of the drainage layer itself.

7 So we talk about the performance of the
8 drainage layer but that, of course, relies on the
9 properties of this drainage layer as well as this
10 saltstone and its roof remaining virtually intact for
11 very long periods of time.

12 Now, these assumptions that I pointed out
13 are assumptions that the NRC has questioned. The lack
14 of fracturing is important because of water flow. It's
15 also very important because it limits saltstone
16 oxidation. And we are concerned about that because we
17 don't think there's a solid basis; we're assuming that
18 there is not so some fracturing during the 10- or 20,000
19 years after the closure of the facility.

20 We recognize that it's very difficult to
21 predict fracturing in a somewhat novel arrangement of
22 these large cementitious structures underground for
23 these very long periods of time. We recognize there
24 aren't a lot of good natural analogs and that's a
25 difficult problem but we don't think that the assumption

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *that there is no fracturing here is well supported.*

2 *In fact there is some fracturing there now.*
3 *Now, the fractures that are there now are not*
4 *through-going fractures. I mean, they don't go from the*
5 *top to the bottom. And that's very important in the*
6 *sense that right now they're not fast water pathways*
7 *going from the top to the bottom.*

8 *But any amount of fracturing provides*
9 *additional surface area for oxidation and that's not*
10 *currently in DOE's base case model. And, of course,*
11 *there's even more uncertainty once you start talking*
12 *about these very long time frames. That's one of our*
13 *main concerns about the base case.*

14 *As I mentioned, we are also concerned about*
15 *the support for the amount of shedding of water and this*
16 *last bullet point I had really is related to the first*
17 *one. The amount of oxidation, of course, is very related*
18 *to the amount of fracturing. Oxygen comes in in water;*
19 *oxygen can also come in through gaps in the soil itself*
20 *underground.*

21 *Even though it's underground, depending on*
22 *where it is, and this is unsaturated soil so the soil's*
23 *not saturated with water, there is oxygen in the soil*
24 *gases and so any fracturing here would lead to more*
25 *oxidation of the saltstone. So in a nutshell, those are*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *some of our main concerns about DOE's expected case, Case*
2 *A.*

3 *Now, we asked those questions -- we*
4 *mentioned earlier -- Nishka mentioned there were two*
5 *grounds of requests for additional information and what*
6 *that means is that we would ask DOE for more information*
7 *on certain technical topics that we felt we needed more*
8 *information on in order to be able to make a conclusion.*

9 *And we expressed these concerns about the*
10 *base case in these requests for additional information.*
11 *DOE responded by giving us what they termed a*
12 *"sensitivity case" which is called Case K. And I'll be*
13 *essentially talking about Case K for the rest of the*
14 *presentation.*

15 *Case K is really the basis for our review*
16 *conclusions. We did not feel we could really base our*
17 *conclusions on the base case, as I outlined. And so we*
18 *based our conclusions on Case K, more specifically Case*
19 *K1, which I'll talk a little bit more about that on the*
20 *following slide. It's a slight, slight change on Case*
21 *K.*

22 *But essentially Case K is very different,*
23 *in that it does hypothesize the formation of*
24 *through-going fractures. In fact, it hypothesizes one*
25 *entirely full-width through-going fracture every ten*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 centimeters by the end of 10,000 years. So they didn't
2 skimp on the fractures in Case K.

3 Oxidation, which is another thing that I
4 pointed out we were concerned about -- oxidation
5 proceeds from all of this surface area as time goes on.
6 There are additional modification in Case K that address
7 aspects of water flow, address aspects of biosphere.
8 I'm not going to go into all of those details today but
9 this Case K addressed a number of the concerns that we
10 raised in the request for additional information.

11 Other concerns were address through
12 alternate means, but Case K wrapped up a number of the
13 concerns that we had listed, and so there are these
14 additional differences, many of them related to water
15 flow which is very important to this analytical problem.

16 So I mentioned -- when I say Case K, Case
17 K is really -- Case K is Case K1 and Case K2; they're
18 nearly identical. There's one important difference
19 between these three cases, and that is the sorption
20 coefficients for technetium, meaning how well technetium
21 is held in the saltstone and in the disposal unit
22 concrete.

23 It's a parameter that tries to take account
24 of a number of chemical phenomenon, and it characterizes
25 how well technetium sticks eventually in the saltstone

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and the disposal unit concrete. The only difference
2 between these three cases is that the sorption
3 coefficients are different.

4 Of these three, the NRC staff thought that
5 the sorption coefficients that were most
6 supported -- best supported and most consistent with
7 DOE's recent research were the sorption coefficients
8 used in Case K1. So I'm going to be talking about Case
9 K1 for the duration.

10 Now, DOE characterized this case as a
11 pessimistic sensitivity analysis and has referred to it
12 variously as pessimistic or worst case or, essentially,
13 not at all what they expected to happen but they were
14 trying to bound how bad could it be if these things that
15 NRC documents about all turned out pessimistically,
16 turned out not how we wanted.

17 And we disagree with that. Certainly there
18 are aspects of case K1 that appear to be -- this is a
19 tricky word -- the aspects of Case K1 that appear to be
20 pessimistic. I don't know how much saltstone is going
21 to fracture in 10,000 years. I don't know that. I think
22 it's a very difficult technical problem to predict how
23 much saltstone is going to fracture in 10,000 years.

24 In Case K saltstone is certainly what I
25 would call thoroughly fractured. Now, I could be proved

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 wrong. DOE is going to do, they tell us, more research
2 to try to support how much fracture there's going to be
3 in 10,000 years, and I don't purport to know that and I'm
4 not saying at this point anything about definitive
5 conclusions on that because DOE is still researching
6 that.

7 But certainly, to me, it seems like they
8 didn't skimp on the fractures. I'll put it that way
9 because that's not very quotable.

10 But there are other aspects of the case that
11 I would not call overly pessimistic. For instance, the
12 radium 226 inventory and its ancestors, the inventory of
13 thorium and uranium that are its ancestors, went down
14 dramatically and this may very well be supported but it's
15 certainly not pessimistic.

16 In the base case, radium, largely because
17 of the inventory of its ancestors, is the most
18 risk-significant radionuclide in the base case analysis.
19 In Case K it's technetium. I mentioned technetium
20 because I was talking about the importance of the
21 technetium sorption coefficients. In the base case
22 analysis radium is the most risk-significant
23 radionuclide.

24 In the Case K, it's technetium. That's
25 because largely these inventories went down

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 significantly and those may be supported, and I'm not
2 saying they're not, but they're certainly not a
3 pessimistic worst case.

4 Similarly. the hydraulic conductivity of
5 saltstone that was used in Case K was in line with what
6 they're finding in recent research, is in line with what
7 DOE is finding in recent research. So I'm not putting
8 this on the slide to fault the hydraulic conductivity
9 that was used, but I certainly don't think we would call
10 that value overly pessimistic.

11 The assumptions about the technetium and
12 sorption -- now, as I mentioned we thought of the three,
13 K, K1, and K2, the values used in K1 were the best
14 supported. They may even be mildly optimistic, but
15 certainly I would not call them pessimistic.

16 The assumptions about fracture timing I
17 would say were certainly not pessimistic, and I'm going
18 to talk a little bit more about these last two so I'm not
19 going to go out on this slide. Assumptions about
20 fracture timing and assumptions about technetium
21 retention in the disposal unit floor -- so after the
22 technetium has left the saltstone waste floor, the
23 assumptions about how it's held in the disposing unit.

24 These last two I'm going to talk a little
25 bit more about both of these because they turned out to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 be very important to our review. Now, this graph -- I
2 need to point out this is two things superimposed. This
3 is a DOE graph, essentially. These dose peaks here, this
4 is a DOE graph.

5 This red line is something that we
6 superimposed on a DOE graph and I'm going to talk about
7 both of these. I talked about cases K, K1 and K2. These
8 peaks are dose peaks predicted for those three cases.
9 This is the dose peak predicted for Case K; this is the
10 dose peak predicted for Case K1; this is the dose peak
11 predicted for Case K2.

12 They all occur after 10,000 years which, as
13 I mentioned earlier, is the period of performance that
14 we are looking at. These are all due to technetium,
15 essentially. There are other smaller peaks in here that
16 are due to other radionuclides but these peaks here are
17 due to technetium.

18 Now, technetium is interesting in that when
19 it is chemically reduced, it is very immobile. We don't
20 need to dwell on exactly what it means for it to be
21 chemically reduced. I'm sorry. To some of you guys,
22 it's old hat, and to some of you it's not. But,
23 essentially, if there's a lot of oxygen around,
24 technetium moves very fast. If there's not a lot of
25 oxygen around and you've managed to chemically reduce it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and there's no oxygen around to act on it, then it moves
2 very slowly.

3 And so what does -- these peaks, the timing
4 of these peaks that are driven by is essentially how fast
5 technetium's getting oxidized because once it gets
6 oxidized, it moves very rapidly. How fast this
7 oxidation takes place and when this oxidation takes place
8 has a lot to do with when the fractures in saltstone show
9 up.

10 And this red line that I've superimposed on
11 this graph is a graph of essentially one over the fracture
12 spacing so it shows the fractures growing in and they grow
13 in in earnest -- as you can see, this is -- right down
14 here; I don't know how well you can see this but this is
15 6,000 years and this is 8,000 years.

16 They're really starting to grow in in
17 earnest around 8,000 years. This is logarithmic growth
18 so that assumption was essentially just an assumption to
19 see what would happen and that's perfectly appropriate
20 for sensitivity analyses. Sometimes you don't have a
21 good physical basis for making a prediction; you're just
22 asked to predict something that people don't know.

23 And in this case DOE pick logarithmic
24 fracture. Now that does two things. One is it makes the
25 fractures grow in very suddenly and this is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 conservative assumption, most definitely, because the
2 faster they grow in the faster technetium is going to be
3 released essentially all at once. And so that makes the
4 dose peaks higher because it grows in so rapidly.

5 Now it also means that very little
6 fracturing happens between 1- and 2,000 years, 3,000
7 years, 4,000 years -- very little fracturing is
8 happening. And the fracturing happens relatively late
9 in the performance period. This is a concern to NRC.

10 As I said, we understand that, in
11 sensitivity analysis especially, it is completely
12 appropriate to use these hypothetical arguments.
13 That's what a sensitivity analysis is for. You say we
14 don't know what will happen if the fractures grow in
15 logarithmically. What will happen if they grow in
16 linearly? What will happen if they grow in
17 quadratically?

18 Well, if it started fracturing earlier and
19 more slowly these dose peaks would most likely be lower
20 but they also may very well occur before 10,000 years,
21 10,000 becoming a very important number because, as I
22 said earlier, this is the period we're using as our period
23 of performance.

24 So essentially, because this was a
25 hypothesis, a hypothetical test, what will happen if you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *strike and throw in logarithmically? There's very*
2 *little certainly in the timing. There is enormous*
3 *uncertainty in the timing of when this fracturing*
4 *happens.*

5 *And so suddenly these fractures taking*
6 *placing at around 7,000, 8,000 years and the Tc showing*
7 *up after 10,000 years is really not that certain. We*
8 *don't know. We don't have a lot of confidence when these*
9 *dose peaks are going to occur and that's a very important*
10 *part of our conclusion that we do not have reasonable*
11 *assurance of these peaks to be predicted were going to*
12 *occur after 10,000 years.*

13 *And so I said I was going to talk about two*
14 *assumptions in more detail. We've talked about one of*
15 *them. I talked about the timing of fracturing. The*
16 *other assumption I said I was going to talk about in*
17 *detail -- there are assumption about technetium*
18 *retention in the disposal unit concrete. So technetium*
19 *leaves the saltstone and then it hits essentially the*
20 *floor, also a little bit of the walls of the disposal*
21 *unit.*

22 *And we looked at what we call intermediate*
23 *results of DOE's model. So there's the results, the*
24 *model's output concentrations at a hundred meters,*
25 *doses. There's measures like that. But you can also go*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *back into the model and look at what we call intermediate*
2 *results which are any number of things: flow rates,*
3 *concentrations at more upstream points.*

4 *So one of the things we looked at when we*
5 *looked at these intermediate results was the inventory*
6 *of technetium, the fracturing inventory, so we take the*
7 *whole inventory being one. This is just essentially the*
8 *fraction that's left in two things. The blue line is*
9 *saltstone so it's the fraction of the technetium that's*
10 *in saltstone, and then the red guideline is the fraction*
11 *of the initial technetium inventory that is in the*
12 *disposal unit.*

13 *And what this graph showing is a few*
14 *interesting things actually. One of them is that this*
15 *line where the technetium leaves saltstone so*
16 *rapidly -- that is essentially that would be leading to*
17 *a pretty high dose because the Tc is all leaving saltstone*
18 *at once.*

19 *Now, again, that is in part an artifact of*
20 *how suddenly the fracturing takes place so part of that*
21 *is certainly conservative. The suddenness of this line*
22 *relates to the suddenness of the fracturing. It's a*
23 *little bit more complicated than that but those two*
24 *things are very closely related.*

25 *The other thing this is showing is that*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 essentially all -- so this line actually comes up to .93,
2 this peak, this red peak. Essentially all of the
3 technetium that leaves the saltstone ends up sitting for
4 a little while in the disposal unit. The disposal unit
5 floor is much smaller than saltstone.

6 So what this means -- this is showing the
7 fraction of the total inventory but what this means in
8 terms of concentration is that the disposal unit is
9 becoming 13 more times concentrated in technetium than
10 the saltstone ever was. It really becomes a new source;
11 it becomes the de facto source in the transport equation.
12 And because there were different assumptions made about
13 fracturing and sorption, the technetium leave the
14 disposal unit a lot more gradually than it left the
15 saltstone.

16 So the dose usually isn't actually related
17 to this -- it's related but it's really governed entirely
18 by the steepness of this line; it's governed by the
19 steepness of this line because this is showing how fast
20 the Tc is going into the environment and that diminishes
21 the dose peak as compared to if you looked at it just
22 coming out of the saltstone itself.

23 Now the concern here is that that assumption
24 that it's becoming much more concentrated in the disposal
25 unit relies on the disposal unit not being very fractured

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 *itself and we don't think that there's a lot of support*
2 *for that assumption. The disposal unit is more exposed*
3 *to the environment than the saltstone. It's thinner.*
4 *We certainly don't know why it would be less fractured*
5 *and more able to retain the technetium than the saltstone*
6 *itself.*

7 *And so we have a lot of concerns about this*
8 *aspect of the model as well. We think it is unrealistic*
9 *that the disposal unit would become more than ten times*
10 *more concentrated in Tc than the saltstone itself ever*
11 *started out as.*

12 *So I'm just about summing up. I know I've*
13 *been talking at length. Essentially DOE predicted the*
14 *K, K1, and K2 peak doses are greater than 25 milligrams.*
15 *I didn't point out exactly what they were. They were in*
16 *the range of 50 to 90 milligrams. But the peak timing*
17 *is extremely sensitive to assumptions about fracturing.*
18 *And we don't feel that those assumptions are very well*
19 *supported at this time.*

20 *We also saw those unexpected intermediate*
21 *model results that I talked about, the reconcentration*
22 *in the disposal unit floors and we did our own sensitivity*
23 *analyses to sort of test the implications of what the*
24 *intermediate model results were doing. I'm not going to*
25 *be able to talk about those sensitivity analyses much*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 today but essentially what that comes down to is that we
2 based our conclusion on DOE's results except that we
3 think that there's so much uncertainty in the timing that
4 we didn't think we could have reasonable assurance that
5 those peaks that DOE predicted occurred after 10,000
6 years. Those are the DOE results we based our
7 conclusions on.

8 Now, in addition, we did a number of
9 sensitivity analyses that I'm not going to talk about
10 today which boiled down to kicking the tires of that
11 conclusion. We looked at a number of different
12 intermediate results and why they were happening and what
13 would happen if you made alternate assumptions. And we
14 essentially, after doing that, think that the dose peaks
15 are in that range that DOE predicted but with this
16 enormous uncertainty in the times.

17 So we expect -- these are the conclusions
18 that we had in our technical evaluation report, the peak
19 dose at a hundred meters from the Saltstone Disposal
20 Facility to be approximately 25 to 100 milligrams. The
21 uncertainty of the time certainly is important. As I
22 said, these were based on DOE K, K1 results and supported
23 by our independent analyses.

24 Now, just as important to us as these review
25 conclusions are conclusions about what we need to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 monitor. This is a list of the main areas we said we very
2 going to monitor: inventory; infiltration and erosion
3 control; hydraulic performance of the waste form;
4 physical degradation of the waste form, which relates a
5 lot to fracturing which I've dwelt upon a lot today; waste
6 form chemical performance, which relates to the
7 technetium sorption that I've also dwelt on a lot today;
8 disposal unit performance -- again, both sorption and
9 fracturing; subsurface transport; environmental
10 monitoring; radiation protection; site stability.

11 And the two that I've talked most about
12 today are these two. The others are important as well.
13 These two, I think, would probably be the two most
14 important. And with that, I will turn it back over to
15 Nishka who will try to get us back on schedule.

16 MR. DEVASER: Oh, no, no. We're actually
17 not that bad off.

18 MS. SUTTORA: Okay. Thank you.

19 MR. DEVASER: We got started a little bit
20 late. Thank you, Christianne.

21 All right. So, then --

22 (Pause.)

23 MR. DEVASER: So the following April
24 was -- following the analysis that Christianne just went
25 through of DOE -- we had a public meeting in April and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 then, what, two in May, and this is the third following
2 publication of the TER. In early June DOE provided to
3 NRC any research that had come out since between April
4 2011 and roughly April 2012 -- August 2011 and April
5 2012.

6 Following that, DOE responded to the Type
7 IV letter and the TER in two letters, one in June and one
8 in July just -- both in July -- early July and then the
9 last one last week and that's really going to be the crux
10 of the second part of this meeting.

11 We're going to have a discussion about some
12 of the research results that came in June and about both
13 letters but since we only received the second letter more
14 recently, we're going to focus more I think on the
15 first --

16 So with that, the path forward -- from the
17 analysis and the TER we're going to be updating, revising
18 the Saltstone monitoring plan. There's going to be some
19 public meetings also to come on that and that's going to
20 involve discussions with DOE and South Carolina DHEC.

21 And with that, really, I can go ahead and
22 hand it over to Sherri and --

23 VOICE: Linda.

24 MR. THOMAS: Can I ask a question?

25 MR. DEVASER: Yes. Absolutely.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. THOMAS: Timing right now, once you
2 take on the draft monitoring plan?

3 MR. DEVASER: That's a tough question. I
4 believe we're going to be -- I think in the next month
5 or two we're talking about handing the draft monitoring
6 plan to the state, South Carolina, for comment. So --

7 MR. SUBER: We're working through the
8 monitoring plans in parallel and as you know we finished
9 the F-Tank Farm monitoring plan before we're going to
10 complete the Saltstone monitoring plan. Right now we're
11 going through preliminary view in coordination with the
12 state of South Carolina because, you know, we do
13 monitoring in coordination with the affected state.

14 So currently we are coordinating with the
15 state of South Carolina on the F-Tank Farm monitoring
16 plan and after we get that done -- we're trying to make
17 the monitoring plans as similar as -- we know they're
18 different sites and we know they're different
19 applications but we're trying to make the monitoring
20 plans as similar as we can, you know, not to confuse us
21 and not to confuse DOE and not to confuse the state of
22 South Carolina.

23 So presently we are still in that
24 coordination stage and after that we'll finalize the
25 F-Tank monitoring and then we'll move on to Saltstone.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. DEVASER: Would you anticipate the same
2 type of process? As you pointed out, we just -- DOE had
3 the opportunity -- is in the opportunity of reviewing the
4 F-Tank Farm monitoring plan after the state and obviously
5 you guys have done that. So do you see the same thing
6 happening?

7 MR. SUBER: Yeah, we would like to move with
8 the same program, try to make it as consistent as we can
9 and try to get as much input and feedback as we can to
10 help make the products useful. And that's really the
11 purpose of the coordination, especially with South
12 Carolina, is to make sure that the product that we're
13 putting out is going to be a useful product, both for the
14 NRC in its monitoring goals, for the state of South
15 Carolina in coordination with the NRC, and just
16 documenting what we planned on doing at the site.

17 MS. SUTTORA: Linda Suttora again and I'm
18 from DOE Headquarters and I work primarily with the
19 Savannah River Site on a variety of environmental
20 regulatory activities and working on the 3116 NDA Section
21 3116 work probably takes a good more than half of my life
22 so I've got a lot of experience on this.

23 So as you've all heard, the Saltstone
24 Disposal Facility performance assessment was revised in
25 2007 and sent over to the NRC for their review in 2009,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 and we -- as has been mentioned in some previous
2 meetings, we have a very significant performance
3 assessment maintenance program and work continues from
4 the moment we issue it until the next time it's revised.

5 There's never an end -- we have a never
6 ending research and development program on improving our
7 knowledge of the facilities so -- you will hear mention
8 of that in a few moments. So again we started the
9 revision in 2007 and the way that we -- we are pleased
10 the way NRC was able to do their review because one of
11 the things NRC's review did do for us was confirm that
12 we do meet the DOE requirements.

13 In the past when we have a facility such as
14 this facility, we've had NRC consult even prior to the
15 Section 3116 passing in 2005. We have always requested
16 NRC's consultation, particularly high-low waste
17 facilities or facilities that will be managed as
18 low-level waste facilities because it was a good idea to
19 get a peer review, another technical organization's peer
20 review.

21 And so when NRC did review the 2009
22 performance assessment, they confirmed that we did meet
23 our own DOE requirements which are found in DOE Rule
24 435.1-1 which is safe performance objectives as NRC uses
25 in 10 CFR Part 61, plus a few more. And we have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 *compliance period in the DOE requirements of 1,000 years.*
2 *There's a slight confusion I have -- and we can talk about*
3 *this later if you wish, Christianne mentioned that NRC*
4 *when they regulate low-level waste disposal facilities,*
5 *they regulate to 10,000 years and DOE order requires to*
6 *1,000 years.*

7 *In actuality, I don't think NRC*
8 *Headquarters has any disposal facilities that they*
9 *regulate to 10,000. The agreement states that actually*
10 *do the regulation of the low-level waste*
11 *disposal -- commercial low-level waste disposal*
12 *facilities and most of those are in the 1- to 5,000 range*
13 *for period of performance.*

14 *So there's a little -- Section 3116 doesn't*
15 *specify a period of performance and it doesn't specify*
16 *that we use NRC guidance for period of performance. It*
17 *just specifies we use performance objectives in NRC, 10*
18 *CFR, Page 61, so there is a slight little bit of confusion*
19 *and difficulty over the analyses results. But, be that*
20 *as it may, we do -- both agencies do acknowledge that our*
21 *reviews have shown that we meet the performance*
22 *objectives within 1,000 years.*

23 *Mention a little bit that DOE*
24 *self-regulates our low-level waste disposal radioactive*
25 *waste management under this DOE order 435.1 and where the*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 requirements are found in the DOE Manual 435.1-1 and
2 South Carolina DHEC who are present here, and can speak
3 for themselves if they wish, regulates the Saltstone
4 Disposal Facility under a landfill permit, a special
5 landfill permit, and conducts routine monitoring as part
6 of those activities and has been for many years prior to
7 the bringing NRC into the Section 3116 activities and
8 monitoring because the Section 3116(b) monitoring
9 activities.

10 So we have many similarities with 10 CFR.
11 In fact, 10 CFR 61 came out first and when DOE Order 435
12 was in development we heavily plagiarized 10 CFR Part 61.
13 So they are very similar regulations for a reason; it
14 wasn't by accident. And, as I've already said, that
15 we've already been in regulation. So in the DOE manual,
16 435.1-1 -- our manual is divided into chapters and the
17 chapter on low-level waste management is found in Chapter
18 4.

19 In fact, the -- just as 10 CFR Part 61 is
20 undergoing some revision, so is DOE Order 435.1; however,
21 we aren't really changing many of the requirements that
22 are associated with this. It really is affecting other
23 sections primarily. But the majority of this order will
24 remain the same for this section -- just it's not going
25 to be called Chapter 4 anymore. They're revising the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 actual format of the order which is really more
2 confusing.

3 However, be that as it may, we still have
4 the same point of compliance of a 100-meter buffer zone
5 with the assumption that we could lose institutional
6 controls in the borders of the Savannah River Site and
7 other DOE sites might -- the management of those might
8 get lost over time. So we all use the same 100-meter
9 buffer zone. And, as I said before, we have the
10 1,000-year period of compliance.

11 So when DOE does a performance assessment
12 for a low-level waste facility, and we have several
13 low-level waste disposal facilities around the nation,
14 we recognize that there are many uncertainties
15 associated with modeling and projecting doses to the
16 future member of the public or to an inadvertent intruder
17 and to the environment. and so we developed several
18 cases, and a case is a whole set of assumptions that we
19 put into the model.

20 And we develop a bunch of standard cases for
21 that facility for that site and we do it very
22 site-specific because what happens in South Carolina is
23 not the same thing that happens in Idaho or Washington
24 State or Nevada. So we do consider a variety of
25 situations for each site in its own and the kind of waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *that goes there.*

2 *And then we consider -- then we do*
3 *sensitivity analyses so the plus and minus bar on either*
4 *side of those assumptions -- to try to get an idea of what*
5 *the future holds and when we get an idea of what the future*
6 *holds based on what we consider fairly conservative*
7 *assumptions we have an expected case and then we have more*
8 *conservative cases for these analyses.*

9 *It gives us a better picture of what's going*
10 *to happen in the future although, as I said, none of these*
11 *assumptions and model cases are considered predictions*
12 *of the future; they're more considered what we think*
13 *might happen possibly. I mean, there's no cut or dry*
14 *predictions.*

15 *It's just like then when you read in the*
16 *newspaper about a certain percentage of the population*
17 *will die in car wrecks. It doesn't -- you can't predict*
18 *that one person in front of you in line in the grocery*
19 *store, whether they are going to die or not in a car wreck.*
20 *So it's the same kind of predictions. We have*
21 *assumptions and we develop these*
22 *predictions -- non-predictions, assumptions.*

23 *So as we get new information, which we get*
24 *all the time, we roll that in to the model and some cases*
25 *we get vastly new information or big chunks of new*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 *information based on a research project and then we roll*
2 *that in for the next update.*

3 *And, in fact, when we're constantly doing*
4 *these updates -- we do an annual review of the*
5 *performance assessments and if, based on the newest*
6 *information we gain, it looks as though there is*
7 *something unusual going on in the disposal facility, or*
8 *could go in the disposal facility that had not been*
9 *predicted before and if that is considered a significant*
10 *difference than we thought of before, we start from*
11 *scratch and redo the performance assessment from the*
12 *ground up.*

13 *And typically a performance assessment is*
14 *seriously reviewed -- as I said, we do it on an annual*
15 *basis but also we do kind of a much more significant*
16 *review about every five years, even if we haven't found*
17 *any major changes. And then typically between every*
18 *five and ten years we redo an entire performance*
19 *assessment from the ground up.*

20 *When the performance assessment is redone*
21 *and, as I said, it's a very significant, expensive*
22 *process to do performance assessment because of the*
23 *expense of modeling and then taking the model results and*
24 *analyzing them to see the performance of the*
25 *facility -- that the new performance assessment*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *undergoes a rigorous technical review put together by a*
2 *peer review team of folks from across the complex.*

3 *So if Savannah River Site is getting their*
4 *performance assessment reviewed, then -- and they have*
5 *several for this site because we have a low-level waste*
6 *burial site; we've got Saltstone; we've got other*
7 *facilities that have performance assessments -- when*
8 *they have one we bring in DOE folks and consultants from*
9 *across the complex; we bring in academics; we bring in*
10 *national technical experts to be part of a five- or*
11 *ten-member team.*

12 *They tear apart the performance assessment,*
13 *they come to the site, they do an on-site review, and they*
14 *write a report, and if they have key findings,*
15 *significant findings, then it doesn't get approved; it*
16 *goes back to the site and they're asked to make some*
17 *modifications and that happens regularly. It's not an*
18 *unusual event for the review team to just come on site*
19 *and go, yeah -- it's actually much more unusual for them*
20 *to come on site and go, yeah, this looks great; yeah, we*
21 *recommend approval.*

22 *MS. ROSS: Never heard of that happening.*

23 *MS. SUTTORA: No, I haven't. It's*
24 *typically have to go back a little bit and do some either*
25 *additional analyses or additional reviews. And then*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 after that is done then the review team will write a
2 review report and that goes to headquarters for
3 management approval.

4 So we've got a fairly rigorous technical
5 review. For certain facilities, primarily facilities
6 that have managed high-level waste and we're doing a
7 performance assessment, we have in our requirements that
8 they must go to NRC to request a consultant's review or
9 peer review and we have been doing that since the mid
10 '90s, I believe.

11 Is there anything else?

12 VOICE: That's it.

13 MS. SUTTORA: There we go. I'm done. I'm
14 going to introduce Sherri Ross. She is the technical
15 expert on this facility.

16 MS. ROSS: Just one of many in this room.
17 Okay. Just for those who aren't familiar -- I think
18 everyone in the room is familiar with Savannah River Site
19 but Savannah River Site's about 300 square miles located
20 here between Georgia and South Carolina and the disposal
21 facility we're talking about is in Z-Area, located in the
22 center of the site which is blown up here.

23 The General Separation Area has multiple
24 low-level waste facilities and radioactive operations
25 and just to give that into perspective, a hundred meters

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 *from the facility is about six miles to the site boundary.*
2 *As Christianne pointed out before, we do have quite a bit*
3 *of buffer but we're not taking credit for that although*
4 *the Department of Energy intends to federally own this*
5 *property and manage it as an industrial area. We have*
6 *no plans to return it to the public.*

7 *Here's an aerial photo shot of Saltstone*
8 *Disposal Facility. So we have Vault 1 and Vault 4.*
9 *Operations at Saltstone began in the mid '80s, I believe.*
10 *Right? But we are designing new disposal cells. Cells*
11 *2 are planned to go into operation probably later on this*
12 *month. We are building 3 and 5. These are quite a*
13 *change in design, an improved design from the original*
14 *vaults that were used.*

15 *So the robust design change, cylindrical*
16 *150-foot-diameter, 24-foot-high cylindrical design, 2.9*
17 *million-gallon grout capacity for the saltstone. We do*
18 *blend the saltstone liquid waste with the grout.*
19 *High-quality Class III sulfate-resistant concrete was*
20 *used to design the walls in this vault. Minimum*
21 *eight-inch walls, 12-inch floor, 8-inch roof. We put an*
22 *epoxy coating on the interior of the cell to prevent from*
23 *water leeching out, which is an example that we have had*
24 *occur in Vaults 1 and 4. Interior drain water collection*
25 *system and just significant design improvements over the*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 original vaults. We did hydrostatic testing of the
2 disposal cells and they both passed.

3 PA development. As Linda talked a good bit
4 about, the new PA development started in 2007 and we built
5 upon scoping that we did between multiple agencies, the
6 Department of Energy, the Nuclear Regulatory Commission,
7 South Carolina Department of Health Environmental
8 Control, and EPA in development of the F-Tank Farm to roll
9 that into this PA development

10 We use extensive new material testing data
11 and enhanced computer modeling. This is a big change for
12 the Department of Energy. When we went from
13 deterministic -- historically, we've used predominately
14 deterministic modeling at Savannah River Site. This is
15 a hybrid model again like F-Tank Farm with the
16 deterministic and probabilistic analysis and some of the
17 terminology, I think, we're still evolving in that way.
18 Base case has been historically and in the document
19 recognized as our compliance case.

20 DOE has moved from that into the base case
21 as being like the starting analysis. It's like drawing
22 a line in the sand and you say, okay, here's a set of
23 assumptions and you run your model. It's just a
24 mathematical model based on those assumptions.

25 But we vary those assumptions, both left and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 right, to figure out which model -- what's the model
2 sensitive to? What will provide the higher results?
3 What should we be really concerned about for good support
4 for the analysis?

5 And so you come with alternate cases.
6 Probabilistically, you can run that model and vary
7 multiple parameters and you can do that very quickly.
8 It's very timely and cost effective. And so DOE is
9 basing its conclusions on all results, not just one case,
10 not the base case, not Case B, C, D, E, F, but looking
11 at all results, both deterministically and
12 probabilistically, to conclude whether we have
13 reasonable assurance or not.

14 Provided to the low-level waste disposal
15 facility federal review group, we call that LFRG. If you
16 ever hear the LFRG terminology, that's the in-depth
17 review that Linda was talking about earlier. We
18 released it to NRC and the state in public review in
19 October and formally issued it in November.

20 This is just a timeline. I'm not going to
21 go through it but it does depict the activities of it
22 ongoing for the Saltstone performance assessment review
23 process. And we did get the NRC's technical evaluation
24 report and their Type IV letter back in April.

25 And this is just another way to depict what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 *Christianne explained earlier and so if you look at Case*
2 *K analysis and the three graphs that are depicted here,*
3 *the Case K, K1 and K2, I've got drawn here the 1,000-year*
4 *compliance period and DOE order, the 10,000-year*
5 *performance period and NRC staff guidance, the*
6 *25-millirem objective that we're trying to meet, and the*
7 *dose results. And what NRC is saying, and they're*
8 *correct -- there's uncertainty in the timing, in the*
9 *managing of the peak that can occur and it may be*
10 *occurring -- it could shift earlier in time if things*
11 *like the -- depending on how the matrix cracks and how*
12 *the floor may crack so that's what they're questioning.*

13 *To put it into perspective, I've got here*
14 *identified on this graph doses, typical doses, that can*
15 *occur so the 25-millirem performance objective we're*
16 *trying to meet is down here. A hundred millirem is the*
17 *normal public dose protection standard. We try to*
18 *allow -- to have operations such that we would minimize*
19 *dose to the public to be not more that a hundred millirem.*

20 *The average background dose in South*
21 *Carolina is 320. If you consider your typical dental*
22 *cleaning and X-rays and medical exams, average dose in*
23 *the United States is around 620 millirems. Five hundred*
24 *millirem is the performance objective we try to achieve*
25 *for intruders. So you take that 100-meter boundary and*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 if you're outside the boundary we're trying to limit you
2 to 25; if you're inside the hundred meters, the
3 standard's 500 millirems and then all the way up to our
4 control limit for our workers. Any questions on that?

5 Maintenance process. We have maintenance
6 plans to address uncertainties and gaps in data. That
7 considers research -- we do research in our
8 laboratories. We try to do field studies, get field
9 samples. Environmental monitoring -- we actually do
10 test the groundwater to confirm that our predictions are
11 being -- we're not being surprised. We do reviews of
12 those maintenance plans on an annual basis to determine
13 if any change is required or we need update on our
14 performance assessment.

15 Each fiscal year we look at it. We have
16 both F-Tank Farm, H-Tank Farm and saltstone facilities.
17 We coordinate our maintenance programs to -- if we're
18 doing something associated with E-Area, is that telling
19 us something that also applies to the other facilities.

20 We have identified -- Section 8.2 of the PA
21 does describe the future work we plan for our performance
22 assessment. That has been rolled into our maintenance
23 plan and we've adjusted our performance assessment
24 maintenance plan.

25 So in 2012, in part, we've considered

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *technetium Kd sorption testing and column testing,*
2 *property testing of saltstone under varying conditions,*
3 *verification of disposal cell hydraulic and physical*
4 *properties, degradation of saltstone -- these are all*
5 *the same things Christianne's talking about that we're*
6 *performing.*

7 *One of the things -- and we're going to take*
8 *after today's public meeting NRC is coming to the site*
9 *as an on-site monitoring plan activity and we're going*
10 *to take them and show them the lysimeter program that*
11 *we've got under way. It's a ten-year program to look at*
12 *samples, radiological samples, that we're placing in the*
13 *environmental conditions similar to Saltstone and see*
14 *how it's leeching. We think we'll gain a lot of data from*
15 *that.*

16 *So DOE has a strong comprehensive program*
17 *built on the principle of continuous improvement and*
18 *reduction of uncertainty. The way we've designed this*
19 *disposal cell we incorporate lessons from our Vaults 1*
20 *and 4 activities in redesigning to provide more*
21 *protection.*

22 *Treated salt waste reduces risk from the*
23 *overall liquid waste program and this is something that's*
24 *very different, I think, between NRC's role as a monitor*
25 *in coordination with the state of South Carolina of our*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *disposal actions at Saltstone.*

2 *Department of Energy is looking at the risk*
3 *posed today from the storage of this waste prior to its*
4 *treatment and ultimate disposal, which is in a much more*
5 *mobile liquid form in our aging tanks in an F- and*
6 *H-Tank-Farm.*

7 *So we're looking at the overall risk -- the*
8 *risk today and the risk to our workers and the risk to*
9 *the public from today's activities and treating this*
10 *waste and putting it in disposal cell to move forward,*
11 *knowing that we may not have all the answers but we have*
12 *research programs in place and the ability to take*
13 *additional actions, install different barriers, if*
14 *necessary, as we learn and move forward.*

15 *As Linda mentioned, we do believe NRC's*
16 *comprehensive review validates the current and planned*
17 *future disposal actions are safe and we look forward to*
18 *closely working with NRC, and as new information becomes*
19 *available, we'll fold that into our analysis.*

20 *So Path Forward. As Nishka mentioned, DOE*
21 *submitted new information to NRC on June 13 and on July*
22 *12 that we're going to talk about further today. And we*
23 *did just submit just a week ago some additional*
24 *information in response to the TER that will be subject*
25 *to a subsequent meeting once you've had a chance to digest*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that -- quite a bit of information. And that's all I
2 have.

3 MR. DEVASER: Thank you, Sherri.

4 Any questions?

5 MS PATTERSON: I just want one
6 clarification.

7 (Pause.)

8 MS. PATTERSON: I'm thinking that the
9 disagreement between DOE and NRC is more timing, not
10 dose, because I think you both think it will be 100
11 millirem or less, but it's just whether it's 10,000 years
12 or 8,000 years or some --

13 DR. RIDGE: That is the crux of it. Now,
14 in the presentation today I did oversimplify a little
15 bit. What you said is entirely correct, but when I said
16 that we thought the doses were in the same range as what
17 DOE was predicting, when we looked at the intermediate
18 outputs and we did some of our own sensitivity analyses,
19 essentially what we think is that there are a couple of
20 things going on in the model that we disagree with that
21 are counterbalancing each other.

22 And so it's not that we subscribe to the
23 entire model because there are -- even in Case K there's
24 a couple of things going on where we think that the Tc
25 is being released too fast and some things that are making

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *it be released too slowly. And those tend to*
2 *counterbalance.*

3 *So what you said is correct. We think it*
4 *is in that range, and it's the timing that we think is*
5 *very uncertain. But that's not to say that -- it's not*
6 *to underplay the uncertainty in the magnitude. That is*
7 *what we think; that's our best guess right now but we*
8 *didn't -- we found these things going on in the model that*
9 *we disagree with and so there is uncertainty in the*
10 *magnitude as well.*

11 *We think it's below 100; that was our*
12 *conclusion in the TER, but just because we agree on that*
13 *number I don't want that to overstate the certainty in*
14 *it, because there are more specific technical things that*
15 *we've asked DOE to look into that could change the*
16 *magnitude, so there's uncertainty there as well.*

17 *MS. PATTERSON: By orders of magnitude or*
18 *just kind of noise?*

19 *DR. RIDGE: By factors of -- I wouldn't*
20 *call it noise.*

21 *VOICE: I wouldn't call it either one.*

22 *DR. RIDGE: Yeah. Somewhere between noise*
23 *and orders of magnitude?*

24 *MS. PATTERSON: I'm just trying to get --*

25 *DR. RIDGE: Factors of five, maybe?*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. PATTERSON: I understand that we've got
2 that we've got 10 CFR 61 criteria that we have to meet --

3 DR. RIDGE: Right.

4 MS. PATTERSON: -- but in a real world, 100
5 millirem, 250 millirem doesn't to me -- and I'm speaking
6 as a member of the public but as member of the public who's
7 worked on the site for 40 years, and I feel like I'm
8 perfectly healthy.

9 I've been exposed to all kinds of stuff out
10 there. I'm perfectly healthy. I'm thinking we
11 are -- if it's not orders of magnitude and, you know,
12 whether it's 8,000 years or 10,000 years that -- I
13 understand why we're doing this but, in reality, I think
14 we might be in the grass.

15 DR. RIDGE: I -- yeah.

16 MS. PATTERSON: That's just a statement.
17 I mean, you don't have to --

18 DR. RIDGE: Sure.

19 MR. DEVASER: And you know the 25 millirems
20 is part of -- I mean, it's the law.

21 MS. PATTERSON: I know. It's the law and
22 I know that it's the law but I'm -- I'm glad to hear that
23 we're going to revise 10 CFR 61, and I hope that what you
24 guys do is -- both sides, DOE and NRC -- present your
25 judgments based on this what -- based on what you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *been through here.*

2 *DR. RIDGE: Uh-huh.*

3 *MR. DEVASER: Thank you.*

4 *Any other comments or questions?*

5 *THE OPERATOR: Do you want to see if there's*
6 *anyone on the phone?*

7 *MR. DEVASER: Has anyone joined us on the*
8 *phone?*

9 *THE OPERATOR: Yes. We do have a couple of*
10 *participants and if you'd like to ask them questions,*
11 *please press STAR 1.*

12 *MR. DEVASER: Okay. Yes. Could we have*
13 *the names of the people on the phone?*

14 *THE OPERATOR: Yes, let me open their*
15 *lines.*

16 *MR. DEVASER: Okay. Thank you.*

17 *THE OPERATOR: Your line is open.*

18 *MS. LONDON: Yes. This is Lisa London from*
19 *NRC.*

20 *MR. DEVASER: Hi, Lisa.*

21 *And who else is there?*

22 *(No response.)*

23 *MR. DEVASER: Okay.*

24 *(Pause.)*

25 *MR. DEVASER: Okay. Well, we're a little*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 *early on getting started for the rest so we could take*
2 *a -- let's do that. Let's take a 15-minute break,*
3 *roughly 15 minutes, and come back at 2:30, if everyone's*
4 *okay with that.*

5 *Thank you, everybody.*

6 *(Off the record.)*

7 *MR. DEVASER: We're going to get started*
8 *back here, and Kent Rosenberger is going to open up with*
9 *a presentation.*

10 *The agenda says that we're going to have a*
11 *portion of the presentation and a portion of questions,*
12 *but we all feel like that it would be a little bit more*
13 *efficient to just have questions from NRC to DOE or the*
14 *other way around just occur throughout the presentation*
15 *with the public participants' questions occurring at the*
16 *end of the presentation. It looks like he may have left.*

17 *Okay. Well, I'll turn it over to Kent.*

18 *MR. ROSENBERGER: Okay. Thank you.*

19 *What I wanted to do today is, as we've talked*
20 *about in the previous two presentations, is specifically*
21 *go through the technical documents in the two*
22 *transmittals that we've referenced, the one that we've*
23 *issued since the April 2012 NRC's technical evaluation*
24 *report.*

25 *Specifically we want to talk about the June*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 13 transmittal and the July 12 transmittal, and as we
2 said, there was a transmittal on July 26, but we're not
3 going to be talking about that in detail today. So we
4 want to talk about the first two transmittals.

5 So what I'd like to do is kind of step
6 through each one of the -- I'm going to give a brief
7 discussion of each of these technical documents that were
8 supplied as part of the transmittals.

9 The purpose today is not to go through each
10 one of them in detail but to provide a brief overview of
11 some of the key information that we're seeing from those
12 reports and then I hope that sparks some -- you know, if
13 you have any questions we can try to answer those today.
14 And if not -- if there's questions that may take work
15 outside of here, then we can take those down and get back
16 to you with those responses.

17 So the first one is the June 13, 2012,
18 transmittal. There were six documents supplied as part
19 of that transmittal, so I'm just going to kick it right
20 off and talk about the first one, which is the technical
21 document that describes the updated Saltstone Disposal
22 Facility stochastic model using GoldSim, the updated
23 model, and NRC has gotten that model and I'm assuming that
24 it is working now. Is that correct?

25 We had a little technical difficulties

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 *there.*

2 *VOICE: We got that going.*

3 *MR. ROSENBERGER: Got that going.*
4 *Excellent. So you do have the new model. So it is -- as*
5 *you probably have realized as you've gone through the*
6 *model, it is really a complete revision of the model*
7 *structure, including some things like looping functions*
8 *for the future disposal cells.*

9 *We did eliminate all of the benchmarking*
10 *factors that were in there that were the cause of some*
11 *question in the original model, incorporation of height*
12 *pathways in the saturated zone.*

13 *Another thing that we did in this model*
14 *update is an explicit definition of disposal unit*
15 *inventories and one of the reasons for that is so that*
16 *as we can use this model going forward rather than having*
17 *a single inventory for disposal units is that we can now*
18 *bury the inventories for disposal units so that we can*
19 *use this model that we've developed as we evaluate*
20 *additional information.*

21 *And also as we go through and start disposal*
22 *operation into the new cylindrical units, we can evaluate*
23 *the impacts of that on a unit-by-unit basis. And then*
24 *we performed benchmarking of the new model versus the PA*
25 *Case A and Case K.*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *So, just very briefly, I want to throw up*
2 *some of the information that's in the technical document*
3 *associated with some of the benchmarking results for the*
4 *stochastic model, and I should point out we're on a*
5 *deterministic mode. That's a probabilistic model but we*
6 *run these in deterministic mode so that we can provide*
7 *direct comparison to the PORFLOW deterministic results.*

8 *So the analyses that we've done within the*
9 *PA I've presented for Case A for Vault 4, the radium 226*
10 *comparisons, the flux to the water table and to the*
11 *saturated zone for radium 226 and Tc 99 from the results*
12 *we've seen that those are some of the more important*
13 *radionuclides for Vault 4 and for the future disposal*
14 *cells, the technetium 99 and the iodine 129.*

15 *So, again, as you can see, GoldSim and*
16 *PORFLOW are certainly different modeling codes with*
17 *different assumptions and transport parameters but, as*
18 *you can see, they actually -- the benchmarking is shown*
19 *with the new model update. We do get very reasonable*
20 *comparison between the fluxes.*

21 *MS. PINKSTON: So the radium inventory*
22 *that's in this is still the original Case A inventory?*

23 *MR. ROSENBERGER: That's correct.*

24 *MS. PINKSTON: Okay.*

25 *MR. DEVASER: If I just interrupt one -- if*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you have a question, open up with your name first and then
2 ask the question, if you don't mind. I should have
3 mentioned that before. Sorry.

4 MS. PINKSTON: Okay.

5 MR. ALEXANDER: This is George Alexander.
6 The intermediate peaks in the Tc 99 in the PORFLOW model,
7 is that due to the time-stepping? Is that why we're
8 seeing those there?

9 MR. ROSENBERGER: Right. The
10 time-stepping in the base case has the explicit shrinking
11 core model, so as the various modeled volumes change --
12 So if there's no other questions on that,
13 I'll move on then.

14 Also, for Case A, this provides a comparison
15 between the PORFLOW and the GoldSim-calculated 100-meter
16 dose results. We talk about these and other,
17 especially -- the sensitivity case that we're going to
18 talk about as part of another transmittal is that in
19 general for Case A the PORFLOW model tracks very well to
20 the time performance over time of the doses, and you can
21 see that the GoldSim model provides results that are
22 slightly higher than the PORFLOW. And, again, that's
23 just the model comparisons there.

24 For Case K, the benchmarking, again, for
25 Vault 4 with the radium and the technetium, and for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 *future disposal cell, the technetium and the iodine,*
2 *provides information about the benchmarking in the*
3 *saturated zone.*

4 *Any questions on those? I'll give a little*
5 *pause at each one. If there's any questions, just let*
6 *me know.*

7 *And, then, for Case K, benchmarking is the*
8 *comparison between the PORFLOW and the GoldSim*
9 *calculated 100-meter dose results. So again there are*
10 *slight differences because of the modeling but, in*
11 *general, provides very reasonable agreement between the*
12 *two models.*

13 *All right. I'll move on. The next*
14 *document that was included in the transmittal*
15 *was -- again, the first transmittal was just describing*
16 *the model development and the benchmarking of that model.*
17 *The next document was actually perform sensitivity and*
18 *uncertainty runs using the model for Case K and Case A.*

19 *And so we used that using the updated*
20 *stochastic model. We did revise some of the stochastic*
21 *elements due to the model changes and they're provided*
22 *in detail in the technical document. I really wasn't*
23 *planning to go into any detail on those but they are all*
24 *laid out within the document. Question on*
25 *that?*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 (No response.)

2 MR. ROSENBERGER: So when we ran the model
3 for the Case A, this provides some of the uncertainty
4 analysis results there for the stochastic or the results
5 associated with that for Sector B which is dominated by
6 Vault 4 which is in the base case -- within the 10,000
7 years is what drives at the peak doses.

8 And so this provides the information that
9 show you specifically within 10,000 years that even the
10 greatest result only provides a dose slightly over ten
11 millirem from the new model.

12 Okay?

13 (No response.)

14 MR. ROSENBERGER: Not sure if this means
15 you haven't had enough time to absorb the transmittals
16 or --

17 DR. RIDGE: Well, I think we have a couple
18 of comments. I haven't had specific questions on these
19 slides and I was actually looking through your slides
20 trying to gauge the best time to interrupt and jump in.

21 MR. ROSENBERGER: Okay.

22 DR. RIDGE: And I don't know if that's now,
23 but I --

24 MR. ROSENBERGER: Whenever you think is the
25 best time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 DR. RIDGE: I think actually if
2 you -- we'll let you go the next slide. I might want to
3 start on 12.

4 MR. ROSENBERGER: Okay. Case K? Oh, I'm
5 sorry. Right here. Sensitivity analysis? Okay.

6 Some of the results that we saw from the
7 sensitivity analysis for Case A is that we saw some
8 similar sensitive parameters to what we saw within the
9 PA, which again was the saturated zone thickness.
10 That's some of the vegetable pathway factors and the fish
11 ingestion pathway factors.

12 And then, due to the revisions to the model,
13 the Kd value for iodine is no longer showing up as a
14 sensitive parameter. Is that --

15 DR. RIDGE: Yeah. So if we take the first
16 bullet on this slide, I guess I want to say, overall, a
17 couple of things first, and one is thank you for helping
18 us get things running with those extra files we needed.
19 Everything's running now, so that's good.

20 We have had a chance to start looking at the
21 model and looking at various intermediate results and
22 that's been very helpful. Essentially we understand
23 that this was a model that was essentially complete or
24 complete before you received our TER.

25 So as you outline in the document that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 describes the model, the model is responsive to a number
2 of the concerns we raised in the RAIs and we've looked
3 at some of that and I think so far a number of those do
4 seem to be improvements. A number of ways in which it
5 was responsive to the RAIs were improvements.

6 But we understand this was something that
7 was done before you got our TER. What that means, in
8 part, is that it obviously couldn't respond to a couple
9 of the major concerns we raised in the TER.

10 MR. ROSENBERGER: Right.

11 DR. RIDGE: And I would highlight those
12 as -- assumptions about fracturing, assumptions about
13 the retention in the disposal unit concrete, and the use
14 of the average Kd model, I think, were things we
15 emphasized in the TER and the intermediate model results
16 we've looked at so far, unsurprisingly, since you hadn't
17 gotten our TER when you did this show the same kind of
18 behaviors.

19 So one thing we have had an opportunity to
20 do is to go in and pull out -- and I need to credit Karen
21 with this because when I say "we" did this work, what I
22 mean is Karen did this work.

23 MR. ROSENBERGER: Let me be clear. When I
24 talk about the model being updated, it isn't me. It's
25 Barry --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. RIDGE: Okay.

2 MR. ROSENBERGER: -- with Richard's help.

3 DR. RIDGE: Yeah. So we have looked at the
4 same phenomenon of the retention and the disposal unit
5 concrete and the model is doing the same thing as it was.
6 Until -- something that we talked about in the TER is that
7 we think the use of the average Kd model is probably
8 overinflating your result but that this holding it up in
9 the disposal unit and then slowly re-releasing it is then
10 diminishing the peak. And since one of those sort of
11 moves it in one direction and -- one of those moves the
12 peak up and one of those moves the peak down, it's hard
13 to say overall if the peak is too high or too low.

14 And, Karen, to go back to your question that
15 you had earlier, those could be significant changes. We
16 think they're averaging themselves out and I talked about
17 there being some uncertainty in the final dose number,
18 but -- and I think that those two phenomenon probably
19 both are evening it out and maybe limiting -- sort of
20 canceling each other out.

21 But either one of those by itself is
22 changing things by orders of magnitude as far as we
23 understand, and so we have looked at this model, and we
24 appreciate a lot of the work that's been done, and it was
25 responsive to the RAIs, but until we get straightened out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *this retention in the disposal unit concrete and that the*
2 *average Kd model, it's very hard for us to interpret the*
3 *results. It's very hard for us to know and I guess that's*
4 *all I need to say.*

5 *More specifically, on this slide, the*
6 *reason I wanted to start here is that when you talk about*
7 *the sensitivity analysis pulling out the saturated zone*
8 *thickness, the vegetable pathway factors and the fish*
9 *ingestion, again, one of the things we emphasized in the*
10 *TER is that these are certainly interesting results but*
11 *always, when there's a bullet like this, need to remember*
12 *that that is if none of the uncertainty in the flow*
13 *parameters is included in the analysis because --*

14 *And I guess since this is a public meeting,*
15 *I feel compelled -- I know you understand that but since*
16 *this is a public meeting I feel compelled to say that,*
17 *that this uncertainty analysis only operates on*
18 *parameters essentially after the flow has already been*
19 *computed because the model, even in the revised version,*
20 *still uses the deterministic PORFLOW as input.*

21 *So I think that those are interesting*
22 *results but, of course, I think the flow parameters may*
23 *be driving it, and so I would hate to dwell on saturated*
24 *zone thickness and vegetable pathway too much. Maybe*
25 *those are parameters 3 and 4, after hydraulic*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *conductivity or some cover parameters.*

2 *And certainly I'm not doubting that those*
3 *were the most important parameters that came out of the*
4 *part of the situation that was looked at*
5 *probabilistically but we always have to remember that the*
6 *flow which may be driving the whole, not the whole but*
7 *certainly sorption is important, but the flow is driving*
8 *a lot of the uncertainty. I always want to pencil that*
9 *in.*

10 *MR. ROSENBERGER: I understand.*

11 *MS. ROSS: But we did vary the flow with the*
12 *various cases in GoldSim.*

13 *DR. RIDGE: True.*

14 *MS. ROSS: I mean, Case A, Case B. All*
15 *those --*

16 *DR. RIDGE: So how does this -- when you say*
17 *that the saturated zone thickness was your most sensitive*
18 *parameter, in what sense --*

19 *MR. ROSENBERGER: I mean, again, some of*
20 *this --*

21 *DR. RIDGE: That's for Case A?*

22 *MR. ROSENBERGER: That is for Case A.*

23 *DR. RIDGE: Right.*

24 *MR. ROSENBERGER: That is correct. These*
25 *are sensitivity runs run for those specific cases which*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 were a specific set of flow conditions.

2 DR. RIDGE: Right. Okay. So that's if
3 the flow is fixed --

4 MR. ROSENBERGER: That is correct.

5 DR. RIDGE: -- and not uncertain --

6 MR. ROSENBERGER: That is correct.

7 DR. RIDGE: -- then these are the most
8 uncertain.

9 MR. ROSENBERGER: Right.

10 VOICE: That's right. I forgot. This one
11 only is Case A and Case K.

12 DR. RIDGE: Yeah.

13 MR. ROSENBERGER: That's correct. But you
14 are correct they are the individual cases so they have
15 a fixed-flow profile that is provided through PORFLOW
16 results. Okay?

17 MS. PINKSTON: Do you have any -- this is
18 Karen Pinkston. Do you have any sense of the
19 fish-ingestion pathway -- is that due to conservative
20 assumptions or do you expect that that's realistic?

21 MR. ROSENBERGER: I'll throw that out to --

22 VOICE: I don't have any details --

23 MR. ROSENBERGER: Yeah. And you know that
24 the one -- I believe the main radionuclide that that was
25 impacted by was the cesium-135, if I remember correctly.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *Is that correct?*

2 *VOICE: Well, for Case A, I think it was*
3 *probably still the radium.*

4 *MR. ROSENBERGER: Still the radium, yeah.*

5 *VOICE: Only in Case K would that change.*

6 *MR. ROSENBERGER: That changed when we*
7 *changed the radium and then --*

8 *VOICE: Well, because also in Case K, we*
9 *changed some of the Kd values.*

10 *MR. ROSENBERGER: So it's not one of the*
11 *higher sensitive parameters, but it does show up on the*
12 *list, so it's certainly something that we can take a look*
13 *at as we're refining all of our uptakes and things like*
14 *that, some of those factors.*

15 *MR. SHEPPARD: Kent, this is Richard*
16 *Sheppard. I think what really brought that into play*
17 *more, too, is we didn't revise the dose pathway models*
18 *based on RAI responses and -- you know, B1, B2, B3, those*
19 *RAIs, and when we changed the buildup factor in soil, I*
20 *think that was the major impact on that but --*

21 *MR. ROSENBERGER: You had asked before*
22 *about inventories, et cetera. This Case A is exactly*
23 *like the PA Case A, so there were no changes to the dose*
24 *models from any of the biosphere RAIs, from the RAI*
25 *responses. It doesn't incorporate anything from that*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 aspect. Okay?

2 Then Case K, again, saturated zone
3 thickness is one that we should expect that would always
4 show up, because that is a direct dilution or
5 concentration to the calculated concentrations in the
6 aquifer, so it still shows up. It's a sensitive
7 parameter.

8 As we said -- Richard had mentioned and
9 Karen had mentioned that in Case K we changed the -- we
10 did make a revision to the inventory. We're going to
11 talk about inventory a little bit in another technical
12 discussion today about inventory.

13 But we did change the inventory for Case K
14 and some of the Kds, and so therefore the parameters
15 associated with radium 226 go away because -- mainly
16 because of those inventory changes. It's not as
17 significant of a radionuclide to dose. And the
18 inventory and pore volume parameters for iodine 129 show
19 up as sensitive parameters for Case K.

20 MS. PINKSTON: Is this list of sensitive
21 items -- is this within what time period?

22 MR. ROSENBERGER: I believe it's within the
23 10,000-year time period.

24 MS. PINKSTON: It's within 10,000 years.
25 Okay.

MR. THOMAS: Kent, since you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mentioned it before, why don't you speak to why the radium
2 226 is --

3 MR. ROSENBERGER: Yeah. And again we'll
4 talk a little bit about this when we talk about some of
5 the inventory reductions, but in the PA base case, the
6 starting inventory, we had assumed that the radium 226
7 ingrowth and conservative assumptions about some of the
8 ancestors associated with that -- primarily the uranium
9 234 and thorium 230 being very high values.

10 And so therefore we allowed them to reach
11 equilibrium at time zero, which takes a very long time.
12 Even at 10,000 years it's only a fraction of the total
13 ingrowth but for -- and these are some of the lessons
14 learned when we're doing our PAs, is that we made
15 a -- that one was a pessimistic assumption.

16 I feel very strongly about that that was a
17 very pessimistic assumption about the radium inventory,
18 and when we did that radium showed up as the key
19 radionuclide, and that caused us a lot of discussion
20 about radium and what do we know about it. And so one
21 of the things that we looked as for Case K and also when
22 we did the inventory recalculations is to take a look at
23 what's a more realistic value.

24 We're going to talk about that when we talk
25 about the inventory recalculation, and specifically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we're going to show some more of the tables in tomorrow's
2 monitoring visit which was also part of the one technical
3 transmittal. I just didn't happen to provide that table
4 in today's slides.

5 To respond to one of your comments about
6 whether the inventory was really conservative in Case K,
7 or pessimistic, I should say, or not is -- I think you're
8 going to see is that mainly for the uranium and the
9 thorium. We believe that it is.

10 DR. RIDGE: Okay.

11 MR. THOMAS: To re-emphasize -- this is
12 Steve Thomas -- that we did assume that it was an
13 equilibrium with the parents --

14 DR. RIDGE: Right.

15 MR. ROSENBERGER: Correct. For the PA.

16 MR. THOMAS: -- at time zero.

17 DR. RIDGE: In Case A, you did, and then in
18 Case K it was revised down.

19 MR. ROSENBERGER: Correct.

20 DR. RIDGE: And I hope -- now that we're
21 having this conversation, I think I may need to rework
22 that slide a little, but I did not mean to indicate in
23 those slides that those were all the things that we
24 currently had concerns about, just that they weren't
25 necessarily overly pessimistic worst case, that they may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *be more what we would call realistic or something like*
2 *that.*

3 *MR. ROSENBERGER: I understand. Okay.*

4 *Well, inventory methodology. So we'll*
5 *roll into the inventory methodology technical document*
6 *that we have prepared.*

7 *MS. ROSS: Well, can we --*

8 *MR. ROSENBERGER: Sure.*

9 *MS. ROSS: I'd like to ask just in general,*
10 *with the revision of the GoldSim model, the NRC's*
11 *expressed some quality assurance concerns with the*
12 *benchmarking factors that were previously used, and*
13 *looking for your feedback on the overall revision of the*
14 *model we were trying to incorporate, it is pre-TER.*

15 *DR. RIDGE: Right.*

16 *MS. ROSS: But with revision of the model*
17 *you run the multiple cases that provide a much better*
18 *probabilistic-type analysis of the variability of the*
19 *system performance. I mean, that's really what we're*
20 *after. With using the probabilistic we were hoping that*
21 *would address a lot of your concerns previously expressed*
22 *with the GoldSim model.*

23 *DR. RIDGE: I'm sorry. I don't think I*
24 *understand what you meant about running the multiple*
25 *cases. I know in the original version that you had*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 assigned probabilities to each of the cases and you're
2 no longer doing that part.

3 MS. ROSS: And I understand. This one
4 didn't do that. This was A and K.

5 DR. RIDGE: Right. Yeah.

6 MS. ROSS: But we did revise the interim
7 model so now the model is hopefully a better product for
8 using with -- in the future.

9 DR. RIDGE: And I think --

10 MS. ROSS: I'm hoping that would address --

11 DR. RIDGE: -- I think it is.

12 MS. ROSS: -- a lot of the concerns that the
13 NRC raised.

14 DR. RIDGE: I think it is a better product
15 and, again, it's something we're still looking at.

16 MS. ROSS: Oh, I understand. Those aren't
17 addressed yet.

18 DR. RIDGE: Yeah. And there's no fault
19 there. You finished this before you even got our TER,
20 so we understand that, but just in a very practical sense,
21 going forward, I think that, you know, we are seeing some
22 improvements in the model and, again, as I said, we're
23 still looking at it, but --

24 MR. ROSENBERGER: I mean, from my
25 perspective, you know, we'd love to get feedback on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 *new model as you have a chance to go through it, because,*
2 *you know, if we decide to incorporate some of these*
3 *different flow regimes, et cetera, into that, we'd be*
4 *using this as the base to build upon.*

5 *DR. RIDGE: Right.*

6 *MR. ROSENBERGER: So, you know, any issues*
7 *you see with the base product, you know --*

8 *DR. RIDGE: I think that's the most*
9 *important thing we can convey at this -- you know, the*
10 *most important thing we can convey about the model at this*
11 *time is that it has such a large effect, these couple of*
12 *things we're talking about: how the sorption's handled*
13 *in the floor and, you know, this retention that we're*
14 *seeing in the floor, and the average Kd model both have*
15 *such a significant effect on the dose that it's just very*
16 *hard to interpret the results.*

17 *You know, the other improvements are there,*
18 *you know, that we've seen that there are other*
19 *improvements there, and I don't want to downplay that,*
20 *but these other things aren't in the noise, as we were*
21 *talking about earlier. These other two phenomena really*
22 *have an effect on the dose.*

23 *And we have had time, as I said, to go in*
24 *and look at where the Tc is reconcentrating, and it does*
25 *do the same thing. We've in fact also had an opportunity*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to go in and say, *What happens if you get less sorption*
2 *in the floor?*

3 *And, you know, predictively the dose goes*
4 *up, so it's just a matter of coming to an agreement on*
5 *those, but unfortunately they have such effect that it's*
6 *hard to work around that.*

7 *MR. THOMAS: Not to belabor it -- this is*
8 *Steve Thomas. In your TER I think what Sherri's getting*
9 *to, you actually had some fairly strong statements -- I*
10 *don't want to paraphrase, but you basically dismissed the*
11 *GoldSim model because of quality assurance issues, I*
12 *think is the terminology used.*

13 *And I think that's what we're looking at*

14 *DR. RIDGE: Yeah.*

15 *MR. THOMAS: We recognize that the current*
16 *model reflects what PORFLOW reflects as far as the*
17 *behavior.*

18 *DR. RIDGE: Right.*

19 *MR. THOMAS: And we recognize the questions*
20 *relative to that. We're trying to address --*

21 *DR. RIDGE: Okay. I'm sorry. I may not*
22 *have understood your question.*

23 *MR. THOMAS: -- that specific comment that*
24 *you made -- NRC made --*

25 *MS. ROSS: Let me back up and restate a*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 *little bit differently. I agree with you; I understand*
2 *what you're saying --*

3 *DR. RIDGE: Okay. I'm sorry if I'm*
4 *belaboring something that's already understood. I just*
5 *didn't understand your question then.*

6 *MS. ROSS: That's okay. I guess I see a*
7 *major fundamental difference here in how DOE's looking*
8 *at results and how NRC looked at the results to draw its*
9 *conclusions, because we're looking at all cases, both*
10 *deterministic and probabilistic, and it appears, as*
11 *you've explained, that basically you've thrown out all*
12 *results except for Case K and predominantly Case K1.*

13 *And in Case K1 there's really errors -- I*
14 *mean, there's really things you'd also like to see in Case*
15 *K1: the floor and the average Kd value and --*

16 *DR. RIDGE: I understand a little better*
17 *now.*

18 *MS. ROSS: -- what I'm sort of trying to*
19 *figure out is are we headed in the right direction to get*
20 *back to looking at all results?*

21 *DR. RIDGE: Right.*

22 *MS. ROSS: I mean, not that it's there yet,*
23 *but are we moving toward -- because that seems to be a*
24 *pretty big fundamental difference between --*

25 *DR. RIDGE: Yeah. That's not a*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 *philosophical difference. I mean, we didn't set out to*
2 *say, Okay, DOE gave us a number of cases, and we're going*
3 *to pick one and focus only on that one.*

4 *MS. ROSS: Right.*

5 *DR. RIDGE: That's not what happened. We,*
6 *I think, are in alignment philosophically that you*
7 *present a base case; you present alternate cases, and you*
8 *consider all of that information. You consider the*
9 *probabilistic information as well.*

10 *That wasn't, you know, a policy difference*
11 *or a process difference. I think we are in agreement*
12 *on -- that that's how it should be.*

13 *We didn't really weigh the base case for the*
14 *reasons that I discussed earlier, and a lot of the*
15 *alternate cases shared those particular concerns about*
16 *some that I didn't get to go through today but we go*
17 *through in the TER.*

18 *That's why we focused so much on the one*
19 *case, is that we --*

20 *MS. ROSS: Right.*

21 *DR. RIDGE: -- had concerns about the other*
22 *things.*

23 *Now, as far as the specific quality*
24 *assurance concerns that we had, I guess I would say we*
25 *just -- we haven't had the model for that long. I think*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 there were some that we saw resolved, and Karen can
2 probably speak to it better than I could. But I think
3 some of those we did see resolved.

4 MS. PINKSTON: Yeah. The ones I had noted
5 in the TER I went through, and those pretty much weren't
6 there anymore, so I haven't found any of the lower-level
7 quality assurance issues in the new model.

8 DR. RIDGE: Good.

9 MS. PINKSTON: So I think the points that
10 Christianne raised earlier about doing a sensitivity
11 analysis where the flows are hard-wired -- it's limited,
12 and you kind of always need the caveat of, given that the
13 flow is X, these are the things that are sensitive and
14 know that if the flow isn't X, it's going to be very
15 different.

16 And then the other issue Christianne noted
17 about the floor.

18 MS. ROSS: Okay. Good.

19 MR. HAUER: This is Kim Hauer. You guys
20 might know this, but while we're talking about the
21 modeling here in terms of how we execute our work, we have
22 one in-house that we can do, one that we will get SRNL
23 to run that takes more time and ties up -- so if we get
24 to the point where all of us are comfortable that we can
25 use one to kind of predict the other, we'll be able to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 very quickly kind of do some things and say, Okay, this
2 is the one we want to drill down on.

3 DR. RIDGE: Right.

4 MR. HAUER: That's why we're interested in
5 making sure that we're all comfortable on how they're
6 converging.

7 DR. RIDGE: Right. I appreciate that.

8 MR. ROSENBERGER: We'll move to the next
9 document, which is the inventory methodology. I'd just
10 point out that conservatisms in the inventory
11 calculations have been a subject of discussion in several
12 of the monitoring interactions and meetings that we've
13 had, especially related to certain key radionuclides.

14 I know iodine 129 was one that we had had
15 a lot of discussions on, and this talked about the
16 conservative methods that we had, especially with our
17 material balance calculations that we had within the
18 facilities, of why we believed that the previous
19 inventory's estimations for disposal operations weren't
20 conservative. So we had done is develop the methodology
21 for inventory calculations. What we did was --

22 VOICE: I was just wondering, if there's
23 any way to get some light in here without all the light.
24 Maybe open the blinds? It seems to have gotten so dark.

25 MR. ROSENBERGER: I look better in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *dark.*

2 *(General laughter.)*

3 *MR. ROSENBERGER: Okay. As I said, we had*
4 *recognized the conservative nature of some of the*
5 *inventory estimations from some of the disposal*
6 *operations that we had discussed in the past, so we*
7 *developed a methodology for inventory calculations. We*
8 *took input from all the impacted SRR groups, from the*
9 *operations people to facility engineering, to try to*
10 *remove some of those conservatisms that we had in the*
11 *previous methods.*

12 *And let me just start by saying, I'm going*
13 *to show a flow sheet that was included within that*
14 *technical document, but the basis for all estimates*
15 *is -- the first starting point is from the actual Tank*
16 *50 salt solution samples that we take out of Tank 50. So*
17 *I kind of make an offhanded comment that Tank 50 samples*
18 *always win. So in the past we had done some material*
19 *balance calculations where we took those concentrations,*
20 *and we re-baselined them every quarter.*

21 *Every three months we'd take samples out of*
22 *Tank 50 and do a very detailed, analytical analysis of*
23 *that material, but if we have a Tank 50 detection, that*
24 *always is going to win in this methodology. And so I*
25 *don't want to belabor this flow sheet, and I know it's*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 *difficult for people who haven't seen or been involved*
2 *in some of these monitoring discussions before, but,*
3 *again, everything starts with the Tank 50 data over here*
4 *from the Tank 50 data reports that, again, are taken every*
5 *three months.*

6 *And then it's stepping through whether or*
7 *not we have a detection. If it's a detectable -- above*
8 *the detection limits, then that is the number used,*
9 *period, for what we use for disposal estimates. And then*
10 *as you go through that, then we look at various special*
11 *methods, and I just throw a -- you know, fission yields,*
12 *as it relates to ratios to something that is very easily*
13 *detected, like cesium-137, et cetera, so we took a look*
14 *through that.*

15 *We went all the way back to all the available*
16 *sample analysis reports, all the way back to when we*
17 *started disposal operations in Saltstone in 1990, and so*
18 *went back and, again, started from there, and then*
19 *reconstructed from that point on for all rads that we*
20 *currently track.*

21 *And so I'll point out some of the other*
22 *things that were done that -- from some of those early*
23 *disposal operations was now we can say what was disposed*
24 *of in a certain period between Tank 50 samples, and now*
25 *we take into account decay from the point of disposal.*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *In some of the more recent -- in the previous method,*
2 *decay was only accounted for essentially from the 2006*
3 *time period on, so any decay that might have happened,*
4 *especially for things like strontium and cesium that had*
5 *happened in that previous 15 years of disposal were not*
6 *taken into account. Now all that's taken into account,*
7 *so that's another difference.*

8 *And this just provides -- I just threw*
9 *out -- if you look in the report, it goes through each*
10 *one of the radionuclides that we evaluate and keep track*
11 *of, and shows you all of the available data that we have*
12 *for each rad over time from the first disposal operations*
13 *in 1990, and provides a key -- you don't see it on here,*
14 *but the black squares are actual detections, and then*
15 *reds and greens or open dots mean something different*
16 *about what method we are using, whether it be a detection*
17 *or a detection limit, et cetera. So that's all detailed*
18 *in the report.*

19 *The only thing -- I threw up some of these*
20 *so that -- you know, as a point of reference. When you*
21 *look at some of our previous disposal operations with*
22 *very low level material, and then what was nice to me*
23 *about some of this data that can help is that if you*
24 *overlay it with our processing operations, disposal*
25 *operations in Saltstone, you can see when we started to*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 put in to Tank 50 some of the DDA material, the
2 deliquification, dissolution and adjustment material,
3 which we knew had higher cesium concentrations, so you
4 can see where we hit that.

5 And then you can see as we were taking
6 material out of Tank 50 and processing it in Saltstone
7 and now are putting in salt solution from the ARP/MCU
8 process which has much lower cesium concentrations. You
9 can see that concentration steadily trend down, as you'd
10 expect. So it also -- being able to see this data in this
11 fashion, I thought, was very useful to us and hopefully
12 to others as they look at that.

13 DR. RIDGE: Kent, this is Christianne
14 Ridge.

15 MR. ROSENBERGER: Yes.

16 DR. RIDGE: Is there -- just looking at
17 this, you pointed out that the black squares are actual
18 measurements, and everything else that's colored or an
19 open box is something else. Is there any significance
20 to those other things that aren't actual measurements
21 essentially all being lower than most of the actual
22 measurements? I mean, is that because they were just
23 samples with not much in them, and they ended up being
24 at the detection limit or something to that effect?

25 MR. ROSENBERGER: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. RIDGE: Okay.

2 MR. ROSENBERGER: And something like, for
3 instance, plutonium-238, back in that time period, they
4 didn't even measure for it at that point, so that is
5 another methodology. You can see that we -- on some of
6 these, we really did make assumptions about what the
7 concentration was, based on similar -- you know, if we
8 were running similar material through Tank 50 at that
9 time, when the first sample was taken, so we tried to
10 pick, you know, a reasonable number, but we would tend
11 to err sometimes on the error of a little bit of
12 pessimism.

13 So we would have expected in these first
14 couple of samples that the salt solution was all very
15 similar. We just picked -- you know, had to make an
16 assumption, so that's all discussed in the documents, so
17 if you haven't had a chance to read through that, I
18 think -- I will say that the document may not look
19 extremely -- may not look like a dissertation, but the
20 amount of man hours that went into assembling that
21 document was intense.

22 Just the collection of all of the sample
23 reports and the data -- it was a poor intern last
24 summer -- it was good experience for him, but that was
25 great intern work. But a lot of work by a lot of people

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 went into that, so that's the inventory methodology.
2 Any more questions on that one before I jump to the next
3 topic?

4 (No response.)

5 MR. ROSENBERGER: Okay. We also provided
6 the FY '12 PA Maintenance Plan. Again, the maintenance
7 plan, Sherri and Linda had talked about the maintenance
8 plan, providing information about activities planned for
9 the current fiscal year and out years. And again I want
10 to emphasize "plan," because things change over the
11 years, so this is -- we do this in each fiscal year, and
12 so things can change as we learn new information or have,
13 you know -- I don't want to make it sound like it's set
14 in stone every year, so these things do change.

15 And it provides a summary of the maintenance
16 activities completed in the previous fiscal year, so
17 it's, again, a nice summary that we do each year and
18 provide to DOE. We're going to talk more about some of
19 the specific items especially tomorrow, when we talk
20 about some of the R&D activities related to monitoring.
21 And I will say that some of these things that we're
22 talking about here are things that we've seen in the
23 monitoring plans before and are continuing to work on.

24 And so one of those items is a technetium
25 sorption, looking at technetium sorption to cementitious

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *materials under reducing conditions. As you know, this*
2 *is something we've been working on as related to our R&D*
3 *and maintenance activities, and this is specifically*
4 *related to those assumptions that we made for Kd's when*
5 *Christianne talked about case A, K1 and K2. So we're*
6 *trying to get at the reducing Kd value.*

7 *The work that we provided as part of the June*
8 *13 transmittal was done with an improved containment*
9 *system to eliminate some potential hydrogen*
10 *contamination of the system that we had from a*
11 *previous -- some work we had done previously, that we had*
12 *provided as part of maintenance, some of the -- also some*
13 *of the things that we think is a positive is that we*
14 *included no-slag concrete control, so it was a*
15 *cementitious material that had never had slag in it.*

16 *So we tested saltstone, the Disposal Unit*
17 *2 concrete, made to the Disposal Unit 2 specification,*
18 *and a high slag content grout for, again, some additional*
19 *comparison. The improved containment is actually that*
20 *glovebag that you see there. That was in a -- was done*
21 *up at Clemson, and so we have a very well controlled*
22 *atmosphere test for that containment.*

23 *Some of the intermediate results that are*
24 *provided in that technical report were tests out to 56*
25 *days. I won't dwell upon the numbers, other than to say*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that 547 is the mix that is representative of the
2 saltstone material. I will tell you that these
3 tests -- we did not stop these tests. One of the things
4 that we had discussed and learned about is that depending
5 on the slag content of the cementitious material is how
6 long it might take to reach equilibrium of reducing
7 conditions, so we'll talk about later is one of the things
8 that continued in FY '12 was to continue these same tests,
9 so this system was not shut down after 56 days. It was
10 kept going, and we've been taking samples that we'll be
11 reporting on before the end of this fiscal year.

12 DR. RIDGE: Kent, this is Christianne
13 Ridge. I think that the introduction of the no-slag
14 concrete control is, you know, obviously a very good
15 thing and that the explicit consideration of the hydrogen
16 in the system and how you want to handle that obviously
17 is also very good. Now, I think in the interpretation
18 of these results, I think this study probably sounds
19 like -- and we did have the chance to review this.

20 I think that this study probably is giving
21 you a good idea of the kind of sorption you might get in
22 an absolutely zero environment, where you have a
23 palladium catalyst, making sure that you're taking all
24 the oxygen out of the system, and you've done a good job
25 with the no-slag concrete controls and the lower hydrogen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *than you had been using in other experiments, to make sure*
2 *it wasn't the hydrogen that was reducing things.*

3 *But in the interpretation of these results,*
4 *I'm wondering what allowance you're making for the other*
5 *DOE result that in a system that was contaminated with*
6 *a very small amount of oxygen, you did see that oxygen*
7 *affecting the technetium sorption, in combination with*
8 *the other recent DOE study that showed that in the*
9 *subsurface environment, you would expect -- in*
10 *subsurface environment at the site, you do expect there*
11 *to be some oxygen.*

12 *MR. ROSENBERGER: Right.*

13 *DR. RIDGE: So I think this study, giving*
14 *you good information at, you know, one extreme, what you*
15 *would expect if you were in an absolutely zero oxygen*
16 *environment.*

17 *And then I guess my question would be if you*
18 *wanted to say anything at this point -- and I don't know*
19 *if this is premature, or if you wanted to say anything*
20 *at this point on the interpretation of this information*
21 *when you do have the other DOE study showing that you*
22 *expect some amount of oxygen in the subsurface, and then*
23 *the other study you have, showing that even the small*
24 *trace contamination of oxygen did affect the technetium*
25 *sorption.*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. ROSENBERGER: I think I'd only go to the
2 point of saying that based on some of this information
3 in the FY '12 maintenance program, that we looked at not
4 just this result, but also what other things would we need
5 to inform, just what you're saying --

6 DR. RIDGE: Uh-huh.

7 MR. ROSENBERGER: -- about the other
8 potential impacts to that results, things like we've
9 got -- and I'm not really prepared to talk in detail about
10 some of the FY '12 testing, because we haven't issued any
11 of those reports yet. They're still ongoing and being
12 finalized as we speak. But one of the things is what we
13 called our field oxidation studies, where we took some
14 saltstone samples and had actually let them sit out in
15 the environment, to take a look at the oxidation front
16 movement and how far it has moved, and then also we
17 developed -- did an extensive method development of
18 what's the best way to measure that.

19 DR. RIDGE: Okay.

20 MR. ROSENBERGER: And quantify that, to use
21 in conjunction with this to say, okay, you're right. If
22 it really is reduced and we have a very low oxygen
23 content, these would be the results. Couple that with
24 the work we're doing this fiscal year, that Savannah
25 River National Lab is doing, to develop methods of what's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 *the best way to measure that or to evaluate the oxidation*
2 *front movements, and then doing some tests on those field*
3 *samples that have been sitting out in the field. They*
4 *had probably been out there about six, seven months of*
5 *sitting essentially in an uncontrolled -- not a lab*
6 *environment. I guess that's the point.*

7 *DR. RIDGE: Right, right.*

8 *MR. ROSENBERGER: And so we were planning*
9 *to be able to have that information, to couple that with*
10 *these kind of things, to try to give some context to this*
11 *testing. Also, and the other --*

12 *MS. ROSS: But those are intact concrete*
13 *cores. Right?*

14 *MR. ROSENBERGER: That is correct.*

15 *MS. ROSS: Samples. Versus in the lab when*
16 *you pulverize it to run the other --*

17 *MR. ROSENBERGER: Yes. They are small*
18 *samples that we can then evaluate these methods that*
19 *we're developing, and then the other one that I would say*
20 *that we have going on this year is a column study that's*
21 *being done at PNNL to look at the changes in the chemistry*
22 *and things like that, so Eh-pH transition, et cetera.*
23 *I'd say similar to the one that was done by Southwest*
24 *Research for the NRC, except in a more -- it's in a*
25 *glovebox, so it's in a more controlled environment.*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *Okay?*

2 *DR. RIDGE: Yes. I think that speaks to*
3 *our concerns.*

4 *MR. ROSENBERGER: So I want to say, I guess,*
5 *I agree with you, and we recognize that, and some of our*
6 *R&D this year has been to try to provide that context for*
7 *these results.*

8 *DR. RIDGE: If you could remind me, when*
9 *these samples that were used in this study were formed,*
10 *were they poured and cured in a zero oxygen environment?*

11 *MR. ROSENBERGER: No.*

12 *DR. RIDGE: Okay.*

13 *MR. ROSENBERGER: They were just cured in*
14 *the lab, just like all of our other --*

15 *DR. RIDGE: Okay.*

16 *MR. ROSENBERGER: -- lab samples.*

17 *DR. RIDGE: Great. Thank you.*

18 *MR. ROSENBERGER: And then after a certain*
19 *time period -- and I don't want to speak out of turn; I'd*
20 *have to look at the reports. But they sat out in the lab*
21 *for a while before then they were put into the*
22 *controlled --*

23 *DR. RIDGE: I see. Great.*

24 *MR. ROSENBERGER: -- atmosphere.*

25 *MS. PINKSTON: And the Tc was added -- was*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 *it added when they were poured, or was the Tc added at*
2 *the point they were put in the --*

3 *MR. ROSENBERGER: This is an adsorption*
4 *experiment, so the Tc was added after the samples were*
5 *then put into the glove, and the Tc was in the solution.*
6 *And to contrast that, the column study, it was the*
7 *opposite. It's an asorption study, so we actually put*
8 *the Tc into the grout for that study.*

9 *MS. PINKSTON: Thank you.*

10 *MR. ROSENBERGER: Okay? Again, more of*
11 *this is -- I'd say, first step in this one; more to come*
12 *in that particular discussion. We'd also provided some*
13 *information as we are trying to evaluate different*
14 *methods to get an in-place grout sample out of the*
15 *disposal units, so one of the things that we've been*
16 *evaluating is what we call the formed core. We discussed*
17 *that in the May meeting.*

18 *In FY '11, we performed a proof-of-concept*
19 *testing to show that we could mock it up and actually get*
20 *a sample with that sampling system. That test did*
21 *identify some areas for modifications of the equipment*
22 *and equipment development. Again, that was the first*
23 *time that we did a full-scale mock-up.*

24 *So that was the June 13 transmittal*
25 *documents. Take a pause there. Anything else on any of*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 *those documents before I jump into July?*

2 *(No response.)*

3 *MR. ROSENBERGER: Okay. If not, then*
4 *let's talk about for the July 12, 2012, transmittal,*
5 *there were two documents associated with that*
6 *transmittal. One is the projected technetium-99*
7 *inventory, evaluated the projected inventory for*
8 *disposal units 2, 3 and 5, and a lot of this was to try*
9 *to provide information to the NRC about near-term*
10 *disposal activities associated with saltstone. So what*
11 *we looked at is based on the current batching plans for*
12 *Saltstone and where we are right now.*

13 *What do we anticipate the technetium*
14 *inventory to be in those disposal units, again based on*
15 *current plans? We evaluated two scenarios, and what we*
16 *mean here is that during ARP/MCU processing, there are*
17 *chemicals added, et cetera, and adjustments of*
18 *chemistry, so the salt solution that's actually in the*
19 *tank farm, by the time it gets to Tank 50, does have some*
20 *dilution by those processing steps, and there is -- you*
21 *know, as the process is operating, there's a range of*
22 *those values.*

23 *So what we did is we -- and then also, in*
24 *the Saltstone production facility itself, as you may vary*
25 *the water to premix ratio, as you're actually making*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *saltstone, that can also result in a varied grout-to-salt*
2 *solution volume value. So what we did is try to look at*
3 *the bounds of those two, to try bracket the anticipated*
4 *technetium inventory that we would expect within those*
5 *disposal units.*

6 *And, again, then the results of that is that*
7 *we expect that the individual cell inventories will be*
8 *between 18 and 20 percent of the current modeled*
9 *inventory of 540 curies. So for all these six*
10 *disposal -- next six cylindrical disposal units being*
11 *filled, we're -- again, 18 to 20 percent of the amount*
12 *of technetium was modeled as the nominal value within the*
13 *PA model.*

14 *MS. PINKSTON: I had a couple of questions*
15 *about the --*

16 *MR. ROSENBERGER: Sure.*

17 *MS. PINKSTON: -- projected Tc inventory.*
18 *The first one: I plotted the concentration of Tc from*
19 *the quarterly samples over time, and it seems that the*
20 *values assumed for the concentration for the next couple*
21 *of batches is lower -- it's in the realm of what has been*
22 *sent to date, but it's a little bit lower.*

23 *MR. ROSENBERGER: Right.*

24 *MS. PINKSTON: Is there -- do you know if*
25 *there's -- what the reason is for that?*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ROSENBERGER: Yes. I mean, a lot of
2 that just has to do with where we're getting the batch
3 material from. Some of the ARP-MCU material tends to be
4 lower in cesium concentration. Also, it has some of the
5 DWPf recycled material as a chemistry adjustment to that,
6 which obviously be stuff that's gone through the system
7 and come back, so you wouldn't expect it to have as much
8 from a technetium perspective.

9 So what we're really seeing, I believe, is
10 some of that dilution of the material over time from the
11 DDA material that was put in there initially, which was
12 higher, more undiluted salt solution. I don't know if
13 anyone wants to --

14 MR. THOMAS: One other --

15 MR. ROSENBERGER: -- contribute to that.

16 MR. THOMAS: -- component of what's being
17 batched through, Karen, is material that came out of the
18 2H evaporator, concentrated from the 2H evaporator. The
19 majority of that material was recycled that was
20 concentrated, so as Kent said, that's material that's not
21 coming straight out of a salt tank per se, and so you're
22 going to get further, for lack of a better term, dilution
23 of the technetium as a result of that. So it's not
24 unexpected. In fact, it is expected, given the batching
25 strategy.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MS. PINKSTON: And then when looking at the
2 next couple of batches that are being sent, it seemed
3 like, you know, the table that's in the document of all
4 of the next -- you know, the transfers that are going to
5 happen and where they were coming from, it seemed like
6 about the first half of the table was pretty well known.
7 You know, it was what was in Tank 50 now or it was already
8 staged to go, and it had been characterized. Is that
9 accurate?

10 MR. THOMAS: Yes. That's correct.

11 MS. PINKSTON: But then the second -- when
12 it got towards the end of the table, it seemed like there
13 was a lot more uncertainty about what exactly was coming.
14 Is that true? Or is it --

15 MR. ROSENBERGER: I hesitate to say there's
16 a lot of uncertainty there. I mean, we have a batching
17 plan that, because of the time it takes to develop salt
18 batches -- you guys back there, I may need help here.
19 Where we talk about salt batches, it's not something that
20 we change lightly --

21 MS. PINKSTON: Right.

22 MR. ROSENBERGER: -- because of the time it
23 takes to prepare whatever we have to do to get that
24 material over to form the batches. So I'd say there's
25 probably a little bit of uncertainty there, as far as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 maybe the exact -- you know, if we say now there's going
2 to be 100,000 gallons in Tank 41 and, you know, 300,000
3 gallons, you know, that may change to 75,000 gallons of
4 this one. So I think there may be a little bit of
5 uncertainty there with the tanks that it comes from, but
6 I would say that I don't see a huge uncertainty with the
7 concentrations, the ending concentrations of the
8 technetium.

9 MS. PINKSTON: So out of those tanks where
10 the waste might come from, have they been characterized
11 yet, because the basis in the document for what -- for
12 the concentrations chosen was basically, These are the
13 ones that were assumed for the earlier batches.

14 MR. ROSENBERGER: Right.

15 MS. PINKSTON: And that assumption, in
16 combination with the fact that the concentrations were
17 lower than what had been seen made me wonder: Is there
18 uncertainty in what these concentrations are, and have
19 those later batches captured what the Tc could be?

20 MR. ROSENBERGER: Yes. And I'd say that
21 some of the future batches are -- you'll see similar
22 tanks, if you look at the batches that we made up about
23 where it comes from, so it's not -- you know, you may take
24 100,000 gallons now and 100,000 gallons later. So some
25 of those things that have been, I'll say, fairly well

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 characterized -- it's raining hard outside -- you
2 know --

3 MR. THOMAS: And I want to --

4 MR. ROSENBERGER: Go ahead.

5 MR. THOMAS: -- add to that, Karen. The
6 material that we've laid out in track 4, you know, this
7 is -- I'm trying to think of the right way to say
8 this -- isn't new salt material. Some of it is a
9 solution material that is well sampled and
10 characterized. As Kent said, if there's any
11 uncertainty, it's in exactly how we're going to combine
12 those batches, but the material that's been selected for
13 future batching through ARP/MCU that is laid out here,
14 it's actually -- that's based on sample data, not, again,
15 WCS, waste characterization system, projections and so
16 again, I would say that --

17 DR. RIDGE: Specifically in that table, the
18 first few seem to be based on characterization. You
19 actually included references --

20 MR. THOMAS: Yes. Those are actually
21 qualified salt --

22 MR. ROSENBERGER: Oh, yes. They're
23 already --

24 MR. THOMAS: They've already been batched.
25 This material currently in 50 -- and this material, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is the feed tank to saltstone, there's material in Tank
2 49 which has been qualified -- what we call a qualified
3 sample, qualified salt batch, where we've actually
4 sampled that batch and well characterized it, and then
5 as we were preparing the next salt batch, but we've
6 already, again, combined the batch material. It's
7 sitting in, I believe, Tank 22 -- Tank 23 -- or Tank 22,
8 where we will then transfer that to 49 and then batch that
9 through. So those are actually batched --

10 DR. RIDGE: They're already physically
11 mixed.

12 MR. THOMAS: Already physically made,
13 those batches.

14 DR. RIDGE: Okay.

15 MR. THOMAS: And qualified. The future
16 ones are based on sampling from the individual tanks that
17 will be then defined into batches.

18 DR. RIDGE: Okay.

19 MR. THOMAS: So that's where there's a
20 little uncertainty --

21 DR. RIDGE: So they are based on tank
22 samples --

23 MR. ROSENBERGER: Yes.

24 MR. THOMAS: Yes.

25 DR. RIDGE: -- and then, you know, it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 *simple mathematical averaging, and they haven't been*
2 *physically mixed yet, but they're based on real*
3 *measurements of what's in the tanks.*

4 *MR. ROSENBERGER: That's correct.*

5 *MR. THOMAS: Correct.*

6 *DR. RIDGE: Thank you.*

7 *MR. THOMAS: And so in this case, the*
8 *certainty is fairly low. Now, as we project out to SWPF*
9 *where, you know, we're -- you know, those will become*
10 *much more --*

11 *MR. ROSENBERGER: I mean, I'd say the*
12 *near-term salt batches is -- like I said, we have pretty*
13 *good characterization of the tanks that they're coming*
14 *from. We've just been pulling pieces off of different*
15 *tanks. If you ask me about salt batch 12, that's a whole*
16 *different story.*

17 *DR. RIDGE: Right.*

18 *MR. ROSENBERGER: But the near-term*
19 *batches, we have a fairly good idea of what's in all of*
20 *those.*

21 *DR. RIDGE: Thank you.*

22 *MR. THOMAS: We have a good idea. I*
23 *wouldn't characterize it as a fairly good idea. We have*
24 *a --*

25 *MR. ROSENBERGER: Okay. We have a good*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 *idea. Sorry.*

2 *MS. PINKSTON: My other question was*
3 *related to salt waste to saltstone ratio. The saltstone*
4 *was -- I said it the inverse way -- the saltstone to salt*
5 *waste ratio. I looked at, just on a quarterly basis,*
6 *what amount of salt waste goes to spillage; what amount*
7 *of saltstone was created, which I know maybe*
8 *doesn't -- it's averaging of our whole quarter. Maybe*
9 *it doesn't see the whole picture.*

10 *But, you know, looking at the past, end of*
11 *2002 or so, it's been in the realm or higher or more*
12 *conservative than what assumed in that report, but there*
13 *were some dates way back in 2008 where it was a little*
14 *bit lower, which would lead to higher inventory per FDC.*
15 *I'm wondering what -- I guess there's two questions.*

16 *One, it was kind of interesting to me that*
17 *earlier on in the process, there was a higher loading of*
18 *salt waste to saltstone, because I would have thought*
19 *maybe when things are just getting going, that it would*
20 *be a lower loading, so I thought that was interesting.*

21 *Then my second question is: What do you*
22 *know about the system to know that those earlier values,*
23 *where it was a lower ratio, that that wouldn't apply?*

24 *MR. ROSENBERGER: I mean, I would say that*
25 *over the past couple of years -- and Mark, you can help*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 me again if I misstate something here -- is that we've
2 been optimizing the operation of the production
3 facility, as far as finding, you know, the water to premix
4 ratios that keeps the plant operating, you know, with
5 reasonable expectation. And so I would say that the
6 dilution -- or I call them dilution factors -- the grout
7 to salt solution factors of the more recent operations
8 is what we're looking and projecting that are anticipated
9 as we move forward.

10 MR. HAUER: In your question, are you
11 already segmenting the difference between DDA and
12 MCU/ARP, or did you combine that in your question?

13 MS. PINKSTON: Yes. I was just looking at
14 the history of Saltstone that's been posted in the
15 quarterly reports. What's the Saltstone production to
16 salt waste ratio, and I just noticed earlier on that there
17 was some values that were bounded by the assumptions,
18 and --

19 MR. ROSENBERGER: That's correct.

20 MS. PINKSTON: -- I was just wanting to make
21 sure that whatever caused that wasn't expected in the
22 future.

23 MR. ROSENBERGER: No. Okay. We'll move
24 on to the sensitivity analysis, and I would say that in
25 the previous slide, we indicated a percentage between 18

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and 22 percent, and then we ran a sensitivity analysis
2 using the updated stochastic model in deterministic
3 mode, and we used the 22 percent, so we did use, for any
4 of these runs that we're talking about here, we did use
5 the upper end of that range that we talked about for
6 technetium-99 inventory.

7 We decided to go ahead and run cases K and
8 K1 for information. We used the -- I say, the current
9 Vault 1 and 4 inventories. That is current as of the
10 March 2012 inventory document. That we're going
11 to -- again, that will be something else we're going to
12 talk about tomorrow, but again, using the revised
13 methodology and the operations through current, so
14 essentially it's where we are today as far as disclosing
15 inventories within Vaults 1 and 4, and updated the
16 projected 2, 3 and 5 technetium inventories, and
17 we -- all other radionuclide assumption modeled
18 inventories stayed the same as what we had in the RAI
19 PA-8. So essentially for 2, 3 and 5 we only updated the
20 technetium concentration.

21 And so, again, that was to evaluate the
22 near-term disposal actions in Vaults 1, 4, and SDUs 2,
23 3 and 5. So I know this slide has a lot of information
24 on it. This figure is in the technical report, so you
25 can see from the perspective of -- similar to the earlier

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *slides where we had the lines talking about different*
2 *periods of performance and different performance*
3 *measures is that for -- and what we did here is we are*
4 *showing both Sector I and Sector B, and I know that's some*
5 *nomenclature for people that aren't familiar with the PA,*
6 *but we evaluated the area around Saltstone into sectors*
7 *so that we could evaluate concentrations and therefore*
8 *doses around the disposal unit and be able to group for*
9 *the sake of data presentation.*

10 *I'll point out the significance of this is*
11 *Section B is associated with downstream of Vault 4 so you*
12 *see in the near terms higher doses associated with the*
13 *Sector B, and Sector I is in the northern part of the*
14 *disposal unit which is impacted only by the*
15 *future -- primarily by the future disposal cells, and*
16 *it's right in the corner, right where Disposal Units 3*
17 *and 5 sit, so it's right in that corner.*

18 *So we decided on these curves to -- these*
19 *figures to present both the dose curves associated with*
20 *Sector I and with Sector B. So if we look at disposal,*
21 *again current inventories in Vaults 1 and 4 and projected*
22 *inventories with the updated technetium inventories in*
23 *2, 3 and 5, you can see the doses associated with this,*
24 *the timing. The peaks are out in that 13- to 16,000-year*
25 *time period, depending on what sector you're looking at,*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 but in all cases, they're less than the 25 millirem
2 performance objective.

3 So that's for Case K. And then for Case K1,
4 if you look at that, similar curve, similar information
5 for Case K1. It's again Sector I and Sector B, and so
6 you can see again these peaks are out in the 12,000 to
7 14,000-year time period, and you have one little spot
8 right here. I think the dose is 26 millirem, 27
9 millirem, but essentially right at the performance
10 objective for Sector B, and less than the performance
11 objective for Sector I, but again, out well beyond the
12 10,000-year time period for Case K1.

13 MR. THOMAS: As we look at these two curves
14 and the way the groundwater in the Saltstone facility
15 flows, do you see any influence from 2, 3 and 5 into Sector
16 B?

17 MR. ROSENBERGER: No. And I didn't
18 provide a flow figure, but the flow direction from Units
19 2, 3 and 5 is kind of out into the northeast direction,
20 and then goes -- when it gets down the further, then
21 shoots off into the northwest direction. In the
22 southern part around Vault 4, it tends to go off into that
23 southeast direction, so you really don't see influences
24 from 2, 3 and 5 to --

25 MR. THOMAS: So if we had zeroed out the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 *inventory at 2, 3 and 5, what you're saying is the*
2 *curve --*

3 *MR. ROSENBERGER: You'd see Sector I.*

4 *MR. THOMAS: Right. But Sector B, the*
5 *curve there would probably see no change.*

6 *MR. ROSENBERGER: Correct.*

7 *MR. THOMAS: Okay.*

8 *MR. ALEXANDER: This is George Alexander.*
9 *For -- I saw that you had some new groundwater wells*
10 *around maybe 3 and 5.*

11 *MR. ROSENBERGER: Unit 2.*

12 *MR. ALEXANDER: Unit 2. Okay.*

13 *MR. ROSENBERGER: Yes.*

14 *MR. ALEXANDER: Will some of that hydraulic*
15 *head information be incorporated in new groundwater*
16 *modeling to verify some of the far field flow*
17 *assumptions?*

18 *MR. ROSENBERGER: As we start to get data.*

19 *MR. ALEXANDER: Okay. I saw there were*
20 *some new heads, but --*

21 *MR. ROSENBERGER: Yes. We had the*
22 *potential to include that within that -- just like you*
23 *did when we evaluated the available well data against the*
24 *GSA database, and that will be additional data as it*
25 *becomes available to evaluate against the existing well*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 data. And I think that was it.

2 DR. RIDGE: Kent, this is Christianne
3 Ridge. In this last discussion that you were going
4 through, I think that the document that that relates to
5 was some of the sensitivity analyses that were done that
6 you submitted on July 12. There's a particular
7 statement in the executive summary of this document that
8 we saw pulled into some of the more recent submittals,
9 and it -- we essentially were just wondering if you
10 wanted to provide any comment on it, maybe now, or maybe
11 you want to take it back and think about it.

12 But it didn't really match our expectation
13 or our experience, and essentially what you're saying is
14 that the -- you were less -- you think that the
15 sensitivity analyses you did covered the -- let's see.
16 I have it marked, and so I can just read it to you. But
17 essentially what it says is that the sensitivity analysis
18 you did covered our concern about the reconcentration in
19 the floor, because anything that were to move the peak
20 up with time would also tend to diminish it in magnitude.

21 And I can point you to that, but that didn't
22 really match our experience when we looked -- when we did
23 our own sensitivity analyses, and we put in a lower
24 sorption coefficient in the floor. The magnitude of the
25 peak increased dramatically. And I just want us to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 able to address it while we were still talking about this
2 document, because if it is something that's going to be
3 relied on, it's something we're going to need to
4 understand a lot better what's meant by this statement.

5 And even though I had it marked and George
6 is now trying to point it out to me --

7 MR. ALEXANDER: If you want to keep
8 looking, I don't want to stop you.

9 DR. RIDGE: You're on page --

10 MR. ALEXANDER: Well, this is a different
11 document. This is the same --

12 DR. RIDGE: This is a different document.
13 Yes. Let's see. I want to stick with the one that Kent
14 was just talking about, just to be fair. Okay. This is
15 where I am. I'm on page 5 of the sensitivity analysis
16 document that I think you were just talking about which
17 is the SRR CWDA 2012-00103, which does not help anyone
18 sitting over there. I apologize.

19 But essentially it says, "In addition,
20 although the NRC has questions about modeling
21 parameters, for Case K and Case K1 in their technical
22 evaluation report, specifically related to the treatment
23 of technetium retention in the disposal cell floors, any
24 changes that lead to an earlier peak dose timing from
25 technetium would tend to decrease the magnitude of such

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 *peak.* "

2 *And this was a sentiment we had seen pulled*
3 *forward into the later July submittals, and in fact, at*
4 *that point --*

5 *MS. ROSS: In the July 26 submittal?*

6 *DR. RIDGE: Yes. The July 26 submittal.*
7 *And at that point, I think, it even specifically mentions*
8 *fracturing in the disposal unit floors, but that's -- we*
9 *were wondering if you wanted to comment on that, and I'm*
10 *putting you on the spot now by pulling out this very*
11 *specific thing, and I don't mean to do that.*

12 *But as far as addressing our concern about*
13 *retention in the disposal unit floor, this document that*
14 *you were just talking about sort of says that it addresses*
15 *that in this way, and we didn't see this as really*
16 *answering the concern, so I just wanted to point that out*
17 *to you. And, you know, I understand that I'm putting you*
18 *on the spot here, so it might not be the right time to*
19 *respond.*

20 *MR. ROSENBERGER: Yes. And I think it was*
21 *mainly -- and I'd have to go back and --*

22 *DR. RIDGE: Yes. Obviously.*

23 *MR. ROSENBERGER: -- talk to them*
24 *and -- yes. We'll have to think about that.*

25 *DR. RIDGE: Sure.*

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ROSENBERGER: I'll just have to say
2 we'll have to think about that at this point.

3 DR. RIDGE: Sure. And then that's
4 perfectly fair, and I don't mean to put you on the spot,
5 but if we are going to talk about this --

6 MR. ROSENBERGER: Sure.

7 DR. RIDGE: -- document, that was one of
8 our --

9 MR. ROSENBERGER: That's fine.

10 DR. RIDGE: -- main take-aways from this
11 document was that we needed to run that one down.

12 MR. ROSENBERGER: Okay. I hope we can talk
13 about that in the next --

14 DR. RIDGE: Yes.

15 MR. ROSENBERGER: -- couple days.

16 DR. RIDGE: But it's in the earlier one,
17 too. I'm not just jumping ahead.

18 MR. ROSENBERGER: It is.

19 DR. RIDGE: But part of the reason -- this
20 is in the July 12 submittal that we are talking about.
21 It's the --

22 MR. ROSENBERGER: Correct.

23 DR. RIDGE: It's the document Kent was just
24 talking about.

25 MR. ROSENBERGER: That's correct. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. ROSS: I guess specifically -- let me
2 clarify, Christianne. Predominantly whether the floor
3 is fractured and so you don't get the hold-up in the floor
4 relates to the timing of the peak.

5 DR. RIDGE: No. It also relates to --

6 MS. ROSS: I mean, I understand --

7 DR. RIDGE: -- the magnitude.

8 MS. ROSS: Yes. But if you ignored that,
9 the reason -- because we did the exponential growth, we
10 did a really strong release in technetium.

11 DR. RIDGE: Right.

12 MS. ROSS: At one time.

13 DR. RIDGE: Uh-huh.

14 MS. ROSS: If you had growth inward -- I
15 mean, if you had a different growth rate of fractures,
16 where you had earlier fracturing, it tends to lower the
17 magnitude. It would slow the release.

18 DR. RIDGE: If it were more gradual.

19 MS. ROSS: More gradual.

20 DR. RIDGE: If it were more gradual, yes.
21 If you merely went in and took out the hold-up in the
22 floor, you get a much larger number.

23 MS. ROSS: Right, right, right.

24 DR. RIDGE: But, yes. If you had a
25 more -- if you had more gradual fracturing, certainly it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would make it an earlier peak, and it would reduce it,
2 but it's not globally true that anything that moves it
3 forward in time reduces the magnitude, and specifically
4 this document put that specifically in terms of
5 addressing our concern about the hold-up in the floor,
6 and that's what we need to have some more discussion
7 about, because I don't think it addresses our concern
8 there, but I do agree with you absolutely that if there
9 were more gradual fracturing, it would move it earlier,
10 and it would reduce the peak.

11 MS. ROSS: Right, right.

12 MR. ROSENBERGER: Okay. Got that.

13 MR. DEVASER: In the meantime, any
14 questions?

15 (No response.)

16 MR. DEVASER: All right. Oh, does anyone
17 on the phone have a question?

18 (No response.)

19 MR. DEVASER: Well, interrupt me if you do.
20 Tomorrow, there was some talk about tomorrow and the next
21 day, our on-site observation that we're going to be
22 conducting at the Saltstone facility. Following any of
23 those observations, we publish a summary report of the
24 details of the observation within 60 days afterwards.

25 Also, any of the documents that were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 referred to in the presentations, to my knowledge -- I
2 hope I'm not forgetting one that is not, but to my
3 knowledge, all of them are publicly available and are in
4 our ADAMS system on our public website, so if you want
5 any information about that, just get ahold of me and let
6 me know.

7 Also, as this is an NRC public meeting,
8 we'll be preparing a public meeting summary within 30
9 days of today, and the summary will be supplemented by
10 the transcript that the very friendly court reporter has
11 put together today. So if there's no other questions
12 or --

13 (No response.)

14 MR. DEVASER: Thank you.

15 (Whereupon, at 3:50 p.m., the public
16 meeting was concluded.)
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com