

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: (u) In the Matter of GE-Hitachi Global Laser
Enrichment LLC
Sanitized Version

Docket Number: 70-7016-ML

ASLBP Number: 10-901-03-ML-BD01

Location: Rockville, Maryland

Date: Wednesday, July 11, 2012

Work Order No.: NRC-1717

Pages 1-256

DEPARTMENT OF ENERGY DECLASSIFICATION REVIEW	
1st Review - Date: <u>9/6/12</u>	<input checked="" type="radio"/> Classification Retained
Authority: <input checked="" type="checkbox"/> ADC <input type="checkbox"/> ADD	2. Classification Changed To: _____
Name: <u>Mike Goss, OLE</u>	3. Contains No DOE Classified Information
2nd Review Date - Date: <u>9/6/12</u>	4. Coordinate With: _____
Authority: <u>ADD</u>	5. Classification Cancelled
Name: <u>LARRY Sparks, DOE</u>	<input checked="" type="radio"/> Classified Information Bracketed
7. Other (Specify): _____	

CG-US-SILEX-2 of 8/2012 DOE DC

DEPARTMENT OF ENERGY DECLASSIFICATION REVIEW	
1st Review - Date: <u>9/10/2012</u>	1. Classification Retained
Authority: <input checked="" type="checkbox"/> ADC <input type="checkbox"/> ADD	2. Classification Changed To: _____
Name: <u>William J. Simmons 6017</u>	3. Contains No DOE Classified Information
2nd Review Date - Date: <u>9/10/2012</u>	4. Coordinate With: _____
Authority: <u>ADD</u>	<input checked="" type="radio"/> Classification Cancelled *
Name: <u>LARRY Sparks</u>	6. Classified Information Bracketed
7. Other (Specify): _____	

* By Deletion

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

~~Restricted DATA~~
WARNING: This Document Contains
Restricted Data as defined in the
Atomic Energy Act of 1954.
Unauthorized disclosure subject to
Administrative and Criminal sanctions.

~~CLASSIFIED BY: Larry Sparks
NAME: _____
DOE OIG Classification
TITLE/NUMBER: Officer
REASON: CG-US-SILEX-2 of 8/2012
DOE DC~~

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

ATOMIC SAFETY AND LICENSING BOARD PANEL

+ + + + +

EVIDENTIARY HEARING

-----X

(u) In the Matter of: : Docket No.
GE-Hitachi Global Laser : 70-7016-ML
Enrichment LLC : ASLBP No.
(GLE Commercial Facility) : 10-901-03-ML-BD01

-----X

Wednesday, July 11, 2012

Nuclear Regulatory Commission
Hearing Room T-3B45
11545 Rockville Pike
Rockville, Maryland 20852

BEFORE:

PAUL S. RYERSON, Chairman
JAMES F. JACKSON, Administrative Judge
MICHAEL O. GARCIA, Administrative Judge

NEAL R. GROSS

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES:

On Behalf of GE-Hitachi Global Laser Enrichment
LLC:

DONALD J. SILVERMAN, ESQ.

CHARLES MOLDENHAUER, ESQ.

of: Morgan, Lewis & Bockius LLP

1111 Pennsylvania Avenue, N.W.

Washington, D.C. 20004

(202) 739-5502 (Silverman)

(202) 739-3001 (FAX)

On Behalf of the Nuclear Regulatory Commission:

MARCIA SIMON, ESQ.

MICHELLE ALBERT, ESQ.

CARRIE SAFFORD, ESQ.

of: Office of the General Counsel

Mail Stop - O-15 D21

U.S. Nuclear Regulatory Commission

Washington, D.C. 20555-0001

(301) 415-3722

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CONTENTS

WITNESS PRESENTATIONS:

PAGE

Topic 1A: Criticality Safety 33

Steven Painter

Christopher Tripp

Blake Purnell

Topic 1B: Chemical/Radiological Hazards Evaluation 109

Merritt Baker

Topic 2: Licensing an Evolving Design 157

Julie Anne Oliver

Timothy Johnson

Brian Smith

Topic 3: Safety Impact of External Hazards 211

Sui-Min (Simon) Hsiung

John Stamatakos

Asadul Chowdhury

EXHIBIT NO.

IDENTIFIED

RECEIVED

NRC 1 through 117 [previously] 13

GLE 1 through 6 [previously] 13

GLE 8 through 24 [previously] 13

NEAL R. GROSS

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P-R-O-C-E-E-D-I-N-G-S

(9:01 a.m.)

CHAIRMAN RYERSON: Welcome, everyone. We are here in the matter of GE-Hitachi Global Laser Enrichment LLC, which we will call GLE from now on.

The very first order of business, even before introductions, is, as you know, this is a closed hearing. Any electronic devices must be turned off and immediately handed to the guard. Does anyone have any electronic devices that have survived this stage of the process?

(No response.)

Apparently not. I will get to a number of security aspects of this proceeding in a few minutes, but first let's begin with introductions.

I am Judge Ryerson. I am designated as Chairman of this particular Licensing Board, and I am trained as a lawyer. On my right is Judge Jackson, who is trained as a nuclear engineer. On my left is Judge Garcia, who is trained as a geologist.

Some of the people you will be seeing -- and may already know -- our law clerk, Anne Siarnacki, is on the extreme left. And Andy Welkie, who will be functioning essentially as the clerk of court, is on the extreme right.

NEAL R. GROSS

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 I guess with that we should start with the
2 appearances of counsel. First, for the Applicant, GE-
3 Hitachi. Mr. Silverman?

4 MR. SILVERMAN: Thank you, Judge Ryerson.
5 Good morning. Donald Silverman with the law firm of
6 Morgan, Lewis & Bockius, representing GLE in this
7 proceeding.

8 MR. MOLDENHAUER: Thank you, Judge.
9 Charles Moldenhauer, representing the Applicant Global
10 Laser Enrichment.

11 CHAIRMAN RYERSON: Okay. And a special
12 welcome to you, Mr. Moldenhauer. The Board
13 understands that babies have complete disregard for
14 scheduling orders, and the like, and we have made all
15 reasonable efforts -- beyond reasonable efforts to
16 ensure that if there is anything happening on that
17 front during this hearing that we will get word to you
18 as soon as possible.

19 MR. MOLDENHAUER: Thank you, Your Honor.

20 CHAIRMAN RYERSON: NRC staff.

21 MS. SAFFORD: Good morning. Carrie
22 Safford for NRC staff.

23 CHAIRMAN RYERSON: Thank you.

24 MS. SIMON: Good morning, Your Honor.
25 Marcia Simon for NRC staff.

NEAL R. GROSS

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 MS. ALBERT: Good morning. Michelle
2 Albert for NRC staff.

3 CHAIRMAN RYERSON: Okay. Welcome,
4 everyone.

5 Well, the purpose of today's hearing, as
6 you know, is to conduct an uncontested hearing that is
7 required by Section 193(b)(1) of the Atomic Energy
8 Act, and Section 70.23(a) of Title 10 of the Code of
9 Federal Regulations.

10 This hearing concerns GLE's application
11 for a license to possess and use source byproduct and
12 special nuclear material, and to enrich natural
13 uranium to a maximum of eight percent U-235 by a
14 laser-based enrichment process at a proposed
15 enrichment facility to be located in New Hanover
16 County, North Carolina.

17 GLE and the NRC staff have agreed on five
18 principal issues that the Board must decide in this
19 uncontested proceeding. I am not going to read them
20 all, but they are set forth in Attachment A to the
21 fourth revised scheduling order that the Board issued
22 on October 5, 2011.

23 In a nutshell -- and as the Commission has
24 explained -- this Board has what the Commission has
25 called an important but limited role. Our task is to

NEAL R. GROSS

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 probe the logic and evidence supporting the findings
 2 that the NRC staff has already made, and to decide
 3 whether those findings are sufficient. It is not our
 4 task to replicate or try to repeat in its entirety all
 5 of the efforts that the NRC staff has put in this
 6 matter to date.

7 In the area of NEPA, or the National
 8 Environmental Policy Act, the Board's role is somewhat
 9 different. There we have the responsibility for the
 10 agency, for the NRC, to consider the final balance
 11 among the conflicting factors that are contained in
 12 the record of proceeding. But even in this area, the
 13 Commission has instructed that we do not reconsider
 14 the NRC staff's underlying technical and factual
 15 findings unless after when we look at the record we
 16 find that the staff's review has been adequate or that
 17 its findings are insufficiently supported.

18 I should explain -- and, again, many of
 19 you know this -- as in many evidentiary hearings at
 20 the NRC, what will happen in this courtroom today and
 21 tomorrow, and possibly Friday, is really the tip of
 22 the iceberg. We are really near the end of a long
 23 process. The process began when the Board was
 24 constituted, and we examined the application documents
 25 ourselves. With the encouragement of the Applicant,

1 the Board conducted a site visit of the test loop at
2 the proposed facility in September of 2011. This past
3 February -- February 29 -- the staff issued its final
4 safety evaluation report and final environmental
5 impact analysis.

6 And the Board looked at those documents,
7 reviewed those documents, and came up with
8 approximately 100 questions or so, which we submitted
9 to both the staff and the Applicant on April 4 of this
10 year. We received answers from the parties to those
11 questions on May 2nd. Those answers are under oath,
12 about 175 pages of answers. As I said, they are under
13 oath, and the Board regards those as just as
14 dispositive as anything that would be said in this
15 courtroom today.

16 Similarly, after reviewing those answers,
17 the Board identified six principal areas or testimony
18 topics for further testimony. And on I believe -- the
19 last several weeks, actually, there are different
20 dates for some of the delivery of that. But the Board
21 identified those topics on May 16. We received well
22 over 200 pages or so of testimony from the combined
23 parties and over 100 exhibits.

24 Again, that pre-filed written testimony is
25 submitted under oath, and it is just as persuasive as

1 if those parties, those witnesses, appeared in this
2 courtroom today and repeated all of those statements,
3 or even adopted them, which we are not going to
4 require, since they are under oath.

5 Finally, because of the decision in June
6 by the United States Court of Appeals for the District
7 of Columbia Circuit invalidating the agency's Waste
8 Confidence Rule, we have asked the parties to submit
9 their analysis of the significance, if any, of that
10 decision on this proceeding. We received those
11 comments and analyses, and we will be looking at those
12 as well.

13 Basically, the concept I would like to
14 emphasize is that the Board has reviewed and studied
15 very carefully all of these materials that have come
16 in over the last many months. And these materials
17 really constitute much of the evidence, probably most
18 of the evidence, that we will use in deciding the
19 issues that are before us.

20 The main purpose of the evidentiary
21 hearing that we conduct today, tomorrow, and perhaps
22 Friday, is to allow the Board to question in person
23 the witnesses who have already submitted their sworn
24 written testimony.

25 Now, in this context, I want to address an

1 email that the Board received this past Friday,
 2 July 6th, from Mr. Clements of the Alliance for
 3 Nuclear Accountability. In his email, Mr. Clements
 4 protests the closing of this hearing to the public,
 5 and the Board denies this request for several reasons.

6 The principal ones are, as I just
 7 explained, most of the record on which the Board is
 8 going to rely is out there in the public. Small
 9 portions of the testimony, small portions of the staff
 10 documents are not public, but the vast majority is
 11 public, and it is out there in the record, in the
 12 electronic hearing docket that this agency maintains.
 13 It is available for anyone to read.

14 The Board's eventual decision in this
 15 matter will be made public as soon as we finish it,
 16 and a version of the transcript of this proceeding,
 17 from which any non-public information is expunged,
 18 will also eventually be made available to the public.
 19 So those are the principal reasons why we are not
 20 allowing the public into this aspect of the
 21 proceeding.

22 The reality is that in addition to almost
 23 certainly dealing with classified information this
 24 morning, there are numerous other categories of non-
 25 public information that will be discussed in the

1 course of the hearing. There is security-related
 2 unclassified information. There is export control
 3 information. There is information that is proprietary
 4 to GLE.

5 So for all of those reasons, we do not
 6 think it is practical to march the public in and out,
 7 even if we could identify every moment when that
 8 discussion -- those discussions occur. The public
 9 would be marched in and out I believe virtually
 10 constantly through this proceeding.

11 Those are the reasons, really, why we are
 12 closing this to the public. There are two additional
 13 reasons. One is that Mr. Clements -- I mean, reasons
 14 we are not granting Mr. Clements' request. The
 15 request came in, I believe, three business days before
 16 the hearing commenced. Mr. Clements and his group,
 17 for whatever reason, chose not to seek to intervene as
 18 a party in this procedure, in this proceeding. They
 19 chose not to seek to participate as a non-party, which
 20 was an option outlined in the original Notice of
 21 Hearing.

22 And, finally, as it turns out, the issue
 23 with which they appear to be most concerned --
 24 proliferation -- certainly a very serious issue, but
 25 not one that the Commission has asked or authorized

1 this Board to address. Rather, it is a matter of
2 international policy. It is not before this Board.

3 So that is -- those are the reasons for
4 the Board's decision not to open this hearing to the
5 public. Any comments from the NRC staff?

6 MS. SAFFORD: No, Your Honor.

7 CHAIRMAN RYERSON: Mr. Silverman?

8 MR. SILVERMAN: No, Your Honor.

9 CHAIRMAN RYERSON: Thank you. All right.
10 Let's turn, before security matters, to more general
11 points on evidence.

12 As agreed by both parties during the final
13 pre-hearing conference, we are going to admit into
14 evidence essentially all of the exhibits that have
15 been submitted -- I will get to what they are
16 specifically -- including the sworn written testimony
17 from either party.

18 Now, this does not mean that the Board
19 necessarily thinks that every single exhibit is
20 necessarily relevant or particularly persuasive. For
21 example, some of the written testimony includes legal
22 conclusions by non-lawyer fact witnesses, which is
23 fine for our purposes here in this type of proceeding,
24 but it is certainly not binding on the Board, who has
25 the ultimate responsibility for determining what the

1 law is in any particular area.

2 What it does mean is that in the absence
3 of a jury, the Board really sees no utility in trying
4 to go through document by document, particularly in
5 the absence of any objections, and quibbling over the
6 technical admissibility of any particular exhibit. So
7 absent objection, it is our intention to accept as
8 evidence the following documents that have been
9 previously marked and numbered as follows.

10 That would be NRC 1 through NRC 117,
11 inclusive, including all subparts.

12 (Whereupon, the above-referred to
13 documents, previously marked as Exhibits NRC 1 through
14 NRC 117 for identification, were admitted into
15 evidence.)

16 That would include GLE 1 through 24,
17 inclusive, including all subparts, except for GLE 007,
18 which I think references a staff document or
19 something. But in any event, every GLE exhibit,
20 including all subparts, except for GLE 007.

21 (Whereupon, the above-referred to
22 documents, previously marked as Exhibits GLE 1 through
23 GLE 6, and GLE 8 through GLE 24 for identification,
24 were admitted into evidence.)

25 Finally -- not finally, but additionally,

1 the testimony of the NRC staff witnesses -- GLE
 2 numbered its witness testimony as exhibits. The NRC
 3 staff submitted it as pre-filed testimony but did not
 4 give it exhibit numbers. My understanding is that
 5 SECY will be much happier if they have exhibit
 6 numbers, so we intend to give them exhibit numbers and
 7 admit them all as exhibits.

8 And also, consistent with fairly common
 9 practice on the ASLBP, the exhibit lists were
 10 submitted informally to the law clerk. It is the
 11 Board's view that the exhibit lists themselves are
 12 actually rather helpful as part of the official
 13 record. So absent objection, we intend to make the
 14 latest version that we have of each party's exhibit
 15 list the final numbered exhibit for that party.

16 So any questions or objections to that
 17 approach? Mr. Silverman?

18 MR. SILVERMAN: No objections from the
 19 Applicant, Your Honor. Thank you.

20 CHAIRMAN RYERSON: Thank you. NRC staff?

21 MS. SAFFORD: Your Honor, I just had one
 22 question about adding the NRC staff testimony as
 23 exhibits. Would you like -- will that be done during
 24 the proceeding, and then at the conclusion of the
 25 proceeding we will submit a final updated exhibit

1 list, with that testimony included as an exhibit
2 number or --

3 CHAIRMAN RYERSON: I believe -- and I will
4 look to our clerk to give me a nod if this is
5 acceptable -- that he can handle that. Is that --
6 yes, we will handle that. And because the transcript
7 of this proceeding will be available, but not
8 available immediately because it has to be reviewed,
9 what the Board intends to do is issue an order that
10 will clarify exactly what has been admitted shortly
11 after the hearing. And if anybody thinks we're wrong
12 about any of it, we've made a mistake, you can move
13 for reconsideration, something like that. So we will
14 make that available long before, I'm afraid, the
15 transcript will be available with another order.

16 MS. SAFFORD: Thank you.

17 CHAIRMAN RYERSON: Okay? You're welcome.

18 MS. SAFFORD: We have no objections to the
19 proposed approach.

20 CHAIRMAN RYERSON: Thank you. Mr.
21 Silverman, I have one technical request for you, which
22 I will be amazed if you are able to answer on the
23 spot. But just to show how careful the Board is in
24 its examination of these materials, I was looking at
25 the original responses of GLE to our questions, and on

1 the response to question 18 concerning the safety
2 evaluation report, authorship of the question is
3 attributed to Mr. Hunt, but Mr. Hunt's declaration
4 does not claim responsibility for that answer. I'm
5 sure it is a technical -- I suspect it is a technical
6 glitch.

7 And if we -- we, frankly, see no reason to
8 require you to find Mr. Hunt and get his revised
9 declaration. But if you can make a representation,
10 either now or later at some point, that he in fact
11 intended to claim credit for the answer on
12 question 18.

13 MR. SILVERMAN: Yes. One second, Your
14 Honor, if you would, please.

15 (Pause.)

16 We will confirm that with Mr. Hunt and get
17 back to you on that. It does appear that he has
18 declared -- made the declaration with respect to two
19 other answers, so it was probably an oversight.

20 CHAIRMAN RYERSON: I suspected --

21 MR. SILVERMAN: We will get back to you on
22 that for the record.

23 CHAIRMAN RYERSON: -- as much.

24 MR. SILVERMAN: Thank you.

25 CHAIRMAN RYERSON: Thank you. All right.

1 I think now we can turn to security. As I have said,
2 portions of this hearing will certainly involve
3 information classified at a level of Secret Restricted
4 Data. It will likely involve a number of other
5 categories of non-public information.

6 So how do we handle that? The Board has
7 two basic rules that we intend to follow. First, we
8 would like to have, as we get into actually examining
9 witnesses or panels of witnesses, as few people in the
10 room as possible at all times. And, secondly, the
11 Board intends to confine its questions to the person
12 with the lowest -- to the witness, anyway -- well, to
13 the person with the lowest classification level in the
14 room.

15 In other words, if a panel, for example,
16 has three witnesses, two are cleared at the Q
17 clearance level, one is cleared at the L level,
18 depending on perhaps who has the most information on
19 that panel, the Board will either question the two Q-
20 cleared people first with the L-cleared person out of
21 the room, or, alternatively, question the L first and
22 then dismiss the L and proceed to follow up with the
23 Qs. That is our intention.

24 In theory, there should be no way that
25 someone who is not authorized at a particular level

1 can, in that fashion, receive information that they
2 are not authorized to receive. Did you have a comment
3 on that, Mr. Silverman?

4 MR. SILVERMAN: Yes, Your Honor. The only
5 concern we have -- and I think we can reserve it
6 perhaps until we get there -- is that I completely
7 understand your concern, and it is extremely
8 important.

9 We have put the panels together for a
10 reason, because it is a really a conglomeration of the
11 knowledge of all of the people. And as I think you
12 know from your experience in these hearings, sometimes
13 one person answers one question, you may ask a
14 followup, and then another panel member is really the
15 best person to answer it.

16 I can see some logistical problems,
17 particularly I think with Panels 5 and 6. Maybe we
18 can address that a little bit further, but we can
19 certainly try to work with that.

20 CHAIRMAN RYERSON: Okay. Yes. If there
21 are insurmountable logistical problems, I suspect they
22 will come up tomorrow, because today we have all Q-
23 cleared witnesses with one exception. We have one L
24 clearance I believe, assuming we get through the first
25 three topics today.

1 What else? Let's see. Principal
2 responsibility will rest with counsel, although the
3 Board will try to monitor it as best we can, to ensure
4 that no one in their group lacks the necessary
5 security clearance and need to know at any particular
6 time. We are certainly aware of the witnesses and
7 their clearance levels. We are going to assume
8 counsel will ensure that there is no one in their
9 group without the adequate clearance level and need to
10 know at any time during the proceeding.

11 All notes taken during the proceeding will
12 be initially treated as classified and must be
13 appropriately marked and protected, unless they are
14 reviewed by an authorized derivative classifier and
15 said to be not classified.

16 No classified documents can leave this
17 room. We do have the ability to properly store a
18 limited number of classified documents if someone
19 wants to preserve their own notes. At the end of a
20 session, you can give them to the law clerk, to Anne
21 Siarnacki, a limited amount. We don't have huge room
22 in our safe, but we have a safe that will accommodate
23 classified materials. If you want to do that, it
24 should be in an appropriate envelope, it should have
25 the party's name on it, an appropriate cover sheet,

1 and appropriate stamps on the documents.

2 We can also destroy, in an appropriate
3 fashion, any documents that you don't need to keep.
4 Certainly, that is the Board's intention. We are
5 going to probably take some notes for the purpose of
6 asking followup questions, but those -- there most
7 likely will be no need to keep those notes beyond the
8 followup questions to a particular witness. So our
9 intention will be to, at the conclusion of each
10 session, destroy those notes.

11 The parties may wish to do the same, and
12 we have the capacity to appropriately destroy any
13 notes at the Q clearance level for you, if you wish to
14 do that. You will be asking fewer questions than we
15 will, so your interest may be slightly different.

16 Although in terms of notes I -- you know,
17 I also emphasize that while lawyers are prone to
18 taking notes, and you will perhaps ask for the
19 opportunity to submit some followup documents of
20 various kinds -- I don't know -- after this hearing,
21 it is, again, as we indicated during the pre-hearing
22 conference, it is the Board's intention to reach a
23 decision which will not have detailed, specific
24 factual findings.

25 There are five broad issues that the Board

1 has been asked to address. Again, our role is to
2 review the sufficiency of what the NRC staff has done,
3 a somewhat different role and under NEPA, but similar
4 standards for factual determination. So we do not
5 contemplate lengthy, elaborate, specific, fact
6 findings, which in terms of your note-taking may make
7 it a little easier.

8 Again, I should indicate that all
9 attendees have responsibility to protect the
10 classified material or other non-public material that
11 is discussed during this proceeding. I will try to
12 remind everyone of that when witnesses leave, but that
13 is obviously very, very important.

14 This hearing room will have 24-hour guard.
15 The parties can enter I guess after 8:00 tomorrow
16 morning. It is -- if you wish to leave unclassified
17 materials here -- and I don't know how voluminous your
18 materials are -- it's up to you, you can leave
19 unclassified materials here. The room will be
20 guarded. The only ones entering will be cleared ASLBP
21 staff, to fill our water pitchers, and the like, but
22 that is entirely up to you. But the room will be
23 guarded 24 hours.

24 The witnesses associated with the NRC
25 staff will be able to use whatever rooms the NRC staff

1 has made available for you, rooms outside of this
2 hearing room. The Board has made available to the GLE
3 witnesses some conference space. Unfortunately --
4 hopefully, you have been told where it is. It was
5 originally going to be on this floor, but apparently
6 that room was not available.

7 My understanding is that the first day it
8 will be an uncleared conference room. So obviously
9 the witnesses should be careful not to talk about any
10 classified material among themselves in an uncleared
11 conference room. The second day it will be I believe
12 a secure conference room, and the third day, if need
13 be. However, probably the witnesses will have varying
14 levels of clearance, and so -- also should not be
15 talking about any classified information in the secure
16 conference room.

17 Unfortunately, also, because it is a
18 secure conference room -- and these are I guess swept
19 periodically for listening devices, or whatever our
20 good security folks do -- it will also be not possible
21 in those conference rooms to bring in cell phones or
22 other electronic devices. So those conference rooms
23 will give you, I'm afraid, the worst of all worlds --
24 none of the advantages of a secured conference room,
25 but all of the disadvantages.

1 Mr. Silverman, did you have a comment?

2 MR. SILVERMAN: A question.

3 CHAIRMAN RYERSON: Yes.

4 MR. SILVERMAN: Your Honor, since, you
5 know, Issue 1 of course does involve classified
6 information -- the one I'm most concerned about at the
7 moment -- typically, when we have breaks in these
8 hearings we are able to use the Ante Room over here to
9 my right. And I know this hearing room has been
10 determined by the NRC to be, you know, suitable for
11 classified discussions. May we use that room?

12 CHAIRMAN RYERSON: No. The adjacent
13 conference rooms have all been swept and are locked,
14 and they cannot be used, I'm afraid.

15 MR. SILVERMAN: Okay. So if we are going
16 to want to have a conversation on a break, or
17 something like that, with our witnesses, we are just
18 going to have to do it here in the room and --

19 CHAIRMAN RYERSON: You can do it here in
20 the room or, I mean, if it's not classified, you can
21 do it out in the hall.

22 MR. SILVERMAN: Sure.

23 CHAIRMAN RYERSON: But I'm afraid these
24 conference rooms, I wish it were otherwise, but they
25 have all been secured -- swept and secured --

1 MR. SILVERMAN: Okay. Thank you.

2 CHAIRMAN RYERSON: -- along the side.

3 Let's see. Logistics. We will take
4 breaks periodically. I have a feeling that as we
5 shuttle panels in and out we will have more breaks
6 than we want, actually. But if we should be going on
7 for a long period of time, I realize the Reporter and
8 the parties will all want breaks.

9 We will target roughly noon for lunch. I
10 think we will try to break at a sensible time,
11 depending on where a panel is, so we may break a
12 little before or after lunch.

13 Mr. Silverman, do you hope to go out of
14 the building for lunch with your group?

15 MR. SILVERMAN: No. I think we will use
16 the NRC cafeteria.

17 CHAIRMAN RYERSON: Okay. Well, then, we
18 can probably -- probably limit lunch to an hour,
19 unless I hear a request for slightly more time?

20 (No response.)

21 Hearing no requests, we will plan on an
22 hour for lunch.

23 Let us hope there is no fire alarm or
24 other emergency in the building during this
25 proceeding. If there is, the most important thing is

1 people. I assume the NRC staff can take its people to
 2 wherever your gathering point would be in the event of
 3 an emergency. The ASLBP people will have a place to
 4 go. And anyone who is not directly associated with
 5 the ASLBP or the NRC will hopefully be escorted by the
 6 guards to a safe location in the event of an
 7 emergency.

8 What happens if there are classified
 9 documents on the table? There are really three
 10 options. One is to leave them, which is not a good
 11 idea, which should not happen. One is to attempt to
 12 secure them, which is a good idea, except that human
 13 safety comes before any other safety, any other
 14 consideration. So we are not going to try to fumble
 15 to open a safe if there is a fire alarm.

16 I think the only third option is, whoever
 17 has custody of any classified documents, and who
 18 obviously would, then, have the clearance for them,
 19 should bring them with them and keep them secure and
 20 out of sight. That is -- I don't see any other
 21 practical alternative. Hopefully, we will not have a
 22 fire alarm.

23 With that, any comments from the parties?

24 Mr. Silverman?

25 MR. SILVERMAN: I don't think so, Your

1 Honor.

2 MS. SAFFORD: None here.

3 CHAIRMAN RYERSON: None from the NRC
4 staff.

5 All right. Judge Jackson, any comments at
6 this stage?

7 ADMIN. JUDGE JACKSON: No.

8 CHAIRMAN RYERSON: Judge Garcia?

9 ADMIN. JUDGE GARCIA: None.

10 CHAIRMAN RYERSON: Okay. Well, we are
11 ready to begin with the first panel of witnesses. Our
12 usual course here, I believe -- we may change it for
13 some topics, but our general order, I believe, of
14 presentation will be to start with the Applicant, and
15 then follow up second with the panel for the NRC
16 staff.

17 So on the Applicant, for Topic 1, which is
18 -- I believe the Applicant has merged 1A and 1B -- we
19 have merely Mr. Painter. Is that correct?

20 MR. SILVERMAN: Yes.

21 CHAIRMAN RYERSON: Okay. So at this time,
22 I would ask that all witnesses, other than Mr.
23 Painter, including the witnesses on Topic 1 for the
24 NRC staff, be escorted elsewhere. And the Board will
25 examine Mr. Painter after his -- he will do a

1 presentation first, I take it, Mr. Silverman? A
2 general presentation before we ask him questions?

3 MR. SILVERMAN: Yes. And if you wouldn't
4 mind, Your Honor -- this is of course completely at
5 your description, but one small recommendation. He is
6 -- Mr. Painter and all of our witnesses are certainly
7 more than happy to answer questions as they are making
8 those presentations, but I think it would be more
9 efficient, if it's possible, for them to generally get
10 through those PowerPoint presentations and then the
11 Board ask -- that would be our preference.

12 CHAIRMAN RYERSON: Yes, that's -- I think
13 that is our intention as well.

14 MR. SILVERMAN: Great.

15 CHAIRMAN RYERSON: And that way, frankly,
16 we -- when presentations are made, I think we can have
17 all of the panel members present for the presentation,
18 because we are not going to ask questions until we
19 have finished the presentation. And we can eliminate
20 those with a lower security classification.

21 Yes?

22 MS. SAFFORD: Your Honor, I have one
23 question. I was unsure in your instructions -- is it
24 possible for the NRC staff witnesses who are also
25 responding to Topic 1 to remain in the room --

1 CHAIRMAN RYERSON: We would prefer --

2 MS. SAFFORD: -- and vice versa?

3 CHAIRMAN RYERSON: We would prefer they
4 not.

5 So the witnesses -- witnesses other, I
6 guess, than Mr. Painter should be leaving the room at
7 this time. I rely upon counsel to decide who in your
8 party is adequately cleared with -- it should be a Q
9 clearance with Mr. Painter, I believe, and has a need
10 to know. That's up to you. But you are responsible
11 for your party in that regard.

12 MR. SILVERMAN: May we have one more
13 moment, Your Honor?

14 CHAIRMAN RYERSON: Certainly.

15 (Pause.)

16 MS. SAFFORD: And, Your Honor, may I ask
17 one more clarifying question?

18 CHAIRMAN RYERSON: Certainly.

19 MS. SAFFORD: Your request that the
20 witnesses for NRC staff for Topic 1 leave the room,
21 does that also apply to the staff -- the project
22 manager on staff who is supporting OGC, Tim Johnson
23 and Brian Smith?

24 CHAIRMAN RYERSON: They are witnesses, are
25 they not? Yes.

1 MS. SAFFORD: Eventually. Not on Topic 1,
2 but --

3 CHAIRMAN RYERSON: Not on Topic 1. Our
4 preference is that witnesses not sit through other
5 testimony before they -- before they themselves
6 testify, yes.

7 MS. SAFFORD: Okay.

8 MR. SILVERMAN: Your Honor? I'm sorry.
9 One of the concerns we have is with respect to at
10 least Issues 2A and 3. You know, we made the decision
11 not to provide testimony. Only the staff provided
12 testimony, to try to, you know, reduce the record at
13 the Board's request, keep it as simple as possible.

14 But, you know, it is possible that a staff
15 witness may say something that one of our experts
16 might want to clarify, elaborate on, that might be
17 important to the record. If they are out of the room,
18 essentially we are out of the loop completely on those
19 issues. And Mr. Moldenhauer can try to guess if there
20 was an issue or not, but we won't really know.

21 CHAIRMAN RYERSON: Well, I mean, but these
22 are -- you are speaking of witnesses who will be
23 testifying later on another issue, correct?

24 MR. SILVERMAN: Well, the people that we
25 would expect who may have knowledge on that, would in

1 fact be witnesses who would be testifying on other
2 issues.

3 CHAIRMAN RYERSON: Yes. I -- as you
4 probably know, the practices sometimes differ here at
5 the NRC. But in most courts, witnesses who are about
6 to testify do not hear the testimony of the other
7 witnesses, just because that has some sound reasons
8 for it, and the additional security concerns. Our
9 preference is that the witnesses who are about to
10 testify do not sit through earlier testimony.

11 MR. SILVERMAN: Okay.

12 CHAIRMAN RYERSON: Thank you. Okay. So,
13 yes, all the witnesses, except Mr. Painter. And,
14 again, I rely on counsel to ensure that other members
15 of the party are adequately cleared.

16 (Pause.)

17 MR. SILVERMAN: Are we on the record, Your
18 Honor?

19 CHAIRMAN RYERSON: Yes, we are, Mr.
20 Silverman.

21 MR. SILVERMAN: Okay. So we just wanted
22 to be clear. We have -- this is Don Silverman for the
23 Applicant. We have cleared all of our other
24 witnesses. The only witness that we have in the room
25 is Mr. Painter on Issue 1.

1 We do have four management representatives
 2 who are not witnesses who are here to -- and all have
 3 Q clearances. And one in fact is our security
 4 manager, who we would like to rely on. And if you
 5 wouldn't mind -- thank you -- you know, it's Ms. Pat
 6 Jenny here.

7 And, you know, if she thinks there is a
 8 problem coming -- in the other sessions, in particular
 9 -- if you don't mind, she may raise her hand. She is
 10 very experienced at what is -- where the lines are
 11 drawn.

12 CHAIRMAN RYERSON: Thank you. We will
 13 watch for that.

14 MR. SILVERMAN: Okay.

15 CHAIRMAN RYERSON: Thank you very much.
 16 And I should clarify, Mr. Silverman, that once a
 17 witness has testified -- for example, Mr. Painter is
 18 not designated for any other matter, and he is Q-
 19 cleared. So if -- if it is your judgment that he has
 20 a need to know to hear the remaining testimony, it
 21 might be helpful to you in connection with the
 22 remaining testimony, once he has testified, he is
 23 welcome to stay here.

24 MR. SILVERMAN: Great. Thank you.

25 CHAIRMAN RYERSON: And that is true of any

1 witness that you feel has a need -- will assist you
2 and who has already completed testimony.

3 MR. SILVERMAN: Great. Thank you.

4 CHAIRMAN RYERSON: And is adequately
5 cleared, right. That will help. Okay.

6 CHAIRMAN RYERSON: Thank you.

7 MS. SIMON: Your Honor, may I just note
8 that Catherine Scott from OGC -- we entered her
9 appearance yesterday.

10 CHAIRMAN RYERSON: I noticed that. Thank
11 you.

12 MS. SIMON: And she is Q-cleared, and so
13 she will be here as well.

14 CHAIRMAN RYERSON: Welcome, Ms. Scott.

15 MS. SCOTT: Thank you.

16 CHAIRMAN RYERSON: Welcome, Mr. Painter.
17 If you would raise your right hand, please. Do you
18 swear or affirm that the testimony you are about to
19 give in this proceeding will be the truth, the whole
20 truth, and nothing but the truth?

21 MR. PAINTER: I do, Your Honor.

22 CHAIRMAN RYERSON: Thank you. Did you --
23 Mr. Silverman, did you wish to begin with a
24 presentation by Mr. Painter?

25 MR. SILVERMAN: Yes, Mr. Painter has his

1 PowerPoint presentation that he is prepared to provide

2 CHAIRMAN RYERSON: Okay.

3 MR. PAINTER: Do Your Honors have copies
4 of the slides?

5 CHAIRMAN RYERSON: Let's see, these are
6 classified.

7 MR. PAINTER: Yes, they are.

8 MR. SILVERMAN: We have one copy, which we
9 can share.

10 MR. PAINTER: I have two additional
11 copies. Does anybody else need copies?

12 CHAIRMAN RYERSON: If you have an extra
13 copy or two, we could use it, and we'll return it to
14 you. The recording device is turned off, right? If
15 you can display the copy, that's fine. That's even
16 better.

17 MR. PAINTER: Your Honor, this is a
18 classified talk -- presentation at the Secret level,
19 in the Restricted Data category. The presentation
20 addresses the Board's pre-filed testimony, Questions
21 1A and 1B. It's entitled GLE Process Hazard Analysis.

22 On Slide 2, the agenda is to discuss an
23 overview of the GLE cascade and best handling area,
24 the process hazard analysis methodology, validation
25 experiments, criticality safety hazards, chemical or

1 radiological safety hazards, and provide a conclusion.

2 Okay. The next slide -- this addresses
3 the common enrichment cascade components. The UF6
4 handling components found in the GLE enrichment
5 cascade include the piping systems, compressors and
6 vacuum pumps, cold traps, chemical traps, and large
7 tanks. And all of these components are utilized by
8 other enrichment technologies, and the operating
9 history and failure modes are well understood in the
10 industry.

11 With respect to the criticality safety
12 hazards of each of these components, they include the
13 buildup of solid uranium materials, either
14 intentionally as in the cold traps and chemical traps
15 or unintentionally in the rest of the components as
16 deposits of material.

17 The chemical/radiological hazard
18 associated with each of the components involves a
19 system breach that allows the process gas to escape
20 the system.

21 Okay. The next slide addresses
22 pictorially the cascade.

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Below each of those triangles with a stage number is a number that indicates the number of vertical separator modules in each stage. The numbers in parentheses give you an indication of the total number of vertical separate modules in the entire plant.

So our number of equipment -- numbers of equipment are very much reduced from the gaseous diffusion and gas centrifuge technology.

And those are discussed as far as the process description in the testimony.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

And the next page, page 5, gives you a conceptual view of the cascade, just so you can kind of get an idea of how the components are arranged and their relative size. The vertical separator modules are the 150-foot tall components running through the center of that diagram.

So you can see their relative size with respect to everything else.

On the second level there, you will see some blue vessels.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Just to give you a general idea, each cascade is roughly the floor area of a football field, and we have modeled the building at 225 feet high. So it is conservatively larger than what you see there.

On the next slide, we like to talk about the vertical separator module. This is the one unique component where uranium enrichment is conducted in the GLE cascade.

The next slide gives you a little more detail on a separator cross-section. My understanding is you have been briefed on this process, so I am just providing an overview here.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

That is

represented by those blue arrows up there.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

It is important to note that UF6 is not ionized to effect separation like some of the other technologies. We are not using an extremely high-powered laser to do this, and there is very little hazard associated with it. All we're doing is increasing that probability for that UF6 to interact with the product collection region.

Okay. The next slide -- the diagram on the left shows the actual arrangement of the process we just discussed, pretty much the way we showed it earlier, is how the equipment will be arranged.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

On page 9, discuss the unique attributes of the GLE process.

These are all well -- are all mature and well understood technologies with extensive industry experience backing each.

The interactions between the three are relatively simple, as we have just discussed, and occur in one component that is unique to the laser enrichment process.

The laser enrichment process does introduce a process gas made up of an inert carrier gas and UF6. This is a difference. The carrier gas separation from UF6 utilizes the same cold trap/chemical trap technologies used in the other industries when they are removing lights from their UF6. So there is nothing new there. And the lights, as you might know, are the impurities that leak into the other processes.

Page 10, we will discuss the unique vertical separator module.

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

We differ in a few ways.

On the next slide, I would like to shift over to the process hazard analysis methodology that we used. The GLE identified the bounding process

1 description that presented conservative assumptions
2 about system performance, and we followed NRC guidance
3 for identifying actual phenomenon event magnitudes
4 where that was available.

5 GLE utilized a what-if analysis
6 methodology for its flexibility of use on both
7 hardware systems and the human activities associated
8 with the enrichment facility.

9 The ISA team utilized ISA team members
10 with core competencies in each of the safety areas,
11 and many of them had UF6 industry experience, direct
12 UF6 industry experience.

13 The team was briefed on and studied the
14 laser enrichment process as presented in the technical
15 documents, explaining those details, and in the end
16 the ISA team identified similar accidents to those
17 identified with other enrichment technologies, and we
18 believe this was a good indication that the bounding
19 accident sequences were indeed captured.

20 Moving on to the validation experiment
21 issue, after reviewing the validation report used by
22 GLE, the NRC staff has concluded that it is
23 acceptable. GLE has conservatively ignored the
24 effects of carrier gas

25 on the effect of neutron submultiplication

1 factor, which is a factor used in criticality safety
2 for safety determination.

3 Therefore, GLE does not find any
4 limitations of experimental benchmarks to be any
5 issue.

6 The next slide moves on to the criticality
7 safety hazards. The team found these are the same as
8 other enrichment technologies. Primarily, we are
9 concerned with unsafe geometries and equipment
10 processing of solid phase uranium, either as normal or
11 abnormal conditions.

12 We utilized enrichment geometry, mass
13 interaction or moderation, for the criticality safety
14 parameters to control -- to control that hazard. And
15 with the other technologies -- air in-leakage in the
16 system -- which can affect your enrichment, the mass
17 deposition issues and moderation are the most
18 significant hazards to the process.

19 Next slide addresses the criticality
20 safety IROFS that were unique to the laser enrichment
21 cascade. We basically had four unique IROFS that were
22 -- or two of those are associated with the vertical
23 separator module, which is the unique component.
24 These included active engineering control to monitor
25 the HF in the process gas and to basically close the

1 feed valves to each vertical separator module when
2 that exceeded a set point.

3
4
5
6

7 As an independent control, we have
8 proposed to monitor an independent parameter of
9 oxygen, which is another indicator of air in-leakage
10 into the system, and this acts as your controller
11 function in a similar manner. It would stop feed flow
12 into the vertical separator module, if it not within
13 safe parameters.

14 In all of the large tanks, obviously we
15 have a concern with, over a lifetime of plant, larger
16 deposits building up. And we have proposed active
17 measuring controls to monitor that EO2 buildup to safe
18 levels of mass. And, again, those will close any
19 valves that allow gas into those tanks if it exceeds
20 those safe masses.

21 So those are the four unique IROFS that we
22 came up for the process.

23 On the next slide, there are 13 total
24 IROFS in the cascade area alone -- the four we just
25 discussed and nine others. Those nine others there

1 are addressed in the bullets and fundamentally address
 2 where we have chemical and cold trap technologies,
 3 just like we have in the rest of the plant. They
 4 address doing maintenance in this area, and they
 5 address the enrichment control here as well as in
 6 other portions of the plant.

7 The next slide moves on to the
 8 chemical/radiological safety hazards. The primary
 9 hazard is UF6 release, just like in the other UF6
 10 enrichment technologies. GLE looked at both the
 11 internal and external hazards that resulted in release
 12 of process gas, as noted in those two center bullets.

13 And the team found that the vertical
 14 separator module does not create any increased risk of
 15 release over components used in other enrichment
 16 technologies.

17 The next slide addresses some other
 18 secondary hazards that are also present in the cascade
 19 area. And, again, these have to do with the
 20 maintenance activities that may go on there, and they
 21 are similar throughout the plant and address spills
 22 and HF burns during handling of potentially UF6-
 23 contaminated materials. And, again, these are the
 24 same that we see in the other enrichment technologies
 25 for this hazard.

1 Slide 18 addresses the most significant
 2 hazard -- or accidents that we had identified. Just
 3 like the other enrichment technologies, the most
 4 significant accidents involved uncontrolled fires and
 5 impact a large portion of the facility.

6 And just like the other enrichment
 7 technologies, UF6 cylinder rupture during sampling
 8 provides the largest single point of release, and that
 9 is outside the cascade area. All of these accidents
 10 are more severe than any of the accidents we found
 11 inside the cascade area.

12 The next slide addresses the chemical and
 13 radiological safety IROFS. Again, unique to the
 14 cascade area, there were 13 chemical and radiological
 15 safety IROFS -- I'm sorry, identified in the cascade
 16 area, we had 13. None of these are unique. They were
 17 all similar IROFS that we found for any of the UF6
 18 handling operations, and we utilized sense and flee as
 19 a second bullet, reduce exposures in a release
 20 scenario.

21 We have a plug removal procedure in effect
 22 all through the plant that handles process gas. Any
 23 time we have a rupture of any system, we want to shut
 24 down any pressure sources in the plant, and that is a
 25 dual high-pressure interlock that shut down -- shuts

1 down and isolates equipment. Our fire protection
2 program IROFS on combustible control limits and the
3 automatic sprinkler system are applicable through all
4 areas in the plant.

5 And in this particular area, we share a
6 low-temperature takeoff station, which has a couple
7 IROFS there because it is a confined space, if there
8 is a small release inside that we want to prevent
9 worker exposure by opening that up.

10 And then, the last -- or the next slide
11 there addresses quite a few IROFS identified for
12 handling material outside the systems to address
13 worker safety. I won't cover each of those.

14 Finally, on page 21, addresses the overall
15 advantages that we see with this process. We do use a
16 lower concentration process gas, because of the
17 conditions needed in the enrichment process. Portions
18 of the process operate below atmospheric -- well, all
19 of the process operates below atmospheric pressure.

20
21

22 We have smaller quantities of equipment
23 overall, which should reduce our overall failure
24 potential. We have fewer high-speed components with
25 catastrophic failure modes, such as compressors and

1 centrifuges, things like that that just don't exist in
2 this process. And we have fewer operating units at
3 the higher enrichments, because of this high Beta
4 factor that this plant provides.

5 The other advantage is that the UF6
6 remains in the UF6 chemical form throughout the
7 process. We are not changing chemical states or using
8 something that is -- there is not a lot of experience
9 with.

10 And the last slide just is a conclusion.
11 The design evaluated was conservatively defined to
12 identify bounding accident sequences. The process
13 hazard analysis was conducted by knowledgeable
14 personnel having both experience -- I'm sorry,
15 expertise in their individual fields and the UF6 or
16 uranium operations.

17 Permits used in the cascade area have
18 similar identical counterparts in other enrichment
19 technologies. There are several advantages to the
20 laser enrichment technology that make it inherently
21 safer than the other laser enrichment technologies.

22 And, overall, the accident sequences in
23 IROFS are bounding of conservatively identified
24 conditions that should remain valid with final design
25 of the cascade.

1 And that concludes my presentation on this
2 topic.

3 CHAIRMAN RYERSON: Thank you, Mr. Painter.
4 If you'll bear with us one moment.

5 (Pause.)

6 We have been going slightly over an hour,
7 so we will take a very short five-minute break now,
8 and then begin with questions of Mr. Painter.

9 Thank you.

10 Oh, I should remind everyone to secure --
11 anyone who is leaving the room who has possession of
12 classified information obviously should secure the
13 information.

14 Thank you.

15 (Whereupon, the proceedings in the
16 foregoing matter went off the record at 10:05 a.m. and
17 went back on the record at 10:15 a.m.)

18 CHAIRMAN RYERSON: As I look around the
19 room, I am just confirming that we have essentially
20 the same people who were here before or other people I
21 know to be Q-cleared and have a need to know. So with
22 that, I just would remind the parties of your
23 responsibility as well to ensure that your group has
24 the adequate clearance and need to know at all times.

25 Mr. Painter, I remind you you are under

1 oath, and we will begin our questions with Judge
2 Jackson.

3 ADMIN. JUDGE JACKSON: Thank you. You
4 know, it appears that the safety analysis can be
5 framed by breaking the facility into two parts -- the
6 cascade region, which is fairly unique, and what I
7 would call the balance of plant, everything else
8 outside the cascade region.

9 And it appears that the underlying logic
10 is that in the balance of plant, that is where the
11 largest hazards would be, both from a criticality and
12 perhaps radiological or chemical hazardous release
13 viewpoint. But that looks a lot like any other
14 enrichment facility, and perhaps other UF6-based fuel
15 cycle facilities.

16 And, therefore, the hazards are understood
17 and their control is understood, because this is --
18 the rest of this facility looks like many other
19 facilities where there is a long operational history.
20 Would that be reasonable?

21 MR. PAINTER: Yes, that's reasonable.

22 ADMIN. JUDGE JACKSON: And then, in the
23 cascade area, I believe you are arguing that even
24 though there isn't this long operational history at
25 full scale with this type of technology that there are

1 some similarities to operations in earlier enrichment
2 plants, but the argument also is that the hazards tend
3 to be lower in the cascade area. Is that kind of the
4 overall logic, as you see it?

5 MR. PAINTER: Well, the hazards are
6 roughly identical. There are certain elements that
7 allow them to be a little lower initially, but in
8 general they are identical. You have a release hazard
9 of UF-6 and HF that affects a worker, in large enough
10 quantities could affect public depending on what the
11 release is. We didn't necessarily credit that for the
12 safety, though.

13 ADMIN. JUDGE JACKSON: Okay.

14 MR. PAINTER: Because the hazard is still
15 there. We have to deal with that hazard.

16 ADMIN. JUDGE JACKSON: The hazard is
17 there, but I guess if you looked at the risk it
18 would --

19 MR. PAINTER: The risk can be perceived
20 less, but as far as anybody's safety analysis all of
21 our release calculations assumed a starting condition
22 of pure UF-6 gas at I believe 133 degrees Fahrenheit,
23 which is where our operating pressures will be and
24 operating temperatures. So we didn't credit the fact
25 that it would be a process gas mixed within a lot less

1 UF-6 in a release point. We assumed from that calcs
2 -- because you have to remember there is a product --
3 pure UF-6 product pipe in that node. And that became
4 the basis for all of our calculations, as far as
5 release points.

6 ADMIN. JUDGE JACKSON: Fair enough.

7 MR. PAINTER: So we didn't go back, for
8 example, and say, "Yes, this was only 10 percent." We
9 didn't reduce any of our release quantities because of
10 the UF -- or the carrier gas that is mixed with it.
11 All of those calculations use that pure UF-6 highest
12 temperature condition for the release calculations.

13 ADMIN. JUDGE JACKSON: Fair enough. Well,
14 our objective is just to, given that framework, to
15 probe the logic with you somewhat. And let's start by
16 inserting just a couple of questions related to the
17 balance of plant, everything outside of the cascade
18 region.

19 And in response to earlier questions of
20 the Board, and in your testimony, let me just ask this
21 to be explicit. As you went through the accident
22 sequences at this facility and you looked in detail at
23 the balance of plant, did you see any designs -- were
24 there any designs or processes that are significantly
25 different from earlier practice at other enrichment

1 plants that have been licensed?

2 MR. PAINTER: Well, certainly we are -- in
3 comparison with the gaseous diffusion plant, we have
4 elected not to use steam autoclaves which introduces a
5 significant hazard when we are liquefying UF-6 in
6 cylinders. We have elected to use processes similar
7 to the newer gaseous diffusion plants where the
8 cylinder is heated with air, hot air. That can be
9 viewed as a significant change from gaseous diffusion.

10 ADMIN. JUDGE JACKSON: Well, if you could
11 just perhaps focus more on the recently licensed gas
12 centrifuge plants. How about -- how would your answer
13 be?

14 MR. PAINTER: I don't have a tremendous
15 amount of knowledge of the gas centrifuges. I do know
16 they are using the low temperature takeoff stations to
17 remove uranium directly from a gaseous state like we
18 have chosen to do. And I know that they are using hot
19 air for sampling. But beyond that, I am not sure
20 there would be any more significant differences.

21 ADMIN. JUDGE JACKSON: Okay. From the
22 viewpoint of criticality safety, would you consider
23 any of the differences significant?

24 MR. PAINTER: No. They will have to
25 address mostly removal of contaminant gases like we

1 do, and that is where you get into changing states of
2 the material outside of the process gas system. They
3 will have to deal with using cold traps, chemical
4 traps, and those same technologies to do that.

5 ADMIN. JUDGE JACKSON: Okay. I guess
6 it's --

7 MR. PAINTER: And I wouldn't think those
8 would be any different than what we are proposing to
9 utilize.

10 ADMIN. JUDGE JACKSON: Okay. A similar
11 question for the release of radiological hazardous
12 effluents. Anything there in the design of this new
13 plant that would --

14 MR. PAINTER: Well --

15 ADMIN. JUDGE JACKSON: -- be significantly
16 different from --

17 MR. PAINTER: -- from a release --

18 ADMIN. JUDGE JACKSON: -- say centrifuge
19 plants?

20 MR. PAINTER: Right. From a release
21 point, my understanding of centrifuges is they have a
22 pretty significant failure problem with the
23 centrifuges themselves disintegrating occasionally.
24 We don't have any high-speed components like that that
25 provide that kind of a source term.

1 ADMIN. JUDGE JACKSON: And right now I am
2 really trying to focus you away from the cascade area.
3 I'm just right now talking about balance of plant.

4 MR. PAINTER: The only other issue on
5 balance of plant is, if you assume that the top of
6 their cascade where they release any contaminant gases
7 from the plant, ours will be configured a little bit
8 different because we are a closed loop system.

9 We will have a two-step cleanup of our
10 carrier gas. The first step cleans up the carrier gas
11 utilizing chemical traps to remove HF and UF-6. If
12 there are high levels of contaminants gases from air
13 in-leakage, those are cleaned up in a separate stage,
14 and then that material is released to the stack. And
15 I would assume the other technologies similar to
16 gaseous diffusion basically take those air products
17 right off the top, clean them, and then release them.

18 ADMIN. JUDGE JACKSON: Okay.

19 MR. PAINTER: So we are one step removed
20 there. That is I assume what you mean "balance of
21 plant," anywhere else in the plant the release points
22 are going to be from evacuation stations. They are
23 typically cleaned with a cold trap and/or chemical
24 trap and released to wherever their stack point is.
25 And we plan to do the same thing.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ADMIN. JUDGE JACKSON: Okay. That's good.

Let me ask about the identification and analysis of potential accident sequences. And, again, I am still thinking about balance of plant. Part of the logic or the argument is that because there are a lot of similarities the -- I believe the argument is -- you can tell me if this is correct -- that the safety analysis is informed by many years of operational experience with handling UF-6 tanks and connecting and disconnecting and carrying out the various operations that you have to.

I guess my question is, how does that experience come into play when you are doing the ISA, when you are doing the accident characterization? How do you know you are capturing this world of experience out there?

MR. PAINTER: Well, the process hazard analysis, we utilized a "what if" methodology up front with the level of detail we had in the design at this point, which utilized quite a few staff members who have expertise in each of the safety fields of criticality safety, industrial hygiene.

We had security personnel involved, chemical engineers involved, experts on our technology as well as a number of those, including myself, had

1 expertise at the gaseous diffusion plant, and we had
2 some that came from gas centrifuge backgrounds.

3 So they have all been around those
4 activities, several of them quite a few years, and
5 have a good understanding of many of the pitfalls of
6 those technologies, you know, personally been around
7 the plant when we have had plug pipe releases at the
8 gaseous diffusion plant. We know for a fact that's a
9 hazard and has to be addressed. We know from the
10 history of looking at the various industries that has
11 been a common event that had to be dealt with.

12 Beyond that, the "what if" process
13 systematically looked at what design we had, and we
14 gave everybody the opportunity to identify, you know,
15 potential accidents that they see based on those
16 design descriptions.

17 ADMIN. JUDGE JACKSON: Okay. Thank you.
18 That's good. I'd like to now turn our attention to
19 the cascade area of the plant. And I guess a good way
20 to frame some questions would be if we could put up or
21 look at one of the charts that you have just shown.
22 Let's see if we can -- page 8, if we could project
23 that.

24 All right. Thank you. I would like you
25 to please characterize the status of the design when

1 the ISA was done, perhaps around the timeframe of when
2 the staff came in and did a vertical slice review. I
3 think we are talking about 2010. And we can use this
4 chart. Does this basically depict the design that was
5 examined at that time?

6 MR. PAINTER: This is the current point
7 design in the ISA summary, yes, sir.

8 ADMIN. JUDGE JACKSON: Okay.

9 MR. PAINTER:

10

11 ADMIN. JUDGE JACKSON: Right. I wanted to
12 ask you specifically about that in just a sec. But to
13 begin, as far as the diameter, the composition of the
14 gas, the carrier gas, the UF-6, all of those things
15 were basically fixed at this point, or have they been
16 changing?

17 MR. PAINTER: Well, the data that we used
18 is projected from the data that the Australians
19 provided in the technology. And currently this is the
20 design we have evaluated. And, obviously, as they
21 implement this design, the engineers are going to see
22 places to optimize, but those will come forth later on
23 in changes to that design.

24 ADMIN. JUDGE JACKSON: Okay.

25 MR. PAINTER: This is currently the design

1 that our safety basis is built on.

2 ADMIN. JUDGE JACKSON: This is your safety
3 basis. Now, you mentioned that --

4 MR. PAINTER: Yes.

5 ADMIN. JUDGE JACKSON: -- a system that
6 would collect the material from the top of a --

7 MR. PAINTER: Yes, sir.

8 ADMIN. JUDGE JACKSON: -- given separator
9 module is obviously not shown here.

10 MR. PAINTER: That is not shown here.

11 ADMIN. JUDGE JACKSON: Nor is the system
12 that collects that into what I believe you called the
13 collection vessels.

14 MR. PAINTER: That's correct. That's not
15 shown here.

16 ADMIN. JUDGE JACKSON: Were those designed
17 at that time? Where they considered in the safety
18 evaluation?

19 MR. PAINTER: The design function is
20 designed. I mean, we understand the design function
21 of those vessels.

22 ADMIN. JUDGE JACKSON: Okay. Let me just
23 pursue that. In your testimony earlier, I believe you
24 said that in looking at the release of hazardous
25 effluents that you didn't see that this system

1 introduced any new I would think leakage paths. Would
2 that be fair to what --

3 MR. PAINTER: Well, we have places where
4 the system can be breached. Like all of the other
5 technologies, there is no -- there are none that are
6 necessarily worse.

7 ADMIN. JUDGE JACKSON: Okay. But --

8 MR. PAINTER: That's what that statement
9 is.

10 ADMIN. JUDGE JACKSON: So I guess I'm
11 saying, did you have enough of the design that, for
12 example, you looked at the potential breach of one of
13 these vessels when your --

14 MR. PAINTER: Yes, sir.

15 ADMIN. JUDGE JACKSON: Okay.

16 MR. PAINTER: There is a quantity that
17 would be released if there was an upset to those
18 vessels. That's correct.

19 ADMIN. JUDGE JACKSON: Okay. Now, you
20 have talked about in your testimony, and in the pre-
21 filed testimony, about the idea of making bounding
22 calculations, bounding analyses, to try to get a
23 handle on, say, criticality safety.

24 Now, it's my understanding -- and this is
25 what I'd like to ask you -- that a bounding accident

1 -- in fact, if you wanted to just tell me what you
2 considered some of the most challenging accident
3 sequences would be from the viewpoint of criticality
4 safety, maybe we could start from there.

5 MR. PAINTER: Well, the ones I listed in
6 my testimony really address places where the process
7 is putting together materials that will give you a
8 clear path to criticality like cold traps, chemical
9 traps, which exist in this node. I think we talked
10 about doing maintenance. Well, again, we've got
11 processes where personnel are actually breaching a
12 system where there may or may not be material, and
13 then handling that afterwards. I consider that a high
14 hazard, rather high risk --

15 ADMIN. JUDGE JACKSON: Let's come back
16 and --

17 MR. PAINTER: -- but where there's --

18 ADMIN. JUDGE JACKSON: -- just look at
19 this separator module now. It is -- in looking at the
20 ISA summary, it appears that you did do an analysis
21 where --

22 MR. PAINTER: Yes, sir.

23 ADMIN. JUDGE JACKSON:

24

25 MR. PAINTER: That's correct.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ADMIN. JUDGE JACKSON:

MR. PAINTER: Yes, sir. Where we looked at is a couple of accidents with the separator itself.

ADMIN. JUDGE JACKSON: Okay.

MR. PAINTER: -- the criticality safety evaluation was done on that, and that particular accident generated the need to provide moderation control of the gas that is coming into the vessel, so that those would remain subcritical.

ADMIN. JUDGE JACKSON: Okay.

MR. PAINTER: So you are creating a scenario here where you have potentially a moderator

1 issue. You have an upstream, again, process event and
2 enough fissile material that you have a potential
3 criticality path.

4 ADMIN. JUDGE JACKSON: Okay.

5 MR. PAINTER: And that is addressed with
6 those IROFS.

7 ADMIN. JUDGE JACKSON:
8
9
10

11
12 MR. PAINTER: Right. You have to have --

13 ADMIN. JUDGE JACKSON: -- that leads you
14 to a criticality. How did you analyze that? How did
15 you -- did you do a Monte Carlo calculation to look at
16 the level of moderation it would take in that accident
17 condition to --

18 MR. PAINTER: Yes, sir. That was done in
19 the CSA by the GLE staff to come up the set points for
20 the HF concentration. So an analysis was done using
21 their JAMR Code initially. There is more complexity
22 there, obviously, but the analysis was done to address
23 that.

24 ADMIN. JUDGE JACKSON: So did you just
25 address this geometry, or was there anything included

1 that regarded the collection of the product? And I
2 don't know if it's close enough to these collection
3 vessels for there to be interplay?

4 MR. PAINTER: The collection vessels are
5 down on the sides of the units. You're talking about
6 interaction with those vessels as well?

7 ADMIN. JUDGE JACKSON: I'm just wondering
8 if in --

9 MR. PAINTER: Right.

10 ADMIN. JUDGE JACKSON: -- if you did -- in
11 the Monte Carlo calculations if you just basically did
12 a --

13 MR. PAINTER: Well, he did an array of the
14 vertical separators in the plant.

15 ADMIN. JUDGE JACKSON: Okay. You did an
16 array of the separators?

17 MR. PAINTER: Yes.

18 ADMIN. JUDGE JACKSON: And do you know if
19 it included the presence of the collection tanks that
20 could maybe accidentally also be --

21 MR. PAINTER: Well --

22 ADMIN. JUDGE JACKSON: -- filled?

23 MR. PAINTER: -- the way those are
24 configured, they are always isolated either from one
25 side of the system to the other.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

So I do not believe that the analysis filled all of the vessels at one time.

ADMIN. JUDGE JACKSON: Okay.

MR. PAINTER: If it -- even if it did not, the HF limits that we have applied will address that particular scenario.

ADMIN. JUDGE JACKSON: Okay. So those HF limits were determined on the basis of --

MR. PAINTER: They have been --

ADMIN. JUDGE JACKSON: -- Monte Carlo calculations.

MR. PAINTER: Yes. They have been much reduced from where actual critical occurs with respect to our upper subcritical limit.

ADMIN. JUDGE JACKSON: Oh, okay.

MR. PAINTER: WE don't -- you have to almost be swimming in HF, you know, to start seeing serious problems. We are not going to let the plant start swimming in HF.

ADMIN. JUDGE JACKSON: Right.

MR. PAINTER: So the limits we have chosen

1 are well enough above where we would expect
2 operationally to see the plant at, and that was based
3 on impurities in cylinders, for example, of incoming
4 cylinders. But it's set low enough that it would be a
5 meaningful IROFS.

6 ADMIN. JUDGE JACKSON: All right. Well,
7 from the Applicant's viewpoint, then, let me ask you
8 about experimental validation of those calculations.
9 Do you know if there were any unique experiments to
10 this kind of composition and geometry that were
11 referred to for experimental validation?

12 MR. PAINTER: Well, the validation covers
13 validation of the cross-sections associated with
14 hydrogen and fluorine and uranium and the enrichment
15 range we are dealing with, which is normally all that
16 is done in this particular case.

17
18
19 That was addressed separately in the
20 CSA. There are no validation experiments that -- in
21 our -- with the materials we need to look at that are
22 associated with process gas, the process gas we use.

23 There were calculations done on the CSA to
24 address these issues and the area of applicability of
25 the validation. Those are presented in the CSA, and I

1 believe they were provided to the NRC staff when they
2 asked those questions.

3
4
5

6 ADMIN. JUDGE JACKSON: You would expect
7 that there would be some --

8 MR. PAINTER: Yes, we would. We would
9 expect --

10 ADMIN. JUDGE JACKSON: -- there would be
11 some energy -- neutron energy issues that would come
12 into the cross-section averaging and --

13 MR. PAINTER:

14
15
16
17
18
19
20
21

22 ADMIN. JUDGE JACKSON: Did you say that
23 there would be additional CSAs done or --

24 MR. PAINTER:

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

The problem is, there really is no benchmarks for that. So it wasn't credited in the analysis.

ADMIN. JUDGE JACKSON: Yes.


MR. PAINTER: We assumed the material was HF/UF-6. And the other thing you have to understand is we filled that region probably grossly with uranium beyond what the plant will probably allow us to sustain operationally. I mean, you are putting quite a bit of material in; you want a separator to see that analysis.

MR. SILVERMAN: Judge Jackson, may I for one second? Just so the record is clear -- and I know you have an excellent Court Reporter -- I just wanted to ask if you wouldn't mind if Mr. Painter would just -- sometimes he is not letting you finish your question. I would rather he let you finish your question, and then answer. So I'm just asking him to please do that, and there will be a clearer record.

Thank you.

ADMIN. JUDGE JACKSON:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25



MR. PAINTER: With respect to the final design, the ISA team will evaluate the final design to validate all of our conclusions. So at that time, we would be doing extra evaluation of all aspects of the plant, if that's what you are looking at.

ADMIN. JUDGE JACKSON: Let me try that question again, though.

MR. PAINTER: Well, I'm sure that we will have the ability to do that. We have not specified what those are, so -- in the current design.

And we have to control all of that throughout the whole facility.

ADMIN. JUDGE JACKSON: All right. So it leads to the two IROFS where you are going to look at HF and oxygen.

1 MR. PAINTER: Those are what we are
2 looking at right now, that's correct. And, again, the
3 point is to make sure, no matter what the failure is,
4 that we -- when it happens, it isn't a safe
5 configuration, by applying IROFS, by limiting the
6 moderation that goes into that vessel.

7 ADMIN. JUDGE JACKSON: Do you consider
8 this to be the bounding criticality accident for this
9 system?

10 MR. PAINTER: It is one that we believe
11 has a credible path to criticality, yes.

12 ADMIN. JUDGE JACKSON: Are there any
13 others that you identified besides this?

14 MR. PAINTER: We looked at system breaches
15 in it from the normal conditions, and we looked at a
16 number of other -- well, most system breaches led to
17 the radiological hazard. But most of the buildup on
18 the crit safety issue is associated with this
19 accident.

20 ADMIN. JUDGE JACKSON: Okay. I would like
21 to just follow up a little bit on the second part of
22 your testimony, getting away from the criticality
23 safety and into the release of hazardous materials.
24 And I think you had a bullet on one of your slides
25 that basically said that it didn't introduce new

1 release points. I wanted to follow up on that.

2 There are some unique things about these
3 separator modules. I would think that one of them
4 might be you have to get the laser light in somehow,
5 so you are going to have to have some kind of laser
6 windows. Did you look at -- for example, that is kind
7 of the unique thing. Did you look at accident
8 sequences, then, that could introduce leakage paths?

9 MR. PAINTER: Yes, sir. All -- we looked
10 at a number of accident sequences. And you are
11 correct; the laser window would be a place, like any
12 other place, that a path could occur at. The windows
13 are rated the same as the rest of the vessel. And
14 while it may be the -- one of the weakest points --
15 like I say, it may be -- it is just one of many places
16 where a breach could occur. I mean, it depends on the
17 type of vent you're looking at.

18 ADMIN. JUDGE JACKSON: Okay. That kind of
19 would lead me to one more question.

20 MR. PAINTER: I mean, I could have a
21 missile event that interacts anywhere in the vessel.
22 I can have a human impact event that happens any place
23 in the vessel, you know.

24 ADMIN. JUDGE JACKSON: Well, you could
25 tell from the Board's initial question set --

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. PAINTER: Right.

ADMIN. JUDGE JACKSON: -- and the fact that this topic is here, that we were concerned about assuring that the safety analysis in this region was --

MR. PAINTER: Yes, sir.

ADMIN. JUDGE JACKSON: -- carefully done, because of the fact there isn't a lot of operational history. And if I just ask you about the windows, for example, that is probably an area where you don't have a lot of history in these conditions. Would that be fair?

MR. PAINTER: It is fair that our technologies wouldn't routinely use something like that. That's correct.

ADMIN. JUDGE JACKSON: Did you have -- did you try to introduce a conservatism, then, to maybe compensate for the lack of a lot of operational failure data?

MR. PAINTER: We just assumed they would fail under the conditions of the design.

ADMIN. JUDGE JACKSON: Okay.

MR. PAINTER: I mean, they have a certain rating like any other component. We assumed they failed and that we could create those conditions.

1 ADMIN. JUDGE JACKSON: Yes, that's a
2 bounding kind of event.

3 MR. PAINTER: Yes.

4 ADMIN. JUDGE JACKSON: I just wondered in
5 a probabilistic analysis if you would --

6 MR. PAINTER: No, we didn't try to --

7 ADMIN. JUDGE JACKSON: -- measure any --

8 MR. PAINTER: -- credit that it would only
9 fail so often or -- we assumed it failed if we
10 exceeded the pressure rating of the window or the
11 vessel.

12 ADMIN. JUDGE JACKSON: Okay.

13 MR. PAINTER: Just like we assumed the
14 rest of the vessel would fail.

15 ADMIN. JUDGE JACKSON: Let me ask you a
16 similar question, then, about the collection vessels
17 there.

18
19
20 So
21 could there be leakage paths there as well that could
22 be introduced?

23 MR. PAINTER: Well, normally that -- well,
24 of course you could have an event that ruptures that
25 vessel.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

So, I mean, that's the way it normally is --

ADMIN. JUDGE JACKSON: Examined that relate to that component?

MR. PAINTER: I can't remember exactly what we came up with that, no.

ADMIN. JUDGE JACKSON: Okay.

MR. PAINTER: I just --

ADMIN. JUDGE JACKSON: Do you see what I'm -- what I'm driving at is that --

MR. PAINTER: Overpressurizing that unit?

ADMIN. JUDGE JACKSON: -- this is a different looking system.

MR. PAINTER: Yes.

ADMIN. JUDGE JACKSON: And I assume that you went -- did you go over each potential release point that might be different?

MR. PAINTER: We went through each component, that's correct.

CHAIRMAN RYERSON: If I can just interrupt and make the same point that Mr. Silverman made. When we have normal conversations, we always overlap each other, and it is very awkward in a court setting to

1 remember that the Reporter cannot take down two voices
2 at the same time.

3 Thank you.

4 ADMIN. JUDGE JACKSON: Yes. Thank you for
5 that reminder. I'm sure I am guilty as charged.

6 You went over, basically, the unique
7 aspects of this new cascade design, and then looked
8 for release points. Is that correct?

9 MR. PAINTER: That is correct.

10 ADMIN. JUDGE JACKSON: Okay. It sounds
11 like your bottom line from Chart 16, in your last
12 bullet you basically said, "There is no increased risk
13 for breach," and that conclusion is based on looking
14 at accidents, examining each potential new release
15 point in this design, is that right?

16 MR. PAINTER: Yes, Your Honor.

17 ADMIN. JUDGE JACKSON: I guess my last
18 question, then, we talked about the status of the
19 design in 2010 when the ISA was completed and when the
20 staff reviewed it. What are the important design
21 changes that have occurred since then? And do any of
22 them impact the hazard evaluation, either criticality
23 or effluent release?

24 MR. PAINTER: The current design -- the
25 integrated safety analysis has locked down where it is

1 right now. There are efforts to provide more data for
2 the engineers to effect that design, both in approving
3 the efficiency of it and manufacturability of it.
4 None of those designs have been reflected as a formal
5 change for us right now to evaluate. When those are,
6 we have a production management program that will
7 identify the change according to CFR 70.

8 It will do the safety analysis on that
9 change and then do the review to determine whether an
10 amendment is needed and a new review by NRC needs to
11 be done on whatever impact those changes have.

12 ADMIN. JUDGE JACKSON: Thank you.

13 MR. PAINTER: You're welcome.

14 ADMIN. JUDGE JACKSON: That concludes my
15 questioning.

16 CHAIRMAN RYERSON: Thank you, Judge
17 Jackson. Judge Garcia, did you have questions at this
18 point?

19 ADMIN. JUDGE GARCIA: Thank you, Mr.
20 Painter. I enjoyed your presentation -- clear and
21 concise -- about this exciting new process. If I
22 could borrow the diagrams, please. You gave us the
23 impression that these designs have involved materials
24 that were recently obtained from Australians through
25 licensing. Is that correct?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. PAINTER: We assume GLE has purchased that technology, yes.

ADMIN. JUDGE GARCIA: Okay, good. Thank you. And I wondered in your designs here, at what level in development were they created in terms of, are these preliminary design figures that you have shown us?

MR. PAINTER: This would be the conceptual designs to apply the technology in a manner that will achieve the final effect.

ADMIN. JUDGE GARCIA: Right. So we have this on page 4, that conceptual design. What date would you put on that design?

MR. PAINTER: We probably developed that about the time that we turned the application in, just to kind of give a 3-D model of how the equipment could be configured.

ADMIN. JUDGE GARCIA: And what date would that be?

MR. PAINTER: Summer of 2009 I believe is when we turned everything in.

ADMIN. JUDGE GARCIA: So this is a simplistic representation of what final design might be.

MR. PAINTER: Very much so.

1 ADMIN. JUDGE GARCIA: Thank you.

2 Likewise, if we flip to page 5, this cartoon, at what
3 level was this designed? At what time was this --

4 MR. PAINTER: I'm sorry. I got the wrong
5 pages. I was referring in my last answer to page 5.

6 ADMIN. JUDGE GARCIA: Okay. So do you
7 want to go back and correct your --

8 MR. PAINTER: Yes. The other one was done
9 much earlier, because this is the diagram we used for
10 the integrated safety analysis. I mean, I don't know
11 what else to say about it. It was done as one of our
12 cornerstones.

13 ADMIN. JUDGE GARCIA: Okay. Typically,
14 when designs of this sort are given, charts, figures
15 of -- there are captions that help explain what is in
16 the figure. It was certainly helpful for you to tell
17 us what some of these things were in terms of what is
18 in the parentheses. But I would certainly expect that
19 when you provide these kinds of charts and figures
20 that you would indicate on them what they are
21 referring to and not leave it for us to wait for your
22 testimony.

23 So moving on to Figure 5, at what point
24 was this developed?

25 MR. PAINTER: You're talking about page 5?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ADMIN. JUDGE GARCIA: Right, page 5.

MR. PAINTER: This was developed, like I say, the summer that we turned in the application.

ADMIN. JUDGE GARCIA: So no scale is given on this figure. Can you help us understand what the scale is here? You said something about a football field.

MR. PAINTER: Yes. The area is roughly the area a football field would have, just to give you an indication. The vertical separator modules are about 150 feet tall, the center modules. The building, however, is modeled at 225 feet tall.

ADMIN. JUDGE GARCIA: And what are these size estimates based on?

MR. PAINTER: The vertical separator modules are based on the analysis done for the cascade and have quite a number of parameters associated with them, including laser efficiency, the unit efficiencies. The particular sizes of the components are based on being able to transport these from where we have them manufactured to the site. For example, all of our tanks are designed to be small enough to fit on a tractor-trailer. The separator elements themselves are also designed to that size.

ADMIN. JUDGE GARCIA: Okay.

1 MR. PAINTER: So we had limiting sizes we
2 were looking at, so we could manufacture the facility.

3 ADMIN. JUDGE GARCIA: Okay. When we
4 visited the facility last year -- yes, last year --
5 and we thank GE-Hitachi for allowing that visit -- it
6 was my impression that the -- there had been
7 improvements in the efficiency of design. Is that
8 correct?

9 MR. PAINTER: There has probably been some
10 proposed, but there is no formal change request right
11 now to change the design from what we have presented.

12 ADMIN. JUDGE GARCIA: I understand that.
13 It was your previous testimony. I'm asking --

14 MR. PAINTER: Yes.

15 ADMIN. JUDGE GARCIA: -- if the efficiency
16 has been improved over the last few years since this
17 design was made.

18 MR. PAINTER: Are you referring to the
19 vertical separator module itself? It is my
20 understanding we have got some methodologies we want
21 to apply to eliminate or improve the removal in the
22 product collection region. They are doing feasibility
23 studies to see if that will be feasible, but I -- to
24 my knowledge, they haven't actually given anybody a
25 design that we can evaluate to look at what the

1 changes are. 81

2 ADMIN. JUDGE GARCIA: So the process is
3 still in the --

4 MR. PAINTER: Yes.

5 ADMIN. JUDGE GARCIA: -- design stage.

6 MR. PAINTER: Right.

7 ADMIN. JUDGE GARCIA: Okay. So we are --
8 this conceptual model is still the current thinking.

9 MR. PAINTER: Yes, sir.

10 ADMIN. JUDGE GARCIA: Okay. Moving on to
11 page 7, at what level was this -- what time was this
12 diagram constructed?

13 MR. PAINTER: This has always been
14 available to us.

15 ADMIN. JUDGE GARCIA: So, again, this is
16 an early conceptual?

17 MR. PAINTER: Yes.

18 ADMIN. JUDGE GARCIA: And does this
19 accurately reflect the separation process?

20 MR. PAINTER: To my knowledge, it does.

21 ADMIN. JUDGE GARCIA: Okay. So you expect
22 to be able to separate all of the uranium 235 from the
23 uranium 238 during this separation process.

24 MR. PAINTER: It is not an all process
25 where you probabilistically provide conditions to

1 collect more of the U-235 in that one region. The
2 collection is not 100 percent.

3 ADMIN. JUDGE GARCIA: Right. Does this
4 diagram show 100 percent?

5 MR. PAINTER: You can interpret it as
6 such. It is really not intended to.

7 ADMIN. JUDGE GARCIA: Okay. But it is
8 shown as --

9 MR. PAINTER: Well, it was meant to be
10 conceptual, but it is not a 100 percent process.

11 ADMIN. JUDGE GARCIA: So -- okay. The
12 diagram on page 8, is that, likewise, early
13 conceptual?

14 MR. PAINTER: Yes, sir.

15 ADMIN. JUDGE GARCIA: And has the design
16 changed since this was made?

17 MR. PAINTER: No. Not since this was
18 done, no.

19 ADMIN. JUDGE GARCIA: Okay. At what point
20 will humans be involved in this cascade system? What
21 will be their role?

22 MR. PAINTER: Do you mean as far as
23 operation or maintenance? Well, obviously, in
24 operation and maintenance, the human factor will be
25 involved. We expect, obviously, a control room for

1 the process to oversee the parameters. We expect to
2 have to do maintenance on components and deal with
3 both hazards of criticality safety and
4 chemical/radiological safety dealing with these
5 systems.

6 ADMIN. JUDGE GARCIA: Okay. Do you see
7 any greater risk in dealing with this vertical
8 separation module than in any other system?

9 MR. PAINTER: I don't see any greater
10 risk. I mean, it is still a process gas system that
11 has the same potential hazards in it that any of the
12 other systems have.

13 ADMIN. JUDGE GARCIA: Okay. I have no
14 other further questions at this time.

15 CHAIRMAN RYERSON: Thank you. Mr.
16 Painter, turning specifically to the cascade area in
17 the proposed facility, is it possible for you to
18 estimate at the present time roughly what percentage
19 of the design you would consider to be complete?

20 MR. PAINTER: I am not the best qualified
21 person to do that. I have been involved with the
22 integrated safety analysis exclusively, and I am not
23 briefed routinely on some of the plans being worked
24 on.

25 CHAIRMAN RYERSON: Who would be the best

1 person to ask that question?

2 MR. PAINTER: Julie Oliver would be able
3 to answer that.

4 CHAIRMAN RYERSON: And I take it that
5 would be the same answer for the percentage of the
6 overall facility that is presently completed -- Ms.
7 Oliver?

8 MR. PAINTER: Yes, Your Honor.

9 CHAIRMAN RYERSON: Okay. Thank you.

10 I have no further questions. Judge
11 Jackson?

12 ADMIN. JUDGE JACKSON: No further
13 questions.

14 CHAIRMAN RYERSON: Judge Garcia?

15 (No response.)

16 Is that the end of the testimony from Mr.
17 Painter, Mr. Silverman?

18 MR. SILVERMAN: Can I have one minute with
19 Mr. Painter, please?

20 CHAIRMAN RYERSON: Certainly.

21 (Pause.)

22 MR. PAINTER: Your Honor, I have one minor
23 correction to my testimony. It's on page 43, the
24 answer to question 30 -- or answer 34. In the second
25 line I refer to activated alumina as trapped media,

1 that should be hydrated alumina. Just a little
2 technical --

3 CHAIRMAN RYERSON: Thank you, Mr. Painter.

4 All right. If Mr. Painter is not
5 scheduled to testify on another topic, he is welcome
6 to stay if he would be helpful, and in your view that
7 would be a need to know reason, Mr. Silverman. He is
8 welcome to stay as far as we're concerned. He has a Q
9 clearance, and he can stay through as much of the
10 remaining testimony as he wishes.

11 Thank you very much. You may step down.

12 (Whereupon, the witness was excused.)

13 MR. SILVERMAN: Thank you, Your Honor.

14 CHAIRMAN RYERSON: We are ready for the
15 staff witnesses. And just to confirm, it will be
16 Christopher Tripp and Blake Purnell, initially on
17 Topic 1A. Is that correct?

18 MS. SAFFORD: That's correct. And Merritt
19 Baker on Topic 1B.

20 CHAIRMAN RYERSON: Okay. They all have Q
21 clearances. Does it make the most sense to split them
22 up or take them together?

23 MS. SAFFORD: Bring them all down -- I
24 would like to bring them all down together. We
25 could --

1 CHAIRMAN RYERSON: All together and we'll
2 do 1A and 1B at the same time. And they are all Q-
3 cleared. Okay. That's fine.

4 We'll take a short break. Does anyone
5 know how long it will take to --

6 MS. SAFFORD: Five minutes.

7 CHAIRMAN RYERSON: Five minutes.

8 MS. SAFFORD: I just have to run upstairs
9 and get them from the conference room.

10 CHAIRMAN RYERSON: Excellent. We will
11 reconvene at 11:10.

12 MS. SAFFORD: Okay. Thank you.

13 CHAIRMAN RYERSON: Thank you. Let me
14 remind everyone to secure any classified materials
15 that you have.

16 (Whereupon, the proceedings in the
17 foregoing matter went off the record at 11:02 a.m. and
18 went back on the record at 11:18 a.m.)

19 CHAIRMAN RYERSON: I apologize for the
20 slight delay there. The classified aspects of the
21 reporting system required a little bit of attention.
22 We can't proceed without the Court Reporter, who is
23 more important than any of us here.

24 NRC staff, there are two parts of your
25 presentation. And what I am thinking, given that we

1 are approaching the lunch hour, unless you prefer
2 otherwise, it might make the most sense to have both
3 your presentations in order, 1A and 1B, and then we
4 will give -- have questions for the witnesses on both
5 panels or putting the panels together on those topics,
6 most likely after lunch. Does that timing sound right
7 to you?

8 MS. SAFFORD: Yes, that sounds fine.

9 CHAIRMAN RYERSON: Okay. All right.

10 MS. SAFFORD: Your Honor, if I could, I
11 would just like to make one quick motion for the
12 record.

13 CHAIRMAN RYERSON: Yes.

14 MS. SAFFORD: I would like to request that
15 the record remain open until after the parties have
16 had an opportunity to review the transcript, so that
17 our panelists here who were not able to sit in and
18 listen on the Applicant's testimony will have an
19 opportunity to review, and, if additional testimony is
20 required, we would have an opportunity to submit that
21 on the record.

22 CHAIRMAN RYERSON: Yes. We certainly will
23 keep the record open pending the transcript
24 corrections. And as we discussed during the pre-
25 hearing conference, we will have to figure out a way

1 to do that. The easiest thing may be to have
 2 representatives of the parties who are properly
 3 cleared come in and look at the transcript together
 4 and hopefully agree upon any necessary changes. And I
 5 emphasize "necessary." It is always tempting to want
 6 to make grammatical changes in transcripts, and the
 7 like, but really in 35 years in practice I think there
 8 were one or two occasions when a "no" or a "not" was
 9 omitted, and those are about the only substantive
 10 changes that I ever recall that were necessary.

11 So we have, just to -- we have a panel
 12 which consists of Mr. Tripp, Mr. Purnell, and Mr.
 13 Baker. Correct? Gentlemen, would you raise your
 14 right hands? Is the testimony you are about to give
 15 in this proceeding -- or, sorry, do you swear or
 16 affirm that the testimony you are about to give in
 17 this proceeding will be the truth, the whole truth,
 18 and nothing but the truth?

19 ALL: Yes.

20 CHAIRMAN RYERSON: Thank you. All right.
 21 So we will begin with a presentation on Topic 1A,
 22 which will be by Mr. Tripp?

23 MR. TRIPP: Okay.

24 CHAIRMAN RYERSON: Is that correct?

25 MR. TRIPP: Yes.

1 CHAIRMAN RYERSON: Thank you.

2 MR. TRIPP: Okay. Thank you, and good
3 morning. I will be presenting a discussion of
4 criticality safety review. This review was done by
5 Mr. Blake Purnell and myself. Blake was the reviewer
6 during most of the technical review. He left to get a
7 different position shortly before the technical review
8 was done, and so I have worked mostly on the follow up
9 to that, finishing the SER, and so forth.

10 The purpose of our testimony -- we are
11 going to review some key aspects of the safety review,
12 specifically addressing the topics of -- yes, Slide 3,
13 that were specifically asked about in the Board's
14 questions.

15 CHAIRMAN RYERSON: And if I can just
16 interrupt you -- I'm sorry, Mr. Tripp -- I would
17 emphasize for the witnesses to be sure to identify the
18 exhibit you are referring to by number each time. I'm
19 not sure we always did that in the morning, and it
20 makes for a much more clear record if you are certain
21 to do that. I think you just did that with this
22 particular one, but just as a reminder.

23 Thank you.

24 MR. TRIPP: Okay. I may need counsel's
25 assistance in doing that.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Okay. On Slide 4, first, we wish to present a discussion of the regulatory requirements pertaining to criticality safety. In particular, all of Part 70 will apply to criticality as well as other hazards, chemical and radiological hazards. But the ones that are most pertinent to criticality safety are on this slide, Slide 4.

The first is 70.24, which requires that there be criticality accident alarm system in facilities having more than a critical mass of material, which this facility certainly will. And if you have an alarm system, you are also required to have emergency response procedures to provide things like medical care, and so forth.

10 CFR 70.61, the performance requirements, there are two parts -- two performance requirements that pertain to criticality. One is 70.61(b), which requires high consequence events be made highly unlikely. Criticality is generally considered a high consequence event and -- although it does pertain to other hazards as well, whereas 70.61(d) only pertains to criticality. It requires that all processes be subcritical under normal and credible abnormal conditions.

It also requires that the controls that

1 you use be in place to prevent criticality. So
 2 criticality has to be prevented as opposed to other
 3 types of hazards, which can also be mitigated. And
 4 then, there is 70.61(d), which requires any physical
 5 item, engineered item, or administrative requirement
 6 used to meet 70.61(b) or (d) be designated an item
 7 relied on for safety.

8 70.62 is the -- requires the safety
 9 program, an integrated safety analysis, to be
 10 performed. So reviewing criticality accident --
 11 accident sequences is an important part of doing the
 12 ISA. The part of the criticality or the part of the
 13 safety program that pertains to criticality is
 14 referred to as the nuclear criticality safety program,
 15 similar to fire protection or radiological protection
 16 program. But it has a criticality safety focus.

17 10 CFR 70.64, the baseline design
 18 criteria, pertain to new facilities or new processes
 19 in existing facilities. The part of that that
 20 pertains most specifically to criticality is
 21 70.64(a)(9), which requires that the design provide
 22 for the prevention of criticality, and in particular
 23 meeting the double contingency principle.

24 That is also something that has met my
 25 existing facilities, but it is only required under the

1 rule for new facilities. And 70.64(b) requires
2 defense-in-depth, which the double contingency really
3 addresses that, because that is a particular form of
4 the defense-in-depth principle.

5 And then, 70.72 pertains to facility
6 changes, and there are -- so we would be concerned
7 about changes that could have an impact on the
8 criticality safety basis.

9 Okay. Next slide, please.

10 Now, the regulatory guidance that is
11 available for that is primarily NUREG-1520, standard
12 review plan for a fuel facility. Chapter 5 addresses
13 the criticality safety program, and Chapter 3
14 addresses the -- how you perform an ISA, not just for
15 criticality but for other hazards, but certainly
16 including criticality.

17 The revision that was in place when the
18 license application was submitted was Revision 0. So
19 although that has since been revised, we are going by
20 the version that was in place at the time of
21 submittal.

22 Since NUREG-1520 was issued in 2000, there
23 have been a number of issues that have come up where
24 -- areas where we defined more guidance being
25 necessary. So we have issued a number of interim

1 staff guides, the so-called ISGs. And two of these
 2 are of particular importance to criticality. One
 3 pertains to the ISG-3, to the performance
 4 requirements, and how the requirement to be
 5 subcritical under normal and credible abnormal
 6 conditions, and to show that criticality will be
 7 highly unlikely, how that interacts or how that plays
 8 out when you also have double contingency principle.

9 So there is a series of different
 10 requirements, so ISG-3 is meant to explain how the
 11 three of those work together to meet the rule
 12 harmoniously. And ISG-10 pertains to, how do you
 13 justify the minimum out to the subcriticality?

14 We also regulate -- a lot of emphasis is
 15 put in the criticality safety program on meeting
 16 various industry standards. And there is a whole
 17 series of E&S 8 standards that pertain to criticality.
 18 These are endorsed in NRC Regulatory Guide 3.71. And
 19 there are also a number of technical reports. The one
 20 that we used for this one in particular is NUREG-6698,
 21 which talks about how you perform a criticality safety
 22 code validation.

23 This is discussed somewhat in the standard
 24 review plan, but in a lot more detail than NUREG-6698.
 25 So that establishes the regulatory framework for the

1 criticality safety review. The things that were
2 reviewed were basically the GLE license application,
3 particularly Chapter 5, which corresponds to Chapter 5
4 of the standard review plan, the ISA summary as it
5 pertains to criticality, the validation report which
6 pertains to the monitoring of subcriticality.

7 And also, there was onsite ISA documents
8 which compromise the much larger picture of the safety
9 basis of the facility. The ISA summary is --
10 basically just tells you the results of the ISA, but
11 there is a whole suite of other documents onsite.
12 And a sample of those is part of an onsite vertical
13 slice review that was done during the review.

14 Next slide.

15 CHAIRMAN RYERSON: That would be Slide
16 Number 6?

17 MR. TRIPP: Slide 6, yes.

18 CHAIRMAN RYERSON: Thank you.

19 MR. TRIPP: Okay. The conduct of the
20 review -- the review basically consisted of two parts.
21 The first was a programmatic review where we looked at
22 the description of the NCS, the nuclear criticality
23 safety program, in the license application Chapter 5,
24 and compared their commitments against the acceptance
25 criteria in the standard review plan. So that was a

1 programmatic review pertaining to their overall
2 methodology for ensuring criticality safety at their
3 facility.

4 Then, there was the technical review,
5 which entails reviewing the design, reviewing the
6 accident sequences, and the items you rely on off of
7 safety in the ISA summary, which is really the
8 implementation of the program and the application of
9 the program to the current facility design.

10 So that was done -- we reviewed a
11 description of the various parts of the ISA summary,
12 the process description, the accident sequences, and
13 IROFS, and so forth. And the goal of that was really
14 to determine whether the Applicant's design was
15 correctly implementing a criticality safety program.

16 And as I have indicated here, it's
17 supplemented by performing the vertical slice review,
18 where we looked at individual sequences, and from a
19 high level did the calculations and other technical
20 documents backing up those sequences, and so forth.

21 Okay. Slide 7.

22 So that sort of gives you an overview of
23 the overall criticality safety review. Now, the Board
24 had asked questions about unique aspects of the
25 facility, because this is a new technology that is

1 being used here for the first time. And, really, the
 2 unique part of the facility is really the heart of the
 3 enrichment process, the cascade and gas handling area.
 4 As everyone knows, it is based on a laser-based
 5 separation.

6 And the other parts of the facility that
 7 support that that I will talk about in a minute really
 8 are not that much different from other processes that
 9 you have at other fuel facilities.

10 Slide 8.

11 Now, there are three basic commercial
 12 technologies, either in use or being planned in the
 13 United States. These are the laser enrichment, gas
 14 centrifuge, and gaseous diffusion. The gaseous
 15 diffusion and gas centrifuge are in use at the moment.
 16 We have a much longer history with diffusion, although
 17 centrifuge technology has been used elsewhere in the
 18 world for a long variety of time.

19 And the laser process, while it is new,
 20 only really differs in the actual physical process
 21 used to perform the enrichment itself.

22 The enrichment part of the process is
 23 referred to as a cascade in all types of facilities,
 24 because there is a certain amount of enrichment that
 25 occurs and there is a series of stages that you go

1 through. So it is referred to as a cascade.

2 The other areas of the plant are similar
3 to all of the types of enrichment facilities. You
4 have cylinder enrichment -- I mean, cylinder receipt
5 and handling, either feeding of natural or depleted
6 uranium. This is because all three processes are
7 based on UF-6 gas.

8 There is a cylinder feed of the UF-6 --
9 cylinder where the UF-6 is converted into a gas for
10 the enrichment process. After enrichment, you have a
11 product stream where the gas is converted, again, into
12 a solid. And the tails, which is the leftover
13 depleted stream, that also has to be stored in
14 cylinders.

15 And then, there may be a product blending
16 and sampling area, where different streams are
17 combined to get the proper -- the desired enrichment
18 for that particular campaign.

19 Slide 9.

20 Now, the part that we want to leave you
21 with, that we were asked about, what were the dominant
22 hazards, and the dominant hazards are -- really occur
23 where the physical conditions that you have are
24 amenable to having criticality. You have to have
25 large quantities of uranium. It has to be in a form

1 -- as you know, you have to have a critical mass of
2 uranium in a fairly compact volume in order to attain
3 criticality. So only a solid or a liquid phase is
4 amenable to that. You can obtain criticality with a
5 UF-6 gas as long as it maintains in the gas phase.

6 So, therefore, it is only really in the
7 product area where you have -- product or blending
8 areas where you have enriched uranium, you have large
9 quantities, and it is condensed into a solid or
10 potentially a liquid form. In this facility, it would
11 be solid, because it is being desublimed directly from
12 the gas to a solid phase.

13 So that occurs outside the enrichment
14 part. And in the other parts of the plant, that is
15 the same as what is used in other -- both fuel
16 fabrication and enrichment facilities. So that is
17 where the dominant risk occurs.

18 In the cascade itself, which is the unique
19 part of the process, we considered the risk to be very
20 low, primarily because UF-6 is in a gaseous state.
21 Also, the amount of material in each stage is low;
22 it's not generally sufficient to form criticality.
23 And, in addition, moderator, such as liquid water, has
24 to be excluded from the process in order for the
25 process to work. And low enriched uranium needs

1 moderator in order to reach criticality. So not only
2 don't you have the right density and mass of material,
3 you also don't have the moderator that is necessary.

4 And for those reasons, we consider this --
5 the enrichment portion to be the lowest risk part of
6 the facility.

7 We did look at some hazards. We looked at
8 the possibility of over-enriching, and there are
9 various scenarios where material can reach a higher
10 enrichment than is designed. But, again, as long as
11 moderator is excluded and it is maintained in the
12 gaseous phase, it is not going to lead to accidental
13 criticality.

14 And we also looked at the possibility of
15 getting moderator into the cascade, such as through
16 air leakage into the equipment, because the equipment
17 is normally at subatmospheric levels. We will talk
18 about that a little bit more in the next slide, on
19 Slide 10.

20 So there really are no unique hazards at
21 the laser enrichment facility than you would have at
22 another enrichment facility. Even the process of --

23 CHAIRMAN RYERSON: Excuse me. We are on
24 Slide 10 now, right?

25 MR. TRIPP: Slide 10, yes.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN RYERSON: Thank you.

MR. TRIPP: Okay. So you would have the same hazards. Even the over-enrichment hazard you have at other enrichment facilities. The exact physical mechanism that you use to perform the enrichment -- and the means of preventing over-enriching -- may vary. But the fact that over-enriching is a hazard is something that the other facilities also have to cope with.

Now, there are really no unique design features that are significantly different from the other enrichment processes. In criticality safety, we typically approach it a little differently than some of the other disciplines, in that we are looking at what conditions -- first, start by looking at what conditions are necessary for criticality to occur.

So we will look at what parameters are being controlled and to what values. And in the enrichment and gas-handling area, the primary parameters that are being controlled are enrichment moderator, geometry, and volume. I lumped geometry and volume together, because they both rely on limiting the dimensions of process equipment.

For enrichment, the control is basically through monitoring the process. Process flows,

1 temperature pressure, those kinds of parameters are
2 monitored very closely, and -- because the amount of
3 enrichment efficiency, the amount of enrichment you
4 get in each stage, will depend on those kinds of
5 parameters.

6 So for product quality purposes, they need
7 to monitor continuously the state of the process. And
8 this is really done at the other enrichment facilities
9 as well. The details may vary, but the fact that you
10 are monitoring process conditions associated with the
11 UF-6 gas is the same. So the overall strategy is the
12 same, although the specific controls may vary
13 somewhat.

14 So the process is continuously monitored
15 for enrichment. There is also enrichment sampling
16 that takes place before the UF-6 gas is desublimed
17 into a solid, which is where the hazard of criticality
18 then becomes more credible.

19 Moderation control is primarily through
20 the passive gas boundary. That is, because the
21 equipment is maintained at subatmospheric pressure, in
22 most cases they have to maintain a boundary that keeps
23 the gas in and keeps the atmosphere out.

24 UF-6 is also strongly fluorinating. When
25 UF-6 reacts with water, it will form UO₂F₂ deposits,

1 and the water will be dissociated. It will form HF
2 primarily. And that is really a function of the
3 chemistry of UF-6. It is sort of technology-
4 independent.

5 But that fluorinating environment means
6 that instead of having liquid water accumulating in
7 the cascade, when it reacts with the UF-6, most of it
8 is going to be eliminated as HF gas. And, again, we
9 monitor conditions within the cascade. There is a
10 significant amount of water intake that is going to
11 show up as increased pressure, and so on, in the
12 cascade.

13 And then, geometry and volume are
14 primarily through the dimensions of passive equipment,
15 spacing between them, and so forth. So that would be
16 more of a passive control.

17 So the overall criticality safety strategy
18 that is outlined on Slide 10 is really the same as
19 you'd have for any other enrichment facility.

20 Slide 11.

21 So the finding they are required to make
22 -- and this is part of the review -- is that we have
23 reasonable assurance that -- a reasonable assurance of
24 safety and regulatory compliance with all of the
25 regulatory requirements that I indicated on an earlier

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

slide.

And reasonable assurance that we have identified all of the important accident sequences is really based on a number of things. First of all, we have to have confidence in the ISA methodology. The methodology being used for laser enrichment is the same as it -- or similar to what is being used at other fuel facilities. I believe it is essentially the same as what is currently being used at the Global Facility.

So the overall methodology, which is described in Appendix A of Chapter 3 of the standard review plan, is essentially what is used at most of the fuel facilities, including this one. So that defines the overall methodology, and there is various commitments to how they evaluate consequences, likelihood, and how they determine what management message to apply, and so forth.

So overall we have confidence in the methodology, and we obtain more confidence in that by reviewing the ISA summary. So look at the higher risk sequences in more detail, and also, when we did the vertical slice review. And that is really to validate the methodology, that they are implementing it correctly.

1 There is also the fact that the industry
2 has a lot of familiarity -- and not only the industry
3 but this licensee in particular, the existing licensee
4 at the site -- has familiarity with handling of UF-6
5 gas. The gaseous process of handling of cylinders,
6 and so forth, is something that is done commonly
7 throughout the industry.

8 So although the enrichment technology is
9 new, the technology involved with handling where the
10 dominant risks are located is not new.

11 Slide 12.

12 There is also the criticality safety
13 program. The program consists or includes a number of
14 technical practices for how you decide what kind of
15 controls to establish, preference for engineering
16 controls over administrative, how you -- the fact that
17 you want to rely as heavily as possible on passive
18 geometry, how you model different parameters when you
19 establish your models for your criticality
20 calculations, and so forth.

21 And the focus is really on identifying
22 what parameters you are going to control, and
23 establishing enough controls to ensure you meet the
24 double contingency principle. This is a very
25 deterministic approach that goes in parallel with

1 performing the ISA.

2 But the deterministic approach assumes
3 that if you have a failure, or if control over a given
4 parameter is lost, then the value of that parameter
5 goes to the most reactive credible value, without
6 taking into consideration what the likelihood of that
7 is. And so, therefore, that drives you to consider in
8 your models very conservative assumptions.

9 This produces large safety margins. For
10 instance, assuming the highest facility enrichment
11 everywhere in the facility, or neglecting neutron
12 absorbers, or there is any number of these. If you
13 don't control geometry, it typically assumes the
14 worst-case geometry, which would be a spherical
15 geometry, and so on.

16 So this leads to very large safety
17 margins. And we did review the program, and it is --
18 meets the same standard as other criticality safety
19 programs that are out there.

20 On Slide 13, I will reiterate that we
21 considered that the risk of criticality in the cascade
22 gas handling area was low. Although it was low,
23 because it is new, we did look at a couple of
24 different scenarios. One was the over-enrichment
25 scenario, and there is various ways that process

1 parameters can get out of bounds and the enrichment
2 can increase.

3 But only one scenario is identified that
4 could increase the bounding enrichment that was used
5 throughout the plant. All of the criticality
6 calculations assumed an eight weight percent
7 enrichment, even though they are only authorized to
8 withdraw product at five weight percent. And the
9 difference in reactivity from going from five to eight
10 produces a large safety margin.

11 The only means of exceeding that was by
12 taking a product cylinder and feeding it back in as a
13 feed cylinder. Now, that would require violation of
14 controls as material control in moving cylinders
15 around. You'd have to lose track of cylinders, bring
16 it back, and feed it -- the wrong cylinder into the
17 feed process.

18 But in addition to those sort of
19 administrative requirements of tracking cylinder
20 movements and accounting for material, the valve
21 designs on the cylinders are different. So it was
22 designed so that it would be physically impossible to
23 connect a feed cylinder or a product cylinder to the
24 feed process. So there is a passive design that
25 prevents that as well, and that was the only means

1 that was identified that could indicate exceeding the
2 eight weight percent. Even if you did exceed it, you
3 are still dealing with a gas, you still don't have the
4 moderator that would be required for criticality.

5 Moderation-intrusion scenarios were also
6 considered. These are prevented primarily by the
7 passive design that maintains the pressure boundary of
8 the gas. As I indicated, UF-6 is strongly
9 fluorinating and will react with water to transport
10 the hydrogen away as HF gas. So the chemical and
11 physical nature of UF-6, constant monitoring of the
12 process, so if the process were to get out of bounds,
13 it would be quickly identified.

14 And it would require that the process be
15 severely out of bounds for a long period of time.
16 Because of the low throughput required, it would take
17 a very long period of time to accumulate enough
18 material at the right enrichment to have a criticality
19 concern.

20 And in addition, they have also committed
21 to performing periodic NDAs to look for these UO₂F₂
22 deposits that are the product -- the byproduct of the
23 reaction of UF-6 with water. And that is something
24 that a lot of the other enrichment facilities don't
25 do, because they don't consider it necessary because

1 it is such a low risk and such a long-term process.
2 And in looking at the vertical slice
3 review, there were no other significant concerns
4 identified in this area.

5 Slide 14.

6 In terms of criticality code validation,
7 which we took to be the intent of the Board's question
8 -- please pardon me if we got this wrong, but we
9 interpreted the question to be, where there any unique
10 aspects associated with the validation of the
11 criticality codes? And the short answer is: no.

12 We do validate the code, so if there are
13 areas in the cross-sections they will be detected when
14 we calculate benchmark experiments that are known to
15 be critical. Whatever the deviation from the
16 k effective of 1, that is applied as a correction to
17 the calculated value for other calculations that have
18 been done.

19 There were no unique code validation
20 issues. And the basic reason for that is, again, it
21 is a UF-6 process. The physical systems that are
22 associated with that UF-6/UO2F2 solids and solutions,
23 and so forth, which would be an absolute bounding
24 worst-case scenario, those are all things that are
25 handled not only at other enrichment facilities but at

1 other fuel fabrication facilities as well.

2 So those are all things that have been
3 benchmarked over and over again at different
4 facilities, and it is the same physical system, it is
5 the same fissile material that is being considered.
6 And so, therefore, there are no unique validation
7 issues.

8 So are there any questions?

9 CHAIRMAN RYERSON: I think we have agreed
10 we will hold the questions, Mr. Tripp, for you and Mr.
11 Purnell, until this afternoon, and we will go on to
12 the formal presentation on 1B, which is by Mr. Baker.

13 MR. BAKER: Okay. Good morning, and thank
14 you, Your Honor.

15 We are on Slide 3, Andy.

16 Again, the purpose of my testimony is to
17 discuss key aspects of the staff's review and some of
18 our findings, with emphasis on important accident
19 sequences, differences between GLE and other
20 enrichment facilities, sequences posing the greatest
21 threat, and our basis for concluding the probability
22 is adequately small.

23 Slide 4.

24 In this case, some of the applicable
25 regulations repeat, and some are a little bit

1 different. The performance requirements in 70.61(b)
2 specify that high consequence events will be made
3 highly unlikely, and this aspect of the regulation
4 states, "A chemical, high consequence criteria
5 outright," and this would be a sequence that could
6 endanger the life of a worker or could pose a serious
7 risk to a member of the public. Also, consequences
8 specified for radiation safety, 100 rem to the worker
9 or 25 rem to the public.

10 Similarly, intermediate consequences
11 should be made unlikely, also defined for chem as
12 "could lead to a serious long-lasting effect to a
13 worker or a mild transient effect to a member of the
14 public."

15 Rad criteria, 25 rem to the worker, five
16 rem to a member of the public.

17 Again, similar to criticality, 70.61(e)
18 requires that all controls used to either mitigate the
19 consequence or adjust and reduce the likelihood will
20 be made items relied on for safety.

21 Following that, 70.62 requires the
22 establishment of a safety program. And from a
23 chemical safety point of view, they need to record and
24 maintain process safety information and maintain
25 records of failures. Again, they need to conduct and

1 maintain an integrated safety analysis, and that ISA
 2 must identify radiological hazards, chemical hazards
 3 from licensed material, chemical hazards produced from
 4 licensed material, and a third type, chemical hazards,
 5 that could affect the safety of licensed material.

6 Following that, 70.65 specifies the
 7 contents of the ISA summary, including a description
 8 of the site, including a description of the site
 9 boundary, description of each process in sufficient
 10 detail for the review to be performed. And, finally,
 11 a definition -- the applicant defines "unlikely,"
 12 "highly unlikely," and "credible" as used elsewhere.

13 Slide 5.

14 The applicable guidance documents --
 15 again, we followed NUREG-1520, the standard review
 16 plan -- in this case, Chapter 3 in its entirety for
 17 the integrated safety analysis, and Chapter 6 in its
 18 entirety for the chemical safety program. It
 19 specifies what we would expect for process
 20 descriptions, calculation consequences, and
 21 assumptions.

22 In addition, there is NUREG-1513, the ISA
 23 guidance document. It describes how an appropriate
 24 application would perform the ISA. It does not
 25 emphasize any method over another.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Three other guidance documents include NUREG-1391, chemical toxicity of uranium hexafluoride; NUREG-5659, control room habitability; NUREG-6410, fuel cycle facility analysis handbook. Those were all used by the staff when we calculated independently some worst-case scenarios.

Slide 6.

We reviewed the license application in its entirety using NUREG-1520. From my review -- again, we used Chapter 3 for the integrated safety analysis and Chapter 6 for chemical safety. We reviewed the Applicant's ISA summary in its entirety, particularly their methodology, the process descriptions, the descriptions and lists of items relied on for safety.

We reviewed this summary for completeness, all of those pieces that must be contained in an ISA summary. We examined the appropriateness of their techniques and assumptions.

In the onsite team review, we performed what we call a horizontal slice, and we would take certain processes or scenarios and follow the ISA methodology all the way through. This horizontal review used our experience with other plants, and then the existing test loop.

Slide 7.

1 Some specifics on the applicant's ISA
2 methodology, they broke down in the -- their ISA
3 summary each building or system into its lowest
4 possible description -- a subsystem or a node. And
5 that gave us sufficient detail to examine, you know,
6 what would hazards be at each point in the process.

7 They did use one of the commonly used
8 methodologies, a "what if" checklist methodology.
9 They had a team of a wide range of experiences in
10 disciplines, including a team leader who was trained
11 in the methodology itself.

12 I would emphasize this is what
13 if/checklist. Following this team brainstorming type
14 review, they have a pre-printed checklist with some
15 key words -- pumps, compressors, piping, and so forth
16 -- to force them after the brainstorming, free-flowing
17 scenario development, to go through a discipline list.

18 They came up with three unmitigated
19 consequence categories -- three being high, two being
20 intermediate, one being low. They used the same
21 regulatory criteria for high and intermediate as the
22 performance requirements in 70.61.

23 They developed three likelihood categories
24 -- three being the most likely. This is how to
25 describe. The most likely, category three, also

1 called not unlikely; category two, unlikely; category
2 one, highly unlikely.

3 Then, they printed an unmitigated risk
4 matrix where they multiplied the consequence and the
5 likelihood together, so the so-called worst-case
6 scenario would be the highest consequence, and the
7 least attractive likelihood a nine. Then, there are
8 sixes and fours, and so forth.

9 Their methodology required them for nines
10 and six indexes to develop IROFS, something to
11 mitigate the consequence or reduce likelihood. In
12 addition, they performed a quantitative risk
13 assessment detailing the likelihood of failure of any
14 of these systems or items relied on for safety.

15 This is called a semi-quantitative risk
16 index approach, and it was identical to an example in
17 Appendix A of NUREG-1520.

18 Slide 8.

19 For each system, again, the Applicant
20 provided a description of the scenario, a description
21 of initiating or contributing conditions, a
22 description of preventative or mitigating controls,
23 and an event tree showing the likelihood determination
24 as you would go through the possible failure of any of
25 these controls.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Following that, there was a description of the management measures that would be applied to the items relied on for safety. These management measures -- calibration training, and so forth -- ensure that the likelihood index for that item relied on for safety is at the reliability that was calculated.

Slide 9.

All of their hazards were identified in accordance with this ISA methodology -- high, intermediate, or less than intermediate. When they calculated consequence, they used variables of quantity released, the location of the release, physical properties -- gas or liquid -- the presence or absence of a worker, distance to the member of the public, if that was the scenario, ambient conditions, time of exposure, and so forth.

Again, the staff did some independent modeling of some scenarios, not just to check their arithmetic but independent modeling of selected scenarios determined by the staff based on our experience.

Again, those are in what we call Appendix A of the non-public version of the SER. And I apologize, I don't know the exhibit number for that document.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Slide 10.

How did we identify the important accident sequences? The staff examined all of the high and intermediate consequence scenarios. That is, high and intermediate consequence scenarios into unmitigated stake. Eventually, they were all mitigated down to highly unlikely or unlikely.

We do have confidence, again, in the depth and thoroughness of the ISA commitments, staff's experience with these processes in other enrichment facilities. In our onsite trip, we performed what we called a vertical slice review, and we would delve into the underpinnings, the calculations themselves, the models they used. We had access to all of the available piping drawings, electrical drawings, logic drawings, for instrument loops. And we examined them for appropriate and reasonable conservatism.

Again, we verified that they used appropriate techniques and valid assumptions. So we concluded that the plant design itself was based on safety first, and a preference for passive safety features, and the administrative management structure described in the license application was determined to support the reliability of these safety controls, and a continuing thorough design as we reviewed it.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Slide 11.

Differences in design features and hazards from other types of gaseous diffusion plants. We can say that all of these enrichment plants handle UF-6 using similar methods. They all have similar enrichment assays, up to five percent. They all have the same general structure -- feed, withdrawal, tails. They all have cylinder storage. They all have sampling.

Compared to the gaseous diffusion plants, there are actually fewer hazards. No large rotating equipment, no large lube oil reservoirs, reduced risk from fire. Again, compared at least to the gaseous diffusion plants, there is a smaller inventory in the cascade.

All of these gaseous diffusion plants, centrifuge plants, the laser enrichment facility, all of their enrichment facilities operate at a subatmospheric or nearly atmospheric condition that increases safety quite a bit.

There is no high enriched attributes here.

There is no high enriched attributes in the GDPs or the centrifuges. But for -- compared to general fuel cycle experience, hazards from high enrichments are not credible. There is no solution chemistry, there

1 is no uranium recovery likely of the fuel -- fuel
2 manufacturing plants would use.

3 Slide 12.

4 The staff's judgment of accident sequences
5 posing the greatest threat included UF-6 feed product
6 and tails withdrawal, blending sampling in the
7 cylinder yard. The cylinder yard made the list,
8 because that is simply where the greatest quantity of
9 UF-6 is stored.

10 The other subsystems represent places
11 judged to be a high threat. That is when the system
12 is open for connecting or disconnecting. There may be
13 places, such as sampling, where the UF-6 is withdrawn
14 as a liquid. And the toxicity of a liquid UF-6 is
15 greater than that of gaseous UF-6.

16 So those are the places and the reasons we
17 felt the greatest threats resided.

18 Slide 13.

19 We determined that the risks were
20 adequately small, reasonable assurance of safety was
21 presented. The controls were the same as or similar
22 to the other enrichment facilities. The laser physics
23 are understood, and, in fact, the laser itself doesn't
24 create new types of hazards from a chemical or
25 radiological viewpoint.

1 Throughout the application and the ISA,
2 the Applicant committed to national standards,
3 national codes for NFPA, electrical code, and so
4 forth. The commitments and the design was consistent
5 with other known industry practices.

6 And I believe Chris mentioned this -- this
7 is a new facility. The baseline design criteria
8 applies, and they are required to use defense-in-depth
9 in their design.

10 And I believe that is the close of my
11 portion of question 1.

12 CHAIRMAN RYERSON: Thank you, Mr. Baker.
13 Thank you, Mr. Tripp, for your presentation as well.

14 We are just about right on schedule. I
15 would suggest we give ourselves a little over an hour
16 and reconvene promptly at 1:15 here in the conference
17 room.

18 Anything, Mr. Silverman, that you want to
19 say at this point?

20 MR. SILVERMAN: No. No, Your Honor.

21 CHAIRMAN RYERSON: NRC staff?

22 MS. SAFFORD: Nothing at this point, Your
23 Honor.

24 CHAIRMAN RYERSON: Okay. Judges?

25 (No response.)

1 Okay. I once again will remind everyone
2 of your responsibility to protect classified
3 information. If you have notes that you would like
4 destroyed in a proper fashion, as we leave, you may
5 give them to the law clerk, Anne Siarnacki. And,
6 similarly, she is prepared to put in a secure location
7 over the lunch hour a reasonable, limited amount of
8 classified material, if you want to use her for that
9 purpose.

10 I think that's it. We will see you at
11 1:15.

12 Thank you.

13 (Whereupon, at 12:08 p.m., the proceedings
14 in the foregoing matter recessed for lunch.)
15
16
17
18
19
20
21
22
23
24
25

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

121

2 (1:16 p.m.)

3 CHAIRMAN RYERSON: Welcome back, everyone.

4 I think we have one or two people who were not in the
5 room before, but I -- everyone is cleared and has a
6 need to know, as far as the parties are concerned?

7 MR. SILVERMAN: Yes, Your Honor. We have,
8 for the Applicant, two people additionally who could
9 have been here this morning, but they are Q-cleared,
10 have a need to know, and are non-witnesses.

11 CHAIRMAN RYERSON: Okay. Thank you, Mr.
12 Silverman.

13 MR. SILVERMAN: Thank you.

14 CHAIRMAN RYERSON: Just on a housekeeping
15 detail, I believe -- and we should have this on the
16 record -- that our first witness this morning, Mr.
17 Painter, when he went through his presentation was
18 actually using what has been previously identified as
19 GLE Document or Exhibit 002. Is that correct, Ms.
20 Safford?

21 MR. SILVERMAN: That would be --

22 MS. SAFFORD: GLE Exhibit?

23 CHAIRMAN RYERSON: Sorry.

24 MS. SAFFORD: No, that's okay. I can
25 probably help you confirm if --

1 MR. SILVERMAN: I am 99 percent sure that
2 is right.

3 CHAIRMAN RYERSON: GLE, yes. Mr.
4 Silverman, that is correct.

5 And for the two NRC witnesses, the first
6 witness was Mr. Tripp, who was dealing with NRC 110 --

7 MS. SAFFORD: Yes.

8 CHAIRMAN RYERSON: -- and Mr. Baker, NRC
9 11.

10 MS. SAFFORD: Yes.

11 CHAIRMAN RYERSON: Okay. And if either
12 the witness or the counsel would make a point of
13 identifying an exhibit before a presentation, that way
14 the record will be clear.

15 Gentlemen, we have Mr. Tripp and Mr. Baker
16 and Mr. Purcell. In the witness box, you are reminded
17 you are still under oath. And we will begin -- I
18 think what we will do -- all three of you are welcome
19 to sit up there. We will go through probably in
20 order, Topic 1A, and then follow Topic 1B. But that's
21 the order we will proceed in.

22 Judge Jackson will begin questions on
23 Topic 1A.

24 ADMIN. JUDGE JACKSON: Thank you, Judge
25 Ryerson.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I believe I would like to reference these questions more to your pre-filed testimony. It runs in parallel, obviously, with your PowerPoint presentation. But sometimes it is easier, and there is a little more detail in the pre-filed testimony.

So I would like to ask you a few questions that focus on the cascade region of the facility. And if we could go to page 7 of your pre-filed testimony, down at the bottom of the page, bottom couple of sentences, where it says, "The staff" -- you see that I guess, the end of the third line from the bottom.

It says, "The staff did not consider the product collection process to present any unusual hazards that warranted a detailed review."

Could you comment on that, please?

MR. TRIPP: Well, I will start I guess. The fact that you simply have -- it's true that you can have criticality in gas, and you need it in a more condensed form, like a solid or liquid.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

You still
don't have the presence of moderator.

ADMIN. JUDGE JACKSON: Now, you certainly
do have it in a storage cylinder, I agree.

MR. TRIPP: Well, not necessarily. And
since it's in the gaseous diffusion process, they --
it tends to be a fairly leaky process, and there are
some fairly large deposits.

ADMIN. JUDGE JACKSON:

Would that be correct?

MR. TRIPP: Yes. They are all part of the
process.

ADMIN. JUDGE JACKSON: Well, I guess it is
a matter of interpretation.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. TRIPP: Correct.

ADMIN. JUDGE JACKSON: Okay. If you go on, that same spot, it says, "Because the enrichment cascade relies primarily on moderation and enrichment control, as long as these parameters are maintained within the safety limits, criticality cannot occur."

For this particular system, I guess I would like to ask you, what is the basis for that statement?

MR. TRIPP: Well, it is not really dependent on the system. It is just based on the physics of criticality. The low enriched material requires moderator in order -- to criticality, because of the neutron cross-sections that are involved.

ADMIN. JUDGE JACKSON: I hear you. Are you saying because you could look at those mass limits, and in that geometry, and just based on analogy with other systems you would know that to be subcritical? I mean, there is still a basis for a judgment --

MR. TRIPP: Yes.

ADMIN. JUDGE JACKSON: -- that you didn't have to -- that you believe criticality can be precluded.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. PURNELL: So, I mean, it was considered, and I believe there's IROFS in this case to prevent criticality. So --

ADMIN. JUDGE JACKSON: Yes, there are IROFS to prevent that

It just seemed like -- in the staff's pre-filed testimony, it didn't seem to address that kind of bounding incident. And I was curious if the staff had considered that as part of their going through the accident sequences and --

MR. PURNELL: I mean, certainly, in what would be the horizontal slice of the review, I looked at all of the criticality accident sequences that were in this portion of the ISA summary. So, I mean, I can't speak to detail at this point on --

ADMIN. JUDGE JACKSON: Okay.

MR. PURNELL: -- you know, a specific accident sequence, but it certainly wasn't reviewed.

MR. TRIPP: I also don't think it is -- it is not our position -- at least we don't intend to

1 leave the impression that criticality is impossible,
2 it can't occur. Rather, that we think this part of
3 the facility is relatively low risk. Certainly, there
4 are scenarios that could potentially lead to
5 criticality, but there are controls in place.

6 ADMIN. JUDGE JACKSON: All right. I guess
7 I was just looking at the totality of that statement
8 that the staff made, and it seems to be saying that
9 there wasn't anything unusual.

10

11 But I guess it is a matter of
12 interpretation.

13 Also, on that same page, if we move up the
14 page to your answer 13 to question 13, question 13
15 says, "Are there design features that pose potential
16 criticality safety hazards that different
17 significantly from those in the gas centrifuge?" And
18 so on. And your answer is, "No. Criticality control
19 in the enrichment cascade is based primarily on
20 moderation and enrichment control." That is what you
21 just stated.

22 And it says certain components also rely
23 on geometry or volume and interaction control. Could
24 you comment on what those components are and how the
25 geometry and volume control comes into play?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. PURNELL: I mean, examples would be like piping would be a geometry control. But more specific than that, I -- you know, I --

ADMIN. JUDGE JACKSON: I guess I was trying to -- let me ask the question -- in trying to focus on the cascade region --

MR. PURNELL: Right.

ADMIN. JUDGE JACKSON: -- would there be anything in the cascade region where you would consider that the ultimate control might be there is only so much room to --

MR. PURNELL: I believe there are --

ADMIN. JUDGE JACKSON: -- contain material.

MR. PURNELL: -- spots in the cascade region as well that control was in part based on geometry. I agree that the bulk of the cascade geometry isn't a fact. In other words, you know, it is basically not a control for crit safety concerns. It is the moderation control/enrichment control that is more important.

ADMIN. JUDGE JACKSON: Okay.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Would

that be an example of what you -- what the staff had in mind in -- as volume control?

MR. PURNELL: I'm not aware of such a sequence. So I can't really speak to that one. It doesn't sound familiar to me, so --

ADMIN. JUDGE JACKSON: Okay. Well, we could pull that up and look at it. It is in the ISA summary that the Board was supplied that came along with the application.

Let's go to page 10 of your pre-filed testimony. I would like to ask you a little bit about criticality code validation, and on the top of page 10, in answer 17 -- you are very good at pulling those up, thank you -- you see there are no criticality code validation issues that are unique to the cascade area.

I guess I am a little surprised by that also.

Why wouldn't you have code validation issues associated with geometry, neutron energy spectrum, issues like that?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. TRIPP:

So it is a material that is commonly handled. In fact, it is commonly handled at the Global facility it is collocated with. And I believe that they have the same code validation for that, so they have to validate it for use of solid UF-6 at the fuel fabrication plant.

And solid UF-6 is something -- it is -- you know, it is only a concern if there is moderator present. So you have a thermalized spectrum. And it is something that is commonly encountered and benchmarked across the industry.

ADMIN. JUDGE JACKSON: Isn't geometry a factor in code validation, however, one of the factors?

MR. TRIPP: It is a relatively minor factor that really only typically becomes an issue when the geometry effects the neutron spectrum.

ADMIN. JUDGE JACKSON:

MR. TRIPP: Well, there may be some possible minor effects of the cross-sections from that

1 -- for those types of effects. I think in general we
2 were looking at the whole picture, looking at the
3 amount of safety margin that they have --

4 ADMIN. JUDGE JACKSON: Okay.

5 MR. TRIPP: -- for instance, due to
6 modeling at eight weight percent, and so forth. Also,
7 the other materials that are present --

8 ADMIN. JUDGE JACKSON: Okay.

9 MR. TRIPP: -- are not being credited.
10 The neutron absorption properties are not being taken
11 into account, which also contributes to the large
12 safety margin.

13 ADMIN. JUDGE JACKSON: Okay. Let's talk
14 for a minute about your horizontal/vertical reviews.
15 They seem to be an important part of your gaining
16 confidence that all of the criticality accident
17 sequences were identified. How did that work, and how
18 does that give you the confidence you need to be able
19 to assert that all of the important sequences have
20 been identified?

21 MR. PURNELL: So I guess I will start with
22 the horizontal slice review is basically a review of
23 the ISA summary that was submitted as part of the
24 application. Basically, what I did was, you know,
25 start with reading, you know, process descriptions.

1 Obviously, some processes, you know, have no crit
2 safety concern like the laser itself. You know,
3 there's no material even there. Depleted uranium
4 areas don't have any crit safety, the natural uranium
5 areas don't have any crit safety concerns. But
6 basically verifying -- and there's no real mechanism
7 to get enriched material into those areas, you know,
8 that -- so at that level, that's all I did for those
9 parts.

10 And then, the bulk of the process, you
11 know, I did read all of the sequences and such and
12 review all of the sequences. And I was also involved
13 in the Eagle Rock Enrichment Facility, so a lot of the
14 areas were, you know, similar except for the cascade
15 region. So, you know, I could kind of cross-verify
16 the -- you know, the sequences, you know, were similar
17 -- similar types of accident sequences for both. So I
18 was very familiar with the Eagle Rock.

19 So, then, the cascade region was where it
20 went a step further, and that's what the focus of the
21 vertical slice review was, which was done onsite
22 basically looking at supporting documents, the ISA
23 documents themselves. The main focus of that was on
24 enrichment control, because the ISA summary did not
25 identify any enrichment control IROFS. And so I was

1 | trying to understand why that was the case.

2 | Basically, in order for there to be no
3 | IROFS, they basically have to show that, you know,
4 | there is no credible sequences needing such enrichment
5 | controls.

6 | And then, in this case, since the bulk of
7 | the facility is based off of eight weight percent in
8 | the safety analysis, you know, it is -- verifying that
9 | assumption was important. You know, if that couldn't
10 | be supported, then a lot of their analysis would be
11 | problematic.

12 | In this case, it was -- you know, based on
13 | the vertical slice review, they did review -- or did
14 | do a number of analyses of process upsets. And I was
15 | able to conclude that, yes, there are no credible
16 | sequences that give some -- above eight weight
17 | percent, assuming the, you know, plant is designed to
18 | produce five weight percent material, which is their
19 | -- the takeoff that they intend to do.

20 | ADMIN. JUDGE JACKSON: Let me ask you a
21 | quick question about enrichment control. One of the
22 | unique aspects of this facility is the ability to have
23 | much more enrichment occur at a given stage, right? I
24 | mean, many fewer stages that -- we had testimony to
25 | that effect earlier today. Does that in any way --

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

does that in any way complicate enrichment control,
the fact that in a single stage you can have a
substantial jump in enrichment as opposed to requiring
hundreds of stages?

MR. PURNELL: Really, what, you know, I
looked at was, you know, how does a process upset
affect, you know, your final outcome. So, yes, a
process upset can potentially have a larger change in
enrichment. I mean, it is difficult, though, to
compare to a centrifuge plant. I didn't, you know, go
into that kind of detail for a centrifuge plant.

But, you know, like I say, I confirmed
that there was no process upsets in there that would
lead to greater than eight weight percent final
product. So there was, you know, quite a few
different upsets they looked at. Obviously, you know,
some were larger than others, but none exceeded the
eight weight percent.

ADMIN. JUDGE JACKSON: Okay.

Do
you --

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. PURNELL: I don't remember --

ADMIN. JUDGE JACKSON: Okay.

MR. PURNELL: -- if I looked at that or not.

ADMIN. JUDGE JACKSON: Okay. Well, I think my remaining questions probably relate to Topic 2, and so I think I will wait, and we will talk about future analyses and design changes when we address that in Topic 2. So I'm finished.

CHAIRMAN RYERSON: Thank you, Judge Jackson.

Judge Garcia, did you have questions?

ADMIN. JUDGE GARCIA: Yes. Thank you.

Mr. Tripp --

MR. TRIPP: Yes?

ADMIN. JUDGE GARCIA: -- I want to discuss briefly your page 13 of your oral testimony. And particularly what I wanted to start with was the selection of the value of eight percent uranium 235 as a subcritical point. How was that selected?

MR. TRIPP: The eight weight percent was what the Applicant had used as a bounding enrichment for its criticality analyses.

ADMIN. JUDGE GARCIA: Now, you accepted that value and just used it in your analysis.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. TRIPP: Well, we reviewed what was submitted to us, and they submitted -- they have calculations, and they based their facility design on eight weight percent enrichment.

ADMIN. JUDGE GARCIA: To your knowledge, is there any reason that that is a particular important value?

MR. TRIPP: No. No.

ADMIN. JUDGE GARCIA: So it could have been 10 percent, it could have been seven.

MR. TRIPP: Right. The higher value that they use, they obviously would have to design the plant more conservatively. So that was probably something that they felt that they could guarantee that they wouldn't exceed, but yet would not be overly restrictive.

ADMIN. JUDGE GARCIA: Okay. Very good. So based on your analysis, that eight percent value is one that is a comfortable one for the plant.

MR. TRIPP: Correct.

ADMIN. JUDGE GARCIA: Okay. Very good.

Mr. Purnell, you had mentioned that you looked at horizontal and vertical slices in your reviews, and I wondered the depth of your reviews. Did you make independent calculations in these

1 reviews? Or did you just review their calculations?

2 MR. PURNELL: Well, the horizontal slice
3 is the ISA summary. So I didn't do any independent
4 calculation. It is all this risk method that Nick
5 talked about.

6 ADMIN. JUDGE GARCIA: Okay.

7 MR. PURNELL: So it discusses accident
8 sequences, and then, you know, what controls are on
9 them, which you can discern what are the controlled
10 parameters. So, and the vertical slice, now, I didn't
11 do any independent calculations on that either. That
12 was reviewing their onsite documents.

13 ADMIN. JUDGE GARCIA: So it is your
14 testimony, though, that you feel comfortable in your
15 analysis of the risks involved, and that they are low?

16 MR. PURNELL: Yes.

17 ADMIN. JUDGE GARCIA: Okay. Thank you.

18 CHAIRMAN RYERSON: Thank you, Judge
19 Garcia.

20 Mr. Tripp, are you in a position to
21 estimate what percentage of the facility design is
22 presently complete?

23 MR. TRIPP: No, I wasn't involved enough
24 in the review to --

25 CHAIRMAN RYERSON: Okay.

1 MR. TRIPP: -- ascertain that.

2 CHAIRMAN RYERSON: And that would be true
3 of any aspect of the facility, instrumental and
4 control, for example?

5 MR. TRIPP: Correct.

6 CHAIRMAN RYERSON: Okay. Is the design
7 complete?

8 MR. TRIPP: To the best of my knowledge --
9 this is second-hand from discussion with the other
10 reviewers -- the answer is no.

11 CHAIRMAN RYERSON: Okay. But you found it
12 -- what you looked at -- to be sufficient to assess
13 the risks of criticality, I take it.

14 MR. TRIPP: Yes. I believe that Mr.
15 Purnell would be -- he actually did the vertical slice
16 review -- would agree with that.

17 CHAIRMAN RYERSON: Okay. But you
18 participated as well in that --

19 MR. TRIPP: Not in the actual review. A
20 review is essentially complete when there was a change
21 in the reviewer.

22 CHAIRMAN RYERSON: I see. Okay. So I
23 will address my question to Mr. Purnell. You are
24 satisfied that the design is sufficiently complete for
25 you to evaluate the risks of criticality.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. PURNELL: Yes.

CHAIRMAN RYERSON: Okay. The one reason I ask is that I know, Mr. Tripp, you are familiar with a procedure here at the NRC called a differing professional opinion?

MR. TRIPP: Yes.

CHAIRMAN RYERSON: And could you describe that procedure?

MR. TRIPP: Yes. If a staff member has a different technical view, there are procedures to try to resolve it through collegial interactions with staff and management. If that fails, you have the option of writing a differing professional opinion which then goes to an independent panel of experts for resolution.

CHAIRMAN RYERSON: And in connection with another enrichment facility, you exercised that prerogative, am I correct?

MR. TRIPP: Yes.

CHAIRMAN RYERSON: That was in 2006 in connection with the United States Enrichment Corporation facility.

MR. TRIPP: Correct. Correct.

CHAIRMAN RYERSON: Okay. Are you aware that that -- that your document is Exhibit 22, NRC

1 Exhibit 22 in this proceeding?

2 MR. TRIPP: No, but I'm aware that the
3 subject has come up.

4 CHAIRMAN RYERSON: Okay. Thank you. You
5 know, you stated in that document -- what is
6 identified as NRC Exhibit 22 -- and I will just read
7 from page 7 very briefly. "Without a sufficiently
8 complete facility design, it is obvious that all
9 accident sequences have not been identified, and all
10 needed IROFS have not been established. Thus, new
11 hazards will arise, or new controls will be
12 established, as the facility is constructed. These
13 may or may not be adequate.

14 "We would, therefore, not have the same
15 level of reasonable assurance of adequate protection
16 as we would if we were confident that the ISA summary
17 was completed and based on a nearly complete design."

18 I take it that your views today with
19 respect to the proposed GLE facility take into account
20 your views with respect to the USEC facility?

21 MR. TRIPP: My role in the review is
22 rather unique, since I didn't participate in the
23 actual technical review, I helped complete the SER.
24 So my views on GLE is that I haven't looked at enough
25 of the design to render an opinion.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN RYERSON: Okay.

MR. TRIPP: I trust Mr. Purnell's judgment when he tells me that it was sufficiently complete. My views have not changed since 2006.

CHAIRMAN RYERSON: Your views about the level of detail required to make the judgments required under NRC regulations has not changed.

MR. TRIPP: Correct.

CHAIRMAN RYERSON: I will get to Mr. Purnell in a moment. But just so I am clear, your views were not accepted, I believe, by the relevant Division Chief or Division Director. And there was an appeal to the Executive Director for Operations at the NRC with respect to that. Was there?

MR. TRIPP: Yes.

CHAIRMAN RYERSON: Okay. Has the issue that was raised in that appeal ever been addressed at the Commission level, to your knowledge?

MR. TRIPP: To my knowledge, no.

CHAIRMAN RYERSON: Okay. But you are applying the same standards personally -- speaking as somebody who is a witness today, you are applying the same standards that you would have applied in 2006, even though through the appeal process it was determined that perhaps a somewhat different standard

1 applied. Is that question clear?

2 MR. TRIPP: It is. The situation that
3 came out -- the resolution of the DPO was somewhat
4 unclear. It was upheld in that they didn't say that a
5 fatal error had been made during the USEC licensing,
6 so that was allowed to stand. But there were actions
7 that came back that the Office Director had directed
8 us to look at our guidance to specifically address
9 this issue.

10 When we revised our standard review plan
11 in 2010, it was supposed to be -- specifically address
12 the level of detail issue. So, in my view, that was
13 sort of a tacit acknowledgement that the issue was --
14 guidance on the issue was inadequate up to that point.

15 Now, my opinion, in the 2010 revision it
16 didn't really address it adequately. So we are
17 currently undergoing another revision. And I don't
18 think the question of what level of detail is needed
19 to license a new facility has ever been truly
20 resolved.

21 CHAIRMAN RYERSON: Okay. Mr. Purcell, are
22 you aware of the background of the revisions to -- is
23 it NUREG-1520? Is that what we are talking about?

24 MR. PURNELL: It was undergoing revision
25 about the time I left. I think that it actually did

1 get issued shortly after I left, within a few months.
2 So I was aware, but, you know, obviously, I didn't,
3 you know, ever look at the final -- what was finally
4 approved.

5 CHAIRMAN RYERSON: Okay. But just so I'm
6 clear, it is your professional opinion, having looked
7 at the design detail that is available now, that
8 criticality risks are consistent with the
9 determinations that you are required to make under NRC
10 guidance and regulation.

11 MR. PURNELL: Yes.

12 CHAIRMAN RYERSON: Okay. Okay. Judge
13 Jackson, any further questions on criticality?

14 ADMIN. JUDGE JACKSON: No. No.

15 CHAIRMAN RYERSON: Judge Garcia?

16 ADMIN. JUDGE GARCIA: No.

17 CHAIRMAN RYERSON: You are welcome to stay
18 in the box, if you'd like, or step down. We will move
19 on to Topic 1B, and we will have Judge Jackson.

20 ADMIN. JUDGE JACKSON: I think the
21 underlying logic for this topic sounds a lot like
22 criticality safety in that it -- I believe that the
23 analysis shows -- and both the Applicant and the staff
24 assert -- that the greatest hazards from the viewpoint
25 of potential release of radiological or chemical

1 materials occur in balance of plant, perhaps related
2 to disconnection and connection of tanks and those
3 kinds of operations. Would that be correct?

4 MR. BAKER: That is correct.

5 ADMIN. JUDGE JACKSON: And similarly, that
6 the balance of plant, as we said before, looks a lot
7 like any other enrichment facility or facility that is
8 handling UF-6. Is that correct?

9 MR. BAKER: That is correct.

10 ADMIN. JUDGE JACKSON: All right. Just to
11 be explicit, then, in your review of the facility and
12 the accident sequences, did you see anything that was
13 significantly different from existing, say, centrifuge
14 facilities?

15 MR. BAKER: Not that was significantly
16 interesting or surprising, no.

17 ADMIN. JUDGE JACKSON: Okay. Well, as was
18 the case before, I would like to, then, talk about the
19 cascade area. Again, I could refer to your pre-filed
20 testimony for some of these questions. Let's go to
21 page 5 of the pre-filed testimony, down about a third
22 of the way up from the bottom, and you talk about
23 conducting the horizontal review and the vertical
24 slice review for hazardous release, which is similar
25 to what we have just been discussing for criticality.

1 Is that correct?

2 MR. BAKER: I would clarify that for
3 chemical safety and radiological safety they would be
4 releases compared to deposits --

5 ADMIN. JUDGE JACKSON: Right.

6 MR. BAKER: -- which seem to be the focus
7 of the --

8 ADMIN. JUDGE JACKSON: Exactly.

9 MR. BAKER: -- criticality questions. But
10 almost entirely related to releases.

11 ADMIN. JUDGE JACKSON: Okay. So, again,
12 this is a place where the staff comes in and looks at
13 the accidents -- release accidents, leakage points
14 that have been identified, and then tries to become
15 convinced that this has been comprehensively looked at
16 and evaluated.

17 MR. BAKER: That's correct.

18 ADMIN. JUDGE JACKSON: Okay. Could you
19 give me some examples of some of the potential
20 hazardous material release scenarios that would be
21 specific to this laser-based process?

22 MR. BAKER: Well, again, there are no
23 scenarios specific to the use of lasers for the
24 excitation step. I can say in our review we paid
25 quite a bit of attention to sampling steps where a man

1 is present. Okay? In rad safety and chem safety, an
2 operator needs to be present for the hands-on work, if
3 that answers your question.

4 ADMIN. JUDGE JACKSON: Well, the reason --
5 here again, the reason the Board is pressing on the
6 cascade area, just because this is the new unique area
7 for which we don't have a lot of operational
8 experience on saying that, as you look at these
9 accident sequences, where there are things that were
10 unique to this type of a cascade.

11 Let me give you just a simple example that
12 comes to mind. This separator has to have windows to
13 let laser light in, I assume.

14 MR. BAKER: Right.

15 ADMIN. JUDGE JACKSON: Well, you don't
16 have a window like that in other facilities, not a
17 laser window. So that would be an example of a
18 potential penetration or a leakage point that would be
19 unique to this facility. So that is what I'm asking,
20 are there things that are specific to this facility
21 that you looked at to make sure that somebody has
22 thought through each thing that can go -- could
23 potentially go wrong?

24 MR. BAKER: I'm sorry. I do understand
25 the nature of your question now. And, yes, there are

1 those types of places, and it is our advantage that
2 those types of scenarios were identified and reviewed
3 in our review of the test loop that already exists
4 that we have seen. And the types of controls they use
5 -- pressure switches and alarms and duplicate pressure
6 switches and alarms -- we had seen before.

7 And I'm sorry for the confusion, but they
8 did not surprise us that they used those types of
9 switches and alarms again.

10 ADMIN. JUDGE JACKSON: Okay. Let me ask
11 about the product and tails collection vessels. Did
12 you look at -- did those raise any concerns about
13 potentially new release points?

14 MR. BAKER: They did not.

15 ADMIN. JUDGE JACKSON: Okay.

16
17
18

19 MR. BAKER: Not particularly different,
20 no.

21 ADMIN. JUDGE JACKSON: Okay. Anything
22 else come to mind, then, that was unusual to this
23 system?

24 MR. BAKER: Nothing comes to mind that was
25 unusual. I will say that in our vertical slice review

1 we spent time with maintenance activities and
2 laboratory activities, again, where there was hands-on
3 presence of an operator.

4 ADMIN. JUDGE JACKSON: Okay. Well, you
5 see why the Board is asking these questions. We are
6 just -- we are trying to gain assurance that what was
7 unique about this facility and what is new about it
8 has been carefully and methodically reviewed. That is
9 the --

10 MR. BAKER: And it was. Thank you.

11 ADMIN. JUDGE JACKSON: That's the reason
12 we are asking these questions.

13 Let's see. On page 6, up near the top of
14 the page, there is a sentence that starts, "The
15 horizontal review -- the horizontal review utilized
16 the staff's experience with similar facilities and
17 processes to ensure that credible accident sequences
18 were considered."

19 I'm just saying that in those cases where
20 there was something new, like a laser window, did you
21 pay particular attention?

22 MR. BAKER: Again, that statement refers
23 more specifically to withdrawal and sampling in cold
24 trapping. We had brought to the team our most
25 experienced enrichment plant review staff, and that is

1 why we were not surprised. And, again, my answer to
 2 your question about the separator and windows, and so
 3 forth, is that we had seen them and reviewed them and
 4 had hands-on operating experience with the real system
 5 in the test loop in the adjacent GFA facility. So we
 6 were not -- we were not surprised.

7 ADMIN. JUDGE JACKSON: Okay. Just another
 8 question, if we go to page 11. Here I believe the
 9 staff explicitly describes, you know, how you could
 10 determine that all important sequences had been
 11 identified.

12 As pointed out, then, over on page 12,
 13 that each accident sequence included an initiating
 14 event frequency. Okay. That is part of the -- part
 15 of what you had to look at. I guess my question here
 16 is, when you are looking at a first-of-a-kind
 17 facility, where you don't have a lot of operational
 18 history to base a failure rate on or something, did
 19 you -- do you look for added conservatism to
 20 compensate for that?

21 MR. BAKER: We look for realistic
 22 conservatism. We did not see any unusually optimistic
 23 likelihoods for initiating events. Initiating events
 24 were fairly standard -- operator error, corrosion,
 25 equipment failure, and so forth.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ADMIN. JUDGE JACKSON: Okay. Could you characterize the pressure in this cascade area versus, say, a gas centrifuge cascade, maybe in one of the centrifuge modules?

MR. BAKER: Cascade as slightly lower pressure or slightly higher pressure?

ADMIN. JUDGE JACKSON: Right. I mean, this is --

MR. BAKER:

ADMIN. JUDGE JACKSON:

MR. BAKER: Yes.

ADMIN. JUDGE JACKSON: -- region. Does that pose concerns for you to -- in terms of in-leakage that would --

MR. BAKER: We did not characterize it as more prone to in-leakage. From the chemical safety review, we were predominantly concerned with out --

ADMIN. JUDGE JACKSON: Out-leakage, yes.

MR. BAKER: And, again, places where it was deliberately opened and allowed to go to ambient pressure.

ADMIN. JUDGE JACKSON: Okay. So you are convinced that in your review that all of the

1 important hats where you could create effluent sources
2 for either radiological or hazardous materials have
3 been identified.

4 MR. BAKER: I would say, yes, thank you.

5 ADMIN. JUDGE JACKSON: You are comfortable
6 with --

7 MR. BAKER: We are comfortable, yes.

8 ADMIN. JUDGE JACKSON: -- with that
9 review.

10 Thank you.

11 CHAIRMAN RYERSON: Judge Garcia, any
12 questions?

13 ADMIN. JUDGE GARCIA: Yes, thank you.

14 If we could refer to the oral testimony,
15 in particular page 10. It was your evidence that you
16 have gone through and identified all of the important
17 accident sequences. And as part of that testimony,
18 you had mentioned that you examined all of the
19 drawings that were available. And I wonder when you
20 did that examination.

21 MR. BAKER: I would make a tiny
22 clarification that we did not examine all of the
23 drawings.

24 ADMIN. JUDGE GARCIA: Okay.

25 MR. BAKER: We had the opportunity to

1 examine all of the drawings, and that took place in
2 the vertical slice review on the site in September.
3 There were --

4 ADMIN. JUDGE GARCIA: September of?

5 MR. BAKER: 2011.

6 ADMIN. JUDGE GARCIA: Thank you.

7 MR. BAKER: There are a number of 8-1/2 by
8 11 drawings in the application that we utilized for
9 distances, and so forth.

10 ADMIN. JUDGE GARCIA: Okay. What I am
11 particularly concerned about is whether you have
12 confidence that the design has evolved to a point
13 where you have a clear understanding of all of the
14 chemical and other hazards that might be present in
15 this plant.

16 MR. BAKER: Yes. We are comfortable with
17 the level of design as it applies to chemical and
18 radiological hazards. We found that the design is
19 changing quite slowly.

20 ADMIN. JUDGE GARCIA: Okay. Does this
21 also apply to where operators are needed in this plant
22 or facility?

23 MR. BAKER: Yes. We are comfortable that
24 there are no unreviewed new operator locations.

25 ADMIN. JUDGE GARCIA: Okay. Very good.

1 Last thing, I wanted to ask you whether the use of a
2 laser poses any special hazard at this facility.

3 MR. BAKER: Not with respect to chemical
4 or radiological hazards. It is almost entirely an
5 industrial hazard.

6 ADMIN. JUDGE GARCIA: Okay. All right.
7 Thank you.

8 CHAIRMAN RYERSON: Mr. Baker, we have no
9 further questions for you or for Mr. Tripp or Mr.
10 Purnell. We thank you for your testimony. You are
11 free to step down. And if you would like to stay, I
12 think everyone has a Q clearance? You are not
13 testifying on another subject, I believe, as far as I
14 am aware, so you are free to go or stay, as you wish.

15 (Whereupon, the witnesses were excused.)

16 I guess we will take a very brief break
17 and start again at 2:15. We will start with -- on
18 Topic 2, licensing and evolving design, again, with
19 the GLE witness. It is just one witness, Ms. Oliver.

20 MR. SILVERMAN: Your Honor, it is Ms.
21 Oliver.

22 CHAIRMAN RYERSON: Oliver.

23 MR. SILVERMAN: Could we just have a
24 couple of extra minutes to chat with our -- some of
25 the folks who are in the audience, before we move on

1 to 2B?

2 CHAIRMAN RYERSON: What time would you
3 like to start?

4 MR. SILVERMAN: What time do you have now,
5 five after?

6 CHAIRMAN RYERSON: Just about.

7 MR. SILVERMAN: Just if you could give us
8 about 15 minutes, I think that will be good. I mean,
9 that's --

10 CHAIRMAN RYERSON: So we will start --

11 MR. SILVERMAN: -- we'll get Ms. Oliver up
12 here.

13 CHAIRMAN RYERSON: -- at 2:20? 2:25?
14 Whatever you need, Mr. Silverman.

15 MR. SILVERMAN: Yes. Yes.

16 CHAIRMAN RYERSON: 2:20?

17 MR. SILVERMAN: 2:20 would be fine.

18 CHAIRMAN RYERSON: Okay. Again, I remind
19 everyone of your responsibility to protect any
20 classified information. And if the law clerk, Anne
21 Siarnacki, can be helpful in holding anything for you,
22 or destroying any notes that you don't need, we are
23 happy to do that.

24 See you at 2:20.

25 (Whereupon, the proceedings in the

1 foregoing matter went off the record at 2:05 p.m. and
2 went back on the record at 2:21 p.m.)

3 CHAIRMAN RYERSON: We have one more
4 housekeeping detail. Since visitor badges do not
5 contain anyone's name and the guards have a list of
6 names to allow into the room, be sure that anyone
7 that has a visitor's badge brings some ID when they
8 come to testify. That will simplify getting them
9 into the hearing room.

10 All right.

11 MS. SIMON: Excuse me, Your Honor.

12 CHAIRMAN RYERSON: Yes.

13 MS. SIMON: We would like to correct a
14 statement that Mr. Baker made with regard to when the
15 on-site review took place.

16 CHAIRMAN RYERSON: Yes.

17 MS. SIMON: I believe he stated September
18 2011. The actual date, which is in Chapter 3 of the
19 SER is October of 2009.

20 ADMIN. JUDGE GARCIA: That's what I
21 thought.

22 CHAIRMAN RYERSON: Okay. Thank you.

23 All right. We are up to Topic 2, starting
24 with Ms. Oliver, and if I can ask you to raise your
25 right hand.

1 And do you swear or affirm that the
2 testimony you are about to give in this proceeding
3 will be the truth, the whole truth, and nothing but
4 the truth?

5 MS. OLIVER: I do.

6 CHAIRMAN RYERSON: Thank you.

7 And I believe we're going to start with a
8 presentation from you.

9 MS. OLIVER: Yes, sir.

10 CHAIRMAN RYERSON: Okay. Thank you.

11 MS. OLIVER: Good afternoon. Today I'm
12 going to discuss Topic 2B, which has to do with
13 licensing and evolving design. So on Slide No. 2 --

14 CHAIRMAN RYERSON: And if we could
15 identify, this is probably an exhibit. If counsel
16 could identify the exhibit number.

17 Oh, it's up there in the right-hand corner.
18 Twenty.

19 MS. OLIVER: Twenty.

20 CHAIRMAN RYERSON: Exhibit 20. Sorry.

21 MS. OLIVER: So I have three topics that
22 I'd like to talk about this afternoon. The first has
23 to do with the level of design that was submitted
24 with the GLE Commercial Facility Application.

25 The second has to do with the Configuration

1 Management Program that GLE has established.

2 And the third is the NRC approved change
3 criteria.

4 On Slide 3, so to address the level of
5 design that GLE submitted with the license
6 application, the level of design was consistent with
7 the guidance in NUREG-1520, which meant that the
8 design was sufficient to perform the safety basis,
9 develop the integrated safety analysis, and provide a
10 definition of a safety basis for the facility.

11 In general, the design was at the component
12 level for safety systems, and at the process level
13 for non-safety systems.

14 The design is based on conservative and
15 anticipated bounding assumptions. These assumptions
16 are documented and tracked. For example, when an
17 accident analysis was performed on a specific piece
18 of equipment, the amount of material that was assumed
19 to be released was the maximum amount of material
20 that could be held in that piece of equipment. That
21 is an example of a conservative assumption that was
22 used.

23 And as you know, the staff has determined
24 that the level of design, which was submitted, is
25 adequate for its safety review.

1 On Slide 4, to discuss the configuration
2 management program, in accordance with 10 CFR 70.72,
3 GLE has established a Configuration Management
4 Program to evaluate, implement and track changes.
5 This is a formal process which is in place, and we've
6 identified it in two areas. One is 70.72, and then
7 the second is in Section 1.2.5.5 of our license
8 application.

9 The 70.72 covers changes to the facility,
10 as defined in the regulations, and then the license
11 application section has criteria for other pieces of
12 the license application that may fall outside of the
13 scope of the 70.72 requirement.

14 If we do have potential design changes,
15 these require a change request. A change request
16 begins a formal work flow process which is
17 electronic. It requires a team of managers and
18 subject matter experts to review and approve the
19 change prior to implementation. The first step in
20 the review process is to have a qualified integrated
21 safety analysis reviewer and a license application
22 reviewer to evaluate whether or not that change needs
23 prior NRC approval before implementation.

24 On Slide 5, we discuss a little bit more
25 about the NRC approved change criteria, and again,

1 these are defined in two locations in the GLE
2 documentation: in the license application as well as
3 in 70.72.

4 So based on the criteria, design changes
5 which are consistent with the established safety
6 basis are bounded, and there are no safety
7 implications. So in simple terms, if you think of
8 the safety basis as a box, as long as the change
9 remains within the box, we can implement that change
10 without prior NRC approval. However, if the change
11 puts us outside of that safety basis box, prior to
12 implementation we have to go to the NRC for approval.

13 So to summarize, the GLE Commercial
14 Facility, should the design evolve, it will be
15 properly managed within the bounds of the safety
16 basis. It will be documented and tracked, and when
17 applicable, we will send it to the NRC for review and
18 approval prior to implementation.

19 That completes my presentation.

20 CHAIRMAN RYERSON: Thank you.

21 Judge Jackson, questions?

22 ADMIN. JUDGE JACKSON: Just a quick
23 question. We've gotten some information about the
24 status of the design, and so I won't have to go into
25 that with you. But in your pre-filed testimony, on

1 the third page, it basically makes the statement near
 2 the bottom of the page, "It is unusual at best for a
 3 license applicant to have a complete design at the
 4 time it submits its license application, and the
 5 design evolution after license submittal and even
 6 after license approval is the rule and not the
 7 exception in NRC practice."

8 MS. OLIVER: Un-huh.

9 ADMIN. JUDGE JACKSON: On the other hand,
 10 as it goes on to say at the top of the next page you
 11 need enough information so that you can have
 12 identification of all of the IROFS, right, and
 13 possible accident sequences?

14 So it's a matter of balance. I guess my
 15 question is: how do you know, in your view, that you
 16 have a complete enough design that you have not
 17 missed some accident sequences that might pop up as
 18 the design evolves?

19 MS. OLIVER: I'm to refer to the first full
 20 paragraph on page 3 of my testimony.

21 ADMIN. JUDGE JACKSON: Okay.

22 MS. OLIVER: Where we discuss that the
 23 design is based on conservative and anticipated
 24 bounding assumptions, including such things as system
 25 descriptions, system interfaces, and so forth.

1 So this is from 10 CFR 70.22, and so based
 2 on my experience with applications for enrichment
 3 facilities as well as other types of field
 4 facilities, a design needs to be complete enough to
 5 establish the safety basis, as well as to, like you
 6 refer to, assure yourself that you've identified all
 7 of the accident sequences.

8 At the GLE Commercial Facility we did do
 9 the design, and we did use conservative assumptions,
 10 you know, like I discussed in my presentation where,
 11 you know, if we had a component that released
 12 materials as the accident sequence, we don't just
 13 stop there and assume that it's normal operating. We
 14 go above and beyond that to make sure that our
 15 conditions are conservative.

16 So to answer your question fully, in my
 17 opinion, if you can come up with that safety basis
 18 based on a certain percentage level design, then that
 19 is adequate.

20 ADMIN. JUDGE JACKSON: So you've used the
 21 word "conservatism." If you feel like you've
 22 conservatively looked at what would be bounding
 23 conditions, then if you tweaked the design and you're
 24 in that envelope --

25 MS. OLIVER: Exactly.

1 ADMIN. JUDGE JACKSON: -- where you've
2 evaluated and identified accident sequences that
3 would bound any variations --

4 MS. OLIVER: Exactly.

5 ADMIN. JUDGE JACKSON: -- then you would
6 say that that's adequate.

7 MS. OLIVER: And that's exactly what we
8 did, un-huh.

9 ADMIN. JUDGE JACKSON: Okay. That was my
10 question.

11 CHAIRMAN RYERSON: Judge Garcia.

12 ADMIN. JUDGE GARCIA: Good afternoon. I'd
13 like to ask you two questions in particular. One has
14 to do with how the process of uranium enrichment has
15 changed since the staff made their visit to the
16 facility in 2009.

17 MS. OLIVER: Okay. The design that we
18 submitted with the license application in 2009 has
19 not evolved.

20 ADMIN. JUDGE GARCIA: Has not evolved.

21 MS. OLIVER: Has not evolved. So today the
22 design that we intend to build is the design that is
23 described in our commercial facility license
24 application.

25 I'd like to caveat that with as you know

1 from visiting our site, we are looking at some
 2 optimization of the process. So some of the things
 3 that we're looking at include optimization of the
 4 separation technology as well as improvement of our
 5 lasers. But to date we have not made any decisions
 6 on whether or not those are going to go forward and
 7 be incorporated into the design.

8 ADMIN. JUDGE GARCIA: Interesting. So my
 9 second question follows from that in the sense that
 10 at what level do you feel the design is at at this
 11 point. Is it 50 percent complete?

12 MS. OLIVER: I can't really quantify what
 13 level the design is at, but given my personal
 14 background, having looked at some of the applications
 15 for the other enrichment facilities, one of the
 16 things that we did before we prepared this license
 17 application for Global Laser Enrichment was we took
 18 the applications for the other enrichment facilities
 19 which had been licensed previously in the past few
 20 years.

21 So we looked at the USEC ACP applications.
 22 We reviewed the LES National Enrichment Facility
 23 applications, and what I can tell you is that I think
 24 that the level of design that we've submitted is
 25 about the equivalent to what USEC submitted in their

1 ACP application.

2 ADMIN. JUDGE GARCIA: And what estimate
3 would you have for that?

4 MS. OLIVER: I couldn't quantify that, but
5 like I said, you know, we did it in accordance with
6 the guidance so that we could do the safety basis
7 calculation.

8 ADMIN. JUDGE GARCIA: So in broad terms
9 could you say this is a preliminary design? Is it a
10 mature design?

11 MS. OLIVER: In broad terms, what we
12 usually call this is our baseline design.

13 ADMIN. JUDGE GARCIA: Okay.

14 MS. OLIVER: And we have several steps that
15 we have to go through to get to our final design. So
16 we still have to get to a conceptual and then a final
17 design before we construct the facility.

18 ADMIN. JUDGE GARCIA: And in how many
19 months do you anticipate having that final design?

20 MS. OLIVER: I would have to check on that
21 and get back to you.

22 ADMIN. JUDGE GARCIA: Okay. But it's not
23 this year?

24 MS. OLIVER: No, it's not this year.

25 ADMIN. JUDGE GARCIA: Okay.

1 CHAIRMAN RYERSON: Judge Jackson, a
2 question?

3 ADMIN. JUDGE JACKSON: I've got a follow-up
4 question to something you said. When we visited, it
5 seemed as though you were still working on the
6 product and tails collection system. Do you consider
7 that a baseline design, for example, I guess the
8 product collection vessel and maybe the delivery to
9 that?

10 Is that a design that's completed at this
11 stage?

12 MS. OLIVER: What we have is the commercial
13 facility. What you've looked at in our license
14 application is what we're calling our baseline
15 design, and like you pointed out, we are looking at
16 other options to optimize that process, but right now
17 they have not been finalized and incorporated into a
18 design.

19 ADMIN. JUDGE JACKSON: Okay. Thank you.

20 CHAIRMAN RYERSON: Ms. Oliver, you referred
21 to two kinds of changes in the design; is that
22 correct?

23 MS. OLIVER: Yes, sir.

24 CHAIRMAN RYERSON: And some changes GLE may
25 make on its own, subject, I guess, to an eventual

1 review by the NRC.

2 MS. OLIVER: Right.

3 CHAIRMAN RYERSON: And other changes
4 require NRC approval before they're made. Can you
5 estimate at this point how many changes in total you
6 would guess or estimate will occur between now and
7 final plant construction?

8 Are we talking about four changes, three
9 changes, 100 changes?

10 MS. OLIVER: Could you repeat the "between
11 now and"?

12 CHAIRMAN RYERSON: Between now and the
13 completion of plant construction.

14 MS. OLIVER: I really couldn't estimate how
15 many changes we have, but I can say that we have been
16 looking at what some of the other facilities have
17 been experiencing, and what we've tried to do as far
18 as incorporating lessons learned from those
19 facilities is to try to capture everything, make sure
20 that we have everything documented today, work it
21 through our change process so that we can minimize
22 those amount of changes as we start construction.

23 CHAIRMAN RYERSON: But just to approximate
24 what an actual number of changes would be, would you
25 be surprised if it's fewer than ten changes?

1 MS. OLIVER: I would be surprised if it was
2 fewer than ten.

3 CHAIRMAN RYERSON: Would you be surprised
4 if it's over 100 changes?

5 MS. OLIVER: I would say I'd be surprised
6 if we had over 100 changes.

7 CHAIRMAN RYERSON: So somewhere between ten
8 and 100 perhaps.

9 MS. OLIVER: Yes, sir.

10 CHAIRMAN RYERSON: Okay. And when GLE
11 obtains NRC approval before making a change, is that
12 a license amendment or are there different ways of
13 obtaining NRC approval?

14 MS. OLIVER: We would have to go through
15 the license amendment process. So we would have to
16 build in ample time for the NRC review and approval
17 prior to implementing that change.

18 CHAIRMAN RYERSON: Okay. So the only types
19 of changes that the NRC approves involve license
20 amendments; is that correct?

21 MS. OLIVER: I believe that's correct,
22 according to the regulations. If you want to change
23 something in 70.72 or the way we have described in
24 our license application, we would have to submit an
25 amendment application.

1 CHAIRMAN RYERSON: And there would be an
2 opportunity for intervenors to participate on that?

3 MR. SILVERMAN: Your Honor, could I speak
4 to that?

5 CHAIRMAN RYERSON: You have a view, Mr.
6 Silverman. You may answer the question.

7 MR. SILVERMAN: I think we're getting
8 pretty close to legal questions. I mean, I agree
9 with what Ms. Oliver said so far, and I mean, there
10 is a change process in the regulations which
11 specifies criteria when an applicant or licensee may
12 make changes without prior approval.

13 CHAIRMAN RYERSON: Right.

14 MR. SILVERMAN: If those criteria produce a
15 conclusion, and there's usually a procedure in place
16 to make sure you're following those criteria, the
17 change is outside that box, outside, you know, the
18 boundaries of the design as it exists; then a license
19 amendment application is filed and there is an
20 opportunity to request a hearing with the NRC.

21 CHAIRMAN RYERSON: Right.

22 MR. SILVERMAN: There is not necessarily a
23 right to a hearing, but there is an opportunity to
24 request a hearing by members of the public.

25 CHAIRMAN RYERSON: Complying with the

1 contention admissibility requirements or no?

2 MR. SILVERMAN: Yes, contention
3 admissibility and standing.

4 CHAIRMAN RYERSON: And standing, yeah. So
5 essentially, again, two types of changes, some of
6 which could be made unilaterally by the company,
7 although they have to give notice eventually of
8 those changes?

9 MS. OLIVER: That's correct.

10 CHAIRMAN RYERSON: Either may answer.
11 Yeah.

12 MS. OLIVER: That's correct, yes.

13 CHAIRMAN RYERSON: Okay.

14 MR. SILVERMAN: Yes.

15 CHAIRMAN RYERSON: But any that require --
16 I'm just confirming my own understanding that any
17 changes that are preapproved by the NRC would be in
18 the form of a license amendment, which affords the
19 public an opportunity to intervene.

20 MR. SILVERMAN: That is my understanding
21 because there's a separate licensing action by the
22 NRC.

23 CHAIRMAN RYERSON: Right, yeah. I mean
24 obviously thus far there has not been great interest
25 in intervention, but that opportunity would exist.

1 Okay. Judge Jackson, any further
2 questions?

3 ADMIN. JUDGE JACKSON: No further
4 questions.

5 CHAIRMAN RYERSON: Judge Garcia?

6 ADMIN. JUDGE GARCIA: No questions.

7 CHAIRMAN RYERSON: All right. Ms. Oliver,
8 unfortunately, because you are so capable in so many
9 areas, you're going to be testifying again. So we
10 have to ask you to leave the room as you stand down,
11 but on this topic we are done.

12 MS. OLIVER: Okay.

13 CHAIRMAN RYERSON: Thank you for your
14 testimony.

15 MS. OLIVER: Okay. Thank you.

16 (Whereupon, Ms. Oliver was excused.)

17 CHAIRMAN RYERSON: So our next panel will
18 be the NRC, Timothy Johnson and Brian Smith.

19 MS. OLIVER: Yes, that's correct, and I can
20 go get them and it will take me a few minutes to
21 bring them back down.

22 CHAIRMAN RYERSON: Okay. Why don't we
23 reconvene at quarter of?

24 Thank you.

25 (Whereupon, the proceedings in the

1 foregoing matter went off the record at 2:40 p.m. and
2 went back on the record at 2:47 p.m.)

3 CHAIRMAN RYERSON: Please be seated.

4 So we have in the witness box Mr. Johnson.
5 Welcome.

6 MR. JOHNSON: Yes.

7 CHAIRMAN RYERSON: And Mr. Smith.

8 MR. SMITH: Yes, sir.

9 CHAIRMAN RYERSON: Welcome. If you would
10 raise you right hands, do you swear or affirm that
11 the testimony you are about to give in this
12 proceeding will be the truth, the whole truth, and
13 nothing but the truth?

14 MR. JOHNSON: Yes.

15 MR. SMITH: Yes.

16 CHAIRMAN RYERSON: Thank you.

17 All right. My understanding is we will
18 begin with a presentation by one or both of you.

19 MR. JOHNSON: Both, Your Honor.

20 CHAIRMAN RYERSON: Both of you. All right.
21 Please proceed.

22 MR. JOHNSON: All right. I will begin. My
23 name is Tim Johnson. I'm the Licensing Project
24 Manager for the GLE Project, and with me is Brian
25 Smith, who's the Chief of the Uranium Enrichment

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Branch.

And our discussion today will deal -- could I have the next slide please?

CHAIRMAN RYERSON: And we should indicate that the slides are all part of what's been previously marked as NRC Exhibit 112.

MR. JOHNSON: Okay. Can we have the next slide? Yes, that one.

Our objective today is to discuss the staff's approach for reviewing the design of the proposed facility; to talk about the level of detail needed for the review and approval; discuss the evolving aspects of the design; and also how we will ensure that future design changes meet our regulatory and licensing requirements.

Can I have the next slide, please?

This slide presents the key regulations that address a licensing review pertinent to facility design. The first one here is 10 CFR 7.22(a)(7). This particular regulation is in a section called "Content of an Application," and it is a very general requirement for the applicant to provide information on equipment and facilities at their proposed facility.

The next one is under Section 70.23, which

1 is a section that discusses approval of an
 2 application, and in (a)(3) of that section there's a
 3 specification that an application would be approved
 4 if the proposed equipment and facilities are adequate
 5 to protect health and human lives, danger to the life
 6 and property. This is, again, a fairly general
 7 requirement.

8 The next regulation is 70.62(a) through
 9 (c), and in these particular sections they establish
 10 a need for the applicant to provide a safety program;
 11 maintain/process safety information related to
 12 hazards of the facility; have an integrated safety
 13 analysis, or ISA, of appropriate detail for the
 14 complexity of the process, and one that identifies
 15 the hazards, the accident sequences, consequences and
 16 likelihoods, and any items relied on for safety to
 17 mitigate or prevent those accidents.

18 The next regulation listed is 70.64, and
 19 this is a regulation that defines baseline design
 20 criteria. These are very general design requirements
 21 for new facilities, and they include things like fire
 22 protection, chemical safety, and so forth.

23 The next item listed is 70.65(b), and this
 24 is a requirement for providing information in the ISA
 25 summary in sufficient detail to understand and

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

process hazards. Again, this is a fairly general requirement.

And the last regulation listed, 70.72, is a requirement that allows a licensee to make changes to its ISA summary if it meets certain conditions without NRC approval. If certain conditions are met, then the requirement is that the licensee would need to request an amendment to make those changes.

In general, these regulations that I've listed are focused on providing sufficient detail to understanding processing hazards and enough detail to understand the function of an item relied on for safety with respect to the performance requirements, and again, these are focused on a very general nature, and they do not require a final design level of detail to be submitted with the application.

These regulations also allow for changes in the design features and a process for evaluating those changes to determine whether or not specific NRC approval is required.

And, again, I want to emphasize here that the integrated safety analysis was never intended to be a static document, but that over the course of construction and operating period, there would likely be changes based on new technology, for example, or

1 new information that becomes known to the applicant
2 or licensee or the NRC.

3 So, again, the process for change is one
4 that is expected for the facility, and that there was
5 never any expectation when Part 70 regulations were
6 promulgated that this integrated safety analysis
7 would be a static document.

8 Can I have the next slide, please?

9 For our license review of facility design
10 components, the principal guidance document we used
11 is NUREG-1520, which is our standard review plan for
12 fuel cycle facilities, and this provides guidance to
13 NRC staff on the scope of the review, the areas that
14 would be reviewed, and the acceptance criteria that
15 we would use for licensing a fuel cycle facility.

16 And this is somewhat generic guidance that
17 was intended to be applicable to facilities that may
18 include different functions. We use it for
19 enrichment plants. It was used for the other gas
20 centrifuge plants that we license. We've used it
21 here for the GLE facility, and we also use it for
22 other uranium fuel cycle facilities.

23 Can I have the next slide, please?

24 And this standard review plan we feel is
25 applicable to the GLE facilities because the hazards

1 here are similar to the hazards at other uranium-
2 based fuel cycle facilities. For example, all of
3 these facilities involve handling uranium
4 hexafluoride cylinders; processing uranium
5 hexafluoride either as a gas and sometimes as a
6 liquid and as a solid; the use of autoclaves and
7 heating treaters (phonetic) for feeder and sampling
8 uranium cylinders; nuclear criticality conditions;
9 equipment decontamination operations; and laboratory
10 activities.

11 All of these activities are similar between
12 all of our fuel cycle facilities, and especially the
13 enrichment plants, and therefore, we deem that the
14 GLE facility, because of similar hazards, the
15 standard review plan was applicable to them.

16 Now, what we do for different facilities is
17 we inform the review based on the relative risk in
18 each facility. An example of that is not all of our
19 nuclear criticality, for example, is an issue that
20 may require a much more intense review if the
21 facility is proposing to, say, use high enriched
22 uranium, and we do have two fuel fab. facilities that
23 do use high enriched uranium, and so the level of
24 review that we would give that particular area for
25 those kinds of facilities would be much more rigorous

1 than what we would do for a facility that's
2 proposing, say, less than ten weight percent assay
3 uranium.

4 And so in that way we basically inform the
5 review with respect to the overall hazards and the
6 specific activities that are being proposed by an
7 applicant.

8 With respect to the standard review plan,
9 the hazards and plant functions that GE is proposing
10 is very similar to the other enrichment plants that
11 we've licensed. They all handle uranium hexafluoride
12 using similar methods. They all have similar
13 enrichment assays. In other words, they're all under
14 ten weight percent. So in that respect GE is very
15 similar to the other enrichment facilities, the
16 principal difference is in the cascade and the
17 function and enrichment technique that is being
18 proposed here as opposed to gas centrifuge, which was
19 in the other enrichment facilities that we approved.

20 I do want to mention that we do have a
21 separate standard review plan for the mixed oxide
22 fuel fabrication facility, and this was developed
23 principally because of the significant difference in
24 hazards. In this facility, the applicant is
25 proposing to use weapons grade plutonium in different

1 processes. For example, one of the prime differences
2 is a mixed oxide fuel fabrication will use an aqueous
3 polishing process to purify the plutonium before it
4 goes into the fuel fabrication lines.

5 So these are very different functions and
6 operational processes, and we felt that because of
7 that a separate standard review plan would be
8 necessary for that facility.

9 The next area I'd like to talk about is the
10 level of detail that we used in our review, and I
11 think you're aware that enrichment facility licenses
12 are combined construction and operational licenses,
13 and so we really don't expect the final level of
14 design detail to be available prior to the
15 construction and, therefore, prior to licensing.

16 So in that respect, what our focus is on is
17 what the regulatory requirements are for level of
18 detail. And as I mentioned earlier, the focus of
19 that is on a sufficient level of detail for us to
20 understand the processes, the process hazards, and
21 enough detail for us to understand the function of
22 IROFS with respect to their use in meeting the
23 performance requirements.

24 As I mentioned before, the regulatory
25 requirements related to facility design are focused

1 on a sufficient level of detail, and these
2 requirements don't require a final design detail at
3 the license application stage.

4 And a reason we can do this is somewhat
5 twofold. One is that our review is focused on
6 programmatic requirements and the use of industry
7 codes and standards, and by programmatic
8 requirements, I'm talking about the programmatic
9 commitments in, say, a radiation safety program, to
10 have a program that addresses ALARA, that addresses
11 effluent controls, addresses requirements to meet the
12 Part 20 worker and public dose requirements.

13 It also implies the use of standard
14 industrial codes and standards, and our focus in the
15 review was really on looking at the proposed
16 processes and equipment that would be used and
17 insuring that they reference appropriate codes and
18 standards that will ultimately generate a plant that
19 can operate safely.

20 An example of this might be pressure
21 vessels. At this stage, we don't really need to know
22 the size and volume of a pressure vessel, but if we
23 know that it's going to be designed to the ASME
24 Boiler and Pressure Vessel Code Section 8, then that
25 gives us a great deal of confidence that when the

1 pressure vessel is actually built and put into
2 service, that it will have been designed properly; it
3 will have been fabricated properly; it will have been
4 inspected and tested properly to meet our overall
5 safety requirements.

6 So in that respect, if we have a commitment
7 to use a particular code and standard, the final
8 design detail which might include sizing or actual
9 selection of manufacturers' models and model numbers
10 of specific components really isn't necessary as long
11 as we're assured that an appropriate design code and
12 standard is being applied to those components. Then
13 we're satisfied that the plant can operate and be
14 constructed in accordance with our safety
15 requirements.

16 And another aspect of this is -- and this
17 relates to a specific regulatory requirement that's
18 unique to enrichment facilities -- with respect to
19 other materials facilities, and this is a requirement
20 for a construction inspection to occur after the
21 facility is constructed but before we authorize
22 operations, and the intent of this inspection is for
23 us to insure that the construction has been done in
24 accordance with the requirements of the license.

25 So it's at this stage that the inspector

1 would come on site, would look at the actual example
2 is a pressure vessel to ensure that it has been
3 designed with the ASME Section 8 standards, has
4 appropriate code stamps and so on on it before we
5 authorize the operation of this facility.

6 So it is through this inspection process
7 that we insure that the facility is actually built in
8 accordance with the commitments that the applicant
9 made in its license application.

10 On the next slide I'd like to talk about
11 the staff policy guidance that relates to level of
12 design detail, and our policy guidance comes from a
13 memorandum that was signed out by Robert Pierson, who
14 at the time was the Director of our Division of Fuel
15 Cycle Safety and Safeguards, and in it he presented
16 what the regulatory requirements are related to
17 design detail for a license and an ISA summary.

18 And basically this memorandum stated that a
19 final design level of detail was not necessary for an
20 application, and this was supported by the specific
21 regulatory requirements that I talked about
22 previously.

23 And this approach we've used for evaluating
24 our other enrichment plants, the LES plant, the USEC,
25 American Centrifuge Plant, and also for the Areva

1 Enrichment Facility.

2 Could I have the next slide, please?

3 During the USEC licensing, we did have a
4 differing professional opinion on this area, and the
5 issue was whether or not the Pierson memo and the
6 guidance in the standard review plan complied with
7 Part 70. And after the DPO process, there was a
8 decision made by Michael Weber, who at the time was
9 the Director of the Office of Nuclear Material Safety
10 and Safeguards. His decision was that both these
11 documents did comply with Part 70.

12 The individuals presenting a differing
13 professional opinion appealed that decision to the
14 Executive Director of Operations who in his decision
15 affirmed that of Mr. Weber in his.

16 One of the aspects of this that continued
17 on was the recommendations made by both Mr. Weber and
18 EDO to revise the standard review plan in this next
19 revision to incorporate some guidance related to
20 level of detail, and those revisions were made in
21 Rev. 1 to NUREG-1520, which was issued in 2010.

22 MR. SMITH: Okay. The NRC expects changes
23 to be made to the baseline design of the facility
24 both while it's being built and after it's operating.

25 Actually we expect, as Tim mentioned earlier, all

1 licenses to make changes to the facilities over
 2 time, and our regulatory framework has addressed that
 3 through the requirements in 10 CFR 70.72, which
 4 includes the facility change process, which includes
 5 criteria under which a licensee can evaluate a
 6 proposed change to determine whether it is one they
 7 can make on their own or whether it requires an
 8 amendment to be submitted to NRC for approval.

9 And the types of changes that are evaluated
 10 for this process include changes to the site,
 11 structures, processes, systems, equipment,
 12 components, computer programs, and activities of
 13 personnel.

14 We've seen some licensees evaluate hundreds
 15 of changes each year through this process. As Tim
 16 mentioned earlier, we see the ISA and ISA summary as
 17 a living document that's modified as necessary each
 18 time one of these changes are made to the facility.

19 For this proposed facility, we believe the
 20 likely changes are expected to be in the design of
 21 the cascade. We know that they are still continuing
 22 to work at their test loop to determine the best or
 23 optimum separator and cascade design.

24 Because of the fundamentals of the design
 25 as we know it now, we don't believe that any changes

1 will have a significant impact on safety.

2 Next slide, please.

3 Uranium hexafluoride, or UF-6, is the form
4 of uranium that's primarily used at this facility.
5 UF-6 is most reactive when it's in its liquid form,
6 and there is one system at this proposed facility
7 that uses liquid UF-6, and that's their sampling
8 system. The sampling system is used to liquefy a
9 product cylinder, homogenize its contents, and to
10 remove a small sample for product QA purposes.

11 The system as it is designed now will be
12 contained within an autoclave that's designed to meet
13 ASME pressure vessel codes and standards.

14 We believe the primary facility hazard is
15 in this sampling system where it contains this liquid
16 UF-6, these liquid cylinders. We do not expect any
17 significant changes in this sampling system.

18 The majority of the remainder of the
19 facility will use UF-6 in either solid or gaseous
20 form, and the primary systems here are the feed
21 withdrawal and blending systems, and because these
22 systems are designed similarly to decisions at other
23 facilities, we don't expect any significant changes
24 to be made in the design as it is now.

25 If changes are made, we don't expect it to

1 have any major impact on the overall risk of the
2 facility because of the use in gaseous or solid
3 forms.

4 Next slide.

5 Tracking of design changes: as I mentioned
6 earlier, 70.72 has other requirements in it. In
7 particular, it requires a configuration management
8 program be established, and this program provides
9 oversight and control of design information and
10 safety control and tracks modifications to the
11 facility.

12 It also contains the criteria by which
13 licensees evaluate changes determined if an amendment
14 is required to be submitted to NRC for approval. If
15 an amendment is submitted to the NRC for approval,
16 that change cannot be implemented until that approval
17 is granted.

18 It also contains, 70.72, that is, contains
19 a requirement for an annual report to be submitted
20 within 30 days at the beginning of the year that
21 summarizes all of the changes that were evaluated
22 through this process. It also includes a requirement
23 that the updated ISA summary page changes be
24 submitted for review.

25 We, the NRC staff, review those changes as

1 they come in, and the region will also perform an
2 inspection each year to look at the change process to
3 make sure they're implementing it appropriately.

4 Next slide, please.

5 Ten CFR 70.72 does not allow for changes to
6 the license application. Therefore, GLE has asked
7 for a separate authorization for a similar process to
8 be able to change their license application. It
9 contains criteria by which they will review a
10 proposed change simply to determine if it creates a
11 decrease in the effectiveness of that commitment. If
12 it does, then it would require an amendment request
13 to the NRC for approval.

14 It also requires periodic reports to be
15 provided on those changes that have been made in
16 accordance with this process, as well as to provide
17 updated pages changes to the license application
18 reflecting those changes.

19 The agency issued a regulatory guide, 3.74,
20 in January of this year that addresses 70.72 and also
21 includes some guidance on a change process like this
22 for the license application, and we believe that the
23 proposed process by GLE is consistent with this
24 guidance.

25 And that concludes our testimony.

1 CHAIRMAN RYERSON: Thank you, Mr. Smith,
2 and thank you, Mr. Johnson.

3 Judge Jackson, do you want to begin?

4 ADMIN. JUDGE JACKSON: Let me say kind of
5 at the outset that the Board appreciated some of the
6 background information that was provided in the pre-
7 filed testimony and in the exhibits that address the
8 issue of how much detail is enough and some
9 background on how that policy came to be. That was
10 helpful. We appreciate it.

11 We don't have to have a complete design, a
12 detailed design. I mean, that's what you're saying,
13 and that's the policy. On the other hand, you have
14 to have some design, and there's still a judgment
15 call involved in this; is that right?

16 MR. SMITH: Yes, sir.

17 ADMIN. JUDGE JACKSON: Yes, you have to
18 balance some factors. Now, you mentioned the balance
19 of plant quite a bit and mentioned the similarity to
20 other facilities, and we've discussed that here
21 earlier today, but if you look back at the cascade
22 facility.

23 Please just go through and summarize then
24 the basis for your making the judgment call of what
25 you have is enough. What were some of the key

1 factors that went into that balance?

2 MR. JOHNSON: Well, I think the key factors
3 flow from the regulatory requirements that may be
4 enough detail presented for us to understand the
5 processes that are being used and the hazards that
6 would exist with those processes, and that we
7 understand the items that they've chosen as IROFS
8 sufficiently for us to find that they will be
9 effective to either prevent or mitigate accidents
10 that could affect the performance requirements.

11 So, again, we're looking for enough
12 information for us to understand what they're trying
13 to do in the hazards that are presented by those
14 processes.

15 ADMIN. JUDGE JACKSON: Okay.

16 MR. JOHNSON: And, again, another key thing
17 is that we're looking for them to commit to
18 particular codes and standards so that we can insure
19 that if the components are procured and fabricated in
20 accordance with those codes and standards, that we
21 will have confidence that the facility can be
22 constructed and operated safely.

23 So I think the key thing here that we
24 focused on in the review is commitments to codes and
25 standards, and I gave an example of pressure vessels,

1 for example, and similar examples for instrumentation
2 and controls, for example, that we have commitments
3 from the applicant to use standard regulatory guides
4 and standard IEEE, Institute for Electrical and
5 Electronics Engineers, standards applicable to
6 instrumentation and controls, and these standards
7 kind of flow out of requirements that were originally
8 developed for reactor facilities.

9 So we're confident that if equipment is
10 procured in this way, that the facility can be
11 operated safely.

12 MR. SMITH: With respect to the cascade
13 itself, what you were asking about, they do describe
14 the cascade, the separator design and its various
15 other components within the ISA summary in a level of
16 detail such that we were able to understand its
17 functioning, the safety hazards associated with it,
18 and the safety controls that are being applied to it
19 to ensure that it operates in a safe manner.

20 ADMIN. JUDGE JACKSON: Okay. The other
21 couple or two IROFS that relate back to moderation
22 control, right, I mean, there's an HF and an oxygen
23 IROFS to limit those in the separator. Do you have
24 to assure yourself that those IROFS can be effective?

25 I mean, there is perhaps a time delay

1 involved in that or a certain level they can achieve.

2 I just wondered how you knew that given any design
3 changes, that those IROFS would be adequate.

4 Is that the kind of balance you have to
5 make? You look at the IROFS. You look at the
6 hazards, and you say, "We think we understand what
7 they are, and we think that the mitigation steps are
8 adequate." Is that --

9 MR. SMITH: Yes, sir.

10 ADMIN. JUDGE JACKSON: Is that the key to
11 making this balance as far as you're concerned in the
12 cascade region?

13 MR. JOHNSON: I think one of the key
14 aspects of the cascade is with the codes and
15 standards that are applied to it, we expect that it
16 will be leak tight, and you know, in order for
17 moderators to get into the facility, it's going to
18 have to enter in through some kind of leakage.

19 I mean, GE has their own inventory
20 investment objectives here, too, because the facility
21 really won't operate correctly if water or moderator
22 gets into the facility, into the cascades.

23 So that and the fact that when we look at
24 the process conditions, which are generally
25 subatmospheric, that the components are designed to

1 appropriate codes and standards to insure their leak
2 tightness and integrity, those are the things that,
3 you know, are key to insuring that the moderator
4 controls that will be put in place will be effective.

5 ADMIN. JUDGE JACKSON: Okay. Let's talk
6 about what happens down the line. The design being
7 worked on, at some point it will be finalized. It
8 gets down to the point where it's time to build
9 something. According to the testimony, there is a
10 role in a final review that relates to the inspection
11 process and the ORR process; is that correct?

12 MR. SMITH: Yes, sir. As Tim mentioned,
13 there's a requirement in the regulations that
14 specifically requires -- that's only NRC -- to
15 perform an inspection to verify the facility was
16 constructed in accordance with the requirements in
17 the license.

18 ADMIN. JUDGE JACKSON: Right. And so that
19 includes a final look at criticality safety in the
20 as-built --

21 MR. SMITH: Yes, sir.

22 ADMIN. JUDGE JACKSON: -- configuration?

23 MR. SMITH: Yes, sir. We look at not only
24 the construction of the facility, but also the
25 programs that are there to insure the safety of the

1 facility, including the criticality safety program,
2 the radiation safety program, the emergency
3 preparedness program, the transportation of
4 materials. We look at all of those programs to make
5 sure we're comfortable with their level of
6 implementation and their readiness to start
7 operations before we authorize them to start plant
8 operations and enrichment.

9 ADMIN. JUDGE JACKSON: But it is a two-
10 aspect review. I mean, our programs, you're trying
11 to make sure that the programs and processes are in
12 place, but there's also a look at the design itself,
13 is there not?

14 I mean, there's two parts to this.

15 MR. SMITH: Like from a criticality safety
16 standpoint, I'm not a specialist, but instead of just
17 looking at the controls that are in place, they'll
18 look at the safety evaluations, the nuclear
19 criticality safety evaluations, analyses and
20 evaluations, that are developed to insure that the
21 safety controls are appropriate. They will do a
22 detailed look at those as well.

23 ADMIN. JUDGE JACKSON: Okay. How does the
24 NRC assure that this safety function has adequate
25 technical capability?

1 Let's say you have a fairly important and
 2 perhaps subtle criticality safety issue that you want
 3 to be assured of. How do you know these teams, in
 4 essence, will have enough technical capability to,
 5 say, land the same level of assurance that you get in
 6 the licensing process?

7 Do you see what I'm saying? You're going
 8 through a pretty rigorous process to make this
 9 decision to recommend whether or not to issue a
 10 license, and there's a lot of review, and now I'm
 11 envisioning here is an inspection team showing up to
 12 take a look at this.

13 Is there an ongoing role for the people
 14 that are involved in the licensing and perhaps know
 15 the issues to make sure they're being addressed
 16 properly, or is it just turned over to the inspectors
 17 and you hope that they get the right people on the
 18 team

19 MR. JOHNSON: An example of the criticality
 20 area, the way the criticality function is set up is
 21 that criticality inspection is done by the same
 22 people that do reviews. So, you know, hopefully the
 23 reviewers of the license application would be
 24 available also in the future to participate in these
 25 inspections.

1 So I think we have a fairly good confidence
 2 that the people that understand the criticality
 3 issues are going to be the same ones that do the
 4 inspections. And, again, they're going to be looking
 5 at the overall programs, and as Brian mentioned,
 6 calculational bases that were used for the design and
 7 so forth to make sure that not only the programmatic,
 8 administrative requirements are met, but also the
 9 technical design elements are met.

10 MR. SMITH: Actually, as a result of the
 11 DPO that was mentioned earlier, we recognized at that
 12 time that we probably would need to have some of the
 13 same technical reviewers involved in the inspections,
 14 the readiness review inspections. And I can tell you
 15 from a supervisor's standpoint who works on the
 16 budget, we actually budgeted some additional FTE to
 17 allow for our technical staff to go out and assist in
 18 some of these inspections.

19 And we did that with the LES facility.
 20 Several of our technical reviewers did go out and
 21 participate in some of the inspections.

22 ADMIN. JUDGE JACKSON: So is this something
 23 that's assured or is it just kind of left up to the
 24 good judgment of the people in the inspection
 25 process?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Or I guess I'm saying who ultimately bears the responsibility down the line as this design finalizes and the last look is taken before a facility is built or operated.

MR. SMITH: Region 2 is the part of the NRC that will authorize the operations. They're responsible for the inspections, and they do that in conjunction with the Headquarters office. There are certain licensing reviews that we have to complete near that time as well. Decommission financial assurance is one of those typically that comes in the plant at the very end. There may be some last minute licensing amendments that have to be processed as well.

We've been through the process with LES. We're going through the process now with MOx, the MOx facility and its construction inspection. We've got a good working relationship with Region 2, and so like I said, we had it built in the budget, some additional FTE to allow for the participation in these inspections going forward.

ADMIN. JUDGE JACKSON: Okay. So you feel that it's a very rigorous and careful process?

MR. SMITH: Yes. A little more detail is that Region 2 has developed what we call an

1 inspection manual chapter that addresses the
2 construction inspection and the readiness reviews for
3 these new facilities and lays out all the various
4 inspection procedures that are to be met or to be
5 followed during that time, and I think it includes
6 some coordination with us in that inspection manual
7 chapter.

8 ADMIN. JUDGE JACKSON: Okay. Thank you.

9 CHAIRMAN RYERSON: Judge Garcia.

10 ADMIN. JUDGE GARCIA: As you might have
11 gathered from our questioning, the Board is very
12 concerned about the licensing of this facility in
13 terms of the type of facility that's being built. We
14 feel it's sufficiently different than the ones that
15 have been previously built, and therefore want to be
16 assured that the NRC staff has taken every
17 consideration in the evaluation.

18 So what I'd like to start off by asking is:
19 what role have you gentlemen played in the current
20 design of the facility?

21 MR. JOHNSON: Well, we have not performed a
22 design consulting role with GE. Our review has been
23 oriented toward does the proposed design that was
24 described in the application and the ISA summary, did
25 that meet our regulatory requirements.

1 But in terms of, you know, how the facility
2 is designed, that's up to the applicant and
3 ultimately the licensee, and if they make changes to
4 it, they'll have to follow the regulatory processes
5 for those changes, of which we will evaluate on an
6 inspection basis whether or not those change
7 processes are being performed properly.

8 ADMIN. JUDGE GARCIA: So up to this point
9 you've not played a role in the design.

10 MR. JOHNSON: No, this is GE's design. Our
11 role has been to evaluate that design in terms of
12 whether or not it meets our regulatory requirements.

13 ADMIN. JUDGE GARCIA: I see.

14 MR. SMITH: I have to agree with Tim, Mr.
15 Johnson on that. Our role is strictly the evaluation
16 of their design against our regulatory requirements.

17 ADMIN. JUDGE GARCIA: Okay. So you both
18 feel there's adequate information at this point to be
19 able to feel that the facility is safe.

20 MR. JOHNSON: Yes, based on our review of
21 the application and the ISA summary, we felt that a
22 sufficient amount of information was provided to meet
23 the regulatory requirements and for us to identify
24 what the hazards are and how the applicant was
25 proposing to treat those hazards.

1 MR. SMITH: I agree. I agree with Mr.
2 Johnson.

3 ADMIN. JUDGE GARCIA: Thank you.

4 No further questions.

5 CHAIRMAN RYERSON: Mr. Johnson, let me
6 start with you, if I may. Are you in a position to
7 estimate in rough terms what percent of the design of
8 the facility is complete at this point?

9 MR. JOHNSON: I would say it's probably at
10 maybe a 40 percent level. There's substantially a
11 lot of detail design left to do, for example, sizing
12 components or procuring components, writing the
13 specifications for those, and so on. So I think that
14 a great deal of work is still left for the engineers
15 at GLE in order to complete this, but again, our
16 emphasis was looking at whether or not we had enough
17 information to understand what their proposed
18 processes were going to be and the hazards that would
19 result from those processes.

20 CHAIRMAN RYERSON: And I think it's clear
21 that you anticipate further changes. My
22 understanding is there are two kinds of changes.
23 There are changes that do not require preapproval by
24 the NRC, and then there are other changes that do
25 require preapproval by the NRC. Am I correct?

1 MR. JOHNSON: Yes. We expect those changes
 2 to be made. We've seen those with Louisiana Energy
 3 Services, for example, as they go through
 4 construction. They've made a number of changes to
 5 their facility, some of which have required them to
 6 submit license amendments. We expect the same thing
 7 here.

8 But as Brian talked about, we expect these
 9 changes to be primarily focused on the cascade design
 10 itself, which we feel really isn't the riskiest part
 11 of the facility. The riskiest part of the facility
 12 involves those systems that have large quantities of
 13 uranium hexafluoride, and especially in the sampling
 14 system where the uranium hexafluoride would be in the
 15 form of a liquid.

16 CHAIRMAN RYERSON: Would you expect,
 17 therefore, that most of the changes in the cascade
 18 area would not require prior NRC approval?

19 MR. JOHNSON: It's hard to say at this
 20 point, to speculate, but I think the change process
 21 will allow us to look at that. Under 70.72 and the
 22 license application authorization change process, the
 23 licensee will be required to report to us the changes
 24 that they've made to give us an opportunity to review
 25 those and look at them in more detail as a part of

1 our inspection function.

2 But I suspect that the changes will be
3 similar to what we're seeing with Louisiana Energy
4 Services where most of the changes that are done do
5 not require submittal of an amendment.

6 CHAIRMAN RYERSON: I know you can't
7 estimate with specificity, but can you estimate
8 roughly the total number of changes, including both
9 kinds, those that require NRC approval and those
10 which do not at least initially. How many changes;
11 are we talking about ten changes or 100 changes?
12 What's your best guess?

13 MR. JOHNSON: Well, we are probably talking
14 several hundred changes over the course of a year.
15 You know, it's very hard for me to speculate, but in
16 terms of LES, LES has -- you know, during the height
17 of its design program, completing the final decision,
18 you know, they were submitting hundreds or not
19 submitting, but they were going through this process
20 hundreds of times and maybe there were 50 changes
21 that came in requiring an amendment.

22 CHAIRMAN RYERSON: I mean, again, I'm not
23 holding you to an estimate obviously, but it would be
24 your guess or your estimate that the majority of
25 changes would not require license amendments.

1 MR. JOHNSON: That's my expectation based
2 on our experience with LES.

3 CHAIRMAN RYERSON: But the changes that do
4 require license amendments afford an opportunity for
5 public participation; is that correct?

6 MR. JOHNSON: Well, if the changes don't
7 involve sensitive or classified information, they
8 would be submitted as public documents, and our
9 reviews would be done with a safety evaluation report
10 on those that would be publicly available. But I
11 suspect that the changes related to the cascade
12 system would be primarily classified and would not be
13 subject to public disclosure.

14 CHAIRMAN RYERSON: And what happens to the
15 changes that the applicant is authorized to make
16 unilaterally on its own? My understanding is there's
17 an annual summary of those that the NRC gets; is that
18 correct?

19 MR. JOHNSON: Well, it's more than just
20 that. It is an annual summary under 70.72, but it's
21 also an evaluation process. They have to document
22 what the change is, how they evaluated it,
23 specifically describe why it meets the regulatory
24 requirements under 70.72 not to submit the changes in
25 amendment, to keep those records, to make them

1 available to NRC inspectors to look at, as well as
2 that reporting requirement.

3 MR. SMITH: Can I clarify that just a
4 second?

5 CHAIRMAN RYERSON: Certainly, Mr. Smith.

6 MR. SMITH: The report that's submitted is
7 a summary. It discusses in a high level what that
8 change was. It doesn't go into all of the detail
9 that Mr. Johnson said, but the review that we do from
10 the Headquarters perspective is we'll review. We'll
11 read through all of those changes, whether it's 50 or
12 200 or 500, and we'll pick out a sample of those, 15
13 or 20 or some, depending upon the number that were
14 submitted, and ask for the facility change package
15 from the licensee so that we can review it in more
16 detail. So we'll look at the information that Mr.
17 Johnson has mentioned to give us confidence that they
18 are doing things the way they're supposed to.

19 CHAIRMAN RYERSON: At the time that a
20 change is initiated unilaterally by the applicant, is
21 there any reporting at that time or just annually?

22 MR. SMITH: Just annually.

23 MR. JOHNSON: Under 70.72, it's an annual
24 reporting requirement.

25 CHAIRMAN RYERSON: Okay.

1 MR. JOHNSON: But I think another thing to
2 point out here is that in the review of the
3 application, one of the key things we looked at was
4 the qualifications of the people, the managers and
5 people doing the critical reviews, that they are
6 capable of doing that.

7 So part of this process is we're assuming
8 that they are going to have qualified people in
9 accordance with their commitments that they made in
10 their license to manage this program and to carry it
11 out in accordance with the regulation.

12 So we're not just letting people do this
13 willy-nilly. It's with people that are qualified,
14 that meet the commitments that the applicant made in
15 its license.

16 CHAIRMAN RYERSON: Yes, and I'm not
17 suggesting that you do this willy-nilly. I'm sorry
18 if I gave that impression. I'm just trying to
19 establish what the procedure is so I understand it.

20 Mr. Smith.

21 MR. SMITH: Yes, sir. Just one more thing
22 to add to that is in the time from about a year or
23 two leading up to the point where they start
24 operations, there will be a lot of communications
25 between our Region 2 office, the inspectors, and the

1 licensee, what construction is going on in the next
2 month, what activities. We can to come out and look
3 at those.

4 And just for example with respect to all
5 the changes to the ISA summary, in the year prior to
6 LES starting operations, they actually submitted
7 those changes to us four times during the year
8 leading up to that. So we were aware of all the
9 different changes that were going on on the site.

10 CHAIRMAN RYERSON: As the NRC staff becomes
11 aware of the changes, most likely in the annual
12 reporting as I understand it. What happens if
13 someone concludes that one change should not have
14 been made unilaterally? It should have been approved
15 by the NRC. It should have been the subject of a
16 license amendment.

17 What happens procedurally within the NRC
18 staff at that point?

19 MR. JOHNSON: Well, it would go into
20 enforcement space. There would be a notice of
21 violation that the process wasn't conducted properly,
22 and there would be detailed discussions with the
23 licensee on what needs to be done to correct that
24 situation, whether they need to come in for an
25 amendment. If the change ultimately isn't approved,

1 it may result in having to refit, you know, part of
2 the facility.

3 CHAIRMAN RYERSON: Thank you.

4 Let me turn to a slightly different
5 subject, and again, I'll start with you, Mr. Johnson,
6 if I may. My understanding of the history of the so-
7 called Pierson memorandum, which is NRC Exhibit 21,
8 is as follows:

9 The memorandum was drafted by Mr. Pierson
10 and what it does is set forth Mr. Pierson's view of
11 the level of detail required to satisfy the Part 70
12 requirements of NRC regulations in order to comply
13 with what's required for license, and some members of
14 the staff disagreed with that assessment, issued
15 what's called a differing professional opinion. That
16 differing professional opinion was the subject of a
17 panel, which is the way this works at the NRC, and
18 then the panel apparently agreed with Mr. Pierson.

19 There was then an appeal to an office
20 director who agreed with Mr. Pierson, with some
21 caveats, with some limitations and suggestions
22 perhaps for further work, and then it eventually went
23 to the Executive Director of Operations, who again
24 basically agreed with Mr. Pierson but with some
25 suggestions as to how NUREG-1520 might be amended,

1 and it was amended.

2 My question for you is this: has the
3 interpretation of Part 70 that appears in the Pierson
4 memorandum ever been -- has the Commission ever faced
5 that interpretation? Has it ever ruled on the
6 interpretation of Part 70 that's in the Pierson
7 memorandum, to your knowledge?

8 MR. JOHNSON: No.

9 CHAIRMAN RYERSON: It has not ruled. It has
10 not.

11 MR. JOHNSON: The Commission, the DPO
12 process didn't go to the Commission level. It went
13 the original decision after the panel met. The
14 original decision was made by the Director of the
15 Office of Nuclear Material Safety and Safeguards.
16 That decision was appealed to the Executive Director
17 of Operations, and that was the final decision that
18 was made.

19 CHAIRMAN RYERSON: Okay. Thank you.

20 And I'll turn to NRC counsel. That's your
21 understanding as well, correct?

22 MS. SAFFORD: That's correct.

23 CHAIRMAN RYERSON: All right. Thank you.

24 MR. SILVERMAN: Your Honor, may I have a
25 moment? Can we take a one-minute break on this?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN RYERSON: Go ahead.

MR. SILVERMAN: Thank you.

(Pause in proceedings.)

CHAIRMAN RYERSON: Mr. Silverman, did you have a comment now?

MR. SILVERMAN: No. Thank you. Thank you.

CHAIRMAN RYERSON: Okay. And, Ms. Safford, you have no further comment?

MS. SAFFORD: No further comment.

CHAIRMAN RYERSON: Thank you.

All right. Well, gentlemen, Mr. Johnson, Mr. Smith, thank you for your testimony. You may step down. I think you're both Q cleared, and you're not testifying on any other topic.

MR. JOHNSON: Oh, I am. I'm testifying on two more.

CHAIRMAN RYERSON: Oh, Mr. Johnson is, yes.

MR. JOHNSON: Two more topics.

CHAIRMAN RYERSON: Mr. Smith is not?

MS. SAFFORD: Mr. Smith is finished, yes.

CHAIRMAN RYERSON: He's finished. So Mr. Smith gets the pleasure if he would like to of sticking around and watching. It's up to him or counsel, and, Mr. Johnson, I'm afraid we'll have to ask you to step out for a while until we get to you

1 on some of the other topics, but thank you.

2 (The witnesses were excused.)

3 CHAIRMAN RYERSON: All right. Well, I
4 think we're in pretty good shape. Hopefully we'll
5 finish Topic 3, which is what we planned to do. We
6 only have one panel on Topic 3, which is the NRC
7 staff's panel, and I see here for the first time we
8 have one witness who does not have a Q clearance. We
9 have one L clearance.

10 My suggestion would be at least for the
11 initial presentation there is no reason that I see
12 why all three can't make the initial presentation,
13 and frankly, I can ask you now. Would it make more
14 sense after the presentation for the Board to speak
15 first with the L cleared witness and then dismiss him
16 and then see if there are any follow-up questions for
17 the Q cleared witness?

18 MS. SAFFORD: I think that would be
19 preferable. Mr. Stamatakos, who has the L clearance,
20 will also be the presenter.

21 CHAIRMAN RYERSON: Okay. Yes, that was
22 unclear. It looked like all three might be. My
23 suggestion would be that we have all three witnesses
24 come in for the presentation, and then we will ask
25 our questions of Mr. Stamatakos --

1 MS. SAFFORD: Stamatakos.

2 CHAIRMAN RYERSON: -- and then excuse him,
3 and if we have any further questions for the Q
4 clearance -- we may not -- but we can just ask them
5 individually after he's been excused.

6 MS. SAFFORD: Okay.

7 CHAIRMAN RYERSON: All right. So why don't
8 we reconvene at -- oh, let's take ten minutes this
9 time -- 3:55, and we will resume.

10 (Whereupon, the proceedings in the
11 foregoing matter went off the record at 3:45 p.m. and
12 went back on the record at 3:57 p.m.)

13 CHAIRMAN RYERSON: Please be seated.

14 All right. We are back in session, and we
15 have three witnesses, and I'm afraid I may do some
16 violence to the names, but let me try here. Mr.
17 Stamatakos.

18 MR. STAMATAKOS: Stamatakos.

19 CHAIRMAN RYERSON: Stamatakos. Mr. --

20 MR. CHOWDHURY: Chowdhury.

21 CHAIRMAN RYERSON: -- Chowdhury, and Mr.?

22 MR. HSIUNG: Hsiung.

23 CHAIRMAN RYERSON: Hsiung.

24 If you would raise your right hands, do you
25 swear or affirm that the testimony you're about to

1 give in this proceeding will be the truth, the whole
2 truth, and nothing but the truth?

3 MR. STAMATAKOS: I do.

4 MR. CHOWDHURY: I do.

5 MR. HSIUNG: I do.

6 CHAIRMAN RYERSON: Thank you.

7 And it's our understanding you're going to
8 begin by giving us a presentation.

9 MR. STAMATAKOS: Yeah.

10 CHAIRMAN RYERSON: Please proceed.

11 MR. HSIUNG: Okay. This presentation is on
12 the topic of the safety impact of external hazards
13 identified in the May 16 order. This order focused
14 on three natural phenomena natural hazards. These
15 hazards are related to flooding, including hurricane
16 surge and tsunami inundation; high winds, including
17 tornadoes; and earthquakes.

18 My name is Simon Hsiung and will be making
19 first part of presentation for this particular topic,
20 and I have my left-hand side Dr. Stamatakos that is
21 responsible for the seismic aspect of the hazard
22 review and also support the review of tsunami
23 hazards.

24 And on my right-hand side is Dr. Chowdhury,
25 is doctor engineer (phonetic) responsible for the

1 (unintelligible) aspect of design related review.

2 CHAIRMAN RYERSON: And if I could interrupt
3 you for a moment, would counsel represent what
4 exhibit that is? We're dealing now with Exhibit NRC
5 113.

6 MS. SAFFORD: This is NRC 113, yes.

7 CHAIRMAN RYERSON: Thank you very much.
8 I'm sorry.

9 MR. HSIUNG: Okay. The next slide, Slide
10 3.

11 And the purpose of this presentation is to
12 provide a summary of the GLE's assessments on
13 flooding, high winds and earthquake hazards, and
14 secondly, discuss the basis for the staff to conclude
15 that GLE's assessments were acceptable.

16 Next slide, please.

17 And the purpose of the staff's evaluation
18 is to determine whether the relevant or regulatory
19 requirements in 10 CFR 570 have been met, and
20 specifically 70.62(c)(iv) requires an applicant to
21 assess potential accident sequences caused by the
22 credible external events, including natural phenomena
23 hazards in its integrated safety analysis, and
24 70.64(a)(2) requires to be specifically designed to
25 provide adequate protection against natural

1 phenomena, with the consideration of the most severe
 2 documented historical events for the site; and
 3 70.65(b)(1) requires an applicant to provide a
 4 general description of the site with emphasis on
 5 factors that could affect the safety of the facility.

6 And the ultimate goal of the review is to
 7 ensure that the applicant's assessment complies with
 8 the performance requirements in 70.61(b) and (c) to
 9 review the risk of events that could have significant
 10 impacts on workers and the public.

11 Now, specifically, 70.61(b) requires high
 12 consequence events to be highly unlikely, and
 13 70.61(c) requires intermediate consequence events to
 14 be unlikely.

15 Next slide, please.

16 The staff in conducting the review, the
 17 staff used the extended review plan, NUREG-1520, to
 18 guide the review of flooding, high winds, and
 19 earthquake hazards. Specifically, staff should
 20 determine whether the applicant characterized these
 21 hazards with sufficient detail to support assessment
 22 of their impacts on facility safety in the likelihood
 23 of an occurrence and to determine whether the
 24 applicant identified all the design basis related to
 25 these hazards; determine whether the applicant

1 documented which events are considered incredible;
 2 and provide a basis for the determination; and also,
 3 lastly, determine whether the applicant assessed the
 4 events that could occur without adverse impacting
 5 safety.

6 In doing staff guidance, ISG-4 provides
 7 further guidance for the staff to review the natural
 8 phenomenon hazards. This ISG specified that
 9 deterministically defined events, such as the
 10 probable maximum flood or safety shutdown
 11 earthquakes, can be used in place of purely
 12 probabilistically defined, highly unlikely events,
 13 and maybe in staff's opinion may be preferable
 14 depending upon the quality of the historical data.

15 In addition to the standard review plan and
 16 the ISG-08 (phonetic), the staff also used other
 17 applicable NRC guidance documents to review flooding,
 18 high winds and earthquake hazards. Specifically,
 19 staff used Regulatory Guide 1.59 to review GLE's
 20 assessment of flooding hazard, and NUREG/CR-4461 to
 21 review GLE's assessment of tornado hazard.

22 Besides the NRC guidance documents, staff
 23 also used well established standards from external
 24 sources to review GLE's design of structures. High
 25 density (phonetic) important to rely on for safety

1 against flooding, high winds, and earthquake hazards,
 2 and here the external common standards that we have
 3 been referring to including DOE's Standard 1020 and
 4 American Society of Civil Engineers 4305; also that
 5 American Institute for Steel Construction, N-690, and
 6 lastly is American Concrete Institute 349.

7 The first two are codes. DOE Standard 1020
 8 and ASCE 4305 will be used by the applicant to
 9 develop the seismic design spectrum for earthquake
 10 design purposes, and either one of them probably will
 11 be used, and AIC, the N-690 is intended the use by
 12 the applicant for steel structure related
 13 construction and for ACI-349 for the concrete
 14 structure design and construction.

15 The last two are current standards that
 16 really are in the nuclear graded codes that have
 17 stringent requirements and (unintelligible)
 18 requirements that didn't go along with that. So it's
 19 different from that, the ordinary type of codes for
 20 the commercial facility.

21 Next slide, please.

22 Starting from this slide that we discussed
 23 the staff evaluation of the three specific hazards
 24 that have been identified by the court order and the
 25 presentation materials organized in a way that for

1 each of the hazards the first we discuss a brief
2 summary of GLE's assessment and followed by the bases
3 that staff relied on for their conclusion on GLE's
4 assessment.

5 And starting from this slide, to assess the
6 flooding hazard GLE considered several measured
7 causes for flooding: river flooding, local heavy
8 rainfall, hurricane and tsunami. GLE used the
9 probable maximum flood or rainfall in the watershed
10 of nearby rivers to assess river flooding, and GLE
11 used the probably maximum precipitation to assess
12 local heavy rainfall induced flooding. And GLE used
13 the probable maximum hurricane surge to assess
14 hurricane induced flooding. And GLE used information
15 regarding to topography and geographical locations of
16 the site and its surrounding areas to assess
17 potential flooding of a tsunami.

18 In this slide we'll discuss the river
19 flooding hazard. Other flood hazard causes will be
20 discussed in the subsequent slides.

21 For river flooding hazard, GLE used the
22 method suggested in Regulatory Guide 1.59 to assess
23 the probable maximum flood discharged from the rivers
24 due to the probable maximum flood and the discharged
25 capacity of these rivers by comparing this to GLE

1 concluded that the maximum probable flood will be a
2 hazard to the proposed facility. So considering the
3 topography of the site, GLE selected the design basis
4 (unintelligible) for the probably maximum flood to be
5 28 feet above mean sea level, above the facility
6 floor level, and GLE has conducted some of the hazard
7 analysis or risk analysis in its ISA summary, ISA
8 integrated safety analysis, and concluded even that
9 the facilities flooded with three feet of water and
10 the consequence is low and was well within the
11 acceptable risk. And that's been documented in the
12 ISA summary.

13 Next slide, please.

14 And staff found GLE's assessment acceptable
15 because GLE used the probable maximum flood as a
16 basis to characterize highly unlikely events.
17 Regarding to river flooding, that is consistent with
18 ISA. There were eight. The selected design basis
19 flood is conservative because the proposed site and
20 the surrounding area are relatively flat with gentle
21 sloping surfaces at gradients less than two percent,
22 with very little lift, and the facility is situated
23 at the local high point, which is about 100 feet
24 above the mean sea level.

25 Because of this topography, a large flat

1 area surrounding the facility site available to
 2 accommodate the flood water. Consequently a rise of
 3 flood water above the 25 feet elevation of the
 4 facility is no expected, and certainly above the
 5 design basis flood is highly unlikely in this case.

6 Because the general area is largely
 7 relatively flat, a rise of flood water will be slow,
 8 and therefore, input time is available for the
 9 operational personnel to take mitigating actions.

10 In addition, a design including of flood
 11 hazard considerations that confirm with the
 12 appropriate codes and standards will provide
 13 sufficient design margin to resist flood hazard. And
 14 this design margin results from significant reserve
 15 strengths (phonetic) associated with the design
 16 analysis, low combination, and the design itself.

17 Next slide, please.

18 In assessing the local rainfall hazard, DOE
 19 estimated the probable maximum precipitation due to
 20 local heavy rainfall for various durations using the
 21 NOAA, National Weather Service's methodology, and
 22 based on these estimates, DOE concluded that because
 23 of the facility floor is at that local high point,
 24 rainfall will drain in all directions to lower
 25 elevations, and so therefore, probable maximum

1 precipitation will not flood the facility.

2 The staff accepted the DOE's assessment
3 because DOE used the probable maximum precipitation
4 as a basis to characterize the highly unlikely events
5 or local rainfall hazards. This approach is
6 consistent with ISG-08.

7 And staff agrees with DOE that the probable
8 maximum precipitation will not flood the facility
9 because of the site and the surrounding area is
10 relatively flat, and the facility is located in the
11 local high point.

12 In addition, possible flood from the
13 probable maximum precipitation responded (phonetic)
14 by the design basis flood DOE selected, which is at
15 28 feet above mean sea level.

16 Next slide, please.

17 Regarding the potential flood from
18 hurricane surge, and GLE used the probable maximum
19 hurricane surge provided in Regulatory Guide 1.59.
20 According to Regulatory Guide 1.59, the probable
21 maximum hurricane surge at the coastal area near
22 Wilmington area is between 17.6 feet and 21.9 feet,
23 and GLE used the larger value for conservatism.

24 The staff found GLE's assessment acceptable
25 because GLE used the probable maximum hurricane surge

1 as the basis to characterize the highly unlikely
2 events associated with the hurricane induced flood
3 hazard. This approach is consistent with ISG-08.

4 In addition, the GLE's assumption that this
5 surge level would reach the site without dissipation
6 is conservative. Even with this assumption, the
7 probable maximum hurricane surge remains below the
8 ninth (phonetic) basis of flood level, you know,
9 which is 28 feet compared to approximately 22 feet.

10 Next slide please.

11 For tsunami hazard, DOE concluded -- GLE,
12 excuse me, concluded that tsunami reaching far enough
13 inland to impact the facility is highly unlikely, and
14 GLE made this conclusion based on the fact that the
15 proposed site lies approximately ten miles west and
16 26 miles north of the Atlantic Ocean and the proposed
17 elevation of the facility is located at 25 feet above
18 mean sea level. Therefore, the proposed site may be
19 characterized as inland that is not accessible to
20 flooding of a tsunami.

21 This conclusion is really based on a NUREG
22 that NRC put together. That's NUREG/CR-6966, and
23 also based on the FEMA characterization in terms of
24 where the tsunami hazard will have to be considered.

25 Next slide, please.

1 In general, the staff agreed with the GLE's
 2 assessment. In addition, plate tectonics' condition
 3 along the Atlantic seaboard are not conducive to
 4 forming large earthquake generating a tsunami. In
 5 addition, Atlantic Coast of North Carolina is not a
 6 subduction zone and there are no large submarine
 7 volcanoes offshore, and the only perhaps active
 8 subduction zones in the Atlantic Ocean that are
 9 anywhere close to the North Carolina coast are along
 10 the Caribbean Seas, and they are having relatively
 11 low frequency tsunami occurrence in this region
 12 relatively compared to Pacific Ocean.

13 So recorded tsunami from the Caribbean Sea,
 14 subduction zones cause only very localized flooding
 15 of the Caribbean islands only. So, therefore, these
 16 subduction zones are too distant to have a
 17 significant impact to the North Carolina coast.

18 Now, even assuming there's a large tsunami
 19 were to reach the North Carolina coast, for this
 20 large tsunami to inundate the facilities is highly
 21 unlikely because the facility is more than ten miles
 22 from the coast and is situated 25 feet above the main
 23 sea level.

24 Inundation even with large tsunami events
 25 remain relatively closer to the shoreline. For

222

1 example, the tsunami inundation from the Great Japan
2 Earthquake reached about 4.9 miles inboard
3 (phonetic), and tsunami inundation from the Sumatra
4 earthquake reached only about 3.1 miles inland.

5 Fractures have been discovered along a 25
6 stretch of the Continental Shelf off of Virginia and
7 North Carolina. Our study suggests that these
8 fractures, even though remotely could trigger a
9 landslide generating a tsunami with the surge wave
10 size similar to a storm surge off Category 3 or 4
11 hurricane, and for this possible event, you know, the
12 surge responded by the estimated probable maximum
13 hurricane surge.

14 Next slide, please.

15 The review regarding the high wind hazard,
16 based on the historical data, the highest
17 (unintelligible) wind ever recorded for the region
18 was approximately 107 miles per hour, and no
19 hurricane winds with strengths equal to or greater
20 than Category 3 hazards have ever been recorded in
21 the region. So DOE examined this through historical
22 high wind records, and it's like the Category 4
23 hurricane with a wind speed of 157 miles per hour as
24 the design basis wind for the facility.

25 GLE also used the NUREG/CR-4461 to assess

1 the tornado hazard and estimated the highly unlikely
2 tornado hazard wind speed is around 112 miles per
3 second for the facility.

4 Next slide, please.

5 The staff found that using the historical
6 wind information to characterize the highly unlikely
7 events regarding the high wind hazards is consistent
8 with ISG-08. So it is, therefore, acceptable. The
9 estimated highly unlikely tornado wind speed for the
10 site is consistent with that in the NUREG/CR-4461 and
11 is bounded by the design basis wind speed.

12 The staff found GLE's design basis wind
13 speed conservative because that no hurricane winds
14 with winds equal to or greater than Category 3 events
15 have ever been recorded in the area. So using
16 Category 4 hurricane as a design basis wind for the
17 site is bounding in the conservative from that
18 perspective.

19 In addition, the hurricane weakens as it
20 moves inland because it loses its fuel supply from
21 the warmer ocean water. For example, when Hurricane
22 Fran, a Category 3 hurricane, made landfall at North
23 Carolina coast near Cape Fear, you had a wind speed
24 of 126 miles per hour. By the time it reaches
25 Wilmington area its wind speed reduced to 86 miles

1 per hour, equivalent to a Category 1 hurricane.

2 So from this perspective, the design basis
3 wind is conservative as well because it did not
4 consider the weakening mechanism of the hurricane.

5 Furthermore, the design for wind loads
6 using appropriate codes and standards will provide
7 the structures, items relied on for safety with
8 sufficient design margin to withstand wind loads, and
9 this will add additional conservatism to the safety.

10 So in essence, in general the design basis
11 for the wind and the flood that developed by and
12 selected by the GLE, the applicant, is, in general,
13 conservative based on the historical data that's
14 available for the site.

15 The next two slides related to seismic
16 hazard, Dr. Stamatakos will give the talk, and Dr.
17 Chowdhury will support from the structure aspect.

18 CHAIRMAN RYERSON: Thank you.

19 MR. HSIUNG: Thank you.

20 MR. STAMATAKOS: Well, good afternoon. In
21 terms of the GLE assessment for earthquake hazard, I
22 took a slightly different approach in the end
23 compared to the hazard that Simon just talked to.
24 The approach for seismic hazard was more probability
25 based than performance based, which the GLE defined

1 as failure probability ten to the minus four highly
2 unlikely performance objective for seismic design.
3 They did not use the methods in ISG-08 that's more
4 deterministic methods in ISG-08 to define highly
5 unlikely events. I'll explain why in the next slide.

6 Instead, GLE developed their seismic design
7 ground motion based on USGS 2500 year ground motion
8 return period ground motions properly modified for
9 the site swell condition, and they combined that then
10 with a selection of appropriate design analysis and
11 design methodology either using DOE-1020 or ASCE-4305
12 to construct and design the facility such that the
13 combination of the initial seismic hazard selection
14 plus the amount of extra capacity by using these
15 nuclear grade design methodologies give them
16 assurance that they'll be able to meet their
17 performance objective of ten to the minus four.

18 So on Slide 15, in this case using the
19 methodology, the more deterministic methodology in
20 ISG-08 actually led to a smaller ground motion than
21 would be accepted. That methodology calls for
22 looking at the largest regional earthquake combined
23 with the largest local earthquake to develop a design
24 spectra that constituted a repeat of the Charleston
25 earthquake with a magnitude of about seven and a

1 local earthquake with a magnitude of about five. But
2 that resulting ground motion then calculated in
3 probability space really resulted in an earthquake
4 that had a return period of about 1,000 years.

5 So taking a more conservative approach, the
6 combination of using the 2,500 year USGS ground
7 motions with the nuclear grade construction
8 methodology that I discussed in using the DOE or the
9 ASCE methodologies results in structures, IROFS, that
10 will be able to withstand ground motion at least
11 equal to the 10,000 year return period earthquake.

12 So using appropriate codes and standards
13 for seismic design would provide the structures with
14 the sufficient capacity to withstand ground motions
15 that are even less likely than the design.
16 Therefore, IROFS DOE identified would be constructed
17 with sufficient capacity to withstand ground motions
18 that are substantially less than the 2,500 year
19 return period ground motion.

20 The risk reduction factors for the facility
21 is estimated to be at least a factor of four, leading
22 to the failure probability of ten to the minus four,
23 smaller and consistent with DOE's definition of
24 highly unlikely.

25 And finally, we would argue that they even

1 made the additional capacity beyond the highly
2 unlikely failure probability, even in the event of
3 ground motions that are well beyond the design basis
4 and even less than the ten to the minus four. The
5 IROFS in the building may not be so severely damaged,
6 and they could maintain their safety functions even
7 for those beyond design basis.

8 So that concludes our presentation.

9 CHAIRMAN RYERSON: Thank you.

10 Judge Garcia.

11 ADMIN. JUDGE GARCIA: Were we going to
12 follow a protocol in terms of questions of witnesses,
13 in terms of starting with the last witness first?

14 CHAIRMAN RYERSON: Very good point. What
15 we've decided is, just to avoid any possibility of a
16 security problem, since two of you have Q clearances
17 and one has an L, we will start with you, Mr.
18 Stamatakos, and then we will excuse you and if we
19 have further questions of the other witnesses, we
20 will then proceed to them.

21 MR. STAMATAKOS: Yes, sir. I understand.
22 Yes, sir.

23 ADMIN. JUDGE GARCIA: First I'd like to
24 start with the choice of the magnitudes for the
25 earthquakes for both local and distant. How were

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

they chosen?

MR. STAMATAKOS: Well, the magnitude for the Charleston event is estimated, since there were no recordings; the magnitude for the Charleston event is estimated based on number of different methodologies. I think the most recent ones involve trying to scale the size and distribution of the Paleolithic liquefaction features associated with those events, you know, based on more modern earthquakes, the distribution of those giving a sense of what magnitude generated that distribution of Paleolithic liquefaction event.

It's also based on an interpretation from the felt records of how far back in the 1890s did people feel shaking, what kind of shaking, reconstructing the damage levels for the earthquake, and then interpolating that back to a magnitude.

So the estimates range from about 6.8, I think, to 7.3 or 7.4, depending on which method you use and the uncertainty that's involved.

The local earthquake magnitude five was selected. It's actually much larger than any of the recorded historical local earthquakes. So using felt records from the historical earthquakes back into the 1800s, estimates for the local earthquakes are up to

1 about magnitude 3.5. So conservatively if you take
2 magnitude five for the local earthquake, you combine
3 those to develop deterministic design spectrum, and
4 that's the method that was used in the ISG.

5 ADMIN. JUDGE GARCIA: Great. Thank you.

6 Is a single event, such as the Charleston
7 one, sufficient to base your design characteristics
8 on?

9 MR. STAMATAKOS: Well, no, and the design
10 characteristics aren't based on that. So instead
11 what we and GLE worked through in the analysis was to
12 instead use the probabilistic based USGS natural
13 hazard map ground motions, which are larger than the
14 ground motions you get from the single earthquake
15 based approach. For the 2500 year ground motions are
16 the starting point for the seismic design, and so you
17 used the national USGS hazard maps to determine what
18 those ground motions are, and then amplify them for
19 the site soil conditions in this case because the
20 soils are a little softer than were used in the
21 analysis for USGS, and so that becomes the basis for
22 the input design ground motions.

23 ADMIN. JUDGE GARCIA: Are there records of
24 larger events related to the Charleston area?

25 MR. STAMATAKOS: No. There is evidence for

1 a repeat of Charleston-like earthquakes in South
 2 Carolina dating back several thousand years, and
 3 those all come from Paleo-liquefaction studies and
 4 carbon dating of material in those Paleo-liquefaction
 5 features, but there's no evidence for significantly
 6 larger events.

7 There is a lot of debate about the size of
 8 the New Madrid events in the mid-continent, and the
 9 largest of those events is considered possibly a
 10 magnitude of 8.3, but not for Charleston.

11 ADMIN. JUDGE GARCIA: Okay. If we can turn
 12 our attention to local events, the earthquake here in
 13 the Virginia area in 2011 was a bit of a surprise,
 14 although geologists like yourself may have
 15 anticipated there might be another one, having had a
 16 history of them in the past. And I wondered if you
 17 looked back to Wilmington, I'm somewhat surprised at
 18 earthquakes in that region, and I wondered if you
 19 could tell us if anything is known about why there
 20 were earthquakes in that region since I'm not aware
 21 of any surface faults that are mapped.

22 MR. STAMATAKOS: Yes. Well, it's very
 23 difficult at all of these United States to pinpoint
 24 what causes these earthquakes. Even the Charleston
 25 earthquake zone and the New Madrid earthquake zone

1 are well hidden and well covered, and the features
2 that get formed by them are quickly eroded.

3 So there is not a good understanding of
4 what the sources are, especially for those small
5 earthquakes. Now, the Mineral, Virginia earthquake,
6 5.8, was, yeah, a little bit of a surprise especially
7 because it was a little bigger than a lot of the past
8 events, but that part of Virginia, the Virginia
9 seismic belt, has experienced a much higher incidence
10 of small magnitude, five, four and five earthquakes,
11 than certainly the North Carolina.

12 There are background earthquakes in North
13 Carolina like much of the rest of the Eastern United
14 States, and then there are these pockets of slightly
15 higher seismicity and the central Virginia belt is
16 one of them.

17 ADMIN. JUDGE GARCIA: There are many areas
18 across the world that have infrequent events that may
19 be broken by long periods of quiet or moderate
20 earthquakes. Is this an area that's possibly likely
21 to have a future larger earthquake?

22 MR. STAMATAKOS: It is, and it's accounted
23 for in the USGS model. So in the USGS model, in
24 addition to modeling repeat earthquakes of Charleston
25 or small local earthquakes, the USGS model

1 incorporates lower term period, high magnitude
2 events, up to magnitude 7.5 in there, and they
3 randomly float that earthquake in their probabilistic
4 analysis.

5 So it contributes. It's probably one of
6 the reasons why the USGS curve is significantly
7 higher than the hazard you get by simply looking at
8 historical events.

9 ADMIN. JUDGE GARCIA: Are you aware of any
10 trenches or other investigations done in the
11 Wilmington area to assess the history of --

12 MR. STAMATAKOS: No.

13 ADMIN. JUDGE GARCIA: -- such earthquakes?

14 MR. STAMATAKOS: No, none, and it would be
15 very difficult because finding features that are
16 responsible for small magnitude events, especially on
17 the coast of the Eastern United States it's extremely
18 difficult.

19 ADMIN. JUDGE GARCIA: Okay.

20 MR. STAMATAKOS: I think the only way or
21 the dominant way that earthquakes are studied in
22 Eastern United States is from studies of Paleo-
23 liquefaction features.

24 ADMIN. JUDGE GARCIA: Okay. Well, turning
25 to that subject for a moment, it's my understanding

1 that there were two wells drilled on site, and one of
2 them identified the potential for liquefaction at the
3 site; is that correct?

4 MR. HSIUNG: Yes.

5 MR. STAMATAKOS: Yes.

6 MR. HSIUNG: No, just only a very small
7 mineral pocket, you know. I don't remember or recall
8 exactly the depth of it, but in that only the smaller
9 one. Now, yes, they committed to do additional
10 investigation. If they find out that's the only
11 location, they can design for it to avoid the impact
12 of that particular area. It's a very small area,
13 yes.

14 ADMIN. JUDGE GARCIA: So is the geology
15 still relatively unknown in that region in terms of
16 knowing how extensive that surface is, the
17 liquefaction?

18 MR. HSIUNG: I cannot answer that question.
19 I'm sorry, Your Honor.

20 ADMIN. JUDGE GARCIA: Okay.

21 MR. CHOWDHURY: I could answer.

22 ADMIN. JUDGE GARCIA: Yes, please.

23 MR. SMITH: The liquefaction was limited to
24 soil, not rock, and soil will be sitting over the
25 rock, and soil is not a sort of related to geologic

1 structure, and also as Simon mentioned, that this is
2 localized, and if it is localized, this could be
3 mitigated through design of the foundation, so
4 structural design of the foundation.

5 ADMIN. JUDGE GARCIA: Yes, that's certainly
6 generally true, but the rock in this area is really
7 soft sediment. There's no hard rock anywhere near
8 the surface based on the logs that are presented and
9 the testimony. So I think it's misleading to suggest
10 that the foundation is hard at any reasonable depth
11 underneath the facility.

12 So I guess it would be interesting to know
13 what more we can learn about the liquefaction
14 potential for this site.

15 MR. HSIUNG: Right. And so far for the
16 limited number of the core that's in, you know, the
17 bore holes that's been examined, you know, three of
18 them actually within that (unintelligible) and the
19 others surrounding that, the area they are
20 investigating for the potential site, and all of them
21 based on the criteria that have been used to
22 determine whether the liquefaction potential is there
23 or not, most of them exceeding the number. Only that
24 particular location is slightly below.

25 You know, so now if the additional bore

1 hole drilling investigations show perhaps there are
 2 additional areas that would be identified with
 3 liquefied potential area as well, then what option
 4 can be done is that the design would go with the deep
 5 square footing (phonetic). So you're going to have
 6 the pile put in to bypass the region and sitting into
 7 the soil or maybe the soft rock way below that, you
 8 know, to avoid the potential effect of the
 9 liquefaction.

10 You know, that can be done from engineering
 11 point of view.

12 ADMIN. JUDGE GARCIA: Right. Has the
 13 applicant filed with the staff their plans for
 14 additional borings?

15 MR. HSIUNG: I think GLE probably will be
 16 better to answer that. So far I do not know. We
 17 haven't seen the plan yet, you know, but the plan is
 18 that once that they've been filed and that's been
 19 done, we will do the review again to those
 20 investigation results, to make sure that they
 21 actually, indeed, verified it or if it's not, then
 22 need to go back and re-examine the design. We have
 23 been looking at the design. We'll take that into
 24 consideration to make sure that it's taken care of.

25 ADMIN. JUDGE GARCIA: Very good. Who is

1 your expert on tsunamis?

2 MR. STAMATAKOS: Me.

3 ADMIN. JUDGE GARCIA: Okay. Thank you.

4 What would you say was the local potential
5 source for tsunamis in the Wilmington area?

6 MR. STAMATAKOS: The local source would be
7 the submarine landsides from sediment off on the
8 continental shelf.

9 ADMIN. JUDGE GARCIA: Right. Recently it
10 has been identified that a number of large tsunamis
11 have been generated by landslides. Previously it was
12 thought landslides would only generate small such
13 events. The exhibit that was given to us -- pardon
14 me while I try to find the number of it -- Exhibit
15 NRC-038, Driscoll, et al., 2000, had suggested only a
16 small tsunami might originate from such a landslide.

17 MR. STAMATAKOS: Right.

18 ADMIN. JUDGE GARCIA: Has that been
19 reassessed based on newer evidence?

20 MR. STAMATAKOS: Well, the newest analysis
21 of landside generated tsunamis particularly by NRC is
22 in the NUREG/CR-5966, which we did not submit. But
23 the understanding of landslide generated tsunamis is,
24 although recognized that that's a growing issue, not
25 well enough documented for us to really understand

1 the impacts.

2 One thing that I think is well known about
3 landslide generated tsunamis is that the impacts
4 remain, although they can be quite severe, locally.
5 The general consensus is that they don't, unlike
6 earthquake generated tsunamis, impact large areas
7 regionally.

8 ADMIN. JUDGE GARCIA: So it would have to
9 be the coast adjacent to where the slide originated.

10 MR. STAMATAKOS: Right. So our assessment
11 initially is that the likelihood of a landslide
12 generated tsunami and the likelihood of a landside
13 generated tsunami being located close enough to
14 affect the site are so small that they would fall
15 well below the highly unlikely.

16 ADMIN. JUDGE GARCIA: The cracks are
17 identified in the Driscoll, et al., paper. Aren't
18 they just south of the Wilmington site?

19 MR. STAMATAKOS: I have to go back and look
20 at the --

21 MR. HSIUNG: Actually I think it is east of
22 the Wilmington site.

23 MR. STAMATAKOS: Yes, right.

24 MR. HSIUNG: Stretching from Virginia to
25 North Carolina. So it's not quite south. In the

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

general area.

ADMIN. JUDGE GARCIA: East along the continental margin.

MR. HSIUNG: Yeah, right, right.

ADMIN. JUDGE GARCIA: South of the Wilmington area.

MR. HSIUNG: Right, right.

ADMIN. JUDGE GARCIA: Okay.

MS. SIMON: Your Honor, if I could just interject for a second, Dr. Stamatakos mentioned NUREG/CR-6966. It wasn't submitted as an exhibit for Topic 3, but it was submitted as an exhibit supporting our responses to the questions. It's NRC-093, just for your reference.

CHAIRMAN RYERSON: Thank you.

ADMIN. JUDGE GARCIA: That's great. Thank you.

Did you complete your answer?

MR. HSIUNG: Me?

ADMIN. JUDGE GARCIA: Well, whoever was last speaking.

MR. HSIUNG: Oh.

ADMIN. JUDGE GARCIA: Yes?

MR. HSIUNG: Yes. We were talking about that's east of that, and that particular report, as

1 we mentioned in the presentation, that generated a
2 hurricane 05-like surge, and that can be accommodated
3 by -- actually bounded by the probable maximum
4 hurricane surge.

5 So in that sense for the tsunami to affect
6 the site is highly unlikely.

7 CHAIRMAN RYERSON: And, again, it may be
8 out of an abundance of caution on this topic, but we
9 probably should limit the testimony to Mr. Stamatakos
10 for the time being, and then we will excuse him, and
11 if there's follow-up information, we'll get it from
12 the other two witnesses.

13 Thank you.

14 ADMIN. JUDGE GARCIA: What is the potential
15 source for distant tsunamis?

16 MR. STAMATAKOS: Well, unless we restart
17 the Wilson cycle, I don't anticipate a subduction
18 related tsunamis in the Atlantic. There is this 2001
19 study that suggested, you know, catastrophic collapse
20 of the Easter Island as a distant, again, landslide
21 generated tsunami.

22 ADMIN. JUDGE GARCIA: Which island?

23 MR. STAMATAKOS: This is the War, Simon --
24 Steve Ward and Simon Day's (phonetic) study, and I
25 don't remember the name.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ADMIN. JUDGE GARCIA: Canary Island.

MR. STAMATAKOS: Canary. Excuse me. What did I say?

ADMIN. JUDGE GARCIA: Easter.

MR. STAMATAKOS: Oh, Canary. I apologize.

ADMIN. JUDGE GARCIA: Wrong ocean.

MR. STAMATAKOS: Yeah, getting late in the day. The Canary Islands, and so there is an analysis that they did that suggested the potential for catastrophic Atlantic Ocean tsunami, but I think more recent studies and re-analysis of their initial work showed that, in fact, even in that case the effects on the Atlantic Seaboard would be quite small, under three meters.

ADMIN. JUDGE GARCIA: And which studies were those? Did you provide that --

MR. STAMATAKOS: Well, they are discussed in length in the NUREG/CR-6966, but in particular there was one study of that re-analysis that was performed by a scientist named Charles Matter, and that was published also in 2001, but I would refer you to that more detailed discussion that's in the NUREG/CR about the underlying differences that Ward and Day used, shallow water equations, shallow water wave equations, when they did their analysis, and if

1 you use, I think, more appropriately intermediate
2 deep water, you get much greater dispersion of the
3 waves and effects are mitigated substantially by time
4 the tsunami could reach the Atlantic Seaboard.

5 ADMIN. JUDGE GARCIA: There was a study
6 published in 2002 based on landslide on the Hawaiian
7 Islands, suggested waves 50 meters high would arrive
8 in California. So --

9 MR. STAMATAKOS: Is there any historical
10 evidence for those large a --

11 ADMIN. JUDGE GARCIA: There's no evidence
12 in California of waves arriving. The Australians
13 have claimed waves arrived there from some of the
14 Hawaiian tsunamis, but not California.

15 MR. STAMATAKOS: And I would also, you
16 know, point out in reference to either the local or
17 distant tsunamis, there's not a very strong record on
18 the Atlantic Seaboard for geologic --

19 ADMIN. JUDGE GARCIA: That is important.

20 MR. STAMATAKOS: -- tsunamis.

21 ADMIN. JUDGE GARCIA: In that regard, are
22 you familiar with the Lisbon 1755 earthquake?

23 MR. STAMATAKOS: Yes.

24 ADMIN. JUDGE GARCIA: And that margin is
25 now recognized as a subduction zone rather than some

1 other type of margin.

2 MR. STAMATAKOS: That I was aware. I
3 knew --

4 ADMIN. JUDGE GARCIA: That has recently
5 been recognized. Was there a tsunami generated by
6 that?

7 MR. STAMATAKOS: Yeah, that one, I believe
8 that's one of the five biggest, deadliest tsunamis in
9 human history that we know of, and I think that's an
10 earthquake generated landslide tsunami. So it has an
11 earthquake and a subway landslide together, and it
12 had localized very devastating impact.

13 ADMIN. JUDGE GARCIA: All right. If you
14 had a tsunami generated locally, how much warning
15 would the operators of the plant have before the wave
16 arrived?

17 MR. STAMATAKOS: If there was a local
18 landslide and local earthquake, not -- not --
19 minutes.

20 ADMIN. JUDGE GARCIA: Yeah, minutes, right.
21 Whereas a distant event, such as Lisbon?

22 MR. STAMATAKOS: Well, if there was
23 sufficient recording in the Atlantic Ocean to be able
24 to identify that a tsunami was on the way.

25 ADMIN. JUDGE GARCIA: Okay.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN RYERSON: Judge Jackson, do you have any questions for Mr. Stamatakos at this point?

ADMIN. JUDGE JACKSON: I'm not sure. The thrust of this topic is defining the environmental hazards and not so much the response, but I wanted to ask a question about structural, seismic structural response, and I don't know. Are you the expert on that?

I thought you were. If you are, then we can go ahead.

CHAIRMAN RYERSON: Yeah, I think I'm finished at this level. So for purposes of today, we'll continue doing what we've been doing, which is we will excuse you, Mr. Stamatakos. Thank you very much for your testimony.

And do we have -- on the NRC staff do we have some L cleared personnel?

MS. SAFFORD: We do have one attorney who needs to leave the room.

CHAIRMAN RYERSON: Will leave. Okay. We'll talk about tomorrow after the testimony. We may make some modification.

(The parties left the room.)

CHAIRMAN RYERSON: All right. Shall we go through the same? Judge Garcia, did you have further

1 questions for either of these gentlemen?

2 ADMIN. JUDGE GARCIA: Yes.

3 CHAIRMAN RYERSON: Well, why don't you
4 start then?

5 ADMIN. JUDGE GARCIA: In the testimony, you
6 referred to sea level in several different ways,
7 sometimes mean sea level, sometimes low tide. Is
8 there a benchmark that's typically used for this
9 evaluation?

10 MR. HSIUNG: Typically when we refer to the
11 elevations like that or we use the mean sea level --

12 ADMIN. JUDGE GARCIA: right.

13 MR. HSIUNG: -- and for this particular
14 hurricane surge, the calculation and everything else
15 is based on the mean low water.

16 ADMIN. JUDGE GARCIA: Yeah.

17 MR. HSIUNG: So for this case here at
18 Wilmington area, the difference is about 2.3 feet,
19 which is the mean sea level is a little bit higher
20 than the mean level water. That's the difference.

21 ADMIN. JUDGE GARCIA: That's the average,
22 but it could be different depending on the season.
23 If you have spring tides --

24 MR. HSIUNG: Yes, for the tides and
25 everything else, there are different averages. They

1 call it actually mean high water. Also really the
2 average is a high water, and mean sea level is that
3 the water level that average of every, I think, every
4 hour, you know. They average it out and come up with
5 the water level.

6 And mean low water, yes, they average out
7 the low water, and they have other terminology as
8 well, you know, they use in general. But you know,
9 important to remember is that if you look at the mean
10 low level, low water, and the mean sea level, so for
11 this problem maximum hurricane is measured about 21.9
12 feet, mean low water, which means that you calculated
13 the -- assuming that mean sea level then actually is
14 high, is about 19 or 18.5 feet above mean sea level
15 will be the surge.

16 So it will be relatively smaller size
17 compared, you know, to the site 25 feet. You know,
18 so GLE using 22 feet as a basis to calculate this
19 estimate. So it is conservative from that
20 perspective.

21 ADMIN. JUDGE GARCIA: Well, in the spirit
22 of being conservative, certainly it's good to use the
23 worst case, and I wondered in terms of the tide --

24 MR. HSIUNG: Yeah.

25 ADMIN. JUDGE GARCIA: -- if we should be

1 using a different aspect of the tide, and
2 particularly concerning the worst case for the tide.

3 MR. HSIUNG: Yeah. Certainly is, right.

4 ADMIN. JUDGE GARCIA: The low water point.

5 MR. HSIUNG: For this case here, this
6 particular regulatory guide, using mean low water is
7 the basis, yeah.

8 CHAIRMAN RYERSON: Judge Jackson.

9 ADMIN. JUDGE JACKSON: I believe Mr. -- is
10 it Chowdhury?

11 MR. CHOWDHURY: Chowdhury.

12 ADMIN. JUDGE JACKSON: Yes. Could you tell
13 us what's the status of the seismic design of the
14 cascade hall.

15 MR. CHOWDHURY: They did not do the
16 detailed design of the structure yet.

17 ADMIN. JUDGE JACKSON: Okay.

18 MR. CHOWDHURY: However, they have provided
19 the subject that Dr. Stamatakos mentioned, and then
20 GLE used Department of Energy Standard 1020 or ASC
21 Standard 4305 to convert the seismic hazard into
22 design basis less (unintelligible).

23 ADMIN. JUDGE JACKSON: Okay.

24 MR. CHOWDHURY: And those two standards,
25 DOE standard and ASC standard, they are parallel, and

1 both are consensus standards and used extensively for
2 new facilities.

3 Having developed the seismic design
4 spectrum, then the GLE made the commitment in the
5 license application that for steel structure they
6 would be using American Institute of Steel
7 Construction Standard N-690 that is for the design of
8 Napier (phonetic) facilities of steel structures, and
9 for the concrete structures they would be using ACI-
10 349 on the concrete structure design. Again that is
11 Napier facility design.

12 So concrete design, for commercial
13 structures, it is ACI-318. So ACI-349 is based on
14 318, but more stringent requirements for Napier
15 facilities.

16 Similarly, for steel structures AC Standard
17 N-690 is based on AISC (phonetic) specification for
18 commercial structure, but with more stringent
19 requirements for Napier facilities. So based on
20 their seismic characterization of the site, use of
21 DOE or AC standard to convert the seismic hazard into
22 seismic response spectrum and then designing AIAC
23 (phonetic) N-690 steel structures and ACI-349 for
24 concrete structures, we have confidence that they
25 will be able to, when they do the detail design, they

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

will be able to do the design that is acceptable.

ADMIN. JUDGE JACKSON: We talked about a standard for the steel structure, and you are saying that will be applied to the design of the components within the very tall components within the cascade are.

MR. CHOWDHURY: Ah, yes.

ADMIN. JUDGE JACKSON: Is that correct?

MR. CHOWDHURY: That is correct.

ADMIN. JUDGE JACKSON: Because I had the idea from what you said that that steel structure might almost be for a building structure and not necessarily for components and plumbing and --

MR. CHOWDHURY: Okay. Here the important structure is the structures relied on for safety.

ADMIN. JUDGE JACKSON: Yes.

MR. CHOWDHURY: And that is a three story building, which is a process in building.

ADMIN. JUDGE JACKSON: Yes.

MR. CHOWDHURY: Is the IROFS structure, and that is a steel frame structure. So it is made of steel frame.

ADMIN. JUDGE JACKSON: Yes.

MR. CHOWDHURY: And it has got metal

1 siding, and so stability of the steel structure is
2 the IROFS safety function, and that concrete
3 structure with a concrete foundation.

4 So here, NRC's review, design review is for
5 the design of the items important for safety, the
6 structure, which is a steel frame structure with
7 concrete foundation system.

8 ADMIN. JUDGE JACKSON: Okay. Would the NRC
9 also be reviewing the seismic analysis of the
10 components within the building?

11 MR. CHOWDHURY: There will be some IROFS
12 mechanical system and who should be sitting on the
13 foundation and that foundation would be designed
14 based on ACI-349.

15 ADMIN. JUDGE JACKSON: Okay. What about a
16 separation module? Would that be considered an
17 outside of the review of the safety?

18 MR. CHOWDHURY: Could you please repeat
19 that question?

20 ADMIN. JUDGE JACKSON: Seismic evaluation?

21 MR. CHOWDHURY: What separation?

22 ADMIN. JUDGE JACKSON: I'm talking about
23 the separations module, a structure within the
24 building.

25 MR. CHOWDHURY: Okay.

1 ADMIN. JUDGE JACKSON: There are a number
2 of very tall structures. I'm just wondering does the
3 NRC review the structures.

4 MR. CHOWDHURY: Yes. The installed
5 structure is a three story building, about 200 feet
6 high, 40 feet wide, and stability, stability of the
7 structure is the IROFS function so that the structure
8 that (unintelligible) and damage those IROFS
9 equipment inside the building. So that safety
10 function is the stability of the steel frame
11 structure.

12 ADMIN. JUDGE JACKSON: The detail design is
13 not done and that's something that will be evaluated
14 in the future?

15 MR. CHOWDHURY: Yes. Normally for
16 facilities like these, the construction is based on
17 design basis, design criteria, and the commitment to
18 use appropriate codes, recent codes and standards.

19 Then when they will make the detail
20 designs, NRC reviews and also some of those reviews
21 will take place during the construction inspection.

22 ADMIN. JUDGE JACKSON: Okay.

23 MR. CHOWDHURY: But the government will
24 still review that detail design.

25 ADMIN. JUDGE JACKSON: All right. Thank

1 you.

2 MS. SIMON: Your Honor, Brian Smith has
3 indicated to us that the design of the separator
4 modules is not within the review area of Dr.
5 Chowdhury's.

6 ADMIN. JUDGE JACKSON: That was my
7 question, one of my questions. Thank you.

8 CHAIRMAN RYERSON: Since it is late in the
9 day, I'll ask one or two questions that will betray
10 the fact that I'm not the technical member of this
11 Board, and I think they are addressed to Mr. Hsiung,
12 weather related issues, and I will confess this may
13 be inspired by the fact it hit 106 degrees Fahrenheit
14 last Saturday in Washington.

15 Given the possibility of changing weather
16 patterns and, therefore, the limited usefulness
17 perhaps of looking at historical data, how are you
18 confident that -- and again, I'll go to a
19 nontechnical aspect -- how are you confident that a
20 facility to be constructed near something called Cape
21 Fear should not be analyzed from a Hurricane 5 level?

22 MR. HSIUNG: Well, I think that's, Your
23 Honor, a very good question, and so far because of
24 the IGOA (phonetic) saying that we should look at the
25 historical data, and if you're looking at a Hurricane

1 5, it's going to land somewhere. It's going to
 2 travel inland. So it's going to dissipate. So
 3 whether the ultimate wind speed reaching the site
 4 will be greater than that design basis of wind or
 5 not, the probability is low, but I cannot say highly
 6 unlikely, but the thing is there is such a thing
 7 called the integrated safety analysis. Once that
 8 should happen, and pretty sure that the structure is
 9 constructed with sufficient capacity, okay, can
 10 actually resist a wind speed beyond that.

11 You know, so you're probably looking at
 12 minor damage of the structure inside that. Once that
 13 happens, and I think the agency will need to go back
 14 as requested, required in ISA. They had to do an ISA
 15 analysis, looking at the consequences and see whether
 16 there is any additional hazard will need to be
 17 identified.

18 Then based on that information, then they
 19 will -- you will determine whether that any
 20 improvement to the structure and reinforcement of the
 21 structure will have to be made or not.

22 CHAIRMAN RYERSON: Thank you.

23 Judge Garcia, did you have another
 24 question?

25 ADMIN. JUDGE GARCIA: You covered it.

1 CHAIRMAN RYERSON: I did? Sure.

2 Judge Jackson?

3 ADMIN. JUDGE JACKSON: No other questions.

4 CHAIRMAN RYERSON: Well, gentlemen, thank
5 you for your testimony. You are excused, and I guess
6 for the rest of the proceeding you are not witnesses,
7 I believe, on any other topic. So in consultation
8 with counsel, you are free to come back and watch or
9 not, as you see fit.

10 Thank you for your testimony.

11 MR. CHOWDHURY: Thank you.

12 MR. HSIUNG: Thank you, Your Honor.

13 (The witnesses were excused.)

14 CHAIRMAN RYERSON: A couple of things, and
15 feel free to step down. Tomorrow, and this is for
16 both counsel, we can continue to proceed the way we
17 have in terms of handling security levels. It will
18 be a little more awkward tomorrow because we have
19 more of a mix on the subject matter, and I suspect
20 the likelihood that classified information will come
21 out tomorrow is lower based upon the topics.

22 Now, there are other categories of non-
23 public information as well, but in terms of
24 classified information, I think the risk that it's
25 coming out is lower.

1 So while the Board has not really discussed
 2 it, and I'm not sure how we would come out, if
 3 counsel would like to talk about that tonight or
 4 after this session is over, if you have a proposal
 5 that is agreed upon, and I suspect that a proposal
 6 that is agreeable to Ms. Jenny might be presumptively
 7 all right to the Board, we can see whether there's an
 8 easier way to deal with this as we get into the area
 9 where there are more mixes of clearance levels of the
 10 various witness panels.

11 I think that is pretty much it. Again, I
 12 will remind everyone of your obligation to keep
 13 confidential classified information of all kinds. I
 14 again offer Ms. Siarnacki's willingness and eagerness
 15 to destroy any notes that you've made that you don't
 16 need so that you don't have to bother classifying
 17 them or to preserve overnight if you wish a limited
 18 number of classified documents.

19 I think tomorrow morning we begin with GLE
 20 on Topic 4, and I believe the witnesses would be Ms.
 21 Oliver again and Mr. Crate, if I'm pronouncing it
 22 correctly.

23 MR. SILVERMAN: Ms. Oliver and Mr. Crate,
 24 yes.

25 CHAIRMAN RYERSON: Each of whom has a Q

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

clearance.

MR. SILVERMAN: Yes.

CHAIRMAN RYERSON: So we will plan to reconvene at 9:00 a.m. Is there anything else, Mr. Silverman, tonight?

MR. SILVERMAN: No. No, Your Honor.

CHAIRMAN RYERSON: NRC staff?

MS. SAFFORD: Your Honor, I just had one quick question. Our witnesses from today, the majority of our witnesses from Topics 1 through 3 are not overlapping with 4 through 6.

CHAIRMAN RYERSON: Correct.

MS. SAFFORD: Would it be helpful to the Board if we had them remain in the building tomorrow in case issues came up addressing their Topics 1 through 3?

CHAIRMAN RYERSON: It would probably be helpful should that happen, but I'm not sure the Board needs to insist on it. If they want to leave, that's probably okay.

MS. SAFFORD: Okay. Thank you.

CHAIRMAN RYERSON: Either way is fine. Okay. Thank you. See you tomorrow.

(Whereupon, at 5:03 p.m., the hearing in the above-entitled matter was adjourned, to reconvene

256

1
2

at 9:00 a.m., Thursday, July 12, 2012.)

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

In the Matter of)
)
GE-HITACHI GLOBAL LASER) Docket No. 70-7016-ML
ENRICHMENT FACILITY LLC)
(GLE Commercial Facility))

CERTIFICATE OF SERVICE

I hereby certify that copies of the foregoing **OFFICIAL TRANSCRIPT OF THE EVIDENTIARY HEARING HELD ON WEDNESDAY, JULY 11, 2012** have been served upon the following persons by Electronic Information Exchange.

U.S. Nuclear Regulatory Commission
Atomic Safety and Licensing Board (ASLB)
Mail Stop T-3F23
Washington, DC 20555-0001

Paul S. Ryerson, Chair
Administrative Judge
paul.ryerson@nrc.gov

James F. Jackson
Administrative Judge
james.jackson@nrc.gov

Michael O. Garcia
Administrative Judge
michael.garcia@nrc.gov

Anthony C. Eitrem, Esq., Chief Counsel
ace1@nrc.gov

Anne Siarnacki, Law Clerk
anne.siarnacki@nrc.gov

U.S. Nuclear Regulatory Commission
Office of Commission Appellate Adjudication
Mail Stop O-16C1
Washington, DC 20555-0001
OCA Mail Center
ocaamail@nrc.gov

U.S. Nuclear Regulatory Commission
Office of the Secretary of the Commission
Rulemakings & Adjudications Staff
Mail Stop O-16C1
Washington, DC 20555-0001
hearingdocket@nrc.gov

U.S. Nuclear Regulatory Commission
Office of the General Counsel
Mail Stop O-15 D21
Washington, DC 20555-0001
Carrie Safford, Esq.
carrie.safford@nrc.gov
Marcia Simon, Esq.
marcia.simon@nrc.gov
Molly Barkman Marsh, Esq.
molly.barkmanmarsh@nrc.gov
Mary Spencer, Esq.
mary.spencer@nrc.gov

OGC Mail Center:
OGCMailCenter@nrc.gov

GE-HITACHI GLOBAL LASER ENRICHMENT FACILITY LLC
DOCKET NO. 70-7016-ML

**OFFICIAL TRANSCRIPT OF THE EVIDENTIARY HEARING HELD ON WEDNESDAY,
JULY 11, 2012**

Counsel for the Applicant
GE-Hitachi Global Laser Enrichment
3901 Castle Hayne Road
P.O. Box 780
Wilmington, NC 28402
Angela Thornhill, Esq.
General Counsel
angela.thornhill@ge.com

Counsel for the Applicant
Morgan, Lewis & Bockius
1111 Pennsylvania Ave., NW
Washington, DC 20004
Donald J. Silverman, Esq.
dsilverman@morganlewis.com
Martin J. O'Neill, Esq.
martin.oneill@morganlewis.com
Audrea Salters
asalters@morganlewis.com
Anna Jones, Esq.
anna.jones@morganlewis.com
Charles Moldenhauer, Esq.
cmoldenhauer@morganlewis.com

[Original signed by Evangeline S. Ngbea]
Office of the Secretary of the Commission

Dated at Rockville, Maryland
this 5th day of October 2012