

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Public Meeting on Filtered
 Containment Venting Issues

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Thursday, September 13, 2012

Work Order No.: NRC-1882

Pages 1-242

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

PUBLIC MEETING ON FILTERED CONTAINMENT

VENTING ISSUES

+ + + + +

THURSDAY

SEPTEMBER 13, 2012

+ + + + +

ROCKVILLE, MARYLAND

The Public Meeting convened at the Nuclear
Regulatory Commission, Two White Flint North, Room T2B3,
11545 Rockville Pike, at 9:00 a.m., Robert Fretz,
Facilitator, presiding.

NRC STAFF PRESENT:

ROBERT FRETZ, Moderator

SUD BASU

TIM COLLINS

BOB DENNIG

DON DUBE

ED FULLER

KATHY GIBSON

RICHARD LEE

JOHN MONNINGER

ALLEN NOTAFRANCESCO

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

ALSO PRESENT:

JEFF GABOR

PAUL GUNTER

STEVE KRAFT

MARY LAMPERT *

MARK LEYSE *

DAVID LOCHBAUM

ED LYMAN

JIM RICCIO

RAY SHADIS *

MATT SOLMOS

RANDY SUMMERS

RAJGOPAL VIJAYKUMAR

RICK WACHOWIAK

*Present via telephone

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

Call to Order, Welcoming Remarks, and Purpose of the Meeting Robert Fretz Facilitator	5
Background of Filtered Containment Venting Issue Robert Fretz Facilitator	9
Opportunity for Members of the Public to Present Information	20
David Lochbaum Union of Concerned Scientists	21
Questions and Comments	36
Mary Lambert Director Pilgrim Watch	47
Questions and Comments	62
Paul Gunter Director Reactor Oversight Project Beyond Nuclear Takoma Park, Maryland	81
Questions and Comments	87
Questions and Comments from Webinar Participants	98
Questions and Comments	100
Questions and Comments from Phone Participants	103
Mary Leyse Nuclear Consultant	105
Questions and Comments	117

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

Initial Results of Severe Accident
Analyses Performed to Support the
Regulatory Analysis for the BWR
MARK I and MARK II Filtered
Containment Venting Policy Issue 123

Allen Notafrancesco 123
Office of Research
NRC

Questions and Comments from 163, 240
Audience Participants

Questions and Comments from 239
Phone Participants

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(9:03 a.m.)

1
2
3 MR. FRETZ: I guess we are going to get
4 started.

5 Good morning.

6 I would first like to thank all of you for
7 your interest in today's public meeting. My name is Bob
8 Fretz, and I am the NRC Project Manager for the staff's
9 review of the issue of filtration of BWR Mark I and MARK
10 II containment vents.

11 Today's meeting is intended to achieve two
12 objectives. First, this meeting is essentially a
13 followup to the meeting we held with the Electric Power
14 Research Institute on August 8. At today's meeting, the
15 staff will provide information about some of the analysis
16 it has been performing regarding filtered venting.
17 Specifically, the staff will discuss the MELCOR analysis
18 of selected severe accident sequences for BWR Mark I
19 containments and how the results will inform the staff's
20 regulatory analysis of filtered venting.

21 But, secondly, during the August 8th
22 meeting, EPRI provided an overview of work that was
23 initiated and performed independently by the industry
24 for the purpose of proposing alternatives to installing
25 filters on MARK I and MARK II hardened vents to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Commission.

2 While we await EPRI's more detailed report,
3 which is expected shortly, the staff believes that the
4 August 8th meeting was beneficial in beginning to
5 understand the industry's position. That said, the NRC
6 staff also wanted to hear from our other stakeholders.
7 Today's meeting is intended to give members of the public
8 an opportunity to provide technical insights on the issue
9 of filtered venting.

10 Next slide.

11 First, a few administrative items I would
12 like to go through first, as we always do at the beginning
13 of most public meetings. But this is a Category 2 public
14 meeting. Now members of the public are invited to
15 participate in this meeting by asking questions of the
16 NRC staff at the points identified in the agenda. In
17 fact, at this meeting a good portion of our meeting is
18 intended to dialog with our public stakeholders, as we
19 will discuss the agenda.

20 But, again, for those who are participating
21 on the bridge line, there will be designated points where
22 they will be invited to ask questions of the NRC staff.

23 Also, for those of you who are attending in
24 person today, please sign on the sign-in sheet before you
25 leave the room today. It is located right around the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 pillar at the podium. A list of attendees and
2 participants will become a part of meeting record.

3 And again, copies of the presentations can
4 also be found in the back of the room. Now, in addition
5 to the presentations that are there in the back of the
6 room, there was a number of documents that were submitted
7 to the NRC by members of the public that we have not made
8 copies for. One of my last slides will show you some of
9 the ML numbers that you can find those documents. There
10 is one more document to be added into the record, and we
11 hope to have that ML number before the end of today's
12 meeting. It was essentially the slides for research in
13 the afternoon. In fact, the last slide in your packet
14 for today for my presentation will have those ML numbers.

15 Again, there are a number of documents that
16 have been submitted to us regarding this subject.
17 Again, we appreciate that input.

18 Okay. Next slide. We will go over the
19 agenda.

20 Again, as essentially is shown in the
21 agenda, the morning session will involve, again, some
22 opening remarks by myself. But, essentially, the whole
23 purpose of the morning agenda is to give an opportunity
24 for members of the public, as represented by
25 non-governmental organizations, and as well as members

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of the public on the phone or here in the audience, a
2 chance to provide comments and ask comments of the NRC
3 staff regarding the issue of filtered venting.

4 And then, following the morning session, we
5 will take a lunch break. Right now, it is scheduled
6 between 12:00 and 1:00. And then, we will reconvene at
7 one o'clock to allow the Office of Nuclear Regulatory
8 Research the chance to present some information
9 regarding the analysis. It is performed in support of
10 our regulatory analysis.

11 And then, following the presentation by
12 Research as well as the discussions that might ensue
13 regarding their work, then we will provide members of the
14 public the opportunity to ask questions and provide
15 comments.

16 And then, hopefully, before four o'clock,
17 we will be able to wrap it up and work on that.

18 Okay. Next slide.

19 Now, as far as the morning agenda, we did
20 receive some comments from Mark Leyse, who is a nuclear
21 consultant. He prepared a paper on behalf of the Natural
22 Resources Defense Council. That information was
23 submitted to us.

24 Now, if Mark is on the phone, I will give
25 him the opportunity to at least provide an overview of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that information. Otherwise, I will try to paraphrase
2 what he said on that.

3 In addition, we have on the schedule planned
4 presentations from the Union of Concerned Scientists as
5 well as Pilgrim Watch.

6 And then, following those presentations, I
7 would like to take comments and questions and any input
8 from any members of the public who are here in attendance
9 today. And then, following that, we will go to the
10 questions that we might get via the webinar feature, and
11 then from the phone. So, hopefully, we can do that in
12 that order, and then everything will operate pretty
13 smoothly.

14 Next slide, please.

15 Okay. In December of last year, the
16 Commission directed the staff to take certain actions
17 regarding reliable hardened vents. They supported the
18 recommendation that the staff had made to order licensees
19 to include the reliable hardened vent in BWRs with MARK
20 I and MARK II containment designs.

21 In addition, they supported a
22 recommendation to form a more long-term analysis or
23 evaluation on reliable hardened vents for other
24 containment designs.

25 Next slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 But, additionally, the Commission acted on
2 a recommendation by the staff to take a look at the issue
3 of filtration of containment vents. The Commission
4 directed the staff to move that issue and merge it with
5 the Tier 1 issue for the reliable hardened vents for the
6 BWR MARK I and MARK II containment designs.

7 Next slide.

8 In February of this year, the staff did make
9 some recommendations. They did provide a proposed order
10 to the Commission for review. In addition, they noted
11 that severe accident service and the issue of filtration
12 would be treated as a separate Tier 1 issue. They also
13 noted that they would be submitting a Commission paper,
14 policy paper, regarding the issue of filtration.
15 Essentially, we gave a due date of July of 2012 of this
16 year. The current date for the Commission paper is
17 November of this year.

18 On March 12th, as many of you know, the NRC
19 issued an order requiring reliable hardened vents
20 containments with the MARK I and MARK II containment
21 designs.

22 Next slide.

23 Now, since the issuance of the order, the
24 staff has been very busy taking a look at the issue of
25 severe accident service and the issue of filtration for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the BWR vents. The issue of containment venting and
2 filtration is really not a new issue, and the staff has
3 been reviewing almost 30 years of regulatory actions
4 relating to this subject. While much remains to be
5 learned about what happened at Fukushima, the staff has
6 been incorporating many of the insights we have gained
7 from the Fukushima event in our analysis.

8 In addition, the staff has attempted to
9 engage our stakeholders with a number of public meetings,
10 which we will show in a few minutes, as well as we have
11 looked at what other countries have done regarding
12 filtered venting.

13 And finally, the staff has been busy
14 performing a number of technical analyses on this subject
15 in order to help arrive at a recommendation.

16 Next slide.

17 Again, this slide 10 shows a number of the
18 public meetings that we have held on the issue of filtered
19 venting. In May, we had two public meetings that touched
20 on this subject. Staff did provide an overview of the
21 issue. During that time, we received a number of
22 comments from the public as well as the industry.

23 In addition, the staff has conducted public
24 meetings from various vendors who have performed
25 extensive research and testing on various filtered

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 venting designs. In July, we had representatives from
2 AREVA who have been involved in research and development
3 really since the eighties.

4 And earlier this month, on September 4th,
5 the staff held a meeting with the Paul Scherrer
6 Institute, where again they provided information
7 regarding their filter designs.

8 In addition, as I touched up earlier, we did
9 hold a meeting on August 8th with the Electric Power
10 Research Institute where, again, we discussed the
11 industry's strategies for mitigating radiological
12 releases.

13 In addition to the various public meetings
14 that we have held over the past few months, the staff has
15 been engaging with the ACRS. We have met with them. We
16 met with them in May. And again, we met with them earlier
17 this month.

18 Next slide, please.

19 As I touched on earlier, the staff consulted
20 a number of times with various foreign regulators and
21 licensees regarding filtered containment venting.
22 Again, you can see on there, on the slides, these are the
23 number of the agencies as well as licensees that are
24 overseas whom the staff visited, as well as the class that
25 the staff visited. But the idea was to take a look at how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the various foreign regulators as well as foreign
2 licensees actually implemented the filtered venting in
3 those countries.

4 Next slide.

5 MR. LOCHBAUM: Bob, could I ask a question
6 right here?

7 MR. FRETZ: Sure, go ahead.

8 MR. LOCHBAUM: Toward the bottom, you
9 listed a number of site visits that the NRC staff made.

10 MR. FRETZ: Yes.

11 MR. LOCHBAUM: Are there
12 publicly-available trip reports or summaries of what the
13 NRC looked at and what they found for those?

14 MR. FRETZ: Well, we did prepare a trip
15 report, but it is normal, I believe it is normal policy
16 that the international trips and the international
17 meeting summaries are not normally publicly-available.

18 MR. RICCIO: That is just not the case.

19 MR. MONNINGER: One thing within our paper
20 that is due in the end of November, we will summarize our
21 observations, experiences, the technical or policy basis
22 for the foreign countries' decisions. So, I am not sure
23 if that helps, but --

24 MR. LOCHBAUM: FOIA helps.

25 MR. RICCIO: So, we have to FOIA them?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MONNINGER: We can check on the current
2 policy.

3 MR. FRETZ: Yes, we can check on the current
4 policy and see. There is really nothing in there that --

5 MR. RICCIO: I can tell you I have gotten
6 trip reports out ADAMS before. I just saw trip reports
7 in ADAMS yesterday.

8 MR. GUNTER: Yes, there were trip
9 reports --

10 MR. RICCIO: International trip reports.

11 MR. GUNTER: Yes, there were trip reports
12 to a conference in Paris in -- what was it? -- 1989 that
13 the NRC participated in that looked directly at the
14 hardened vent issue on filtration. I think we have
15 provided that to the ACRS. So, we are aware of trip
16 reports on foreign visits that have been part of the
17 public document.

18 MR. MONNINGER: Maybe during the lunch
19 break, we should be able to get back to you and say what
20 the position is on the foreign trip reports.

21 MR. FRETZ: We will look into that.

22 MR. LOCHBAUM: Thank you.

23 MR. FRETZ: Again, much of the information
24 during the May public meetings that we did hold, I know
25 we presented a lot of the information and some of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 insights that we gained during those visits.
2 Essentially, by that time, Sweden and Switzerland had
3 occurred. We had not yet gone to Canada.

4 MR. LOCHBAUM: Yes, I saw some of the things
5 on the slides.

6 MR. FRETZ: Okay.

7 MR. LOCHBAUM: So, I have seen some of it
8 before. So, thank you.

9 MR. FRETZ: Okay. Go ahead, next slide.

10 The current orders for reliable hardened
11 events do not provide requirements for severe accident
12 service. Therefore, the staff has undertaken a
13 comprehensive review of containment venting as part of
14 the strategies related to severe accident management.
15 Again, the staff has looked at how venting plays a role
16 in the current plant emergency operating procedures.
17 Also, protecting containment goes beyond simply venting,
18 and the staff has been looking at various strategies that
19 may be employed by plant operators during a number of
20 possible severe accident scenarios.

21 The NRC has also been considering various
22 strategies that may have a benefit for reducing
23 radiological releases. These strategies include the
24 possibility of installing filter containment venting.

25 These insights were then used to perform a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 detailed analysis of representative severe accident
2 scenarios or cases using the NRC's primary severe
3 accident analysis computer code, otherwise known as
4 MELCOR.

5 Because each case uses various assumptions
6 about the sequence and timing of various plant safety
7 systems, including the use of sprays, flooding, and
8 containment venting, they serve to characterize one
9 possible, but a representative outcome of certain severe
10 accident scenarios.

11 The staff's MELCOR analysis focuses on the
12 MARK I containment designs. And again, they were
13 informed by Fukushima. But we will learn more about the
14 details of that this afternoon during the afternoon
15 session.

16 MR. LYMAN: Sorry. So, as part of that,
17 did you model FLEX equipment use or not?

18 MR. FRETZ: I guess we can really address
19 that. I believe FLEX was considered in some of the
20 analyses, but we can answer that question this afternoon
21 in more detail when the Research staff is here for their
22 presentation.

23 Next slide.

24 Again, the purpose of the MELCOR analysis
25 was to support the regulatory analysis on filtered

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 venting. And again, the analysis will draw upon the
2 results of MACCS calculations that will be based on the
3 representative MELCOR cases. Again, the regulatory
4 analysis will consider PRA risk insights as well as
5 qualitative benefits. Again, more insights will be
6 given this afternoon on that.

7 Next slide.

8 Again, the staff is still not done with its
9 work. We have two additional planned public meetings on
10 our agenda. Really, as a followon to this meeting, the
11 Office of Research does intend to provide more insights
12 regarding some of the results from the MACCS cases. That
13 is one of the analyses that we are going to describe today
14 in the month of October as a follow-on.

15 In addition, Westinghouse has asked us to
16 allow them the opportunity to present information
17 regarding their filter designs. We talk with the folks
18 at AREVA as well as the Paul Scherrer Institute. My
19 understanding, based upon our research, is that
20 Westinghouse does have a design out there and is
21 marketing the thing. So, we will be scheduling a meeting
22 sometime in October to allow them the opportunity at
23 least to present material regarding their design.

24 The staff will also be engaging the Japan
25 Lessons Learned Steering Committee, as it prepares its

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 paper. In addition, we will be working with the ACRS,
2 and they will be reviewing the staff's work in scheduled
3 meetings in October/November. Again, we will be meeting
4 with the Subcommittee in early October, as shown on the
5 slide, and our plans are to meet with the full Committee
6 on November 1st. Again, this all will be culminated with
7 the Commission paper that is due at the end of November.

8 Next slide.

9 Again, here is the slide. We will keep it
10 up there for a while, while we give everyone a chance to
11 take a look at some of the ML numbers. As I alluded to
12 earlier, there is a number of documents that we have put
13 in the public thing that should be available. A couple
14 of them may not be available right now, but I do know that
15 we have been busily trying to get a number of documents
16 into ADAMS.

17 Again, as I talked about earlier, Mark
18 Leyse, who is a nuclear safety consultant, working on
19 behalf of NRDC, did submit some information on the
20 record. I wanted us to check the phones to see whether
21 or not Mark was on the phone, if he wanted to provide
22 comments. He had indicated that he would not be able to
23 make it to this meeting. And so, I was going to quickly
24 summarize what he submitted to us.

25 If Mark is on the phone?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 (No response.)

2 Okay. It doesn't seem like he is.

3 But, again, this document was sent to us
4 from Mark as well as from Corinne Hanson of the NRDC.
5 Again, the paper, the ML numbers are ML12254A865, as well
6 as ML12254A850. The second document is additional
7 information they presented, but the bulk of his paper is
8 in the first ML number I gave.

9 But, essentially, Mr. Leyse raises concerns
10 about the large amounts of non-condensable hydrogen gas
11 that would be generated during a BWR severe accident.
12 His concern is that, if enough hydrogen were produced,
13 the containment would fail from overpressure.

14 Mr. Leyse also stated that the staff should
15 consider possible negative consequences of venting.
16 For example, he raised some concern about the pump
17 cavitation and the loss of injection to the reactor
18 coolant system.

19 Mr. Leyse also raised concerns about the
20 effectiveness of the suppression pool in scrubbing and
21 retaining radionuclides. And then, he recommended that
22 a high-capacity filter would help protect the public.

23 And again, this paper goes into a discussion
24 regarding power plants in Europe as well as the impact
25 of maybe an unfiltered release at Limerick. Again, his

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 paper goes into that discussion. But, again, he
2 finalizes his paper by recommending filter containment
3 venting.

4 And so, that is a short paraphrase of the
5 information. If you want to read further, you can go to
6 that reference from Mr. Leyse.

7 Now we have come to the part of the agenda
8 where I guess we will turn it over to various members of
9 the public. Please work with us while we switch the
10 slides over.

11 The first speaker will be David Lochbaum
12 from the Union of Concerned Scientists.

13 Hopefully, we will get your item up.

14 MR. LOCHBAUM: While we are waiting, then,
15 I would like to start out by recognizing and expressing
16 our appreciation for the NRC changing the meeting.
17 Originally, it was scheduled for March 6th or September
18 6th. It was postponed until today to accommodate
19 largely the public. And also, flipping the order of the
20 agenda. I realize that each of those iterations
21 requires time and effort on the part of the NRC staff.
22 I just want to express our appreciation for the extra
23 effort that the NRC put in to making that happen.

24 That looks familiar. Next slide, please.

25 I would like to start by pointing out this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is a schematic of a typical MARK I. This is a MARK I
2 boiling water reactor. It is typical of the MARK II's.

3 In the red circle in the lower righthand
4 corner is what most plants call the off-gas system. The
5 off-gas system is used to process the gaseous releases
6 during normal plant operation whenever the reactor is
7 operating above 5 percent power.

8 The slightly radioactive gas is processed
9 through a series of HEPA and charcoal filters before
10 being released through a tall stack that further protects
11 the public by diluting the amount of radioactivity that
12 is in that stream to reduce the radioactive
13 concentrations to people downstream and downwind. So,
14 that is required. It is used day-to-day, and it is there
15 to significantly -- and it does -- significantly reduce
16 the amount of radioactivity that is released from the
17 plant during normal plant operation.

18 Next slide, please.

19 During design-basis accidents, another
20 filter system, typically called the standby gas
21 treatment system, processes the gaseous releases from
22 the reactor building, which would also be those from
23 primary containment, again, through a series of HEPA
24 filters and charcoal filters that are designed to reduce
25 the radioactive levels by 99 percent before they are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 released from an elevated release point to further dilute
2 and better protect people downwind and the workers, by
3 the way.

4 Next slide, please.

5 In 1989, the NRC ordered plant owners to
6 install hardened containment vents. They are shown in
7 the red circle in the lower lefthand corner. And all
8 MARK I's did this with the exception of Fitzpatrick in
9 New York State. In this case, radioactive gases from the
10 drywell or the torus can be released unfiltered through
11 HEPA and charcoal filters through an elevated release
12 point.

13 Essentially, before the NRC issued that
14 order in 1989, all releases were filtered, normal
15 design-basis accident and severe accident. The fix,
16 applied in 1989, allowed severe accident releases to go
17 out unfiltered.

18 Next slide, please.

19 MR. DENNIG: Just a quick correction:
20 1989 was the request. It wasn't an order. The order
21 came in --

22 MR. LOCHBAUM: I was on the receiving end
23 of that. It was a very strong request, but I agree.

24 (Laughter.)

25 MR. DENNIG: All right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LOCHBAUM: Technically, I understand
2 the semantics.

3 MR. MONNINGER: But also along the line of
4 maybe active discussion, even prior to the 1989 Generic
5 Letter, venting was recognized within the BWR EOPs. So,
6 you know, it was actually even prior to the 1989 Generic
7 Letter.

8 And then, what the NRC did with the Generic
9 Letter, our basis behind that was focused, essentially,
10 on the one sequence, the TW sequence, which it is a
11 contaminated RCS activity release, but it is not
12 necessarily a severe accident release. The staff noted
13 that, in requesting licensees to put that in, it would
14 also potentially be beneficial for severe accident
15 scenarios, but the actual basis that the staff proceeded
16 with was the TW sequence, as opposed to the actual severe
17 accident source-term releases.

18 MR. LOCHBAUM: Okay.

19 MR. MONNINGER: Just, you know, for
20 conversation.

21 MR. LOCHBAUM: I appreciate the
22 clarification.

23 This slide, it is a relative scale showing
24 the amount of radioactivity during normal operation, in
25 design-basis accidents, and severe accidents. Of those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 three, accidents is likely to have the largest amount of
2 radioactivity involved.

3 The next row shows the amount of filtering
4 provided for those releases. Normal operation and
5 design-basis accidents are the highest because they are
6 basically the same, HEPA filters, charcoal filters. A
7 large, significant reduction in the amount of
8 radioactivity going out as opposed to going into those
9 filters. In severe accidents, particularly when you
10 vent from the drywell, there is no filtering at all. So,
11 it is the lowest or least amount of filtering. And the
12 threat to the public and workers, it is smallest during
13 normal operation, medium during design-basis accidents,
14 and largest during severe accidents.

15 I don't fully understand why we are even
16 here discussing this. This seems like an obvious
17 no-brainer. But let's go through the exercise anyway.

18 Next slide, please.

19 There is going to be discussion about
20 modeling. I think this is a concern we have. Ed talks
21 about more the nuts and bolts and the details of the
22 modeling pros and cons. But from a big picture, which
23 I understand better -- I don't know the modeling as well
24 as Ed does -- the little green circle is the scope
25 for -- and this is not to scale; this is just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 illustrative -- this is the normal range of parameters
2 during normal operation in the transient studies that are
3 done for anticipated occurrences during normal
4 operation, pump trips, et cetera.

5 So, it is not a single point. There is a
6 range of points, as power levels and timing of different
7 sequences start. But it is a relatively-small arena
8 that one has to try to model.

9 Even within that relatively-small arena,
10 mistakes are still being made, as the recent adjustments
11 to the Minimum Critical Power Ratio in recent years has
12 done when errors were found in that very small space.
13 So, even 30 years later, people still make mistakes
14 modeling that small space, consequential mistakes.

15 This yellow circle shows the larger space
16 or scope for design-basis access because the timing, what
17 breaks, when it breaks, how big a break it is, again,
18 where it breaks, the pressurization, compartment
19 pressurization, high-energy line-break effects, there
20 are many more variables that are introduced into the
21 studies. And there are still mistakes being made in
22 those as the corrections to 10 CFR 50.46 you get from time
23 to time, where people miscalculate peak clad temperature
24 by 50 degrees or more. So, it is larger. It is not
25 intentional things. It is just a very challenging thing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to model; mistakes are made.

2 If you go into severe accident space, it is
3 like the character Woody in Toy Story, to infinity and
4 beyond. I mean, the number of sequences, combinations,
5 timing, you can basically make it look very good or you
6 can make it look very bad, as you cherry-pick amongst that
7 huge universe of variables.

8 What troubles me is that the NRC and the
9 industry are saying that that huge universe, fortunately
10 for which we have had very limited examples to draw from,
11 we are going to know with enough precision to say yes or
12 no on whether filter vents are required. That seems
13 ludicrous the surface. If you dig below the surface, it
14 is also ludicrous, but it just takes more work to get
15 there.

16 There is just no way you can justify doing
17 an analysis of so many unknowns and say for certain that
18 we don't need venting during severe accidents when we do
19 during normal operation and design-basis accidents. I
20 wouldn't want to be in the regulator's shoes following
21 a severe accident where people lost their homes or
22 perhaps their lives, and you didn't require severe
23 accidents -- pointing on this mathematically-correct,
24 but virtual-reality-impaired analysis as the basis for
25 your decision. I wouldn't want to answer, be on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 receiving end of Congress' very angry questions if that
2 situation were to play out, particularly since it is so
3 easy to fix, as so many other countries have done.

4 I also want to point out that, even if
5 containment venting were always done during the torus
6 vent pathway, still it is hard to credit how much credit
7 can be given to scrubbing, because it depends on what the
8 torus temperature is, what is the effect of that water
9 as a scrubbing agent. Again, there are so many unknowns
10 just with that issue, that filtering is justified, or not
11 filtering is unjustified. It depends on how you look at
12 it.

13 But we also have the capability for venting
14 from the drywell vents, which that issue is not even in
15 play at all. So, unless you disable the drywell vents
16 and eliminate that as a possibility, the fact that that
17 is on the table makes it very difficult, if not
18 impossible, to not put filters in on that pathway.

19 MR. MONNINGER: And I would say within our
20 studies the notion of potential for drywell venting is
21 within the consideration.

22 MR. LOCHBAUM: Bob put up a slide earlier
23 about the MELCOR analysis that the NRC staff is doing.
24 I was encouraged to see that there is no probabilities
25 or frequencies being considered, because, as this slide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 shows, there are so many variables, that that becomes a
2 very frustrating exercise of limited value.

3 But it did say that sequences and timing was
4 being considered. I think that also has similar
5 problems in that there are so many different sequences
6 with so many different timing options that can be
7 developed, essentially, an infinite number of sequences
8 with any number of timing options, that I don't see that
9 you could come up with a bounding case that would tell
10 you that not filtering is right in all those cases.
11 Clearly, you could come up with some showing that not
12 filtering is justified, but to say that not filtering is
13 justified in all cases stretches credibility to the
14 breaking point. So, I am not exactly sure why you are
15 wasting the FTEs, but I am not paying for them, so I don't
16 care.

17 We also believe that the NRC must require
18 filtering for all containment vents, not just some of
19 them, in order to correct a problem, unintended
20 consequences from another federal action made in the
21 past; namely, the Price-Anderson Act as amended. As you
22 know, Price-Anderson provides liability protection for
23 offsite damages from nuclear plant accidents.
24 Basically, it is no fault. The injured party doesn't
25 have to prove that the plant owner was at fault, just that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 they were harmed by the release of radiation.

2 That also provides the plant owner from
3 protection against being sued for potentially allowing
4 the thing, flipping the switch to allow radiation to go
5 out. Price-Anderson protects the plant owners from
6 those suits, and America is kind of known for being
7 somewhat litigious, filing a lot of lawsuits, whatever
8 that right word is.

9 And example I use is, when I bought my house
10 in Tennessee, by buying portable fire extinguishers and
11 installing deadbolt locks, my homeowner's insurance was
12 reduced that first year more than those things cost
13 because my house was more secure and better protected.
14 So, there was an incentive to me to do that, to make my
15 house safer and more secure.

16 If a plant owner spends \$100 on a
17 containment filter, that would be a good bargain, but
18 just for the sake of illustration, that is \$100 that is
19 not going to come back. There is not going to be
20 reduction in Price-Anderson liability insurance,
21 although the plant is arguably safer than a plant that
22 just dumps radiation out into the world. So, there will
23 be less claims against the plant with the filter than the
24 plant with Filter B, but there is no break under
25 Price-Anderson. The same premium is paid.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So, because there is no incentive -- and
2 that also applies to the NRC's risk space, because the
3 NRC and the industry largely do probability studies
4 instead of risk studies, putting in a filter on the vent
5 doesn't change the core damage frequency up or down. It
6 is not an issue. So, there is no break for the owner in
7 a risk-based regulation world for putting in a
8 containment vent. So, with all these disincentives for
9 plant owners to install a containment filter to protect
10 the public, the NRC needs to step in and protect the
11 public in that void. I think that is all I will say on
12 that one.

13 When we look at FLEX and some of the other
14 things the NRC does, when I worked as a consultant for
15 Susquehanna, they had just completed spending \$100
16 million to put in a fifth emergency diesel generator, two
17 reactors, two diesel generators each. They spent
18 upwards of \$100 million to put in a fifth emergency diesel
19 generator.

20 The reason they did that was to provide
21 themselves better protection against core melt, which is
22 good for the public as well. Both parties were
23 benefitted from that.

24 They also bought themselves some
25 flexibility. In case one of the emergency diesel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 generators failed, the reactor could continue operating
2 with the fifth diesel stepping in its place. So, there
3 were plenty of financial reasons for the plant owner to
4 spend that much money on a plant that the NRC was already
5 happy with.

6 But \$100, whatever the containment filters
7 cost, there is no payback at all for the owners from that.
8 They don't get a benefit in LCO space. They get a benefit
9 in PRA space. They don't get a benefit in liability
10 insurance protection space. Whatever that cost is, it
11 is down the drain.

12 We think that is why the industry's goal
13 reflects it is to provide means of preventing core
14 damage. Again, that is a lofty goal that protects the
15 owners and protects the public. But if that goal goes
16 south and the core melts, their investment is gone.
17 Price-Anderson steps in to protect them. So, there is
18 no benefit, again, no benefit at all, for the owners to
19 take steps to better protect the public during core melt
20 accidents because Price-Anderson does that.

21 Because of that, because there is no
22 incentive, financial incentive for the owners to do that,
23 the NRC must -- must -- step in and protect the public
24 from that situation, give them the reason to take the step
25 to protect the public. Again, I wouldn't want to be in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the NRC's shoes if an accident occurred and the public
2 was harmed and a contributing factor was the lack of
3 containment filters. That would be a tragedy made worse
4 by the fact that it could have been avoided.

5 We are also concerned that, in addition to
6 the millions of Americans who face undue harm from this
7 situation, there are dozens, perhaps even hundreds, of
8 plant workers that are also in harm's way. We read
9 accounts that workers at Fukushima were stymied in their
10 abilities to work in the control rooms, in the reactor
11 buildings, and even outside the plants, in taking some
12 of the mitigating actions they wanted to take, due to
13 radiation levels. I am not saying containment filters
14 would have totally eliminated that problem, but it
15 certainly didn't help that the radiation leaving
16 containment wasn't filtered. So, the containment
17 filters not only would benefit the public, it would
18 doubly benefit the public by allowing workers to have a
19 better shot at taking steps to protect them.

20 This last point we raise, but we recognize
21 that you probably won't be able to address it.

22 Next slide.

23 This was an embedded video that doesn't
24 work. So, what it was is Commissioner Svinicki's speech
25 at the Regulatory Information Conference in March of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 2012. It is posted in its entirety on the NRC's RIC
2 website. The part that I extracted but will not show you
3 today is 38 minutes and 30 seconds into the speech through
4 40 minutes 3 seconds into the speech.

5 Commissioner Svinicki was asked a question
6 about filtered vents. To summarize -- I wish I could
7 play her comments, so you would get it directly -- but
8 I hope I am fairly characterizing. It was she had looked
9 at the issue, felt that filtered vents were not necessary
10 because, in order to believe that filtered vents was
11 necessary, she would have to disbelieve that many other
12 systems and procedures would fail, to put you in a
13 situation where that was necessary.

14 The trouble I have with that logic is, at
15 that same time, the Commission voted unanimously,
16 5-to-0, including Commissioner Svinicki, to require
17 reliable hardened vents be installed. The number of
18 steps it takes and the number of failures it takes to get
19 filtered vents is no longer or no shorter than the number
20 of steps it takes to have reliable hardened vents.

21 In fact, the Commission's order makes it
22 more likely that this radiation will go out. Because in
23 the old days, when we had the unreliable hardened vents,
24 you might not have gotten them open when you wanted to.
25 Now, assuming this order is successful, it is more likely

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that the vents will be opened and unfiltered radiation
2 will be released to the atmosphere. So, if anything, the
3 Commission's order, unanimous order, makes it more
4 necessary to filter what goes out from the reliable
5 hardened containment vents.

6 It took 23 years from the time the hardened
7 vents were installed for the NRC to require that they be
8 made reliable. Americans shouldn't have to wait 23 more
9 years to have filtered reliable hardened vents.

10 There seems to be enough evidence on the
11 table to show that filtered vents is not only justified,
12 it is not credible not to justify. I mean, you basically
13 have to go into the -- I don't work for the Union of
14 Concerned Science-Fictionists. That is about the only
15 way I could say that that is a good idea.

16 It seems like there's already been way too
17 many meetings to debate a question that only has one
18 answer, and that is to put filters on the vents, or not
19 have the vents. Paul Gunter has said many times that
20 hardened vents are a workaround from having the
21 containment that can handle all accident conditions, not
22 just some of them. Hardened vents in the first place is
23 a design deficiency that was corrected with the use of
24 hardened vents. The public shouldn't have to pay the
25 burden for designers and the NRC allowing containments

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 not to be robust in the first place.

2 So, filter vents is the best workaround
3 available for that situation. And again, we hope that
4 all this will lead to filters being installed on that.
5 If not, we hope the accident never occurs. It shows how
6 dumb that decision would be not to put filters in, because
7 it will come at a very high price that is much, much higher
8 than the cost of the filters.

9 Thanks.

10 Any questions or clarifications, I would be
11 glad to --

12 MR. MONNINGER: I guess one question would
13 be, if filters were required, what do you believe an
14 appropriate standard of performance for those filters
15 would be? What would you measure them against?

16 MR. LOCHBAUM: I appreciate that question,
17 and I should have included it in my remarks, but I am glad
18 you brought it.

19 In my view, it is not that you have to have
20 HEPA filters or charcoal filters. That would be one way
21 of doing it. But, to me, whatever is on the up-filter
22 side, whatever the radiation amount is there, the
23 downstream side, or whatever you are using, water or
24 whatever it is, has to be significantly reduced, like the
25 standby gas treatment system, with about a 99-percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 reduction. Again, I am not going to argue that 99, but
2 you want a significant reduction pre-filter -- or
3 post-filter process, before it goes out.

4 MR. MONNINGER: But don't you think, I
5 guess, in evaluating them, wouldn't one need to know what
6 they were trying to achieve in the end? You know, if you
7 just use decontamination factors, 10, 100, 1,000,
8 10,000, a million, a gazillion, whatever, I mean, would
9 you go that route? Would you go with what is available
10 out there commercially? Would you look at some other
11 metric out there? Someplace there has to be a yardstick.

12 MR. LOCHBAUM: No question.

13 MR. MONNINGER: Well, of course, we would
14 be the ones that --

15 MR. LOCHBAUM: Right.

16 MR. MONNINGER: But any thoughts you would
17 have on the yardstick? And then, if you just throw in
18 the boilers, then what would you do with the suppression
19 pool, with any type or no credit for the suppression pool
20 or any type or no credit for sprays?

21 MR. LOCHBAUM: I would give no credit for
22 the suppression pool. But as far as the best answer I
23 can think of off the top of my head, which may not be the
24 best answer, the original design for the standby gas
25 treatment system was to handle all those releases,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 design-basis, severe accident, the original design.
2 There were some deficiencies found in it, but originally
3 it was supposed to accommodate all that. It was the
4 99-percent reduction.

5 One of the options back in 1989 would be to
6 boost the ductwork and everything, so that system could
7 still work during an accident. Most people took the
8 cheaper way and just put in the hard pipe, unfiltered.

9 But it seems like that original standard
10 that the NRC set that was used to judge whether the
11 standby gas treatment system was acceptable or not would
12 be the same one to apply today to the containment filter
13 from another source, whether it be the torus or the
14 drywell.

15 MR. MONNINGER: So, then, the capacity is
16 standby gas, which is to handle any leakage. So, the
17 design capacity would be leakage for standby gas. If you
18 did do something from the containment, the capacity would
19 have to be --

20 MR. LOCHBAUM: Right.

21 MR. MONNINGER: -- up to force.

22 I guess, what would be the thought behind
23 the suppression pool, no credit for the suppression pool?

24 MR. LYMAN: Well, how much experimental
25 evidence is there to justify any particular

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 decontamination factor? How much experimental evidence
2 do you have under various conditions? It seems you
3 should need to justify any credit given.

4 MR. RICCIO: Actually, back in 1989, when
5 we discussed, or actually prior to 1989, when we
6 discussed this after Chernobyl, NRC's own consultant
7 didn't want to give you any credit for scrubbing through
8 the suppression pools because you said you would be in
9 active space and they wouldn't know what the hell they
10 were doing. And they would re-release everything they
11 scrubbed through the suppression pool right back into the
12 environment.

13 MR. LYMAN: But let me ask --

14 MR. RICCIO: You can go check it.

15 MR. LYMAN: But do you have experimental
16 reports, going back to Hanauer's memo when he said
17 General Electric is asserting these decontamination
18 factors, but I haven't seen any evidence to support it?
19 What do you have since then?

20 MR. MONNINGER: But if there was evidence
21 to support it, you know, if there is a technical basis,
22 you would not necessarily discredit it or not include it.

23 I mean, you can add assumptions, single
24 failure, all that kind of stuff. So, is it going in, you
25 know, regardless or is it, if there is a database out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 there to support it, it would be included within the
2 considerations?

3 MR. LOCHBAUM: But I think just on the
4 notion of discussion, I think it is a good question. I
5 guess to argue that, at the end of the day, what do you
6 have more confidence or certainty in? If you put a
7 filter in the common line where the drywell vent and the
8 torus vent, so that the filter is downstream of both,
9 there is going to be some uncertainty with that, but I
10 think you have more confidence and more certainty that
11 that will achieve the outcome you want than you do that
12 you are going to take credit for scrubbing the
13 suppression pool water, that there won't be
14 bypass -- that the drywell or the torus breakers don't
15 fail. I think you have more uncertainty with trying to
16 justify that to achieve the same outcome.

17 So, I think if you look at both of them, they
18 are not 100 percent; they are not zero, either. But, at
19 the end of the day, you have more confidence overall with
20 putting in the filter downstream of where the two lines
21 are. It is not that I would give no credit for that, for
22 suppression pool scrubbing of that, but it is far less
23 than just putting a filter in that line.

24 MR. LYMAN: Well, I think that raises a
25 larger philosophical point. That is the issue of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 whether you pursue more passive measures for achieving
2 this effect or active measures. Now the EPRI approach
3 is using emergency measures to make sprays functional,
4 et cetera, and those involve some sort of active
5 intervention, right?

6 MR. DENNIG: When you say "the EPRI
7 approach," you are referring to the stuff we just heard
8 about?

9 MR. LYMAN: Yes, I mean the NEI/EPRI
10 philosophy that you don't need filters because you can
11 achieve the same reduction with containment sprays or
12 other active measures. I think that is basically their
13 approach, their argument, right, that they would use FLEX
14 equipment and other means to get sprays operational
15 again? Then, you wouldn't need the filters. But those
16 are active measures. They require human actions, and
17 that introduces more uncertainties.

18 So, it boils down to, do you want to have
19 a more passive ability to achieve reduction in the event,
20 that you have a severe accident and you have a degraded
21 core, and you may need to vent? Or are you going to rely
22 on more uncertain measures that would require some sort
23 of active or additional active means? Of course, just
24 opening the vents may require human intervention, but you
25 are going to need additional actions to restore some of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the functionality to those other pieces of equipment.

2 So, we think that increasing the passive
3 response to the extent possible is a better approach.

4 MR. MONNINGER: So, part of a passive
5 response could be rupture discs or no rupture discs. Are
6 there any views on -- because, you know, there are pros
7 and cons on both sides. Or you have both?

8 MR. LYMAN: Well, the rupture disc is
9 pretty complex. It depends on whether you can reclose
10 or not, right, for one thing? I think that is a slightly
11 separate issue.

12 MR. LOCHBAUM: Also, I have seen some
13 designs that actually, as you mentioned, do have both.
14 So, you have as a last-resort the rupture disc opens under
15 a certain pressure. Whereas, to open at lower
16 pressures, which may be admissible when you have valves
17 to a separate pathway -- so, that seems to be the best
18 arrangement, but I am not here to say preclude that that
19 is the only answer. As long as neither of those pathways
20 leads to a filter, you have got it. You have got it
21 right.

22 MR. FRETZ: Any other questions? Any
23 other comments or anything?

24 (No response.)

25 MR. LOCHBAUM: Again, I appreciate your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 flexibility in arranging the meeting.

2 MR. LYMAN: If I could add one more thing?

3 MR. FRETZ: Sure.

4 MR. LYMAN: With regard to the metrics that
5 you might want to use, unfortunately, NRC doesn't have
6 good metrics for making this kind of a decision. Because
7 as we discussed in the Commission meeting on Tuesday,
8 some of these issues are not going to be addressed in
9 reducing dose to the public that are going to be evacuated
10 or have no protective actions. You are talking about
11 whether or not there is going to longer-term land
12 contamination and to what extent.

13 So, I guess one recommendation I would make
14 at this point is that, as part of the regulatory analysis,
15 even though it is not in the standard guidance for doing
16 regulatory analysis, you might want to look at land
17 contamination issues, anticipating that there may be
18 some action on that. That is just one recommendation.

19 MR. MONNINGER: So, is there some universal
20 value that you would see us pegging the land
21 contamination to?

22 MR. LYMAN: I think we would have to get
23 back to you on that.

24 MR. MONNINGER: Because, you know, the
25 thought is, in going forward with any type of assessment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 recommendation, we would have to look at -- and we are
2 looking at -- all these various different issues out
3 there.

4 MR. LYMAN: I mean, you could say achieving
5 EPA long-term PADs or the need for decontamination,
6 although I think those are probably too high. You could
7 say ICRP, some fraction of the ICRP dose limit for the
8 public which is 100 millirem per year. So, you might say
9 one-tenth of that.

10 MR. COLLINS: That is an important
11 question, which I hope you will give more thought to
12 because, as risk continues to go forward, ultimately, we
13 will need a standard for acceptability for whatever
14 design is required. Okay? And that is a tough
15 question.

16 MR. LYMAN: It can't just be the existing
17 goals. They don't do much.

18 MR. RICCIO: You might reach out to Mr.
19 Galinsky. He seems to have an opinion on that.

20 MR. DENNIG: We have talked about things
21 like cesium ground showing as a dose, you know, ground
22 showing, over a year return, that sort of thing. That
23 is something that we are looking at.

24 MR. MONNINGER: Various countries
25 throughout the world have pursued it for different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 reasons. There are some common threads, but it is not
2 universal.

3 MR. FRETZ: Any other comments?

4 (No response.)

5 Okay. Next on the agenda is a presentation
6 by Mary Lampert, who is the Director of Pilgrim Watch.

7 And I guess I will apologize in advance if
8 this is a little bit rough. We are going to try -- Mary
9 is on the phone. Let's say hopefully on the phone. And
10 we will be attempting to sequence the slides based upon
11 her discussion today.

12 But, first of all, I wanted to see if Mary
13 Lampert is on the phone, and if the operator, I guess,
14 could allow her to talk?

15 Hello, Mary?

16 MR. WACHOWIAK: Do we still have the phone
17 open? There was something about standby or --

18 MR. RICCIO: Actually, since we are not
19 going to be here, many of us have to go to other meetings,
20 perhaps we could answer the questions that were raised
21 in this.

22 MR. MONNINGER: In our presentation or in
23 which?

24 MR. RICCIO: Oh, no, actually, it was from
25 the earlier questions that were asked about --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. LAMPERT: Hello.

2 MR. FRETZ: Hi, Mary. I can hear you. I
3 don't think they can hear you, though.

4 MS. LAMPERT: Why?

5 MR. FRETZ: Mary, now we have you online.

6 MS. LAMPERT: Okay. You can hear me now?

7 MR. FRETZ: Yes, we can all hear. Thank
8 you.

9 MS. LAMPERT: Oh, okay. Great. You can
10 still hear me, right?

11 MR. FRETZ: Yes, we can.

12 MS. LAMPERT: Okay. Slide 1, as you
13 introduced me, I am Mary Lampert, Director of Pilgrim
14 Watch.

15 I am looking at the window over my desk at
16 the Pilgrim Nuclear Reactor across open water, less than
17 six miles. So, if they choose to vent this MARK I
18 reactor, I am in trouble, as are the children who are on
19 the beach in front of my house.

20 And so, I am speaking of the importance of
21 filtering, certainly from a personal experience, having
22 argued this with former Chairman Carr in the late 1980s.
23 So, I hope we can make some progress after the lessons
24 from Fukushima that should have been learned.

25 Slide No. 2.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 We believe that there should be rupture disc
2 paired with filters. A rupture disc would get as close
3 as you could to being 100-percent passive to spin off was
4 Ed Lyman was talking about, the difference between
5 passive and active. So that it would not require an
6 electric supply or operator intervention.

7 Obviously, a filtered vent, as David
8 Lochbaum showed, protects public health and property,
9 allows the NRC to satisfy its AEA statutory requirement
10 to protect public health, safety, and property, and
11 ensures that the operators can follow orders and will
12 follow orders to open a vent, as opposed to having a hike
13 and hoping that they can recover from the trouble at the
14 reactor and not have to screw the neighborhood.

15 And also, as David Lochbaum pointed out,
16 that it would ensure that the operators are not
17 contaminated if venting occurs. So, in fact, the
18 workers can go about their business and maybe restore the
19 situation.

20 The NRC staff is faced with making a
21 recommendation to the Commission. I see that they can
22 up with three options. One is the status quo, which I
23 think we are all arguing is unacceptable. The second
24 would be to require filters paired with rupture discs and
25 satisfy their AEA obligation. The third would be to kick

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the can down the road and recommend more cost/benefit
2 analyses to determine whether the offsite consequences
3 and costs justify having the industry spend actually a
4 piddling amount of money to provide for public safety.

5 The main focus of my discussion will be that
6 the current methodology, the MACCS2 that is NRC approved
7 to do consequence analyses, severely underestimates the
8 offsite consequences. So, in reality, if that code is
9 used in this case, guarantee that there will not be any
10 outcome whereby filters will be put into place.

11 Further, the MACCS, you are in a bizarre
12 situation where the code, the MACCS2, does not
13 incorporate the lessons learned from Fukushima. And so,
14 it is patently absurd to use it to analyze whether or not
15 to put in place the recommendations from what we
16 supposedly learned from Fukushima.

17 However, to update a cost/benefit analysis
18 code will take years. To tell you the truth, I am in my
19 seventies. I do not have years left. And we have
20 waited, I believe, long enough.

21 So, exercise some common sense and put the
22 public's interest, the interest of American families,
23 all the families that are in my neighborhood, first and
24 not the interests of the bottom line of industry. You
25 are going to have to -- you are straddling the fence -- you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 are going to have to decide whose side you are on.

2 Slide 3, please.

3 I just wanted to make a couple of comments
4 on rupture discs. This is something that hasn't been
5 discussed, but I remember very well a discussion on
6 rupture disc. And as far as I could see, the only serious
7 objections to installing a rupture disc that I have heard
8 is that a rupture disc would prevent the ability to vent
9 the containment at low pressure. That is, if a rupture
10 disc is put, as I argue it should be, up close to the
11 containment and not at the end of the line.

12 But this really is not a real obstacle. It
13 is an engineering challenge, quite elemental. There is
14 an easy fix. You can put a bypass in. What is it going
15 to cost? A couple of thousand, a little extra pipe.

16 Slide 4, please.

17 I also remember at an NRC May 2nd meeting,
18 public meeting, I asked the technical staff if they saw
19 any downside to pairing a rupture disc with a filter.
20 Mr. Dennig replied no. Unless there have been great
21 changes since, which I would like to hear about at the
22 end of the discussion, then I think that answers the
23 question.

24 Slide No. 5, please.

25 Moving on to filters, I think David Lochbaum

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 clearly answered the question. If you have filters for
2 ordinary releases, day-to-day releases, for
3 design-based releases, it makes absolutely no sense not
4 to have filters for gaseous releases during a severe
5 accident. Again, if it is public health, safety, and
6 property, which the NRC's business is, then the answer
7 is simple.

8 Slide 6, please.

9 Very fundamental to the discussion of
10 filtration is how much radiological release is assumed
11 if a vent is opened. I think both Ed and David Lochbaum
12 brought forward that, in reality, that exact number is
13 unknown and to pretend to know it is absurd.

14 But let's go back to a discussion of how
15 effective the wetwell is in scrubbing. If you listen to
16 industry, it is the best laundromat in the world. A 1988
17 report estimated that the decontamination factor of the
18 wetwell ranged from no scrubbing or one to well over a
19 thousand or 99.9 percent effective. They gave, as a
20 conservative DF for a MARK I, a five, which means 80
21 percent of the radioactive substances, excluding noble
22 gases, would be retained, and 20 percent released. And
23 the DF for MARK II's was ten.

24 But compare, for example, to the filter
25 system that is used in Swedish reactors that puts their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 scrubbing to 99.9 percent of core inventory retained if
2 the containment has filters -- 99.9 percent.

3 So, the difference between releasing up to
4 20 percent versus .1 percent is huge, meaning that 200
5 times more radioactivity would be released in U.S.
6 boiling water MARK I's versus the enhanced system that
7 Europeans are using, and that are commercially available
8 today.

9 So, it is very clear that a filter would make
10 a substantial difference to public health and safety in
11 the event of venting. Further, it is sort of common
12 sense. Why would anyone bother, like the Japanese, to
13 be putting in these filter systems if they had been
14 convinced from real-world experience that the wetwell
15 was sufficient in scrubbing? I think that answers the
16 question quite well.

17 Another factor to consider in answering the
18 question of how much radiological releases would occur
19 in venting would be how long is NRC assuming, or anybody
20 who comes up with a number, that the vent will stay open?
21 Or how many times it is assumed that the vent might be
22 opened in this accident scenario?

23 Last, industry has argued that filters
24 would be dangerous due to backpressure. We are not
25 arguing the backpressure would not be an issue, but it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 certainly should not be an obstacle.

2 Currently, you have a situation of when you
3 are going to open up depending upon how much the pressure
4 is per square inch. If you are factoring in the
5 backpressure from a filter, you just simply change the
6 setpoint.

7 Slide 7, please.

8 Now, moving on to the heart of my discussion
9 is how offsite consequences are being calculated, how the
10 MACCS2 that I understand is being used minimizes offsite
11 consequences and costs. And I think the bottom line,
12 because of this, you would recommend that this really
13 isn't an option to base a decision on. Instead, you go
14 back to the common sense that public health and safety
15 demands the simple measure of putting on filters. Slide
16 No. 7, more or less, summarizes the lack of effectiveness
17 or honesty in calculations done for the MACCS2.

18 Slide 8.

19 What we need to know -- and I didn't fully
20 understand -- was who precisely is doing the MACCS2
21 analysis that the decisionmaking of the staff is based
22 upon. Is it NRC staff themselves? Was it subbed out to
23 Sandia? Is industry doing it? I think it is important
24 to know.

25 We know now that the MACCS2 is what is being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 used. We don't know if any tweaking of the code has been
2 done to incorporate some of the lessons learned from
3 Fukushima. And we don't know what other changes or what
4 averaging was used, whether the mean was used or whether
5 the analysis was done using the 95th percentile. We need
6 to know this information to make any sense whatsoever of
7 the validity of what the cost analysis led the staff to
8 conclude.

9 Slide 9, please.

10 The problems in the MACCS2 are -- I actually
11 had a report, which you have an ML listing to it, that
12 was presented to the NRC Commissioners for them to read
13 prior to their decision on economic consequences on
14 Tuesday. And so, I will just provide a summary.

15 I will start off by saying that David
16 Shannon, for example, who wrote the FORTRAN for the MACCS
17 and the MACCS2 while at Sandia, has testified under oath
18 that the code is worthless as far as estimating offsite
19 cost. And I think that is significant.

20 Also, there is other expert testimony that
21 was provided on this subject in the Pilgrim license
22 renewal procedure and, also, for the New York Attorney
23 General in the Indian Point adjudication. The hearings
24 will begin in October.

25 First of all is the probability of core

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 damage that is assumed in the code. The core damage
2 frequency is assumed and is based upon two events, that
3 being Three Mile Island and Chernobyl. However, as we
4 know, there were three additional events at Fukushima,
5 which would make an event, the probability of core
6 damage, 10 times what is currently assumed in the MACCS
7 code. And that makes a big difference because we are now
8 down to a core melt for every 2,900 reactor-years, which
9 is much higher than the current baseline of one event per
10 31,000 reactor-years. This is discussed more
11 completely in an expert testimony by Dr. Gordon Thompson
12 for the Massachusetts Attorney General's office in
13 Pilgrim's litigation intention filed June 2nd of 2011.

14 Further, the MACCS code underestimates the
15 amount of cesium-137 that is released from the core.
16 Instead, quite obviously, the model should be changed to
17 have a more actual account of cesium-137 that could be
18 released from the core, and not base it, instead, largely
19 on noble gases and only a very small amount of cesium-137.
20 And the offsite consequences clearly would be different.

21 Also, the code does not model aqueous
22 releases. This was brought forward by Commission
23 Apostolakis in July or August of 2011, and the Commission
24 voted September 2011 that this was a problem and aqueous
25 radioactive releases and damages must be included to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 a full picture of the economic consequences resulting
2 from releases. This would be, also, obviously, releases
3 unfiltered from the vent.

4 Also, the code minimizes offsite
5 consequences by the duration of an accident that it
6 considers. They model releases only up to a
7 day -- hello? -- only up to a day. As a potential, you
8 could go up to four days if you used IPLUME 3. But,
9 clearly, we have seen at Fukushima that an accident can
10 go on not for just one day or four days, but many weeks,
11 many months, perhaps a year.

12 Slide 10, please.

13 Another serious limitation -- and it would
14 be the same case in modeling releases from an unfiltered
15 vent -- is the assumption that releases travel in a
16 straight line, that is, using a straight-line Gaussian
17 plume which is embedded in the ATMOS module of the MACCS2
18 code.

19 We know clearly, as done the NRC, that
20 adjacent to large bodies of water, whether it be the ocean
21 or a lake, that winds are variable and complex. We know
22 that winds get channeled down river valleys like the
23 Hudson, for example, and do not move in a straight line.
24 We know that variation in topography switches winds
25 around. And so, what that means is a larger geographic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 area will be contaminated, not the pie slice that is
2 currently assumed.

3 Similarly, what is probably the elephant in
4 the living room is how the cost of cleanup and
5 decontamination are barely considered. For example, we
6 know, No. 1, that there is no cleanup standard agreed upon
7 by NRC, EPA, and the Department of Homeland Security.
8 Clearly, there is a huge difference if it is assumed you
9 are going to clean up to, let's say, 15 millirem a year
10 to 500 millirem or more. Without a standard, you really
11 cannot do an honest analysis.

12 Furthermore, the assumption in the code is
13 that cleanup will involve hosing down buildings and
14 plowing under fields. We have seen from Japan, and
15 common sense would tell you, that that isn't cleanup;
16 that is simply moving the contamination from one spot to
17 another.

18 We also know that waste removal is not
19 modeled. And judging from the real-world experiences in
20 Japan, or going back to 1987 to the Goiania, Brazil,
21 incident, that waste disposal, whether it is a small
22 amount or huge, is a problem that will take years to solve
23 and be very, very expensive. So, the MACCS code deals
24 with that by not modeling it.

25 They also only model one year for a cleanup.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Japan is talking 30 to 40. How long would it take to
2 clean up if the vent is opened and it is not filtered?
3 What would be done with the waste? How would anybody
4 decide how clean my neighborhood has to be? And you can
5 go on and on.

6 Hosing down my house? What? Digging up
7 the yard? What are you going to do with the shrubbery?
8 What are you going to do with the trees? It cannot be
9 done. So, therefore, a consequence analysis that
10 doesn't look at these issues, such as the MACCS2, is,
11 frankly, worthless.

12 Then, you can move on to the underestimation
13 of health cost. One example would be, how much does NRC
14 value my life? What, \$3 million? My husband would
15 debate that, judging from our bills.

16 (Laughter.)

17 The rest of the federal government is
18 between \$5 and \$9 million. Think of the difference that
19 would make in offsite consequences.

20 Also, you can look at the fact that real
21 other health effects from exposure, non-cancerous, that
22 is not modeled, either. Other economic costs are not
23 considered in that code, such as the multiplier effects;
24 only the cost of the buildings per se and the farmland.

25 And then, at the very end of all this, in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the MACCS code output file, it puts out an array of the
2 information into the mode, the median, the 95th
3 percentile, et cetera. And then, the user gets to choose
4 what average they will pick to give their determination
5 of offsite costs.

6 Typically, the industry has used the mean
7 and the NRC has approved the use of the mean. But it is
8 very clear that using a mean is essentially meaningless,
9 and that absent using the 95th percentile in any analysis
10 that the staff does or approves to make its final
11 determination would be disingenuous.

12 So, based upon this, I would be very
13 cautious -- that would be my advice to the staff -- in
14 any interpretation or use they make of the analysis of
15 using and not using a vent in making a recommendation to
16 the Commission. Or, if the staff is going to take a
17 middle road and recommend that the Commission does a
18 consequence analysis themselves, then I think you have
19 to pre-warn them on, in fact, what you are really telling
20 them to do is nothing in a softer tone.

21 My last question, which would be slide No.
22 11, would be, is the public going to see the bases of the
23 staff's recommendation to the Commission? If you have
24 done a consequence cost/benefit analysis, are we going
25 to see the actual analysis and not just hear the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 conclusion that you did a study and, based upon that,
2 here's your recommendation?

3 So, I would like to be able to see, and I
4 am sure other members of the public would feel the same,
5 to be able to see all the quantification, all the studies
6 that, in fact, have been done that form the bases of your
7 recommendation. Because, without that, we cannot make
8 a meaningful counterargument if we don't agree with your
9 recommendation for the Commissioners to consider.

10 And last, slide 12, I will end by just asking
11 this simple question: whose side are you on? If you are
12 on the side of American families, if you are on the side
13 of the children playing on the beach across the street
14 from my house as I speak, then you have no choice but to
15 recommend filters.

16 However, if you are going to come down on
17 the side of industry's bottom line, then I guess we are
18 all going to have to continue to rely on sheer luck that
19 it will never have to be used. And I don't like making
20 that kind of bet.

21 Look, thanks a lot. Any questions, I would
22 be happy to answer.

23 I did want to respond to the last question
24 to David Lochbaum and Ed Lyman on if you are going to come
25 up with a standard on how much reduction a filter should

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 provide. I understand, I have read the FILTRA system's,
2 Westinghouse's statistics on how much they scrub out.
3 They made the point that they comply with Swedish
4 regulations that require 99.9 percent of the core
5 inventory of radioactivity, excluding noble gases, be
6 retained in the containment or filtered in the case of
7 venting. So, that would be one model to follow.

8 Thank you.

9 I wish I could have been there to be with
10 you all today.

11 MR. MONNINGER: It sounds like you have a
12 much more pleasant view up there, though.

13 (Laughter.)

14 MS. LAMPERT: I do, depending on how
15 well-behaved Pilgrim is today.

16 (Laughter.)

17 MR. FRETZ: Any comments from the staff on
18 some of the points brought up or any questions or
19 anything?

20 MR. MONNINGER: You know, I think we can try
21 to respond and to have some questions. One of the things
22 maybe going in upfront, I wanted to say thank you very
23 much to Mary and our other guests here today. You guys
24 have been quite active in following the various meetings
25 we have been having and providing good input for the staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to consider. So, for following us along through this
2 process, I do thank you very much.

3 I know there were a lot of questions out
4 there on --

5 MR. RICCIO: I am not sure, for the
6 reporter, are we supposed to -- is there a reporter? Are
7 we supposed to be saying our names or anything?

8 MR. FRETZ: One of the things I forgot to
9 mention earlier on was that the staff, we were able to
10 obtain the service of a court reporter. So, this meeting
11 is being transcribed, the morning as well as the
12 afternoon. So, anyone can take a look at this transcript
13 as soon as it becomes available and it comes into the
14 public domain.

15 So, again, yes, please, if anyone plans to
16 speak, please come to the microphone, so that --

17 MR. RICCIO: This is Jim Riccio with
18 Greenpeace.

19 (Laughter.)

20 Going back to David's slides -- and,
21 actually, I want to thank you, Mary. You obviously were
22 very busy while I was off this summer.

23 Going back to David's slides, wouldn't it
24 be appropriate for Ms. Svinicki to recuse herself, since
25 she has already seemed to have made up her mind on this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 position prior to actually reading the NRC staff's, the
2 results of their study over this summer or the results
3 of what they found in Europe or the analysis you are
4 actually working on now?

5 MR. MONNINGER: That is not a question for
6 us.

7 MR. RICCIO: That is not a question for
8 staff. Okay.

9 Well, I know for a fact that Congress is
10 already looking at the fact that NRC has failed to install
11 filters. And I know at least Senator Menendez has
12 written a letter to the new Chairman, and she has
13 responded that you are still studying the issue.

14 Again, it is kind of embarrassing that we
15 are here again. I had to my international colleagues
16 that I couldn't make a meeting with them because I had
17 to come here and argue for filters that they have had in
18 place since Chernobyl. This is a no-brainer, as David
19 has already indicated.

20 The fact that we are here debating this
21 seems to be a waste of agency time and the public's time
22 because there are other things we should be dealing with,
23 like the other meetings which you have been kind enough
24 to alter your schedule that we can make.

25 We do believe you should be using land

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 contamination -- that is not just the public's
2 perspective; it is also shared, seemingly, by former NRC
3 Commissioners.

4 And again, we appreciate the fact that you
5 have bent over backwards to allow us to participate, but
6 we would actually ask that we move off the glacial pace
7 and get this done.

8 I do appreciate that you have linked the
9 two --

10 MR. DENNIG: Some of us are not feeling like
11 it is a glacial pace.

12 (Laughter.)

13 I mean, we have got draft stuff due now.

14 (Laughter.)

15 MR. RICCIO: Okay. Well, perhaps if we had
16 accomplished back in the 1980s timeframe, we wouldn't be
17 here now. So, for those of us in the public who have been
18 tracking it since the late eighties, it does feel rather
19 slow.

20 And in light of Fukushima and in light of
21 the fact that you haven't taken other no-brainers to
22 reduce the risk emanating from these reactors, we will
23 continue to try to encourage the agency to move with more
24 rapidity.

25 I have been reading in the press a lot about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the Chairman's claiming the independence of this agency.
2 I think that this issue is emblematic, and how it comes
3 out when you tell public very much about whether this
4 agency is actually independent or not, the fact, again,
5 that we are here 20 years later discussing the same issue
6 doesn't give me a lot of hope. But you guys have a lot
7 of work still to do. So, we will reserve judgment.

8 MR. LOCHBAUM: Just one other point to add
9 on to what Jim added onto: if something Fukushima had
10 happened in the United States in one of our boiling water
11 reactors or the MARK I or MARK II containment had had an
12 accident of that severity, and we had been as fortunate
13 in getting people out of harm's way before the radiation
14 got there, but people would still be outside their homes
15 and businesses would have been closed and all of that,
16 if the reactors were allowed to continue operating in the
17 United States, as was not the case in Japan, it would
18 almost be not even an issue that we would have to put
19 filters in on those vents. I can't imagine, following
20 a tragedy of that scale, that we would even contemplate
21 operating reactors without filters.

22 If that is the case, then why not put the
23 filters in now and skip the part where a lot of people
24 pay a high price? You know, tombstone regulation:
25 let's not wait for the dead bodies before we implement

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 fixes that are on the shelves today.

2 So, the reason I am here today -- I could
3 have participated remotely -- is this is very important
4 to UCS. It speaks to something Jim says. It is a kind
5 of litmus test. Is the NRC really protecting the public
6 or not?

7 If the NRC can justify not putting filters
8 in on these vents, then that answer is no. It is not a
9 good answer, but, then, at least the answer is defined.

10 It is very important to us that the NRC take
11 the right step here, get it right to protect the American
12 public. It is that important to us. We will hope the
13 NRC comes out right on its answer. But, if not, we are
14 not just going to say, "Well, fine." We will make it a
15 big and bloody fight."

16 Thanks.

17 MR. MONNINGER: This is John Monninger from
18 the staff.

19 We do recognize the significance of the
20 issue, the significance of the recommendation, and the
21 potential decision by the Commission. What we would say
22 is you know it has been studied in the past. Our
23 recommendation was due to the Commission in July. But
24 the only thing I would say is the staff, we requested an
25 extension and we were granted it, because we believe this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 subject, this study, needed the analysis, needed the
2 insights, needed full consideration of all the issues.

3 You know, something could have been
4 presented in July, but the staff is taking the issue very
5 seriously. As a result of that, that is why the
6 extension came out. You know, there could have been just
7 a forwarding of past studies and conclusions, but that
8 is not the case. So, we will see where the chips may lie
9 come November.

10 But not as much myself as these guys here
11 and women, they have been working a considerable amount
12 of time. You have seen our international outreach. I
13 can't think of any other -- we go on international trips
14 for this, that, and whatever -- but I can't think of any
15 rulemaking or any other topical area where we have done
16 this type of international outreach and study. We are
17 members of international committees, but I think this
18 is -- we will see where it comes out. But the only thing
19 I wanted to reinforce is we recognize this is important
20 and the staff is looking at it through that lens.

21 MS. GIBSON: Now this is Kathy Gibson. I
22 am a Division Director in the Office of Research,
23 responsible for the MACCS2 code. And I have a statement
24 and then a couple of questions, clarification for Ms.
25 Lambert, if she doesn't mind.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 First, I would refer members of the public
2 that may not be as familiar with the MACCS2 code as Ms.
3 Lambert is, we included in an enclosure to the SECY paper
4 related to the economic consequences issue. The SECY
5 number is 12-0110, dated August 14th, 2012.

6 In that enclosure, we provide an overview
7 of the MACCS code, changes that were made to the code as
8 a result of the State-of-the-Art Reactor Consequence
9 Analysis Project, additional features that we are
10 working on to include with the code.

11 And I also wanted to make the comment that
12 the input values that we used, we tried to be as realistic
13 as possible. The MACCS2 code is a tool that provides
14 information to the decisionmakers. It is go or no-go
15 type of tool.

16 MS. LAMPERT: Yes, I realize that it
17 provides information -- this is Mary Lambert -- to
18 decisionmakers. The question is the quality of that
19 information, what the assumptions are, and what the
20 inputs are. I didn't get the answer to who is doing the
21 analysis. Is it staff? Is it Sandia? Who is doing it?

22 MS. GIBSON: Yes, my understanding is that
23 we are scheduling a meeting in October where we will
24 specifically present our analysis for the consequences
25 using the MACCS2 code. So, we will have more specific

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 answers for you --

2 MS. LAMPERT: Are we going to be able to get
3 the full analysis, so we can actually look at what was
4 put into the code and have some of our experts analyze
5 whether it makes any sense or whether it is
6 garbage-in/garbage-out. I hate to sound flippant, but
7 having looked at what Entergy put into Pilgrim's,
8 actually, looking at all the inputs, et cetera, I know
9 the New York Attorney General has done the same for what
10 was put into IP's SAMA analysis.

11 And so, if we can't really get it and run
12 the code through, it is not going to be worth anything.
13 Do you know what I am saying?

14 MS. GIBSON: Yes, I understand. I can't
15 speak specifically to what will be available to us, since
16 we haven't finished the analysis, written the report, or
17 prepared the presentation.

18 I did want to ask you, though, a couple of
19 questions. I appreciate you providing this ahead of
20 time, so we can be more prepared to cover some of the
21 things in a meeting that is coming up.

22 You referred to an ML number for a paper or
23 a report that was provided, I think you said, for the
24 economic consequences Commission meeting.

25 MS. LAMPERT: I don't know what you are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 talking about. Can you do it again, ask again?

2 MS. GIBSON: Yes. I thought you had said
3 that you had submitted a paper for the economic
4 consequences Commission meeting.

5 MS. LAMPERT: Yes, that's right.

6 MS. GIBSON: Okay.

7 MS. LAMPERT: It was submitted September
8 13th. It is on the Commissioner meeting website. I
9 don't know the ML. It is entitled, "Pilgrim Watch
10 Comment Regarding NRC Staff Analysis to Manage
11 Radiological Releases Following a Severe Accident in BWR
12 MARK I and MARK II Containments".

13 MS. GIBSON: Okay. My question is, does it
14 cover the types of things that you laid out in your
15 presentation today?

16 MS. LAMPERT: Yes. And wait a minute. Is
17 that the same one? Let me see.

18 MR. MONNINGER: So, we have the August
19 7th --

20 MR. FRETZ: Mary, this is Bob Fretz.

21 MS. LAMPERT: Yes.

22 MR. FRETZ: You had sent me a letter. Is
23 that the same paper that you are quoting or that was being
24 referenced?

25 MS. LAMPERT: Yes, that is correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. FRETZ: Then, I believe we do have that,
2 yes.

3 MS. GIBSON: Okay. Great. Thanks.

4 One last question for now.

5 MS. LAMPERT: And there are a ton of
6 references. If you want any more, then give me a call
7 because, also, I could refer you to the expert testimony
8 provided for the New York Attorney General's office,
9 focused on cleanup and, also, focused on meteorological
10 modeling in ATMOS.

11 MS. GIBSON: Yes. Thanks. We have access
12 to that.

13 MS. LAMPERT: Okay.

14 MS. GIBSON: I can answer your question now
15 on who is doing the analysis. It is a combination of my
16 staff and the staff from Sandia National Labs. And you
17 know we are using MACCS2.

18 Do you have any input? You say we should
19 incorporate lessons learned from Fukushima into the
20 model.

21 MS. LAMPERT: One would be for this CDF, the
22 core damage frequency. That would be one, obvious.
23 Another certainly would be aqueous because, currently,
24 you are only modeling atmospheric releases, but we are
25 seeing from Fukushima not only the feed-and-bleed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 situation, but when the atmospheric releases wind up in
2 the forest and the trees, on the soil, then it gets into
3 the water. Then, it gets into the streams and, you know,
4 there you go. And so, that has to be added because you
5 are doing, at best, half a loaf or a third a load.

6 Also, very key would be getting the
7 decontamination waste issue because, as you know, the
8 MACCS2 really is based upon the assumptions of WASH-1400,
9 which were based upon a weapons event. This is 12(a) or
10 (b) in the New York Attorney General's adjudication for
11 IP, where it is explained very clearly that weapons have
12 large releases as opposed to nuclear reactors with very
13 tiny ones. And it is far more difficult to clean up after
14 a nuclear reactor accident because of particle size than
15 a weapons event. But the MACCS is assuming a
16 larger-particle size.

17 Also, in a weapons event, you have large
18 mass-loadings. That clearly has an effect on cleanup,
19 as does a weapons event based on plutonium, which is
20 alpha. And therefore, workers can come in if they are
21 properly suited and clean up faster than they can after
22 a nuclear accident.

23 So, I mean, there is so much there, not to
24 mention waste. I mean, Japan has set aside until the end
25 of 2014 \$14 billion just to try to deal with the waste.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I mean, it is ridiculous. I mean, when you think about
2 it here, I am just imagining, I am just looking at my
3 neighbor. I am looking at my property. It is over a
4 couple of million dollars. I am up the creek.

5 MS. GIBSON: Okay. Thank you.

6 MR. LEYSE: Yes, this is Mark Leyse -- I
7 have a question for you -- from Sandia National Labs
8 regarding the same code.

9 MR. FRETZ: Okay. I guess, Mark, we can go
10 ahead, yes.

11 MR. LEYSE: Okay, sure. Okay. Well, the
12 MACCS code, as I know it, basically, that is an acronym
13 standing for MELCOR Accident Consequence Code System.
14 Anyway, this is a question about MELCOR, which also
15 applies to the calculations that you have run.

16 Now, from what I understand, MELCOR, and
17 also EPRI's code, MAAP, they are one-dimensional codes.
18 But I have seen reference to a paper by, I guess, Randy
19 Gauntt of SNL. He wrote something about a simulation of
20 the Three Mile Island with an enhanced two-dimensional
21 model of MELCOR.

22 Anyway, I just wanted to ask you, is MELCOR
23 that you are using for these calculations, and also as
24 part of MACCS, is that one-dimensional or is that
25 two-dimensional?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. FULLER: This is Ed Fuller from --

2 MR. LEYSE: That is for the thermal
3 hydraulic model, just to specify.

4 MR. FULLER: Yes, this is Ed Fuller,
5 senior-level advisor for severe accidents in the Office
6 of Research.

7 Both MAAP and MELCOR, I wouldn't call them
8 any dimensional codes. They are essentially
9 lumped-parameter codes where you have nodes and
10 junctions for the various regions of the containment.
11 These codes include a lot of models for phenomena that
12 you expect would arise during a severe accident:
13 thermal hydraulic phenomena, fission-product release
14 transport, and deposition phenomena.

15 And they would, for example, calculate a
16 release to the environment of cesium-137. That is input
17 to the MACCS code. So, in Ms. Lambert's statement that
18 MACCS underestimates the release from the core, she is
19 really saying that, in her opinion, MELCOR or MAAP
20 underestimate the release from the core.

21 MS. LAMPERT: Correct.

22 MR. LEYSE: Now, one thing, there is a
23 recent IAEA report which has characterized MELCOR and
24 also MAAP as doing calculations that have
25 one-dimensional thermal hydraulic models. So, that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 what I want to ask. These codes, have they been, you
2 know, improved since that or are they, in fact, using
3 one-dimensional thermal hydraulic models? Because that
4 is, like I said, those codes have been characterized as
5 that.

6 MR. BASU: Hello. Sud Basu from the Office
7 of Research.

8 When you refer to MELCOR and/or MAAAP, or for
9 that matter any lumped-parameter code, as
10 one-dimensional code, I think what Ed was saying
11 previously, it is kind of tank-and-pipe type of model
12 where you connect a number of things, and you can line
13 up those things axially in a series, and also radially,
14 and then connect through pipes in two dimensions, if you
15 would.

16 Now how do you actually treat the thermal
17 hydraulics? You can actually look at your flow path, and
18 you can have reverse flow path between the two control
19 volumes, the tanks that I mentioned previously, and you
20 can simulate the two-dimensionality, either
21 radially-directionally-reversed or in radial and
22 azimuthal direction. So, there is a way to simulate the
23 two dimensionality or multi-dimensionality thermal
24 hydraulics, though, using so-called lumped-parameter
25 code.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Does that answer your question?

2 MR. LEYSE: Maybe not quite. Just in terms
3 of the thermal hydraulics, the modeling of that, would
4 you characterize it as one-dimensional or
5 two-dimensional? Which would you characterize it as?
6 Like I said, I have come across a number of references
7 in one IAEA report which does characterize it as
8 one-dimensional in terms of the thermal hydraulic model.

9 And the reason I am pointing that out is that
10 the same report says that codes like MELCOR and MAAP, that
11 they predict less hydrogen production than codes like
12 ICARE/CATHARE for a given severe accident scenario.

13 MR. BASU: I think I can respond to that
14 hydrogen-production issue, but let me go back to your
15 one-dimensionality versus two-dimensionality. For all
16 practical purposes, MELCOR has been assessed against
17 multi-dimensional thermal hydraulic experiments. So,
18 in terms of characterizing thermal hydraulics, you can
19 consider it as two-dimensional. Again, you have to keep
20 in mind that it is a lumped-parameter code with a
21 controlled volume kind of model. So, there is some
22 smearing of properties within the controlled volume.
23 So, there is that aspect. But it does simulate
24 two-dimensionality.

25 Coming back to your hydrogen issue, I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you will find, if you have gone through MELCOR, there are
2 oxidation correlations, and there are a number of
3 oxidation correlations. The default oxidation
4 correlation is Urbanic-Heidrick.

5 MR. LEYSE: Yes, I am aware that you are
6 using that correlation.

7 MR. BASU: Right, but --

8 MR. LEYSE: I think you use it, actually,
9 between the temperatures of 1520 and 2,880 degrees
10 Fahrenheit, actually.

11 MR. BASU: Exactly, from 1,000 all the way
12 to 2800.

13 So, if you look at Urbanic-Heidrick versus
14 any other correlations, you will find that about 1200,
15 actually about 1200, all these correlations converge.
16 So, there is hardly any difference between the results
17 you will get from one of the other correlations.

18 Now, if you go below, say about 900 or below,
19 there is a difference. But you have to also consider at
20 that temperature what is the oxidation effect. It is
21 very slow. So, yes, you can produce a little more
22 hydrogen there, depending on which correlation you use,
23 or a little less hydrogen. But if you look at the total
24 hydrogen production indices versus what you what you
25 would be producing at the tail-end, at the lower end of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the temperature, it is not really that significant.

2 MR. LEYSE: Yes. Okay. I understand
3 that. And actually, I should probably let the meeting
4 continue, because when I present, I will actually be
5 addressing the issues that you are talking about
6 regarding Urbanic-Heidrick and how that actually
7 underpredicts the amount, when a code uses it, it
8 actually underpredicts hydrogen generation rates. But
9 I think I should just let the meeting conclude.

10 But thank you for answering the question
11 regarding MELCOR.

12 MR. BASU: You're welcome.

13 MS. LAMPERT: Can I make a correction? To
14 the staff member who asked what paper I was referring to,
15 I gave the wrong one. The one I was referring to was
16 titled, "Comment Regarding SECY-12-0110, Consideration
17 of Economic Consequences within the NRC's Regulatory
18 Framework". And that was submitted to the NRC
19 Commissioners September 6th, 2012, and Bob Fretz has the
20 ML for that.

21 MR. FRETZ: Right.

22 MS. LAMPERT: Another paper that is
23 important, I think, is Pilgrim Watch's request for a
24 hearing regarding the insufficiency of order modifying
25 licenses with regard to reliable hardened containment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 vents, filed April 2nd, 2012.

2 The Atomic Safety Licensing Board ruled
3 only on the procedural question of precedence and whether
4 that allowed a hearing. That question on the
5 correctness of their decision is currently filed as a
6 petition for review, and it is before the Commissioners
7 right now. Depending upon their decision, we will see
8 where it goes, up or down.

9 Did that help? And I am sorry for providing
10 the wrong document.

11 MS. GIBSON: Yes, thank you.

12 MR. FRETZ: Again, thank you for your
13 clarification.

14 One thing I will add, those two documents
15 will become a part of our meeting summary. For those who
16 have the benefit of the webinar feature, the two
17 documents that Ms. Lambert is referring to are the first
18 two under the "other documents submitted to the NRC,"
19 again, referencing the Pilgrim Watch. And again, those
20 two documents are available in ADAMS. They should be
21 available right now. Again, they will become part of the
22 meeting summary.

23 So, thank you for that input regarding that.

24 Before we move on, I would like to go ahead
25 and finish up any sort of presentations or comments or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 questions from those here in attendance today. I
2 understand that, Paul, you might have some comments --

3 MR. GUNTER: Yes, sir.

4 MR. FRETZ: -- or information you would
5 like to present to us. So, I would like to go ahead and
6 hear that first before we go to general questions.

7 MR. GUNTER: Okay. Again, my name is Paul
8 Gunter. I am Director of the Reactor Oversight Project
9 at Beyond Nuclear in Takoma Park, Maryland.

10 And I would like to address this working
11 group more with a concern, and it is not anything new that
12 we haven't addressed before, but I want to take this
13 opportunity to reiterate.

14 Let me, first of all, just preface my remark
15 by saying that we remain concerned, as David has pointed
16 out, that the current effort is a workaround for a
17 violation of the general design criteria for an
18 essentially leak-tight containment. This is an old
19 issue that we now find dramatically magnified by actual
20 accidents and land contamination.

21 And so, the effort to now, after going
22 through Generic Letter 89-16 and the voluntary request,
23 which demonstrated the dramatic failure of both the
24 previous reliable hardened vent and the well-known
25 unreliable containment, we are now going through another

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 iteration.

2 We find it of concern that the Order
3 EA 2012-050 reflects the segmentation that has cut the
4 filtration issue as well as the hydrogen-generation
5 issue out of the Order, except with this very obvious
6 truncation where the Order does require that the vent,
7 this enhanced reliable hardened vent, shut and remain
8 closed under severe accident condition.

9 But there is no analysis, there is no
10 service, including the filtration, for that vent to open
11 again. And so, it sort of brings us back to square one
12 with this unreliable containment.

13 We have been puzzled by the agency's silence
14 or lack of rationality for moving forward with the
15 industry to design, fabricate, install, and potentially
16 operate a vent with this incomplete analysis, which
17 brings us to a much larger concern that this segmentation
18 is more of a political problem than it is a technical
19 issue. Because I think we all recognize, as you have
20 recognized, that technically the vent has to close and
21 remain closed under severe accident condition, including
22 fuel damage. And then, we are just sort of, you know,
23 what next? Will you need to vent the containment or not
24 after it is closed?

25 And so, if you could help us understand your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 rationale for proceeding with a half-measure, as we see
2 it, a very dangerous half-measure? And, in fact, as was
3 presented in the Pilgrim testimony, perhaps a measure
4 that is more dangerous than just leaving things as they
5 are.

6 So, the concern is that, if you could
7 provide me with some sense of, first of all, what you are
8 going to do with the testimony and the rationale that has
9 been presented to you today. I mean, we concur with our
10 colleagues with regard to the obvious rationale for
11 putting a high-capacity filter on. I am sure Mark is
12 going to talk with a great deal of specificity and with
13 a rational approach to the hydrogen issue, as is
14 presented by severe accident conditions.

15 But we are concerned that, you know,
16 Svinicki has already telegraphed, as a Commissioner, her
17 take on what this Order will and will not manifest into.

18 And so, first of all, is it your
19 understanding that your recommendation will be going to
20 a notation vote before the Commission?

21 MR. MONNINGER: Yes.

22 MR. GUNTER: So, whatever is said here, it
23 moves next to a vote of this Commission?

24 MR. MONNINGER: Yes.

25 MR. GUNTER: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MONNINGER: Plus all your previous
2 input and --

3 MR. GUNTER: Well, input aside, because our
4 input and the industry input, we don't see them as equal
5 footing. As a matter of fact, our concern, our
6 overriding concern right now, is that the intent here is
7 to do nothing; that the DTVS as installed, it is our
8 concern that the industry lobby effort, as represented
9 by NEI, and as we heard in Institute for Nuclear Power
10 Operation's testimony before the National Academy of
11 Sciences, they said repeatedly that the DTVS at
12 Fukushima, one, worked. It was a success, is what they
13 said, for Units 1 and 3.

14 You can look at the transcript. I was
15 there. But the testimony of INPO reflects that the DTVS
16 at Units Dai-ichi 1 and 3 were a success in their venting
17 operation. This leads us to believe, along the fact that
18 the Order is currently segmented to exclude the
19 post-fuel-damage event, that the path that we are on
20 right now is for a vote that will end this discussion with
21 the current Order EA 2012-050 with no consideration of
22 post-fuel damage. You know, this is all going to play
23 out.

24 I hope that I am not disappointed again. I
25 think that, again, it is our concern that the technical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 judgment of this staff, you know, from earlier testimony
2 from this working group, I understand that you have an
3 understanding of the value of a high-capacity filtration
4 vent. I mean, you have reflected that in your earlier
5 meetings. Unfortunately, they weren't transcribed,
6 but, you know, it is clear to us that, at least in my
7 judgment, that the staff is interested in moving forward
8 with this high-capacity filtration vent, except that we
9 are going to move this to a new level of evaluation. And
10 it will be a bottom-line consideration, as we are
11 concerned; that to leave things as much alone as we can,
12 let's just go with what we have got, and maybe tinker,
13 maybe paint something.

14 I am sorry to be facetious, but the level
15 of how this has been just cut off by this Order, and an
16 Order, by the way, that doesn't take any actions into
17 regulatory space until the end of 2016. So, for us to
18 be on an action path before you now with regard to
19 filtration, hydrogen generation, without any timeline is
20 really worrisome, particularly because we don't even
21 have the justification for the continued operation of
22 these MARK I's and MARK II's in your analysis space of
23 how you can justify their continued operation with the
24 DTVS, as it was demonstrated at Fukushima Dai-ichi.

25 So, that will conclude my remarks. If you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 have any comments, I am happy to dialog further on this.

2 MR. MONNINGER: A couple of thoughts.
3 One -- this is John Monninger with the staff -- we do very
4 much appreciate the comments. A couple of thoughts.

5 The segmentation, I believe -- and I was
6 just joining the organization at the time -- the notion
7 was, and the Commission directed the staff to consider
8 filter vents in any decision for the reliable hardened
9 vent in the Order that went out. The staff still had that
10 underway when they prepared the Order and went forth with
11 it.

12 So, it is not meant to foreclose the
13 potential within the future for the potential for a
14 filter vent or the potential for -- there is another
15 terminology we use -- severe-accident-capable event,
16 which we haven't really discussed today. We use
17 different nomenclature, the filter vents, and then there
18 is something else we are looking at called the
19 severe-accident-capable vent.

20 But I think the thing is, as you mentioned,
21 within the Order there was the notion of a capability to
22 close that vent, but the Order doesn't direct them to
23 close it. It says that "design shall have the capability
24 to...." The actual operations would still be governed
25 by the EOPs at the plant. There are design features.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The Order reflects design features, and that design
2 feature says you shall have the capability to close
3 under, but it doesn't necessarily direct it to be closed.
4 The actual operations of it would be in accordance with
5 the EOPs, which is the same with the old vent that you
6 called DTVS, the old Generic Letter 89-16 --

7 MR. GUNTER: Right, Direct Torus Vent
8 System.

9 MR. MONNINGER: Yes. You know, that one
10 also was not necessarily severe accident design, and its
11 operation was controlled through the EOPs.

12 So, with that, I would like to maybe ask a
13 question. We used this terminology
14 "severe-accident-capable event". That would be the
15 notion of we go back in and we relook at the vent that
16 we put in place with the Order and what kind of additional
17 uprates, not including a filter, would be required in
18 order for it to be more capable or a higher reliability
19 under severe accident conditions, whether it is
20 additional pressures, additional temperatures; whether
21 it is radiation shielding; whether it is consideration
22 for hydrogen. You know, if you had any inputs along that
23 line?

24 Our paper that would go up to the Commission
25 in November, one option, of course, is filter vents.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Another thing we have to explicitly address is additional
2 requirements for the March Order, then, for severe
3 accident conditions. There could be other options.
4 One of the other options, of course, would be to do
5 nothing else. You know, it is nothing else,
6 severe-accident-capable event, filter event, et cetera.

7 So, did that make sense?

8 MR. GUNTER: Yes.

9 MR. MONNINGER: Yes. So, any thoughts you
10 would have on what should be done with the reliable
11 hardened event order for severe accident conditions
12 minus the filter?

13 MR. GUNTER: Well, obviously, the one that
14 comes to mind, as demonstrated by actual events at
15 Fukushima Dai-ichi, are ignition points.

16 MR. MONNINGER: Right.

17 MR. GUNTER: It is our understanding that
18 this vent is going to have to close fast and hard, and
19 that, particularly with metal interface for valve
20 closures, you can get sparks. So, again, we are puzzled
21 by the fact that the Order only takes us halfway. I mean,
22 I don't understand why that this Order is event-driven,
23 as dramatically demonstrated as it was that we are only
24 going halfway in terms of not considering the most
25 dramatic lesson with being fuel damage. And that has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 been expressly cut from the Order, which will be driving,
2 again, design, manufacture, installation.

3 And is everybody going to go back and do
4 rework on this? We don't think so. I mean, we are sort
5 of presented with this concern that it is sort of foregone
6 conclusion where we are headed with this. Again, it is
7 worrisome.

8 And I don't mean to throw that back on staff,
9 but your scientific judgment we fear is going to go
10 through an economic filter.

11 MR. DENNIG: I think in terms of there is
12 going to be a notation vote paper, and it is going to lay
13 out the regulatory analysis portion of things. It is
14 going to lay out defense-in-depth arguments. It is
15 going to lay out foreign experience. It is going to lay
16 out the history of the issue. All of the things that you
17 have mentioned are part of either enclosures or the body
18 of the paper itself, things that are considered. And a
19 range of options from leaving things with the Order the
20 way it is through to making it severe-accident-capable
21 with an external filter are being evaluated within the
22 context of the paper. I don't know what else to say.

23 The option of making it
24 severe-accident-capable and that it would be able to open
25 and close with greater reliability in a severe accident

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 situation, and then not have an external event,
2 obviously, would depend on whatever decontamination you
3 got from internal processes under the circumstances of
4 the accident. So, that is the understanding of what you
5 get with that option. And so, that is going to be
6 discussed and laid out.

7 MR. GUNTER: But, again, the fundamental
8 issue here is the unreliable containment. So, you have
9 to provide for some analysis and evaluation that you may
10 have to, and likely will have to, open that vent again.
11 I think that is what driving the public nuts right now,
12 is that under the current status, that analysis is not
13 apparent because the filter is not there. It is not
14 there in the Order, and the hydrogen detonation is not
15 there in the Order. This is a big concern to us, that
16 we are looking at an ineffective half-measure.

17 MR. RICCIO: This is Jim Riccio with
18 Greenpeace again.

19 Yes, as Senator Menendez wrote to the
20 Chairman, this seems imminently reasonable. We are here
21 discussing what seems to be imminently reasonable. The
22 perspective from the public is that you have the
23 corporation an opportunity save their asset, but you have
24 taken the steps yet to ensure that that attempt doesn't
25 dose the public and their workers. That seems to be out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of step.

2 I don't know how else to explain it. I
3 think you get it. I can tell from your faces you get it.

4 I don't know what we have to do, whether we
5 have to get more Senators to write the Commission. I
6 don't really understand what buttons we have to push
7 around here anymore to actually get you guys to act.

8 MS. LAMPERT: Well, I have an idea: wait
9 until the accident that is inevitable to happen and then
10 act after, like in Japan. That is a thought, Jim.

11 MR. RICCIO: That is what we are trying to
12 avoid, Mary. That is why we are here today.

13 MR. FRETZ: David.

14 MR. LOCHBAUM: Yes, this is Dave Lochbaum
15 with the Union of Concerned Scientists.

16 The question you asked about for
17 severe-accident-capable valves, I am a little reluctant
18 to answer that question because we are so convinced that
19 filter is required. If you are against lynching, you
20 don't want to, then, discuss what is the best rope to use
21 if you are going to lynch. So, I am a little reluctant
22 to answer that, but I will do it anyway.

23 We have our concerns about if you left the
24 status quo or had these severe-accident-capable event
25 valves, the reliable hardened vents, that requires a lot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of operator decisions when it comes time to open those
2 valves. One of the problems we have already is severe
3 accident management guidelines are very poorly-trained.
4 The NRS inspection audit after Fukushima showed there is
5 a wide range. Some of them weren't even available in the
6 control rooms, at least at that time.

7 I used to work for the NRC teaching severe
8 accident management guidance to NRC inspectors. The
9 first thing out of our mouth was, "You are not allowed
10 to audit these at your respective sites. They are
11 voluntary."

12 So, if you provide severe accident guidance
13 with no filters, then there is a greater dependence on
14 the operators to determine when that is right and when
15 that is not right, based on conditions. What is the
16 condition of the torus? Basically, you are asking them
17 to guess a lot of information that probably won't be
18 available in that severe accident and then make informed
19 decisions based on no information or a vacuum. That
20 gives them a good excuse for getting it wrong in
21 hindsight, but it gives them no basis for getting it right
22 at the heat of the moment. So, basically, you are
23 setting up the operators for failure, and that is not what
24 the role of the regulator should be.

25 MR. MONNINGER: So, the SAMGs, one of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 recommendations which is still in process would require
2 SAMGs for plants. That is per the ANPR, the Advanced
3 Notice of Proposed Rulemaking, the integration of the
4 EOPs, the SAMGs, et cetera.

5 So, I personally don't know the extent of
6 the regulatory footprint, but SAMGs will, well, they are
7 proposed to be, then, required. I can't say extent that
8 the rule and the inspections, and all that, will result
9 in, but the approach now is that SAMGs, it is a Tier 1
10 item that the Commission directed us to proceed forward
11 with. What that ends up being within the next couple of
12 years, we will see, but it is the intent that SAMGs would
13 be required.

14 MR. DENNIG: From my perspective, all
15 the -- I think you just brought up cons, not many
16 pros -- but all those cons are in our deliberations.
17 They are not questions that the staff isn't aware of that
18 need answering.

19 So, one would have to explain how active
20 management of it is superior to some other solution from
21 a technical perspective or just lay out the pros and cons
22 of that. And so, that is what we are going to do.

23 MR. LOCHBAUM: Well, I think it also
24 circles back to the -- this is Dave Lochbaum again -- I
25 think it circles back to the point I made during earlier

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 discussions about certainties and uncertainties. If
2 you have a filter on there, you are reducing the
3 dependence on the SAMGs being successful, the operator's
4 implementation of the SAMGs being effective and timely.
5 Whereas, if you don't and you rely on them getting it
6 right at the right moment in time, because it is not a
7 static situation, you are decreasing the likelihood that
8 it is a successful outcome.

9 So, I think if you apply the uncertainty
10 principle, it steers you toward the right answer, no
11 matter which --

12 MR. DENNIG: The Commission policy is to
13 take into consideration uncertainties, and we are doing
14 that. Those kinds of uncertainties are part of the
15 problem.

16 MR. LOCHBAUM: I will look forward to
17 reading that paper, then, because, hopefully, it will
18 answer those questions.

19 MR. DENNIG: So do we.

20 (Laughter.)

21 I also look forward to not writing that
22 paper.

23 (Laughter.)

24 MR. LEYSE: This is Mark Leyse speaking. I
25 just want to add something regarding Dave Lochbaum has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 just articulated that the SAMGs are not defined; they are
2 non-legally-binding at the present time. I just also
3 want to point out that, in order to implement certain
4 SAMGs properly, the operators need to know what the
5 status of the reactor core is.

6 And just as things are right now, it is very
7 highly probable that operators would not know what the
8 status of the core is. With a BWR, they might be
9 depending on trying to monitor the water level in the
10 core, which is a very inexact science. They may be
11 trying to depend on the temperature of the primary
12 containment building, which is inexact, or suppression
13 pool temperature.

14 It is just like with Fukushima; the
15 operators most likely would not actually know what the
16 status of the reactor core was. So, that would be a very
17 big problem in terms of properly implementing SAMGs.
18 So, I just wanted to point that out.

19 Thank you.

20 MR. RICCIO: And this is Jim Riccio with
21 Greenpeace.

22 Again, to back up what David was saying
23 about the need for this to be passive, the need to have
24 a filter in place, while you are working Fukushima fixes,
25 the NRC staff has simultaneously been boosting power on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 reactors around the country, which has reduced the
2 accident response times for your operators.

3 So, again, taking pressure off your
4 operators, not putting them in the position to have to
5 make the tough decision, is a better position to be in.
6 And I am sorry if I am having deja vu on this because this
7 came up again 20 years ago, about taking pressure off your
8 operators, not putting them in the position where they
9 have to make the bad decision in the environment without
10 a filter in place.

11 If you sense the frustration in the public's
12 voices, it is, again, because Mary and I were at the
13 meetings 20 years ago, and again, Paul's indication that
14 the separation of the Order on the reliable vents from
15 the filter indicates the direction this agency is headed.
16 And we will do our best to change that direction, but,
17 again, when you have a Commissioner that seemingly has
18 already made up here mind without even seeing the
19 evidence prepared by staff, we have an upward battle on
20 our hands.

21 MR. SHADIS: Good morning, everyone.

22 Are you now accepting comments from the
23 general public?

24 MR. FRETZ: Okay. Well, again, this is Bob
25 Fretz. I guess the operator did say that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We did have one question. Before we go to
2 the public comments on the phone, I think we did have one
3 question that was submitted, using the webinar feature.
4 And what I have got to try to do is I have to step away
5 to read that. So, I can turn around, and maybe the
6 microphone can pick it up.

7 But the question is -- well, the question
8 is Anna Baker -- and the question is: "What is the NRC's
9 biggest holdup for not having a filter in the event of
10 a nuclear explosion? Why do other countries have this
11 and we don't?"

12 Okay. Again, I guess that is really maybe
13 more of a comment than anything else, but --

14 MR. RICCIO: No, that is a question.

15 MR. FRETZ: That was a question?

16 MR. RICCIO: That is a question.

17 MR. FRETZ: Well, I guess that question --

18 MR. DENNIG: Our process requires us to
19 write a notation vote paper, and that is how we are
20 dealing with it. So, the holdup is --

21 MR. RICCIO: Why not answer the question of
22 why this country doesn't have the vents that Europe has
23 had for a generation?

24 MR. DENNIG: That is one of the things that
25 gets answered in the paper.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. LAMPERT: We are a Third World country,
2 Jim.

3 (Laughter.)

4 MR. RICCIO: Yes, we are kind of tired of
5 being treated like second-class citizens.

6 (Laughter.)

7 MR. FRETZ: Okay. Any other questions
8 from members here in attendance?

9 MS. LAMPERT: Mary Lambert.

10 I think one theme that should be brought
11 home from this is what Ed Lyman brought up of
12 active-versus-passive systems. That was followed up by
13 the comment on how many unknowns there really are.

14 I would direct everybody to Kamiar Jamali's
15 article on the use of risk measures in design and
16 licensing of reactors and the examples. This also shows
17 why any number out of a cost/benefit analysis code, any
18 result has to be taken for what it is.

19 He talks about examples of uncertainties in
20 PRAs that include "probabilistic quantification of
21 single and common-cause hardware or software failures,
22 occurrence of certain physical phenomena, human errors
23 of omission or commission, magnitudes of source terms,
24 radionuclide release and transport, atmospheric
25 dispersion, biological effects of radiation, dose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 calculations," and many others. That is on page 935 of
2 his article. I believe he works at NRC.

3 So far, we have talked there are so many
4 uncertainties. We know one thing for sure, that GE MARK
5 I boiling water reactors are poorly-designed. They have
6 too small suppression pools. We have not a theoretical
7 basis for that, but now we have real-world, Unit 1, Unit
8 2, and Unit 3.

9 So, therefore, the vents have to be an
10 acceptable fix not only to relieve the pressure, the
11 hydrogen, et cetera, so the god-awful doesn't happen,
12 which we acknowledge can happen, but that when used, you
13 don't contaminate the neighborhoods around. And also,
14 so that the workers are capable of doing their work and,
15 also, that they will follow orders.

16 There still is a question brought forward
17 by The New York Times reporting on whether or not the
18 workers decided to vent when told to or not, or whether,
19 as The New York Times reported, they say, some say they
20 delayed doing so because they hoped, they hoped, they
21 hoped they wouldn't have to release all this
22 contamination.

23 So, you have got to take this into
24 consideration. Again, I would put my last slide up
25 before you go home, and that is: whose side are you on?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And are you going to be intimidated by the Commission and
2 Commissioners and higher-ups who have indicated, at
3 least Commissioner Svinicki: don't confuse me with
4 facts. We have made up our minds. If you like your jobs
5 and you want to pay your bills, you make peace with the
6 devil.

7 MR. DENNIG: I would just like to make a
8 comment on that from the working staff level, from the
9 technical staff. We do not feel intimidated, and we are
10 writing a paper. And the Commissioners will get to
11 look --

12 MR. RICCIO: She didn't say you are
13 intimidated; she said she is biased.

14 (Laughter.)

15 MR. DENNIG: Okay. Okay.

16 MS. LAMPERT: I am glad, because I have seen
17 that happen so many times, not with the NRC necessarily,
18 but let's face it, it happens in most organizations.

19 MR. FRETZ: Okay. I think, with that, we
20 will go ahead and turn to questions and comments from
21 those who are participating on the phone. Maybe try to
22 queue yourself up, and we will just go basically through
23 anyone with a comment.

24 MR. LEYSE: Yes, just one thing. This is
25 Mark Leyse.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Is there sometime when I can make my
2 presentation?

3 MR. FRETZ: Okay, Mark, I wasn't aware you
4 were able to attend. I guess we can go ahead with your
5 presentation next.

6 MR. LEYSE: Oh, okay. Just one thing
7 first. I think at one point -- I am not sure he still
8 is on the phone -- Ray Shadis wanted to make a comment.
9 I thought I recognized his voice. So, I thought I would
10 let him say something that he was going to say first, and
11 then I would follow, if that is all right.

12 MR. FRETZ: That would be fine.

13 Ray, are you on the line?

14 MR. SHADIS: Well, I am, and I was waiting
15 for general comment time. However, yes, I can just go
16 ahead real quick.

17 I just have two short comments. One is my
18 understanding is that a drawback on the rupture disc
19 option is that, once you blow the disc, you can't shut
20 it. But I am also sensitive to the idea that you are
21 looking for a passive relief valve.

22 There are many options other than a no-valve
23 or a rupture disc. When I was a kid, we had steam heat
24 in my home. On top of the boiler was a relief valve, and
25 the pressure, relief pressure, was determined by the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 number of weights that were put at the end of a lever.
2 In other words, it was gravity-operated. And as near as
3 I could tell, it was failsafe, although not foolproof,
4 because we kids used to open it all the time.

5 (Laughter.)

6 But, nonetheless, it only illustrates that
7 a gravity-operated relief valve can be overridden. So,
8 a mechanism can be put in place to close it, if necessary.

9 The other comment really has to do with the
10 question of the vents. In reviewing the presentation
11 materials from the Regulatory Information Conference, in
12 which apparently some of the European folks went into why
13 they chose to install the filters, one item was from the
14 Swiss, I believe. They set a goal, and the goal
15 determined whether they were going to put filters in or
16 not. And that goal was zero fatalities.

17 I think, if you all could see your way past
18 all the risk numbers and dose goals, and all the rest of
19 that, and simply agree that the goal should be zero
20 fatalities, I think you would be, then, driven to accept
21 the idea that anything coming out of the reactor should
22 be filtered.

23 So, those are my two comments. I really
24 don't need a response. I just wanted those to be on the
25 record.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. FRETZ: Okay. Well, thank you, Ray.

2 I guess we will go to Mark Leyse.

3 MR. LEYSE: Okay. Mark Leyse speaking.

4 First, I would like to thank the NRC and
5 Robert Fretz for providing me with time to speak.

6 I understand now that the NRC is conducting
7 computer simulations of different severe accident
8 scenarios using the MELCOR code and that such simulations
9 will be used for the NRC's regulatory analysis on various
10 filter venting options. And Electric Power Research
11 Institute, EPRI, is also conducting analyses to
12 determine possible alternatives to installing the
13 filters on BWR MARK I's and MARK II containment vents.

14 Most likely, I think we have said even in
15 this meeting, EPRI is using the MAAP code, M-A-A-P. That
16 is their code.

17 So, in this presentation, I want to point
18 out that the MELCOR and MAAP codes underpredict the rates
19 of hydrogen production that would occur in a severe
20 accident, especially the rates of hydrogen production
21 that would occur if there were the reflooding of an
22 overheated core.

23 As we discussed earlier, the MELCOR code
24 uses the Urbanic-Heidrick correlation to help predict
25 zirconium steam reaction rates. Urbanic-Heidrick is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 used between the temperatures of about 1520 degrees
2 Fahrenheit. Actually, below that, there is really not
3 very much oxidation. And it goes up to approximately
4 2880 degrees Fahrenheit. That is using this
5 correlation.

6 And just real quick background,
7 Urbanic-Heidrick, this correlation was developed in
8 experiments that were using induction heating. This is
9 having a very tiny specimen, maybe an inch-long little
10 piece of zirconium that would be in the induction heater
11 coils, and they would have steam pumped through that.
12 And then, they would measure from weight gains or
13 hydrogen production. They would, then, determine the
14 different reaction rates that had occurred at different
15 temperatures. The point is this is not very realistic
16 in terms of accident scenario or severe accident
17 scenario.

18 There have been tests done by other people
19 with induction heating experiments where they can tweak
20 the specimen, and depending on how they would optimize
21 the geometry of the specimen, they would register
22 different reaction rates. So, there are a lot of ways
23 where one could, you know, if they wanted to, they could
24 even manipulate such an experiment. I am not trying to
25 say that Urbanic and Heidrick did that, but I am just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 pointing that out.

2 And now, the paper that talks about how
3 specimens have been tweaked to register different
4 reaction rates, the title of that paper is,
5 "Recommendations and Supporting Information on the
6 Choice of Zirconium Oxidation Models in Severe Accident
7 Codes". That is by Georg Schantz, and it is a Karlsruhe,
8 Germany, paper from 2003.

9 Anyway, back to what I am saying. So, I
10 just want to point out that in October 2001 a paper was
11 published by the OECD Nuclear Energy Agency. The title
12 is, "In-Vessel and Ex-Vessel Hydrogen Sources". This
13 states that computer codes, all severe accident computer
14 codes, MELCOR, MAAP, all of them, using the available,
15 all available zirconium steam oxidation
16 correlations -- Urbanic-Heidrick is one of them -- they
17 underpredict hydrogen production in severe accident
18 scenarios, and especially if there would be the
19 reflooding of an overheated reactor core.

20 This paper states, quote, "Reflooding and
21 quenching of the uncovered core is the most important
22 accident management measure to terminate a severe
23 accident transient. If the core is overheated, this
24 measure can lead to increased oxidation of the zircaloy
25 cladding, which, in turn, can trigger a temperature

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 escalation. Relatively short flooding and quenching
2 times can thereby lead to high hydrogen-source rates,
3 which must be taken into account in risk analysis and in
4 the design of hydrogen-mitigation systems.

5 Until recently, the experimental database
6 on quenching phenomena was rather scarce. The available
7 zircaloy steam oxidation correlations were not suitable
8 to determine the increased hydrogen production in the few
9 available tests, among them the CORA tests and the LOFT
10 LPFP2 experiment."

11 I sent that comment in with a reference, and
12 that information is on page 9 of the paper "In-Vessel and
13 Ex-Vessel Hydrogen Sources".

14 Anyway, the NRC's calculations with MELCOR,
15 using the Urbanic-Heidrick correlation, underpredict
16 hydrogen production rates in severe accident scenarios,
17 especially in those scenarios where there would be a
18 reflooding of an overheated core. And EPRI's MAAP code
19 also underpredicts hydrogen production rates.

20 And there are plenty of other papers that
21 reiterate this same point. A 1999 paper, "Current
22 Knowledge on Core Degradation Phenomena: A Review," it
23 is from The Journal of Nuclear Materials. It states,
24 quote, "No models are yet available to predict correctly
25 the quenching processes in the CORA and LOFT LPFP2 tests.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 No experiments have been conducted that are suitable for
2 calibrating the models. Since the increased hydrogen
3 production during quenching cannot be determined on the
4 basis of the available zircaloy steam oxidation
5 correlations, new experiments are necessary." End of
6 quote.

7 Among those new experiments -- this was
8 1999 -- were going to be quench facility experiments that
9 were conducted at Karlsruhe, Germany. Anyway, as it
10 turns out, computer safety models also failed to predict
11 hydrogen production in the initial quench facility
12 experiments.

13 In 1997, Oak Ridge -- well, I guess that was
14 before this 1999 paper -- but, anyway, in a 1997 Oak Ridge
15 National Laboratory report explicitly states, quote, "In
16 the initial quench facility experiments conducted at
17 Karlsruhe, Germany, the hydrogen generation could be
18 determined by available zircaloy steam oxidation
19 correlations." End of quote.

20 The 1997 ORNL report states that, "Hydrogen
21 production in severe accidents can be divided into two
22 separate phases. First, a phase in which the fuel
23 cladding is relatively intact. That is through the
24 initial melting of the fuel cladding. And second, a
25 phase after the initial melting of the fuel cladding in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 which there is melting, relocation, and the formation of
2 uranium, zirconium, oxygen blockages."

3 And it says, "About 25 percent of the total
4 hydrogen is produced in the first phase, when the
5 cladding is intact, and about 75 percent of the total
6 hydrogen is produced in the second phase, when there is
7 a melting, relocation, and formation of blockages."

8 Now I know that doesn't always hold true,
9 this 25/75 percent because there was one experiment, one
10 of the core experiments, in which during the quenching,
11 actually, 90 percent of the hydrogen was during the
12 quenching process.

13 Anyway, according to the 1997 ORNL report,
14 computer safety models predict the rates of hydrogen
15 production for the first phase, in which the fuel
16 cladding is intact, quote, "reasonably well," unquote,
17 but predict the rates of hydrogen production for the
18 second phase, in which the fuel cladding is no longer
19 intact, quote, "much less robustly". End of quote.

20 This report stresses that it is
21 obvious -- they highlight that word -- it is obvious that
22 computer safety models, quote, "must be capable of
23 accurately estimating the zircaloy steam reaction rate
24 during the period of fuel cladding degradation and
25 blockage formation, since the majority of the hydrogen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 generation has been demonstrated to occur during this
2 timeframe."

3 So, clearly, the safety analyses that the
4 NRC and EPRI are now conducting regarding filtered vents
5 for BWR MARK I's and MARK II's, they are non-conservative
6 because the MELCOR and MAAP codes are inadequate for
7 accurately predicting the rates of hydrogen production
8 that would occur, especially in the phase when the fuel
9 cladding would no longer be intact. That is just
10 something to keep in mind. I don't know you get around
11 that.

12 And something I also want to point out, as
13 I have pointed out, Urbanic-Heidrick, the correlation is
14 formed by induction heating very tiny specimens. Now in
15 a BWR reactor core, you are going to have boron carbide
16 neutron-absorber material. At the higher temperatures
17 above 2200 Fahrenheit, you are going to have eutectic
18 reactions between the zircaloy fuel rods and the
19 stainless steel on the surface of the cruciform-neutron
20 absorbers.

21 Anyway, at one point above 2200, the boron
22 carbide is going to start reacting.

23 (Telephone technical issues.)

24 MR. MONNINGER: Mark, I am not sure if you
25 can hear us. We can't hear you at the moment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 But one of my thoughts is we do have, in NRC
2 lingo, a Tier 3 issue on hydrogen, hydrogen generation
3 and control. We are getting that project up and going.

4 I know there is some relation to your
5 concerns here, but it would seem, to a large extent, the
6 generation, the production, and all these issues are
7 probably most appropriately addressed within that Tier
8 3 issue on hydrogen generation and control.

9 I know this afternoon the Office of Research
10 will be discussing their predictions from MELCOR on the
11 amount of hydrogen release from various station blackout
12 scenarios.

13 But what we want to try to do, to the extent
14 possible, is to --

15 MR. LEYSE: Hello. This is Mark Leyse.
16 I'm sorry, I was cut off when I was just speaking with
17 you.

18 MR. MONNINGER: Yes.

19 MR. LEYSE: Yes, I believe I was talking
20 about boron carbide when I was cut off.

21 MR. MONNINGER: So, Mark, could I just
22 maybe through in 15 seconds?

23 One of our thoughts is, the NRC, we have a
24 separate project. This is the filter vent project. We
25 do have a separate study underway as a result of Fukushima

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 on hydrogen production and control. We are going to have
2 public meetings, stakeholder engagement, et cetera.

3 I know there is relevance to these issues
4 to the filter vents and the amount of hydrogen coming out.
5 And we will have discussions from our Office of Research
6 this afternoon. I am just not quite sure whether some
7 of these discussions aren't more appropriately suited to
8 our discussions on hydrogen production and control, when
9 we do do those stakeholder engagements.

10 Does that make any sense?

11 MR. LEYSE: Yes, this is Mark Leyse. May
12 I continue now?

13 MR. FRETZ: I guess, in the interest of
14 time -- I know we have 15 minutes left on the agenda -- if
15 maybe we could keep the comments to a minimum?

16 MR. LEYSE: Okay. I wasn't quite finished
17 with my presentation. May I finish? I don't have too
18 much further to go.

19 MR. FRETZ: All right. Thank you.

20 MR. LEYSE: Yes. Okay. I was just
21 talking about boron carbide oxidation in steam, which
22 would occur at some point over 2200 degrees Fahrenheit.
23 Boron carbide is more exothermic than zirconium. So,
24 you are going to have a lot of heat in a BWR accident that
25 would be generated from the oxidation of the boron

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 carbide. That heat is going to influence the reaction
2 rate of the zirconium. It is going to speed up the
3 reaction rate of the zirconium, and it is going to even
4 result in a faster temperature excursion.

5 Now, just to put this in perspective, there
6 are thousands of pounds of zirconium in the core and
7 hundreds of pounds of boron carbide. So, it is going to
8 probably be a local effect. It is going to not have the
9 overall effect of oxidation, but locally in hotspots it
10 could really influence the reaction rate. So, that is
11 all the more reason why Urbanic-Heidrick is just really
12 unrealistic in terms of a real-world accident.

13 Now I want to point out that, in a July 2012
14 report that I wrote for Natural Resources Defense
15 Council, the title -- it is in the record for this
16 meeting -- the title is, "Post-Fukushima Hardened Vents
17 with High-Capacity Filters for BWR MARK I's and MARK
18 II's".

19 I point out that in a BWR severe accident
20 hundreds of kilograms of non-condensable hydrogen gas
21 would be produced, up to over 3,000 kilograms.
22 Actually, I think it would actually go up above 4,000
23 kilograms if you had a complete meltdown.

24 And the rates of this hydrogen production
25 could be as high as between 5 and 10 kilograms per

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 second -- 5 and 10 kilograms per second -- if there were
2 the reflooding of an overheated reactor core. And that
3 would result in a rapid increase of the internal pressure
4 in the primary containment.

5 In the reliable hardened vent piping, to
6 accommodate such a rapid pressure increase, the vents
7 piping would most likely need a greater diameter and
8 thickness than what the hardened vents presently
9 installed in BWR MARK I's have in the U.S. The diameter
10 of those pipes is typically 8 inches in diameter.

11 If a hardened vent needs to be designed,
12 actually, there is a quote in the NRDC paper on page 4 -- I
13 won't spell it out -- but it basically talks about how
14 designing a vent for one of these rapid-pressure
15 scenarios might be very difficult. So, I just want to
16 point out that a hardened vent needs to be, if it is,
17 indeed, going to be reliable, it needs to be designed so
18 it is going to perform well in scenarios in which there
19 would be a rapid containment pressure increase; for
20 example, in the scenarios in which there would be the
21 reflooding of an overheated reactor core.

22 As I pointed out, I think in addition to
23 something that Dave Lochbaum said about SAMGs' lack of
24 definition in some cases are different approaches, it is
25 very likely that plant operators would not know what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 status of the reactor core was during a severe accident.
2 They would have to depend on trying to figure out what
3 the water level in the reactor pressure vessel was -- that
4 is very not precise -- or trying to rely on the
5 temperature of the suppression pool, things that are very
6 delayed in terms of trying to figure out what is going
7 on, especially in a fast-moving accident.

8 So, it is very probably that the operators
9 could actually end up reflooding an overheated reactor
10 core. So, this is something that any analysis with
11 MELCOR or MAAP, it needs to take into consideration that
12 scenario. That is the scenario that occurred at Three
13 Mile Island, the quenching an overheated reactor core.
14 I believe in a couple of minutes' time they produced
15 around 300 kilograms of hydrogen in that accident.

16 Anyway, the conclusion is that, if you
17 cannot develop a vent that would be able to accommodate
18 these rapid-pressure increases, perhaps the NRC should
19 either consider shutting down or not relicensing BWR MARK
20 I's and MARK II's.

21 Just to conclude, I want to emphasize that
22 if you are able to develop a hardened vent that would
23 work -- it is a doubtful thing; it might work; it might
24 not -- but if you do develop that, I want to point out
25 that you should definitely have a filter for it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 In the NRDC paper, on page 5, I point out
2 that in any accident in which there was early venting of
3 the containment, a high-capacity filter would be needed
4 to help protect the surrounding population who would not
5 have time to evacuate and prevent becoming exposed to
6 radioactive releases.

7 Thank you. And I am happy to answer any
8 questions you may have. Thank you.

9 MR. FRETZ: Anybody? So, yes?

10 MR. BASU: I am Sud Basu from the Office of
11 Research.

12 Thank you for the information that you
13 shared with us. What would help is to have, if you could
14 provide some reference to some of the numbers that you
15 quoted in your presentation, like 5 to 10 kilograms per
16 second of hydrogen production, that number.

17 MR. LEYSE: Oh, sure, I would be more than
18 happy to. Should I email that information to Robert
19 Fretz?

20 MR. FRETZ: Yes, please.

21 MR. LEYSE: Okay. But just in the
22 meantime, that specific point, for rates between 5 and
23 10 kilograms per second, in the paper that is actually
24 in the record that I referred to, the "Post-Fukushima
25 Hardened Vents with High-Capacity Filters for BWR MARK

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I's and MARK II's, on page 2, I have information regarding
2 that. I do have the references for the 5 kilograms to
3 10 kilograms.

4 MR. BASU: Thank you, Mark.

5 MR. FRETZ: Yes, we see that, yes, Mark.

6 MR. BASU: I am told that we do have that
7 reference. Bob Fretz just needed to get it. So, we will
8 get it. Thank you.

9 MR. LEYSE: Okay, sure. But, nonetheless,
10 I did introduce some information that is not in that paper
11 or in some other comments I submitted. So, I will itemize
12 that information with references, and I will email it to
13 Robert Fretz.

14 MR. FRETZ: All right. Thank you, Mark.

15 MR. LEYSE: You're welcome.

16 MR. MONNINGER: I would just also mention,
17 Mark, I did mention we have this effort underway to
18 evaluate hydrogen production again, hydrogen control, et
19 cetera. So, hopefully, you will join us for those
20 meetings and exchanges.

21 MR. LEYSE: Oh, thank you. Yes, I would be
22 more than happy to.

23 MR. FRETZ: Okay. Well, I would like, in
24 whatever time we have left, to have -- any more questions
25 from the phone? On the phone, and then we will get to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 you.

2 MR. WACHOWIAK: This is Rick Wachowiak from
3 EPRI.

4 I just want to state for the record that the
5 characterization of the work that we are doing was not
6 exactly as the last presenter had said. We are not
7 looking for alternatives to filters. We are looking at
8 the merits of radiological mitigation strategies,
9 including filters.

10 As we presented a couple of weeks ago, what
11 our conclusion is or what our insight is from this is
12 that, unless we have the things that are characterized
13 as active systems, like the spraying and the flooding,
14 to manage the temperatures of the debris, that the
15 filters don't provide much additional benefit.

16 MR. COLLINS: And that is because?

17 MR. WACHOWIAK: Because there are
18 secondary --

19 MR. COLLINS: Because there are other
20 failures?

21 MR. WACHOWIAK: There are secondary
22 containment failure modes that come into play based on
23 high temperature.

24 MR. COLLINS: Right, it is the old
25 melt-through thing, right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. WACHOWIAK: But our study was intended
2 to analyze the effectiveness of filtration as well as the
3 other strategies.

4 MR. COLLINS: This is Tim Collins.

5 Yes. So, in other words, you are saying
6 that there are two distinct challenges to the containment
7 in severe accident that you need to address, not just
8 filtration, but there is also a liner melt-through
9 concern?

10 MR. WACHOWIAK: Liner melt-through and,
11 also, overheating if, for some reason, you can't get the
12 core temperature down.

13 MR. FRETZ: Okay. Any comments or
14 questions from those who are on the phone?

15 (No response.)

16 Okay. Hearing none, we are going to at
17 least temporarily close this portion of the meeting. We
18 will be reconvening at 1:00 p.m.

19 MS. LAMPERT: I want to say one thing, Bob.
20 I want to acknowledge how accommodating you have been,
21 and thank you for it. You are a delight to work with.

22 Am I correct that you said that it will be
23 transcribed? So, if that be the case, I had asked to be
24 on this afternoon. So, obviously, there is no need for
25 that if it is going to be transcribed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. FRETZ: Yes. Yes, Mary, we were able
2 to get a court reporter to transcribe the entire meeting
3 from the start to finish.

4 MS. LAMPERT: Oh, that is great. And
5 again, thank you very much, and thank everybody else for
6 this opportunity.

7 MR. MONNINGER: Now turnaround for the
8 transcript is generally more than a week of time?

9 MR. FRETZ: Yes.

10 MR. MONNINGER: This afternoon or
11 tomorrow -- I am not sure what it is.

12 MR. FRETZ: Yes. Normally, it is a week to
13 10 days. So, we will get it in the public domain as soon
14 as we can.

15 And I guess, with that, we will take a brief
16 time out of an hour, and we will reconvene at one o'clock.

17 Thank you.

18 (Whereupon, the above-entitled matter went
19 off the record at 11:58 a.m. and resumed at 1:03 p.m.)

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 (1:03 p.m.)

3 MR. FRETZ: Okay. I think enough people
4 have been able to reconvene with us that we can go ahead
5 and get started.

6 Okay. Thanks, Steve, for closing the door.

7 Again, this is Bob Fretz. I am a member of
8 the Japan Lessons Learned Project Directorate and the
9 Project Manager for the issue of filter containment
10 vents.

11 We will reconvene our meeting that finished
12 about 12 o'clock earlier this morning.

13 I would like to introduce Allen
14 Notafrancesco, who is from the Office of Research, who
15 will be presenting information regarding the MELCOR case
16 studies that we did to help us support the regulatory
17 analysis.

18 So, Allen?

19 MR. NOTAFRANCESCO: Okay. What I am going
20 to present is calculations done by Sandia, and we guided
21 them to what sequence to look at. But these are initial
22 results of the MELCOR accident progression analysis for
23 MARK I containments.

24 Next slide.

25 This slide just provides an overview of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 topics I will be discussing: the objective, the model
2 overview, discussion of results, insights, and follow-on
3 activities. JLD, with the containment vent issue.

4 Next slide.

5 In the red is the MELCOR calcs that we have
6 done and where it fits. The output goes into the MACCS
7 code. I am talking about like cesium release fractions
8 and then, ultimately, it feeds into the regulatory
9 analysis.

10 Okay, next.

11 Okay. To move on, to expedite the process,
12 we are aware of, obviously, the SOARCA work, the
13 State-of-the-Art Consequence Analysis, and Peach Bottom
14 was one of the reference cases. So, we started off
15 reviewing the SOARCA activity and tried to piece together
16 what we will do the Fukushima effort we did.

17 So, the baseline cases for Peach Bottom
18 SOARCA was unmitigated station blackout sequences, no
19 sprays, no venting. The two dominant failure modes that
20 were revealed was liner melt-through, drywell liner
21 melt-through, and overpressure due to drywell head
22 flange leakage.

23 The various sensitivities produce, would
24 pressurize the reactor building to some degree. So,
25 blowout panels will open. There would be local hydrogen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 combustion and potential roof failure of the refueling
2 bay.

3 And this slide summarizes some of the
4 insights that we have drawn upon to start coming up with
5 sequences to get the ball rolling early. Fukushima-like
6 sequences, we focused-in on the long-term accidents,
7 which was Unit 2 and 3, which demonstrated prolonged RCIC
8 operation.

9 So far, the current thinking is that the
10 dominant failure of the containment is overpressure
11 through the drywell head flange, and potentially other
12 penetrations would have to be identified.

13 The reactor building response was quite
14 clear, a couple of explosions in Unit 1, 3, and 4.

15 MR. LOCHBAUM: Can I ask a question about
16 that point? On slide 5, you point out that you are
17 actually doing accident response, including local H2
18 combustion and roof failure, et cetera, from the leakage.
19 Does the model look at potential threats to RCIC
20 operation, this perfected RCIC operation due to what is
21 leaking from containment, whether hydrogen or other?

22 MR. NOTAFRANCESCO: No, we didn't tie-in
23 the -- because usually the combustion is afterwards, the
24 operation, way past.

25 MR. LOCHBAUM: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. NOTAFRANCESCO: Okay?

2 MR. LOCHBAUM: Okay. Thanks.

3 MR. LYMAN: Another question. So, it
4 doesn't appear that the drywell liner was melted through
5 in any of the three units?

6 MR. NOTAFRANCESCO: Well, that is the
7 consensus so far, I gather, unless somebody really does
8 more investigation.

9 MR. LYMAN: All right. So, the Sandia
10 model of Fukushima, it didn't find drywell or
11 melt-through for Unit 1, is that right?

12 MR. NOTAFRANCESCO: That's correct. It
13 turns out, if you look closely at the water injections
14 of each of the units, 1, 2, and 3, it turns out it was
15 at a nice time in which it is tough -- you could always
16 say the water injection helped mitigate the liner
17 melt-through.

18 MR. LYMAN: So, it kind of froze the core,
19 the molten core, in place?

20 MR. NOTAFRANCESCO: Right, right.

21 MR. LYMAN: And Units 2 and 3, at least the
22 April 2012 report, this public report, said that there
23 was no vessel melt-through in Units 2 and 3. Is that
24 still the consensus of the model?

25 MR. NOTAFRANCESCO: I think the latest

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 version, there is some failure of the low head and there
2 is some core on the floor for those.

3 MR. LYMAN: Right. So, that isn't public
4 yet, though?

5 MR. NOTAFRANCESCO: The SAM Report --

6 MR. MONNINGER: So, then, there's
7 gazillions of reports out there. So, probably the April
8 stuff you are talking about is the TECO reports.

9 MR. LYMAN: No, it is the Sandia --

10 MR. MONNINGER: It is the Sandia ones.

11 MR. NOTAFRANCESCO: The recent version
12 came out the past month or two, publicly published. I
13 think it is public.

14 MR. GABOR: The DOE report?

15 MR. NOTAFRANCESCO: Yes.

16 MR. GABOR: Yes, I think so.

17 MR. LYMAN: And then, there was one that
18 came out in August 2012, but it is dated April, or as of
19 April 2012. And so, that says that they were using
20 injection rates that may have been too high.

21 MR. NOTAFRANCESCO: I think they probably
22 covered themselves to say, hey, we had to freeze the
23 assumptions, based on the knowledge of April of 2012.

24 MR. LYMAN: Right. Right, right.

25 MR. NOTAFRANCESCO: Okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LYMAN: Okay.

2 MR. NOTAFRANCESCO: But I understand what
3 you are saying, that some of the early calculations they
4 did in Units 2 and 3 they did not damage the lower head
5 and the core stayed intact in the vessel.

6 MR. WACHOWIAK: So, you said that it was
7 based on Peach Bottom; it was done for SOARCA. Is that
8 in an operated Peach Bottom, like it is today, or is it
9 old power Peach Bottom?

10 MR. NOTAFRANCESCO: Well, it is what is
11 consistent with the SOARCA report, whatever is
12 documented there.

13 MR. WACHOWIAK: Okay. All right.

14 MR. NOTAFRANCESCO: And I will get to the
15 next slide after the Fukushima slide. Okay. It is
16 putting together these aspects I just mentioned. We are
17 using the baseline SOARCA Peach Bottom model. We are
18 using the same control volume, slow paths, et cetera.

19 Some of their modeling features, we
20 retained some of the RCIC logic, SRV operability. There
21 is no pump seal leakage in these assumptions.

22 One of the key modifications we made was to
23 nodalize the wetwell volume a little bit because we
24 believe there is some stratification when you have long
25 RCIC operation. And some of the preliminary Fukushima

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 analyses show that Unit 3, you needed to break up the
2 wetwell to capture the pressurization.

3 MR. WACHOWIAK: Did you break it vertically
4 or --

5 MR. NOTAFRANCESCO: No, just --

6 MR. BASU: Azimuthally.

7 MR. WACHOWIAK: Azimuthally?

8 MR. NOTAFRANCESCO: Let's see, we are using
9 the same MELCOR version as the SOARCA uncertainty
10 analysis with our study here.

11 MR. GABOR: I have a question on that.
12 Jeff Gabor at ERIN.

13 At the ACRS presentation, Sud made the
14 comment about a change to the melt spreading as opposed
15 to what was done in SOARCA. Can you talk about that and
16 why that was done?

17 MR. BASU: Well, I will address that.

18 MR. GABOR: Okay.

19 MR. BASU: And I will repeat what I said at
20 the ACRS meeting. When we are talking about spreading
21 of core debris on the concrete substrate, what really
22 matters is the properties, in this case, of course,
23 liquidus and solidus of the core debris down there in the
24 concrete substrate.

25 Now in SOARCA, the liquidus/solidus numbers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 that were used are for concrete substrate. So, we made
2 the correction to use the core debris solidus/liquidus.
3 So, what is the net effect of that? It basically slows
4 down the spreading.

5 So, in SOARCA you saw the melt almost
6 instantly spread to the liner in what, six-seven minutes.
7 In this case, we are seeing spreading to span about a
8 couple of hours.

9 MR. GABOR: And the basis, the technical
10 basis, I mean, does that mean that SOARCA should be
11 updated to reflect that? Or what is the technical basis
12 for that change?

13 MR. BASU: Well, I think SOARCA, you can
14 look at the SOARCA results as a conservative result,
15 because what you are doing is you are failing the liner
16 as quickly as it can, with the assumption that you are
17 making. Now if you were making the assumption that we
18 are making for the containment venting study, you will
19 be failing the liner a little bit later.

20 So, I don't think either of them needs to
21 be updated. It is just when SOARCA was done, that was
22 the scenario that was used. Now you can go back to the
23 SOARCA uncertainty analysis and see what effect the
24 change in the solidus/liquidus might have on SOARCA
25 results. And I suspect what you are going to see is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the liner is failing a little bit later. It is still
2 going to fail.

3 MR. NOTAFRANCESCO: It is definitely
4 within the uncertainty band of these analyses. Okay.

5 MR. LYMAN: I'm sorry, could you explain
6 how the stratification helped prolong RCIC? It is
7 because of the temperature, the steam is lower --

8 MR. NOTAFRANCESCO: The temperature is
9 being dumped in a small area in the wetwell. So, that
10 gets hot. It is driving the atmosphere hotter. So, the
11 pressurization rate is heightened 10 to 20 psi over that
12 time. Okay?

13 MR. MONNINGER: As opposed to making it one
14 uniform volume.

15 MR. NOTAFRANCESCO: Yes, it absorbs all the
16 heating that is uniformly distributed.

17 MR. BASU: And just to be clear, we are not
18 talking about axial or vertical stratification in this
19 case. We are talking about localized temperature.

20 MR. LYMAN: So, I thought RCIC failed in
21 SOARCA because, if you couldn't control the water level,
22 then the steamline would float. So, you are saying that
23 happens later or --

24 MR. NOTAFRANCESCO: Well, the assumption
25 is that you say it fails at four hours. Then, you can't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 control it and it fills up. It goes into the steamline.
2 Then, it messes up the pump and it stops at 5.9 hours,
3 or something like this.

4 So, we took the same logic. We just moved
5 the bar to 16 hours. It would fill up and heighten the
6 level, and it would stop at 17.9 hours, for example.

7 MR. LYMAN: So, it was kind of arbitrary.
8 You adjusted the parameters.

9 MR. NOTAFRANCESCO: Well, I used -- the
10 Fukushima had extended RCIC operation. Okay? And the
11 negative --

12 MR. LYMAN: So, you assume that as an input?
13 You don't quite understand it, but you assume?

14 MR. NOTAFRANCESCO: Well, these are
15 analytical exercises. I am just providing a scoping
16 study of what you can change and what the results are,
17 and you could see how things group and what is
18 significant.

19 MR. BASU: I think if you look at Peach
20 Bottom, for example, the battery time there is eight
21 hours, even though in SOARCA we actually used four hours
22 RCIC. But you could carry on RCIC for eight-plus hours.

23 In Fukushima Unit 2 --

24 MR. LYMAN: Yes, but Unit 2 lost DC power.
25 So, they didn't have any control from the beginning,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 right?

2 MR. BASU: True. True, but when you look
3 at Unit 3, in Unit 3 the RCIC ran for about 20 hours.

4 MR. LYMAN: Right.

5 MR. BASU: So, short of any definition as
6 to what the duration of RCIC will be, if there is going
7 to be a mitigation strategy, we thought we would just run
8 a series of RCIC timing. So, we did run, actually, a case
9 of RCIC of four hours. We ran RCIC eight hours --

10 MR. LYMAN: The RCIC time is an input. It
11 is not coming organically out of calculations?

12 MR. BASU: Now it is an input, yes.

13 MR. NOTAFRANCESCO: What is happening in a
14 core melt accident, you have got to get rid of the water
15 after a while and then it boils down. So, the issue is,
16 obviously, later on there is less decay power driving the
17 accident. And I can tell you we will have less core
18 debris on the floor with a 16-hour versus a 4-hour.

19 Okay. So, in the scoping study we did here,
20 like I say, we took the 16-hour RCIC operability. We
21 assumed core sprays or no core sprays or drywell sprays.
22 And we assumed a 300-gpm when we activated each one of
23 them, unless we have done some sensitivity even within
24 that time.

25 But, generally, the containment venting is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 through the wetwell, and the sensitivity analysis varied
2 these parameters for actuation, RCIC duration, like I
3 say, and spray flow rate.

4 Again, this is the SOARCA cross-section
5 that was used for Peach Bottom, like I say, consistent,
6 but just to orientate ourselves.

7 Okay, the next slide.

8 MR. VIJAYKUMAR: What is the difference
9 between the possible and actual in that?

10 MR. NOTAFRANCESCO: The what pathway?

11 MR. VIJAYKUMAR: The possible and actual.
12 We have two scenarios here. It says, possible versus --

13 MR. NOTAFRANCESCO: Okay. Cycling was
14 just left open.

15 MR. VIJAYKUMAR: Okay.

16 MR. NOTAFRANCESCO: I will get to that and
17 you will see some cases in that regard.

18 Next slide.

19 Okay. This is a snapshot of some of the
20 calculations we did and provides a timeline. Case 2,
21 when it says "RCIC only," that means it is just 16 hours
22 of RCIC, then boil down to core melt, and then we look
23 at the dynamics in the response of the containment and
24 the RPV.

25 And Case 3 is a vent case.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Case 6 is a RCIC with a core spray actuated
2 after the lower head fails.

3 Case 7 is RCIC core spray and event.

4 And Case 14 and 15 are basically drywell
5 sprays at 24 hours, again, the 16-hour RCIC operation.

6 MR. LOCHBAUM: I have got a question on some
7 of those cases. When you say "core spray and drywell
8 spray," those are the traditional core spray and drywell
9 spray? It does not FLEX or --

10 MR. NOTAFRANCESCO: Well, I am assuming
11 FLEX flow rate, 300 gpm.

12 MR. LOCHBAUM: Three-hundred-plus? Okay.

13 MR. NOTAFRANCESCO: No 5,000, 3,000.

14 MR. DENNIG: The headers are used, but the
15 pump flow is different.

16 MR. LOCHBAUM: You don't have ac power back
17 or anything like that?

18 MR. NOTAFRANCESCO: No.

19 MR. LOCHBAUM: Okay. I just wanted to
20 clarify. Thanks.

21 MR. VIJAYKUMAR: One thing, I have a
22 question here. It looked like everything, lower head
23 failure, drywell, everything happens earlier.

24 MR. NOTAFRANCESCO: That's true. It turns
25 out, when the vent -- actually, that 60 psig, it was in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the regime where the core was boiling down and ready to
2 melt. So, the venting enhanced hydrodynamic flow and
3 really enhanced the metal-water reaction and produced
4 more hydrogen.

5 So, by accident, I found the worst part in
6 doing that. So, I will show you some plots in that area.

7 MR. BASU: So, you can relate to that with
8 the hydrogen, but that should be, also, a little higher.

9 MR. NOTAFRANCESCO: Next page.

10 Okay. And I will get to some plots now
11 next.

12 MR. BASU: No.

13 MR. NOTAFRANCESCO: Oh, you have got
14 another one?

15 MR. VIJAYKUMAR: The cesium iodine and the
16 plain iodine?

17 MR. NOTAFRANCESCO: Okay. It is both,
18 right?

19 MR. BASU: Yes.

20 MR. NOTAFRANCESCO: It is both.

21 MR. BASU: So, what you are seeing there is
22 the cesium. I mean, you start to see the partitioning
23 of iodine and cesium that is shown here in the release
24 fractions.

25 MR. VIJAYKUMAR: Again, the same thing, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 can see that, with the vent, iodine is actually higher.

2 MR. BASU: Yes.

3 MR. VIJAYKUMAR: So, we don't want to vent
4 them, right?

5 MR. BASU: But, I mean, he is going to walk
6 you through the plots, and then we will talk about the
7 insights from the calculations. Let's not get to
8 whether you want to vent earlier or not at this point.

9 MR. NOTAFRANCESCO: Okay, next slide.

10 Here is a plot of those cases. What I am
11 trying to demonstrate here is the variability of the
12 debris mass exiting the reactor vessel. It varies
13 because it is lumped-parameter codes. Some of the
14 components are not hot enough to melt. So, they stay in
15 the core.

16 And really, what I want to get is the next
17 one. The next one, this one is the drywell pressure.
18 This you see in response to venting and sprays. Now
19 venting is here open and left open, and that is Case 3,
20 7, and 15. Sprays only, you see sprays only, and you
21 still overpressure. The plateau is lower pressure
22 failure, so you are leaking. And then, the difference
23 in liner melt-through. You need water on the floor to
24 prevent liner melt-through in our calculations.

25 Okay, next.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 This is a plot of only in-vessel hydrogen
2 production. It is kilogram-moles. And it varies,
3 roughly, within 100 kilogram-moles.

4 MR. WACHOWIAK: Rick Wachowiak from EPRI.

5 In these cases here, the onset of core
6 damage is right around 24 hours, and we see the increase
7 in hydrogen at that point. Then, the failure of the
8 vessel tends to be out, I think in most of these cases,
9 at around the 36-hour mark.

10 MR. BASU: Thirty-three hours.

11 MR. WACHOWIAK: Well, a couple of them are
12 33, but I am not sure the 33's are on this one. But it
13 looks like that -- why is the hydrogen production
14 stopping in the middle?

15 MR. BASU: Okay. First of all, in terms of
16 the failure timing, you can go back to the tables.

17 MR. WACHOWIAK: Yes. I picked some of that
18 up.

19 MR. BASU: They were from 33 to 36 hours.

20 Why does the hydrogen production plateau at
21 several points and then picks up?

22 MR. WACHOWIAK: And then pick up again.

23 MR. BASU: So, if you look at the hydrogen
24 or CAD oxidation model, this is in-vessel.

25 MR. WACHOWIAK: Uh-hum, in-vessel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. BASU: So, if you look at the CAD
2 oxidation model in MELCOR, it has a criterion that says,
3 until such time that the oxide thickness grows to a
4 certain minimum thickness, it isn't going to defoliate
5 or crack, thereby opening the unoxidized surface to
6 further oxidation.

7 So, that is one reason why you don't see
8 hydrogen production from time to time, because you are
9 not being able to oxidize the pre-oxidized crack surface.
10 That is just a criterion that is put in the MELCOR
11 oxidation model.

12 The other thing is, from time to time, you
13 also see some steam-starved conditions in the RPV. Now
14 you know steam-starved condition, you don't expect other
15 oxidation. That is why you see some steps.

16 But, really, what you ought to look into is
17 the total inventory of hydrogen production, whether it
18 goes that way or it goes continuously, because you can
19 put in a different criteria in the oxidation model that
20 says it is oxidize continuously. In other words, the
21 surface, some fraction of the surface, will be always
22 available for oxidation. And so, you will get a
23 continuous curve rather than a step curve.

24 MR. GABOR: Yes, this is Jeff Gabor. I
25 would like to follow up on that discussion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So, the relocation of the core is around 26
2 hours, looks to be pretty consistent for all of these
3 cases, going back to the table.

4 MR. BASU: Right.

5 MR. GABOR: And then, lower head failure
6 does vary from, like you said, 33 up to 37 maybe for Case
7 2. So, just so I am understanding, you think that
8 perhaps at around, looking at this chart, that around 32
9 hours and beyond, is that the point where this criteria
10 on allowing the inside clad oxidation to occur, do you
11 think that you are hitting the criteria at that point and
12 that provides additional zircaloy to oxidize?

13 MR. BASU: You are actually hitting it in
14 the corner. If you look at the 26-hours model, you have
15 an initial amount of hydrogen production that is going
16 from zero to 400 kilogram-moles. By then, you have
17 oxidized the clad surface to a certain thickness, that
18 it is no longer producing any further oxidation, and it
19 is staying until -- then, the clad, the oxidized surface
20 is cracking or defoliating at about, as you said, between
21 32-36 hours. That is when it is picking up the
22 oxidation.

23 MR. WACHOWIAK: This is Rick Wachowiak.

24 From your slide 10, it is saying that the
25 relocation is at about 26 hours. So, that looks like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that is right at the time when that plateau happens. So,
2 is that just some of the core relocating to the lower
3 plenum, not all of the core?

4 MR. VIJAYKUMAR: This hydrogen is before
5 then. You can see that everything happens about 24
6 hours. The 26 hours is a little bit after that. So, the
7 first peak is before the relocation.

8 MR. WACHOWIAK: Before the relocation?

9 MR. VIJAYKUMAR: Yes. But after the
10 relocation, you can start to see within 32 and 36, that
11 is when all the zircaloy becomes in pieces and starts
12 reacting with the steam.

13 There are two parts to this. The first part
14 is before --

15 MR. BASU: The first part is before the
16 relocation.

17 MR. WACHOWIAK: And then, the second part
18 is after relocation?

19 MR. BASU: That is correct.

20 MR. LOCHBAUM: The core spray that is
21 assumed in Case 6 or 7, what is the timing on that? Is
22 that from failure of RCIC or --

23 MR. NOTAFRANCESCO: It is basically after
24 the lower head failure.

25 MR. LOCHBAUM: Okay. So, that is why it is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not successful in preventing --

2 MR. NOTAFRANCESCO: Right, right, right.
3 I was trying to come close to Fukushima, where there was
4 supposedly some core on the floor for Unit 2 and 3. It
5 gets some core spray and it goes through. So, I was
6 trying to look at hydrogen because things become
7 steam-stopped. So, I was trying to throw some water back
8 in the system, too.

9 MR. LOCHBAUM: I was just trying to
10 understand better. I appreciate it.

11 MR. GABOR: I have another question. Jeff
12 Gabor.

13 I know it is hard to generalize, but looking
14 at your results, approximately, do you have a feel for
15 what fraction of the total core remains behind, basically
16 either in the lower head or in above the core plate, after
17 the vessel fails? Because I think we showed in the EPRI
18 analysis that for most of our scenarios we are typically
19 more approaching 100 percent core melt and transport into
20 containment.

21 Do you have any feel for kind of how that
22 breaks down in your runs?

23 MR. BASU: Yes. If you go to, I think it
24 is slide 12 --

25 MR. GABOR: Oh, that's right. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BASU: And then, you look at vessel
2 failure, which is between 33 to 37 hours, you can see for
3 different cases there is a different amount, obviously.

4 MR. GABOR: So, give me an idea of what 100
5 percent is. Do we know that?

6 MR. NOTAFRANCESCO: It is about 350 metric
7 tons.

8 MR. GABOR: Three fifty? Okay.

9 MR. MONNINGER: This is John Monninger.

10 Going back to Dave there, you were asking
11 about core spray and the timing and all, or the drywell
12 sprays. What that is important to the staff, as you
13 heard from the staff earlier, and you actually, I think,
14 heard EPRI mention that, it is not just vents or filtered
15 vents; you need water on the floor.

16 So, in going forward with our assessment,
17 it is not successful if one was to assume a filtered vent;
18 that is not enough. If you want to do something, you need
19 water on the floor also to prevent liner failure.

20 MR. DENNIG: It is less successful for a
21 shorter time.

22 MR. MONNINGER: It is less, yes.

23 MR. DENNIG: So, you will be successful
24 with nothing going on inside, cooling and removing heat,
25 with that filter and the vent open for a period of time,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 longer than it would be if you didn't have it open. But,
2 eventually, at some point, everybody's goal is to get
3 water into the drywell and then into the vessel, if it
4 is still intact.

5 And those things have always been important
6 in terms of protecting the liner from melt-through. The
7 more the liner is protected from melt-through, the more
8 benefit you get from a vent or a filtered vent.

9 MR. MONNINGER: So, we are sort of looking
10 at those in parallel. We had to assess for ourselves,
11 and I think where we are coming out, when you look at some
12 of the B.5.b and some of the guidance documents out there,
13 it talks about the need to provide flooding for the cavity
14 floor. So, you know, should that be our base-case
15 assumption, that there is water on the floor, when we look
16 at the filters or not? Or in our options should we be
17 potentially look at requiring both? Are we potentially
18 just looking at requiring a filter vent or are we
19 potentially looking at requiring a filter vent plus a
20 cavity-flooding system? Or do we assume that the
21 cavity-flooding system is already there from the B.5.b
22 stuff?

23 MR. DENNIG: The benefit of the cavity
24 flooding goes way, way back to the Core Performance
25 Improvement Program and IPEs. For MARK I's, getting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 water under the pedestal was a very beneficial action.
2 It was recommended to the licensees to implement. So,
3 it is an old -- I mean, it is not a new concept.

4 MR. LOCHBAUM: You find a new point for
5 putting 100,000 gallons under the cavities during
6 operation.

7 MR. WACHOWIAK: This is Rick again.

8 Could you show me on this one? I am having
9 a hard time reading your legend. The dotted line? The
10 lower one that is more black, it looks like it is more
11 black, that is Case 15?

12 MR. NOTAFRANCESCO: Right.

13 MR. WACHOWIAK: Okay. And then, the next
14 one up is like a purple on the screen, but it is apparently
15 brown, that one is --

16 MR. NOTAFRANCESCO: That is Case 14.

17 MR. WACHOWIAK: And that is 14?

18 Then, when we get to some of the other ones
19 that have the dotted lines, it is hard to tell which one
20 is which. So, point them out, so I can take my --

21 MR. BASU: Sure. Yes. I am color-blind.

22 MR. WACHOWIAK: Yes, it is just an artifact
23 of Excel plots.

24 MR. BASU: Yes. Okay.

25 MR. NOTAFRANCESCO: Okay, going to 15 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. FRETZ: Slide 15

2 MR. NOTAFRANCESCO: This is gas evolution
3 from core-concrete interaction. Even though there is
4 water on the floor, we still predict CCI gas evolution.
5 Okay?

6 MR. GABOR: Jeff Gabor.

7 So, I guess I had a couple of questions about
8 this. What are the assumptions on ingress of water
9 in the similar calculation that we showed to you guys,
10 when we initiated sprays or flooding at containment?
11 Based on the depth of the debris and ingress of water,
12 we were able to quench the debris within a fairly short
13 period of time. What assumptions go into your
14 calculations relative to debris core?

15 MR. BASU: So, if you look at, again, the
16 MELCOR model, the heat transfer from debris to the
17 overlying water pool is sort of approximated by a
18 simplified user-defined parameter, but that is based on
19 the study that we have conducted. And you are familiar
20 with some of the studies that actually EPRI coordinated.
21 And then, they follow on the MCCI-1 and MCCI-2 program.

22 It is not a mechanistic model in MELCOR.
23 Nevertheless, if you are familiar with the core-quench
24 code, it does take the heat transfer correlations from
25 the core-quench code and then simplifies it for MELCOR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 adaptation. So, you see the heat flux partitioning
2 between the overlying pool as well as the sidewall and
3 the basemat. That is fairly consistent with what we see
4 in the MCCI-1 and MCCI-2.

5 We are obviously not seeing the quenching
6 of debris as you are sort of modeling in the MAAP code.
7 That is why you see, even with the water on the floor,
8 some amount of CCI, and that is generating the hydrogen
9 and other non-condensables.

10 MR. GABOR: Is it also contributing to the
11 radionuclide release as well?

12 MR. BASU: Of course. Of course it will.
13 Anytime you generate CCI or you have CCI, it will have
14 the non-condensables as well as the radionuclide or
15 fission products coming out of the core-concrete
16 interaction.

17 MR. GABOR: Do you know approximately how
18 deep the debris bed is in the containment?

19 MR. BASU: How deep? You know, I can put
20 it on very quick. I have done all the calculations. It
21 is probably 40-centimeter-plus.

22 MR. GABOR: Forty-plus?

23 MR. BASU: Yes. And then, you start adding
24 concrete, remember, to that, as you are obtaining the
25 basemat.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. GABOR: With this continued
2 core-concrete attack, are there any subsequent
3 containment failures or challenges that you see
4 occurring?

5 MR. BASU: Not for the duration that we ran.
6 We are running some of the cases to even 72 hours. We
7 haven't seen anything. That is not to say that, if you
8 were to run this thing for multiple days -- remember,
9 also, as you are mixing more and more concrete into the
10 debris, it is slowing down the ablation rate. So, at the
11 end, you are going to get a very, very slow ablation.
12 That is why what we are showing here is 48 hours. If we
13 were to run this to 72 hours, you are going to see it is
14 kind of asymptotic. It is plateauing to some level.

15 MR. GABOR: Is there any relationship that
16 you see between your assumption on debris cooling and the
17 continued CCI and the movement of the debris and
18 potentially contacting the bottom of the shell? Do you
19 see those two being treated consistently in your
20 calculation?

21 I guess, more to the point, if you are
22 attacking concrete, you have got the surface
23 lubricating, would that change the assumption that you
24 made earlier in the analysis on how the melt might spread?

25 MR. BASU: How the spreading goes? Again,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the spreading model that is currently in MELCOR, it is
2 parametric in nature. So, you actually play with a
3 couple of things there. Solidus/liquidus is one of
4 them, and the debris height is another.

5 If you were to look into a more mechanistic
6 model where you consider the viscosity effect, the
7 inertia effect, yes, you are going to see some changes.
8 But I think those changes would be somewhat of a
9 second-order effect. I can't, unless we sort of
10 exercise that kind of a model -- and I don't know
11 whether -- no, I guess you weren't there -- we were
12 talking about DOE initiating a project or has initiated
13 a project whereby they will be looking at the melt spread
14 and core quench, so the implementation of that in MELCOR.
15 So, we will see at that point whether it makes any
16 significant difference.

17 MR. WACHOWIAK: Rick Wachowiak.

18 One of the questions I have with this on the
19 continued CCI, we are trying to figure out if your release
20 is being driven by a resupply of fission products from
21 the core material that continues to be hot in a plate,
22 the concrete, or if it is because the supply of
23 radioactive materials in the atmosphere is coming from
24 what is left behind in the vessel or whether it is from
25 reheating of other surfaces and things in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 containment.

2 So, do you have a breakdown of how
3 much -- this is from measuring the cesium group -- how
4 much of the cesium is in the core debris versus how much
5 of the cesium is in the core that is left in the vessel
6 versus how much of the cesium is on other surfaces?

7 MR. BASU: We have one, and Allen is
8 looking --

9 MR. NOTAFRANCESCO: Slide 15, just for one
10 case.

11 MR. WACHOWIAK: Okay. Yes, okay, that is
12 one of the things that prompted my question.

13 MR. BASU: So, you can see that in this
14 particular case -- this is Case 14, an example -- about
15 half of the initial core inventory in terms of cesium is
16 in a vent pipe.

17 MR. WACHOWIAK: Well, and that includes the
18 water also?

19 MR. BASU: Yes.

20 MR. WACHOWIAK: The water in the wetwell
21 is --

22 MR. BASU: Well, yes. In terms of liquid
23 contaminants, is that what you are referring to?

24 MR. WACHOWIAK: Well, the water itself has
25 trapped a whole bunch of the radioactive materials.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. BASU: Sure. True, yes.

2 MR. WACHOWIAK: So, probably the largest
3 fraction I would have expected to be in the wetwell water.

4 The light green line, is that --

5 MR. GABOR: Is that the lower RPV?

6 MR. BASU: Yes.

7 MR. WACHOWIAK: So, that is what it left
8 behind. Okay.

9 The dark blue is also stuff that is left
10 behind. Okay.

11 MR. BASU: You see, what is left behind,
12 which are actually all the lines at the bottom --

13 MR. WACHOWIAK: Except for the little
14 maroon one that has got that slight blip there.

15 MR. BASU: Yes.

16 MR. WACHOWIAK: So, what that is telling me
17 is not very much of the continued cesium can be coming
18 from the core debris itself. It is the gases begin
19 generated by the CCI that is helping drive other stuff
20 out?

21 MR. BASU: Sure.

22 MR. WACHOWIAK: Okay.

23 MR. BASU: But you are getting over 80
24 percent of cesium through either the lower RPV or in the
25 wetwell vent. So, you have 20 percent that stays, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 maybe about 10 percent in the core region.

2 MR. WACHOWIAK: Do you think that is
3 consistent amongst all of your cases, that kind of
4 distribution?

5 MR. BASU: Well, we are looking at a case
6 where about 80 percent is in the wetwell vent. So, you
7 know, it varies from case-to-case.

8 MR. WACHOWIAK: Okay.

9 MR. BASU: All right?

10 MR. LOCHBAUM: Because of the difficulty of
11 reading the charts, if it is not already there, could I
12 ask that the one that is in ADAMS be the color-coded
13 version?

14 MR. FRETZ: It will be colored.

15 MR. LOCHBAUM: Okay. Thank you.

16 MR. FRETZ: Yes, and full size.

17 MR. NOTAFRANCESCO: Okay. And besides the
18 hydrogen generation from CCI, here is the carbon monoxide
19 in kilogram-moles.

20 MR. DUBE: This is limestone-based
21 concrete and calcium carbonate? I am not sure, what was
22 that --

23 MR. BASU: I think this bottom concrete
24 type is LCS concrete type.

25 MR. DUBE: If it were basaltic, there would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 be lot less hydrogen, right? I mean carbon monoxide.
2 If it was basaltic-based concrete?

3 MR. BASU: There would be less carbon
4 monoxide.

5 MR. NOTAFRANCESCO: Okay. Next slide.

6 Slide 17 is the cesium release fraction.
7 It seems to be clustered, mostly on the bottom, in most
8 of the cases. The more extreme one is Case 2.

9 Okay. Do you want to jump to 19?

10 This one is just the sensitivity based on
11 spray actuation time versus cesium release fraction,
12 just to get a sense of the magnitude.

13 The next one --

14 MR. WACHOWIAK: This is Rick Wachowiak.

15 What spray was that? Was that core spray
16 or containment spray?

17 MR. NOTAFRANCESCO: This is containment
18 spray. Containment is 300 gpm.

19 MR. GABOR: I guess I am struggling with
20 these, the releases. These releases are all well below
21 a 10th of a percent, is that correct?

22 MR. BASU: Yes.

23 MR. GABOR: So, this is the total release
24 for scenarios with a wetwell vent and drywell sprays
25 being actuated only? Those two actions?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BASU: Yes.

2 MR. GABOR: And releases? And we are
3 getting better than 99.9 percent scrubbing or
4 efficiency?

5 MR. WACHOWIAK: Right. Because when you
6 describe the case that way, it sounds like it is Case 15.
7 When you go back to slide 17, Case 15 has almost --

8 MR. BASU: Fifteen is 24-hour drywell
9 spray.

10 MR. GABOR: Okay.

11 MR. BASU: So, for this sensitivity study,
12 we took that as the base case, if you will. Then, a
13 couple of other cases where we actually took the drywell
14 at eight hours instead of 24 hours, and also another case
15 where we actually took the drywell spray at 16 hours.

16 MR. WACHOWIAK: Yes. So, what we are
17 struggling with is in your case with spray at 24 hours,
18 which looks like Case 15, I think, the release here is --

19 MR. BASU: I will say Case 14. There is no
20 venting here.

21 MR. WACHOWIAK: There is no venting?

22 MR. BASU: No.

23 MR. WACHOWIAK: No venting?

24 MR. BASU: Correct.

25 MR. GABOR: Okay, but -- sorry, Rick --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: Thank you.

2 MR. GABOR: In your table, back at your
3 table that you provide for Case 14, you say that at 48
4 hours the cesium release was 1.12E-3. What we have been
5 struggling with is to synch that number up with what is
6 on this plot that you were just showing us.

7 MR. WACHOWIAK: This is showing 7.5E-4 from
8 this plot.

9 MR. BASU: Yes, with the number that we have
10 in it. So, what happened, when we ran the sensitivity
11 cases, we also had a couple of other minor, I would say
12 minor changes, that were made to the input deck. One of
13 those was that, instead of running 16 volume wetwell that
14 we partitioned to capture the localized thermal
15 gradient, and that was presuming a lot of complication
16 time, we looked at whether or not we can actually reduce
17 the 16 volume to fewer volumes. So, we had a couple of
18 cases with 4 volume and down to 2 volume. And then, we
19 actually compared the results of 16 volume to 2 volume
20 to 4 volume to see whether there was any significant
21 difference in the result.

22 When we were satisfied that in all these
23 accident progression there was no significant
24 difference, we ran the sensitivity cases with the 2
25 volume wetwell nodalization. That kind of changed some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of these numbers somewhat.

2 But, then, if you look at the magnitude
3 here, we are still talking about below .1 percent. And
4 so, I wouldn't really make too much out of these
5 differences between the actuation spray time, eight
6 hours, 16 hours, 24 hours, because they all were within
7 the range of on some of these that you have a prediction
8 of the fission --

9 MR. GABOR: I guess the conclusion we are
10 drawing from this is that, for those sensitivities, I
11 understand where you staggered the time that the sprays
12 came on, every one of these cases, again,
13 combined -- these are with a vent or not?

14 MR. BASU: No.

15 MR. GABOR: No vent?

16 MR. BASU: No vent.

17 MR. GABOR: So, even without a vent, just
18 with the sprays alone, all of these cases show a release
19 less than a 10th of a percent CsI or cesium?

20 MR. BASU: And then, if you say, all right,
21 my base case from the 16 volume was slightly above .1
22 percent, okay, yes, it is slightly above .1 percent.

23 If we work around sensitivity with the 16
24 volume cases, at the cost of added time, I think we would
25 probably see the same amount of spread.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. GABOR: Okay. Thanks. That helps a
2 lot.

3 MR. BASU: Sure.

4 MR. NOTAFRANCESCO: Next one. After that
5 one, the next one. There you go.

6 Okay. This is just a plot of sensitivity
7 of flow rates. Clearly, something around 300, so 300 and
8 above keeps it pretty flat.

9 Next.

10 MR. GABOR: Excuse me. And again, this is
11 a case without venting?

12 MR. NOTAFRANCESCO: Right. Case 14 --

13 MR. GABOR: Fourteen is just driving a
14 failure?

15 MR. NOTAFRANCESCO: That is correct.

16 MR. GABOR: Thanks.

17 MR. NOTAFRANCESCO: Drywell spray only.

18 MR. BASU: Drywell spray only.

19 MR. NOTAFRANCESCO: Next.

20 This is just a sensitivity of RCIC
21 operations. Again, it is an input that drives the
22 sequence. So, this reflected the hydrogen generation.
23 So, a 16-hour, which is later, since there is less decay
24 heat driving the system, it produced less hydrogen. So,
25 that was a reasonable trend.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Okay. The next one.

2 This is a collection of plots, which is Case
3 18, which had to do with, again, 16-hour RCIC operation,
4 but eight-hour drywell sprays, which will give you the
5 blue line. And you will see, without venting, you will
6 still pressurize, even with the sprays.

7 The red had to do with just opening the vent
8 and keeping it open. So, you will get that type of shape.

9 And the green case is a cycling assumption
10 based on 60 to 75 psia.

11 MR. LOCHBAUM: The 300 gpm is just a flat
12 input? Like it doesn't --

13 MR. NOTAFRANCESCO: Right. It is not
14 based on backpressure or anything.

15 MR. LOCHBAUM: Okay.

16 MR. NOTAFRANCESCO: It is just
17 straightforward.

18 Okay. The next slide.

19 Basically, the insights from our
20 calculations is that the presence of water is beneficial
21 in preventing liner melt-through. Besides scrubbing
22 fission product aerosols, it also reduced drywell
23 temperature.

24 Venting is needed to preclude potential
25 overpressurization failures, and wetwell venting is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 preferable. There is a need of a combination of venting
2 and spraying to preserve the containment integrity. If
3 you preserve the containment integrity, you will
4 probably reserve the reactor building.

5 Okay. And the follow-on is the MELCOR
6 calcs will generate the release estimates. Then, it
7 will go into the MACCS code and the regulatory analysis.
8 What we are going through now is trying to pick the
9 sequences that best represent a grouping for the
10 regulatory analysis.

11 Any other questions?

12 MR. WACHOWIAK: Yes, a couple more
13 questions. The drywell head leakage that you said
14 occurred at 80 psig, is that just 80 psig or is it
15 temperature-dependent?

16 MR. NOTAFRANCESCO: It was consistent with
17 the SOARCA stuff.

18 MR. WACHOWIAK: So, just pressure?

19 MR. NOTAFRANCESCO: Just pressure.

20 MR. WACHOWIAK: Okay. And do you remember
21 what the size of that vent was? How many square
22 centimeters or square --

23 MR. NOTAFRANCESCO: It would vary based on
24 the delta-p.

25 MR. WACHOWIAK: So, you changed the area

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 based on the delta-p?

2 MR. NOTAFRANCESCO: Right, but it levels
3 off to an equilibrium area. That is why it flattens off.

4 MR. WACHOWIAK: Okay. So, that is why
5 those cases that show that you essentially vent the
6 containment through the head all come to a constant
7 pressure after that, and it just stays at that pressure?
8 If you would run that longer, it would stay at that
9 pressure?

10 MR. BASU: Yes, it comes to a steady --

11 MR. NOTAFRANCESCO: Right. And you see
12 that profile in the Fukushima transients, too, Units 1
13 and 2.

14 MR. WACHOWIAK: Okay.

15 MR. LOCHBAUM: When RCIC was operating, for
16 whatever case and whatever the assumption was, was that
17 assumed a flat rate, the system design rate? I guess the
18 reason I ask the question is that we had heard that at
19 Fukushima they backed-down the RCIC flow substantially
20 below the design flow rate, as one of the ways to try to
21 get it to last as long as it did. So, if it is modeling
22 based on Fukushima, that aspect is --

23 MR. NOTAFRANCESCO: No, we were consistent
24 with the SOARCA.

25 MR. BASU: SOARCA study.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LOCHBAUM: So, it would have been
2 design RCIC flow rate, which was much, much higher than
3 apparently they actually did at Fukushima.

4 MR. WACHOWIAK: With the design flow rate,
5 though, you would end up filling, and you would have to
6 stop and let it boil down and let it go back. Because
7 the design flow rate out this timeframe is much, much,
8 much higher.

9 MR. NOTAFRANCESCO: Right. There has to
10 be some control. When the batteries are working, it is
11 controlled. When there is no control, it will fill up
12 and then it will supposedly go into the main steamlines
13 and affect it that way, by having more going into those
14 lines, the intake lines.

15 MR. GABOR: Jeff Gabor.

16 The demand is probably matching decay heat
17 at that time. So, a couple hundred gpm or something like
18 that.

19 Can I go back to a comment made about
20 Fukushima, though, how they backed the flow down? For
21 Unit 2, you have a reference for that? There is no
22 indication that they did any operator action in Unit 2.

23 MR. LOCHBAUM: The Japanese team, one of
24 the Japanese team members told --

25 MR. LYMAN: No, not for Unit 2.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. GABOR: Not for Unit 2?

2 MR. LYMAN: Unit 3, they used the test line
3 or something.

4 MR. WACHOWIAK: The test return line. It
5 is a way of doing flow control.

6 MR. GABOR: Okay.

7 MR. NOTAFRANCESCO: Okay. Any other
8 questions?

9 (No response.)

10 MR. FRETZ: We will take questions from the
11 floor.

12 Please identify yourself. Go to a
13 microphone.

14 MR. SOLMOS: This is Matt Solmos from
15 Westinghouse Electric.

16 Did you look at any early venting sequences?
17 You know, core failure before vessel failure for venting?

18 MR. NOTAFRANCESCO: No. No, we just used
19 60 pounds, the design.

20 MR. GABOR: Yes, Jeff Gabor at ERIN.

21 At the ACRS presentation, you showed us a
22 case that got our interest up relative to cycling and
23 controlling of the wetwell vent, active vent --

24 MR. NOTAFRANCESCO: You don't see it here,
25 do you?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. GABOR: We don't see it here.

2 (Laughter.)

3 Is there a reason for that? Or can we talk
4 about that case?

5 MR. NOTAFRANCESCO: Well, it should have
6 been run out longer.

7 MR. BASU: So, after the ACRS meeting, we
8 took a task to actually extend the runtime to 72 hours.
9 So, at some point in the future, we will be able to tell
10 you. But I don't have any indication that -- the gap that
11 you saw between the active venting and passive venting,
12 that may close somewhat, but I have no reason to believe,
13 based on physics or otherwise, that your passive venting
14 is going to give you -- not passive -- active venting is
15 going to give you significantly less release than the
16 passive venting. You are still generating the amount of
17 fission products, and that fission product has to go
18 somewhere. So, if you are not releasing it, where does
19 it stay in the circuit?

20 MR. WACHOWIAK: This is Rick Wachowiak.

21 That is where I think the main difference
22 between what we have done and what you are seeing, is that
23 in our cases, by the time you get out into the layer, you
24 know, 24 hours after the additional core melt, not 24 from
25 time zero, but from when the core has melted, our cases

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 are pretty much done generating additional aerosols and
2 putting them in the containment.

3 MR. BASU: Because you are quenching your
4 debris.

5 MR. WACHOWIAK: Well, but just like you are
6 seeing, there is no more cesium in that debris. So, even
7 though the debris is quenched or not quenched, that can't
8 be the source of the new material that is getting out.
9 So, what I am trying to figure out with your cases -- and
10 once again, because any strategy that we suggest needs
11 to be robust and cover all the uncertainties, I need to
12 understand why your cases continue to give you more
13 generated aerosols.

14 I am thinking, but I don't know because I
15 don't see the input, but it is looking like it is coming
16 from the vessel, and the amount of stuff that is left
17 behind in the vessel is continuing to generate --

18 MR. BASU: Some coming from the vessel,
19 but, also, in your case, when you quench the debris, when
20 you have water on top of it -- this is my assumption or
21 speculation -- that you are trapping cesium there in the
22 pool. You are not letting it be airborne or letting it
23 go out.

24 MR. WACHOWIAK: And I looked at that.

25 MR. BASU: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: And there is less than a
2 half-of-a-percent of the cesium left in the debris after
3 we have quenched it. So, it has all been gotten out and
4 airborne in our cases ahead of when the debris is
5 quenched.

6 MR. BASU: So, where are you putting that
7 cesium?

8 MR. WACHOWIAK: On the surfaces, in the
9 containment --

10 MR. BASU: So, it is depositing on the
11 surface.

12 MR. WACHOWIAK: Depositing in the
13 containment.

14 MR. BASU: Why would it deposit on the
15 surface?

16 MR. WACHOWIAK: The sprays.

17 MR. GABOR: Yes, the sprays, it would wash
18 out with the sprays. Gravitational settling.

19 MR. BASU: So, it is still active at that
20 point?

21 MR. WACHOWIAK: Yes.

22 MR. BASU: So, they do spray --

23 MR. WACHOWIAK: Well, at 72 hours in our
24 cases the whole containment is still filled with water.
25 So, there is not much space left for it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. DENNIG: Isn't one of the inputs into
2 the spray, you put in the mean droplet size? That is user
3 input?

4 MR. BASU: Droplet size is user input, yes.
5 And we haven't done any sensitivity on the droplet size,
6 but you have done it and you haven't seen really anything.

7 MR. WACHOWIAK: It is not a big difference.
8 What we really see is that the sprays are cooling off the
9 heat sinks in the drywell. And then, from condensation
10 onto the heat sinks, it is bringing the aerosols in and
11 depositing them on the heat sinks from that mechanism.

12 MR. BASU: Yes.

13 MR. WACHOWIAK: And if they are left inside
14 the core and being dribbled out, that would get a
15 different result and have more airborne for a longer
16 amount of time than what we are seeing.

17 MR. BASU: Yes.

18 MR. WACHOWIAK: We would like to understand
19 the difference.

20 MR. BASU: No, but you have seen the debris
21 mass ejected plot. In some cases, about 90 percent of
22 the mass was ejected. So, you have only about 10
23 percent, maybe 20 percent, still there that will produce
24 additional cesium, yes.

25 MR. WACHOWIAK: Right, but that is when I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 get back to your plot on page 18. The amount of cesium
2 that you have at 48 hours in the debris, the scale shows
3 it at -- you know, it is the maroon line after 36 hours.
4 There is almost nothing left in the debris. So, in your
5 case, after about 36.1 hours, you have already released
6 just about all the cesium that you have had in the debris
7 into the containment. And your source would then seem
8 to be, it is the light green line, the lower RPV.

9 MR. BASU: Uh-hum.

10 MR. WACHOWIAK: But it doesn't look like it
11 is changing very much. So, that is where I am still --

12 MR. BASU: No, but --

13 MR. WACHOWIAK: But it doesn't have to
14 change by very much on this scale in order to do these
15 things. So, I would just like to understand better where
16 your continued source of fission products is coming from.

17 MR. GABOR: This was important because,
18 again, at least -- Jeff Gabor -- in the ACRS presentation,
19 you showed with the cycling vent, the controlled vent
20 case, that each time the vent was cycled open, there was
21 a release. The release would just stair-step up to a
22 maximum -- I can pull it up here -- like 4 percent or 3
23 to 4 percent total.

24 And, of course, we have been studying those
25 and trying to figure out where that amount is coming from,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 where that cesium is actually coming from.

2 MR. BASU: Some of that -- I don't have the
3 exact fraction -- some of that is coming from the debris
4 that was held up in the pressure vessel.

5 MR. WACHOWIAK: Because some of what we are
6 seeing with that case is that the first few stair steps
7 kind of do the same sort of thing that yours does, but
8 it is still well below .1 percent when you get there.
9 But, then, we get to the point where the drywell pressure
10 is low enough that you don't actually have to cycle the
11 vent the next time for several days. And by the time you
12 get to that next vent several days later, everything is
13 settled out. The steam cooling in the drywell has cooled
14 what we had left behind in the lower head, and I don't
15 know if yours had actually cooled there. So, maybe we
16 need to see the temperatures of that debris in the
17 different locations to see what is going on with those.

18 But it is pretty calm by then. In our
19 cases, it doesn't really matter what happens with the
20 drywell vent or the wetwell vent out at that point because
21 over those first couple of days everything is finally
22 settled out, and everything is cooled down enough that
23 we are not seeing the continued large stair-step. They
24 are just teeny, tiny mouse-size stair-steps. And we
25 don't ever get up over .1 percent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. GABOR: Yes, and when we reviewed your
2 results presented at the ACRS Committee, and we have done
3 some comparisons because, as you know, our scenarios
4 didn't line up completely with yours. We have actually
5 gone back and done those comparisons. We find out that
6 we are in pretty close agreement with most of your
7 releases and most of your conclusions, with the exception
8 of that cycling case. So, that is why we have really
9 focused some attention on that.

10 As Rick said, in our scenarios we do end up
11 with some fraction of the cesium in the RCS, in the
12 reactor vessel, plated on surfaces. But by operating
13 the sprays, we tend to see that the temperatures, even
14 inside the vessel, are maintained, because of the cold
15 drywell, are maintained low enough that that source term
16 doesn't re-enter, and we don't see that release. So, the
17 fact that you kept releasing was really the only major
18 departure between your analysis and ours.

19 MR. BASU: And that is the difference in the
20 modeling between MELCOR and MAAP.

21 MR. WACHOWIAK: Yes. So, that is one of
22 the things that would help us out, is if we could
23 understand why that is, and then address sensitivity or
24 uncertainty cases to see if it just an inherent
25 difference between the two codes that is going to get us

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 there. Or is it some input value that you are using that
2 we are using something different? I don't understand
3 enough yet to know why we are getting such different
4 results on those cases only. Because the other cases
5 that we do, we are very consistent with the kind of
6 releases that you are getting.

7 MR. BASU: Yes. And I agree. We probably
8 ought to examine the input as well as the models. But,
9 those aside, just from the fundamental standpoint,
10 unless what you just explained, that your spray is
11 washing your fission products and depositing on the
12 surfaces, and those are staying on the surfaces, not
13 letting it leave, I see no reason why in the cycle venting
14 you will not be releasing -- let me put it another
15 way -- you will be releasing significantly less fission
16 products than in the so-called passive-venting case.

17 MR. WACHOWIAK: And the reason why it looks
18 to us like we do get significant amount of different, less
19 release, is because in the times when the vent is closed,
20 a significant portion of the aerosols settle out of the
21 atmosphere. So that when the vent is opened the next
22 time, there is less to vent out.

23 MR. BASU: Yes, yes.

24 MR. WACHOWIAK: So, it is the continuous
25 supply, I think, that might be --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BASU: So, your vent cycling, remind
2 us, I think the cycle frequency or duration is a few
3 minutes?

4 MR. WACHOWIAK: Initially.

5 MR. BASU: Initially?

6 MR. WACHOWIAK: Initially. Then, it is
7 hours later.

8 MR. BASU: Later probably, but, initially,
9 a few minutes, right?

10 MR. WACHOWIAK: Yes.

11 MR. BASU: And the characteristic settling
12 time, if you will, for aerosols, do you agree we settle
13 all these aerosols in that --

14 MR. WACHOWIAK: That is why I say, in our
15 cases where we are doing it, the first few stair steps
16 that we see are very consistent with your stair steps --

17 MR. BASU: Okay.

18 MR. WACHOWIAK: -- if we keep the CCI going
19 and continue to drive things. But we are very consistent
20 with your first few stair steps. But, then, as ours get
21 longer and longer apart, that is where we depart there.
22 Right now, we are kind of grabbing at -- because we don't
23 have enough information -- we are grabbing at why the
24 differences are.

25 I see that the reason that our stair steps

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 get smaller is because we are in the settling-out phase
2 and we are not resupply the atmosphere with new aerosols.

3 MR. BASU: And none from CCI, either.

4 MR. WACHOWIAK: That's right. But, even
5 if we had CCI, if we look at what is available in the
6 debris to be released during the CCI, that is still not
7 enough to give the effect that you are seeing.

8 MR. BASU: Okay.

9 MR. WACHOWIAK: There is not 10 to the minus
10 2 --

11 MR. DENNIG: The bottom line is that you can
12 get really different results, depending on the code and
13 the model and the assumptions and all these kinds of
14 things, right?

15 MR. GABOR: Bob, I guess I am not sure I
16 would agree with that. I mean, I think what we are saying
17 is that, even with different codes and some different
18 results, we are pretty much in alignment with the
19 exception of this late-release case.

20 In fact, I was just going to follow up on
21 Rick. As you saw in our calculations, we ran them out
22 to 72 and in some cases, like I ran cases to 120 hours.
23 By going to that duration -- and I think we were at 500
24 gpm; you were at 300 -- we get to a point where we have
25 to isolate, per the SAMGs, we have to isolate the wetwell

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 vent. And then, the next time we get the pressure to 60
2 pounds or when it repressurizes, we have to utilize the
3 drywell vent.

4 So, now we are opening a vent that doesn't
5 have the benefit of a suppression pool scrubbing of any
6 kind. In fact, if you look -- and we provided those
7 plots -- for the release that goes through the drywell
8 vent, it was small. The numbers were in the
9 10-to-the-minus-4, 10-to-the-minus-5 range.

10 And it is for the reason that Rick is
11 pointing out. It is those cycles are occurring as such
12 a prolonged, extended period of time. By the time you
13 get to the need for the drywell vent, you have settled
14 out the majority of the cesium at that point.

15 So, everybody talks about going to a drywell
16 vent as being a bad thing because it is unscrubbed. Our
17 calculations don't bear that out. Because by the time
18 you need that drywell vent, you have already scrubbed.

19 Again, we are talking about cases where we
20 have got sprays functioning and we are scrubbing the
21 atmosphere.

22 MR. VIJAYKUMAR: In MELCOR, it doesn't mean
23 that it is scrubbed; it means it stays in the water. It
24 can be up again once it settles down. If it gets hot
25 enough again, it can leap up again.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Now with scrubbing with wetwell sprays,
2 wetwell is the pressure is like around 80 psig's; the
3 water temperature is like 350 degrees Fahrenheit maybe.
4 It is hot. When it comes down, it settles on the surface,
5 comes to the bottom pool, right at the wall break again,
6 and the cesium goes back again.

7 MR. GABOR: At 300 degrees, the cesium
8 is --

9 MR. VIJAYKUMAR: At 80 psig, I don't know,
10 maybe like 400-450 degrees Fahrenheit, it comes down,
11 right? But water evaporates again once it comes down on
12 this. The water comes down, right, on the floor?

13 MR. GABOR: But I don't understand. The
14 water is evaporating --

15 MR. VIJAYKUMAR: No, I am talking about the
16 drywell floor.

17 MR. GABOR: Which the floor is covered with
18 water.

19 MR. VIJAYKUMAR: But there is debris below
20 it. Then, it transfers some heat for the debris. The
21 debris transfers some heat to the water, boils out the
22 water, right? You saw the drywell is getting hot and
23 failing. The minute that water is evaporated, cesium is
24 released again.

25 MR. GABOR: Based on a cesium-iodide or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 cesium --

2 MR. VIJAYKUMAR: I don't know what the
3 chemical form is, cesium-iodide, cesium hydroxide,
4 iodine. I don't know what the chemicals form in this
5 particular case. But the minute the water is gone, the
6 cesium hydrogen and cesium hydroxide I believe is back
7 in here again.

8 MR. GABOR: We would like to understand
9 that because that --

10 MR. WACHOWIAK: The water shouldn't be gone
11 at that point. It should still be a pool of water over
12 the top of the debris.

13 MR. VIJAYKUMAR: No, you can see the
14 drywell liner melting through. I don't think there is
15 water on the drywell liner floor.

16 MR. WACHOWIAK: Yes, that is not -- the case
17 here is the case with spray. I don't think the case with
18 spray you fail the drywell liner.

19 MR. BASU: Randy Summers is here from
20 Sandia.

21 Do you want to actually address the cesium
22 hydroxide?

23 MR. SUMMERS: Permission to approach the
24 bench.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I think a lot of the signature I am seeing
2 in there looks like revaporization off of surfaces,
3 moving from hot surfaces to colder surfaces.

4 The discussion here is about forms of cesium
5 iodine that bond with --

6 MR. VIJAYKUMAR: No, no. On that very
7 point, bring it back and just explain why it is going back
8 into the moisture again. I am sorry for bringing
9 chemical form up.

10 MR. SUMMERS: Yes, I am a little cold
11 because I just walked in, but I thought maybe what I was
12 hearing in some of this discussion was possibly, when you
13 drop the overpressure in the containment, that some of
14 these surfaces are hot enough that when you lower the
15 pressure, you actually get a little more vaporization off
16 of the surface. I think that may be something we saw.

17 MR. WACHOWIAK: But with containment
18 sprays operating, your surface temperatures are still up
19 high enough to do that?

20 MR. SUMMERS: If you are in the vessel.

21 MR. GABOR: So, in the vessel you are
22 talking about?

23 MR. SUMMERS: Yes.

24 MR. GABOR: Okay.

25 MR. SUMMERS: That is what I am talking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about.

2 MR. GABOR: Yes, that is what our suspicion
3 was, that this was coming from movement and
4 revaporization in the RPV.

5 MR. SUMMERS: I mean, the signatures in
6 this, these plots we are looking at here, you are seeing
7 cesium jump off of one surface and move downstream and
8 deposit on another surface. You can kind of see the
9 complementary shape of those curves.

10 MR. MONNINGER: One thing to throw in, I
11 know this is a lot of good discussion on the fission
12 products, and we did listen to your guys' presentation
13 back in August. I mean, the notion with regard to active
14 venting and operator actions and procedures and
15 instrumentation, et cetera, you know, I think there is
16 a lot of uncertainty there. I think there would be,
17 there is significant concern whether that would be a
18 success path or not.

19 So, even if you were to come in and to say,
20 "We believe controlled venting significantly decreases
21 the source term," you have got the other part of the
22 problem as to how are you going to demonstrate that that
23 controlled venting is going to work? I mean, right now,
24 it is a bunch of analyses, but there hasn't been any
25 discussion at all with regard to how that would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 potentially work.

2 So, I hear you trying to go after the fission
3 product, but right now I don't think there is a level of
4 comfort that that would be, with operator actions and we
5 are talking every --

6 MR. GABOR: I understand your comment. If
7 I could ask you to go back to slide 19, would you put 19
8 back up?

9 MR. MONNINGER: I mean, you know, our
10 recommendation is in the works. And I hear you.

11 MR. WACHOWIAK: And that is kind of what I
12 think we are trying to get at here. In order to
13 demonstrate to you that the cycled venting strategy can
14 work with operator actions, we have to understand why it
15 works or in cases why it doesn't work. So, that is kind
16 of what we are trying to get at here.

17 Before we come to you and say, "This is what
18 you have to do" or "This is what we think you have to do" --

19 MR. MONNINGER: You want proof of science.

20 MR. WACHOWIAK: We want to make sure that
21 it is robust, and that we have considered the
22 alternatives that could change it from being okay to not
23 being okay. We need to understand why things make that
24 transition.

25 MR. MONNINGER: And even if that can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 potential be proven, that doesn't necessarily mean it is
2 still a success path, though.

3 MR. GABOR: One of the gentlemen on the
4 phone this morning, I thought he was going to take us down
5 the path. He was talking about a relief valve or a valve
6 design that sounded to me like he was going to describe
7 an SRV or something like that.

8 In our calculations -- I think we talked
9 about this on the 8th -- we actually looked at them a
10 couple of ways. In controlled venting, we assume that
11 we have that relief valve. So, it didn't require any
12 operator action. It would open and close based on a dead
13 band.

14 The reason we did that is because our
15 initial calculations we did showed that early on, in
16 order to maintain the pressure between 40 and 60 required
17 operator actions that may not be as feasible, like you
18 are talking about would require, too.

19 And then, we looked at an intermediate case
20 where we said, okay, let's give an operator five minutes;
21 won't do anything; won't open, won't close inside of a
22 five-minute time period. And we looked at that
23 sensitivity as well. So, I think there are options to
24 achieve -- I call that a passive option -- to achieve a
25 controlled vent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 But what I wanted to talk about on this
2 slide, I think this, to me, is a significant slide.
3 Because, if you remember on the 8th, when we talked about
4 our results, we tried to get our hands around what would
5 we consider a viable strategy. We all kind of homed-in.
6 And I heard a similar discussion this morning with the
7 gentleman sitting here. Based on what has been done in
8 Europe and what people seem to be thinking about, it is
9 something in the range of an overall decontamination of
10 1,000 or 99.9 percent efficiency might be a possible
11 target. That will be up to you to determine.

12 But, given that -- and I look at these cases
13 right here -- these all are within that boundary, right?
14 These all result in cases that achieve an overall
15 decontamination greater than 1,000.

16 MR. MONNINGER: And you have heard
17 different views on suppression pool scrubbing, too.

18 MR. GABOR: So, let me carry on. These
19 cases that were presented right here --

20 MR. MONNINGER: Right.

21 MR. GABOR: -- my understanding, that these
22 cases are without a vent. Without a vent, these are
23 cases where --

24 MR. MONNINGER: So, this is drywell head --

25 MR. GABOR: Right, I am using my drywell

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 head effectively as a relief valve to maintain pressure.
2 So, this is with the drywell head releasing without being
3 scrubbed, zero scrubbing.

4 And every one of these meets all the
5 viability criteria of 1,000. I have to assume, I clearly
6 have to say that, if I now take this case, which
7 has -- granted it has sprays, 300 gpm -- if I now add
8 wetwell venting on top of this, it has got to get better.
9 We would contend that wetwell venting with cycling would
10 make it even better. There is some debate about that,
11 depending on debris cooling. But I have to look at these
12 and say these show a viable strategy by just spraying the
13 drywell.

14 MR. DENNIG: Right. But when you say
15 "viable," how long are we from proof-of-concept to doing,
16 to getting place, knowing the procedures, assuming that
17 the human error stuff isn't a problem, from
18 proof-of-concept, which we think is what you are trying
19 to do? It is, potentially, we can do this. From there
20 to implementation and demonstration of performance, what
21 kind of timeframe is that?

22 MR. GABOR: Well, I guess you are talking
23 about operator action timing or --

24 MR. DENNIG: I am talking about taking your
25 concept --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. GABOR: And make it happen?

2 MR. DENNIG: -- assuming for the moment
3 that it does give you enough, under certain
4 circumstances, and getting that downstream to a plant and
5 demonstrating for a plant that that is going to work, how
6 long does that take?

7 MR. GABOR: This current strategy exists in
8 our BWR SAMGs today. This strategy is there, to spray
9 the drywell with any form of alternate injection or
10 alternate source of water. If you go to the SAMGs, this
11 is a clear step in our current procedures.

12 Now you might ask the question about the
13 reliability of the system to provide that. That is a
14 good question. We believe that systems like the FLEX
15 pumps provide that reliable source.

16 But I guess you are taking me in a little
17 different direction. But, just given the technical
18 aspects of it, this at least shows me that there is a
19 viable strategy if you take our definition of viable,
20 meaning an overall DF of about 1,000. This demonstrates
21 that there is a viable strategy by just simply spraying
22 the drywell.

23 And I contend -- and I don't think anybody
24 in here would disagree -- that if I add to that any amount
25 of scrubbing in the wetwell by utilizing a wetwell vent,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 it can only get better than 1,000.

2 MR. BASU: So, what I will say to that is
3 we should really see what the signature looks like at 72
4 hours, at 120 hours, and so on. This one is up to 48
5 hours. And we are trying to come to a conclusion based
6 on the trend that we see up to 48 hours. There is nothing
7 that tells me a priori that you are not going to see
8 another jump in this temp as you extend your calculations
9 to 72 hours. So, this could very well go above one-tenth
10 of 1 percent. And so, this target of 1,000 that you are
11 referring to, this will no longer be a valid argument I
12 think at that point. So, this I think we should really
13 see what it looks like beyond 48 hours.

14 MR. LOCHBAUM: If I could speak to that
15 point also, that is within the second phase from the NRC's
16 order earlier this year to provide seamless power
17 supplies for phases in permanently-installed equipment.
18 The second phase is equipment that is onsite that can be
19 manually put in place and activated. And the third phase
20 is stuff from offsite.

21 Forty-eight hours is still within phase 2.
22 So, the equipment there under FLEX, which is intended to
23 prevent core damage, obviously failed, or this wouldn't
24 even in vote. So, the equipment that didn't work and
25 lead to core damages now somehow magically healed and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 will come back in and provide us this great
2 decontamination factor?

3 That goes back to the confidence level I
4 mentioned earlier this morning. It didn't work. That
5 is why we are in this boat. So, we are in that boat; we
6 don't have this magic 99.-whatever-it-is percent. With
7 broken equipment, you are not going to get there.

8 MR. MONNINGER: And that is a good
9 discussion because the thought is you need some water on
10 the floor, on the cavity, to prevent liner melt-through
11 and maybe the filter vent.

12 PARTICIPANT: Who is talking?

13 MR. MONNINGER: This is John Monninger from
14 the staff.

15 PARTICIPANT: Yes, I am confused when I
16 hear people talk about "yours" and "ours". Is EPRI
17 giving a pitch?

18 MR. FRETZ: We basically need to identify
19 ourselves.

20 MR. MONNINGER: Yes. So, this is John
21 Monninger with the staff, and Dave Lochbaum from UCS
22 asked questions with regard to the NRC's analysis giving
23 credit for sprays and is that industry's proposed FLEX
24 equipment or not, and if it didn't prevent the core
25 damage, why are you giving it credit for the sprays.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 PARTICIPANT: So, EPRI is not there?

2 MR. MONNINGER: Yes, they are here, too.

3 PARTICIPANT: I mean "yours" and "ours" and
4 when they talk about "we," "viable strategy," who is -- I
5 don't think that the NRC talking.

6 MR. WACHOWIAK: This is Rick Wachowiak from
7 EPRI.

8 In our presentation that we made for the
9 staff a few weeks ago, we introduced the concept of what
10 we called a viable strategy for reducing the release down
11 below .1 percent or a decontamination factor of greater
12 than 1,000.

13 PARTICIPANT: Okay. So, you are one of the
14 speakers today?

15 MR. WACHOWIAK: Yes, I am.

16 PARTICIPANT: Okay. That leaves me with
17 my final remark, with no further remarks from me. If
18 there are any Memoranda of Understandings between EPRI
19 and the NRC relative to these matters, I would like to
20 see those in the transcript.

21 End of comment. Now I am off.

22 MR. WACHOWIAK: This is Rick Wachowiak.

23 As far as I know, right now, we are not
24 working on this project under any Memorandum of
25 Understanding. It is independent research that EPRI is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 doing and what NRC research is doing.

2 MR. GABOR: So, we are here in the same
3 capacity as the rest of the people from the public.

4 MR. MONNINGER: So, Bob, this is what we
5 call a Category 2 meeting, where the NRC meets with
6 various stakeholders. We have a big round table. NRC
7 staff is presenting, but we have also invited UCS, Public
8 Citizen, Beyond Nuclear, EPRI, ERIN Engineering,
9 Westinghouse, anyone else who wants to come up at the
10 table and ask the NRC staff about our calculations.

11 Does that make sense?

12 (No response.)

13 All right. So, Dave, going back, that is
14 one of our debates internally with water on the floor.
15 So, you give credit or you don't give credit for the FLEX.
16 So, then, we come in with a potential recommendation, not
17 knowing which way the staff would go. We would have to
18 look at, again, all right, so let's require again a
19 cavity-flooding system. So, that third system or fourth
20 system or fifth system that we are going to require, what
21 is going to make that system there?

22 So, you know, it is difficult. Whether you
23 say the FLEX equipment is there -- so assume it is not
24 there. If we come up with a potential recommendation to
25 add another flooding system, well, why would that one,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 then, magically be there where the FLEX is versus the
2 other?

3 MR. LYMAN: Oh, but I think Dave is asking
4 a more fundamental point. That is, are you running, when
5 you talk about these things in the abstract, are you going
6 to run a scenario from beginning to end, with all the
7 potential failure paths? So, that is a legitimate
8 question.

9 The assumption here must be that the FLEX
10 equipment somehow did not prevent core damage; yet, it
11 is available to be able to mitigate fission products
12 release. So, what is the scenario that would lead to
13 that potential?

14 MR. MONNINGER: So, the Case 2 would be no
15 FLEX equipment or B.5.b equipment. It is just the RCIC,
16 would the Case 2.

17 MR. LYMAN: Right, right.

18 MR. MONNINGER: Then, it is not in here, but
19 there this short-term station blackout, which I forget
20 the actual number.

21 MR. LOCHBAUM: Toward that end, can I ask
22 a question about slide 10, the example matrix and the
23 various cases? Would it be fair to draw from that, that
24 acceptance criteria for the option that is ultimately
25 derived would be the next-to-the-last-two rows, that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 don't have drywell pressure exceed the point where it
2 leaks through the drywell head flange, whatever that
3 pressure is? And you also don't have drywell
4 melt-through? So, both? If whatever you have got leads
5 to both of those outcomes, you prevent leakage and you
6 prevent melt-through, then you have had some success?

7 MR. MONNINGER: That could be an acceptance
8 criteria.

9 MR. LOCHBAUM: So, that would show that you
10 need both some kind of spray plus vents. You can't get
11 there without both.

12 MR. BASU: Right. And I think if you go to
13 the second-to-the-last slide --

14 MR. DENNIG: And that is generally where
15 everybody comes out as far as the severe accident
16 management strategies are.

17 MR. MONNINGER: The Europeans' industry --

18 MR. DENNIG: It is the reliable supply of
19 water post-core-damage. In Europe, it is filtered
20 venting.

21 MR. MONNINGER: And water.

22 MR. DENNIG: And water. And those are
23 pretty much the elements.

24 MR. LOCHBAUM: Didn't Fukushima have SAMGs
25 like that on March 10th of last year? I mean, they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 participated at the SAMG meetings in 2009.

2 MR. MONNINGER: You know, SAMGs, I am not
3 sure if they are -- I don't know whether they did or not.

4 MR. LYMAN: So, just backing up, the
5 dilemma or the fundamental issue here with regard to
6 filtering vents is that, if you don't also prevent
7 drywell melt-through, then filtering vents is --

8 MR. MONNINGER: Marginal.

9 MR. LYMAN: -- is marginal because the
10 drywell melt-through release would be -- what? -- 10
11 times more than --

12 MR. DENNIG: Basically, if your recovery
13 activities are unsuccessful, the vent filter by itself
14 isn't going to take care of business. Eventually,
15 somehow you are going to have become successful in
16 arresting the core damage sequence at some point.

17 MR. MONNINGER: Cooling the debris in the
18 cavity.

19 MR. LYMAN: All right. But marginal, you
20 know, that is what we haven't seen yet. Or is it in here
21 and I just didn't see it?

22 MR. WACHOWIAK: This is Rick Wachowiak from
23 EPRI.

24 I don't think you see it in this
25 presentation. But if you take a look at the presentation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that we made a couple of weeks ago, about half goes
2 through the vent and about half goes through the liner
3 failure.

4 MR. LYMAN: So, it is not marginal if you
5 can at least --

6 MR. WACHOWIAK: But it still only got to a
7 DF of 20, so a .05 release.

8 MR. LYMAN: Right, but what is your
9 assumption for the DF of the filtered vent?

10 MR. WACHOWIAK: Infinite.

11 MR. DENNIG: So, if you bypass the liner,
12 you don't get much out of the vent. I mean, I think we
13 understand that. And the question is, okay, to what
14 extent do you know that you are not going to get liner
15 melt-through or you are going to get it? And how do the
16 rest of your strategies line up? And what are you trying
17 to accomplish? I think we are trying to accomplish not
18 having liner melt-through. So, I think that is a
19 consideration.

20 MR. LYMAN: And my last question: so, you
21 don't necessarily need to vent to be able to flood the
22 well?

23 MR. DENNIG: At some point, depending on
24 the pump, the pumping you are trying to use, yes. Yes,
25 that becomes an issue. Pressurization becomes an issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. LYMAN: Right. So, in that case, you
2 are going to need to vent. So, you have core damage. You
3 may need to vent to be able to get to flooding the drywell,
4 in which case why not have a filter or you should have
5 a filter on the vent anyway. If you don't, then you are
6 going to have an unfiltered release, just to be able to
7 prevent the drywell melt --

8 MR. DENNIG: Yes, that is part of the
9 equation.

10 MR. LYMAN: Right.

11 MR. KRAFT: May I? This is Steve Kraft in
12 the audience.

13 So, Dr. Lyman, let me just understand your
14 logic for a second. Because you and Dave Lochbaum have
15 raised a number of -- we began debating several months
16 ago. So, if I have the need to provide a
17 300-500-gallon-per-minute, let's call it an enhanced
18 FLEX pump in order to handle this non-mechanistic
19 question, okay, why have any core on the floor? And to
20 do that, I have got to say, wait a minute, I already have
21 a 300-gallon-per-minute FLEX pump that somehow didn't
22 answer the mail.

23 And the question you are asking is, what is
24 the scenario that gets me from A to B that makes that all
25 work? Have I got that right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So, if I take your logic a little bit
2 further, doesn't that suggest to you that the true
3 solution to the problem is making sure FLEX works, and
4 not all this other stuff, which just so much
5 defense-in-depth beyond that?

6 MR. LYMAN: Well, on the other hand, you
7 can't provide 100 percent assurance FLEX is going to
8 work. So, then, you are going to be left with your active
9 ability to deal with the crisis is hampered. So, at
10 least having a filter on the vent will give you at least
11 some capability of filtering some release that doesn't
12 depend on an active system. Now it may be marginal; it
13 may not be. But, I mean, it is hard to argue that it would
14 provide some additional protection in some scenarios.

15 MR. KRAFT: So, it is hard to argue
16 100-percent success with FLEX, and I guess I wouldn't try
17 to argue that. Then, we are talking about what marginal
18 success do we have. And then, you are talking about the
19 need for, well, let's do something at the end of the vent
20 pipe, which we now all seem to agree doesn't give that
21 much if you can't quench the core floor, which you can't
22 do if FLEX didn't work. And therefore, by your logic,
23 this other stuff doesn't work.

24 So, now I have got core on the floor that
25 is melting through the liner and CCI and all the other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 bad stuff. So, wouldn't it all make sense that, if the
2 NRC is going to require that we do something else, that
3 the something else happens much earlier in the sequence
4 to improve the reliability of our ability to deal with
5 the accident in the first place? That is kind of the
6 logic that I am getting --

7 MR. LYMAN: Yes, but we aren't talking
8 about defense-in-depth.

9 MR. LOCHBAUM: I have got a couple of
10 points. One is, when FLEX was first proposed, the first
11 time we heard it, December of last year, the industry said
12 that the assumption of FLEX was no core damage. It is
13 successful. And as a result of that, some of the
14 connection points for FLEX equipment is inside the
15 reactor building and elsewhere.

16 If you have core damage, your ability to
17 make those connection points is much less likely --

18 MR. KRAFT: Dave, you made that point in
19 this room early on, and we listened and we changed it.

20 MR. LOCHBAUM: Okay.

21 MR. KRAFT: We are finding alternate
22 connections for FLEX, aren't we? Am I right about that?
23 Plants are looking into that. People are mindful of what
24 happens when there is core damage.

25 And as you know from your knowledge of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 plants, it makes it more difficult because there are
2 certain places you can't go.

3 MR. LOCHBAUM: Right.

4 MR. KRAFT: Yes. So, I think that I am
5 reading what is going on in the industry correctly; I
6 think we are doing it.

7 MR. LOCHBAUM: What if it is preferred but
8 not required?

9 MR. KRAFT: I will go back and look. I will
10 go back and look at that. That guidance came out a couple
11 of weeks ago. I will go back and understand it.

12 MR. LOCHBAUM: I hope that is the case, and
13 I will look for that, because I don't want to continue
14 saying something that is obsolete, or whatever. So, I
15 will look for that.

16 The second point, though, is I am a little
17 concerned that the discussions today are eerily similar
18 to the large-break LOCA concerns that pre-dated Three
19 Mile Island, where it was thought that as long as you
20 handled the worst-case double-ended guillotine break,
21 that everything else would automatically be fixed and
22 subsumed by that.

23 So, if you get a, quote,
24 "beyond-design-basis event," where there is fuel damage,
25 but not a lot of it now sitting on the floor, will this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 cover that as well? I am convinced that it is the case.
2 I am not convinced that the only time you have to worry
3 about it is when you have core on the floor plus perhaps
4 the need for some venting.

5 MR. KRAFT: So, again, I think I agree with
6 you on Three Mile Island. What we learned from Three
7 Mile Island, along with a lot of other things, about
8 emergency planning and everything else, was that relying
9 on your knowledge of the double-ended guillotine
10 break -- and really Three Mile Island was, in reality,
11 a small-break LOCA, right? So, we learned that lesson;
12 we learned a lot of other lessons.

13 This drives me into thinking about, okay,
14 following the logic chain here, what do you put at the
15 end of the pipe to cut off what might be some last
16 something you have to deal with? Because it seems to me
17 that what we have done -- I mean, okay, you don't want
18 to accept 100-percent FLEX, but you accept a certain
19 percentage of FLEX probability?

20 MR. LOCHBAUM: Sure.

21 MR. KRAFT: Well, thanks. Well, in that
22 case, we don't have to have this conversation.

23 (Laughter.)

24 MR. LOCHBAUM: I will accept zero; we can
25 discuss more than that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. KRAFT: But if the work that we have
2 done, that ERIN has done, in looking at the Tier 1 of
3 activities -- and I don't know that we have a hard number
4 to point to -- but we have reduced core damage frequency
5 again by instituting all of those changes.

6 So, if you look at it in some rough notion
7 of probability space, the chances of all these bad things
8 happening are getting smaller and smaller and smaller
9 every time we learn something new.

10 So, then, the question comes -- and I don't
11 have in my mind how I do all this logic here -- but it
12 seems to me, at the end of the day, there may be some small
13 thing to do that would maybe cut off that last little bit
14 of release. Whatever it is, I don't think we have
15 identified that.

16 But you can't discount all this other stuff
17 that contributed to cutting off the release. I mean, I
18 don't know how you say that -- if you are going to say
19 FLEX didn't work, and then forever and a day I can't put
20 water on the floor, that is a very different scenario than
21 getting water on the floor somehow.

22 MR. WACHOWIAK: Rick Wachowiak from EPRI.

23 One of the things, before we get into all
24 of this, that we are trying to do, and one of the reasons
25 why we had this meeting, at least in my mind why I wanted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to have this meeting, is to address just the things that
2 you are talking about.

3 We did -- "we," EPRI, for those not in the
4 room -- we did look at the containment failure modes other
5 than the drywell liner melt-through that could manifest
6 themselves either with core on the floor or the core not
7 on the floor.

8 And one of our objectives of the analysis
9 is to make sure that any strategy that we call viable is
10 still viable under the conditions that may not be exactly
11 the same as what our base case is. So, we thought we had
12 those bounded in the set of analyses that we did.

13 So, now we see the analysis that Research
14 is doing, and in some cases it has a little bit of a
15 different flavor. We are trying to understand that
16 difference. So that, if it is really because more of the
17 core is left behind in the vessel and the strategy that
18 we propose doesn't address the core that is left behind
19 in the vessel, then maybe we have to regroup and look for
20 something that is different to address it.

21 So, those are the kinds of things that we
22 are actually trying to do, is make sure that, whatever
23 strategies we come up with and say they are viable, they
24 are robustly viable under the conditions that we would
25 reasonably expect, not just the worst-case.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And in a follow-on to that, one of the things
2 we didn't hear much about here -- maybe it is in the next
3 October presentation -- and there wasn't much about it
4 in our presentation last month, is the performance of the
5 filter itself, if we are going to do that. And right now,
6 I will make it as an actual question. Is that going to
7 be part of the discussion in October?

8 MR. BASU: John, maybe you can answer that.

9 I was just going to point to one of the
10 slides that we said about the following activities that
11 you are going to hear in October, that stuff about the
12 consequence calculations. We going to do that filter.
13 So, you will obviously hear some discussion on the filter
14 in that regard.

15 John?

16 MR. MONNINGER: Yes, I think, as we
17 complete some of the work, like this MELCOR analysis, we
18 want to engage the various stakeholders, get feedback,
19 et cetera. And some of the next pieces would be the
20 consequence analysis, the MACCS analysis.

21 MR. WACHOWIAK: This is Rick again.

22 That is the next piece, but the piece that
23 we haven't really looked at in this forum too much is what
24 benefit does the filter, if it is installed, actually do.
25 The tests that were done to generate the decontamination

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 factors for sprays and bubbling through pools, and things
2 like, that both MAAP and MELCOR contain, right now would
3 be the same type of analysis we would use for the filter.
4 And maybe there are some other tests that are out there
5 from the vendors. We have heard a couple of vendors say
6 they have some tests, but we still have questions about
7 what it is they are filtering.

8 Because if we take materials that is just
9 generated directly from within the vessel, and that is
10 the types of materials that seemed to be tested in most
11 of these filter tests, is that directly from there, it
12 has got maybe some steam or other contribution to it; it
13 passes through these things, and things get filtered out.

14 But what we saw at the ACRS meeting and from
15 various other papers is that, once we have used something
16 like a drywell spray or a drywell flooder, and we have
17 used whatever capability of scrubbing that the
18 suppression pool provides to us, the nature of what goes
19 into the filter could be -- I don't know if it is -- could
20 be different than what has been tested in filters.

21 We do know from hearing presentations from
22 some of the Europeans that they didn't consider that
23 piece of it. They didn't consider any of the pre-action
24 from stuff going on in a BWR containment.

25 So, I would just get worried that, if we take

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 something that has been tested for non-pre-scrubbed and
2 put it on the end, it just doesn't do much. We have to
3 understand that.

4 MR. DENNIG: Yes. Yes, that is a problem
5 that we have been wrestling with. I think that you can
6 get a start by going back to the specialist meeting in
7 1988. There is a lot of material in there about how the
8 testing was done, and that an insensitivity to particle
9 size, basically, is what we are talking about.

10 So that the claimed or tested efficiency in
11 those documents is that, going from micro-particles to
12 particles above 1 micron or 2 microns, it doesn't matter
13 for the design of a filter. So, I mean, there is stuff
14 out there. There isn't the testing, the proprietary
15 testing, that the vendors have done, but there is that.

16 MR. WACHOWIAK: But that is in conflict
17 with what Sandia says.

18 MR. DENNIG: Who at Sandia?

19 MR. WACHOWIAK: Well, the material that we
20 were shown from Dana Powers.

21 MR. DENNIG: Well, I don't know that it is
22 in conflict with that. I think what that is, it is spray
23 modeling and pool modeling, which, as far as we can find,
24 there is not much experimental information about. And
25 there is no analysis in there about Venturis or impact

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 filtering. I mean, that whole mechanism, we haven't
2 done anything with. It is like it is new.

3 MR. WACHOWIAK: I agree. We are still at
4 a stage where that needs to be investigated. So, part
5 of some of the things that came up earlier saying that
6 it is a no-brainer that we just put a vent on or a filter
7 on, we need to understand what filter we need before we
8 just say let's put one on.

9 MR. DENNIG: I think we all agree on that.
10 It is a matter of how much do you leverage the work that
11 was done in the intervening period between 1980 and the
12 present as far as developing filters. As far as I can
13 tell, the NRC's official effort went as far as doing sand
14 filters, sandbed filters buried in the ground. And the
15 scrubbing stuff, all these different mechanisms, we
16 participated in the ACE Consortium, and I understand that
17 there are questions, again, about, well, what was the
18 spectrum and how was the measurement, and so on and so
19 forth? But there is an awful lot of information that
20 others are using/have used that it is a question of, do
21 you want to leverage with that or do you have to do it
22 yourself before you can decide what to do?

23 MR. WACHOWIAK: And we have to understand,
24 once again, what they did. One of the questions that I
25 was left from the ACRS meeting a couple of weeks ago was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the filter that was presented was essentially a tank of
2 water with some kind of spargers in the bottom, and then
3 it had things for impaction and things for recirculating
4 the water back. But that is essentially the same thing
5 as a suppression pool, essentially.

6 MR. DENNIG: Well, no, I think that does not
7 give any credit to the literature that is out there,
8 either from the vendors or from academics. Like I said,
9 as far as I can tell, at the NRC we have not engaged in
10 any program to evaluate those mechanisms.

11 The contention of the foreign governments
12 and vendors is that the technology that they are using
13 is developed from technology that came out in the fifties
14 for air cleaning, basically, the Venturi filter, and
15 variants on that.

16 To say it is a tank of water with some
17 spargers in it is really kind of saying that -- I mean,
18 there is a lot of detail and a lot of engineering and a
19 lot of testing that has gone into those devices that need
20 to be understood, but it is not a tank of water with some
21 spargers in it.

22 MR. WACHOWIAK: This is Rick Wachowiak
23 again.

24 Maybe I was oversimplifying it a bit, but
25 did those tests from the fifties include adding 1-percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 decay heat to the steam that is now going to be condensed
2 in the tank of --

3 MR. DENNIG: I think answers to all these
4 questions about the steam content and the part size and
5 all those issues, I think they have pretty much been wrung
6 out. It is matter of getting your hands on the
7 information.

8 MR. MONNINGER: I think they did have -- we,
9 of course, have the benefit of the public and the
10 proprietary sessions. So, I know those topics were
11 covered, but I can't say for sure what set of slides they
12 were in. But it was pHes, various temperatures, various
13 flow rates, lengths of time, irradiation,
14 revolatilization --

15 MR. DENNIG: All the questions they came up
16 about flow rate and entrainment rate and passive
17 climbing, and all those questions I believe have been
18 answered. Whether you think the answers are sufficient
19 or not is always your own determination, but they are not
20 open questions, as far as I can see.

21 MR. LOCHBAUM: A process question you might
22 not be address today, and if not, just tell me. The paper
23 that is being prepared for November, the options paper
24 for the Commission, is it just filters, yes or no, or is
25 it filters perhaps with some of these conditions about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the cavity-flooding system? Because that would
2 introduce a new wrinkle that wasn't in the regular thing.
3 So, do you have enough free rein to go there or not?

4 MR. MONNINGER: We believe we have enough
5 free rein. We don't know the final set of options until
6 the paper is signed and dated. And I think we have
7 discussed in the ACRS meeting four options.

8 The first option -- you can call it the
9 first or last -- is status quo, do nothing. The second
10 option is the thing we called the
11 severe-accident-capable event, beefing up the current
12 system. The third option is the filter vent, and the
13 fourth option is a performance-based criteria.

14 But, for any of at least the middle two,
15 severe-accident-capable event or a filtered vent, the
16 staff is thinking, and I believe the thinking that we have
17 expressed publicly is there is need for our
18 cavity-flooding system, one way or the other, whether it
19 is you give them credit for the B.5.b or if it another
20 pump, or whatever.

21 MR. LOCHBAUM: So, then, you have four
22 options. If you had five, you might get one vote for
23 each, and it would be a stalemate.

24 (Laughter.)

25 MR. MONNINGER: It's a stalemate?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LOCHBAUM: Yes, you are avoiding that
2 with the four options then. Very clever.

3 (Laughter.)

4 MR. KRAFT: In the utility world, what has
5 happened is the various vendors who have these products
6 have made presentations -- this is Steve Kraft speaking;
7 sorry -- presentations on here is a product we have to
8 sell you. They have not, to my knowledge, until just
9 recently, been asked the question the other way around,
10 which is: what if we asked you -- we want to prevent land
11 contamination, but we want to do it by keeping the
12 radionuclides in containment.

13 And each time that question is being asked
14 of several of the vendors -- and I know you have had your
15 meetings, too -- they sort of stop and they go, "Huh?"
16 They have never been asked that question before. So,
17 some of them are thinking about it.

18 So, there may be, as a result of the work
19 that EPRI has done in looking at these strategies, which
20 could include a filter, not include a filter -- so,
21 innovative thinking that may come back into the system
22 where we say, "You know what? Maybe there is a better
23 mousetrap here that we can move to." So, that is
24 something we are looking forward to as well.

25 And I have no doubt that Bob is right, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 a lot of the research being done is based on showing the
2 performance of a filter. Whatever the design is,
3 whether it is water and spargers and metal mesh, whatever
4 it is, that is a very different question than showing the
5 performance of a system involving containment.

6 And when we asked those questions, they said
7 no. So, people are thinking about it, and I think that,
8 when we get around to recommendation time here, and we
9 present ours and you present yours and stuff, at the end
10 of the day, there is going to be some sort of innovative
11 thinking that comes forward that we are all going to be
12 able to look at and, hopefully, take advantage of.

13 MR. MONNINGER: I think maybe that is in
14 line with the Option 4, the notion of a performance-based
15 approach. That thought is maybe there is just some
16 prescription out there, meet "X", and each plant licensee
17 would have to come in and demonstrate how they meet "X",
18 whether they want to take a filter off the shelf or if
19 they want to do a combination of other things. You know,
20 that is one consideration.

21 MR. DENNIG: And one of the boundary
22 conditions, if you will, for MARK I's and MARK II's is
23 that we have ordered a vent. The other plants we haven't
24 ordered a vent. So, the question is, okay, you have
25 ordered a vent. Why wouldn't you want to put a filter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 on that? So, that is another way to come at it.

2 MR. LEE: This is Richard Lee from the
3 Office of Research.

4 When we look at the so-called modern venting
5 system, our focus is this, at least for the BWR, is that
6 after you vent through the drywell, there is a certain
7 spectrum of droplets that are so-called penetrating
8 droplet size that will come through. So, we are focusing
9 on that.

10 If you apply another water scrubber to it,
11 or we scrub up the things that you are supposed to scrub
12 up again, scrubbed already -- so, those so-called
13 penetrating particles that go through another water pool
14 will not get the same benefit because the droplet
15 spectrum has changed.

16 So, when we look at the filter, for example,
17 the PSI or the AREVA or anything, the question we ask is,
18 does your system scrub what is left over? How does that
19 scrub? So, those are the questions we ask when we meet
20 with these people, when they discuss about the filter.

21 So, they know that, the entire
22 international community knows how the wetwell behaves
23 because the models we use in MELCOR, in the European code,
24 any other codes, are similar; the database is the same.
25 So, they know what is there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And everyone knows that, and the question
2 that we focus on, what else can you scrub these so-called
3 penetrating aerosols that are left? So, that is the part
4 that we focus on when we look at the so-called advanced
5 filter system. And one of those was the one that PSI came
6 and talked about it.

7 MR. GABOR: This is Jeff Gabor.

8 A couple of things I wanted to add, I guess.
9 Our strategies -- and we made this part of our
10 presentation to the ACRS last week, I think; I think it
11 was last week -- there were a couple of key elements of
12 what was driving our analysis and why we had the mindset
13 we did.

14 Clearly, as Rick pointed out earlier, our
15 first goal, of course, is to keep it in the vessel and
16 prevent core damage. But we also feel strongly about
17 keeping any radionuclide releases inside containment.
18 So, as you can see, our strategies focus a lot on flooding
19 and spraying containment, utilizing the wetwell. So,
20 that is another kind of guiding principle for us, even
21 though we did look at other strategies that did involve
22 an external filter as well. But we felt that focusing
23 on maintaining the radionuclide population inside
24 containment was important to us.

25 And then, lastly, kind of a residual, when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 we look at our strategies -- I forget who brought the
2 comment up earlier about different scenarios; I think it
3 was David -- about different scenarios, we also feel that
4 just putting a filter on a vent in containment has limited
5 benefit. The strategies that we have identified, and a
6 lot of the same strategies that we saw today, including
7 water in containment, sprays, core sprays, containment
8 sprays, wetwell venting, a lot of those strategies can
9 benefit a pretty wide range of scenarios and a wide range
10 of challenges.

11 I mean, some of the things that come to my
12 mind are a containment isolation failure event, where you
13 have got some sort of a pathway open in containment, a
14 valve, or something like that. Unless you were lucky
15 enough to attach your filter to that penetration, it is
16 not going to do you any good. On the other hand, spraying
17 the drywell will do that some good, will provide benefit
18 to that scenario.

19 So, if you look at our ACRS presentation,
20 there are a couple of flowcharts in there about how we
21 picked our scenarios and how we focused our analysis. It
22 is safe to say that some of the scenarios that we didn't
23 directly include would, indeed, be impacted, positively
24 impacted, by things like flooding containment and
25 spraying containment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. MONNINGER: And I think that is what the
2 goal should be, to keep it all within the containment.
3 But the other part is, when you think about the MARK I's
4 and the MARK II's, and the history of the containment
5 performance, you know, you are really talking about
6 changing the complete understanding of the design.

7 I mean, you know, the strength of the BWRs
8 is the prevention system, the ECCS, and the CDFs are
9 driven down, and then the containments aren't quite as
10 robust as the PWRs. And then, you have the reverse for
11 the PWRs. The CDFs may be a little bit higher, but
12 containment is a little bit stronger.

13 Now, you know, when you are coming in and
14 saying the goal is going to be to keep it all in
15 containment, you know, with the historical risk record
16 or profiles for the containments, I am not sure how you
17 are going to move, significantly improve the BWR
18 containments. Yes, that is my understanding --

19 MR. GABOR: You are talking about in
20 response to a severe accident?

21 MR. MONNINGER: From a severe accident,
22 yes. You know, from I heard from you is we are going to
23 have it bottled up and nothing is going to come out; it
24 is going to be a very robust, rugged design. I am taking
25 it a little bit far.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. GABOR: We are going to minimize the
2 releases. We are going to do everything we can to
3 mitigate the releases is our goal, and by keeping it in
4 containment, yes.

5 MR. MONNINGER: Right, right.

6 MR. WACHOWIAK: This is Rick Wachowiak from
7 EPRI.

8 One question, getting back to kind of the
9 presentation, the ultimate question that we had, is there
10 a way that we can get an answer back later on where the
11 core material is in these things and what is resupplying
12 the aerosol in the drywell over long periods of time?
13 And then, of course, your 48-hour or 72-hour runs, we
14 would like to see those, too.

15 MR. MONNINGER: So, our next
16 engagement -- and it is a public engagement -- is with
17 the ACRS on October 2nd. The thought was to move past
18 the MELCOR analysis and present some other stuff that we
19 have been working on. It is a full-day ACRS meeting on
20 Wednesday --

21 MR. BASU: October 3rd.

22 MR. MONNINGER: -- Wednesday, October 3rd.
23 I just said the 2nd.

24 So, whether that is an option there to
25 potentially cover -- I am not sure if it is an open item

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 for the ACRS. We are also considering, but we haven't
2 locked in, another public meeting in mid-October to talk
3 more about the consequence analysis, et cetera.

4 But I guess the staff is pretty much, you
5 know, they are under the gun pretty tight. And we would
6 cover this in some type of public meeting, to the extent
7 that, if we need to cover it, it would be in a pre-planned
8 meeting, I think.

9 MR. GABOR: John, on the October 3rd ACRS
10 meeting, given our past get-togethers, what additional
11 information is going to be provided there that we haven't
12 seen?

13 MR. BASU: Well, if you recall, in the
14 September 5th meeting, we only provided an initial MELCOR
15 analysis, not MACCS.

16 MR. MONNINGER: So, MACCS --

17 MR. BASU: So, MACCS is going to be one of
18 the main topics of presentation, and connected to that
19 is the regulatory analysis. To the extent that we are
20 running some of these cases to 72 hours now, we will be
21 providing the revised or updated results, if you will,
22 at the ACRS meeting to inform the MACCS calculations.

23 MR. MONNINGER: I think we also have
24 underway, I guess, staff evaluations or positions on
25 different types of filtering approaches, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 different types of defense-in-depth arguments, what we
2 believe are the positions of other regulatory agencies
3 around the world.

4 So, we sort of have the traditional
5 regulatory analysis piece, you know, the PRA, the MELCOR,
6 the MACCS, et cetera, but there is a lot more that goes
7 into this decision than just that. We have to cover
8 these potential qualitative arguments and how all this
9 plays out with regard to the defense-in-depth also. So,
10 you know, it is not just a cookbook reg analysis in the
11 past. The staff has other considerations that are going
12 into the decisionmaking. And that is actually
13 consistent with the background. There is the regulatory
14 analysis, and then the Commission over the years has
15 talked about the staff presenting qualitative arguments.
16 So, we would want to share those arguments with the
17 stakeholders also.

18 MR. WACHOWIAK: This is Rick Wachowiak
19 again.

20 So, what I am trying to figure out for our
21 way forward with this is I kind of need to know the answers
22 to some of these questions to know how to proceed with
23 our paper. Because I would hate to be in a position where
24 we have a set of insights that gets turned into actions
25 through NEI and through the Owners' Groups, and then,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 when they get presented, that the answer comes back, "No,
2 our NRC analysis shows something different than what you
3 have."

4 And so, we need to be able to -- "we,"
5 EPRI -- need to be able to tell the industry that we have
6 looked at the differences and we understand the
7 differences, and either we make the argument for why our
8 position is correct or we adjust our methods to say that,
9 "Yes, they had a point and we didn't get it the first time
10 through." Those are kind of our two options. Maybe we
11 should get four, so we can have a stalemate, too.

12 (Laughter.)

13 But we have got to be able to answer those
14 things before we come out and say, "These are our
15 insights, and we're done." Because something was
16 brought up here that clearly is different in some of these
17 cases than what we are seeing. Right now, I still don't
18 understand why your cases are different than ours. I
19 just know that they are different.

20 So, if we can answer the question about
21 where the aerosols are; what is resupplying what is in
22 the drywell; when the atmosphere goes through the
23 suppression pool downcomers, what kind of
24 decontamination factors you are getting; are you
25 continuing to supply things through the SRVs and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 T-quenchers; what kind of decontamination factors are
2 you getting there, then we can go back through and say,
3 okay, this is where our analysis either modeled that
4 differently or it is just unknown, or whatever.

5 But, in order for us to complete, and have
6 something that doesn't put everybody on the wrong
7 footings here, we need to get those answers.

8 MR. DENNIG: Yes, my personal take is that
9 the differences between our analyses and your analyses
10 for selected sequences isn't going to perturb the
11 discussion of uncertainties all that much, which is
12 basically where things are going to wind up, is in terms
13 of uncertainties. You know, what is the range of things
14 that could happen? How much do you know about what could
15 happen? And so, that is just my opinion. I mean, you
16 could get the same results for the same sequence, and then
17 the question is, well, how do you translate that into a
18 decision?

19 MR. WACHOWIAK: Yes, well, I don't want to
20 just try to get the same results and the same sequences.
21 What I want to do is say that, for the strategies that
22 we are saying could be viable, that when you analyze that
23 for your plant, you make sure you cover the range of
24 things that you need to be looking at to make sure that
25 we are not missing some phenomena that we didn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 consider.

2 We really aren't trying to come up with a
3 strategy for a scenario. We are trying to come with
4 viable strategies that work across a broad spectrum of
5 severe accident scenarios. So, that is what we are
6 trying to do.

7 MR. BASU: Yes, and to do that, you are
8 looking at a particular run, case run, and trying to
9 understand the difference between ours and yours,
10 obviously.

11 This is Sud Basu from the Office of
12 Research.

13 I mean, we could come up with a number of
14 differences between the MELCOR runs and MAAP runs. To
15 start with, you have 4-hour RCIC in MAAP; we have 16-hour
16 RCIC. There is that difference. So, you have a
17 different decay heat than we have in terms of the amount.
18 There are other differences.

19 So, supposing we come up with that list of
20 differences. What I am not sure or what I don't
21 understand, how is that going to help your MAAP analysis
22 or change any position that you may currently have?

23 MR. WACHOWIAK: This is Rick.

24 What it does for us is it helps us understand
25 how we do sensitivity studies to explore whether the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 strategies will work under those conditions. So, since
2 ours were based on four-hour RCIC runs, we did a couple
3 of sensitivities, but nothing like your -- I think it is
4 ultimately 18 hours or so that RCIC is run. We have since
5 done that. We see the same kind of effects on the initial
6 containment pressurization that you do. The spray is a
7 little different in effectiveness than what you have, but
8 not enough to make a difference.

9 So, we understand that RCIC can run for a
10 long time -- it happened in Fukushima -- it can run for
11 a short time. That is a classic PRA analysis where you
12 run it for a short period of time. What do you tell the
13 plant to do different in those cases, if anything?

14 As I said, and Jeff said earlier, for most
15 of the cases that you ran, when we adjust to say the same
16 kind of parameters and things that you put in, we see very
17 similar results, except for the one thing on the cycle
18 venting. And we are trying to understand that.
19 Because, then, we have a better confidence that, if we
20 do sensitivity analyses to say, okay, if you run it one
21 hour, two hours, four hours -- who knows; when do you turn
22 on the containment spray sort of thing -- if we have the
23 ability to say that we understand what kind of things go
24 into your code, this is where the uncertainties are, we
25 essentially can get to the same result, not numerical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 cesium release result, but the same result of what to tell
2 the plants to do over a wide spectrum of accidents and
3 conditions for things to run. I think that is beneficial
4 for us.

5 So, I wouldn't want anybody to think that
6 all we are trying to do is match cases to get the same
7 answer. We are trying to understand what is driving the
8 result that you are getting. We need to do analysis with
9 our work to show that we have covered those ranges of
10 things that may be different from what you are doing to
11 what we have, and, also, the ranges of things that may
12 be different in other accident scenarios.

13 We said early on, in the beginning of this,
14 we did look at different types of things. The whole core
15 melts and comes out on the floor and spreads and fails
16 everything or it comes out and it doesn't fail anything;
17 it drips out; it just comes out a little bit. So, for
18 covered in-vessel, we have one of those.

19 So, we want to make sure that we are not,
20 as some of the concern was here, recommending something
21 that under a slightly different scenario gives you
22 completely different outcome.

23 MR. KRAFT: Steve Kraft.

24 Let me just take you back to what was said
25 on the regulatory policy perspective from the industry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 If the industry leadership is going to align on a
2 recommendation to your Commission that drives off of the
3 EPRI insights and conclusions, if there is something
4 where Rick would say, "Hey, Steve, whoops," I have got
5 to know that. I hate to think that the statements about,
6 "We don't see that this is going to make a difference"
7 are predicated on your guessing what we might make our
8 recommendation at and, therefore, it doesn't happen.

9 I mean, I just want to make sure that we
10 haven't finalized that; we are still working on it. It
11 derives from the EPRI report for sure, but if there is
12 something, and there is a scenario missing that could be
13 supplied, you know, I mean, the goal here is to get it
14 right. So, let's make sure we get it right.

15 MR. MONNINGER: And I think we can
16 appreciate that. I think where the staff is, the staff
17 is pulling together our final recommendations. We will
18 proceed with or without the industry input. We don't
19 have the luxury of multiple more weeks. We have to
20 engage our steering committee. We have to engage our
21 ACRS, and we have to present our proposed results out to
22 the public, the stakeholders, whether they agree with
23 that or not, you know. Different sides will take
24 different views on what we do. But we have a schedule,
25 and we are planning on meeting the November date.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 We have had several meetings. Of highest
2 priority to us for the meetings is to engage and get
3 alignment with our internal steering committee and our
4 ACRS. After that would come the public meetings on the
5 stuff we haven't covered. But we are pushing pretty
6 strong and pretty quick.

7 MR. KRAFT: Steve Kraft again.

8 I haven't said this is a hangup or a delay,
9 but what I am hearing now, listening to the discussion
10 between EPRI and NRC Research is that we hate to make a
11 recommendation that, then, there is a scenario that we
12 all missed or a scenario that EPRI missed that might alter
13 that recommendation.

14 MR. GABOR: So, this is Jeff Gabor.

15 I guess what I hear Rick say and Sud talking
16 about, it could be some value -- and maybe we can do this
17 over a conference call -- but we have made it clear the
18 kind of details that we are looking for in terms of what
19 is driving this late revaporization and how is that
20 affecting your -- I think the specific case that we looked
21 was the cycled vent case that was presented last week.

22 If we could have some opportunity to discuss
23 some of those details with the staff, that would be
24 preferred, either through a phone call --

25 MR. MONNINGER: And we wouldn't phone call

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on this. We would do everything out there, hopefully.

2 MR. GABOR: We were hoping to see that
3 today. We actually sent a tip ahead of time to say we
4 really would like to see that kind of detail.

5 MR. MONNINGER: Right.

6 MS. GIBSON: Is it not possible for you to
7 just do the sensitivities in the analysis that we did?
8 I mean, are we making something more complicated --

9 MR. WACHOWIAK: We don't know what is in
10 your analysis.

11 MS. GIBSON: I'm sorry?

12 MR. WACHOWIAK: We don't know what is in
13 your analysis necessarily. We are not sure which things
14 are driving the release? So, is it something where we
15 have to try to cause revaporization in the vessel? Or
16 is it something where we have to try to cause
17 revaporization from drywell heat sinks? Or is it
18 something where we have to try to cause re-release of
19 cesium from boiling pools of water? We are not sure
20 which things to investigate to figure this out.

21 MR. FULLER: This is Ed Fuller from
22 Research.

23 I believe that you will probably find, when
24 you dig into this, that the MAAP calculation would have
25 pretty much all the cesium out of the vessel early, so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that there is no more cesium to revaporize in the vessel.
2 Whereas, the MELCOR probably has about 20 or 25 percent
3 of the fuel still sitting there at vessel breach.

4 MR. GABOR: This is Jeff Gabor.

5 I am not sure I agree with that.

6 (Laughter.)

7 I have said that a couple of times today.
8 Sorry.

9 But, no, I think we do get pretty
10 significant deposition inside the RCS early and in the
11 dryers and the separators and the heads. So, we see the
12 same behavior. What we might not be seeing is the
13 heat-up that you are getting, what Randy alluded to
14 earlier, the heat-up inside the RCS. We may not be
15 seeing it because of the heat removal through the vessel
16 into the drywell, the influence the sprays have. We may
17 have different flows in and out of the RPV. Those are
18 the things that will dictate this kind of response, and
19 we just haven't seen those details yet.

20 MR. MONNINGER: An option, and it would, of
21 course, have to be the staff, you know, whether we want
22 to try to include some of it in the beginning of the ACRS
23 meeting. We don't really see another -- I don't see a
24 public meeting --

25 MR. NOTAFRANCESCO: Do you see the value of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 proceeding with reconciling the MAAP? The big question
2 is sprays and its reliability. Isn't that more weight
3 than comparing models?

4 We just did random or directed cases to
5 simulate Fukushima and the results, and tried to
6 demonstrate the issues with MARK I containments. I just
7 don't know how far you could beat this to death to
8 distract us from moving on to what we want to do.

9 MR. BASU: So, let me offer another
10 suggestion. I can only see two possible reasons why
11 there is a difference. One is that we are having some
12 late release from the core. And the second is we are
13 having revaporization which is adding inventory into the
14 release, airborne aerosol.

15 So, if you take those into consideration in
16 your calculations, and then go back and run MAAP to see
17 whether or not you are going to get any different release,
18 wouldn't that also satisfy your objective? Instead of
19 waiting for us to speak in another public forum sometime
20 October 3rd or that timeframe? If you just take those
21 two and rerun your MAAP, see whether or not it makes any
22 difference.

23 MR. LEE: This is Richard Lee from
24 Research.

25 Let me understand this. Okay? The way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that the MELCOR calculation, the way that we calculate
2 here, we calculate in SOARCA, the way that we calculate
3 for BWR severe accidents, that we did for high burnup and
4 MOX fuel, these are the similar things. The reason we
5 did for high burnup and MOX is to synthesize the so-called
6 revised design-basis source term. We had very specific
7 in-vessel releases, ex-vessel releases, and then we late
8 in-vessel releases. Okay?

9 And the way that a MELCOR progression
10 nowadays, more that understanding is that the cause of
11 accident has a long duration, be it the BWR or PWR. So,
12 you have a lot of in-vessel releases, and then the
13 ex-vessel release is smaller, but you still have the late
14 vessel because we did not transfer -- all the fuel didn't
15 get melted. So, you have fuel remaining in the core. In
16 the late phase, you have fission products coming back up,
17 not only just the deposited ones, but also the few that
18 are still there.

19 So, that modeling aspect has not changed.
20 Okay? So, I don't know why we are revisiting those types
21 of modeling issues, because this has been set up for
22 decades already.

23 MR. BASU: Yes, and I think that is what I
24 am suggesting, that MAAP look into those processes, those
25 phenomena, and see whether or not it makes any difference

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to MAAP results. Okay?

2 MR. WACHOWIAK: So, one other question that
3 we have, and I am not sure that I saw in here, when you
4 do core spraying, does it stop the late releases from the
5 vessel, the core spray after vessel breach?

6 MR. BASU: Well, there is some difference
7 in the release due to the core spray. I don't recall it
8 stops entirely the release, but it does slow down the
9 release.

10 MR. LEE: In the boiling water reactor, it
11 is mostly a steam-stop situation. So, every time you put
12 water back in or you drop the pressure, you are going to
13 have steam. Steam is going to drive zirconium
14 oxidation. The temperature goes up. And so, you are
15 going to have more stuff coming out.

16 MR. SUMMERS: There is not a spray
17 scrubbing going on in the core.

18 MR. WACHOWIAK: Cooling is what we are
19 looking for.

20 MR. SUMMERS: If it cools the fuel, the
21 release will go down. If it fuels zirconium
22 oxidation --

23 MR. BASU: It will go up.

24 MR. SUMMERS: -- release will go up.

25 MR. WACHOWIAK: But you don't have any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 plots that show which way that happened?

2 MR. BASU: Well, we don't have a plot of
3 that, but you have seen the numbers here for the failure
4 timing the vessel had. You have seen the numbers for
5 hydrogen. Those are indicators that oxidation is taking
6 place. So, if the oxidation is taking place, you can
7 expect to see --

8 MR. WACHOWIAK: But that is all right
9 around the time of vessel failure, and I think right
10 around that time is where I am interested. I am
11 interested in what is going on out 48 hours, 36 to 48
12 hours.

13 MR. BASU: Well, okay, then, also, you see
14 some jump. So, based on the sequences, you have
15 different phenomena taking place, cooling, as Randy
16 mentioned, as well as enhanced oxidation from more steam.

17 MR. SUMMERS: So, don't hold me to it, and
18 I want to go back and check with my guys, but I think some
19 of that behavior you are seeing is cesium, in effect,
20 flashing off the surface when the overpressure goes down.

21 MR. WACHOWIAK: And this is in-vessel?

22 MR. SUMMERS: In-vessel, on hot surfaces.

23 MR. WACHOWIAK: Hot surfaces in-vessel?

24 MR. SUMMERS: Yes.

25 MR. WACHOWIAK: Okay. So, just trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 get in my head if there are any other questions that come
2 out. So, if it is going from in-vessel to hot surfaces,
3 then the next thing that comes into play is the
4 decontamination factor that you get from the downcomers.
5 Do you have a sense that out in those timeframes, 36 to
6 48 hours, what the DF of your downcomers is?

7 MR. BASU: Well, again, if you look at where
8 the fission products are going by different pathways --

9 MR. WACHOWIAK: The answer is there is a lot
10 of division by real small numbers.

11 MR. BASU: Yes, yes, yes.

12 MR. WACHOWIAK: We probably just made the
13 code print that out for us, so I could look at it. We
14 get values that are between, in many cases, you know, 40
15 to 50 up to some cases where it is around 1,000, depending
16 on what the conditions are in the containment. And even
17 at 40 to 50, those re-releases are not going to be
18 providing a lot out through the vent, through the vent
19 pathway.

20 So, my guess is that somehow you are getting
21 decontamination factors that are more on the order of two
22 to three during those timeframes.

23 MR. BASU: Well, I would have to go back and
24 look at the numbers. I don't recall seeing 1,000 DF
25 there, but I also don't think it was all two and three.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I think for the flange -- certainly, not the "N's" that
2 you are getting.

3 MR. WACHOWIAK: Not all the cases that get
4 to -- we don't need 1,000. We only need in that timeframe
5 the reporting sort of number.

6 MR. SUMMERS: Forty to a few hundred sounds
7 right to me.

8 MR. BASU: Since you were at the ACRS
9 meeting, I showed a slide there. I said 100 to 300 a
10 day --

11 MR. WACHOWIAK: Yes, that was from a paper
12 that you said it was 100 to 300.

13 MR. BASU: The paper, it actually showed
14 you from 50 to 1500.

15 MR. WACHOWIAK: Oh, I thought it was you and
16 not -- so, the graph was from the paper; the number was
17 from --

18 MR. BASU: From 50 to 1500. The cases that
19 we ran, we got in the range of 100 to 300.

20 MR. WACHOWIAK: So, now I am even more
21 confused how you are getting 10 to the minus 2 out through
22 the wetwell bed. Because at the range of 100 to 300, you
23 should be getting like the order of 10-to-the-minus-3 to
24 10-to-the-minus-4 whole release through that path.

25 MR. BASU: Why is that? I guess I didn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 follow you.

2 MR. WACHOWIAK: Because of the stuff that
3 is left, the 20 percent that is left in the vessel, if
4 you take 1 percent of the 20 percent, then you are at like
5 a 2 times 10 to the minus 3 sort of release.

6 MR. BASU: Yes.

7 MR. WACHOWIAK: The order of magnitude
8 doesn't quite work out with your case.

9 MS. GIBSON: As I said at the ACRS meeting,
10 I think we are trying to bring a level of precision to
11 this that just is not here. So, we could sit and talk
12 about this all day long, but I can't see that we are
13 resolving anything or helping the situation.

14 MR. WACHOWIAK: I don't want to make a flip
15 comment.

16 MR. GABOR: This is Jeff Gabor.

17 I mean, I know a lot of people think we are
18 wasting time here. But there is an inconsistency
19 between the plot that you showed us today, that chart 19,
20 which showed for cases where I just have a spray, and I
21 allow the drywell head to sit there and burp and maintain
22 the pressure, those types of releases right there, less
23 than a 10th of a percent.

24 And if I go back now and I look at -- it is
25 actually slide 20 from the ACRS presentation --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. BASU: Okay.

2 MR. GABOR: There was a case in there, a
3 couple of cases in there, but one in particular that you
4 called Case 18 was cycled venting that shows a release
5 of 4 percent. We don't understand how those two agree,
6 how they came from the same calculation. We don't see
7 the connection there. They seem to disagree with each
8 other, and that is what we are trying to understand.

9 MR. BASU: Okay. So, I think I explained
10 previously that, when we ran some of the later cases, we
11 went to 2 volume wetwell, then 16 volume wetwell. So,
12 there is a granularity issue there that will be resolved
13 that makes some difference in the release estimate.

14 The other thing is -- and I think we also
15 talked about that at the ACRS meeting -- we ran out to
16 48 hours. So, we need to see what we end up with if we
17 run it longer, and that is what we are doing. So, when
18 we go to 72 hours, then at that point we should compare
19 a vent-cycling case to the passive-venting case to see
20 whether the difference that we have seen up to 48 hours
21 is still there or not.

22 MR. LYMAN: Can I just throw something in
23 here? There is also an uncertainty analysis for SOARCA,
24 right? And I seem to recall from your presentation to
25 the ACRS that release fractions, there were variations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 on the order of -- I don't know -- three or five factors.
2 So, I mean, how precise are any of these numbers anyway?

3 MR. BASU: You just said it. I mean, if it
4 is within the order of magnitude for any release
5 fractions, I think for the severe accident code model
6 that is pretty standard. So, we are really debating
7 about a factor of two or something like that.

8 MR. WACHOWIAK: But we are not talking
9 about a factor of two. We are talking about a difference
10 of a 4-percent release versus a .0004-percent release.
11 We are talking about two orders of magnitude difference
12 on cases that we thought would come out the same.

13 MR. BASU: Again, is it between MAAP and
14 MELCOR that you are --

15 MR. GABOR: No, it is that chart and chart
16 20, chart 20 from the ACRS presentation.

17 MR. BASU: That is the release fractions.

18 MR. WACHOWIAK: .04, right?

19 MR. GABOR: Again, slide 20 from the ACRS
20 presentation with the same scale was the release
21 fraction. We are comparing the same thing here. We are
22 just trying to understand the difference; that's all.

23 MR. BASU: You know, I will have to go back
24 and compare the ACRS slide, because I think we would be
25 talking about release fraction in percentage and release

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 fraction in absolute terms.

2 MR. GABOR: That would help us. Yes, that
3 would help us.

4 MR. WACHOWIAK: It would also help to know
5 if it is because you modeled it with 2 nodes versus 16
6 nodes also.

7 MR. BASU: Well, I told you that we reran
8 it with 2 nodes as opposed to 16 nodes. We looked at the
9 thermal hydraulic results and all the others, and they
10 were pretty consistent. There was not much of a
11 difference between the 16-node results with the 2-node
12 results. That gave us confidence not to accelerate the
13 additional time. We can go to --

14 MR. WACHOWIAK: So, when I look at that,
15 that would be a place where, if the thermal hydraulics
16 looks the same between the 2-node and the 16-node, but
17 then the release is two orders of magnitude different,
18 that would undermine my confidence in all of this.

19 MR. LEE: I need to just repeat myself
20 again. Okay?

21 We do not relocate 100 percent of the core
22 out of the core into the ex-vessel in the PWR or the BWR.
23 So, that we really need to keep in mind because there are
24 a few left in there that still have fission product
25 releases. If you relocate the entire core out into the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 ex-vessel, you will have different type of results. So,
2 that makes a difference in the late-vessel, in-vessel
3 releases.

4 MR. WACHOWIAK: We agree with that. We
5 agree with that. Now what we are trying to understand
6 is, how does that difference manifest itself? But we
7 agree that that is the case. Our thoughts, though, are
8 that the answer will look more like this graph than the
9 graph that was shown at the ACRS meeting.

10 MR. GABOR: Yes, any clarification you can
11 provide between this and page 20, slide 20, from last week
12 would be helpful and appreciated.

13 MR. WACHOWIAK: This is the kind of stuff
14 that we should know.

15 MR. FRETZ: I think one of the things that
16 I can offer, maybe to help get the dialog moving, it would
17 be that, if there is any information that we could
18 clarify, you know, we can maybe put that in the meeting
19 summary and provide that clarification. So, if there is
20 information to provide, we can add that to the meeting
21 summary. And therefore, it will give us a chance to take
22 this back and ponder on that --

23 MR. WACHOWIAK: Okay.

24 MR. FRETZ: -- and look at the different
25 slides, because I don't have really the benefit of that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 slide 20 in front of me right now to see.

2 MR. LYMAN: Do you have that in ADAMS yet?
3 Because I tried looking for it last night and I
4 couldn't --

5 MR. MONNINGER: The old meeting summary?

6 MR. LYMAN: The ACRS meeting. It wasn't
7 there as of Monday. Is it there now?

8 MR. FRETZ: Well, maybe we could follow up
9 to see whether or not exactly that information --

10 MR. MONNINGER: But, I mean, with regard to
11 the meeting summary, you know, they mention that they
12 will put it in, but that doesn't necessarily mean the
13 meeting summary will be out within a week or 10 days or
14 two weeks.

15 MR. LYMAN: We weren't at the ACRS meeting,
16 so we are at a disadvantage not having seen the slide,
17 but --

18 MR. FRETZ: I think we are waiting for some
19 other administrative things, like the transcript to come
20 back and stuff like that. And there is a time lag between
21 all that, before the meeting summary is put into the
22 public domain.

23 Any other questions inside the room that we
24 could get to? I think we have at least few minutes to
25 maybe try to get to some comments or questions from those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 listening on the phone now.

2 I think, in the interest of time, if we could
3 keep any comments or questions between two or three
4 minutes, I would appreciate that, because, then, that
5 would allow everyone a chance to at least be able to
6 speak.

7 So, with that, I guess could you open up the
8 phone bridge and we can see if anyone has any comments
9 or questions?

10 I don't hear any comments. I thought we
11 might have some comments from --

12 PARTICIPANT: I guess I'm on? Yes?

13 MR. FRETZ: Yes.

14 PARTICIPANT: Okay.

15 MR. FRETZ: A comment for two to three
16 minutes.

17 PARTICIPANT: I would hope on October 3rd
18 they would address, not presupposing that there is going
19 to be a vent line, but if there is one, how large will
20 it be? What capacities will it have? And that is my
21 brief question or comment.

22 MR. FRETZ: Okay. Thank you.

23 Are there any other questions or comments
24 on the phone?

25 (No response.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Okay. I think, with that --

2 MR. LYMAN: With regards to the mitigating
3 strategies where part of that obligation is that
4 containment integrity is maintained and extending to
5 loss of offsite power, are there any strategies, anything
6 we are talking about here today on the part of what EPRI
7 is proposing that wouldn't already be required under the
8 mitigating strategies?

9 In other words, I mean, they already have
10 to maintain containment integrity. That means
11 preventing vessel melt-through, right? So, everything
12 they are talking here is something they should already
13 have the strategy for doing.

14 MR. MONNINGER: They can answer. But I
15 believe, from the August meeting, they essentially said
16 everything is within SAMGs, EOPs, et cetera, with the
17 distinction of the cycling. The vent cycling would be
18 the new aspects that takes you from the bar chart here
19 to the bar chart there. But I believe that everything
20 else exists within procedures, equipment, et cetera.

21 MR. KRAFT: Well, except -- sorry, Steve
22 Kraft -- except talking with the industry, the learning
23 from this may be that you go from a 300-gallon pump,
24 500-gallon pump, that goes through changes that we would
25 not have contemplated unless we were not faced

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 with -- without getting into the logic problem we are
2 having, I think that is the kinds of things we are talking
3 about.

4 And then, there may have to be -- you know,
5 you talked a bit about, John, flood systems and you talked
6 about bypass. Looking at different containment types,
7 there may have to be different things done. That comes
8 out in some work that EPRI is doing. I am just pointing
9 out it is not strictly what we have already done before.
10 There are things that we have identified that might have
11 to be done additionally.

12 MR. LYMAN: But it is not really so much
13 your choosing between options. It is really having a
14 filtered vent at this point would be an enhancement
15 pretty much to what already is supposed to be done. It
16 is not as if there would be major changes to the current
17 commitments under the Order if the filter vent was not
18 chosen.

19 MR. MONNINGER: I don't believe so, no.
20 You know, one question would be, if for one reason or
21 basis or the other, the staff recommended filter, would
22 the recommendation be from the wetwell or would the
23 recommendation potentially be from the drywell? There
24 is a notion that eventually they may be flooded up so high
25 that the wetwell vent may not be there. So, there may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 be some logic in a filter vent from the drywell.

2 MR. KRAFT: Steve Kraft.

3 And you did allow it. Maybe it is a
4 requirement --

5 MR. MONNINGER: Maybe.

6 MR. KRAFT: -- that you throw all that open.
7 Because when you say one versus the other, it changes a
8 lot of the scenario.

9 MR. MONNINGER: Right, right.

10 MR. FRETZ: I think this will close the
11 business portion of this meeting. I think it does.

12 I guess, in closing, I really do appreciate
13 everyone coming here. I think it has been a very
14 beneficial and thoughtful discussion from a number of our
15 stakeholders.

16 Again, when we contemplated this meeting,
17 we weren't really quite sure where this was going to go
18 or how much participation we would get. But I believe,
19 at least in my opinion, it did exceed our expectations.
20 I thought we had a very good dialog.

21 And again, we appreciate everyone's
22 attendance and contribution to the meeting.

23 With that, we will close the meeting.
24 Thank you.

25 (Whereupon, the above-entitled matter went

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 off the record at 3:39 p.m.)

2

3

4

5

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com