

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on the  
Medical Uses of Isotopes

Docket Number: (n/a)

Location: (teleconference)

Date: Tuesday, March 12, 2013

Work Order No.: NRC-4051

Pages 1-115

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON THE MEDICAL USES OF ISOTOPES

5 + + + + +

6 TELECONFERENCE

7 + + + + +

8 TUESDAY, MARCH 12, 2013

9 The meeting convened telephonically at  
10 2:00 p.m. Eastern Daylight Time, Leon S. Malmud, M.D.,  
11 ACMUI Chairman, presiding.

12 MEMBERS PRESENT:

13 LEON S. MALMUD, M.D., Chairman

14 BRUCE THOMADSEN, Ph.D., Vice Chair

15 DARICE G. BAILEY, Agreement State Representative

16 MILTON GUIBERTEAU, M.D., Diagnostic Radiologist

17 SUSAN LANGHORST, Ph.D., Radiation Safety Officer

18 STEVEN MATTMULLER, Nuclear Pharmacist

19 CHRISTOPHER J. PALESTRO, M.D., Nuclear Medicine  
20 Physician

21 JOHN SUH, M.D., Radiation Oncologist

22 ORHAN SULEIMAN, Ph.D., FDA Representative

23 WILLIAM VAN DECKER, M.D., Nuclear Cardiologist

24 LAURA WEIL, Patients' Rights Advocate

25 JAMES WELSH, M.D., Radiation Oncologist

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 PAT ZANZONICO, Ph.D., Nuclear Medicine Physicist

2

3 NRC STAFF PRESENT:

4 BRIAN McDERMOTT, Director, Division of Materials  
5 Safety and State Agreements

6 CHRISTIAN EINBERG, Designated Federal Officer

7 ASHLEY COCKERHAM, Alternate Designate Federal  
8 Officer, ACMUI Coordinator

9 SOPHIE HOLIDAY, Alternate ACMUI Coordinator

10 NEELAM BHALLA, FSME/DILR/RPMB

11 SUSAN CHIDAKEL, OGC/GCLR/RMR

12 DONNA-BETH HOWE, Ph.D., FSME/DMSSA/RMSB

13 ED LOHR, FSME/DILR/RPMB

14 DEBBIE PISKURA, FSME/DMSSA/RMSB

15 RONALD ZELAC, Ph.D., FSME/DMSSA/RMSB

16

17 NRC REGIONAL STAFF PRESENT:

18 JACKIE COOK, Region IV

19 ROBIN ELLIOTT, Region I

20 SARA FORSTER, Region III

21 DENNIS O'DOWD, Region III

22 LESTER TRIPP, Region I

23

24 MEMBERS OF THE PUBLIC PRESENT:

25 KEITH BROWN, University of Pennsylvania

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 SUE BUNNING, Society of Nuclear Medicine and  
2 Molecular Imaging  
3 DAWN EDGERTON, Council for Certification in  
4 Cardiovascular Imaging  
5 LYNNE FAIROBENT, AAPM  
6 KAREN LANGLEY, University of Utah  
7 RALPH LIETO, St. Joseph Mercy Hospital  
8 ANDREW MCKINLEY, American Society of Nuclear  
9 Cardiology  
10 MICHAEL PETERS, American College of Radiology  
11 MICHAEL STEPHENS, Florida Bureau of Radiation  
12 Control  
13 CINDY TOMLINSON, American Society for Radiation  
14 Oncology  
15 MICHAEL WELLING, Virginia Department of Health  
16 GARY E. WILLIAMS, Department of Veteran  
17 Affairs, National Health Physics Program  
18  
19  
20

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

CONTENTS

1

2 Item 1-D, Compatibility Category for Agreement

3 States ..... 13

4 Item 2-D, Parenteral Administrations ..... 31

5 Item 3-C, Extending Grandfathering to Certain Certified

6 Individuals (Ritenour Petition).. 45

7 Item 4-C, Reporting Requirement for Out-of-Tolerance

8 Generator Elutions ..... 61

9 Item 4-B?, FDA Labeling Requirements ..... 80

10 Item 5-A, Allowing Associate Radiation Safety Officers

11 (ARSOs) and Temporary RSOs to be Named on a

12 Medical License ..... 101

13 Item 6-A, "Plain Language" Requirements ..... 103

14 Item 7, Additional Comments ..... 105

15 Specific Comments - Significant ..... 105

16 Specific Comments - Minor ..... 107

17

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

## P R O C E E D I N G S

2:01:51 p.m.

CHAIRMAN MALMUD: Hello, everyone. This is Leon Malmud, and this is a continuation of our ACMUI teleconference which began last week, and we will continue it today. However, I would like to first introduce the member of the NRC Staff who will greet us all, Chris.

MR. EINBERG: Okay, very good. Good morning, or good afternoon.

As the Designated Federal Officer for this meeting, I am pleased to welcome you to this public meeting of the Advisory Committee on the Medical Uses of Isotopes.

My name is Chris Einberg. I am Chief of the Radioactive Materials Safety Branch, and I have been designated as the federal officer for this Advisory Committee in accordance with 10 CFR Part 7.11. Present today is the alternate Designated Federal Officer, Ashley Cockerham, coordinator for the Committee.

This is an announced meeting of the Committee. It is being held in accordance with rules and regulations of the Federal Advisory Committee Act and the Nuclear Regulatory Commission.

This meeting is being transcribed by the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 NRC, and it may also be transcribed or recorded by  
2 others.

3 The meeting was announced in the February  
4 1<sup>st</sup>, 2012 edition of the Federal Register, Volume 78,  
5 page 7465, and is a continuation of teleconference  
6 meeting that was held on last Tuesday, March 5<sup>th</sup>, 2013.

7 The function of the Committee is to advise  
8 the Staff on issues and questions that arise on the  
9 medical use of byproduct material. The Committee  
10 provides counsel to the Staff but does not determine  
11 or direct the actual decisions of the Staff or the  
12 Commission. The NRC solicits the views of the Committee  
13 and values their opinions.

14 I request that whenever possible we try  
15 to reach a consensus on the procedural issues that we  
16 will discuss today, but I also recognize there may be  
17 a minority or dissenting opinions. If you have such  
18 opinions please allow them to be read into the record.

19 At this point I would like to perform a  
20 roll call of the ACMUI Members participating today.  
21 Dr. Leon S. Malmud, the ACMUI Chairman.

22 CHAIRMAN MALMUD: Here.

23 MR. EINBERG: Dr. Bruce Thomadsen, Vice  
24 Chairman, Therapy Medical Physicist.

25 VICE CHAIR THOMADSEN: Here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. EINBERG: Ms. Darice Bailey, State  
2 Government Representative.

3 MEMBER BAILEY: Here.

4 MR. EINBERG: Dr. Mickey Guiberteau,  
5 Diagnostic Radiologist.

6 MEMBER GUIBERTEAU: Here.

7 MR. EINBERG: Dr. Sue Langhorst, Radiation  
8 Safety Officer.

9 MEMBER LANGHORST: Here.

10 MR. EINBERG: Mr. Steve Mattmuller, Nuclear  
11 Pharmacist.

12 MEMBER MATTMULLER: Here.

13 MR. EINBERG: Dr. Christopher Palestro,  
14 Nuclear Medicine Physician.

15 MEMBER PALESTRO: Here.

16 MR. EINBERG: Dr. John Suh, Radiation  
17 Oncologist.

18 MEMBER SUH: Here.

19 MR. EINBERG: Dr. Orhan Suleiman, FDA  
20 Representative.

21 MEMBER SULEIMAN: Here.

22 MR. EINBERG: Dr. William Van Decker,  
23 Nuclear Cardiologist. Dr. William Van Decker, Nuclear  
24 Cardiologist? Okay.

25 Ms. Laura Weil, Patient's Rights Advocate.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 MEMBER WEIL: Here.

2 MR. EINBERG: Dr. Jim Welsh, Radiation  
3 Oncologist. Dr. Welsh, are you on the line?

4 No, moving on. Dr. Pat Zanzonico, Nuclear  
5 Medicine Physicist.

6 MEMBER ZANZONICO: Yes.

7 MR. EINBERG: Okay, we have a quorum. We  
8 have at least seven members on the line.

9 I now ask the NRC Staff members who are  
10 present to identify themselves.

11 MS. HOLIDAY: Sophie Holiday, FSME.

12 MR. WHITE: Duncan White. I'm the Branch  
13 Chief for the Agreement State Program Branch in FSME.

14 DR. HOWE: Donna-Beth Howe, FSME.

15 MS. BHALLA: Neelam Bhalla, FSME.

16 MS. CHIDAKEL: Susan Chidakel, OGC.

17 MR. EINBERG: Okay. For the people that are  
18 on the line from Headquarters can you please identify  
19 yourselves.

20 DR. ZELAC: Ronald ZELAC, FSME.

21 MR. EINBERG: Could you repeat that for the  
22 court reporter?

23 DR. ZELAC: Ronald ZELAC, FSME.

24 MR. EINBERG: Thank you.

25 MS. PISKURA: Debbie Piskura, FSME.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. COCKERHAM: Ashley Cockerham, FSME.

2 MR. EINBERG: Okay. We were just joined by  
3 Ed Lohr also here in Headquarters. Now, I'd like to  
4 go to the regions. Region I, who do we have on the line?

5 MS. ELLIOTT: Robin Elliott, Region I,  
6 DNMS.

7 MR. TRIPP: Lester Tripp, DNMS.

8 MR. EINBERG: Anybody else from Region I?  
9 Okay, now I'd like to go to Region III. Is there anybody  
10 on the line?

11 MS. FORSTER: Sara Forster.

12 MR. EINBERG: Okay. Can you please repeat  
13 that?

14 MS. FORSTER: Sara Forster.

15 MR. O'DOWD: Dennis O'Dowd.

16 MR. EINBERG: Okay, Region IV now, who's  
17 on the line? Anybody from Region IV? Okay.

18 Next I'd like to identify members of the  
19 public who notified us that they would be participating  
20 on the teleconference. When I call your name please  
21 answer that you're present. Keith Brown, University  
22 of Pennsylvania.

23 MR. BROWN: Here.

24 MR. EINBERG: Sue Bunning, Society of  
25 Nuclear Medicine and Molecular Imaging.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. BUNNING: Here.

2 MR. EINBERG: William Davidson, University  
3 of Pennsylvania. Casey Deitrich, CQ Transcriptions.  
4 Dawn Edgerton, Council for Certification in  
5 Cardiovascular Imaging.

6 MS. EDGERTON: Here.

7 MR. EINBERG: Lynne Fairbent, American  
8 Association of Physicists in Medicine.

9 MS. FAIROBENT: Here.

10 MR. EINBERG: Norman LaFrance, Jubilant  
11 Draxlmage, Incorporated. Karen Langley, University of  
12 Utah.

13 MS. LANGLEY: Present.

14 MR. EINBERG: Ralph Lieto, St. Joseph Mercy  
15 Hospital.

16 MR. LIETO: Present.

17 MR. EINBERG: Magali Lurquin, Jubilant  
18 Draxlmage. Andy McKinley, American Society of Nuclear  
19 Cardiology.

20 MR. MCKINLEY: Here.

21 MR. EINBERG: Tamara Mills, Jubilant  
22 Draxlmage. Mike Peters, American College of Radiology.

23 MR. PETERS: Here.

24 MR. EINBERG: Joe Rodgers, Paragenics  
25 Corporation. Gloria Romanelli, American College of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Radiology. Michael Sheetz, University of Pittsburgh.  
2 Michael Stephens, Florida Bureau of Radiation Control.

3 MR. STEPHENS: Here.

4 MR. EINBERG: Cindy Tomlinson, American  
5 Society for Radiation Oncology.

6 MS. TOMLINSON: Here.

7 MR. EINBERG: Michael Welling, Virginia  
8 Department of Health.

9 MR. WELLING: Here.

10 MR. EINBERG: Gary Williams, Department of  
11 Veterans Affairs, National Health Physics Program.

12 MR. WILLIAMS: Here.

13 MR. EINBERG: Okay, thank you. Is there  
14 anyone else on the call that I did not call?

15 MR. McDERMOTT: Yes, this is Brian  
16 McDermott, Director of the Division of Material Safety  
17 and State Agreements in FSME.

18 MEMBER WELSH: James Welsh with the ACMUI.

19 MR. EINBERG: Okay. Thank you, Jim.

20 As you know, we have a bridge line  
21 available for this call, and that phone number is  
22 (888)864-0940. The pass code to access the bridge line  
23 is 34081#.

24 At this time, I ask that everyone on the  
25 call who is not speaking to place their phones on mute.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 If you do not have the capability to mute your phone,  
2 please press \*6 to utilize the conference line mute  
3 and unmute functions. I would ask everyone to exercise  
4 extreme care to insure that the background noise is  
5 kept to a minimum as any background sounds can be very  
6 disruptive on a conference call this large.

7 This is a Category I public meeting. This  
8 is an open public observatory meeting, but is  
9 non-participatory. Members of the public may listen  
10 to the meeting. The draft proposed expanded Part 35  
11 Rule is considered pre-decisional and has not been  
12 transmitted to the NRC Commission for a vote. The rule  
13 is anticipated to be sent to the Commission in the late  
14 summer of 2013.

15 After Commission approval, the rule will  
16 be published in the Federal Register and members of  
17 the public will be given a 90-day comment period pending  
18 Commission approval versus the typical 75-day comment  
19 period.

20 At this point, I would like to turn the  
21 meeting back over to Dr. Malmud.

22 CHAIRMAN MALMUD: Thank you, Chris. If I  
23 may, we have one item to present prior to the agenda  
24 and that is a comment from Duncan White who will brief  
25 us on an issue that was raised by members of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Committee and which he will address for us. Please,  
2 Duncan White.

3 MR. WHITE: Thank you, Dr. Malmud. Again,  
4 my name is Duncan White. I am the Branch Chief for the  
5 Agreement State Program Branch.

6 My Branch has -- one of its primary  
7 responsibilities is to review all Agreement State  
8 regulations for compatibility, and we do this for all  
9 37 Agreement States. And as part of that process, we  
10 look at a wide range of regulations including the  
11 medical ones and make determinations if the States'  
12 regulations are compatible with NRC regulations.

13 In addition to that, as part of the NRC  
14 rulemaking process, I serve as a co-chair to what's  
15 called Standing Committee on Compatibility. When draft  
16 rules are made available for comment, as you know, they  
17 are provided to the states, and also at that time our  
18 Committee also takes a look at it with the objective  
19 to insure that the proposed rule and the compatibility  
20 determinations made in that proposed rule are  
21 consistent with the Agency's Policy Statement on  
22 adequacy and compatibility. We also look to ensure that  
23 it's consistent with other rules and regulations that  
24 are already in existence out there.

25 This group has been in place for about four

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 years now, and we've looked at a number of different  
2 rules, hopefully to ensure that there's a consistent  
3 application of the Policy Statement.

4           Again, as with any proposed rule, the  
5 Committee had an opportunity to look at the proposed  
6 rule that you're all looking at right now. We met  
7 yesterday. We discussed the draft rule yesterday with  
8 all five members of the Committee, also Neelam Bhalla  
9 who was the Project Manager for that, and Ed Lohr  
10 participated in that discussion.

11           One of the things that we did focus on was  
12 the specific question that is in the proposed rule to  
13 ask about is the Compatibility Category for the Section  
14 35.3045 Report and Notification of a Medical Event.  
15 Again, the draft FRN will ask, and again this will be  
16 out for public comment, get people's view on the  
17 compatibility with Category B, or Compatibility  
18 Category C. And I think as written in the proposed rule  
19 right now it provides a balanced view of why maybe you  
20 think it would be a B, or you think it would be Category  
21 C.

22           The Committee did discuss this at length  
23 and unanimously indicated back to -- and we'll be  
24 writing this in the memo. We unanimously agreed that  
25 we felt it should be Compatibility Category C. And the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 reason we came to that conclusion is for a couple of  
2 different reasons.

3 For some -- for a section of the  
4 regulations to be Compatibility Category B it has to  
5 have significant trans-boundary implications. And for  
6 Compatibility Category C it has to be -- the  
7 requirements for that, is has to -- that the absence  
8 of the compatibility designation, if it's Compatibility  
9 Category C it cannot create a gap, duplication, or  
10 anything like that in the national program.

11 And after our discussions with that, we  
12 felt it did not meet the definition of significant  
13 trans-boundary implications, and certainly it did  
14 qualify as Compatibility Category C.

15 Again, one of the things the group did  
16 point out and did discuss at length is that -- made  
17 it very clear, if the final rule, for example, is  
18 Category C, the states would still be required to report  
19 the source strength criteria to the NRC. They would  
20 be required to do so. That is considered part of the  
21 essential objective of that rule, and the states must  
22 report that.

23 Under Category C they would have the option  
24 of requiring their licensees to report the dose-base  
25 criteria in addition to that, but they would still be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 required, like NRC licensees are required to report  
2 the source strength of the activity-based quantity.  
3 They could also do this additional one.

4 The other reason is that the important  
5 aspect of the Policy Statement is to insure that there's  
6 flexibility given to the states to adhere to local  
7 conditions and local requirements. There are -- we are  
8 aware of some states that do collect information on  
9 medical events, misadministrations. They call them  
10 different things with regard to collecting additional  
11 information for their -- for individual states.

12 Some states have specific legal  
13 requirements that they must meet. There's a state law  
14 that they must adhere to, and that's why they collect  
15 the information.

16 We had a similar situation in the past  
17 where we had a different rule where, again, the NRC  
18 changed the regulation, specifically changed the  
19 compatibility requirements from Category C to Category  
20 B, and the states -- it caused a great deal of conflict  
21 with the states because the states had existing programs  
22 in place. And when you go to Category B, you basically  
23 require the states to have the identical, exactly the  
24 same, and I mean identical, I mean word for word exactly  
25 the same requirements. And there were states that had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 existing programs for -- it involved registration of  
2 general license devices. And some states took -- some  
3 states eventually decided to petition the NRC, and  
4 eventually that was -- about eight or nine years later,  
5 it was returned to Category C.

6 Again, the Commission recognized that the  
7 states need that flexibility for the local situation  
8 the states were in. And, again, it wasn't a one-size  
9 fits all.

10 So, for this reason the Compatibility  
11 Committee decided with regard to this particular rule,  
12 again, we recognize it's a matter of compatibility.  
13 They need to have -- they still need to adhere to the  
14 new requirements which would be activity-based. They  
15 could still have the option of requiring their licensees  
16 to report the dose, but they still must require to have  
17 the activity information reported to us. And like any  
18 medical event, some of this information must be reported  
19 to the -- a medical event must be reported to the  
20 Headquarters Operations Center and tracked in the  
21 national database. They are required to report this  
22 activity-based requirement, again, if the rule is put  
23 into place and finalized, as such. They would still  
24 be required to do that.

25 Again, that's what Compatibility Category

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 C would mean. Again, if it was C, they may ask for the  
2 dose-base, and that's their prerogative to do so. And  
3 they need to ask for additional information. Again,  
4 that's their prerogative to do so.

5 If it was a B, again, they would not be  
6 able to collect any other information, and that may  
7 put them in conflict with their state laws, and their  
8 state requirements. So, again, this was the basis for  
9 the Committee's decision to endorse the Compatibility  
10 Category C with regard to this.

11 Again, our recommendations will be  
12 forwarded to Neelam Bhalla, and they will be part of  
13 the Commission paper that will go up as well as I  
14 understand the ACMUI's views, too, on that.

15 So, with that are there any questions for  
16 me?

17 CHAIRMAN MALMUD: This is Dr. Malmud. Are  
18 there any questions?

19 MEMBER ZANZONICO: This is Pat Zanzonico.  
20 I have a question, if I may.

21 CHAIRMAN MALMUD: Please do.

22 MEMBER ZANZONICO: I gather in the past rule  
23 on medical events for permanent implant brachy one of  
24 the criteria was a dose differing from the prescribed  
25 dose that would have resulted in an effective dose of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 5 rem, a normal organ dose of 50 rem, et cetera, et  
2 cetera.

3 If this were Compatibility C would the  
4 states have the option, the Agreement States have the  
5 option, for example, of retaining those dose-based  
6 criteria?

7 MR. WHITE: Yes, they could. Again, they  
8 could do that. Again, what the requirement was for  
9 Category C is to meet the essential objectives of the  
10 rule. And, again, the essential objectives of the rule  
11 is to report events that have -- that meet the  
12 definition from a dose -- activity-based perspective.  
13 If they choose to do additional stuff, they may use  
14 to choose that 5 rem.

15 MEMBER ZANZONICO: I don't mean to speak  
16 either for the Subcommittee or the ACMUI as a whole,  
17 and actually I think I may have misspoken in the written  
18 draft report when I said that there was unanimity with  
19 respect to Cat B versus Cat C recommendation. But my  
20 concern, if that's the case, is that the -- to me, the  
21 point of the revised criteria for MEs was to accurately,  
22 to sensitively and specifically capture clinically  
23 significant medical events in permanent implant brachy.  
24 And with a Cat C specification, if these additional  
25 dose criteria can still be -- can still remain in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 effect, it seems to be undermining that key objective  
2 of sensitively and specifically capturing clinically  
3 significant events.

4 I think the ACMUI Subcommittee on criteria  
5 for permanent implant brachy medical events went  
6 through a lot of time and effort to craft a set of  
7 criteria that met that objective. And if States can  
8 individually superimpose additional criteria, it just  
9 seems to undermine that entire objective. And I think  
10 that's the underlying rationale of the majority of the  
11 ACMUI in recommending a Cat B specification for this  
12 -- for the ME definition.

13 MEMBER WELSH: This is Dr. Welsh, if I might  
14 contribute.

15 CHAIRMAN MALMUD: Please do.

16 MEMBER WELSH: Yes, I would agree with what  
17 Dr. Zanzonico has just stated, that Compatibility C  
18 wherein States are still allowed to impose what the  
19 Subcommittee feels were inappropriate criteria for  
20 medical events would seriously undermine many years  
21 of very intensive hard work that has been done to  
22 communicate to the NRC at the very highest levels the  
23 inappropriateness of the previous definitions. And the  
24 key point regarding the inappropriateness of the  
25 previous definitions was the use of dose as criteria.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And, therefore, it just does not seem to make sense  
2 that what has been almost conclusively and unanimously  
3 felt to be an inappropriate medical event definition,  
4 i.e., use of dose as a criteria, should really not be  
5 permitted anymore because that does go back to the use  
6 of clinically irrelevant or clinically inappropriate  
7 definitions for medical events. And we would not have  
8 gained a whole lot after all this time and effort if  
9 the states were to continue to use dose inappropriately  
10 as Compatibility C might enable.

11 VICE CHAIR THOMADSEN: Dr. Malmud.

12 CHAIRMAN MALMUD: Yes.

13 VICE CHAIR THOMADSEN: This is Bruce  
14 Thomadsen, if I may comment.

15 CHAIRMAN MALMUD: Please do.

16 VICE CHAIR THOMADSEN: One other -- one  
17 reason that making this a Category C would be a problem  
18 is that it's very likely to set up two tiers of quality  
19 in medicine, and the states that may keep the dose-based  
20 medical events criteria, practitioners who would  
21 practice defensively might indeed compromise what they  
22 do to definitely avoid the medical events even though  
23 that also may compromise their ability to treat the  
24 patients, as well, compared with States that have  
25 abandoned that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           This also would make training very  
2 difficult on a national level, and much of the training  
3 for brachytherapy is nationally run, in which case there  
4 would have to be two completely different sets of  
5 training to make sure that the practitioners would know  
6 what their medical events categories would be, and how  
7 to defensively practice not to violate those from State  
8 to State. And in a national training course, this would  
9 add difficulty.

10           We heard during the stakeholders' meetings  
11 of the problems that the current definition has caused  
12 in the disciplines, and having part of the country  
13 maintain the previous problematic definition, and part  
14 of the country not, is certainly going to add confusion  
15 in the field. And that cannot be good for patient care.

16           CHAIRMAN MALMUD: Thank you. Are there  
17 responses to that comment from Dr. Thomadsen?

18           MR. WHITE: Again, from our -- this is  
19 Duncan White. With regard to the comments, again, our  
20 focus was really looking at, you know, is there a -- for  
21 Category B is there specific trans-boundary. And,  
22 again, we weigh that in terms of a national program.  
23 We do recognize that the states are still going to have  
24 to require them to provide that information. And from  
25 a practical standpoint, again, I think a lot of States

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 would go over to what the NRC would have. Some would  
2 have -- I would honestly say would probably have -- may  
3 have a two-tier system. That's very possible, and I  
4 can't deny that would not happen. Again, it's hard to  
5 predict with 37 Agreement States exactly what path all  
6 of them would take.

7 But, again, one thing we focused on is,  
8 you know, health and safety aspect of the rule. Again,  
9 we don't -- that's what we really focused on. And,  
10 again, we came to the conclusion that, again, it would  
11 be better served as Category C in that respect. Again,  
12 we're very sensitive to the fact that States may have  
13 to meet other, again, requirements. Again, it's not  
14 --I certainly appreciate the comments about this should  
15 be clinically significant, two-tier system. I certainly  
16 appreciate that, and those are very good points. Again,  
17 what we are very sensitive to is that there is other  
18 -- we recognize other statutory requirements in the  
19 States that they must meet, so that was part of our  
20 basis for the recommendation.

21 I'm also -- I think it's -- in fact, it's  
22 a question that's in there, and public input on that  
23 I think will be very good, and very, very helpful just  
24 to hear -- get a full airing of this discussion. I think  
25 that would be very, very good.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 VICE CHAIR THOMADSEN: This is Bruce  
2 Thomadsen. May I ask another question of the --

3 CHAIRMAN MALMUD: Yes, Dr. Thomadsen.

4 VICE CHAIR THOMADSEN: Are there any other  
5 parts of the Part 35 change that may require a state  
6 to change its State regulations, its laws?

7 CHAIRMAN MALMUD: That's a question for  
8 anyone on the conference call.

9 MEMBER BAILEY: That would be very -- this  
10 is Darice Bailey, the Agreement States' Rep. That would  
11 be very difficult say not knowing all the State laws.  
12 An example of what Duncan mentioned regarding State  
13 laws that doesn't relate to this at all is Texas has  
14 a law that we have licensed medical physicists and that  
15 supposedly is a problem with NRC, but it's a law, it's  
16 not a rule. So, we have to live with that law. So, there  
17 may be similar type situations that make these very  
18 difficult. I cannot answer regarding 35 right now in  
19 any particular State.

20 CHAIRMAN MALMUD: Thank you. Are there  
21 other comments?

22 MR. WHITE: Dr. Malmud, this is Duncan  
23 White. I'd like to make one more comment about the  
24 previous question.

25 CHAIRMAN MALMUD: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WHITE: I know there's another State  
2 that, for example, requires -- does not allow reporting  
3 of specific information about the location of a  
4 particular medical event, details about that. Again,  
5 it's a State law, so when we do get the reports from  
6 this particular state, there's no hospital listed. The  
7 entries are not listed because, again, State law  
8 prohibits the department there from providing that  
9 information.

10 Again, it's not directly -- it's  
11 tangentially related to this rule but, again, it's  
12 another example of individual state requirements out  
13 there that do -- that they have to adhere to. And, again,  
14 we can't ask the states to break their own laws,  
15 basically, to do that.

16 And to answer the question, again, I don't  
17 have a specific knowledge of any other areas of  
18 regulation that may be in conflict with those state  
19 laws. I don't know of anything specifically but, again,  
20 we do what we do. Periodically, we do run into some  
21 periodically.

22 CHAIRMAN MALMUD: Thank you. Further  
23 comments or discussion?

24 MEMBER ZANZONICO: This is Pat Zanzonico.  
25 I understand and empathize with the requirement of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 NRC not to promulgate rules and regulations that might  
2 violate state laws, but isn't that always a possibility?  
3 It would seem to make the Cat B Category specification  
4 moot because it would seem that any rule promulgated  
5 by the NRC conceivably might be counter to a given  
6 State's law, so how can -- in any instance, the NRB  
7 is sure that that's not the case, unless it's based  
8 on a state-by-state review of each and every rule and  
9 its compatibility or lack of incompatibility with state  
10 laws. And if that's not done it seems to make the Cat  
11 B specification almost irrelevant.

12 CHAIRMAN MALMUD: Dr. Zanzonico's comment  
13 is quite insightful. Is there a comment from NRC Staff?  
14 The implication is that if any State has a law that  
15 it would dictate to NRC what NRC can do and, in fact,  
16 could affect the regulations in all the states.

17 MR. WHITE: This is Duncan White, again.  
18 There have been occasions where the NRC Commission has  
19 approved rules and regulations which may run counter  
20 to existing state laws or state regulations, and they  
21 are required -- they will be required to change them.  
22 That has happened in the past. Again, the Commission  
23 once it votes and approves the final rule with the final  
24 Compatibility determination, that's the final  
25 determination and we go forward from that. And, again,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 pending a petition or some other mechanism to change  
2 the rules, the states are to find a way to comply with  
3 the Compatibility Category. And if that means changing  
4 law, that means changing law.

5 CHAIRMAN MALMUD: Thank you for clarifying  
6 that for us. Other comments? If not, may we move on  
7 having covered the subject that Duncan White presented  
8 to us?

9 MR. WHITE: Thank you, Dr. Malmud, for the  
10 opportunity talk to the Committee.

11 CHAIRMAN MALMUD: You're welcome. Thank you  
12 for helping to clarify the issue. The issue is not  
13 resolved but it is clarified, and we appreciate the  
14 clarification.

15 MEMBER ZANZONICO: Dr. Malmud, this is Pat  
16 Zanzonico again. I know there was a sort of a preamble  
17 so to speak to the actual teleconference, but would  
18 it be appropriate at this point to either have a vote  
19 or re-vote on the recommendation with regard to Cat  
20 B versus Cat C as it currently appears in our draft  
21 report?

22 CHAIRMAN MALMUD: If someone wishes to make  
23 the motion, we can move on it for a vote.

24 MEMBER ZANZONICO: Well, if I may, I would  
25 like to make the motion so that we can move past this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 issue on to the subsequent issues.

2 CHAIRMAN MALMUD: The Chair welcomes your  
3 making such a motion.

4 VICE CHAIR THOMADSEN: And this Bruce  
5 Thomadsen. I will second that.

6 CHAIRMAN MALMUD: There has been a motion  
7 moved and seconded. Is the motion clear to those who  
8 are on the conference call?

9 MEMBER LANGHORST: Dr. Malmud, this is Sue  
10 Langhorst. No, I don't know what the motion is.

11 CHAIRMAN MALMUD: Thank you, Dr. Langhorst.  
12 We will ask to have the motion repeated.

13 MEMBER ZANZONICO: This is Pat Zanzonico.  
14 I can read it. And the motion is that the ACMUI  
15 recommends that the draft rule redefining medical  
16 events in permanent implant brachytherapy be designated  
17 as Compatibility Category B.

18 MEMBER LANGHORST: Thank you. This is Sue  
19 Langhorst. It's clear now.

20 CHAIRMAN MALMUD: Thank you, Dr. Zanzonico  
21 and Dr. Langhorst. Other -- is there anyone else who  
22 requires clarification of the motion? If not, is there  
23 a discussion of the motion?

24 (No response.)

25 CHAIRMAN MALMUD: Hearing no further

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 discussion, all those in favor please say aye.

2 (Chorus of ayes.)

3 CHAIRMAN MALMUD: Are there any opposed?

4 MEMBER BAILEY: Yes.

5 CHAIRMAN MALMUD: Dr. Langhorst, is that  
6 you?

7 MEMBER BAILEY: Darice Bailey.

8 CHAIRMAN MALMUD: Oh, thank you.

9 MEMBER BAILEY: Thank you.

10 CHAIRMAN MALMUD: One opposed. Any  
11 abstentions?

12 MEMBER GUIBERTEAU: Yes, this is Mickey  
13 Guiberteau. I abstain.

14 CHAIRMAN MALMUD: And Dr. Guiberteau  
15 abstains; otherwise, the motion carries. So, the motion  
16 carries with one abstention and one negative vote. Both  
17 from Texas, I assume.

18 MEMBER GUIBERTEAU: I guess that's right.

19 CHAIRMAN MALMUD: You truly are the Lone  
20 Star State. Thank you, and thank you, again, Duncan  
21 White, for your presentation.

22 That being the case, we'll move on to the  
23 agenda, and the agenda belongs to a very hardworking  
24 Chairman of the Subcommittee, Dr. Zanzonico.

25 MEMBER ZANZONICO: Okay, thank you very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 much. And I also have to acknowledge all of the time  
2 and effort of my fellow Subcommittee members, and other  
3 members of the ACMUI. There's been a lot of give and  
4 take, and really a lot of thoughtful discussion and  
5 exchanges among the members of the Subcommittee and  
6 the ACMUI as a whole. And I think we can all be proud  
7 of our effort.

8           We had covered from our draft report, and  
9 since last week's teleconference a second draft has  
10 been generated based on the teleconference, and based  
11 on subsequent exchanges. And the in-progress as I call  
12 it second draft was circulated to all the members of  
13 the ACMUI and earlier today to the NRC. And we had  
14 basically addressed up to this point the first three  
15 items in our draft report, the medical event definition  
16 for permanent implant brachytherapy, the training and  
17 experience requirements for Authorized Users and other  
18 authorized professionals, and the extending  
19 grandfathering to certain certified individuals per  
20 the Ritenour petition.

21           So, those three issues, as I say, had been  
22 addressed and we had votes on the motions and so forth.  
23 Unless anyone has a need or desire to revisit those  
24 issues, I would move on to the next item in our draft,  
25 Item 4, which has to do with measuring molybdenum

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 contamination in generators. But before I do that, is  
2 there any further comment or discussion of any of the  
3 first three items?

4 MEMBER LANGHORST: Dr. Malmud, this is Sue  
5 Langhorst.

6 CHAIRMAN MALMUD: Yes, Dr. Langhorst.

7 MEMBER LANGHORST: I think, Pat, that we  
8 were finishing up Item 2D and hadn't gotten to 3 yet.

9 MEMBER ZANZONICO: Is that correct? Okay,  
10 I guess I was too optimistic.

11 MEMBER LANGHORST: Sorry about that.

12 MEMBER ZANZONICO: No, thank you for  
13 correcting me. And you are right, you are correct. And  
14 I should have recollected that from our most recent  
15 emails. So, let me return then to Item 2D.

16 This has to do with the training and  
17 experience requirements for different classes of  
18 radionuclides or radiopharmaceuticals based on their  
19 radiation emissions. And in the proposed rule, it's  
20 proposed to include a category for alpha-emitting  
21 radiopharmaceuticals as well as beta gamma emitters.  
22 And my feeling and the feeling of others, though not  
23 necessarily everyone on the Subcommittee as well as  
24 the ACMUI was that that was not necessary or desirable,  
25 specifically that an Authorized User who has the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com



1 requisite training and experience to use beta and gamma  
2 emitters therapeutically already has the appropriate  
3 training and experience to use alpha emitters, as well.  
4 And there was no significant difference in these  
5 different kinds of decay properties to warrant this  
6 kind of parsing of authorization.

7           And then there was some -- there's been  
8 continued discussion by email among the members of the  
9 Subcommittee and the ACMUI, but one analogy that came  
10 to mind as I was discussing with some of my fellow  
11 Subcommittee members was in the field of medical  
12 oncology where medical oncologists are -- many medical  
13 oncologists are sub-boarded as I understand in that  
14 specialty, and in that case a medical oncologist can  
15 and likely would use a wide variety of anti-cancer drugs  
16 which have very, very different mechanisms of action,  
17 very different organ toxicities and so forth; yet, being  
18 qualified to perform chemotherapy-based treatment of  
19 cancer, they have the necessary training and experience  
20 to do that across all anti-cancer agents. And I think  
21 that's actually a fair analogy, a good analogy to using  
22 say alpha emitters therapeutically versus gamma beta  
23 emitters therapeutically versus auger electron  
24 emitters therapeutically. That's not to say they might  
25 not need additional training on a specific

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 radiopharmaceutical but yet they have the basic body  
2 of knowledge to be able to integrate a new  
3 radiopharmaceutical regardless of its decay properties  
4 into their practice, into their management of patients;  
5 just as a medical oncologist might require additional  
6 training with a new anti-cancer agent, but yet they  
7 have the basic underlying training and experience to  
8 safely and effectively incorporate that into their  
9 practice.

10 So, on that basis among other  
11 considerations I personally -- my personal  
12 recommendation would be that this introduction of a  
13 new category of Authorized User, in effect, based on  
14 alpha emission is really unnecessary, unwarranted, and  
15 so forth. And with that, I would open this point up  
16 for discussion by the members of the Committee.

17 CHAIRMAN MALMUD: Thank you, Dr. Zanzonico.

18 MEMBER WEIL: This is Laura Weil. Can I make  
19 a comment related to Dr. Zanzonico's statement?

20 CHAIRMAN MALMUD: Certainly.

21 MEMBER WEIL: So, if a purpose of regulation  
22 is public protection, I think we can all agree that  
23 that is the case. At present it might be sensible to  
24 include radium-223 since that's the case in point we're  
25 after here with a larger group of radionuclides for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 licensing purposes. But I'm posing the possibility that  
2 future use of not yet identified alpha-emitting  
3 radiopharmaceuticals with characteristics that are  
4 very different from radium-223, those other alpha  
5 emitters might need different equipment skills and  
6 knowledge. And alpha emitters are different enough,  
7 they have different radio biology, they have different  
8 contamination concerns. They need to be managed  
9 differently enough to, I believe, require different  
10 authorizations.

11 And I'm not sure that I agree with Dr.  
12 Zanzonico's analogy between chemotherapeutic agents,  
13 in general, and radionuclides because there's a  
14 difference in worker and public exposure to  
15 chemotherapeutic agents than there is to radionuclides  
16 in the instances of mishaps, spills, or other kinds  
17 of errors, if you will. So, I'm not buying the idea  
18 that we should go ahead and just lump everything  
19 together into one kind of authorization. I think that  
20 for protection and safety purposes, it makes sense to  
21 have different categories of emitters.

22 VICE CHAIR THOMADSEN: Dr. Malmud.

23 CHAIRMAN MALMUD: Yes, Dr. Thomadsen.

24 VICE CHAIR THOMADSEN: May I comment on  
25 that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN MALMUD: Please do.

2 VICE CHAIR THOMADSEN: If we look at  
3 possible alpha emitters we really do not see any  
4 isotopes that are going to behave very differently than  
5 the radium-223. They just do not exist as possibilities  
6 for radiotherapy treatment.

7 As we look at the current isotopes that  
8 are being used in their clinical forms, we see that  
9 biologically the colloidal P-32 is very different than  
10 intravascular P-32 for polycythemia vera. They just  
11 are biologically completely different animals.

12 If we look at the betas from the P-32 and  
13 compare them with the betas from any OJ emitter,  
14 biologically they're incredibly different. Their  
15 relative biological effectiveness are incredibly  
16 different also. As we look at the radioimmune carriers  
17 in which we would put any of these radio isotopes and  
18 compare their biology with the IVP-32, it's incredibly  
19 different.

20 All the time we're looking at these  
21 radiopharmaceuticals, each one is very different and  
22 unique in its own right. That's why it exists. That  
23 is part of what learning in the residency how to adapt  
24 to these types of differences is very important in the  
25 training, but looking at the potential for the alpha

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 emitters that much difference is no greater than the  
2 difference between all the existing radionuclides.

3 CHAIRMAN MALMUD: Thank you, Dr. Thomadsen.

4 Ms. Weil, does that reassure you at all?

5 MEMBER WEIL: Reassuring is perhaps not the  
6 right word. Perhaps I might say then that categorization  
7 by class of emitter is less than perfect, but I'm having  
8 difficulty with the blanket licensure for all  
9 Authorized Users.

10 MEMBER SULEIMAN: Dr. Malmud, this is Orhan  
11 Suleiman.

12 CHAIRMAN MALMUD: Yes, Dr. Suleiman.

13 MEMBER SULEIMAN: Okay. Laura, don't feel  
14 bad because I've always been conflicted about this.  
15 You have to understand that there are two different  
16 regulatory authorities or professional groups of  
17 responsibility. One is the handling of the radioactive  
18 materials, so the general feeling, and I sort of tend  
19 more to that, is that as long as the practitioner, the  
20 Authorized User understands the radiation safety  
21 aspects and knows how to handle these, in terms of the  
22 worker, in terms of good practice, it ought to be  
23 sufficient. So, I also don't really see a big difference  
24 in terms of the different particulates or photons;  
25 though, clearly, clearly how these behave in the body,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 how their -- the actual chemical, the radio label  
2 chemical may behave very different chemically  
3 biologically, but in terms of outside the body, that  
4 should be more than adequately covered by appropriate  
5 vendor training.

6 Now, getting away from the radiation  
7 safety aspect, you've got the whole medical issue. These  
8 are specialists, these are physicians trained with this  
9 specific drug, for this specific treatment, and that  
10 really comes under the medical authority to practice  
11 medicine. And we have to trust that the medical  
12 community is insuring that these procedures are being  
13 used properly, so I -- the NRC can't really cover all  
14 of those other issues. Those come under just the  
15 ethnical practice of this radio labeled therapy. So,  
16 although conflicted because you're always going to have  
17 examples of all sorts of things, I think sometimes  
18 simplifying, continuing to generate more and more  
19 subcategories to me in the bigger picture continues  
20 to cause confusion. So, I would be supportive of the  
21 proposal.

22 MEMBER WELSH: This is Dr. Welsh, Jim Welsh,  
23 if I might comment, also?

24 CHAIRMAN MALMUD: Yes, Dr. Welsh.

25 MEMBER WELSH: So, what I've heard from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Laura, a statement that alpha emitters might have very  
2 different biology from auger electron emitters or beta  
3 emitters, and this is true. There could be differences  
4 in the radio biology. There is no doubt about it. There  
5 could be differences in clinical uses or clinical  
6 outcomes, as Bruce Thomadsen has pointed out with the  
7 P-32 colloidal versus intravenous for different  
8 applications. Same radio isotope, very, very different  
9 clinical outcome because of a slight difference in the  
10 chemical formulation, colloidal versus -- for example.  
11 And Dr. Zanzonico has pointed out an analogy with  
12 chemotherapy that initially I wasn't so sure about it,  
13 but I am board certified as a neural oncologist and  
14 do prescribe chemotherapy. And the more I thought about  
15 his statement the more apropos I think his assertion  
16 is.

17           Therefore, although there are some  
18 differences in biology and differences clinically for  
19 different isotopes and different chemical formulations  
20 of the same isotope, the overall radiation safety  
21 aspects are similar, and the overall radiation safety  
22 aspects, which is the question at hand if I understand  
23 from Laura are similar enough that the overall training  
24 and experience that an Authorized User has received  
25 for one should suffice for all, even though we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 understand that there are subtle differences in the  
2 clinical outcomes and clinical applications, and subtle  
3 differences in the biology, sometimes they're not so  
4 subtle. But the radiation safety aspects for handling  
5 and administering these are while maybe not identical,  
6 they are similar enough that the training and education  
7 is sufficient.

8 MEMBER LANGHORST: Dr. Malmud, this is Sue  
9 Langhorst.

10 CHAIRMAN MALMUD: Yes, Dr. Langhorst.

11 MEMBER LANGHORST: I want to remind the  
12 Committee that the question at hand has only to do with  
13 the work experience that is required. The fact that  
14 we're suggesting not splitting between beta gamma, and  
15 alpha doesn't mean that an Authorized User physician  
16 would not get trained in both. That is going to be much  
17 more prevalent as we get more of these alpha-emitting  
18 radiopharmaceuticals in use.

19 So, it is the parenteral administration  
20 and that work experience that we're saying let's not  
21 add to the confusion of saying okay, you've got three  
22 cases of alpha and three cases of beta gamma. If you  
23 have three of any combination of those, that is work  
24 experience in determining a parenteral administration.  
25 And with all the additional training that these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 Authorized Users get, that covers the full breadth,  
2 as Pat was talking about in regard to medical oncology  
3 and chemotherapy.

4 So, Laura, I wanted to assure you they  
5 still get training in all of this, and may get work  
6 experience, but we're saying don't split it that fine  
7 into those two different categories that then I as a  
8 radiation safety officer have to tally up who's got  
9 what parenteral administrations, and if they're already  
10 an Authorized User do they have to go back and get it?  
11 And it just -- that's, I think, an unnecessary  
12 bookkeeping requirement that splitting them would  
13 impose upon us. Thank you.

14 CHAIRMAN MALMUD: Thank you. Laura, has the  
15 issue been clarified for you to your satisfaction with  
16 regard to your concern?

17 MEMBER WEIL: I certainly am grateful for  
18 the clarification of other members of the Committee's  
19 comments, but I'm concerned that staff seemed to have  
20 a very different perspective about this. And given that  
21 there's very little input from Staff in this process,  
22 I am -- I don't feel that I'm hearing both sides of  
23 the argument.

24 MEMBER GUIBERTEAU: Dr. Malmud, this is  
25 Mickey Guiberteau. May I --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN MALMUD: Yes. Dr. Guiberteau.

2 MEMBER GUIBERTEAU: You know, I feel very  
3 comfortable, Laura, with the consensus that appears  
4 to be developing in terms of the safe handling and  
5 administration across a broad spectrum of alpha  
6 emitting radio isotopes that there really is little  
7 in the way of safety differential in terms of the  
8 patient.

9 One of the things that we're -- from the  
10 point of view from which you come in terms of safety  
11 for the patient and the consumer, there is also the  
12 concern of access to care which we always try to balance  
13 with any sort of safety regulation. And the opposite  
14 of this would be to divide these into two different  
15 categories with different bars, and with different work  
16 experience required which most of us feel is  
17 unnecessary, which does have the potential for creating  
18 a differential in access to care which is also unsafe  
19 in many circumstances in terms of denying patients or  
20 delaying patients in terms of reaching a therapy that  
21 may be better for them.

22 So, there is a balance here. I do  
23 understand your concerns, but I think in terms of access  
24 to care and in terms of the radiation safety uniformity  
25 pretty much between alpha emitters and gamma emitters

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 as we know them, that this -- the way this has been  
2 stated by the Committee makes a lot of sense.

3 CHAIRMAN MALMUD: Thank you for your  
4 comment, Dr. Guiberteau. Laura, any response?

5 MEMBER WEIL: I have -- yes, the access  
6 issue is something that I have thought about it, and  
7 it's -- Mickey, you're right. It's an extremely  
8 important aspect to this whole question. I'm willing  
9 to stop objecting to this; whether I'll agree to it  
10 or not, I really haven't decided.

11 CHAIRMAN MALMUD: All right, thank you.  
12 Further discussion of this issue? If not, I'll turn  
13 it back to Dr. Zanzonico.

14 MEMBER ZANZONICO: Well, thank you all  
15 again for some very thoughtful comments, and special  
16 thanks to Laura for her thoughts on this.

17 I really don't have any -- personally any  
18 further comments to add other than to reinforce what  
19 both Dr. Langhorst and Dr. Guiberteau said; namely,  
20 that not including a work experience requirement does  
21 not at all mean there will not be additional training.  
22 Even when new diagnostic radiopharmaceuticals are  
23 introduced or new imaging modalities are introduced,  
24 there's often additional -- extensive additional  
25 training for the practitioners. And that will certainly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 be the case for alpha emitting therapy or any other  
2 form of radionuclide therapy.

3 And the other key point to consider is one  
4 of access. And I -- as Dr. Guiberteau was speaking,  
5 I think of the case of some of the radionuclide-based  
6 bone palliation agents which really, I think, are very  
7 effective, very convenient for the patient, et cetera,  
8 et cetera; yet, there seems to be some disconnect  
9 between the physicians who care for these patients,  
10 typically medical oncologists and the nuclear medicine  
11 physicians so that these very effective, safe,  
12 convenient therapies don't seem to be used nearly as  
13 extensively as they could be or should be. And, again,  
14 that's at least in part to training and experience  
15 requirements. There are other issues, economic and  
16 otherwise involved, but I think the issue of wide access  
17 to effective and safe therapy is one we need to consider,  
18 as well.

19 Having said all that, I would like to move  
20 -- to make a motion that we can vote on that is in our  
21 draft report. And I'll read the motion.

22 The ACMUI recommends that the work  
23 experience for parenteral administrations under  
24 Sections 35.390 (b) (1) (2) (g), and 35.396 not be  
25 separated between parenteral administrations of a beta

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 gamma emitting radiopharmaceutical versus an alpha  
2 emitting radiopharmaceutical as proposed in the  
3 proposed rule. So, I would make a motion that we vote  
4 on that recommendation.

5 CHAIRMAN MALMUD: Thank you, Dr. Zanzonico.  
6 That is a motion. Is there a second to the motion?

7 MEMBER GUIBERTEAU: Second.

8 CHAIRMAN MALMUD: Who seconded, please?

9 MEMBER GUIBERTEAU: Mickey Guiberteau.

10 CHAIRMAN MALMUD: Thank you, Dr.  
11 Guiberteau. The motion has been moved and seconded.  
12 Is there further discussion?

13 (No response.)

14 CHAIRMAN MALMUD: Hearing none, all in  
15 favor of the motion?

16 (Chorus of ayes.)

17 CHAIRMAN MALMUD: Any opposed? Any  
18 abstentions?

19 MEMBER WEIL: Yes, this is Laura Weil. I  
20 will abstain.

21 CHAIRMAN MALMUD: Thank you. So, the motion  
22 passes with one abstention. Thank you, Dr. Zanzonico.

23 MEMBER ZANZONICO: Okay, thank you.

24 So, lest I skip over another item, and I  
25 thank Dr. Langhorst for keeping us on track, the next

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 item would then be Agenda Item 3. What I would like  
2 to do is read the motion as it appears in our draft  
3 report and then solicit comments. There may or may not  
4 be, so let me read the recommendation.

5 The ACMUI has recommended and still  
6 recommends that the date of recognition of a certifying  
7 board should not impact individuals seeking to be named  
8 as an Authorized User, Authorized Radiation Safety  
9 Officer, Authorized Medical Physicist, or Authorized  
10 Nuclear Pharmacist through the certification pathway.  
11 So, the essence of that recommendation is that the date  
12 of recognition does not -- is irrelevant, in effect.  
13 This is in relation to the Ritenour petition and certain  
14 other issues, but that's the crux of the recommendation.

15 I don't know if there's -- if anyone has  
16 comments to offer, but I would ask if there are any  
17 comments that folks come forward with them.

18 CHAIRMAN MALMUD: Are there any comments?

19 MS. BHALLA: Yes. Dr. Malmud, this is Neelam  
20 Bhalla. May I speak on this?

21 CHAIRMAN MALMUD: Absolutely. Thank you.

22 MS. BHALLA: Yes, the entire Ritenour  
23 petition is based on grandfathering an individual. And  
24 right now under 35.57 in the regs it starts that any  
25 individual who's identified on a license, and that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 identification goes back to 2005 time frame, that person  
2 need not comply with the training and experience  
3 requirements of the current regulations. So, therefore,  
4 that date is very important because after that date,  
5 after the 2005 revision the boards had to meet certain  
6 requirements to meet with the new training and  
7 experience requirements.

8 So, therefore, when the petition came,  
9 Ritenour's petition came, the petition was that there  
10 were individuals who met the old Subpart J requirements  
11 in terms of for the medical physicists and for the RSOs,  
12 but they didn't have an opportunity to be named on a  
13 specific license for a whole lot of different reasons.

14 So, when NRC reviewed the petition, agreed  
15 with the petitioner that yes, the way the rule got  
16 written it did compromise some of those people who were  
17 boarded, who met our Subpart J requirements, but just  
18 because they were not named on a license as of that  
19 date they now had to meet the new requirements.

20 So, therefore, when we have now amended  
21 this rule to take care of all those individuals and  
22 to recognize their board certifications as of the old  
23 Subpart J, we need to leave that date. It's very  
24 important. Otherwise, if there is no date, then the  
25 people who are meeting the new boards, they're already

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 -- they would be -- they would not need this -- they  
2 would not fall into the old Subpart J. So, therefore,  
3 the 2005 date is crucial, and we would keep it.

4 MR. LOHR: And I have a clarification  
5 question, and I believe this is what's being discussed.

6 CHAIRMAN MALMUD: Identify yourself.

7 MR. LOHR: I'm sorry, this is Ed Lohr. I  
8 believe what's being identified is the individuals who  
9 are boarded after 2005, but before the NRC has  
10 recognized that board. I believe the comment was made  
11 that all boards regardless of when should be recognized.  
12 And the Ritenour petition did not address that, as  
13 Neelam has been saying. It addressed those prior to  
14 2005 when the NRC was recognizing those boards. But  
15 there is a so called gap, if you will, between the time  
16 from 2005 until the boards were recognized under the  
17 new process. And I believe that's what has been brought  
18 up by Dr. Zanzonico, but I didn't want to put words  
19 in his mouth. I just want to make sure that's what he's  
20 talking about.

21 MEMBER ZANZONICO: This is Pat Zanzonico.  
22 That's basically it. There does seem to be a gap here  
23 that's problematic, or potentially problematic.

24 CHAIRMAN MALMUD: Dr. Zanzonico, is that  
25 what you were addressing?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com



1 MEMBER ZANZONICO: Yes.

2 CHAIRMAN MALMUD: Thank you.

3 MEMBER ZANZONICO: This is Pat Zanzonico  
4 again. I guess my question is, and I apologize for being  
5 dense on this point. I still don't quite understand  
6 what the problem would be with the ACMUI recommendation  
7 as I verbalized it. In other words, making the date  
8 of recognition of a board by the NRC irrelevant. I don't  
9 -- I still don't quite understand what regulatory issue  
10 that would introduce.

11 CHAIRMAN MALMUD: Neelam, could you address  
12 that?

13 MS. BHALLA: Sure. What we are amending is  
14 35.57 in the regs; 35.57 starts with people who are  
15 ----- okay. It starts with an individual identified  
16 as a Radiation Safety Officer, teletherapy physicist  
17 and so on, and then they need not comply with the  
18 training requirement. So, there's a very specific date  
19 in there. And legally that's the part we are amending.  
20 We are amending 35.57 and we cannot in there go back  
21 to -- we can only go back to 2005, and maybe Susan,  
22 our legal person, can explain that better.

23 MS. CHIDAKEL: Let me try to explain what  
24 we're tried to do here. Okay? The date 2005 --

25 CHAIRMAN MALMUD: Excuse me, this is Dr.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Malmud. Would you please identify yourself for the  
2 Committee.

3 MS. CHIDAKEL: I'm sorry. This is Susan  
4 Chidakel from the Office of General Counsel.

5 CHAIRMAN MALMUD: Thank you.

6 MS. CHIDAKEL: And I don't think that -- I  
7 think there's a disconnect in what you're seeing in  
8 this rule. I don't think your concern is in the -- what's  
9 in the rule is not going to -- your concern doesn't  
10 connect with this.

11 What we're trying to, as Neelam said, okay,  
12 we had a new rule in 2005 in which Subpart J expired.  
13 This impacted people who had been certified by the  
14 boards listed under Subpart J.

15 What we're trying to do is say all those  
16 people who were recognized by boards before the new  
17 rule came into effect, whether or not they're listed  
18 in a license, they're now -- their certification is  
19 good. They're now -- you know, they don't need any more  
20 education, or any more recertification, or anything  
21 of that sort.

22 The reason the date is in there is because  
23 in 2005, those boards were no longer recognized, so  
24 we want to make clear that after 2005, you know, these  
25 new individuals coming in are going to have to have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 certification by the boards that are now being  
2 recognized under the new rule. Am I making sense? Am  
3 I making this clear to you? So, it's not impacting -- I  
4 guess I don't see the problem. I read your  
5 recommendation several dates that the date of  
6 recognition should not impact individuals seeking to  
7 be named. I don't see where the date of recognition  
8 of a board has anything to do with what we're doing  
9 here in this new rule. We don't say anything about the  
10 date of recognition of a board.

11 What we're saying is, we're saying any  
12 boards that were in existence that have certified people  
13 as of the date that Subpart J expired, these people  
14 are now recognized, you know, the same as anybody else  
15 whether or not they're on a license. So, I don't quite  
16 understand the gist of your concern, and I'm wondering  
17 if I have alleviated your concern in any way, or made  
18 this more clear.

19 CHAIRMAN MALMUD: I think you have  
20 clarified it. What do other members of the Committee  
21 feel?

22 MEMBER ZANZONICO: This is Pat Zanzonico.  
23 I think you've clarified it, as well. My concern -- and,  
24 again, I think you clarified it, was that individuals  
25 who might have been board certified -- whose board may

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 -- who may be certified by a board which was recognized  
2 after this date somehow fell through the cracks. But  
3 you're assuring me that's not the case.

4 MS. CHIDAKEL: No. The whole idea is to  
5 -- using 2005 is the point where the new rule came into  
6 effect and we had boards now that had to come in for  
7 certification. Donna-Beth, did you want to add  
8 something?

9 DR. HOWE: Yes, this is Dr. Howe. When we  
10 changed the rule in 2005, all the boards had to come  
11 in to be recognized. And there were new criteria for  
12 them to be recognized. Not all of the boards met the  
13 new criteria on the date that the rule came into effect  
14 and many boards -- I won't say many, but a number of  
15 boards had to change their program so they could comply  
16 with the new criteria for recognizing the board. And  
17 that may have taken a year, two years, or longer, so  
18 there are boards that were continuing to issue  
19 certificates but they did not meet the NRC requirements  
20 2005 until the date that they're recognized on our  
21 website, which was -- an individual date was negotiated  
22 for each board.

23 So, in some cases for the nuclear pharmacy  
24 board, it's totally moot. We recognize the nuclear  
25 pharmacy board from almost day one. There was no gap.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 For other boards like nuclear medicine they had  
2 diplomates that didn't receive training under  
3 Authorized Users, and our regulation said we could only  
4 recognize those that had training under Authorized  
5 Users, so there became a distinction between different  
6 board certifications whether they were in the U.S.,  
7 or outside of the U.S. So, we have specific certificates  
8 that are recognized because the process that goes with  
9 those certificates are recognized by NRC.

10 MS. CHIDAKEL: But the point is that even  
11 if the -- you know, no matter what happened with the  
12 boards and whether they were recognized in 2005 or not,  
13 if individuals were certified by those boards before  
14 2005, they can continue to practice. They don't need  
15 additional education. This is what we're trying to do.  
16 We're trying to -- that's what we're trying to fix.

17 This issue that Donna-Beth is raising,  
18 that was a board problem, but if an individual had been  
19 recognized when the new rule came into effect, they're  
20 good.

21 MEMBER ZANZONICO: This is Pat Zanzonico.  
22 That still raises an issue because after the date of  
23 expiration of Subpart J, if an individual was certified  
24 by a board after that date but that board was not  
25 recognized until subsequently because its training and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 experience requirements were deemed inadequate by the  
2 NRC, what happens to that individual who was board  
3 certified after the expiration date of Subpart J, but  
4 before the recognition of that board by the NRC?

5 DR. HOWE: There's not a clear -- this is  
6 Dr. Howe. There's not a clear answer to that, because  
7 in some cases the boards recognized that they had maybe  
8 one or two years in which their board certificates were  
9 not recognized, and they went back. But they believed  
10 that their candidates did meet the criteria. It's just  
11 their processes didn't state exactly what we needed,  
12 so they went back and picked up the few individuals  
13 that weren't Authorized Users. Mainly, this is for the  
14 medical board, and picked up the Authorized Users that  
15 weren't listed yet, and had a process where they could  
16 reissue a certificate that had the boards we were  
17 looking for in them so that we could recognize them  
18 back to an earlier date. And that's specified in our  
19 website.

20 There are a number of other boards that  
21 did not do that, and did not want to go back, so they  
22 are recognized from a specific date forward. I think  
23 the Health Physics Board is an example where they're  
24 recognized at a certain date that's not 2005 because  
25 they did not want to go back and verify the training

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and experience met our criteria even though their  
2 criteria was much broader than ours. Individual members  
3 could meet our criteria, but the board itself didn't  
4 until a certain date.

5 MR. LOHR: This is Ed Lohr again. I believe  
6 to answer the question a little more bluntly is those  
7 people in the gap are still required to come through  
8 alternate pathways, and we do not at the NRC recognize  
9 that board certification.

10 MEMBER ZANZONICO: I guess -- I mean, that  
11 really puts a point on it, and I think really is the  
12 essence or the motivation for this rationale. I mean,  
13 frankly, that strikes me as not right. You know, an  
14 individual met training and experience requirements  
15 for professional board certification, and a board that  
16 was recognized by the NRC. And they're effectively being  
17 told that, you know, because of an accident in time  
18 of when they were certified, that their certification  
19 is not acceptable.

20 Practices change, training and experience  
21 requirements change, and so forth. It seems unfair to  
22 those individuals to penalize them on that basis when  
23 they had met the prevailing training and experience  
24 requirements at the time they were certified.

25 DR. HOWE: Dr. Zanzonico, this is Dr. Howe.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 For the most part what you're saying is true, but you  
2 cannot make that assumption across the board, because  
3 we did have a number of boards that were nowhere near  
4 meeting the recognition criteria. And they had to  
5 totally restructure. They weren't necessarily giving  
6 examinations to test people, they didn't have criteria  
7 for people to be board certified that came anywhere  
8 close to what was being recognized afterwards, so there  
9 is no clear cut date that you can say everybody is  
10 covered, because we did have a few boards that just  
11 were totally inadequate in criteria.

12 MS. BHALLA: Dr. Malmud, this is Neelam  
13 Bhalla. May I speak?

14 CHAIRMAN MALMUD: Please do.

15 MS. BHALLA: Yes. So, for the purposes of  
16 this rulemaking, the NRC Staff when we resolved this  
17 petition, Ritenour's petition, we have -- we are  
18 obligated to -- we are under, I suppose, as a condition  
19 of that petition resolution, that we need to amend our  
20 regulation in 35.57. And that relates to strictly people  
21 who got boarded under the old Subpart J; so, therefore,  
22 so far as the Ritenour petition goes and amending 35.57,  
23 according to that, that's what we have done. And  
24 anything beyond about this added issue about -- this  
25 is beyond the scope of the Ritenour petition.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 MEMBER LANGHORST: Dr. Malmud, this is Sue  
2 Langhorst.

3 CHAIRMAN MALMUD: Yes, Dr. Langhorst.

4 MEMBER LANGHORST: I think the Committee  
5 voiced its opinion in September and probably a couple  
6 of different times that we don't think that people who  
7 are board certified just by the fact of their having  
8 been certified a year after this October 2005, and their  
9 board wasn't through, it just does not seem fair that  
10 a person who was board certified right before that date  
11 can meet this criteria, but the person just a year after  
12 potentially could not meet that criteria that is in  
13 35.57.

14 As the Part 35 rules have changed, Section  
15 35.57 has gotten more and more complex. And let me tell  
16 you, as an RSO it confuses me to no end, so I think  
17 we all are in agreement that we would like to kind of  
18 start with a clean slate so that board certified  
19 individuals have an opportunity to practice their  
20 profession, and I -- from a personal point of view,  
21 I hope that NRC takes this opportunity to try to simplify  
22 35.57 as much as possible, because it's just near  
23 impossible to understand. So, thank you very much.

24 CHAIRMAN MALMUD: Thank you. This issue has  
25 come up repetitively, and I think we all understand

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 why the interpretation was given to it by the NRC, but  
2 I think the vast majority of us don't agree with it.  
3 Is that a fair statement?

4 (Chorus of yeses.)

5 CHAIRMAN MALMUD: So, we are asking the NRC  
6 to recognize that we do not feel that the solution that  
7 was arrived at, though logical, is practical, and we  
8 are concerned that it will interfere with the practice  
9 of the specialties involved. And, therefore, we would  
10 encourage the NRC to attempt to resolve this for us  
11 in some regulatory fashion that would not exclude people  
12 from practicing who we feel by virtue of their training  
13 are qualified despite the fact that their boards may  
14 not have responded to the NRC's repeated requests to  
15 meet those standards at that time; that this is a  
16 deficiency in documentation rather than a deficiency  
17 that's been demonstrated to be in practice. It's a  
18 deficiency in documentation, and perhaps some exception  
19 can be worked out so this can be resolved, because we're  
20 concerned about the availability of these people to  
21 practice their specialties on behalf of patient care.

22 MEMBER ZANZONICO: Dr. Malmud, this is Pat  
23 Zanzonico. I would just like to append your statement  
24 with the fact that we concede this is a separate but  
25 perhaps related issue from the Ritenour petition and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is outside the scope of the NRC's response to that  
2 petition, but we think it warrants some remediation,  
3 nonetheless.

4 CHAIRMAN MALMUD: Thank you, and that's  
5 what we're requesting of the NRC Staff and its legal  
6 consultants. We're seeking a practical solution to a  
7 practical problem that will affect some practitioners  
8 in a way which we feel is not in the best interest of  
9 the end product which is patient care. May we move on,  
10 because we're not going to resolve that particular  
11 element of this discussion this conference call.

12 MEMBER ZANZONICO: Understood. I guess my  
13 question is, and this is really for members of the ACMUI,  
14 should we -- do we feel we want to vote and include  
15 -- vote on and include this recommendation in our report  
16 or not in light of the NRC staff's explanations and  
17 clarifications?

18 CHAIRMAN MALMUD: Well, I think that the  
19 --from the voices that I heard on the phone, the vast  
20 majority agrees with your position, Dr. Zanzonico.

21 MEMBER ZANZONICO: Okay.

22 CHAIRMAN MALMUD: And I think that the -- we  
23 recognize the nature of why the decision  
24 -- recommendation was made by the NRC. They are driven  
25 by the law, and the law must be adhered to. At the same

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 time, it's an impractical solution given the fact that  
2 there's a cutoff date which had to do with the law,  
3 but would interfere with individuals who are competent  
4 to do what they had been doing, but whose boards for  
5 a variety of reasons which are difficult to understand,  
6 did not meet the NRC request for documentation at that  
7 time. So, all we can say is that we favor a generous  
8 solution to the existing problem. It's not a larger  
9 problem as 11 million undocumented aliens and,  
10 therefore, we feel that solution might be able to be  
11 worked out given some effort, additional effort by the  
12 NRC staff and legal department in working with perhaps  
13 even the Commissioners themselves to resolve a very  
14 practical issue which doesn't affect an enormous number  
15 of people, but could cause some individuals some  
16 embarrassment. And, therefore, you can put your motion  
17 forward, Dr. Zanzonico.

18 MEMBER ZANZONICO: Okay. Then I'll make the  
19 motion that we adopt the following recommendation; that  
20 is, that the date of recognition of a recognized -- the  
21 date of recognition of a certifying board should not  
22 impact individuals being named as authorized  
23 professionals, AUs, Authorized RSOs, et cetera, so that  
24 is the motion.

25 CHAIRMAN MALMUD: That is the motion. Is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there a second to that motion? I don't hear a second.

2 VICE CHAIR THOMADSEN: This is Bruce  
3 Thomadsen.

4 CHAIRMAN MALMUD: Dr. Thomadsen. You  
5 seconded it?

6 VICE CHAIR THOMADSEN: Yes.

7 CHAIRMAN MALMUD: Thank you. Is there  
8 further discussion?

9 (No response.)

10 CHAIRMAN MALMUD: We recognize that we are  
11 making a recommendation as a consulting body, and that  
12 it may -- a portion of it may be not approved, but we  
13 want the spirit of the recommendation to be clearly  
14 transmitted to the interested parties in the best  
15 interest of maintaining the ability of individuals to  
16 practice on behalf of the public. So, all in favor of  
17 the motion?

18 (Chorus of ayes.)

19 CHAIRMAN MALMUD: Any opposed? I hear no  
20 opposition. Any abstentions?

21 (No response.)

22 CHAIRMAN MALMUD: So, the motion is passed  
23 unanimously which should assist in addressing the  
24 importance of the issue including that element of it  
25 to the bodies that we consult for within the NRC.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Dr. Zanzonico, any other items?

2 MEMBER ZANZONICO: Yes, there are. So, we  
3 want to move on to Item 4 in our report, and this has  
4 to do with the measuring moly breakthrough, and  
5 reporting of failed breakthrough tests. And to expedite  
6 matters on this point, there -- I think we are all in  
7 agreement, we on the ACMUI are all in agreement with  
8 the provisions of the proposed rule requiring testing  
9 of moly breakthrough on every elution of a moly-tech  
10 generator rather than after only the first elution.

11 There are two contentious issues, though,  
12 which have arisen in the course of our last  
13 teleconference and subsequent emails. The first of  
14 these is related to the reporting of out-of-tolerance  
15 breakthrough results.

16 The proposed NRC rule, as I understand it,  
17 is requiring a reporting to the -- by the user, by the  
18 licensee requiring reporting of out-of-tolerance  
19 elution results, breakthrough results to the NRC, and  
20 to the manufacturer.

21 The two options are reporting the results  
22 only to the manufacturer and leaving it to the  
23 manufacturer to report these results to the NRC. And  
24 the second option would be to recommend the proposed  
25 NRC rule requiring dual reporting. That's the first

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 issue.

2 The second issue is related to generators  
3 not included in the covered proposed rule, and there  
4 was concern among the ACMUI members that -- about  
5 generators that might be introduced in the near future  
6 like germanium/gallium generators and what to do with  
7 those in terms of breakthrough testing. And one  
8 possibility would be to the -- for the NRC to generalize  
9 its rule to address future generator systems, and the  
10 alternative would be that the NRC by regulation adopt  
11 the FDA label instructions, the package insert for  
12 generator QC procedures. And the rationale for that  
13 latter approach would be that it would not require  
14 revision of NRC rules as each new generator system is  
15 introduced.

16 So, those are the two issues. And I guess  
17 we should take them one at a time; the first one being  
18 reporting of out-of-tolerance results. If there's any  
19 discussion or comment on reporting requirements to both  
20 the NRC and the manufacturer versus the manufacturer  
21 only. So, at this point I would solicit comments from  
22 the Committee on that point.

23 MEMBER VAN DECKER: Dr. Malmud.

24 CHAIRMAN MALMUD: Yes, thank you.

25 MEMBER VAN DECKER: This is Bill Van Decker.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Can I speak to that first?

2 CHAIRMAN MALMUD: Yes, Dr. Van Decker.

3 MEMBER VAN DECKER: I think that the  
4 Subcommittee did a fairly thoughtful go-around on your  
5 first draft here. I would say I would tend to personally  
6 agree with that draft. I don't think that anyone  
7 disagrees with the fact that generators are important  
8 items in the process of delivering dose to a patient,  
9 and we have to have a great QMP program for each  
10 generator, and a good QC program, but we also have to  
11 recognize that breakthrough unto itself is not a medical  
12 event, although it certainly can lead to the opportunity  
13 to have one, and is something that's going to take some  
14 investigation and some look into things before it really  
15 gets settled out.

16 In a busy clinical world where people are  
17 trying to give access to care at the same time, you  
18 know, a call to a manufacturer who's helping in the  
19 piece of the troubleshooting, and then he's kind of  
20 mandated to take that to the NRC in a more streamlined  
21 manner than licensee having to make multiple reports  
22 in multiple places with multiple time lines, just adds  
23 a lot of complexity to the overall situation.

24 I don't think we all disagree with the  
25 concept of everyone in the current era with current

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com



1 histories and everything else wants to be as sure as  
2 possible. And I think the practicing community wants  
3 that to be true, as well, but we think that reporting  
4 to -- or I think a lot of people feel that reporting  
5 to a manufacturer as an initial step, and at least at  
6 that point having made sure that you've done your QC,  
7 your QMP correctly, and do some troubleshooting from  
8 there is a very reasonable process indicator for where  
9 you need to be, and not a medical event unto itself.  
10 And that would kind of be my concept of this, and I'm  
11 happy to hear from others.

12 CHAIRMAN MALMUD: Dr. Van Decker is seeking  
13 other opinions.

14 MEMBER PALESTRO: Dr. Malmud.

15 CHAIRMAN MALMUD: Yes, sir.

16 MEMBER PALESTRO: Chris Palestro. I  
17 disagree a bit with Dr. Van Decker. I don't have any  
18 experience with rubidium generator but certainly have  
19 had 30 years of experience with the  
20 molybdenum-technetium generator because that's all  
21 we've ever used. We don't use the unit doses. And I  
22 have to -- cannot recall a single incident of molybdenum  
23 breakthrough in any of the generators that we use at  
24 the various locations that I've been over the course  
25 of my career. So, while the reporting may be a bit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 cumbersome and time consuming, it's something that I  
2 think happens so infrequently that that shouldn't be  
3 governing whether or not we want dual reporting.

4 My concern with the manufacturer, quite  
5 frankly, is I'm not a big fan of manufacturers. They  
6 have other items on their agenda, and I think that dual  
7 reporting is better than going through the  
8 manufacturer.

9 MEMBER SULEIMAN: Dr. Malmud, Orhan  
10 Suleiman.

11 CHAIRMAN MALMUD: Yes, I was just about to  
12 thank him for his opinion. And, Dr. Suleiman, your  
13 opinion is welcome.

14 MEMBER SULEIMAN: Okay. This is basically  
15 from real life experience. Breakthrough does not occur  
16 very often, but it does occur, and there was a case  
17 a few years ago where a user was getting breakthrough  
18 and reporting it to the manufacturer. And this kept  
19 on going on, and the generator -- he was getting a  
20 generator replaced. Eventually he got fed up because  
21 he -- this was a recurring problem and it was something  
22 he hadn't experienced before. So, he reported it to  
23 the NRC, who shared that information with us.

24 It took a while for the investigation to  
25 follow but there was a manufacturing issue underlying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the problem. It doesn't happen often, but in terms of  
2 trends if you get maybe a bad batch of molybdenum or  
3 a bad batch of the column, the chemical that makes the  
4 column, you may start to see breakthrough across  
5 multiple sites, and everyone will say well, it's just  
6 one thing, I'm not going to bother. But if there's  
7 -- it's sort of an early warning thing. And I don't  
8 think anybody I've spoken to thinks that it would be  
9 burdensome to just -- I wouldn't expect that the NRC  
10 reporting requirement would be massive in terms of  
11 paperwork, but that's sort of saying, you know, we  
12 picked up the moly. And it's also a system of checks  
13 and balances.

14           When you rely solely on the manufacturer  
15 and a lot of manufacturers are good, and professional,  
16 and we learn a lot from their expertise, but there's  
17 also always the temptation of conflict of interest.  
18 So, they may want to solve the problem before they -- you  
19 know, let's take care of this. This is not a really  
20 serious problem. And by the time they come to the  
21 conclusion that maybe it is a more serious problem,  
22 it may have proliferated. So, I think it's a very prudent  
23 and simple requirement.

24           CHAIRMAN MALMUD: Thank you, Dr. Suleiman.

25 We've heard from two members of the Committee both of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 whom are supportive of the dual reporting line, both  
2 the manufacturer and the NRC. Are there any voices in  
3 support of that, as well, or who oppose that?

4 MEMBER MATTMULLER: Dr. Malmud, this is  
5 Steve Mattmuller.

6 CHAIRMAN MALMUD: Yes, Steve.

7 MEMBER MATTMULLER: And I do have a few  
8 comments in regards to this. I believe the justification  
9 for the proposed reporting requirements have  
10 misidentified past incidents as radiation safety  
11 incidents but, in fact, they are a product quality  
12 issue.

13 The breakthrough test in question is a  
14 radiopharmaceutical product quality control test. The  
15 testing procedure is clear. The licensee is to perform  
16 the measurement for breakthrough before the product  
17 is used. If the product passes the measurement, then  
18 it may be used for patients. If the product fails the  
19 measurement then it may not be used for patients.

20 The discussion within the proposed rule  
21 misses this fact, I think, from past incidents; that  
22 is, when pharmacists found breakthrough limits that  
23 were exceeded in their technetium-99m elutions, they  
24 discarded the elution, patients were not injected. If  
25 a product fails this measurement it's a product quality

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 issue that is best solved by the licensee contacting  
2 the manufacturer.

3 If a licensee has a generator that fails  
4 breakthrough testing they are, in essence, out of  
5 business. If they want to return to business, they have  
6 to call the manufacturer because only the manufacturer  
7 can supply a replacement generator for the defective  
8 generator. And believe me, this is a strong incentive  
9 for a licensee to contact a manufacturer.

10 For well over a decade it's been standard  
11 practice for any licensee who uses a generator to also  
12 use the computer system such as biodose or NMIS, or  
13 their own in-house system such as ones developed by  
14 Triad and Cardinal.

15 An important component of these computer  
16 systems is the calculations that are automatically  
17 performed for moly-99 breakthrough testing. As one  
18 assays the technetium-99m and the moly content of an  
19 elution, this information is entered into the program  
20 and it automatically calculates the ratio of technetium  
21 to moly.

22 If it passes, it's good to go. If it doesn't  
23 pass, it can't be used for making -- for kits or for  
24 being used to dispense for doses. In fact, some  
25 pharmacies now are even going one step further and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 they're printing the moly-99 content on the individual  
2 technetium-99m unit dose labels.

3 The same steps apply to the strontium-82,  
4 rubidium-82 generator except that instead of an  
5 in-house computer system the assay results of the  
6 elution are now entered into an online system monitored  
7 by Bracco. If an elution with substandard product  
8 quality is disposed of and not administered to patients,  
9 how would the NRC ever see a report of a radiation safety  
10 issue in a patient?

11 In other words, if a licensee is following  
12 the regulations and performing a breakthrough test,  
13 the NRC will only see reports regarding product  
14 qualities or issue regarding product quality.

15 So, I would say the NRC responsibility is  
16 patient safety. The best way to insure patient safety  
17 is that a safe product is being used. The best response  
18 from the NRC should be to do the breakthrough testing  
19 according to FDA product labeling.

20 I'd also like to make a few additional  
21 comments on the rationale listed in the proposed  
22 regulations as justifications for the new reporting  
23 requirements. One of the first --

24 CHAIRMAN MALMUD: Steve?

25 MEMBER MATTMULLER: Yes?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN MALMUD: I just want to interrupt  
2 you for a moment, and that is, therefore, you are arguing  
3 against the dual reporting line.

4 MEMBER MATTMULLER: Yes, I am.

5 CHAIRMAN MALMUD: Thank you. I just wanted  
6 to clarify that. Now, please go ahead.

7 MEMBER MATTMULLER: Not a problem. The  
8 first justification was that the FDA may not investigate  
9 each reported incident and may take a considerable  
10 amount of time in investigating the cause of reported  
11 failures. This is probably an accurate description of  
12 past FDA actions, but without knowing the specifics  
13 of each event, this is probably an entire appropriate  
14 action by the FDA.

15 According to FDA current good  
16 manufacturing practices, if a manufacturer gets a  
17 product complaint, there are several standard operating  
18 procedures in place that they must follow. One of these  
19 standard operating procedures is that the manufacturer  
20 will start an investigation as to the cause of the  
21 problem, and the result of the investigation and any  
22 proposed modifications to the manufacturing process,  
23 and any validation studies of these modifications will  
24 all be available for FDA review.

25 Even though the FDA may not have its

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 inspectors in the manufacturer's facility at the time,  
2 in a very big way an inspection is being conducted in  
3 a manner approved by the FDA. Think of these standard  
4 operating procedures as representative of its in-house  
5 FDA office within the manufacturing site in that these  
6 SOPs, or standard operating procedures are all FDA  
7 approved and they direct the actions of the manufacturer  
8 in these and all other situations.

9 I'll skip to the third and come back to  
10 the second. The third statement was, additionally, some  
11 incidents of failed generators may not be reported to  
12 the FDA because certain manufacturers are not in the  
13 United States. And the generators are distributed by  
14 vendors who are not required to report to the FDA.

15 Whether or not a company's headquarters  
16 or its manufacturing site is inside or outside of the  
17 United States is misleading. If a product is used in  
18 the United States, it will have FDA approval. Its  
19 application for this drug, its standard operating  
20 procedures, its manufacturing site will all be  
21 reviewed, inspected, and approved by the FDA before  
22 the product comes to market.

23 If a licensee's generator is not  
24 performing well and that licensee can't use it for their  
25 patients, they will contact the manufacturer, as only

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 the manufacturer can send them a replacement generator.

2 There was also a statement about how the  
3 generators are distributed by vendors who are not  
4 required to report to the FDA. I'm not clear to the  
5 intent of this because to my knowledge the vast majority  
6 of generators are sold direct to the licensee by the  
7 manufacturer; 95 percent of all technetium generators  
8 are sold direct to commercial nuclear pharmacies. The  
9 other 5 percent are sold direct to large medical  
10 institutions such as Massachusetts General or  
11 Sloan-Kettering. All the rubidium-82 generators are  
12 sold direct by Bracco.

13 If there is a unique example of a vendor  
14 distributing a generator that would represent a very  
15 small percentage of all generators, it would be doubtful  
16 this small number could justify a regulatory action.  
17 Plus, in a sense it doesn't matter. A failed generator  
18 is a failed generator. Even if a vendor is involved,  
19 the licensee is out of business. If a vendor is contacted  
20 by the licensee that they have a failed generator, the  
21 vendor has to contact the manufacturer to arrange for  
22 a replacement generator for the licensee.

23 In regards to the second statement, the  
24 NRC believes that requiring each incident of a failed  
25 generator to be reported would provide the NRC the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 opportunity to evaluate and take prompt action, as  
2 needed.

3           Again, these are not radiation safety  
4 issues; these are drug quality issues, clearly in the  
5 realm and expertise of the FDA. The generator's  
6 manufacturer radioactive materials license is for the  
7 safe use of radioactive material within their  
8 manufacturing facility. This license is concerned with  
9 items such as radiation exposure to the employees,  
10 proper security of the radioactive material, and proper  
11 disposal of radioactive waste. These are all areas of  
12 the NRC's expertise and regulatory charge.

13           A manufacturer's radioactive material  
14 license, though, from the NRC should not be used as  
15 a pathway to investigate a manufacturer's manufacturing  
16 procedures. These procedures are clearly the expertise  
17 of the FDA.

18           To allow the NRC a pathway to investigate  
19 manufacturer's procedures would be akin to allowing  
20 the FDA to investigate operating procedures at a nuclear  
21 power plant. It would be inappropriate.

22           But even if these reports are allowed, any  
23 subsequent investigation by the NRC will have a very  
24 unequal effect on the various generator manufacturers.  
25 One has to remember that the NRC's regulations are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 enforced by 37 Agreement States in the U.S. And just  
2 as the NRC really does not have the appropriate staff,  
3 such as a chemical engineer or a radiochemist with FDA  
4 manufacturing experience, neither do the respective  
5 Agreement State Radiation Protection Programs.

6 As a reminder, the Covidien manufacturing  
7 sites in St. Louis, Missouri, the Lantheus  
8 manufacturing sites in Boston, Massachusetts, and one  
9 of the manufacturing sites for the Bracco rubidium  
10 generator is in Ottawa, Canada.

11 There are a couple of scenarios to consider  
12 for this. The first one would be breakthrough is found  
13 in a licensee in Missouri from a Covidien generator  
14 that was manufactured in Missouri. The licensee sends  
15 a report to the NRC. If the NRC decides an inspection  
16 is needed, they can inspect right away.

17 In scenario two, breakthrough to be found  
18 by a licensee in Ohio from a Lantheus generator that  
19 was manufactured in Massachusetts. The licensee sends  
20 a report to the Ohio Bureau of Radiation Protection.  
21 The Ohio Bureau sends a report to the NRC. If the NRC  
22 decides an inspection is needed, they have to suggest  
23 this to the Massachusetts Radiation Control Program.  
24 Does the Massachusetts program have to act? And, if  
25 so, to what extent? So, as demonstrated in the recent

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 rubidium-82 generator incident, the NRC only had an  
2 advisory role as the manufacturing site was in New  
3 Jersey.

4 And the third scenario, breakthrough is  
5 found by a licensee from a Bracco generator that was  
6 manufactured in Canada. The licensee sends the report  
7 to the NRC. If the NRC decides an inspection is needed,  
8 they can't because they have no authority in Canada.

9 Actually, the third justification listed  
10 regarding manufacturers outside of the U.S. is not a  
11 problem for the FDA, but it is a problem for the NRC.  
12 And can an agency legally promulgate a regulation when  
13 they know that any subsequent regulatory action will  
14 be unequally applied? So, clearly the NRC should leave  
15 the manufacturer of radiopharmaceuticals to the FDA.

16 In all three examples above, the FDA can  
17 inspect the manufacturing facilities regardless of  
18 state or international borders. There should not be  
19 any additional reporting requirement.

20 This is the same recommendation from the  
21 participants in the two workshops held by the NRC on  
22 this proposed regulation. The NRC should continue to  
23 emphasize adherence and expect the 35.204 but there  
24 should be no additional reporting requirements. Thank  
25 you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 CHAIRMAN MALMUD: Thank you, Steve. Any  
2 further comments? We've now heard both sides, those  
3 in favor of dual reporting, and those in favor of  
4 reporting only to the FDA. Any further discussion?

5 (No response.)

6 CHAIRMAN MALMUD: Pat.

7 MEMBER ZANZONICO: Yes, shall we make a  
8 motion?

9 CHAIRMAN MALMUD: Please do.

10 MEMBER ZANZONICO: Then the motion I would  
11 propose, even though it's not explicitly included in  
12 our draft report but I think it's worth making is -- the  
13 motion would be that the ACMUI endorses the provision  
14 in the proposed rule for reporting of out-of-tolerance  
15 moly breakthrough results to the NRC. So, that would  
16 be an up or down vote, that the ACMUI either endorses  
17 or does not endorse that provision.

18 MEMBER MATTMULLER: Dr. Malmud, this is  
19 Steve Mattmuller again. Pat, could you read that a  
20 little bit slow --

21 MEMBER ZANZONICO: Yes.

22 MEMBER MATTMULLER: Technetium generators  
23 but all generators.

24 MEMBER ZANZONICO: Certainly, we can vote  
25 on that point, and I understand the rationale. So, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 -- we're voting on a motion to recommend reporting  
2 of out-of-tolerance breakthrough results, generator  
3 breakthrough results to the NRC. So, again, it's and  
4 up or down vote, we're recommending reporting of such  
5 results to the NRC, or recommend -- or not reporting  
6 such results to the NRC.

7 CHAIRMAN MALMUD: But, Dr. Zanzonico, your  
8 motion is that it be reported.

9 MEMBER ZANZONICO: Correct.

10 CHAIRMAN MALMUD: That is an up or down  
11 vote.

12 MEMBER ZANZONICO: Correct. Correct,  
13 that's the motion.

14 CHAIRMAN MALMUD: Is there a second to that  
15 motion?

16 MEMBER WEIL: This is Laura Weil, I'll  
17 second.

18 CHAIRMAN MALMUD: Laura Weil seconds the  
19 motion. So, the motion has been moved and seconded that  
20 the breakthrough be reported to the NRC.

21 MEMBER LANGHORST: Dr. Malmud, this is Sue  
22 Langhorst.

23 CHAIRMAN MALMUD: Yes, Dr. Langhorst.

24 MEMBER LANGHORST: I'd like that motion  
25 clarified that notification to NRC, you're talking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about the licensee who is using the generator.

2 MEMBER ZANZONICO: Correct. Correct. This  
3 is a reporting requirement for the licensee.

4 MEMBER LANGHORST: Thank you.

5 CHAIRMAN MALMUD: Thank you for that  
6 clarification, Dr. Langhorst and Dr. Zanzonico. So,  
7 the motion is that the licensee report this to the NRC.  
8 All in favor of the motion?

9 (Chorus of ayes.)

10 CHAIRMAN MALMUD: Any opposed to the  
11 motion?

12 (Chorus of ayes.)

13 CHAIRMAN MALMUD: We'll have to take a vote  
14 then, and we'll have to do this by each individual  
15 identifying himself or herself. So, those in favor of  
16 the motion are, number one, Dr. Zanzonico.

17 MEMBER ZANZONICO: In favor, yes.

18 CHAIRMAN MALMUD: Number two, who seconded  
19 the motion?

20 MEMBER WEIL: Laura Weil.

21 CHAIRMAN MALMUD: Laura Weil, number two.  
22 Number three in favor?

23 MEMBER PALESTRO: Chris Palestro.

24 CHAIRMAN MALMUD: Dr. Palestro. Number  
25 four?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER SULEIMAN: Orhan Suleiman.

2 CHAIRMAN MALMUD: Dr. Suleiman. Number  
3 five?

4 VICE CHAIR THOMADSEN: Bruce Thomadsen.

5 CHAIRMAN MALMUD: Dr. Thomadsen. Six? Is  
6 there a sixth?

7 (No response.)

8 CHAIRMAN MALMUD: I do not hear a sixth.  
9 Those opposed to the motion? Number one? Steve?

10 MEMBER MATTMULLER: Steve, yes.

11 CHAIRMAN MALMUD: Number two?

12 MEMBER LANGHORST: This is Sue Langhorst.  
13 I'm opposed.

14 CHAIRMAN MALMUD: Dr. Langhorst. Number  
15 three?

16 MEMBER BAILEY: Darice Bailey.

17 CHAIRMAN MALMUD: Thank you. Number four?

18 MEMBER VAN DECKER: Van Decker.

19 CHAIRMAN MALMUD: Dr. Van Decker. Number  
20 five?

21 MEMBER WELSH: Jim Welsh.

22 CHAIRMAN MALMUD: Dr. Welsh. Six?

23 MEMBER SUH: John Suh.

24 CHAIRMAN MALMUD: Dr. Suh. Seven?

25 MEMBER GUIBERTEAU: Mickey Guiberteau.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com



1 CHAIRMAN MALMUD: Dr. Guiberteau. Eight?  
2 So, the motion fails by a vote of 7-5. The Chair has  
3 not voted. Thank you.

4 Now, Dr. Zanzonico, you have another  
5 motion, do you not?

6 MEMBER ZANZONICO: Yes, well another issue  
7 I think that warrants discussion on the generator issue.  
8 And it's not unrelated. And this has to do with future  
9 generators. And the issue is whether the ACMUI should  
10 recommend that the NRC adopt FDA label instructions  
11 for QC procedures for radioisotope generators.

12 The first -- one alternative would be no,  
13 that the NRC promulgates its own required QC procedures.  
14 And, obviously, the other alternative would be that  
15 yes, the NRC adopt the FDA label instructions. And,  
16 again, the advantage of the latter to my way of viewing  
17 is that as new generators become marketed products there  
18 will be built-in QC procedures as part of the package  
19 insert. So, it wouldn't require a revised rulemaking  
20 by the NRC to incorporate these new generators into  
21 its regulatory oversight, the scope of its regulatory  
22 oversight. So, that is an issue open for discussion,  
23 and I would invite comments from the Committee.

24 CHAIRMAN MALMUD: Thank you, Dr. Zanzonico.  
25 Are there comments?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER BAILEY: Yes, this is Darice Bailey.

2 CHAIRMAN MALMUD: Yes.

3 MEMBER BAILEY: I would like to clarify from  
4 a regulatory standpoint whether you're saying that NRC  
5 should, or the Agreement States, whatever, should adopt  
6 FDA's label or if through rule or license conditions  
7 require the licensee -- that the licensee follows the  
8 package insert, which is different things.

9 MEMBER ZANZONICO: Yes. This is Pat  
10 Zanzonico. I would -- it's a subtle but I understand  
11 important distinction, and to my way of thinking, I  
12 would personally recommend the latter.

13 MEMBER BAILEY: I would, too.

14 MEMBER ZANZONICO: Yes.

15 CHAIRMAN MALMUD: Thank you for clarifying  
16 that. Other comments?

17 MEMBER SULEIMAN: Dr. Malmud, this is Orhan  
18 Suleiman.

19 CHAIRMAN MALMUD: Dr. Suleiman.

20 MEMBER SULEIMAN: I want to clarify that  
21 it's not accepting an FDA approved label. This is the  
22 manufacturer's operating instructions. This whole  
23 thing is put together by the manufacturer, though we  
24 eventually approve it, so it's not like our version  
25 versus theirs. And a point of distinction, though I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 don't know different people interpret it differently,  
2 I think what we were focusing on was the breakthrough  
3 limit as specified in the label. Obviously, how they  
4 do breakthrough is important and should be following  
5 the manufacturer's instructions.

6 A third point is that recently, for  
7 example, the strontium-rubidium generator, the  
8 manufacturer decided to lower the breakthrough limit,  
9 so the NRC through rulemaking has etched in the  
10 regulations a limit that the company has now changed.  
11 So, this would give the NRC a little bit more flexibility  
12 in that they could say, you know, the limit is what  
13 the label specifies, so if you get a new generator where  
14 maybe the impurities are even less, they want to change  
15 the limit, you get a different type of generator, you  
16 have a completely different, you know, specified amount  
17 of radionuclide per breakthrough. That would all be  
18 taken care of very easily, and that way it would also  
19 allow for making changes in manufacturing.

20 CHAIRMAN MALMUD: Thank you, Dr. Suleiman.  
21 So, you're speaking in favor of the NRC asking that  
22 the manufacturer's label, which is eventually approved  
23 by the FDA, be the guideline.

24 MEMBER SULEIMAN: Be the regulation.

25 CHAIRMAN MALMUD: Be the regulation. Did

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I interpret that correctly?

2 MEMBER SULEIMAN: And, in fact, they've  
3 always done that with the label, but then manufacturers  
4 may change the requirement, and the NRC is stuck holding  
5 a regulation that's outdated that then has to go through  
6 rulemaking to change.

7 CHAIRMAN MALMUD: When the manufacturer  
8 changes the label doesn't that require FDA approval?

9 MEMBER SULEIMAN: Oh, yes. Oh, yes. In other  
10 words, for a manufacturer to change the label they file  
11 what is known as a supplement.

12 CHAIRMAN MALMUD: Yes.

13 MEMBER SULEIMAN: And they say we want to  
14 make these changes. You know, we've learned some new  
15 things, we want to -- for a multitude of reasons. And  
16 when the new label comes out it basically replaces the  
17 old label.

18 CHAIRMAN MALMUD: Yes, I understand. So,  
19 that really simplifies it for the end user by having  
20 one standard to adhere to.

21 MEMBER SULEIMAN: That's how I see it.

22 CHAIRMAN MALMUD: Thank you.

23 MEMBER GUIBERTEAU: Dr. Malmud, this is  
24 Mickey Guiberteau. Could I ask a question, please?

25 CHAIRMAN MALMUD: Of course, Dr.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Guiberteau.

2 MEMBER GUIBERTEAU: This is sort of a  
3 curious circumstance, but in terms of the FDA labeling  
4 and requirements for a generator, as well as putting  
5 some limits on the -- approving the limits of the  
6 manufacturer on the moly breakthrough, let's say in  
7 the instance of a molybdenum-99, technetium-99  
8 generator. If -- what are the implications for  
9 off-label use in the sense of medical necessity if there  
10 is not an absolute limit within say the NRC regulations?

11 And just by way of example, if I were to  
12 elute a generator and I had exceeded the 0.15  
13 microcuries per millicurie, but felt that I had an  
14 emergency procedure that needed to be performed, and  
15 I used this anyway. Would that be something that would  
16 be defensible?

17 MEMBER SULEIMAN: I think that would -- Dr.  
18 Malmud, Orhan Suleiman again. I think that's a perfect  
19 example of justified practice of medicine issue. You  
20 know, you may have an emergency. This may be the only  
21 generator available, this may be the only test that  
22 would give you relevant efficacious information, and  
23 you exercise your authority as a practitioner of  
24 medicine. And I would not see any problem with that  
25 at all. Our oncologists, I talk to them all the time,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and I said so you can change your dose? I said, you  
2 know, in terms of chemo or whatever or change the  
3 protocols, he says oh, yes, that's -- we can do that  
4 under our practice of medicine. So, even though we have  
5 an official protocol that's approved as part of the  
6 label, physicians -- and I'm going to defer to the other  
7 physicians on the panel, oncologists, my understanding  
8 is that's done often, you know, if you feel that  
9 something may improve for a specific patient. So, the  
10 answer to your question is it would be justified.

11 MEMBER GUIBERTEAU: And do you see that as  
12 a difference in culture between say such a regulation  
13 of an absolute limit in the NRC as opposed to one made  
14 by the manufacturer under FDA labeling?

15 MEMBER SULEIMAN: What the -- this is - I,  
16 you mean, we sometimes to get policy have to go through  
17 all sorts of reviews and whatever. This is clearly my  
18 interpretation of our policy, but if I think somebody  
19 is circumventing the regulations and saying I'm doing  
20 this under practice of medicine, but clearly doesn't  
21 want to comply with the safety aspects of it, at that  
22 point I believe they assume -- they do assume the  
23 liability themselves. And as long as everything works  
24 out okay, it's acceptable.

25 Most of the manufacturers when they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 develop a medical product they're working hand and hand  
2 with the user community, with the physicians. So, it's  
3 not a them or us thing. I think everybody is trying  
4 to get a product out that's going to be safe, that's  
5 easy to use, and there are some safety standards in  
6 place. So, your example was pretty easy, you know, but  
7 sometimes when people really border on negligence, you  
8 know, do they want to invoke -- often they'll blame  
9 some other person or some -- you know, they were  
10 confused with the instructions, or they'll blame one  
11 of the intermediary health professionals. But I don't  
12 think -- I don't see where somebody would go against  
13 what the manufacturer is recommending.

14 MEMBER GUIBERTEAU: Thank you. I just  
15 wanted to clarify that in my own mind.

16 MEMBER SULEIMAN: Did I confuse or --

17 CHAIRMAN MALMUD: No, I think you clarified  
18 it, at least you clarified it for me, Dr. Suleiman.

19 MEMBER SULEIMAN: Thank you.

20 MEMBER GUIBERTEAU: And me, also.

21 CHAIRMAN MALMUD: Other comments?

22 MEMBER VAN DECKER: Dr. Malmud, this is Bill  
23 Van Decker.

24 CHAIRMAN MALMUD: Yes, Dr. Van Decker.

25 MEMBER VAN DECKER: I think I would echo

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 some of the comments of some of the people that have  
2 spoken prior. I think that we all want to look at  
3 generators as a non-generic set of issues here because  
4 there may be more down the line, and we want them all  
5 handled in a similar level playing field kind of  
6 situation. So, I think that that's a good idea.

7 I think the concept of not having very,  
8 very specific numbers in rulemaking space is also a  
9 wonderful concept because we know, and we're watching  
10 even now how long it takes rulemaking to get readjusted.  
11 So, I think we want to make sure we give ourselves the  
12 leeway as the science evolves and as we see how things  
13 play out.

14 I have to admit that I'm hopeful that the  
15 FDA labeling concept works, or possibly not knowing  
16 the fine points of the legality of some of this it makes  
17 me a little nervous because, you know, physicians always  
18 talking about on-label and off-label, and how quickly  
19 does that change, and what's the update. You know, I  
20 think I had spoken to a few people about the possibility  
21 of, you know, can we do some of this in appendix space  
22 rather than just use FDA label or just change numbers,  
23 or use -- or make it somewhat clear that the FDA's  
24 labeling concept here applies only to the breakthrough  
25 component of the eluate per se. So, I don't know the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 real answers to that, but if people who know more than  
2 me believe that this fulfills the reality of being  
3 flexible, allowing for us to move the science forward,  
4 and to make changes we need to, then I trust people  
5 in that regard.

6 CHAIRMAN MALMUD: Thank you, Dr. Van  
7 Decker.

8 DR. HOWE: Dr. Malmud, this is Dr. Howe.  
9 May I speak?

10 CHAIRMAN MALMUD: Yes, Dr. Howe.

11 DR. HOWE: This is kind of historical, but  
12 in about 1994 we went through a very long, prolonged  
13 rulemaking that was referred to as the Practice of  
14 Pharmacy in Medicine Rule. And in that rule, we were  
15 told by the medical community that we could not hold  
16 licensees to package inserts in the preparation of  
17 radiopharmaceuticals or the elution of generators, nor  
18 could we hold licensees to use of materials as described  
19 in the package insert. And we were told that we were  
20 enforcing FDA requirements when FDA was not enforcing  
21 those requirements, and recognize there was more  
22 flexibility. And as a result of that rulemaking, we  
23 removed all requirements for our licensees to follow  
24 FDA package insert. We specifically added a section  
25 in Part 35, 35.7 that says nothing in this part released

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the licensee from comply with the applicable FDA, other  
2 federal and state requirements governing radioactive  
3 drugs or devices.

4 But we did not say, and in 2002 they tried  
5 to go to plain language and say you're required to follow  
6 the FDA requirements. And we very carefully went back  
7 and said no, we cannot do that. We just can only say  
8 that you're not relieved of following them. So, to try  
9 to in rulemaking put NRC following an FDA package insert  
10 and enforcing an FDA package insert would be taking  
11 us back to pre-1994 situations in which the medical  
12 and the pharmacy community said we were doing the wrong  
13 thing. Thank you.

14 MEMBER MATTMULLER: Dr. Malmud, this is  
15 Steve Mattmuller, if I could reply to that, please.

16 CHAIRMAN MALMUD: Yes, Steve.

17 MEMBER MATTMULLER: Part of the issues that  
18 were raised back then were that -- were, for example,  
19 indications of when what specific test a  
20 radiopharmaceutical could be used for. And if it wasn't  
21 in the package insert, then a licensee was in  
22 non-compliance if they used it for a different  
23 indication; and/or in regards to preparing a kit  
24 according to the manufacturer's instructions, Orhan  
25 touched on it, to sometimes change product information

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is a costly experience for the manufacturer, so even  
2 though they know the field is say, for example, putting  
3 400 millicuries of technetium into a sulfur colloid  
4 kit versus the product label of 200, they know people  
5 are doing quality control testing and it's a safe  
6 product, but they're not going to go through the time  
7 and expense to revise the product labeling to say yes,  
8 you can now add 400 millicuries of per technetate to  
9 a sulfur colloid kit.

10 In this discussion, I think it would be  
11 important to say that the measurement for the  
12 radionuclidic impurity levels shall be in accordance  
13 with the generator's FDA's product labeling section,  
14 as Bracco calls it, their Eluate Testing Protocol. So,  
15 what we'd be recommending is that just to follow that  
16 aspect in the product labeling; that is, the Eluate  
17 Testing Protocol, not the complete -- we're not putting  
18 out a blanket statement for the whole product or package  
19 insert, just that specific section on testing for  
20 radionuclidic impurities in the package insert for that  
21 specific generator.

22 And I'd also like to make a -- it's been  
23 touched on. This is a current problem now with rubidium  
24 generator in that there are more restrictive testing  
25 requirements in the product labeling, but NRC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 regulations aren't even addressing it in this revision.  
2 And it could be another seven to ten years before they  
3 do accept it with the current strategy that the NRC  
4 uses for this type of enforcement.

5 And I think that's all I have for right  
6 now. Thank you.

7 CHAIRMAN MALMUD: Thank you, Steve. So, I  
8 want to thank Dr. Howe for her historical perspective  
9 on this, but I'm not certain about the concise point  
10 that you're making, Steve. Could you just clarify it?

11 MEMBER MATTMULLER: Well, I think her  
12 concern for going back -- let me put it this way. If  
13 we're careful in how we word our recommendation or how  
14 the regulation is worded in that testing is only to  
15 the specific part in the package insert in regards to  
16 eluate testing, and not to the whole package insert  
17 as far as indications, or as far as product preparation,  
18 then I think we're in sound territory.

19 CHAIRMAN MALMUD: Thank you. Dr. Howe, do  
20 you wish to respond to that?

21 DR. HOWE: I'm not sure it's that clear,  
22 because I know that prior to 1994 when people were  
23 testing materials for purity, they weren't using the  
24 purity tests that were in the USP. And if they change  
25 -- if the manufacturer or the commercial nuclear

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 pharmacy changes how it measures the breakthrough in  
2 any way from the package insert we would be in a position  
3 where we would have to enforce an FDA accepted package  
4 insert when FDA may not. And we can't go back there.

5 CHAIRMAN MALMUD: Thank you. Dr. Zanzonico?

6 MEMBER ZANZONICO: Well, it seems like a  
7 regulatory dilemma but, again, the ACMUI is an advisory  
8 body, and I think we should make what we feel is the  
9 most appropriate recommendation. And, of course, leave  
10 it to the regulator, the NRC, to either accept and  
11 implement it, or not. But at least our position would  
12 be on the record for the benefit of the Commission.  
13 So, I think we should move forward with a vote on the  
14 recommendation unless there's further discussion.

15 MEMBER SULEIMAN: This is Orhan Suleiman  
16 again.

17 CHAIRMAN MALMUD: Yes, Dr. Suleiman.

18 MEMBER SULEIMAN: Okay. A point of  
19 clarification, the way I interpret it. We were basically  
20 referring to the breakthrough limit in the label. I  
21 don't think we were implying that the NRC adopt the  
22 entire label, which then could be subject to all sorts  
23 of different interpretations. I think here we're  
24 talking about the quantitative limit as specified in  
25 the label.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 CHAIRMAN MALMUD: Ah-hah. Dr. Zanzonico,  
2 is that in agreement with your recommendation?

3 MEMBER ZANZONICO: It is now. I think that's  
4 an important clarification, and I think our  
5 recommendation should reflect that point.

6 CHAIRMAN MALMUD: That would be a  
7 limitation to the breakthrough level in the label. Who  
8 seconded your motion, Dr. Zanzonico?

9 MEMBER ZANZONICO: Well, I don't think I  
10 actually made the formal motion, but I'll be happy to  
11 do so.

12 CHAIRMAN MALMUD: All right.

13 MEMBER ZANZONICO: So, it'll be a bit on  
14 the fly, but the motion is the following. The NRC -- I'm  
15 sorry, the ACMUI recommends that the NRC adopt the FDA  
16 package -- the FDA approved package insert for  
17 breakthrough limits for radio isotope generators.

18 CHAIRMAN MALMUD: Thank you, that's a  
19 concise recommendation. Is there a second to it?

20 MEMBER MATTMULLER: I'll second it. Steve  
21 Mattmuller.

22 CHAIRMAN MALMUD: Thank you, Steve. May I  
23 ask Dr. Howe if she thinks that this might fly?

24 DR. HOWE: I --

25 CHAIRMAN MALMUD: You don't want to -- I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sorry, I didn't hear you.

2 DR. HOWE: Oh, Neelam will speak.

3 CHAIRMAN MALMUD: Thank you.

4 MS. BHALLA: Yes, this is Neelam Bhalla.

5 And we believe this for -- as a rule writer we have  
6 been always guided that in our rules we should state  
7 the limits, what the regulations are directly in our  
8 regs so that a licensee is not referred to or not sent  
9 somewhere else. And this is referred to as incorporation  
10 by reference.

11 For example, in the Part 20 about public  
12 protection or radiation exposure to the members of the  
13 public, many of the things are based on the ICRP or  
14 the NCRP recommendations, so we don't say in our regs  
15 go to ICRP-100 and look at whatever those numbers are,  
16 and that's what our regulation is.

17 So, in this particular case I'm not really  
18 sure if we are treading onto that wrinkle where we are  
19 sending the licensee somewhere else. So, I'll be a  
20 little bit reluctant on -- and I just wanted you to  
21 know about that, that we -- generally, we like to put  
22 whatever the regs are, whatever numbers are right in  
23 our regs.

24 CHAIRMAN MALMUD: Thank you for that  
25 clarification. I wanted to -- the purpose of my asking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 for it was to have it expressed so that the Committee  
2 members will understand the issue. I heard another  
3 voice?

4 VICE CHAIR THOMADSEN: That is Bruce  
5 Thomadsen. May I comment?

6 CHAIRMAN MALMUD: Please, Dr. Thomadsen.

7 VICE CHAIR THOMADSEN: I very much  
8 appreciate the NRC trying to keep everything in the  
9 one document, and I think as a user it is very convenient  
10 to do so. The problem that's trying to be addressed  
11 here is the ossification of the recommendations even  
12 as situations change, and the recommendations get out  
13 of date and actually may become dangerous.

14 The question of sending the user somewhere  
15 else and having them look these things up is not as  
16 big of a problem here as it would be if you were referring  
17 to an ICRP report to which many people may not have  
18 ready access. But if you're dealing with a generator,  
19 it's assumed that you also do have their package insert,  
20 and you would have the recommendations that go with  
21 the package insert right there before you.

22 MEMBER BAILEY: Dr. Malmud, this is Darice  
23 Bailey. May I speak?

24 CHAIRMAN MALMUD: Yes, but first, Dr.  
25 Thomadsen's point is well made. Okay. You're on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com



1 MEMBER BAILEY: I want to add to his point,  
2 NRC in their transportation rules referenced Title 49  
3 extensively and it's really difficult to look them up.  
4 So, it is done in NRC rule territory to reference other  
5 numbers.

6 MS. CHIDAKEL: Excuse me. This is Susan  
7 Chidakel. I have been sitting here listening to this  
8 discussion, and I haven't participated because, to be  
9 honest, I don't know the answer. But I do want to tell  
10 you that there are legal issues here that are being  
11 raised that may have a definite answer. It's more than  
12 just expressing an opinion whether this fits within  
13 here, or fits within there, whether this is like our  
14 DOT regs, or whether this is like the IAEA regs, or  
15 whatever it is. We have certain legal standards.

16 I, personally, do not know what they are  
17 off the top of my head, but I just want to warn you,  
18 you know, opinion doesn't matter here. This is something  
19 that may be dictated by what the legal standards are.  
20 I just want to caution you on that. You can make a  
21 recommendation that I can go back and research this  
22 out, or discuss this with my management and find out  
23 that this is not legally permissible.

24 CHAIRMAN MALMUD: Thanks.

25 MS. CHIDAKEL: It may be. I don't know.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN MALMUD: Thank you, Counselor  
2 Chidakel. That's why I raised the issue the way that  
3 I did, because I wanted the Committee members to  
4 understand that our recommendation might not be  
5 accepted. We don't --

6 MEMBER VAN DECKER: Dr. Malmud.

7 CHAIRMAN MALMUD: I'm sorry, who's  
8 speaking?

9 MEMBER VAN DECKER: This is Bill Van Decker.

10 CHAIRMAN MALMUD: Yes, I just wanted to  
11 finish my sentence, which is that that's why I raised  
12 the issue so that there would be an understanding among  
13 the Committee members that this may or may not fly.  
14 Thank you. Dr. Van Decker.

15 MEMBER VAN DECKER: Yes. I think that, you  
16 know, we're not going to solve the exact wording here  
17 today. But I think that, you know, the thing that has  
18 come across everyone who has spoken is that we're  
19 looking for something not written in stone in rulemaking  
20 space that doesn't allow us dexterity to change with  
21 the times; that if we go with something along the concept  
22 of FDA labeling, we're really talking about only the  
23 breakthrough piece and not the rest of the clinical  
24 piece of this. And, you know, whether that is some other  
25 way to describe what we're trying to refer to, or whether

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that's some way to create some appendix with exact  
2 numbers that fulfill the spirit of what's FDA labeling  
3 in that regard, I think that most of us would probably  
4 be flexible with that, but we would kind of prefer to  
5 see, you know, some good be done for long-term stuff.  
6 And, I guess, the real proof of the pudding will be  
7 when we all see the exact wording that tries to get  
8 us to where we're all trying to go.

9 CHAIRMAN MALMUD: Yes, thank you. And  
10 that's what we're hoping that our learned counsel might  
11 be able to tackle on our behalf.

12 MEMBER SULEIMAN: Dr. Malmud.

13 CHAIRMAN MALMUD: Yes, Dr. Suleiman.

14 MEMBER SULEIMAN: Yes. I, too -- at FDA  
15 we've been told at times by our lawyers don't adopt  
16 by reference. That's for general safety rules, that's  
17 for like public protection or whatever when you're  
18 dealing with certain types of standards.

19 These are very product-specific so you're  
20 not going to be hunting for a different -- you should  
21 have your user manual, or your label, or your  
22 instructions right there. It's no different than saying  
23 you should tune up your car, but then you decide, and  
24 you say all the parts have to be tested, have to be  
25 3,000 rpm at this setting. Well, it's going to vary

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 by car, so in this case each generator, you know, has  
2 the manufacturer's specified limit, so I think it's  
3 quite prescriptive. And that way you're not stuck with  
4 using a limit that may have changed.

5 CHAIRMAN MALMUD: Thank you. We do have a  
6 motion before us. It's been moved and seconded.

7 MEMBER MATTMULLER: I'm sorry, could I make  
8 one more comment?

9 CHAIRMAN MALMUD: Yes. Who's --

10 MEMBER MATTMULLER: I'm sorry, Steve  
11 Mattmuller.

12 CHAIRMAN MALMUD: Thank you, Steve.

13 MEMBER MATTMULLER: One other advantage  
14 this strategy would have is that for a long time the  
15 vast majority of moly-99 used in the U.S. came from  
16 two reactors, and their HEU uranium came from one  
17 supplier, the U.S. Government. We're now in a transition  
18 phase moving to low-enriched uranium coming from  
19 different -- a far greater web of reactors all using  
20 LEU, all using our own target design, and these new  
21 target designs all have new target processing  
22 procedures.

23 And in addition to reactors producing  
24 moly, we have new linear accelerator manufacturers  
25 trying to come on line, so there could be a whole new

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 wrinkle to rating the quota of contamination in our  
2 generators. And this will be identified and handled  
3 by the FDA, but it's going to be -- and then any  
4 subsequent would be in their package insert, which by  
5 the way does come with each generator when you receive  
6 it.

7           So, the way I look at this, if the NRC is  
8 saying patient safety, radiation safety, I think it's  
9 incumbent upon them to find a way to do it this way,  
10 because to me it's unconscionable to think that if a  
11 new generator gets approved, it could take seven to  
12 ten years in the typical process for it to ever make  
13 it into an NRC reg. Thank you.

14           CHAIRMAN MALMUD: Thank you.

15           DR. HOWE: Dr. Malmud, this is Dr. Howe.

16           CHAIRMAN MALMUD: Yes, Dr. Howe.

17           DR. HOWE: There's another process, that  
18 if we get a new generator that is significantly  
19 different from what we have seen in the past; in other  
20 words, the moly breakthrough has to have different  
21 values, we can move things into 35.1000 and handle those  
22 in a matter of a few months, so one should not think  
23 that we need to get everything into rulemaking in order  
24 to handle new products. And that's what the purpose  
25 of 35.1000 is. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN MALMUD: Thank you for clarifying  
2 that. So, if we may we'll move on with Dr. Zanzonico's  
3 motion. All in favor?

4 (Chorus of ayes.)

5 CHAIRMAN MALMUD: Any opposed? Any  
6 abstentions?

7 (No response.)

8 CHAIRMAN MALMUD: The motion carries  
9 unanimately. Thank you. Next item, Dr. Zanzonico.

10 MEMBER ZANZONICO: Okay. I think some of  
11 the remaining items will move quickly, at least I hope  
12 that's the case.

13 So, this moves us on to item 5, allowing  
14 Associate Radiation Safety Officers, ARSOs, to be named  
15 on a medical license. And the draft recommendation in  
16 our report is that the ACMUI recommends that addition  
17 of ARSOs and temporary RSOs be included in exemptions  
18 in the same manner as AUs, ANPs, Authorized Nuclear  
19 Pharmacists, and Authorized Medical Physicists. So,  
20 the crux of this recommendation is to endorse the  
21 inclusion of ARSOs being named on medical licenses.

22 CHAIRMAN MALMUD: That's a motion. Is there  
23 a second to the motion?

24 MEMBER LANGHORST: This is Sue Langhorst.  
25 I'll second that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN MALMUD: Thank you. Is there  
2 discussion of the motion?

3 MEMBER LANGHORST: Dr. Malmud, this is Sue  
4 again. I'd like to clarify that again.

5 CHAIRMAN MALMUD: Please do.

6 MEMBER LANGHORST: As you can see in the  
7 draft report, these are exemptions for the Type A Broad  
8 Scope licensees, and the crux of the request is that  
9 just like Authorized Users, Authorized Medical  
10 Physicists, Authorized Nuclear Pharmacists are named  
11 by the Radiation Safety Committee of those Type A Broad  
12 Scope licensees, we'd like to be able to have that same  
13 flexibility for ARSOs and clarify it for temporary RSOs,  
14 also. Thank you.

15 CHAIRMAN MALMUD: Thank you. Further  
16 discussion?

17 (No response.)

18 CHAIRMAN MALMUD: All in favor of the  
19 motion?

20 (Chorus of ayes.)

21 CHAIRMAN MALMUD: Any opposed? Any  
22 abstentions?

23 (No response.)

24 CHAIRMAN MALMUD: The motion carries  
25 unanimously. Dr. Zanzonico, you're on a run. You want

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to take --

2 MEMBER ZANZONICO: Yes, we're on a roll.  
3 Yes, the next item -- this is Item 6, and it has to  
4 do with -- and it really is a very minor point, and  
5 I'm not even going to make a motion, but just an  
6 editorial suggestion.

7 As I was reading through the proposed rule,  
8 and as with all regulations it's tough sweating. I  
9 thought it might be helpful to -- that it could be  
10 shortened, and I think improved by eliminating  
11 redundant passages that appear throughout the document,  
12 and perhaps replacing the very brief, very general  
13 abstract with an Executive Summary styled section that  
14 summarizes perhaps in a bullet format the key changes.  
15 I think that would be welcomed by the user community  
16 to present these changes up front and in a very explicit  
17 format rather than dispersed, or in addition to being  
18 dispersed through the body of the proposed rule. So,  
19 that's just a suggestion. I don't think it necessitates  
20 a motion or a vote by the ACMUI unless anyone objects.

21 CHAIRMAN MALMUD: I'm certain that no one  
22 objects.

23 MS. BHALLA: Dr. Malmud.

24 CHAIRMAN MALMUD: Neelam.

25 MS. BHALLA: Yes, this is Neelam. I just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 wanted to say I wholeheartedly agree that it becomes  
2 a very long document, and it sounds and looks very  
3 repetitious. But this is a Federal Register Notice of  
4 the proposed regulations. We are bound by our procedures  
5 whereby we need to follow section by section what we  
6 are changing and why we are changing. So, although 100,  
7 200, 300 and so on, they are pretty much similar, but  
8 because of these stipulations we need to follow that  
9 process.

10 And, also, about the -- it's very well  
11 said, but the -- you know, we could do bullet form,  
12 but again we are bound by our own writing style. And,  
13 therefore, we hear you but that's a way we are supposed  
14 to do it.

15 CHAIRMAN MALMUD: Thank you, Neelam. We  
16 understand that, and that's why I suspect Dr. Zanzonico  
17 made a recommendation for those of you who actually  
18 draft these to do what you do best. Dr. Zanzonico.

19 MEMBER ZANZONICO: Okay. Well, we're really  
20 down the home stretch. There was a seventh item, that  
21 was just additional general comments. And really the  
22 most notable of these, in effect, has been eliminated,  
23 and that had to do with the separate training and  
24 experience requirements for beta gamma versus alpha  
25 emitters. We really addressed that in our previous

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 discussion and the previous item. And I thank Dr.  
2 Langhorst for correctly pointing out that Item 7B really  
3 is no longer necessary based on our earlier actions,  
4 so that's been eliminated.

5 Other than that, there are minor comments  
6 in Item 7B that I don't think warrant or necessitate  
7 discussion. So, I think we really have hit all the  
8 conceptual points.

9 I should point out that we had and have  
10 a subsequent section in the -- in our draft report on  
11 --that I called Specific Comment Significant. Some of  
12 these -- a number of these based on clarifications from  
13 the -- based on our previous teleconference and  
14 clarifications provided by the NRC Staff, as well as  
15 by emails among the ACMUI members, a number of these  
16 have been eliminated. These have been indicated by  
17 strikethrough text.

18 And the other point I'd like to make is  
19 that these Significant Specific Comments really don't  
20 introduce anything new, but just reference specific  
21 passages relevant to the general items that have already  
22 been discussed to make sure that they're consistent,  
23 the language is consistent in our opinion.

24 So, again I don't think, unless anyone on  
25 the Committee feels otherwise, that they warrant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 additional discussion. Basically, these Significant  
2 Comments are made to insure compatibility between what  
3 we were recommending among our general items that we  
4 discussed at length already and the related specific  
5 passages in the proposed rule.

6 CHAIRMAN MALMUD: Thank you. And these are  
7 the items that are listed on pages 8 through the end  
8 of the document.

9 MEMBER ZANZONICO: Eight through eleven.

10 CHAIRMAN MALMUD: Yes.

11 MEMBER ZANZONICO: Then -- so, again, I'll  
12 -- you know, I don't want to suppress discussion if  
13 there is any.

14 CHAIRMAN MALMUD: Is there any discussion  
15 of these?

16 (No response.)

17 CHAIRMAN MALMUD: I hear none, so you  
18 haven't suppressed anything. Move on.

19 MEMBER ZANZONICO: All right. Then the last  
20 bit of -- the last item is Specific Comments Minor,  
21 and these are just purely editorial, and they're just  
22 suggested. These have no scientific or technical  
23 substance to them. They're just a product of my own  
24 compulsion, so there's absolutely no need for any  
25 discussion of whether a comma should be a semicolon

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 or a colon. And that's really the balance of the report.

2 I will generate a third draft based on our  
3 teleconference today and any subsequent feedback I get  
4 from the Committee members. But I think we're very near  
5 a final draft for submission --

6 MS. BHALLA: Dr. Malmud, may I speak?

7 CHAIRMAN MALMUD: Yes, Neelam.

8 MS. BHALLA: About the Minor Comments, I  
9 know you -- there are some very good suggestions, for  
10 example, hyphenate the words et cetera. And, again,  
11 I just want to say that we get bound by our -- it's  
12 called the Administrative folks. They are the ones who  
13 actually make our regulations get published in the  
14 Federal Register. So, therefore, there are certain  
15 requirements. I wish we had indicated for this review  
16 that not be so concerned with these kind of edits because  
17 ultimately it's there between the NRC's writing style,  
18 and the publishing document style and so on, so we do  
19 get a lot of those restrictions. And, therefore -- but,  
20 nonetheless, we would take a look into these, all of  
21 these because, you know, considering it's a very large  
22 document, I'm sure, you know, we have perhaps missed  
23 on even maybe sentences here and there. So, it's great  
24 to have this, but I just want you all to know that we  
25 do get bound by other restrictions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 CHAIRMAN MALMUD: I can assure you that the  
2 members of the ACMUI recognize that, and that this  
3 document is a reflection of the diligence with which  
4 this Subcommittee and its members have gone through  
5 the document, and recognize that some of these  
6 recommendations will not be considered appropriate  
7 using the verbiage the NRC uses, but they are still  
8 recommendations in the best interest of clarification.  
9 And we do appreciate both your effort on this, which  
10 is enormous, as well as that of counsel, particularly  
11 Counsel Chidakel who works -- we're sure works on these  
12 things behind the scenes, as well. So, we do appreciate  
13 that, but we did want you to know and the members of  
14 the Subcommittee wanted you to know what we thought  
15 might be perhaps optimal wording, if it's acceptable.

16 MS. CHIDAKEL: Thank you, Dr. Malmud. This  
17 is Susan Chidakel. I very much appreciate your praising  
18 me that way.

19 I also would like to mention that we  
20 decided we were going to only be giving you substantive  
21 and major things at this point, and we realized when  
22 we gave you this draft, and I realized when we gave  
23 you this draft that we have a lot of changes that we're  
24 still making to the actual language, so that it's not  
25 just that we are bound by certain restrictions with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 regard to your minor comments, but some of those things  
2 may go away just through editing and through fine comb  
3 tothing, whatever.

4 MS. BHALLA: Yes.

5 MS. CHIDAKEL: Anyway, fine combing with  
6 fine tooth. And I've already noted to Neelam, you know,  
7 some of the things that are going to need to be changed  
8 as far as the editorial mix, so I just wanted to add  
9 that in.

10 CHAIRMAN MALMUD: Thank you. And the  
11 Committee also appreciates what has been a positive  
12 change, and you give us feedback when things are not  
13 acceptable so that we understand why some of the  
14 recommendations of the ACMUI were not acceptable  
15 because that helps justify the amount of effort that  
16 the Committee members put into this, even when it's  
17 not accept -- even when it's not finalized. So, we do  
18 thank you.

19 Dr. Zanzonico, you have taken us right  
20 through this document.

21 MEMBER ZANZONICO: Yes, we have.

22 CHAIRMAN MALMUD: And it looks like it's  
23 a grand slam. And we still have a minute or two, but  
24 I think we have to ask Chris who's the official  
25 representative who opened the meeting if he has any

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comments at this point, or his delegate.

2 MR. EINBERG: Yes. Thank you, Dr. Malmud,  
3 Chris Einberg. Once again, I wanted to thank the ACMUI  
4 and the NRC Staff here, as well, for all the hard effort  
5 that everybody's put into this document and to this  
6 proposed rule.

7 We went through all the comments here,  
8 substantial changes were made or the recommendations  
9 where changed here so the next step is for Dr. Zanzonico  
10 or the ACMUI to finalize the report, and then send it  
11 to the NRC Staff.

12 We cannot go through another review of this  
13 because that would be deliberations, and outside of  
14 FACA, or if we do so, of if there's a strong feeling  
15 to do so, we would have to have another public  
16 teleconference to have deliberations in the public  
17 space. So, I encourage you to make those revisions and  
18 get them back to us, and we look forward to receiving  
19 those and trying to address the comments. And Ms.  
20 Holiday here has something she would like to add, as  
21 well.

22 CHAIRMAN MALMUD: Thank you, Chris.

23 MS. HOLIDAY: I just wanted to add that at  
24 this time, as Chris mentioned, we have to get the  
25 finalized report from you, so you actually have to vote

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 on finalizing the report pending these -- the  
2 incorporation of these revisions and recommendations,  
3 and since this is the only meeting time to do it, I  
4 guess this would be the time now that the full Committee  
5 would need to vote to approve the Subcommittee report  
6 to include those revisions as mentioned during this  
7 teleconference to finalize the report now.

8 CHAIRMAN MALMUD: Thank you. Would the  
9 Chairman please make that as a recommendation?

10 MEMBER ZANZONICO: I guess that's me.

11 CHAIRMAN MALMUD: You're the Chairman of  
12 the Subcommittee.

13 MEMBER ZANZONICO: Yes. So, I make a motion  
14 that the Subcommittee approve our report pending  
15 incorporation of all suggested or all approved  
16 revisions.

17 CHAIRMAN MALMUD: Is there a second to the  
18 motion?

19 MEMBER GUIBERTEAU: Mickey Guiberteau, I  
20 second this.

21 CHAIRMAN MALMUD: Thank you, Dr.  
22 Guiberteau. Any further discussion of this report with  
23 all the recommendations made in these six hours of  
24 conferences that we've had?

25 MEMBER LANGHORST: Dr. Malmud, this is Sue

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 Langhorst.

2 CHAIRMAN MALMUD: Dr. Langhorst.

3 MEMBER LANGHORST: I'd just like to clarify  
4 that that motion is for the full Committee and not just  
5 the Subcommittee?

6 CHAIRMAN MALMUD: That's correct.

7 MEMBER LANGHORST: Yes, thank you.

8 CHAIRMAN MALMUD: The motion is coming from  
9 the Chair of the Subcommittee to the entire Committee.  
10 That is its purpose.

11 MEMBER LANGHORST: Thank you.

12 CHAIRMAN MALMUD: Thank you for clarifying  
13 that for anyone who might not have understood that.  
14 Appreciate it. So, all in favor?

15 (Chorus of ayes.)

16 CHAIRMAN MALMUD: Are there any opposed?  
17 We hear no opposed. Are there any abstentions?

18 (No response.)

19 CHAIRMAN MALMUD: We hear none, so the  
20 Committee passes this unanimously, that's the ACMUI  
21 passes this recommendation of the Subcommittee  
22 unanimously, and we thank the Subcommittee and each  
23 of its members for an enormous amount of effort. We  
24 spent six hours in discussing this but that's a fraction  
25 of what the members of that Committee spent on drafting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and crafting this document, so we're very appreciative  
2 of it.

3 Now, let's see. Chris and Sophie, any other  
4 comments from NRC?

5 MR. EINBERG: Nothing from this end. I  
6 believe that when you're ready to adjourn, you can  
7 adjourn.

8 MEMBER ZANZONICO: Can I just ask one point  
9 of clarification. At this point what is our submission  
10 deadline for actually submitting the final report to  
11 the NRC?

12 MS. HOLIDAY: I can receive that report no  
13 later than March 28<sup>th</sup>.

14 MEMBER ZANZONICO: Okay, that's fine.

15 CHAIRMAN MALMUD: Very good, thank you. And  
16 we're going to be meeting in April, are we not, Sophie?

17 MS. HOLIDAY: Yes, sir, April 15<sup>th</sup> and 16<sup>th</sup>  
18 here at headquarters.

19 CHAIRMAN MALMUD: And each of the members  
20 of the Committee by now should have had his or her  
21 transportation and room arrangements solidified.

22 MS. HOLIDAY: Ideally.

23 CHAIRMAN MALMUD: Ideally. If any member  
24 of the Committee who intends to attend the meeting has  
25 not done so, I would suggest at this point that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 contact Sophie who might be help you to expedite the  
2 arrangements. Is that fair, Sophie?

3 MS. HOLIDAY: Yes, sir.

4 CHAIRMAN MALMUD: Thank you. I think  
5 everyone's arrangements are completed, but I just want  
6 to make sure in case one of you has not yet done so.

7 And with that, I'd like to thank everyone  
8 who participated in these discussions for their efforts  
9 and their wisdom in trying to achieve a final document  
10 which, hopefully, will result in an efficient operation  
11 all in the interest of optimal patient care. So, thank  
12 you all. We look forward to seeing you in April, and  
13 hearing -- and the NRC receiving the draft document  
14 by March 28<sup>th</sup>.

15 MS. HOLIDAY: Final document.

16 CHAIRMAN MALMUD: Final document. Thank you  
17 very much.

18 MS. HOLIDAY: Yes, sir.

19 MR. EINBERG: Okay. Thank you very much.

20 CHAIRMAN MALMUD: Thank you.

21 MR. EINBERG: Goodbye, everyone.

22 CHAIRMAN MALMUD: The meeting is adjourned.  
23 Thank you.

24 (Whereupon, the proceedings went off the  
25 record at 4:45:18 p.m.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com