

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: NRC/DOE Joint Public Meeting  
NDA Section 5116 Accomplishments,  
Challenges, and Lessons Learned

Docket Number: (n/a)

Location: Aiken, South Carolina

Date: Thursday, July 18, 2013

Work Order No.: NRC-092

Pages 1-103

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

NRC\DOE JOINT PUBLIC MEETING

NDA SECTION 5116 ACCOMPLISHMENTS, CHALLENGES,

AND LESSONS LEARNED

PUBLIC MEETING

+ + + + +

Thursday,

July 18th, 2013

+ + + + +

Aiken, South Carolina

The Public Meeting was held at 5:00 p.m., at  
the U.S. Department of Energy Meeting Center, 230  
Village Green Boulevard, Suite 220, Aiken, South  
Carolina, Mark Gilbertson, Facilitator, presiding.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

PRESENT:

MARK GILBERTSON, U.S. DOE HQS., FACILITATOR

LARRY W. CAMPER, NRC

SHERRI ROSS, DOE-SR

LINDA SUTTORA, DOE HQ

CHRISTOPHER MCKENNEY, NRC

VIRGINIA (GINGER) DICKERT, DOE Contractor

KENT ROSENBERGER, SRR

SAHIRA CRUZ, NRC

TOM CLEMENTS, Friends of the Earth

KAREN PATTERSON, SC GNAC

LARRY ROMANOWSKI, SRR

STEVE THOMAS, SRR

CLINT WOLFE, CNTA

ROGER SEITZ, SRNSE

SCOTT L. SIMONS, SCDHEC

KATHRYN L. BEATTY, SCDHEC

JOHN BERG

Comment [N1]: ?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A-G-E-N-D-A

Introductions and Opening Remarks ..... 4

NDAAs Section 3116 Process for Disposal Actions  
and Status of Activities ..... 5

DOE Perspective: Linda Suttora, DOE

NRC's Perspective: Christopher McKenney, NRC

NDAAs Section 3116 Accomplishments, Challenges,  
and Lessons Learned ..... 21

EFCOG Perspective: Ginger Dickert, Savannah River  
Remediation (DOE Contractor) ..... 48

DOE's Perspective: Mark Gilbertson, DOE ..... 65

NRC's Perspective: Larry Camper, NRC ..... 76

Questions and Public Comments ..... 92

P-R-O-C-E-E-D-I-N-G-S

5:00 p.m.

FACILITATOR GILBERTSON: I think what we will do is to get started here. My name is Mark Gilbertson, I'm from DOE headquarters, I'm here to help.

But I wanted to welcome you, in here, to the meeting today. What we are going to do is go around the room and introduce each of us. We are a tiny enough group that I really encourage we have a break after the first two speakers, for questions.

So I encourage people to, you know, not sit quietly, but raise your hand and ask questions to us. So we will start here.

MR. MCKENNEY: Chris Mckenney, I'm the Branch Chief of the Performance Assessment Branch at the NRC.

MR. CAMPER: Larry Camper, Director of the Division of Waste Management, and Environmental Protection, at the Nuclear Regulatory Commission.

MS. DICKERT: I'm Ginger Dickert, the Senior Technical Advisor to the Office of the President, with Savannah River Remediation.

MS. ROSS: I'm Sherri Ross, with DOE Savannah River, Waste Disposition and Tank Closure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Application.

2 MS. SUTTORA: I'm Linda Suttora, and I  
3 work for the U.S. Department of Energy Headquarters  
4 in the Office of Site Restoration, Office of  
5 Environmental Compliance.

6 And I'm the program manager for these  
7 kinds of projects across the country, the Section  
8 3116 and Tank Closures.

9 Can everyone hear us, or are we speaking  
10 too -- okay.

11 MR. ROMANOWSKI: Larry Romanowski with  
12 Savannah River Remediation.

13 MR. THOMAS: Steve Thomas with Savannah  
14 River Remediation.

15 (Rest of introductions off microphone)

16 FACILITATOR GILBERTSON: Okay. We will  
17 turn it over to Linda to kick things off here, for  
18 the presentation.

19 MS. SUTTORA: Let me know if I speak too  
20 quickly, or too softly.

21 So just to orient you to, or remind you  
22 of how this process works, in 2005, in the National  
23 Defense Authorization Act, there was a section 3116  
24 in there.

25 And what that did was it provided a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

**Comment [N2]:** In the future, please  
remind the group to speak up.

1 system for allowing DOE to close these waste tanks  
2 that contained waste from reprocessing of spent fuel,  
3 and other fuel, other wastes.

4 And we had these tanks located in four  
5 sites around the country, and two states signed up to  
6 be part of this Section 3116, the State of South  
7 Carolina and the State of Idaho.

8 And then New York and Washington opted  
9 out. They also had tanks, but they have been  
10 watching this process carefully, and trying to decide  
11 whether they want to opt in, or stay the way they are  
12 right now.

13 But what we do is, under the Section 3116  
14 process, we write documents that describe the waste,  
15 how we are going to clean up. We have tanks, and  
16 then we also do it on the waste itself, when we are  
17 going for disposal.

18 The Secretary of Energy has to make a  
19 determination that the waste, that the low activity  
20 portion, of the waste, or the cleaned emptied tanks,  
21 no longer constitute the type of threat, or risk,  
22 that it once did, when it was filled with high level  
23 waste, or when it once did, before it was separated  
24 into the low activity portion, and we could manage it  
25 as low level waste.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   And the higher activity portion of the  
2 waste, after it has gone through a separation and  
3 treatment facility, goes into vitrification, for  
4 eventual repository disposal repository.

5                   But part of the Section 3116 was that DOE  
6 would consult with the Nuclear Regulatory Commission,  
7 that is the first part of that, 3116, is that DOE  
8 would consult with the Nuclear Regulatory Commission,  
9 on our documents supporting the Secretary's  
10 determination.

11                   And the next part, and part of that  
12 consultation is NRC would do a technical review of  
13 all of our documents, and then DOE would respond to  
14 all those questions they had, and comments.

15                   And then the Nuclear Regulatory  
16 Commission had designed a procedure for how they  
17 would do the consultation, as they would produce  
18 something called the Technical Evaluation Report.

19                   We have done this several times, now.  
20 The first one was done in 2006, with the salt waste  
21 disposal, so that is the low activity portion of the  
22 tank, the former tank waste.

23                   And that was done in January of 2006,  
24 after consultation with the Nuclear Regulatory  
25 Commission for the entire year of 2005.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1                   Also, in 2006, we did the Idaho Waste  
2 Determination. And that was for a total of 15 tanks,  
3 at this Idaho site, 11 large ones, and 4 small ones.

4                   The large ones, my goodness I forget now,  
5 but I think they were about 700,000 gallons. I'm  
6 sorry, they were 300,000 gallons. That just popped  
7 into my head.

8                   They were 300,000 gallons, and the small  
9 ones are 30,000 gallons. And waste determination was  
10 done in November of 2006. And of the 11 -- all the  
11 four tanks were closed, the four little ones, right  
12 away.

13                   Of the 11 large ones, 7 have been closed,  
14 and four are still awaiting treatment. And as soon  
15 as the treatment facility is up and running, and the  
16 tanks can be emptied, then those tanks will also be  
17 closed, under that 2006 waste determination.

18                   The next site we did was the F-Tank Farm,  
19 and that was done last year, in 2012. And we have,  
20 so while the waste determination was done for the  
21 entire site, for the entire tank farm, we have  
22 continuously emptied and cleaned the tanks, and will  
23 be grouting them, as we finish them, and as that will  
24 be done, we have finished two tanks last year.

25                   We will do two more this year, and then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we will continuously do, probably, pairs of tanks, as  
2 we move along with the process.

3 And, as I said, it is only applicable to  
4 those two states. But let me tell you --

5 MR. CLEMENTS: Let me ask a question of  
6 the previous slide?

7 MS. SUTTORA: Sure.

8 MR. CLEMENTS: It is basically a question  
9 of --

10 FACILITATOR GILBERTSON: Tom? Could you  
11 go up to the microphone, so that we can get a  
12 recording?

13 MS. SUTTORA: Yes.

14 MR. CLEMENTS: Tom Clements, Friends of  
15 the Earth.

16 Managed as low level waste and, maybe,  
17 forgive my ignorance. But does managed as low level  
18 waste means it meets the legal definition of low  
19 level waste?

20 MS. SUTTORA: Yes. And it has the risk  
21 of low level waste. Okay?

22 So, but this isn't all that DOE does. We  
23 don't just do the Section 3116 process, to close the  
24 tanks. We also must comply with our own internal  
25 regulations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And our regulations are found at DOE  
2 Order, and it is called DOE Order 435.1. And there  
3 is a high level waste section, and this, we call it  
4 the waste incidental to reprocessing process.

5                   And there are several ways to become  
6 incidental waste. One is to go through this full  
7 evaluation, which is almost identical to the Section  
8 3116 process.

9                   And we will talk, later, what the  
10 difference is. And the other thing we do, it is  
11 another thing called the citation process.

12                   And citation process is pieces of  
13 equipment, laboratory containers, where we had  
14 samples, let's say, in a little metal, glass vial or  
15 something.

16                   We decontaminate that. But because it  
17 was just in there for temporary use, or maybe it was  
18 a pipe that went down into the tank, and came back  
19 up, and was decontaminated, that gets managed as low  
20 level waste, because it hasn't been sitting in the  
21 high level tank for a long time.

22                   So we have that citation process, and we  
23 have lists of materials, that once it is assayed, and  
24 shown to be clean, then we actually dispose of it in  
25 a low level waste disposal facility.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   So under Section, the Order 435.1, we  
2 have a special review group, with funding, we call it  
3 the L-Frog. It is the Low Level Waste Disposal  
4 Facility Federal Review Group, and short to be L-  
5 FROG.

6                   And after the site completes doing the  
7 performance assessment documentation, which is the  
8 long term assessment of the future risk of a disposal  
9 facility, the L-FROG develops a technical team.

10                  It puts together a technical team of  
11 experts. And we don't just pick from DOE. We take -  
12 - there can't be anybody, on that special review  
13 team, cannot be from that site. They have to be from  
14 either other sites DOE has, from both DOE, or their  
15 contractors.

16                  We also bring in consultants, we bring in  
17 academics, we bring experts from around the country.

18                  And they join up in a technical review team, and  
19 they review all the documents.

20                  It is a long, several month, process.  
21 And at the end they produce a report, whether the  
22 facility passes, or does not pass. And if it does  
23 not pass, we make them go back to the drawing board,  
24 and answer a bunch of questions.

25                  Very much like the NRC process. We pepper

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 them with questions, they have to respond. And Steve  
2 is smiling because he has been doing that for years.

3 So we pepper them with a lot of  
4 questions. And the last review I led was at the  
5 Hanford Facility, their circle south.

6 And I meant to go back and count, but it  
7 was about 26 pages on the table of questions. So it  
8 is not all a very, you know, easy process. The site  
9 has to do a lot of work to comply.

10 What is different is we, as we are a  
11 regulatory body, we also view ourselves as an  
12 assistance body, because we want success.

13 So while the site might come in and they  
14 might, quote unquote, fail their first review, we  
15 tell them what they need to do to fix it, how to fix  
16 their document, how to fix their facility, what they  
17 need to do to pass.

18 And so we do get to success in all of our  
19 facilities. But it is not a rubber stamped, by any  
20 stretch of the imagination.

21 And then once that review is complete,  
22 then they get an authorization to dispose, or an  
23 authorization to continue disposing of waste, if it  
24 has already been operating. And Mr. Gilbertson is  
25 the signatory on that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Now, when we do a waste and facility  
2 reprocessing process, we do the evaluation, that is  
3 what the end product is, for that, under the DOE  
4 Order.

5 Instead of calling it a determination, we  
6 do an evaluation process. And the decisionmaker,  
7 when we do it under the DOE Order, like we do in  
8 Washington and New York right now, the decisionmaker  
9 on whether, to determine whether that waste can be  
10 managed as low activity waste, low level waste, is  
11 the Assistant Secretary of Environmental Management,  
12 it doesn't go to the Secretary.

13 And that is how we have written it in the  
14 Order. So the way that we did the last few waste  
15 determinations, under Section 3116 we, consulting  
16 with the Nuclear Regulatory Commission, we have  
17 evolved.

18 The very first one we sort of just did  
19 between the two agencies, and brought in the state a  
20 little bit, but not that much.

21 And we wrote down what we thought were  
22 the assumptions that would go into the modeling, that  
23 goes into the performance assessment. But that  
24 performance assessment had already been done, years  
25 before.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   So they were just reviewing an old  
2 performance assessment, but they had a lot of  
3 questions, where did you get this assumption, where  
4 did you get, why did you write that?

5                   And so it, over time, we recognized we  
6 really needed to start from scratch. So the first  
7 couple had old PAs that were done with the waste  
8 determinations.

9                   And the last couple we started from  
10 scratch. And we, and that is three, I guess, that we  
11 started from scratch, and walked through with the  
12 State, and with the Nuclear Regulatory Commission,  
13 and EPA, and started from scratch, and said, why do  
14 you have your conceptual model developed this way?

15                   Which is the basis of your eventual long  
16 term modeling, you know, what is your basis for your  
17 groundwater flow, what is your basis for why you  
18 think whatever barriers, man-made and natural  
19 barriers, why they would last the way that you think  
20 they are going to last and model?

21                   So we stepped through it. And, in fact,  
22 the current performance assessment, and waste  
23 determination basis documents, that we have produced,  
24 we did in a public setting, rather than just between  
25 the Nuclear Regulatory Commission, the Department of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Energy, and DHEC, and EPA.

2 We actually had a public meeting, several  
3 years ago in about, I think, July that we walked  
4 through with, in a public setting, where we were  
5 getting all our assumptions for the model.

6 So as we are evolving with this process,  
7 recognizing that the public part of the process is  
8 extremely important. We didn't realize it would be  
9 and now we know, and we are fixing things.

10 So when we finish up this draft  
11 determination basis, and the draft performance  
12 assessment, now we call it a draft performance  
13 assessment, but it has already been through that L-  
14 FROG team review.

15 And we then release it, now, to the NRC  
16 and to the public, and state and EPA are members of  
17 the public in that part of the 3116. And we get  
18 comments back, both from the Nuclear Regulatory  
19 Commission, and the public.

20 And we respond to each and every comment.

21 And then the Nuclear Regulatory Commission issues  
22 their technical evaluation report, and DOE finalizes  
23 the waste determination, and the performance  
24 assessment, and makes the changes necessary in that  
25 process, and then walks up to the Secretary's office

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 and says, are you ready to sign this waste  
2 determination?

3 And then our office beats us up, until  
4 they ask all their questions, and we get everything  
5 answered, and then they sign.

6 And we have been able to dispose of the  
7 treated waste, from the tanks, and close some of  
8 those tanks, under this process. And we decrease the  
9 long term risk to the site.

10 Now, the next step of Section 3116 is the  
11 monitoring. Also, under Section 3116, the second  
12 part, which is 3116(b), the State and NRC, in  
13 coordination, conduct long term monitoring of those  
14 sites, and facilities, that have had the closed, or  
15 the disposed of waste.

16 So that is the second step. And here, as  
17 I talked about, the other previous determinations  
18 that have been done, and we are hoping for the H-Tank  
19 Farm to be completed in December of 2014.

20 And I wanted to step back a little bit.  
21 So I talked about that we have this Order that we  
22 follow. And then we have this Section 3116 that we  
23 follow.

24 But, in fact, they are very similar  
25 processes. And both WIR determination, waste

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 incidental to reprocessing determinations, which are  
2 done under the Order, and the waste determinations  
3 under Section 3116, use identical processes.

4 And I was going to say, we have done a  
5 couple of WIR determinations under 435, at New York.

6 We haven't done any at Hanford, yet. And one was a  
7 vitrification melter, and the other was this two  
8 process vessel tanks that fed into the vit melter.

9 And Hanford Tanks have started working,  
10 again, at their C Tank Farm, their performance  
11 assessment. They started the scoping process, that  
12 we talked about, where we all discuss with the public  
13 or, you know, stakeholders, all the assumptions that  
14 go into the modeling, so people know where we came  
15 from.

16 They actually held twelve meetings in  
17 2009, 2010, and then funding was cut. But now the  
18 funding is back on as of this week. And so they  
19 started working on that again.

20 And they are going to just take all the  
21 information they had, from a few years ago, and roll  
22 it up and get it moving again. So, hopefully, we  
23 will get somewhere on those.

24 And I just also wanted to mention that  
25 the DOE Order is under revision, just like 10CFR Part

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 61 is under revision, both processes are moving along  
2 the same path, pretty much.

3 And due to the successes that we have  
4 had, with the Section 3116 consultation process, with  
5 the Nuclear Regulatory Commission, we are taking all  
6 the lessons learned that we can.

7 We are taking the lessons learned, from  
8 the current Section 3116 process, and bringing it  
9 over to the 435 evaluation process, such that we are  
10 making it very public, lots of stakeholder input.

11 And we are also, we didn't require  
12 consultation for that, in the past, but we are now.  
13 So under our current Order it says, it is suggested,  
14 it is recommended, that you consult with NRC.

15 And we had, on some of the work that we  
16 had done earlier, thinking that we were going to get  
17 closure on some of those tanks at Hanford, we  
18 actually had done that back in the '90s, right, where  
19 we had consulted with the NRC.

20 So even though we didn't require it, we  
21 were doing it anyway, because we decided let's just  
22 make it so. And we have decided to make it a  
23 requirement.

24 And, but just to mention that the Order,  
25 the revised Order, is going to be going out for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 public comment. It is still under development, and  
2 under review, right now, at headquarters. But it is  
3 close.

4 We believe, probably, in the next three  
5 or four months it will be ready for it to go out for  
6 public comment. And that will be in the Federal  
7 Register for public comment. And we would like  
8 anybody's comments that is willing to read it.

9 It is not that long. I have been working  
10 on it, also, as a side part of my job. And we have  
11 gotten it down -- the current Order has kind of a  
12 general requirements, and then three chapters for  
13 each waste type, high level waste, transgenic waste,  
14 and low level waste.

15 But we -- they were very repetitive. So  
16 for disposal you need to make sure you characterized  
17 your waste, and you need to package it appropriately,  
18 you need to -- you know, each section had that in it.

19 And the new Order holds all that up in  
20 the general requirements. The general requirements  
21 is a very long section. And then once you have  
22 determined what kind of waste it is, then there are  
23 small sections for each of those. So it is a pretty  
24 quick read, actually.

25 Now, under the monitoring, and I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Chris is going to mention this a little bit further,  
2 under monitoring the NRC, the DOE currently monitors  
3 our facilities, and the State monitors our  
4 facilities. And we report everything,  
5 immediately, that we find to the -- the State  
6 identifies, and tracks what they track. So the  
7 Nuclear Regulatory Commission, under Section 3116,  
8 also has a monitoring role for these facilities.

9 And they work in coordination with the  
10 State. And we have had, I guess you will talk about  
11 more how we have been, the NRC comes down and has  
12 monitoring observations, of our facilities, on a  
13 regular basis.

14 And when we do that they have a lot of  
15 questions, and we have to respond to them. And they  
16 also walk-down our facilities, and it is an excellent  
17 technical exchange.

18 And all of the monitoring meetings are  
19 made public. The -- not transcript, but a summary of  
20 those meetings.

21 And, also, let me just take it one giant  
22 step back. Under the H-Tank Farm performance  
23 assessment, one of the things that we modified, as  
24 part of our lessons learned, from working over the  
25 past several years, is it took a long time for NRC to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 review the thousands of pages that we threw over the  
2 fence at them, with the performance assessment, and  
3 the waste determination basis.

4 And performance assessment is about an  
5 800-plus page document, plus several thousand pages  
6 of references. So it is not an easy process to  
7 review that.

8 So what we have discovered, and what we  
9 have worked together, is identifying other ways that  
10 we can help speed up their process of reviewing.  
11 Because it has been kind of a data dump, and they  
12 just have to try to figure out where everything is.

13 So we have had eight, I can't remember  
14 how many calls we have had. We have had what we call  
15 technical clarification calls that we have, where  
16 they pick a topic, and we just run through, this is  
17 where this, you know, this page describes this, this  
18 is where we got that information, over here is this  
19 reference.

20 So we are going through a lot of those.  
21 And the summary of those meetings are put up on the  
22 web, on the NRC page, also. So it has all been  
23 public. There hasn't been anything done behind  
24 closed doors. Members of the public are always  
25 invited, if they wish.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   And so that is, I think I did it. Yes,  
2 okay, thank you. And Chris McKenney is going to  
3 speak next, from the Nuclear Regulatory Commission.

4                   MR. MCKENNEY: So I'm going to be talking  
5 about the fact that we are sort of standing, today,  
6 on this meeting, and if you look at our overview, we  
7 are standing in the cusp.

8                   This is where the program sort of  
9 changes. Whereas Linda said, we are in the midst of  
10 doing consultation on, effectively, the last major  
11 consultation for a very long time.

12                   There isn't anything in the horizon,  
13 right now, with DOE that the two agencies would be  
14 consulting on, within the two states of Idaho, or  
15 South Carolina, any time soon.

16                   So from that point, from NRC's point of  
17 view, we have been trying to see how will our program  
18 change? Because we won't be doing the consultation  
19 space, for 3116.

20                   And, also, we have been at this for, now,  
21 a little more than six years, on consultation, on  
22 monitoring activities.

23                   So how do we incorporate those lessons  
24 learned? How do we update everything so that it is  
25 clear what our processes are, and what our, what we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are doing?

2 So we have plans, over the next few  
3 years, to modify our guidance, which drives both our  
4 consultation activities, which will be used mostly in  
5 the Hanford space, and also our monitoring guidance.

6 So I'm going to go over the guidance  
7 structure, and the planning permits, and the general.

8 The guidance and public involvement opportunities  
9 for those, because we are going to be putting these  
10 guidance documents out for the public, and talk to  
11 those.

12 So our hierarchy of our guidance is that  
13 we have a general guidance document, NRC calls of our  
14 reports, that we call it the NUREGs. But that is  
15 just a big compilation of all of our guidance, for  
16 our staff, on how do we look at all the things that  
17 are 3116?

18 How do we look at the removal of the  
19 highly radioactive radionuclides? How do we look at  
20 their conceptual models; how do we look at their  
21 basis for their assumptions?

22 And all that sort of stuff goes through  
23 there. It also has a chapter on how do we monitor  
24 under this law. However, of course, it was written  
25 in 2007. That monitoring section is really thin

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 because we hadn't monitored yet.

2 But it does still provide the general  
3 overview of the 20,000 foot level of what we do in  
4 monitoring space, you know, how we do coordination  
5 with the State, what would happen if there were to be  
6 issues that were to arise.

7 And under the requirements of the NDAA,  
8 if we find that the DOE is not meeting the  
9 performance objectives, as specified in the law, we  
10 are to report to Congress.

11 So we have a little bit of monitoring of  
12 what would be the process if that were to occur. Our  
13 real workhorses, for monitoring, are the fact that we  
14 create site-specific monitoring plans for each  
15 project.

16 These are based on our technical  
17 evaluations, this is why consultation actually is so  
18 important. It allows us to go through and find out  
19 what is driving the risk at this site?

20 Because every site is different, every  
21 site has different radionuclides, every site has,  
22 possibly, a different disposal structure, and  
23 different barriers.

24 So what is, where is the performance  
25 needed, and where do the questions rise with that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 site? And so the monitoring plan, while they are  
2 both tank farms, the monitoring plan for Idaho  
3 National Labs, looks quite a bit different, than the  
4 Savannah River Site.

5 Because we have stainless steel tanks, we  
6 have carbon steel tanks, we've got humid site, versus  
7 an arid site, and so forth.

8 And so right now we have three monitoring  
9 plans, as we are now monitoring at three sites. And  
10 these go down into, these are the technical issues we  
11 want to deal with, that we think are important to a  
12 site, site performance.

13 And these are the things that we are,  
14 possibly, looking for, these are the types of  
15 information that could be addressed to either close  
16 that issue, or put it off to the side.

17 Now these are one for one comparisons,  
18 unfortunately, because the performance of the site  
19 can be quite complex. So we may have, we may list  
20 ten different processes, like how fast waste could  
21 move out of ground, how fast the ground could crack,  
22 how fast the -- how long will the pad underneath a  
23 tank last.

24 All of those issues will be listed, but  
25 maybe a very good data support for one of those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 issues may close them all. Because all three of  
2 those processes are doing the same thing. They are  
3 holding up and isolating the waste, is what they are  
4 trying to do, as a barrier.

5 So it doesn't mean in our monitoring plan  
6 while we have a lot of different areas, it doesn't  
7 mean they have to go through, DOE has to check off  
8 every one of them, because a lot of them work  
9 together.

10 And so -- but our document goes through  
11 and says, we don't know how the research is going to  
12 go. Well, they could close it this way, or they  
13 could field the issue this way, or they could deal  
14 with the issue this way.

15 We want to have it say all of those  
16 things, especially since these projects are going to  
17 take a lot of years, and the monitoring plan becomes,  
18 for us, especially a knowledge management tool.

19 So that anybody entering into the program  
20 can know, these are the important issues on the thing  
21 that we are tracking.

22 And, similarly, as information is  
23 developed, we may revise the monitoring plans. These  
24 are living documents that we will revise based on  
25 site knowledge.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And an example of that is the Saltstone  
2 Monitoring Plan. The Saltstone Monitoring Plan was  
3 developed in 2007, on the original DA, and as Linda  
4 said, that technical analysis was based on, largely,  
5 based on an analysis that was much older than that,  
6 with some supplements right in the 2005 time period.

7                   But, since then, they have had  
8 operations, they have gathered more data, did lab  
9 studies, actually changed the design of their  
10 structures, out in the field.

11                   So DOE went ahead and created a new  
12 performance assessment, in 2009, and provided that to  
13 us. And we reviewed it and came out with the 2012  
14 review.

15                   And Larry is going to talk a little bit  
16 more about that in his talk. But for this talk, we  
17 took the findings in that to develop our new  
18 monitoring plan.

19                   Because the new modeling had some, of the  
20 important issues we were tracking in 2007 on, almost  
21 all of them are still the most important issues. It  
22 is just that we have a little bit more precision on  
23 what is the exact issue in that complete topic.

24                   Like we had, you know, we had an issue of  
25 wanting more data, and to get better modeling support

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for the long term aspects of the ground structure.  
2 That was in the 2005, 2007 time period.

3 In the 2012 time period we are talking  
4 about specific things within that, exactly what is  
5 the PH of the concrete, and some other things. So it  
6 is not, instead of a huge broad topic, they have  
7 narrowed it down.

8 So we are in the process, right now, of  
9 issuing the revision 1 for the Saltstone Monitoring  
10 Plan. After we get done with H-Tank Farm, we are  
11 going to be merging, and coming out with our merged  
12 monitoring plan for both F and H, together.

13 Because as the federal facilities  
14 agreement here is there will be some moving back and  
15 forth between the tank farms, from year to year. The  
16 tank farms have largely similar issues. There are  
17 some tank-specific issues on each tank farm.

18 But those can all be put into the same  
19 monitoring plan. In actuality I have the same staff  
20 on both tank farms. So it merges into one tank farm,  
21 and that way we will have that.

22 And then, again, another point of the  
23 cusp of, always been the question about this  
24 monitoring that Congress put together with us, is  
25 that the monitoring role that Congress put together,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 has no specific end date.

2 And so, as Linda said, INTEC, up in  
3 Idaho, is about to, as soon as they get the  
4 processing done, in the next couple of years will  
5 have moved all the tank waste out and grouted the  
6 final four tanks.

7 So they will have 15 tanks, sitting up  
8 there, full of grout. Well, a lot of our issues will  
9 have been closed by then. So we will still be  
10 monitoring the site, but we will have to revise the  
11 monitoring plan to show the status of that being the  
12 end state.

13 Because we won't be really monitoring  
14 worker protection, or anything else. We will mostly  
15 be focused on what is the groundwater monitoring  
16 showing, is there any actions related to the circular  
17 cover development nearby?

18 Those sort of questions, not exactly what  
19 is the composition of the grout that is being put in  
20 the tanks because, of course, that will already be  
21 known.

22 And, also -- sorry, on the slide you see  
23 the general plans will be being revised for the next  
24 few years. And that is important because we do have  
25 a couple drivers on that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           The Guidance was developed in 2005 to  
2 2007, especially it was all a new process, and we  
3 have learned a lot. Not only from the public  
4 meetings but the way we put out, the way we focus on  
5 how we do the review on the technical side.

6           The way we use both the scoping, in those  
7 cases, but also how we use the computer models that  
8 they've developed. That wasn't really in the  
9 document, before, or how does the staff actually use  
10 that, how does the staff document that part of the  
11 review.

12           That needs to be added into the actual  
13 review part. But even more is, the monitoring  
14 section itself has grown, as we got lessons learned,  
15 as we had to go through activities.

16           You know, last April we did issue a  
17 letter of concern on the Saltstone facility, sorry,  
18 April of 2012, not April of 2013, sorry.

19           And we are working through that. The DOE  
20 has responded with a letter about how they are  
21 putting in, right now, the Saltstone much lower  
22 technetium than they assumed in the models.

23           So the current structures that they are  
24 filling are nowhere near even what they modeled. So  
25 we are comfortable with that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And we are working, very well, together  
2 on closing the technical concerns that were also  
3 raised in the letter. And so I think that is in  
4 Mark's upcoming talk, mentions a couple of that, and  
5 the time frame of those.

6                   But when we went to actually try to  
7 publish a letter of concern we found that the process  
8 we wrote, back in 2007, had a lot of little hiccups.

9                   So we are trying to from, you know, government red  
10 tape type point of view, we are trying to make it  
11 clearer, make it much more, make the process more  
12 realistic on how it works, and really document how we  
13 found that we had to do it to get out a letter of  
14 concern.

15                   Or, in the future, if we had to do this,  
16 a letter to Congress. The other thing that has grown  
17 over time, that we didn't have hardly anything on the  
18 monitoring plan for was our coordination with the  
19 covered states.

20                   We have done a lot of coordination, now,  
21 with DHEC. DHEC, we have monthly phone calls with  
22 them, we -- they are on all of our observations. We  
23 talk to them before our observations.

24                   They read our monitoring plan and can  
25 understand what we are looking for, in case something

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 were to come up on, because they are on the site a  
2 lot more often than we are.

3 So if they were to see something, like  
4 last year when we were doing, when the DOE was  
5 pouring grout into 18 and 19, we came down here, did  
6 an observation, and DHEC was able to go, that is what  
7 you are looking for, if the grout is mounding a lot,  
8 very high, in the tanks.

9 And so they were looking at that for  
10 other reasons. But they knew that they could tell us  
11 if something would happen, so that we could ask for  
12 that day's video, or something like that.

13 So we want to clarify that. The  
14 document, as a whole, we are going to have to deal  
15 with how we are changing the regulations for low  
16 level waste.

17 We are about to, we have been working on  
18 modifying and updating the regulations for low level  
19 waste, over the last several years. In this, more  
20 likely, winter time period, if the Commission  
21 approves, if our top part of the Agency, the  
22 Commission, approves our proposed rule for public  
23 comment, we will be issuing it for public comment in  
24 about the January time frame.

25 Then we will take those public comments,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 respond to them, modify the Rule, and come out with a  
2 final Rule some time in late '14, early '15.

3 That -- those changes will actually make  
4 modifications to performance objectives, which are  
5 cited in 3116. So, therefore, we need to revise the  
6 Guidance to be consistent with the Guidance for Part  
7 61, and any rule changes that occur, if they do  
8 occur, because that has not been, it hasn't gone out  
9 as proposed rule, yet.

10 Now, it is all great, it is all  
11 wonderful. But we live under continuing resolutions,  
12 right now. And so these are not fast actions,  
13 unfortunately, because my resources I go to  
14 monitoring and consultation first.

15 And I'm trying to get the consultation  
16 done, so that we are not, so that we are not the hole  
17 in the tent, that we are not causing things, because  
18 getting the tanks, the most bulk waste out, is  
19 important for just risk reduction.

20 Now, risk reduction is not the -- the law  
21 does not have NRC to have that as a pure goal. But  
22 we understand that goal when we are trying to support  
23 that.

24 Our monitoring role is to look at whether  
25 it is above or below this one number, in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 performance objectives. But we do understand that,  
2 so we are trying to get that in consultation.

3 Also in monitoring, we are trying to do  
4 our monitoring in a timely manner. So I put my  
5 resources there, too, so that we get comments before  
6 they finish out a decision with DHEC on is tank 5 and  
7 6 done so that it can be grouted?

8 We want to be there early enough in the  
9 process so that there is no effect, even if somebody  
10 does raise the question.

11 So all my resources, most of all my  
12 resources go to that. And until I get each tank farm  
13 consultation done, they still will do that. That is  
14 priority one.

15 The Guidance will then come on. Some  
16 people are like, you know, why aren't your resources  
17 going down right after your consultation? It is,  
18 like, well we now monitor a few more things.

19 But, also, I need to bring the whole  
20 program up to, up to its modern level. So the data  
21 is a knowledge base for the future, again. And there  
22 are lessons learned here in case other states opt in,  
23 which then all of a sudden the program will be much  
24 bigger, much longer in time.

25 But the, but also the use of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 consultation, anyway. I will be out, thanks to the  
2 fact that the PA is starting again, we will be having  
3 a meeting out in Hanford in October, it looks like,  
4 to really kick it off. And that will be exciting to  
5 see, to get some of that work going on there.

6 So I did say we are doing public  
7 involvement on this, and we will, and we want it.  
8 Just about everything is a bit approximate, right  
9 now, on dates.

10 Because, again, -- I had my finger on  
11 that one. So right now, since I will be getting H  
12 done at the start of the year, we are thinking that  
13 we can come, that we can have a meeting, where we  
14 came up with some projected changes to modernize our  
15 general monitoring chapter, in the document.

16 And talk about exactly how does  
17 monitoring work, and how -- and versus how is it  
18 written in the document. And come down here and talk  
19 about that.

20 And that will be even prior to us  
21 actually really putting in true pen to paper, for  
22 making the changes. We want to talk to you guys  
23 before we do that, not go away and write the  
24 document, then throw it out for public comment, and  
25 then come in.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           It won't be thick, we are going to have  
2 thought process, we are going to come and get  
3 proposals of how we are going to do the changes, then  
4 we are going to do the writing.

5           And then in the next year we will be near  
6 the final part of part 61. So I will know, again,  
7 similarly a, how do I need to change 1854 to make it  
8 go in parallel with the -- yes, I know, I don't have  
9 this. A lot of places -- so I can face everybody.

10           No other projector says that we have to  
11 look at the projector. But that we will be  
12 discussing the rest of the document, which is all of  
13 the performance objectives.

14           So the -- so those are the time periods.

15           Now, there are ways to keep up on this, is that we  
16 do have a spot on our NRC website, which will be  
17 updated, and you will get plenty of notice for these  
18 meetings.

19           We will also be emailing out, we have a  
20 stent general email list that all documents come out.

21           So you will get a notification every time we send  
22 out a document, actually.

23           But on WIR, not on everything. This list  
24 doesn't give you everything that the NRC puts out.  
25 But we do put out, I have an email list, just like

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the old list we used to have, where you get a mailed  
2 copy of everything, now everything is by email.

3 That is another way you can stay informed  
4 of when are we going to be working on these things.  
5 And also for, on this, I did get, I did provide  
6 access to the various documents just to, if people  
7 are interested. Most of them are tagged on our  
8 website, too.

9 But those are how we are going to try to  
10 take our lessons learned, which we have discussed a  
11 little bit, and try to incorporate that and move  
12 forward. And also, in fact, take into account that,  
13 from NRC's role, we are going to be going to  
14 effectively be monitoring normally.

15 And while DOE is largely going to a  
16 permutation, so we are working on the paperwork. If  
17 anybody has any comments, or questions, on the first  
18 two presentations, come up to the mike, so that we  
19 can get it recorded, and introduce yourself.

20 MR. CLEMENTS: Tom Clements, again. Once  
21 the monitoring program is, basically, finalized and  
22 in place, how can it be modified, in the future,  
23 based on lessons learned along the way?

24 MR. MCKENNEY: It is, again, we have our  
25 general areas that we have to look at. Those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 normally don't change. We are always looking at  
2 compliance of -- we have corporate forms, objectives,  
3 within -- that are told to us by the law.

4 One is the long term isolation of the  
5 waste. And are the dose, if there is waste that ever  
6 gets out of the site, will the doses remain below 25  
7 millirem, to the general public.

8 Is the waste protected from intruders so  
9 that if an intruder accidentally gets into it, they  
10 won't get a dose that would require medical care,  
11 basically, or anything else like that.

12 And worker protection is another  
13 requirement, and stability. So a different phase,  
14 when INTEC is done worker protection is pretty much  
15 not there, because their dose rates are going to be  
16 zero, and everything else.

17 So my monitoring plan on that part of it,  
18 my monitoring role is that DOE will be meeting that  
19 requirement, I won't have to do much activities under  
20 monitoring because the physical design of the site  
21 will be that way.

22 Now, when you talk about like stability,  
23 or talked about doses to the general public, those  
24 become much more technical on how we are modifying  
25 them.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   We are saying, like, again where we  
2 started out with questions of what is the actual  
3 chemical characteristics of Saltstone. That was one  
4 of our monitoring areas under, in REV 0 of Saltstone.

5                   We have modified it because of our  
6 knowledge, we have removed a number of questions, and  
7 areas, because they have been able to find data, and  
8 provide it to staff.

9                   And we have narrowed it down to just a  
10 few things of, you know, a comparison between how  
11 could this, or the representativeness between lab  
12 studies, and field placement, and how much is  
13 technetium actually reduced.

14                   And so they become specific issues. As  
15 model support, and through various means of getting  
16 that support through the studies, or direct  
17 measurements, or other things occur, we close those  
18 individual technical issues. And that, then, changes  
19 in scope the monitoring over time.

20                   And so we are not, like, making huge  
21 veers off the road to make a whole new bypass, or  
22 anything like that. We are just trying to focus on  
23 those things that are important, that we don't have,  
24 that we feel we don't have good answers for, or that  
25 we have not enough model support to be able to come

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 to certain conclusions.

2 But -- so that is how we modify the  
3 monitoring plan, we are not changing it all of a  
4 sudden, and just going off into another direction.  
5 We are trying to take the knowledge we have now, and  
6 what is important to the site, what barriers are  
7 important, and continue just to focus on those.

8 And as the data comes in, and we can  
9 decide maybe the process changes, or maybe --  
10 whatever. Sometimes it is barrier shift, a little  
11 bit, in focus. But we change the monitoring plan  
12 according to that, according to the safety evaluation  
13 and what is important for the site.

14 MR. CAMPER: Chris, I wanted to get you  
15 to clarify. I had a meeting, this afternoon, with  
16 Karen Patterson, the Governor's Advisory Council.

17 And, of course, Karen is quite concerned  
18 about resources, understandably. And you mentioned,  
19 in your presentation, that we are going to be  
20 providing our questions on the H-Tank Farm to you,  
21 soon.

22 And I was wondering if you might clarify  
23 when you think we will do that? And then to what  
24 degree we are prepared to interface with DOE, between  
25 now and, say, the end of the calendar year, as their

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 funding becomes more complicated, to do everything we  
2 can to get the consultation wrapped up.

3 MR. MCKENNEY: Consultation.

4 MR. CAMPER: Consultation, yes.

5 MR. MCKENNEY: And, again, either  
6 tomorrow or Monday it will be sitting on my desk,  
7 will be the request for additional information for  
8 providing back to DOE.

9 We are, we have completed it, we are  
10 putting it together, and it should be issued next  
11 week or so. I think next week. Maybe a couple of  
12 days. But we will meet the August 1st date.

13 And as part of that we, also, are having  
14 a public meeting at the end of August, on the H-Tank  
15 Farm consultation process, where we will talk  
16 through, after having, after DOE having a chance to  
17 spend some time looking at those questions.

18 Now, again, because as Linda mentioned,  
19 we have had a number of technical meetings and  
20 discussion, over the past several months, during this  
21 consultation process.

22 The questions that are going to be coming  
23 to them are largely known, because during the calls  
24 we have had statements like, well, I don't think we  
25 can deal with it on this phone call. How about you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 just ask it as a question?

2 And they knew that that question was  
3 going to be coming. So they have been able to start  
4 already on the ground, running a bit.

5 After the fiscal year starts, September,  
6 after September 30th, again, H-Tank Farm is still my  
7 large priority because, honestly, on the other side  
8 is, the only other one that would become higher  
9 priority would be Saltstone if it came in.

10 But it is not likely to cross over at  
11 that point yet. So the first few months, of the next  
12 fiscal year, will still be, H-Tank Farm will be the  
13 highest priority.

14 There are a few things I have closed out,  
15 just to make sure that they got everything done on 5  
16 and 6 before it is all closed out, because we have  
17 everything in the process for just closing that out.

18 But H-Tank Farm is my highest priority.  
19 And that is, again, why I wouldn't be doing Guidance,  
20 I would be doing H-Tank Farm. We are shooting for  
21 the dates we've provided DOE, and we are trying to  
22 stick with them, and we are going to make every  
23 effort to, so that we don't have a problem with that  
24 part of it.

25 We do have limited resources, too.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Honestly, at the start of the year, the NRC will  
2 probably be under a continuing resolution, and we  
3 will be under an hours limit for my staff, or I will  
4 have to ask my staff, these are how many hours you  
5 have, this week, to work on it, get what you have --  
6 we have to focus on the highest priority issues,  
7 because we have to do that triage.

8 But when we do get it done, and we are  
9 going to get it done.

10 MS. SUTTORA: I probably didn't say this,  
11 when I was talking about it. So in addition to NRC  
12 is reviewing the H-Tank Farm performance assessment,  
13 the draft waste determination basis, other changes  
14 are occurring, as we learn new information.

15 One of the things that we have done,  
16 recently, is modified some of the modeling that was  
17 done for the Salt Waste Disposal Facility. And that,  
18 the revised model was worked very closely with the  
19 Nuclear Regulatory Commission technical staff.

20 And, in fact, we had a public meeting,  
21 back in January, where we discussed the specific  
22 modified parameters that would go into the model.  
23 The site has written that up in what is called the  
24 special analysis, which is it modifies those portions  
25 of the performance assessment that it changes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           So when a site gets new information, and  
2 it is not enough new information to do a whole new  
3 performance assessment, but it has some significance,  
4 the site will do a special analysis.

5           And when a special analysis is  
6 significant enough, that low level waste group, the  
7 L-FROG, will do a review of those changes to make  
8 sure that, you know, there is enough technical  
9 support, and they have provided enough information.

10           And that we have actually put together an  
11 L-FROG review team for that special analysis. And  
12 that review team is actually currently undergoing the  
13 review.

14           And we are expecting to be done in early  
15 August. And what we did for that review, because the  
16 only thing that changed was certain parts of the  
17 model, but the rest of the assumptions that went into  
18 the original performance assessment were the same, we  
19 approached the guys who did the original review, that  
20 did the modeling portion of the performance  
21 assessment review, and asked them to come back and  
22 just do that special analysis review.

23           And two of them had retired. And I had  
24 to beg and plead to get them back to be part of the  
25 team. And -- but because -- and they were willing to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 do that. They said it was such an interesting  
2 performance assessment to review that they were very  
3 excited, actually, to review the special analysis.

4 So that is ongoing now. And that is what  
5 Chris was referring to, is the Saltstone changes,  
6 that those are the changes that he is discussing.

7 So we have been looking, very closely,  
8 and it is directly in response to the letter of  
9 concern that we received last year. We are working  
10 very closely to answer all those questions, and in  
11 order to answer them appropriately we had to modify  
12 the model.

13 FACILITATOR GILBERTSON: Any other  
14 questions?

15 MR. WOLFE: Clint Wolfe, with CNTA. I  
16 was just curious about the extent to which the  
17 criteria, that we are talking about here, are  
18 codified in a rigorous manner, versus how much room  
19 is there for collaborative adjustment of what we are  
20 looking for in these performance assessments, and  
21 otherwise. Or does it depend on the situation?

22 MS. SUTTORA: I'm not sure I understand  
23 the question.

24 MR. WOLFE: Okay, the question is really  
25 more about, when we go to a new Order, a NUREG, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 find all the criteria that you are working to, say,  
2 in a performance assessment?

3 Or is there room for modification --

4 MS. SUTTORA: So, yes.

5 MR. WOLFE: -- of that?

6 MS. SUTTORA: So the Nuclear Regulatory  
7 Commission has a NUREG specifically on how to do a  
8 performance assessment that is in NUREG 1573.

9 And then the Department of Energy has  
10 developed extensive guidance, for our facilities, on  
11 how to do a performance assessment. And that is  
12 located on our webpage under our Environmental  
13 Management webpage under the, I think it is the  
14 compliance page.

15 And -- but our -- we also have what we  
16 call a performance assessment community practice, and  
17 we share best practices. So it is not codified. It  
18 really is specific to the site, but we identify what  
19 we have to do to do a good one.

20 And the primary thing is to identify the  
21 natural and man-made barriers for the waste to be  
22 released. So if you identify, if you are doing a  
23 disposal in cement, so it is how quickly does the  
24 cement degrade, what kind of radionuclides are  
25 involved, and how will they be released?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   For example, are they highly soluble and  
2 water was able to infiltrate, and the water was able  
3 to carry off a solid radionuclide that is a  
4 technetium, or iodine.

5                   So we do very complex analysis of how  
6 those radionuclides move through the system.

7                   MR. WOLFE: I'm just wondering if there  
8 is any room for taking a standard that says, there  
9 shall be no more than 10 MR exposure to somebody at  
10 the boundary of this facility --

11                   MS. SUTTORA: Well, those --

12                   MR. WOLFE: -- versus --

13                   MS. SUTTORA: -- are performance  
14 objectives.

15                   MR. WOLFE: Okay. But versus saying, you  
16 know really, we can save 50 million dollars if we  
17 make that 20 MR.

18                   MR. MCKENNEY: Right. In that case, yes,  
19 the performance objectives, which, which the Congress  
20 put as what we, what NRC is to monitor to, are  
21 written down in our rules, which was done by the  
22 Procedures Act.

23                   So it is in the regulations, not in a  
24 guidance document, or Order. It establishes that the  
25 25 millirem per year dose limit to the general

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 public. So that one is there.

2 I mean, there is other ones that we have  
3 had discussions with the Department of Energy before,  
4 and the State was involved in it, too.

5 MR. WOLFE: Okay.

6 MR. MCKENNEY: Which was where does that  
7 apply? And some other assumptions like protection  
8 intruder. Can you actually, could somebody actually  
9 drill through the, drill through a tank?

10 And, you know, in the end we agreed with  
11 the Department that that is highly unlikely in South  
12 Carolina. So while they did that analysis, that was  
13 not the analysis we used for comparison.

14 MR. WOLFE: Okay.

15 MR. MCKENNEY: So because that sort of  
16 scenario was not there. When you are talking about  
17 the rules themselves, like the dose and stuff, those  
18 are codified, so there aren't room to move.

19 There is a lot more of being able to be  
20 reasonable and take discussions of what is the  
21 scenarios, how could this thing degrade, where is the  
22 receptor? Those things have been discussed before in  
23 various scoping meetings, and things like that.

24 MR. WOLFE: Okay.

25 MR. MCKENNEY: And we try to take those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 into account.

2 MR. WOLFE: Yes. I just think that it is  
3 important that with budgets being what they are, and  
4 what they look like they might be, that we just take  
5 a good hard look at the criteria, and what it costs  
6 what might be a marginal increase in a safety margin,  
7 if you will.

8 MS. DICKERT: For those of you who don't  
9 know me, I'm Ginger Dickert, and although I work for  
10 the Savannah River Remediation, today I'm here  
11 speaking on behalf of the Energy Facility Contractors  
12 EFCOG, Waste Management Operations Group.

13 And so that encompasses contractors  
14 across the entire DOE-EM complex. And we have  
15 working groups that work in particular areas, to work  
16 on common issues that all the contractors are seeing  
17 are common needs that the contractors have.

18 And the group that I'm representing today  
19 is the EFCOG Waste Management Operating Group. And  
20 it is my pleasure to talk to you about some of the  
21 work that has occurred as a result of that waste  
22 management group.

23 But this year, at the Waste Management  
24 2013 Conference, we had an imbedded theme that ran  
25 throughout the conference, around the waste

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 incidental to reprocessing, both under the 435.1  
2 Order and the NDAA Section 3116 process.

3 It was a first of a kind, for the Waste  
4 Management Conference, to have an imbedded theme.  
5 Conferences have tracks that look at high level  
6 waste, low level waste.

7 But when we looked at what does it really  
8 mean to do a waste incidental to reprocessing, or a  
9 waste determination, it doesn't fit just in one of  
10 those tracks.

11 Because if we are going to be successful  
12 the case has to be built from the very beginning, and  
13 cross-cuts all of those tracks.

14 And so it was recognized as something  
15 that was going to touch every part of the business,  
16 and every part of the conference.

17 It was done to recognize the importance  
18 of the progress, and moving forward, in the DOE  
19 clean-up mission, that we can't move forward.

20 Our basic way of looking at this is, this  
21 process says, when is something clean enough? When  
22 is a tank clean enough, when is the facility clean  
23 enough, when is the actual waste itself, clean enough  
24 to where you are able to move forward with a closure,  
25 or a disposition decision.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   And if we are going to make progress in  
2 the high level waste world, this is so integral to  
3 every decision that is made, and so important to long  
4 term decisions, which are very hard to reverse.

5                   And that there was now enough experience  
6 to where we could look at the lessons learned that  
7 could be applied across the entire complex, and look  
8 at this very important process that had occurred.

9                   It involved participation from many  
10 different sites. It is not just Savannah River, it  
11 involved participation from the West Valley  
12 Demonstration Project, the Idaho National Laboratory,  
13 the various factions within the Hanford site, both RL  
14 and ORP, and DOE-EM headquarters personnel.

15                   It involved personnel at all levels  
16 within the organizations, the practitioners, the  
17 engineers, the operations personnel, that are  
18 actually working the issues in the field.

19                   Personnel that are preparing the  
20 performance assessments, the regulators,  
21 stakeholders, like those of you here in the room, and  
22 the policymakers, who were setting the policies at  
23 the higher level.

24                   It allowed us to have collaborative  
25 integration of all of those groups, in a setting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 outside of our normal workplace, where folks could be  
2 -- could set aside some of those issues, and talk  
3 openly about what we were learning, and sharing our  
4 experiences.

5 I want to acknowledge a few folks, here,  
6 that had a very key role in the Savannah River  
7 portion of this. Not to say that there were not  
8 others from other sites, because there were.

9 But for this community to let me  
10 acknowledge some of those. The Chairman of the Waste  
11 Management Corps of Engineers, Sonny Goldston, in the  
12 DOE-EM Headquarters, Mark Gilbertson, very actively  
13 supported, served on panels for us, Bill Levitan,  
14 Linda Suttora, and the list goes on.

15 But these were a few people who were very  
16 key in there. For DOE Savannah River, Dave Moody,  
17 Terry Spears, and Sherri Ross. And, again, there  
18 were a number of others who supported, that these  
19 were very key in participating, and in supporting the  
20 participation of their organizations and of the  
21 contractor organizations, in making this lessons  
22 learned process a reality.

23 For the NRC, Larry Camper and Chris  
24 McKenney. Larry not only supported, from an NRC  
25 standpoint, with his personnel attending and making

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 many presentations, and his participation on the  
2 panel.

3 But he also is on the Board of Directors  
4 for other Waste Management Symposium, and provided a  
5 lot of support, for us, to be able to do this first  
6 of a kind activity, throughout the Waste Management  
7 Conference.

8 We also had regulatory participation.  
9 And I'm going to apologize, right now, to Karen  
10 Patterson, whose name should be on here as well, from  
11 the Governor's Nuclear Advisory Council, Shelley  
12 Wilson from the Department of Health and  
13 Environmental Control, and Rob Pope, from our  
14 Regional EPA office.

15 And I do want to acknowledge two other  
16 folks from SRR, John Tseng, and Steve Thomas, who  
17 were key in helping put together all the sessions  
18 that occurred throughout the conference.

19 Because we were looking to cover the  
20 entire cradle to grave nature of it, is why it became  
21 an imbedded theme.

22 So far we have talked about the paperwork  
23 process that occurs at the end to ensure the work is  
24 right. But if you don't start out, from the very  
25 beginning, beginning with the end in mind, you get to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the end and you hope you have the case, instead of  
2 having built your case all along.

3 So we recognized that from a contractor  
4 perspective it starts with initial characterization  
5 of the waste, the selection of the technologies, for  
6 retrieving the waste, or for treating the waste once  
7 retrieved.

8 The selection of the technologies on how  
9 we are going to sample, and characterize, what you  
10 have left. The R&D that is required to define the  
11 parameters for the long term performance of the final  
12 closed facility.

13 And then the actual process of closing  
14 it. Those don't happen by accident, they require a  
15 very structured approach.

16 And so, through the conference, we built  
17 it to look at all of those, in a very structured  
18 manner, on how all those pieces fit together.

19 We opened with panel discussion about  
20 policymakers, to talk about what were each of the  
21 agencies, the Department of Energy, the Nuclear  
22 Regulatory Commission, the various States, what were  
23 they looking to accomplish, and how were they going  
24 to see this process accomplish the objectives of each  
25 of those policymaking bodies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 We held a panel of discussion on the  
2 associated accomplishments that have occurred as a  
3 result of the 3116 and 435.1 processes that were  
4 used. And the significance of those accomplishments.

5 You know, we talk about the closure of  
6 waste tanks, and recognize that it is significant.  
7 But I'm not sure all of the public clearly understand  
8 the years of work, and the amounts of effort, and  
9 expenditures, that go into ensuring that we have got  
10 the right technologies, the right equipment, that we  
11 are protecting the personnel, as we do the work, and  
12 that we are protecting the public today, and in the  
13 future.

14 A very lengthy process and we wanted to  
15 capture all of the perspectives of the policymakers,  
16 and then the accomplishments, were.

17 Then, throughout the conference we had  
18 sessions in every single time slot, from technical,  
19 regulatory, and stakeholder involvement sessions.

20 Again, to look at all of the various  
21 aspects of that. And it culminated in an all day  
22 lessons learned workshop, on the last day of the  
23 conference.

24 Now, as an output of this, there is a  
25 document that has been issued. It is the Lessons

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 Learned in Management of the U.S. Department of  
2 Energy Waste Incidental to Reprocessing.

3 I don't think we could have made the  
4 title much longer. It is not your catchy, quick,  
5 title. It was issued in April 2013. This is a copy  
6 of it, if someone would like to look at it.

7 This is a website for the EFCOG  
8 organization, at which it is available. And there  
9 are slides in the back, where anyone who didn't get a  
10 copy, to ensure that you would have access to this  
11 document.

12 This document was, also, provided to the  
13 Department of Energy, to contain, from a contractors'  
14 perspective, it documented accomplishments, the  
15 lessons learned, and a few recommendations for some  
16 areas where we thought we could collectively continue  
17 to improve the process.

18 As far as accomplishments, and some of  
19 this has already been discussed, at the West Valley  
20 Demonstration Project, 435.1 Order, and the DOE  
21 manual 435.1-1.

22 The authorization for handling of the  
23 failed vitrification melter, as a low level waste,  
24 was approved, as well as some processing vessels.  
25 This was done through the WIR evaluation process that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Linda talked about, through the WIR citation process.

2           Throughout the DOE complex we have been  
3 able to dispose of things like decontaminated tools,  
4 what we call job controlled waste, the personnel  
5 protective clothing, the personnel where, when they  
6 enter contaminated areas, things that have very, very  
7 low levels of contamination, and very, very low risk.

8           So that has enabled us to do that  
9 throughout the DOE complex.

10           Under the 3116 process, at Savannah  
11 River, it has enabled us to close two waste tanks,  
12 tanks 18 and 19, and with plans to close tanks 5 and  
13 6, later this year. And it allows us to dispose of  
14 the decontaminated salt solution, in the Saltstone  
15 Disposal Facility.

16           For Idaho you have also heard about the  
17 various volume tanks, 11 waste tanks there, that have  
18 been closed through the use of this process.

19           This lessons learned document looks at  
20 lessons learned for DOE Order 435.1 processes, as  
21 well as the 3116 processes.

22           Since this meeting, today, was really  
23 about the Section 3116, I have limited my discussion,  
24 here, to the specific lessons learned and  
25 recommendations for the 3116 process.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           We looked at all of these together,  
2 because the DOE 435.1 process is so similar to the  
3 3116, and the work that is going on through the DOE  
4 Order Revision process, to make them even more in  
5 lockstep, in exactly how they are done.

6           And so we made sure to look at them all  
7 in a very holistic manner, and not to look at them  
8 just individually.

9           When we first started out with the 3116  
10 process it was a whole new world for everyone. It  
11 was a new role for the NRC, not a regulatory role, a  
12 consultative role, a monitoring role, new terms that  
13 were very, very different, for the Department of  
14 Energy.

15           It was a whole new set of roles on how we  
16 are going to interact with the NRC, how we are going  
17 to interact in conjunction with the State. For the  
18 State it was a whole new role of, I've got somebody  
19 else who is in my regulatory world, and I'm not sure  
20 how I feel about that, and how I want to work.

21           And I heard Larry refer to it once, and I  
22 really think it was applicable, and he has heard me  
23 say this before; that we started out doing the Kabuki  
24 dance, you know? Where there was a whole lot of arm  
25 waving going on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 I don't know exactly what a Kabuki dance  
2 is, but it looks like a whole lot of arm waving, and  
3 a whole lot of noise, and no forward progress. So we  
4 started out with everybody trying to find their  
5 roles.

6 From there we have come a very long way  
7 to having a very effective process, having strong  
8 technical exchange. And we feel like it has come a  
9 long way.

10 So we are talking about a few of the key  
11 lessons learned, as we have come through that course.

12 And, again, we look at continued opportunities for  
13 improving the process.

14 So some of the things that we recognized.

15 It is really important to have clear, open, and  
16 frequent communications, not only between DOE and its  
17 regulators, and consultants, but with the  
18 stakeholders as well, so that there was a much  
19 clearer understanding of the kind of decisions that  
20 were being made.

21 Mr. Wolfe asked, was there ability for  
22 collaboration in the process? There is collaboration  
23 to try to determine the absolute values and  
24 assumptions that you are using.

25 And the scoping meeting process, where

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you get all of those folks into the room, and try to  
2 talk about the various perspectives, and the various  
3 technical opinions, to define some of those  
4 assumptions that you are going to use, before all the  
5 work is done.

6 Doing that in a public environment, where  
7 the public can see that deliberation that occurs.  
8 Doing that with the regulators as well, so that  
9 everybody is participating, and their viewpoints are  
10 all heard, as we are defining the new assumptions up  
11 front.

12 Linda talked about the scoping meetings,  
13 or maybe it was -- you talked about the 12, and you  
14 talked about when it would start again, the scoping  
15 meetings that are occurring at Hanford, and that is  
16 where that process, and that was a process we  
17 developed here, to try and get more involvement,  
18 early on, and have more transparency.

19 Providing the DOE models that were used.

20 And the first ones, as Linda said, all the  
21 information was given over, and everybody sorted  
22 through it, and we kind of threw stuff back and forth  
23 at each other.

24 It was not the most efficient and  
25 effective way to do it. What we found, then, is that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 we can work together, provide the models that are  
2 used, that have shown us what we think are the most  
3 important, the most sensitive, the key parameters,  
4 those things that we need to focus on.

5 And allow the NRC to improve their  
6 efficiency, and effectiveness, by having that,  
7 instead of having to totally recreate it all, on  
8 their own, to do the same thing, much more effective  
9 and efficient process to do.

10 The rest of the document, I selected  
11 those key lessons learned because they were  
12 identified throughout all of the contractors, as key.

13 The document itself contains about 40  
14 detailed lessons learned. But I thought that you,  
15 perhaps, did not want to hear me talk about every one  
16 of them.

17 So I picked the top three for all of the  
18 contractor sites. But, again, the other 37 are  
19 available for your reading in the document.

20 Key Recommendations. And here we were  
21 trying, as a contractor group, to focus on, given all  
22 the progress that we have made, and given that moving  
23 forward with other sites through the DOE Order 435.1  
24 process, what would we recommend in the vein of  
25 continuous improvement, as areas that we see, that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 would help us, as contractors, perform this scope.

2 And the first one, and you are going to  
3 see a theme in a few of these, the first one is to  
4 develop and define the document, the scope of  
5 consultation.

6 It has changed over time, it has improved  
7 over time. And what we would like not to become, as  
8 contractors, is personality-driven, but more of a  
9 defined process.

10 I think some of that is going to occur  
11 through the DOE Order 435.1 Revision, and that is  
12 going to help us, as contractors, too. So as that is  
13 evolving, you know, we know where it is, and we are  
14 able to efficiently execute it.

15 The DOE and the NRC to continue to  
16 explore methods to expedite the process. We believe  
17 in the importance of independent review. We think it  
18 is important to protect the safety of the public now,  
19 and in the future.

20 And we don't want to compromise either of  
21 those two. But we would encourage the continued  
22 opportunities to reduce that schedule, and allow us  
23 to accomplish the work more effectively.

24 As I said, before, with defining the  
25 scope of consultation, we would encourage DOE and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 NRC to work with us to define the scope of  
2 monitoring, and that is much of what Chris McKenney  
3 spoke of, so that we have more clear expectations,  
4 and understandings, and there is not confusion, as we  
5 go through, as to what is expected.

6 We would ask that DOE and the NRC work to  
7 define, give us a better understanding of some of the  
8 subjective terms. Terms, and this is in both of  
9 these, terms like non-compliance with the performance  
10 objectives.

11 That is something that if it is going to  
12 occur, it is going to occur 10,000 years from now.  
13 So what are we looking for today, as the indicators,  
14 or how are we measuring, today, what we are seeing.

15 So we would then know how to set up our  
16 own monitoring and information flow out to those  
17 agencies.

18 Some other subjective terms, reasonable  
19 assurance. Having reasonable assurance that the  
20 performance objectives are met. If I ask each person  
21 in this room what reasonable assurance means, I  
22 venture to say I would get about that many different  
23 answers.

24 And so trying to work collaboratively to  
25 say, how much conservatism is enough? Is it truly

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 bounding, or is there a reasonably conservative  
2 position, and what should that be?

3 How much uncertainty needs to be  
4 tolerated in the numbers? If we could define that  
5 type of thing and the term to an extent practical,  
6 what does that mean to us?

7 Because those make a big difference, even  
8 within the performance objectives. You know,  
9 performance objective of 25 millirem, if I've got to  
10 have a 10 percent uncertainty, versus a 20 percent  
11 uncertainty, that is vastly different in where that  
12 number, that we are calculating, might come out.

13 And what we need to be doing on the front  
14 end, to plan to achieve that by the time we get to  
15 the back end.

16 So those are the key recommendations  
17 that, as a contractor group, we provided to the  
18 Department of Energy. And, as I said, many of those  
19 are already being worked.

20 And we appreciate, very much, the  
21 Department's receptiveness to that report, and  
22 participation with us in developing that.

23 And at that point, if there are any  
24 questions I would be happy to entertain those.

25 MR. CAMPER: I don't have a question, as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 such. But I do want to make a comment. I really  
2 want to thank you for your recognition of the support  
3 that I gave you, and Mark Gilbertson is also on the  
4 Board of Directors.

5 And I just want to commend you, and  
6 Sonny, and everyone involved, that week-long  
7 workshop. That was, really, well done. And I  
8 encourage those of you, in the audience, who are  
9 interested, read the report, the EFCOG management  
10 working group.

11 It really is an excellent document that  
12 will teach you even more than you already know about  
13 what is going on down there. It is really well  
14 done, well done.

15 MS. DICKERT: Any other questions?

16 (No response.)

17 FACILITATOR GILBERTSON: So I'm going to  
18 start off with a little bit different kind of intro,  
19 here.

20 To also let you be assured that we are  
21 not only kind of looking across our knowledge base,  
22 here, in this country, with regard to, you know, what  
23 best practices are with regard to the management of  
24 nuclear materials.

25 Larry and I were, earlier in this year,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 were invited by the IAEA, to attend an expert's  
2 conference in Vienna, where all of -- several of the  
3 countries, from around the world, came together to  
4 share lessons learned, with regard to the  
5 remediations of sites, and with regard to response to  
6 accidents, and with regard to regulatory frameworks,  
7 on how you conduct those kind of activities.

8 And so we are reaching out,  
9 internationally, to understand what is going on  
10 internationally, and the international community is  
11 reaching out to us, to get our expertise, and lessons  
12 learned, to conduct these kind of activities, as we  
13 move forward.

14 So what do we do from a Department of  
15 Energy perspective, what are we trying to accomplish  
16 overall? So we are trying to work across sites to  
17 bring some consistency to what is happening at the  
18 individual sites.

19 Although there is differences, as Chris  
20 mentioned, in the environments that we are disposing  
21 of these materials, I want to make sure that  
22 everybody is taking a sound technical approach with  
23 regard to the modeling and monitoring, and approaches  
24 that they take to do this.

25 And that we are sharing lessons learned

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 across all of the sites, so the best people in the  
2 complex are involved with the processes of trying to  
3 make these determinations, overall.

4 And so we are sharing lessons learned.  
5 They are practical things about, you know, how do you  
6 grout piping, and how do you grout tanks? So what is  
7 the best formulation for it.

8 And, you know, types of models that we  
9 are using. The sophistication of our models are  
10 constantly increasing. The ways that we characterize  
11 particular materials are all things that are lessons  
12 learned, that we share, as we move forward.

13 And it is all being done to try to strive  
14 to bring more confidence to our decisionmaking  
15 processes, and to make sure that these materials are  
16 dispositioned in a way that protects human health and  
17 the environment overall.

18 So that is, you know, some of the overall  
19 reasons of why we do things across the board, in the  
20 Department, and have driven things to share these  
21 lessons learned.

22 Other things that we do, you know, is we  
23 focus on, from a headquarters perspective, a  
24 technical review of the documents. We are not so  
25 stuck down in the weeds that you get a second look at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it, from a headquarters perspective of somebody that  
2 has not lived it for three or four months, and has  
3 done it.

4 And so we give, at headquarters, and  
5 through our L-FROG reviews, a second look of eyes,  
6 and that is why it is even beneficial, with the NRC  
7 to have that third set of eyes that looks at it.

8 And along with you, in the public, as you  
9 are reviewing these documents, to ensure that we are  
10 doing the right things, and making the best judgement  
11 possible as we move forward with these.

12 Staff at headquarters, and in the field  
13 are free to raise concerns up to our level at  
14 headquarters, to try and implement changes, and get  
15 things resolved across the board.

16 Now, it is not set up in a process, so it  
17 is just a chain. There are many checks and balances  
18 that happen as we move through the documentation of  
19 these efforts, and go to making these decisions, so  
20 it is not a unilateral decision that is made by a  
21 field office manager.

22 It is not a unilateral decision that is  
23 made by somebody that is a technical person at a  
24 site, but there are many checks and balances to make  
25 sure that, from a technical perspective, we have made

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the proper determination and decisions for the  
2 country.

3 And that goes with regard to the  
4 performance of the performance assessments, with  
5 regards to performance in the documentation to  
6 support these determinations.

7 But it also goes, fundamentally, to the  
8 final kind of decisions with regard to the actual  
9 disposal of the material itself, to authorize things  
10 for disposal.

11 And so senior management is briefed,  
12 political people are briefed, the Secretary is  
13 briefed, and we make the decisions to move forward.

14 You may not be quite as familiar, you  
15 know, we talk a little bit about the Idaho kind of  
16 instances. Sites are different, Chris mentioned  
17 about stainless steel tanks.

18 Stainless steel tanks are very different  
19 to clean out than the fundamental processes than were  
20 used out there than the carbon steel tanks.

21 And also the innards of the tanks are  
22 very different down here, at Savannah River, with  
23 regard to piping that exists on the inside of the  
24 tanks, than existed at the Idaho site overall.

25 So, you know, we are making progress

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 associated with it. We are learning from each site.

2 But you will recognize, as you look to the  
3 documentation that exists in Idaho, and in Savannah  
4 River, that there are differences between how we did  
5 what we are trying -- did the closure of the tanks up  
6 in Idaho, versus at Savannah River.

7 You have heard a little bit about we have  
8 some tanks that are waiting. Well, you understand  
9 that -- you may not know, but at Idaho, you know, the  
10 waste that were generated were part of the -- we were  
11 dealing with the calcite process, up in Idaho, and we  
12 stopped that plan.

13 And so we have some material in the  
14 bottom of the tanks, the sodium bearing waste that we  
15 have to treat out there, yet. And so the technology  
16 that we picked, which is a first of a kind  
17 application out there, is a steam reforming one.

18 So we are working to get that plan up to  
19 speed out there. And when we do, we will treat the  
20 material, that is in that tanks, and proceed on with  
21 the grouting of those tanks and then, ultimately, to  
22 the final cover of those tanks out there.

23 At Savannah River, you know, I'm not  
24 going to go too much, because you guys are really  
25 intimately familiar with it, and it has been talked

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 about the processes that we are using here, at  
2 Savannah River, to close the individual tanks that we  
3 have, and how we are stepping through the process.

4 And we will talk about we are constantly  
5 evolving and improving the way that do we things.  
6 And the modeling that we are using for groundwater is  
7 much more sophisticated than when we started out  
8 modeling groundwater.

9 And I envision, as we move into the  
10 future, that it is going to continue to be more  
11 sophisticated as we move forward.

12 In my program, in another part, we have,  
13 you know, some new modeling that is coming on board  
14 with regard to, it is called the ASCEM modeling, but  
15 it is -- it gets to more visualization.

16 We talked about how important it is to  
17 work with stakeholders, to allow people to understand  
18 what is going. Well, we believe, as we move into the  
19 future, an important component of it is going to be  
20 allowing you to visualize this material moving  
21 through the subsurface, so you can understand exactly  
22 what is happening at each individual level.

23 And so that is where the future is going.

24 So as we go and manage these materials, at Savannah  
25 River, into the future you can envision, as we move

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 forward, you know, your site-wide composite analysis  
2 and PA information putting into system like that, so  
3 that you can monitor the performance of those  
4 materials through the groundwater monitoring system.

5 And look at how things are performing.  
6 So we are kind of on that, kind of long term track,  
7 and a vision for where we wanted to go with regard to  
8 monitoring these activities.

9 And I think one thing to keep in mind is  
10 with regard to how we move forward, with the program  
11 itself, we are going to be here for a long time, at  
12 the Savannah River Site.

13 And so we are going to be monitoring, the  
14 State will be monitoring on a regular basis for a  
15 long time out into the future. So we have time to  
16 continually improve what we are doing with regard to  
17 watching these materials.

18 Now, as specifically we talk a little bit  
19 about, you know, the Saltstone disposal, and we  
20 talked about the PAs, and the revisions for it, you  
21 know, the letter of concern with regard to  
22 potentially reasonable assurance.

23 And then we talk a little bit about so  
24 this is a living kind of a process. And I think what  
25 Larry alluded to, and Chris did. So we are working

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 out, you know, what that kind of letter to Congress  
2 might be, and what that process might be.

3 Because just because there is a  
4 particular concern that is raised up, or a letter of  
5 concern, you know, for a lot of these, what it  
6 requires is more technical information gathering to  
7 alleviate that technical concern.

8 And so I think, as we went forward, what  
9 was mentioned was the fact that we had made some very  
10 conservative assumptions with regards to amounts of  
11 technetium that were going in, that were effectively  
12 being disposed of in materials.

13 And we had a lot more effective removal,  
14 you know, as we actually went down and performed  
15 processes that allowed for us the source term that  
16 actually was going to be dispositioned, is a lot  
17 less, than what we originally had planned for it to  
18 be.

19 So it is that kind of give and take, and  
20 communication, in an open transparent manner that I  
21 believe it is going to, you know, it is going to go  
22 on, but it is a healthy kind of dialogue between us,  
23 NRC, the State and the community.

24 And so we are going to strive to continue  
25 to do that, as we move forward.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   You heard a little bit about it. Our  
2 lessons learned is, so we were just learning the  
3 process in the early stages of it, and didn't involve  
4 the public as much as we should have.

5                   And so that was one of our lessons  
6 learned, and we are probably at the point, you know,  
7 just by the turnout to this meeting, where we are  
8 starting to have enough public involvement, or maybe  
9 a little bit more, because the issue is, I guess, you  
10 might reach a saturation point.

11                   But, you know, the public involvement is  
12 important. And I think our websites, and other  
13 tools, are becoming more effective, also, in getting  
14 out information associated with the public  
15 involvement.

16                   And so that, I think, is a really  
17 improved part of the process overall. Our  
18 documentation and references. We want to make sure  
19 that it is there for people to understand now and way  
20 into the future.

21                   And I think that is a critical component  
22 of what we have done. And so if anybody has a chance  
23 to look at one of these documents, you will see that  
24 we are in the process of documenting a whole lot of  
25 information associated with it, so that people can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 review those things.

2 And in the future, as we move forward,  
3 can make changes to the process, to better understand  
4 how to monitor things, and do things more  
5 efficiently.

6 So where our challenge is. Yes, I  
7 understand some of you heard about them this morning.

8 You know, our challenges are, you know, continued  
9 funding and impacts of the sequestration.

10 The Department has a lot of important  
11 work to do for across the country, you know, keep  
12 your cards and letters going to your Congress  
13 persons, you know, about the nature of that work.

14 But it takes, it takes a lot of different  
15 people to communicate the importance of the work that  
16 is being performed, and the pace at what it needs to  
17 be done at.

18 You know, the country has a lot of tough  
19 decisions that we have. The impacts, you know, we  
20 are doing a lot of first of a kind technologies in  
21 tackling problems that haven't been tackled before.

22 You know, when we run into technical  
23 snags, like we did with saltwaste processing  
24 facility. the issue is, it is a very integrated  
25 system, as we move to disposition these materials.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   And there is a ripple effect that happens  
2 from one area to the next. And so the delay in  
3 saltwaste processing facility startup, you know, will  
4 affect, you know the tank cleaning phase and  
5 closures, just because of what is available from what  
6 we had planned.

7                   As we move into the future, and because  
8 some additional resources are going to be required to  
9 tackle the issues associated with that.

10                  So kind of, in summary, I think that  
11 there has been some challenges that we have had as  
12 we, you know, moved forward with this process.

13                  I encourage you to continue to be vocal  
14 about it. If you have concerns, if you have things  
15 that you think need to be improved, you know, both  
16 the Department of Energy as well as the NRC is very  
17 open to receiving comments and suggestions, as we  
18 move into the future.

19                  But it is a tough job that needs to be  
20 done for this country. And so we are dedicated, and  
21 I think you can tell, from the NRC's kind of  
22 dedication to getting these things reviewed, that we  
23 want to make sure that this is done, and that it is  
24 done right for the country.

25                  So what I'm going to do, is I'm going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 let Larry go next, and then we will take questions at  
2 the end.

3 MR. CAMPER: Good evening, everybody.  
4 Thanks for being with us this evening. It is a  
5 pleasure to be here with you and to work, again, with  
6 our colleagues in DOE, and the State.

7 I would like to start off by echoing some  
8 of the things that Ginger has said it, Mark has said  
9 it, Linda said it.

10 We were all brought together in a very  
11 challenging way, by the legislations passed in 2005.

12 It was different for all of us. I mean, generally  
13 you have the Department of Energy, a 30 billion  
14 dollar, very large agency, doing all kinds of things.

15 And, suddenly, it has an agency that is  
16 an independent regulator of 4,000, like a gnat flying  
17 around its ear, asking lots of questions. And we did  
18 have challenges, we really did.

19 I will tell you I have always felt that  
20 the level of dedication and professionalism, here,  
21 was tremendous. We have worked to overcome our  
22 differences in cultures, and communications, and so  
23 forth.

24 But now I look around, I didn't know what  
25 the audience would be. By now I look around and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 realize that most of you knew this subject matter  
2 very well.

3 So I won't draw upon a lot of this. I  
4 was going to cover the basis for involvement and our  
5 accomplishments, of course, challenges, and the path  
6 forward.

7 I think by now you pretty much know the  
8 basis for our involvement. But I would point out  
9 that we talked a lot about the 2005 Act, 3116 but it  
10 is, really, about public health and safety.

11 I mean, that is what brought us together.

12 But DOE is in the mission of public health and  
13 safety, and so we are we. So we are working together  
14 to protect public health and safety.

15 We want to enable the Department of  
16 Energy in the consultation phase to go about making  
17 the waste determinations. And then, of course, there  
18 are lessons learned along the way.

19 This is a dynamic thing. A gentleman,  
20 earlier, asked the question about how are you  
21 monitoring, we will in time. This is a very dynamic  
22 process, and it will continue to be a dynamic  
23 process.

24 Section 3116 A and B, A we consult; B we  
25 have a monitoring role. And I think the thing that I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 would point out, from our perspective, I mean, we  
2 don't regulate the Department of Energy.

3 We have absolutely no regulatory  
4 authority, whatsoever, over the Department of Energy,  
5 around this activity that we are working together on.

6 But the closest thing that we do have, to  
7 what we normally do, and how we are accustomed to  
8 functioning, is what B of 3116 says, and that was  
9 assess compliance.

10 That is pretty much the role that we  
11 normally travel in. And so we do ask a lot of  
12 questions, and those questions are designed to assist  
13 DOE in its consultation efforts, for waste  
14 determinations.

15 But we also have a monitoring role to  
16 assess compliance. And we will be here, doing this,  
17 for a very long time, working with the Department of  
18 Energy and the State, to assess compliance.

19 So we took that very seriously, and we  
20 have asked a lot of challenging questions as a result  
21 of that.

22 This is an interesting -- this slide has  
23 four performance objectives in it. But every time I  
24 look at this, and when I first read the Act, the  
25 thing that I was struck by then, and continue to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 struck by, is -- and the gentleman earlier, again he  
2 is gone, he asked a very interesting question, about  
3 what standards are being brought to bear here.

4 The standards that are brought to bear  
5 were the cleanup effort of the Cold War legacy waste,  
6 including large quantities of plutonium, is the  
7 standard that exists in Part 61, for a low level  
8 waste commercial disposal facility.

9 And for 61.41, that is 25 millirem whole  
10 body exposure, 75 millirem to the thyroid, or 25  
11 millirem to any organ of the body and, of course,  
12 ALARA, as low as reasonably achievable.

13 Folks, that is a conservative standard  
14 being brought to bear by Congress, on what is taking  
15 place here.

16 Now, if you are a member of the public,  
17 and you are concerned about these types of things, as  
18 well most are and should be, that is a good thing.  
19 We like for the number to be conservative.

20 But I'm just trying to put it in  
21 perspective, as to what the standard is, that is  
22 being brought to bear, as the Department of Energy  
23 goes about this remediation, and we go about our  
24 review.

25 We do evaluate the standard at 100 meters

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 from the tank farm boundary for a period of 10,000  
2 years. There is no period of compliance in Part 61.

3 So what we did was we brought to bear the  
4 information that we had in our NUREG 1573, which is  
5 performance assessment for low level waste disposal  
6 facilities.

7 And that is what we, in conjunction with  
8 the Department of Energy, determined that that would  
9 be the period of compliance for this particular  
10 process that we are using here.

11 In terms of the implementation of our  
12 responsibility, we did put in place NUREG 1854, Chris  
13 talked about that quite a bit, I won't belabor that.

14 I mentioned that we do not regulate the  
15 Department of Energy. We have gotten a lot of  
16 comments. This process, as Linda pointed out, has  
17 increasingly been a process subscribing to public  
18 input.

19 We have, both agencies, have interface  
20 with the Governor's Advisory Council, that Karen  
21 chairs, to provide information, and answer questions.

22 And it has been dynamic.

23 Chris mentioned that we are going to be  
24 updating the document in the near future. So it will  
25 continue to be a process that will gather public

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 input, and chain.

2 There are some notification letters that  
3 are involved. Mark, in his comments, pointed out the  
4 challenges around these. The first three, you see  
5 there, I, II, and III, deal with non-compliance, or  
6 is there non-compliance, and to what degree is there  
7 non-compliance.

8 Category IV is a letter of concern. We  
9 did provide a letter of concern to the Department of  
10 Energy. Mark commented about that. I will talk  
11 about that just a bit more.

12 And then type V is a letter of  
13 resolution, with regards to any letters of concern  
14 that is issued. And then you see at what level,  
15 those types of things need to be signed.

16 With regards to the type IV Letter of  
17 Concern, we did provide a Letter of Concern in April  
18 of 2012, indicating that we could not get to the  
19 point that we had reasonable assurance that the  
20 performance objectives would, in fact, be met. We  
21 weren't for certain.

22 We could not reach that position of  
23 reasonable assurance. We weren't saying that they  
24 wouldn't. We were saying that we couldn't reach a  
25 reasonable assurance that they wouldn't be.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   And so we wrote the letter, and we also  
2 discussed that in the TER, for the updated  
3 performance assessment for Saltstone. But we made it  
4 a point, in that letter, to put that in context.

5                   I was certainly very concerned, in  
6 meeting with the staff, that we were at a point where  
7 we were not going to be able to meet the reasonable  
8 assurance. That is a very serious thing in my mind.

9                   But in talking with the staff, you know,  
10 we talked about what is the dose? And so we decided  
11 that we would put some indication, in the letter,  
12 that the dose was on the order of one mSv, or 100  
13 millirem per year, which is, in fact the public dose  
14 limit that is set forth in Part 20 of our  
15 regulations.

16                   And that is the dose that if it is  
17 allowed to a member of the public from a licensed  
18 operation. So, in other words, while it was exceeding  
19 the 25 millirem, and the 75, and the 25 millirem, but  
20 in particular the 25 whole life, it was at a point  
21 that it was close to the dose limit for a member of  
22 the public from operations.

23                   So we hoped that that would, you know,  
24 reduce some of the alarm, and put the actual  
25 parameters within context.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   DOE then responded, subsequently, in July  
2 of 2012 by providing us with additional information  
3 regarding the actual technetium inventory that was  
4 anticipated from the disposal operations.

5                   Mark pointed that in his comments, how it  
6 was determined that it was much less than was  
7 originally anticipated.

8                   And that is terribly important because on  
9 a serology note, technetium is a very challenging  
10 isotope, in the short term, because it is a highly  
11 mobile radionuclide, and it is a great dose  
12 contributor, therefore.

13                   So with the reduction in the technetium  
14 inventory, that made quite a bit of an impression  
15 upon our concerns. We then, subsequently, sent an  
16 acknowledgement letter, in August, indicating that  
17 if, in fact, the technetium inventories are lower, as  
18 you have indicated, then we find that that is most  
19 likely that will result in the dose standard being  
20 satisfied.

21                   It was a letter of acknowledgement, not a  
22 letter of resolution. The movement, and the action,  
23 the activities that would hopefully lead to a letter  
24 of resolution, eventually, are ongoing.

25                   The Department of Energy, in other words,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is still gathering information, still conducting  
2 analyses. They are working toward what they hope  
3 will be a level of information, and detail, that will  
4 satisfy us, and we can then, in turn, provide the  
5 letter of resolution.

6 But a number of observations, public  
7 meetings have been held since August, and as I said,  
8 we have been provided with additional information,  
9 and the additional analyses ongoing.

10 So it is always fun to talk about  
11 accomplishments. And some have been under our  
12 consultation, some have been under monitoring.

13 But I, as I have said before, and I think  
14 it is worthy of reiterating, I think the degree to  
15 which the communication has been enhanced.

16 If I go back to the initial meeting  
17 between our two organizations, in around 2005, 2006,  
18 and think back to the tension that was in the room,  
19 as you know, DOE was trying to tell us what they are  
20 doing, and why.

21 And we are asking lots of questions, and  
22 we can't get them to understand why we have all these  
23 questions, and how we do business. I mean, the  
24 tension was palpable, it really was.

25 And, frankly, working with my

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 counterparts in DOE, overtime, as well as Chris and  
2 the other managers at his level, and the other staff,  
3 I mean, everybody has worked together to greatly  
4 enhance the communication and the working  
5 relationship. And I think it is in a very, very good  
6 place.

7 In terms of consultation, we did issue  
8 the technical evaluation for Saltstone back in 2005.

9 We issued the TER for the F-Tank Farm, back in '11,  
10 the beginning of '12, we issued in '12.

11 H-Tank Farm review ongoing. Chris  
12 indicated to you when we anticipate getting the RAIs  
13 out. I was glad that he reiterated what I told Karen  
14 today, because he is very concerned about the  
15 funding, that we would work together, as well as we  
16 can, between now and the next fiscal year, and make  
17 as much happen as possible.

18 So thank you, Chris, for reinforcing my  
19 commitment to Karen today. The Idaho National  
20 Laboratory, we reviewed that, and issued a TEO back  
21 in 2005, of course that is not Savannah River Site,  
22 it is covered under the 2005 Act.

23 In terms of monitoring, a lot of  
24 monitoring activities are going on. Saltstone, of  
25 course, it is the most, because we have been working

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 on that the longest.

2 As you can see, there have been a number  
3 of observation trips to Saltstone, and a number of  
4 technical reviews. We did issue a monitoring plan  
5 back in 2007. And we have actually, also, done a TER  
6 on an updated performance assessment because of a  
7 change in tank design at Saltstone.

8 The Tank Farm, not quite as many  
9 observations, yet. Then, again, it was a little bit  
10 later in the process, as compared to Saltstone. But  
11 there have been activations, three technical  
12 meetings, and we did develop a monitoring plan in  
13 2012.

14 Also in Idaho we have had a monitoring  
15 plan in place since 2007, and conducted a number of  
16 observations and visits out there, as well.

17 And then we are going to combine, and  
18 create a monitoring plan for each tank farm, and then  
19 combine them, as Chris pointed out in his comments.

20 We have produced reports every year,  
21 since 2007. The one for 2012 is currently in  
22 development. We are thinking about combining 2012  
23 and 2013, because of the number of observations, and  
24 the amount of commentary have become fairly steady  
25 states, so it might be more efficient to combine

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 those.

2 And then the number that you see there,  
3 for those who might now know, is our ADAMS document  
4 system. Try ADAMS, it is incredibly user friendly.

5 In terms of communications, I have  
6 probably said a lot at this point in time. But the  
7 mechanics of that enhanced communication has multiple  
8 points to it.

9 We do have periodic management meetings,  
10 we have telephone management exchanges, as necessary.

11 Any time we are getting ready to go out with a  
12 report, to DOE, I'm on the phone with Mark, and we  
13 are talking about what is in the report, and why, and  
14 he and his staff are asking a lot of questions.

15 So then extensive technical exchanges  
16 between NRC and the DOE staff. As I said before, and  
17 will say again, I think we have gained a much greater  
18 understanding and respect for our various systems.

19 We do face programmatic challenges.  
20 Synchronizing our respective efforts to assist the  
21 Department of Energy and satisfying its milestones at  
22 the Federal Facilities Agreement is challenging.

23 There is a lot of information. Linda  
24 pointed that out in her comments. We have to do a  
25 lot of review. And getting that review done

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 promptly, to try to stay on since with the DOE, and  
2 the FFA, and expectations of the State of South  
3 Carolina DHEC, is indeed challenging.

4 We need to make sure that we have the  
5 right level of detail to inform our decisions. You  
6 know, we don't want to do too much, we don't want to  
7 ask questions that are unnecessary.

8 We try to strive for the right level.  
9 There are cultural and procedural differences between  
10 the agencies, not that one is better or worse than  
11 the other, it is just simply different, and they are  
12 complex.

13 And we each have to deal with our  
14 respective protocols. Available resources. What can  
15 I say, Karen? I share your concern greatly. Mark  
16 has alluded to it. It is a tough time, it really is.

17 And we all are living with continuing  
18 resolutions, this Administration hasn't helped. I  
19 can only tell you that we all do the best we can with  
20 the resources that we have, and hope that in due  
21 course things will get better.

22 The good news, for the NRC, in terms of  
23 consultation is, and for DOE too, is that the  
24 consultation part for us ends pretty much at the end  
25 of this year.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   That is a good thing. So we are left  
2 with monitoring, it doesn't require quite as many  
3 resources for monitoring. But we can certainly use  
4 more resources. Chris often reminds me of that.

5                   Continuing with challenges. You know,  
6 going back to the question that the gentleman raised.

7                   Probably one of the most challenging has been this  
8 notion of removing the highly radioactive  
9 radionuclides to the maximum extent practical.

10                  And, you know, that is a variable. It is  
11 a variable based on source term in a given tank, and  
12 it is a variable based upon the particular  
13 characteristics of that tank.

14                  So it is a challenge that is not, that  
15 one can write it down in a few words and say, this is  
16 it. It is really, there is some variability in  
17 there.                   Assessing whether the data  
18 agrees with assumptions. DOE has to be bold, and  
19 right on point, and make some assumptions, and then  
20 collect data to verify those assumptions.

21                  Sometimes that works as well as  
22 predicted, and sometimes it doesn't, or to some  
23 degree. That is always the case when you are making  
24 assumptions.

25                  Then, of course, assessing whether the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Part 61 performance objectives are in fact met. I  
2 think it is, for us, as time marches on, I have  
3 always said the big concern in this entire process is  
4 will we always know, as we move into the future, and  
5 go beyond consultations, with a high degree of  
6 confidence that, in fact, those performance  
7 objectives are still being met.

8 Environmental data is telling,  
9 radiological data is telling, compromise of the  
10 structure is not so telling. And it is challenging,  
11 and it will be a challenge for the NRC, and DOE, for  
12 a very long time to come.

13 I always like to have graphics in my  
14 presentation. People get tired of seeing boring  
15 bureaucratic slides. I want pictures.

16 And what I'm trying to say, in this  
17 particular slide, is something that I once said in a  
18 CAB meeting. And that is, what the Department of  
19 Energy is doing with WIR, and what we are being asked  
20 to review is rocket science. It really is, it is a  
21 pretty challenging science.

22 And there are limits to the technology.  
23 We have agency conflicts to deal with. Public  
24 acceptance is always an issue. It is no different  
25 here, than other places.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Resource constraints and, yes, I would  
2 suggest that the standard that is brought to bear on  
3 the performance objectives is a conservative  
4 standard, especially for the type of waste strains  
5 that we are dealing with here.

6 We have lots of players, lots of players  
7 in the room, and that always complicates things. We  
8 have Congress, the NDAA, bringing together our two  
9 agencies.

10 The Federal Facilities Agreement, and the  
11 expectations, rightly so, that the State of South  
12 Carolina as carried out by DHEC. EPA is in the mix,  
13 as well as the Department of Energy and NRC.

14 And, of course, you have stakeholders.  
15 You have the Citizen's Advisory Board, you have the  
16 Governor's Nuclear Advisory Council. And you also  
17 have members of the public at large.

18 When you bring all that to bear on WIR,  
19 at the Savannah River Site, in particular, more so  
20 than the Idaho National Laboratory, because it is a  
21 different setup, it is a different set of  
22 circumstances.

23 But all of that, together, does create  
24 quite a Kabuki dance, and quite a set of challenges.

25 So I think with that we go to path

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 forward. And that is we want to continue to keep  
2 public health and safety as our highest priority.  
3 And I emphasized that earlier. I saw a lot of heads  
4 nodding around the room, despite the law, or  
5 consistent with the law, however you want to look at  
6 it, public health and safety is what it is all about.

7 We are going to continue our consultation  
8 activities and, when complete, we are going to be  
9 publishing a combined monitoring plan for the F-Tank  
10 Farm, and the H-Tank Farm.

11 We are going to continue to monitor  
12 activities for Saltstone, and the F-Tank Farm, and  
13 continue to coordinate monitoring activities with  
14 South Carolina DHEC, and the Environmental Protection  
15 Agency.

16 And, of course, we are going to continue  
17 to interact with the Citizen's Advisory Board, as  
18 well as the Governor's Nuclear Advisory Council.

19 And, Karen, I want to thank you again for  
20 the opportunity to get together today, and exchange  
21 information. I found it very, very useful, and I  
22 thank you for that.

23 So with that I will stop and we will see  
24 if we have any questions for Mark or I. Mark will go  
25 first. Any questions?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 FACILITATOR GILBERTSON: Tom?

2 MR. CLEMENTS: Tom Clements. I just had  
3 one question. I don't know if it relates to the  
4 second bullet on slide 17, in assessing whether data  
5 agrees with the assumptions.

6 But if you go back to page 10, also the  
7 second bullet --

8 MR. CAMPER: Slide 10?

9 MR. CLEMENTS: Ten, yes, please. Where  
10 it says if DOE's new projected technetium 99  
11 inventory, so my question is, how dependent on DOE's  
12 assessment of information, like radionuclide content,  
13 is the NRC? Are you doing any of your own  
14 assessing, or do you have to simply take what is  
15 given to you, from DOE with contractors? And how do  
16 you asses if that information is accurate?

17 MR. CAMPER: Well, I will started the  
18 answer, then I will let Chris, because he and the  
19 staff would know it more closely than I do.

20 But DOE is collecting that data, they are  
21 conducting analyses based upon review of that data.  
22 That information is provided to us, we review it, and  
23 we ask, through critical commentary, concerns that we  
24 might have.

25 Now, we are also down here conducting

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 observation visits, which lead to more questions.  
2 But the actual collection of the data, and the  
3 analysis that goes with that, is done by the DOE.

4 MR. CLEMENTS: I mean, how can you  
5 validate that it is correct, or that their models are  
6 correct, that they plug things in properly?

7 MR. MCKENNEY: This is Chris McKenney.  
8 But there is a couple more things that we also did,  
9 in some areas we actually do, do perform our own  
10 research.

11 We have a lab, down in Texas, which is  
12 not associated with DOE, and not associated with any  
13 of DOE's contractors. And we do, do certain research  
14 on different types of processes.

15 Most of our research, in the Saltstone  
16 area has been around how, well actually, how immobile  
17 is technetium in the original Saltstone matrix, when  
18 it is made.

19 And so we do, do some research in some  
20 areas. We ask some very, like in the area of  
21 inventory. While we don't take the actual  
22 measurements, per se, we have went down to getting  
23 the actual lab reports, and talking to exactly how  
24 they not only track down the actual measurements,  
25 once they put them all in the tank, together.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1                   But, also, the paperwork, the, the  
2 history documents that occur, which is this part of  
3 the waste came from this tank, that tank has a  
4 history of -- it came, from these dates, from the  
5 Canyons.

6                   And the history of that waste type. So  
7 we go through and say, you know, through all the data  
8 that is available, are those consistent? And then  
9 there are other checks between not only technetium  
10 dies, but other radionuclides you can check to make  
11 sure that ratios are within common sense, and making  
12 that they are consistent.

13                   And so we do, do that. I mean, yes, we  
14 do not do independent measurements, per se, on all of  
15 these things. And that would be quite a bit of a  
16 challenge to try to actually do that.

17                   But we have done that, to try and track  
18 it back to the original documents, not just saying,  
19 thanks for the summary and we don't do that.

20                   On the models side, we actually get their  
21 computer models. We get the actual running computer  
22 models that they are running for the results.

23                   We are able to delve into them, take them  
24 apart, see did they actually put them together? Does  
25 cell A actually provide the data to cell B, and not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cell C?

2 And so we look through that. And then,  
3 for every assumption, we are going back again, just  
4 like we did for the, not for every assumption, but  
5 for all the important assumptions, because we run  
6 them and find out what the important things in the  
7 model.

8 But we go back into base documents. They  
9 refer to this document. Well, that document refers  
10 to something else for its value.

11 And we go back on key data points, we  
12 will go back all the way to original datas. You can  
13 see that we actually did have an RAI, in one case,  
14 where it was -- I think it is selenium, I can't  
15 remember.

16 There was a difference between where  
17 there was supposed to be selenium eight or aight.  
18 One letter difference, but it is a serious difference  
19 in the performance.

20 And so it was confusing because when you  
21 go back all the way in the data, it looked like it  
22 may be the other type. So we don't just take all the  
23 summaries and go, read through them and say that.

24 We are delving into the models, we are  
25 delving into the important piece of the data, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 going all the way back to primary data sources, when  
2 it is important, and when that is the only valid way.

3 And in addition we do, do our own  
4 research on a few, what we think is key pieces, that  
5 we can actually do within our level of funding.

6 MS. SUTTORA: Do you want to mention that  
7 when we are filling the tanks you actually got all  
8 the videos?

9 MR. MCKENNEY: Yes. And then on tape  
10 side, okay, so we also watch the videos of -- well,  
11 we just watched the videos of Saltstone 2, to watch  
12 the humidity levels, we got all the data on how the  
13 temperature graphs go across on various ones, because  
14 we had questions on how hot the grout gets, as it  
15 dries.

16 Because that is actually important to how  
17 it acts long term. And, similarly, when we were  
18 doing an F-Tank Farm, we were down here, we looked at  
19 their chits that they pass between the trucks, that  
20 they come in with, so that they verify that they meet  
21 the specs for the grout coming in.

22 We watch the videos of the pouring of the  
23 tanks, because there are some -- we had a bit of  
24 research to do in the center, at the center down in  
25 Texas, that showed that the way that a mound can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 actually make preferential pathways inside of a big  
2 concrete monolith.

3 So that we were watching for was the  
4 level of mounding that they were getting, because  
5 they were pouring from a central spot. So we were  
6 looking for that in the video, and stuff like that,  
7 because that could give us some indications.

8 We did a number of other things like  
9 that, that are done. And then, you know, we work  
10 with the DOE, in our monitoring plan we have  
11 prioritized the technical issues.

12 We have said, these are the issues that  
13 are really driving, that are driving performance.  
14 And these are the issues where additional model  
15 support would be most beneficial in the near term.

16 And we have, in our observation meetings,  
17 both in December for Saltstone, and in the F-Tank  
18 Farm that we just did recently, in March, we  
19 discussed their research plans, over the next few  
20 years, to show how does that mesh with the data that  
21 we think we need? Are they performing that data?

22 In addition, we are not limited to DOE's  
23 data. When we are looking at an important parameter,  
24 we go out and search for the relevant literature,  
25 also, to see are there any contradictory reports,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that are of similar materials?

2 And has DOE addressed those and said why  
3 those are not applicable, or like the material that  
4 they are actually producing.

5 So we are not -- we are definitely, yes,  
6 we ask a lot of those questions, because we are,  
7 like, we got this report, and how does this comport  
8 to what you assumed? And that is -- so it is a whole  
9 integrated system.

10 So that, you know, --

11 MS. DICKERT: Could I have one thought?

12 MR. CAMPER: Sure, please.

13 MS. DICKERT: Tom, also, specifically on  
14 the inventory question, during the very early  
15 monitoring visits, it is not that the NRC even just  
16 takes the lab reported data, and accepts it.

17 They came and did a monitoring visit  
18 around going to the Stone River National Lab, looking  
19 at the procedures, and the protocols that were used,  
20 looking at how the work was actually done, so that  
21 they would have confidence, then, that when they got  
22 the laboratory reports, that the appropriate  
23 protocols, the appropriate quality assurance, in  
24 terms of blanks, and that kind of thing, had all been  
25 done before they would even accept, you know, just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 blindly a laboratory report.

2 So those kinds of things have been pretty  
3 extensively done.

4 MS. ROSS: Let me, also, say that we do  
5 the same thing at the NDAA.

6 MR. CAMPER: The other thing that I would  
7 point out, too, in additional to all the details that  
8 Chris gave, that from a process standpoint, even  
9 though we are in constant touch with DOE, we have  
10 maintained an arm's length relationship with regards  
11 to RAIs.

12 They don't see the RAIs. I mean we have  
13 technical exchanges, and those are the ones -- they  
14 do not see the RAIs, or what we provide them. The  
15 same thing holds true for DER.

16 So we maintain an arm's length  
17 relationship, much like our classic relationship with  
18 the licensees even though we don't regulate them. We  
19 wanted to make sure that the system was, had a lot of  
20 integrity in that regard. And we continue doing it.

21 MR. CLEMENTS: Just one more kind of  
22 generic question.

23 MR. CAMPER: Sure.

24 MR. CLEMENTS: Tom Clements. We are  
25 having some unusual weather today, I don't think it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 has rained since --

2 (Laughter.)

3 MR. CLEMENTS: I'm kind of thrown off  
4 here. It is bizarre. But just looking at all the  
5 rain we have had. I mean, it has really rained every  
6 day for a month or so.

7 Have, and anybody can answer the  
8 question, has there been any different run of models  
9 about what were the assumptions, initially? Because  
10 I would never have thought we would have a spell like  
11 this.

12 And does it have any impact on the  
13 assumptions that were made, and the degradation  
14 models for Saltstone over time?

15 MR. MCKENNEY: I mean, I can talk about  
16 generically.

17 MS. SUTTORA: Specifically? Well, one  
18 would think that the generic would be first, and then  
19 the --

20 MR. MCKENNEY: Because of the fact that  
21 these are, in the long term, these are varied  
22 structures. There will be a cover across them, and  
23 other things like that.

24 Short, relatively short term rain events  
25 will have a much smaller impact, because it will have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 to infiltrate down through the over ten meter, I  
2 think it is a ten meters of cover, minimum, in lots  
3 of the places.

4 And most of that will be diverted away,  
5 because that is what the cover is supposed to do. So  
6 that does result in a very much of a mitigated  
7 impact.

8 Now, but from a sensitivity point of  
9 view, we look at that. We look at what is the  
10 expected range of rainfalls. How, you know, could it  
11 get wetter within the data, the history of this area,  
12 you know, for extended periods of times, or is it  
13 drier?

14 Actually like one test, actually, that  
15 Hanford did, they looked at one of their covers and  
16 actually denuded it by setting it on fire, to see how  
17 it would perform over some period of time, too, just  
18 as if in a natural process.

19 So the models, we do look at sensitivity  
20 rain input, to infiltration input. And that is a  
21 very important parameter. Because infiltration is  
22 your driver for getting the waste out of isolation.

23 It either is the mover itself, or it  
24 brings in oxygen that would actually transform the  
25 waste so that the technetium would change from not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 being able to move, to being able to move.

2 And so that becomes, conventionally, that  
3 is the thought of first let's look to see how  
4 sensitive is infiltration to the system? But a few  
5 weeks of rainfall, at this pace, is not really  
6 generally that sensitive to the whole model.

7 But it is definitely something. The  
8 other point of view would be a question we did raise  
9 in the F-Tank Farm. We asked, how would the water  
10 table change affect you?

11 Because if it rains a lot more than your  
12 water table could, potentially, move going closer to  
13 the surface. And so we raised those things, they have  
14 addressed several of them.

15 And although it is sort of a very hard  
16 thing to talk about, because we are talking about  
17 what is the water table today, in the future we are  
18 going to have this big cover on the site, on that  
19 area, and that is going to drop it and everything  
20 else.

21 MR. CLEMENTS: One reason I asked the  
22 question is because, and the old designs are  
23 different from the old type, to the new type.

24 MR. MCKENNEY: Right.

25 MR. CLEMENTS: It is because leakage

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 involved, I guess, because of all of the rain that we  
2 have had.

3 FACILITATOR GILBERTSON: Any questions on  
4 the phone?

5 (No response.)

6 FACILITATOR GILBERTSON: Okay. Any other  
7 public questions?

8 (No response.)

9 FACILITATOR GILBERTSON: Thank you. I  
10 want to thank you for bearing with us over dinner,  
11 and the time, and if you think of any questions in  
12 the future also be sure to let us know. Thank you.

13 (Whereupon, at 7:15 p.m., the above-  
14 entitled matter was concluded.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701