



**UNITED STATES
NUCLEAR REGULATORY COMMISSION
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
WASHINGTON, DC 20555 - 0001**

September 4, 2013

MEMORANDUM TO: ACRS Members

FROM: Derek A. Widmayer, Senior Staff Scientist **/RA/**
Technical Support Branch, ACRS

SUBJECT: CERTIFIED MINUTES FOR THE ACRS RADIATION PROTECTION AND
NUCLEAR MATERIALS SUBCOMMITTEE MEETING, APRIL 27, 2012 –
ROCKVILLE, MARYLAND

The minutes of the subject meeting have been certified on June 6, 2013, as the official record of the proceedings for that meeting. Copies of the certification letter and minutes are attached.

Attachment: As stated

cc w/o Attachment: E. Hackett
C. Santos

**ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
RADIATION PROTECTION AND NUCLEAR MATERIALS
SUBCOMMITTEE MEETING MINUTES**

**April 27, 2012
Rockville, MD**

The Advisory Committee on Reactor Safeguards (ACRS) Subcommittee on Radiation Protection and Nuclear Materials (RPNM) met on April 27, 2012, at 11545 Rockville Pike, Rockville, MD, in Room T2-B1. The meeting was convened at 8:30 am and adjourned at 11:41 am.

The entire meeting was closed to the public to discuss pre-decisional materials. Mr. Derek A. Widmayer was the cognizant ACRS staff scientist and the Designated Federal Official for this meeting. Since the meeting was closed, there were no requests for time to make an oral statement or written comments received from the public concerning this meeting.

ATTENDEES

ACRS

M. Ryan, Chairman
D. Skillman, Member
H. Ray, Member
S. Armijo, Member
S. Schultz, Member
D. Bley, Member
D. Widmayer, ACRS Staff

NRC Staff

D. Cool, FSME/DILR
V. Holahan, FSME/DMSSA
D. Jackson, FSME/DILR
A. Huffert, RES/DSA

SUMMARY

The purpose of the meeting was to review and discuss the Draft SECY Paper, ***“Recommendations for Policy and Technical Direction to Revise Radiation Protection Regulations and Guidance.”*** The Draft SECY Paper contains the staff’s recommendations on conforming the NRC’s radiation protection requirements and guidance to the latest International Commission on Radiation Protection (ICRP) Recommendations concerning radiation protection (Publication 103, 2007). The Subcommittee planned to gather information, analyze relevant issues and facts, and formulate proposed positions and actions, as appropriate, for deliberation by the Full Committee at its June 2012 Meeting.

SIGNIFICANT ISSUES	Reference Transcript Pages
<p>Dr. Ryan, Chairman of the Subcommittee, introduced the topic of the meeting and the presenter from the NRC staff</p>	<p>1</p>
<p>Dr. Donald Cool provided the FSME staff presentation on the development and contents of Draft SECY Paper, <i>“Recommendations for Policy and Technical Direction to Revise Radiation Protection Regulations and Guidance.”</i> The presentation included a brief history of the ICRP publications and NRC implementation of the recommendations, summary discussions of each of the major revision efforts proposed by the staff in the Draft SECY Paper, and discussions about the stakeholder workshops held to discuss the revisions and main points brought up by stakeholders in these meetings.</p> <p>Members of the Subcommittee brought up the following issues during this presentation from staff:</p> <ul style="list-style-type: none"> - Clarification that the regulations that would be revised if the entire effort discussed in the Draft SECY Paper would principally be Part 20 and Part 50, Appendix I (Schultz) - Clarification that natural background radiation is not to be included in exposures to the public as well as medical diagnostic or therapeutic radiology when determining whether the 100 millirem/yr recommended dose limit is being reached. (Ryan) - The bases for some of the empirical data used in studies on doses received and how they vary according to societal factors. (Ryan and Armijo) - The inclusion of accelerator-produced materials and the doses from them into the items regulated by NRC. (Bley) - The questions around the options for lifetime exposures and the pros and cons or methodologies to keep records. (Bley and Skillman) - Whether there is a “safety” benefit from adopting the international terminologies when you update the dose calculational methodologies to be consistent with the rest of the international community (Ryan and Skillman) 	<p>2 – 150 (Slides Pgs 151 – 185)</p> <p>10</p> <p>40 – 43</p> <p>46 – 49</p> <p>56 – 59</p> <p>64 – 68</p> <p>74 – 77</p>

- Whether there is a real scientific justification to make changes to the allowed dose to the lens of the eye (Ryan and Bley)	97 – 101
- The possible difficulties and options associated with changing the requirements for protection of the fetus and embryo (All Members)	101 - 111
- The impacts of updating the terminology to use SI units (Ryan)	115

ACTION ITEMS	Reference Transcript Pages
Staff is asked to provide a briefing, if appropriate, on the contents of NUREG/CR-6112, “ <i>Impact of reduced dose limits on NRC licensed activities. Major issues in the implementation of ICRP/NCRP dose limit recommendations.</i> ”	124

ATTACHMENT

Official Transcript of Proceedings, Meeting of ACRS Radiation Protection and Nuclear Materials Subcommittee [CLOSED], April 27, 2012, Rockville, MD.

Document Provided to the Subcommittee:

1. Draft SECY Paper, “*Recommendations for Policy and Technical Direction to Revise Radiation Protection Regulations and Guidance*” (including Appendices) (Pre-decisional-Official Use Only)

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
 Radiation Protection and Nuclear Materials

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Friday, April 27, 2012

Work Order No.: NRC-1581

Pages 1-149

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

RADIATION PROTECTION AND NUCLEAR MATERIALS

SUBCOMMITTEE

+ + + + +

~~CLOSED SESSION~~

+ + + + +

FRIDAY

APRIL 27, 2012

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B1, 11545 Rockville Pike, at 8:30 a.m., Michael
Ryan, Chairman, presiding.

COMMITTEE MEMBERS:

MICHAEL T. RYAN, Chairman

J. SAM ARMIJO, Member

DENNIS C. BLEY, Member

HAROLD B. RAY, Member

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STEPHEN P. SCHULTZ, Member

GORDON R. SKILLMAN, Member

NRC STAFF PRESENT:

DEREK WIDMAYER, Designated Federal Official

DONALD COOL

VINCE HOLOHAN

ANTHONY HUFFERT

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I-N-D-E-X

Introduction, Dr. Michael Ryan, ACRS.4

Staff Presentation: SECY Paper5

 "Recommendations for Policy and Technical
 Direction to Revise Radiation Protection
 Regulations and Guidance"

 Background

 Stakeholder Interactions

 Radiation Protection Studies

 Technical Issues

 Recommendations

 Path Forward

Subcommittee Discussion139

Adjournment149

P R O C E E D I N G S

(8:30 a.m.)

1
2
3 → CHAIR RYAN: The meeting will now come to
4 order. This is a meeting of the Advisory Committee on
5 Reactor Safeguards, Subcommittee on Radiation
6 Protection and Nuclear Materials.

7 I am Dr. Michael Ryan, Chairman of the
8 Subcommittee. ACRS members in attendance are Sam
9 Armijo, Dennis Bley, Gordon Skillman, Harold Ray and
10 Steve Schultz.

11 The purpose of this meeting is to discuss
12 the draft SECY paper recommendations for policy and
13 technical direction to revise radiation protection
14 regulations and guidance.

15 The draft SECY paper makes recommendations
16 on conforming the NRC's radiation protection
17 requirements and guidance to the latest
18 recommendations of the International Commission on
19 Radiological Protection.

20 The meeting this morning is closed in
21 order to discuss pre-decisional policy information so
22 I want to correct that. I told one person it was
23 open, but it's closed.

24 Derek Widmayer is the designated federal
25 official for this meeting. The Subcommittee will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 gather information, analyze relevant issues and facts,
2 and formulate proposed positions and actions as
3 appropriate.

4 The Subcommittee plans on proposing a
5 letter on this matter for consideration at the full
6 Committee at the upcoming June meeting. A transcript
7 of the meeting is being kept and will be made
8 available on the web.

9 It is requested that speakers first
10 identify themselves and speak with sufficient clarity
11 and volume so they can be readily heard. Thank you
12 very much.

13 We will now proceed with the meeting and
14 I call upon Dr. Donald Cool, senior adviser on
15 radiation safety and the international liaison in
16 FSME, to open the proceedings. Dr. Cool, welcome and
17 thanks for being with us today.

18  MR. COOL: Thank you Dr. Ryan, Mike,
19 members of the Committee. I am glad to be here. It's
20 been a little while since we have come and talked with
21 you about this, but certainly not the first time over
22 the process that we have been working over this.

23 The pre-decisional paper, which was
24 provided to you several weeks ago, was the version of
25 the paper that was going into the office concurrence

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process. There have been as usual a number of
2 editorial changes. Probably the most significant
3 changes was a refinement related to the resource
4 section actually adding an enclosure related to the
5 resources to lay out some more details in that area.
6 It did not change any of the staff's recommendations
7 that were discussed in that paper.

8 I do not have the numbers to replace that
9 XXXX for the SECY but I can tell you its date is April
10 25 of 2012. It was signed on Wednesday. I just
11 haven't heard from SECY what number they have assigned
12 yet. But this paper has now or is at this moment in
13 the process of going to the Commission.

14 The staff's, one of the staff's
15 recommendations in that paper was that the Commission
16 make it publicly available during their consideration
17 process. That requires a specific Commission action
18 so we will see at what point they make it available to
19 the public.

20 The paper, in its final form, as it went
21 up to the Office of the Secretary, is a total of 68
22 pages, 15 pages of the Commission paper itself and
23 some 53 pages of the various enclosures.

24 An outline of the paper and indeed an
25 outline pretty much of the discussion that I have for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you this morning to be able to answer your questions,
2 some background discussion of all of the various
3 things that we heard from the stakeholders on the wide
4 variety of issues, the policy options that sort of
5 wrap up all of the details of the individual technical
6 issue recommendations that we have made, and then the
7 enclosures deal in considerably more detail, as you
8 might expect, with updates in the area of radiation
9 risk, indeed, a summary of the stakeholder
10 interactions, which is principally a listing of the
11 wide variety of places that I and others have had the
12 opportunity to be over the last couple of years.

13 Enclosure 3 is the major enclosure, which
14 is a technical issue by technical issue examination of
15 what we started with, some background on that issue,
16 what we heard during the discussions, and then our
17 analysis leading to our conclusions for that
18 particular technical issue.

19 It's also supported by enclosure 4, which
20 is an examination of some of the international and
21 international impacts done by the staff in our office
22 of research, working on several different things under
23 a User Need Request that we prepared. We will talk
24 about that a little bit later, and also some resource
25 estimates.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, the purpose of the paper, besides the
2 fact that the Commission asked us to come back, was to
3 first summarize the interactions with the
4 stakeholders. We have been at this for three years.

5 It is to specifically request approval of
6 recommendations in terms of the policy and technical
7 directions for further development of the detailed
8 regulatory basis. I want to emphasize that these are
9 recommendations for the directions to proceed in
10 continuing with the detailed development of a
11 technical basis. We are not, in this paper, asking
12 the Commission for a final agreement on any particular
13 regulatory language. I'll explain a little bit
14 further as we go along.

15 We have a good idea of what we believe are
16 the appropriate directions to proceed, but we do not
17 have the information that would be necessary to do an
18 appropriate regulatory analysis, backfit analysis, or
19 some of those other things at this point, because the
20 interactions that we have had thus far were very broad
21 and wide-ranging, starting with what is Part 20 for
22 some people, and the major options and differences,
23 and in that kind of discussion, not surprisingly, you
24 don't get to the level of detail which would be very
25 useful and is necessary of specific words of what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulation might say, specifically what the guidance
2 might say to implement that and it's really important,
3 when you finally decide what you want to do in a
4 proposed rulemaking action.

5 The paper also is to request the
6 Commission's approval to develop in parallel a
7 regulatory basis for revision of 10 CFR Part 50,
8 Appendix I, the criteria associated with ALARA for
9 effluents from the power reactors. So, in --

10 → MEMBER SCHULTZ: Excuse me --

11 MR. COOL: Yes sir.

12 MEMBER SCHULTZ: Don, I just wanted to get
13 clarification on that point. You are -- you are
14 looking for concurrence that you will be directed to
15 address both of those documents at this time, versus
16 one and then the other?

17 MR. COOL: Correct.

18 MEMBER SCHULTZ: Okay, thank you.

19 MR. COOL: The recommendation is to work
20 on both of them, to work on them in parallel, but not
21 to actually try to do them in a single package. We
22 will talk about that a little bit after a while --

23 MEMBER SCHULTZ: Okay, so there's a timing
24 difference?

25 MR. COOL: There could be some timing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 difference, but they are linked in a couple of the
2 issues and then they each have their own separate
3 issues, which is why we don't want to have them
4 completely locked.

5 CHAIR RYAN: Picking up on Steve's
6 question and your answer Don, I guess I take away that
7 you are not married to the idea they have to be issued
8 on the same day but you don't want them to be months
9 and years apart?

10 MR. COOL: Right.

11 CHAIR RYAN: Okay.

12 MEMBER SCHULTZ: Thank you.

13 MR. COOL: Okay. So, a summary of what
14 you are going to hear today. We are recommending to
15 the Commission that: we proceed with the detailed
16 information that would allow us to update the
17 scientific information and models for expressing,
18 calculating radiation exposures -- that particularly
19 deals with a lot of the models for internal exposure,
20 not quite so much for external exposure but in fact
21 the units apply to both; to update the terminology --
22 we will go through each one of these in detail so I am
23 just going to briefly tell you where we are headed on
24 this; we are recommending to the Commission that we
25 develop a detailed basis to reduce the occupational

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 total effective dose-equivalent limit; to reduce the
2 limit for the lens of the eye; to reduce the limit for
3 exposure of an embryo or fetus of a declared pregnant
4 female; to explore the implications and issues around
5 increasing at least the recognition if not the use of
6 the SI units -- before we started we were having an
7 interesting discussion on what a becquerel versus
8 curies and millicuries; to --

9 MEMBER BLEY: Don, I can't imagine you
10 haven't been exploring that for some time. I am
11 curious about why, in the paper, this is an explore
12 item rather than a recommendation.

13 MR. COOL: There were two reasons for
14 that. One, that issue didn't actually derive out of
15 this set of ICRP recommendations. Two, the Commission
16 has an existing policy statement which in fact says at
17 the end of it that it did not intend to revisit it
18 unless there were significant implications that needed
19 to be reconsidered.

20 This was actually put on our plate by the
21 stakeholders for us to -- is this the time to do this
22 along with some of the other interactions, and we have
23 not, jumping momentarily, had -- looked at all the
24 implications, because there are obviously some
25 positive aspects in terms of talking in the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 language as everybody else. There were clearly those
2 sets of issues in the Fukushima response, for example,
3 where everything over there was in becquerels and
4 grays and sieverts and millisieverts, and over here,
5 there was the busy scrambling around of trying to do
6 the translation of quantities, which made things a
7 little bit difficult. Quite interestingly the press
8 very quickly started to use all the SI units, because
9 that was what they were being fed over there, and that
10 made it more complicated over here.

11 So there were a variety of things that
12 might be positive. There were also some huge
13 implications for the exact same thing: you screw up
14 one of those exchanges between what's a becquerel and
15 how many picocuries it happens to be and you can be in
16 big trouble really quick.

17 MEMBER BLEY: And on the other side of
18 this equation, what's the downside of this switch?

19 MR. COOL: The downside of this --

20 MEMBER BLEY: I assume it wouldn't be
21 tomorrow. It would be, like, over the next 5 or 10
22 years we would make the transition?

23 MR. COOL: For quite a while. The
24 downside of this is getting everybody to actually talk
25 in the units, change records, forms, all of the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 variety of training and other things that are all
2 there. There's a lot of infrastructure which is all
3 written.

4 MEMBER BLEY: Of course I assume now, and
5 I wonder if it fits in part of this cost-benefit
6 evaluation, that everybody out there who is hiring new
7 people out of school, have to retrain them on the old
8 units, which they probably haven't seen.

9 MR. COOL: Yes, the simplest answer. If
10 they are trained here in the United States, they have
11 probably been exposed to both. If they are trained
12 anyplace else, they have only been trained in SI.

13 CHAIR RYAN: Dennis, I will just tell you
14 and the rest of the Subcommittee that the medical
15 profession in the United States has pretty much
16 adopted SI units. So it's almost exclusively licensees
17 in the Agreement States or the NRC and there are
18 others that have not, but the medical, physics
19 community, nuclear medicine and all that, have
20 switched over.

21 MEMBER BLEY: Has the Navy rolled over?

22 CHAIR RYAN: No.

23 MEMBER BLEY: Okay, they are still --
24 okay.

25 CHAIR RYAN: They are still using film.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Go ahead Don.

2 MEMBER ARMIJO: Don, before you go -- on
3 the occupational limits, those three categories, is
4 that basically the recommendation to adopt what the
5 ICRP recommends, or to -- or the U.S. or the NRC to
6 evaluate their recommendation and come up with
7 something of our own that we believe is appropriate?
8 I am just trying to understand what reduce means as
9 opposed to, you know, adopt.

10 MR. COOL: In each case, it is not
11 identical to the ICRP recommendation and we'll give
12 you the specific recommendation as we go through them.
13 In each case it is a reduction but in each case it is
14 not an exact mimicking of the current ICRP
15 recommendation and we'll tell you why.

16 MEMBER ARMIJO: Okay, yes, for example,
17 and this is not my area so -- but I know we have the
18 Health Physics Society in the United States, which I
19 thought may have a different view on these limits and
20 do their -- first of all, do they have a different
21 view, and if they did, how would they -- you would
22 incorporate their view in your process?

23 MR. COOL: The Society, as a whole, as
24 well as lots of the individual members, have been
25 participating in these dialogues and discussions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mike, correct me, I don't think there's actually a
2 published position statement related to the limits.
3 There is a published position statement now on the use
4 of SI, that just came out a little while ago. There's
5 one on patient release which came out earlier this
6 year and the number one related to radiation risk and
7 some other things.

8 I don't think they have actually put out
9 a separate position on the limits themselves.

10 CHAIR RYAN: But I think the other reason
11 they have not is that they quite frankly are waiting
12 for this to come out so at they won't be endorsing,
13 you know, what they believe to be on track without
14 delay so I think they don't want to get out ahead of
15 -- because there is nothing at this point to endorse.
16 So I think that's -- that will be shortly forthcoming
17 after this is public.

18 MR. COOL: We have benefitted greatly from
19 lots of discussion with a wide variety of the folks
20 within the health physics community.

21 CHAIR RYAN: I might point out that some
22 of our other observers in this meeting are members of
23 the Health Physics Society and experts within the
24 radiation protection staff at NRC, so there's quite a
25 lot of overlap in that area.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER ARMIJO: Okay.

2 MEMBER SKILLMAN: Don, a question on TEDE.
3 Is there any particular industry that pushed back on
4 reducing
5 the TEDE limit? Unless most of the nucs are going to
6 --

7 MR. COOL: It is actually more simple to
8 answer the reverse question. There was no industry
9 that did not push back on it, at least to some extent,
10 including the nuclear power industry.

11 MEMBER SKILLMAN: Really? And the reason
12 for -- you said did not push back?

13 MR. COOL: Did not push back, yes. Yes.
14 They all pushed -- they -- we will get there in just
15 a moment or two because --

16 MEMBER SKILLMAN: They're trying to hang
17 onto flexibility?

18 MR. COOL: So, we'll talk about that.
19 There are some where there are significantly greater
20 issues in dealing with the reduced limit than others.

21 MEMBER SKILLMAN: I'd like to hear about
22 that.

23 MR. COOL: Yes.

24 MEMBER SKILLMAN: Okay. Thank you.

25 Thanks.

1 MR. COOL: Dropping back to this quick
2 summary of the recommendations. To explore adding
3 additional categories of licensees that are reporting
4 their occupational exposure. Most people, you have
5 worked in the Navy or you have been in the nuclear
6 power industry or something, reporting was the way of
7 life. Not the case for all types of licensees.

8 And just as a little prelim, there's this
9 big group of folks who do not have to report any of
10 their exposures: medical. We do not have occupational
11 exposure data from anything except the nuclear
12 pharmacies, which are the one limited group who are
13 engaged in the production of -- I'm not going to be
14 able to quote the words -- but radioisotopes under
15 Part 35.

16 So, under than some folks working at the
17 nuclear pharmacy, we do not have information on
18 occupational exposures from those categories of
19 licensees.

20 So, then there are some others, and there
21 are several other facets to that particular
22 recommendation as well, and then lastly, we are
23 recommending to align the Part 50, Appendix I
24 methodology to the updated scientific terminology and
25 modeling. That is the connection between the effort

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of looking at Part 20 and the efforts that will be
2 looking at Part 50, Appendix I.

3 So, not knowing who all we might
4 necessarily have here in the background, ICRP, the
5 International Commission on Radiological Protection,
6 has been around since 1928 or so. They have published
7 various statements of things, the first
8 recommendations publication itself, Publications 1 and
9 2, 1959, then the revision of that in 1977 which was
10 Publication 26, the revision and update of that was
11 Publication 60 in 1990 and their latest revision and
12 update consolidation was 2007.

13 It was announced on December 15th or so of
14 2007. Those who get their lovely printed hard copies
15 of that didn't -- they didn't actually show up in the
16 mailboxes until March or April of 2008, but we had the
17 document available so that we could start working on
18 our analysis.

19 So they announced their new
20 recommendations. We were, as a promise to the
21 Commission back in 2001, immediately prepared to start
22 looking at some of the issues that were associated
23 with it.

24 The last revision of Part 20, a major
25 revision, was finally published in 1991. There was a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 three-year implementation date so its final effective
2 date was in 1994.

3 The ICRP recommendations in Publication 60
4 came out in 1990. As I think you probably know,
5 rulemaking is not a fast process and there are a
6 variety of legal considerations that we have go into,
7 one of which is that you have to have notice and
8 comment on any of the possible revisions that you
9 might wish to make.

10 We did not have the information in ICRP
11 Publication 60 related to occupational exposure and
12 the changes in the dose limits in time to do anything
13 associated with that rule.

14 There was actually a conscious decision
15 made to go ahead and put the rule out and implement
16 the rule because it already made a huge number of
17 changes and issues: that was the whole move from
18 maximum permissible concentrations and body burdens to
19 a concept of effective dose equivalent as it was
20 called at that time, which allows you to add internal
21 and external exposure.

22 So there was a lot of things that
23 happened. We chose to move forward with that and said
24 we'll come back and look at it.

25 2001 we went to the Commission and said,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 okay, it's been 10 years, there would certainly be
2 some things to look at but ICRP is already talking
3 about things that might be in its next possible update
4 of the recommendations.

5 At that time there were some rather
6 interesting discussions going on from Dr. Roger Clarke
7 who was at that point the Chairman of the ICRP. They
8 were talking about whether there needed to be even
9 things such as limits and other things.

10 There were some pretty wide-ranging
11 discussions and the staff recommended to the
12 Commission at that time that instead of starting a
13 rulemaking process, which might be done about the same
14 time perhaps as another set of ICRP recommendations
15 came out, and therefore be behind yet once again, that
16 we simply wait, that we participate actively in the
17 ICRP's dialogue, and that we look at what would be the
18 right things to do once ICRP had put out their new set
19 of recommendations.

20 So that's what we did. Our analysis went
21 up in December of 2008, the SECY paper 08-0197. The
22 Commission approved of what we suggested to do, which
23 was to go out and engage the stakeholders and initiate
24 the development of the technical, now called
25 regulatory basis in April of 2009, so just about three

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 years ago.

2 One of the things I point out there,
3 initiate development of the technical basis. When the
4 Commission told us to interact with ICRP, but not to
5 do rulemaking, they told us not to work on any
6 technical basis development activities.

7 So things that would be done that would be
8 looking at potential impacts, classes of licensees,
9 dose distributions and things, were not being done
10 until starting in 2009. So we have been working on a
11 variety of things, not just out talking to people.

12 But we did talk to a lot of people. I put
13 this together basically as three phases, I've sort of
14 nicknamed them. Phase I was a lot of presentations to
15 organizations and groups. We basically tried to get
16 us anyplace they'd let us in the door to talk to them
17 about it, to try and start getting people aware of
18 what was going on and start getting their feedback.

19 We did have a Federal Register notice that
20 was inviting input on some of the key issues from that
21 SECY paper, 08-0197. That's the way that we could
22 have the appropriate docket and everything set up so
23 we could keep track of the comments.

24 We pulled that stuff together and put out
25 a second Federal Register with a whole series of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 specific issues and questions which served as the
2 baseline for three facilitated, roundtable workshops
3 that were held in late 2010, in Washington, in Los
4 Angeles and in Houston.

5 We tried to have a table about three or
6 four times this size with representatives from all of
7 the different kinds of uses. So sitting around that
8 able we had everything from well loggers and
9 radiographers and gauge users to power plant rad
10 protection officers, to medical physicians, the whole
11 gamut of things.

12 In Washington, we put some extra focus,
13 and in fact a whole extra day, into the reactor area
14 and the discussion of the issues associated with Part
15 50 Appendix I.

16 In Los Angeles, we rather deliberately
17 stacked the deck in the direction of medical so that
18 instead of a couple of representatives amongst the 30
19 or so people around the table, we went looking and
20 were successful having essentially a representative
21 from every single major modality type of use around
22 the table.

23 In Houston, we flip-flopped that and went
24 looking for extra participation from the industrial
25 side, radiographers, more gauge users, source people

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 who are working in the change-out and a variety of
2 those other sorts of issues.

3 So each one of those meetings had very
4 active discussions, lots of interesting back and
5 forth, some common themes and obviously some
6 differences leaning sort of in the direction of
7 medical or in the direction of industrial or in the
8 direction of reactors.

9 Not quite a year ago, ICRP put out a
10 statement regarding the lens of the eye and some other
11 non-cancer effects. That was supported by what was at
12 that point a draft report with lots of details on the
13 non-cancer effects of radiation exposure.

14 That statement included ICRP's
15 recommendation that the dose to the lens of the eye be
16 reduced. The limit was 15 rem, 150 millisieverts, per
17 year.

18 The new indications were that while they
19 still believed that was somewhat of a deterministic
20 effect, that that effect was being seen, cumulative
21 doses of around 50 rem or 500 millisieverts.

22 So as -- the math doesn't add up. It
23 doesn't take all that long if you are running at the
24 limit to start to get up into an area where you could
25 potentially have the induction of cataracts.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now I will go ahead and say right now we
2 have only had one case that I know of where the lens
3 of the eye limit has actually been exceeded.

4 MEMBER BLEY: For the proposed limit or
5 the existing one?

6 MR. COOL: The existing one.

7 MEMBER SKILLMAN: Over what time span Don?

8 MR. COOL: Tony that goes back to what,
9 '93 or so?

10 MEMBER SKILLMAN: One incident in 20
11 years.

12 MR. COOL: One incident in 20 years or so,
13 at 15 rem.

14 MEMBER SKILLMAN: At 15 rem. Yes. Thank
15 you.

16 MR. COOL: We are going to need to have
17 some microphones turned on.

18 MR. HOLOHAN: Just to clarify, that's the
19 data that's in the REIRS system, so not all licensees
20 are reporting to us and not all workers, whether they
21 be interventional cardiologists or industrial
22 radiographers, if there is a grievance, do they report
23 to us.

24 Vince Holohan from FSME.

25 CHAIR RYAN: And define REIRS in the REIRS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system.

2 MR. HOLOHAN: That's the radiation
3 exposure incident reporting system, and that's
4 reported annually in NUREG-0713.

5 CHAIR RYAN: Thank you.

6 MEMBER ARMIJO: If you go into a nuclear
7 plant and you have got a dosimeter and you get an
8 exposure, how do you differentiate between your
9 dosimeter exposures that you are carrying around and
10 dose to the eye?

11 MR. COOL: That is a good question.

12 MEMBER ARMIJO: You know, is it the same
13 number or is it a big --

14 MR. COOL: It is, if you have a uniform
15 whole-body exposure. If you do not have significant
16 variations or significant shielding the numbers will
17 be similar, not identical, but similar, because the
18 dose to the body, what was called the deep dose
19 equivalent, measured at one centimeter depth in
20 tissue. The lens dose equivalent is measured at 0.3
21 centimeters depth, the depth for the lens of the eye.
22 But absent significant shielding one way or another,
23 or a very asymmetric dose field, the two numbers are
24 roughly the same, and in fact most all of your
25 dosimetry processors will give you this nice little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing, buried inside that little chip are a series of
2 filters and otherwise and they have algorithms which
3 allow them to take that badge reading and do a
4 calculation for a lens dose equivalent 0.3 centimeter
5 depth, as well as the deep dose equivalent, to look
6 for the various types of radiation.

7 MEMBER ARMIJO: So, would this new limit,
8 would that be the, truly the limit for your, the whole
9 -- the most constraining limit if you are working in
10 a power plant, or is -- what would be --

11 MR. COOL: That is exactly one of the
12 issues that was raised and one of the considerations
13 that we will talk about a little bit more when we get
14 back there.

15 MEMBER SKILLMAN: Okay. Okay. Sam, in
16 the early entries that we made at TMI2, we had our
17 dosimetry in the center of a body and we also wore a
18 dosimeter taped on up here to try and catch the eye
19 and we had one down on our extremities, so --

20 MEMBER ARMIJO: And that was specifically
21 because of the concerns about the eye.

22 MEMBER SKILLMAN: And the real issue was
23 the HP personnel knew that we were going into those
24 areas and they were very sensitive to being able to
25 discriminate between the lens of the eye, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extremity and the whole body.

2 CHAIR RYAN: It also tries to account --
3 or you try to account as best you can for a radiation
4 quality and radiation type. Lens of the eye, you
5 know, electrons losing their energy in the lens of the
6 eye, is probably a lot more important than one
7 interaction of a gamma ray, where perhaps most of the
8 energy is deposited somewhere outside the eye.

9 So it's a very specific --

10 MEMBER ARMIJO: Kind of radiation.

11 CHAIR RYAN: Kind of situation where you
12 have to assess the individual's dose based on a
13 particular radiation --

14 MEMBER ARMIJO: Okay.

15 CHAIR RYAN: characteristics and type and
16 quantities.

17 MR. COOL: There may well have been beta
18 fields and other things, because the beta radiation,
19 not nearly as penetrating, doesn't give you nearly as
20 much in the deep, but it would get to the lens of the
21 eye.

22 MEMBER SKILLMAN: But my real point is, at
23 least in that instance, and I've got to believe it's
24 probably how the health physics community functions,
25 if there is great uncertainty as to what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 individual is going to be exposed to, the HPs are very
2 aware of the need perhaps for additional monitoring to
3 make sure that they can really point to the difference
4 between extremity, whole body and eye --

5 CHAIR RYAN: And that is not done in a
6 vacuum. If there's any concern about what is the
7 radiation field we are going to, there will be a lot
8 of pre-survey work done to better assess these
9 questions and you know, parameters that people will be
10 going into.

11 MR. COOL: So, following the ICRP
12 statement, with their recommendation, we put out a
13 third Federal Register because that topic had not been
14 in the discussion to date. It was not a topic in the
15 facilitated workshops that we had had a few months
16 prior.

17 So we opened up yet again for additional
18 comments on that, as well as anything else that people
19 wanted to put on the plate as a result of thinking
20 about that you mentioned the question of does that
21 become the --

22 CHAIR RYAN: Don, is it a fair statement
23 on my part to say that in the comment period up to
24 then and even through now, that you have received
25 comments from all the significant organizations, like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Health Physics Society, ANS, EPRI, INPO, on down? I
2 mean, is there anybody that hasn't commented and you
3 wish they had, or that we have covered the field
4 pretty well?

5 MR. COOL: The only area in which we have
6 not had the kind of participation that I would have
7 liked is actually the NGO, more environmental groups,
8 because most all of this discussion was focused in
9 occupational areas. It was not focused in the public
10 exposure area. There was no discussion -- we made it
11 very clear this is not something where the staff is
12 going to reopen quantities for clearance of materials
13 or otherwise.

14 And so while we had a number of more
15 individual discussions with individuals from that
16 community and we did get a few comments, we didn't
17 have the same degree of participation.

18 CHAIR RYAN: And just, I think, for the
19 other members' benefit, I believe this is still true,
20 that these regulations are not aimed at, in any way,
21 to limit diagnosis or therapeutic uses of radioactive
22 material, because the dose of the patient is something
23 not regulated by the NRC.

24 MR. COOL: That is correct.

25 CHAIR RYAN: Okay.

1 MR. COOL: The standing Commission policy,
2 that we do not intrude into the practice of medicine,
3 holds.

4 CHAIR RYAN: I just wanted to make sure
5 that everybody was up to date on that.

6 MR. COOL: And, while the official comment
7 periods on the Federal Registers have closed, we'll
8 still take comments. People talk to us and otherwise
9 we keep adding them to the record, just for no
10 particular reason, to close it off.

11 CHAIR RYAN: And I guess just for our,
12 just, nuclear power industry, the NEI in particular,
13 Ralph Anderson has been very active on commenting on
14 this and participating throughout this time period.
15 Is that --

16 MR. COOL: NEI has commented on each of
17 the Federal Registers. They were one of the
18 participants at the table in each of the three
19 facilitative workshops. And we have been invited to
20 address each of their radiation protection forums over
21 the last several years, and in fact, they have given
22 us significant blocks of time to do what amounted to
23 a miniature version of facilitated workshop with all
24 of the reactor radiation protection measures sitting
25 in the room.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we have had a lot of participation from
2 those folks. Yes. We got a total of 59 comments
3 docketed, not an extraordinary number given, perhaps,
4 these kinds of issues, hundreds and hundreds of pages
5 of transcript of meetings and other things of course.

6 The general view was in two pieces.
7 First, general support by most folks that we should be
8 doing changes to reflect the current methodology for
9 calculating dose, the current ways that we talk about
10 dose, that could change a little bit. We'll talk
11 about that some more in detail.

12 So, that part of it, yes we should be
13 moving to the current scientific calculational
14 methodology. On the flip side of that, the question
15 that you asked a moment or two ago, the general view
16 was that there was no reason to change limits, ALARA
17 or anything else.

18 One of the things which perhaps in
19 retrospect would have been more helpful, we did not
20 spend significant time in the facilitated workshops
21 talking about the information that was available on
22 radiation risk.

23 And one of the things that many
24 stakeholders said was a generalized statement that we
25 don't think radiation risk supports the changes that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you are making.

2 We asked on a number of occasions for them
3 to try and help us understand more specifics that were
4 associated with that. They did not give us specific,
5 more detailed comments and explanations of why they
6 thought it was. But it's a pretty consistent theme,
7 particularly from folks in the medical community, who
8 quite frankly have a different view of radiation risk
9 than some others.

10 They are used to talking about doses that
11 are hundreds and thousands of times greater than these
12 regulatory limits and that's what they pump into a
13 patient to achieve what needs to be done for them
14 medically.

15 So there are some differences in views and
16 it's understandable why that is. There was a
17 generalized view that the impacts would be
18 unacceptable. It was a little bit like deja vu all
19 over again, not at all unlike the kinds of comments
20 that the NRC got in 1986, the last time there was a
21 proposed rule for a major revision, because that rule
22 was suggesting that instead of a maximum dose of 12
23 rem, as in three rem per quarter, up to a maximum of
24 five N-18, where N was the individual age in years, it
25 was proposing a single limit of five.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And there was a considerable reaction that
2 oh, it's going to be horrible, we are not going to be
3 able to do this, that's long ago, forgotten, everybody
4 has functioned happily with it, there hadn't even been
5 any particular request to use additional dose.

6 The first time I ever heard of someone
7 using a planned special exposure, was during the
8 Houston workshop. It was the first time I'd ever
9 heard of where they had set up the planning and
10 actually had to use a dose greater than five rem.

11 The third view, which was a rather
12 interesting sort of view, mentioned more than once,
13 was that the things that are done in the United States
14 and the kinds of sources, the quantities, the
15 activities that are used, were different from what was
16 used in the rest of the world, and that therefore that
17 should justify a different set of units for radiation
18 protection.

19 MEMBER BLEY: You will tell us more about
20 that?

21 MR. COOL: I'll tell you a little bit more
22 about it.

23 MEMBER BLEY: Thank you.

24 MEMBER SCHULTZ: Don, this was one
25 discussion in one workshop or --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COOL: No, this actually showed up in
2 at least two out of the three workshops, in Houston
3 and Los Angeles. I don't remember that that statement
4 was made in Washington. I'd have to go back and look
5 up the transcripts of course. But --

6 MEMBER SKILLMAN: Were these three
7 sub-bullets that you have here, expressed against a,
8 if you will, a financial backdrop? Was this all about
9 money?

10 MR. COOL: It is about money. When you
11 translate, I might need more people to do a particular
12 job, or I don't have the additional people to do the
13 job, as in physicians have to be trained and
14 specialized in their area, and as one person actually
15 said, Dr. Cool, so if your mother is coming in and
16 needs cardiac surgery now, and my cardiologist is
17 approaching the limit, say, oops, sorry, we are going
18 to have the intern do it today, is that what you want
19 us to do?

20 I mean, they were very bold, in-your-face
21 statements associated with that. And yes you can
22 translate that to money, but a lot of that translates
23 to numbers of individuals who are available or would
24 be needed to do the same kind of work in the same sort
25 of way that it is done now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SKILLMAN: Okay, let me kind of
2 flip the question. In the same workshops, were there
3 individuals from other cultures who did not push back
4 and who thought this is a pretty good idea?

5 MR. COOL: We did have some international
6 folks there. They did not participate as actively,
7 but did note on several of the occasions that things
8 such as this were already being implemented in their
9 countries.

10 We did not have international insights
11 from the medical community, for example. The folks
12 who were at some of the workshops were more from the
13 reactor community, and the medical and industrial
14 areas is one of the areas -- we'll talk about this in
15 a little more detail perhaps later as well -- where
16 there's been an ongoing question just, so how is the
17 rest of the world living with the reduced numbers? It
18 proves to actually be incredibly difficult to get a
19 handle on that, because everyone's focus of
20 information has been the reactors and when you start
21 to say, well, what about these other folks, the amount
22 of data goes right sort of underneath the table, and
23 unfortunately, the same sort of statements which
24 border on allegations, as in the doctors just leave
25 the badges back on the desks, we really don't know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's a fair degree of noncompliance, so we really
2 don't have a good idea for what the actual
3 occupational exposures are, was heard in the
4 international community as well as from here in the
5 United States.

6 MEMBER ARMIJO: Well, that's
7 counter-productive if people would -- if the changes
8 would make you make a response, what I'd consider a
9 responsible M.D. leave a badge on a desk in order to
10 do his job. You don't want him to do that.

11 CHAIR RYAN: I would say that this change
12 is not going to change the degree to which that
13 happens already.

14 MEMBER ARMIJO: Well, it just shouldn't be
15 happening at all.

16 CHAIR RYAN: I understand that Sam, and
17 don't disagree with you, not even a little, but the
18 fact of the matter is that those issues come up all
19 the time.

20 MEMBER ARMIJO: Yes, but you know, how do
21 you answer, respond to the view that the risk doesn't
22 warrant the changes, you know? I think that's -- if
23 people really see your basis that says hey, look,
24 here's the data, here's the numbers, here's the kind
25 of margin that we put on it, for just common sense.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So this is an appropriate change. Is there that kind
2 of a basis that, you know, could change people's
3 views? Or is it a weak basis? Is it a strong basis
4 that supports the change or is it kind of fuzzy?

5 MR. COOL: We believe that there is a
6 pretty solid basis, and that's actually where I'd like
7 to go to next. Thank you for the segue.

8 MEMBER ARMIJO: Yes, well I'd like --
9 unfortunately, I am going to have to bug out in a few
10 minutes but I'll stay as long as I can and I'll come
11 back as soon as I can.

12 MR. COOL: Because in fact, the very first
13 question asked, is there any scientifically justified
14 basis for considering the changes at all.

15 MEMBER SCHULTZ: In terms of the comments
16 Don, were they specific to the areas that you
17 proposed, or were discussing, I should say, in the
18 workshops? Or were they mostly blanket statements
19 about -- it's not a demonstrated need, that the risk
20 is not demonstrating that we should change the limits.
21 Were those blanket statements against all three, or
22 specific to particular areas?

23 MR. COOL: We had both. We had both
24 blanket statements and more specific statements
25 related to one or other of the limits.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SCHULTZ: Thank you.

2 MR. COOL: So, radiation risk. The current
3 basis in the NRC regulations is actually a mixture of
4 information that ranges from 1958 to 1990, depending
5 on which regulation you are in, and even which portion
6 of the regulation that you are in.

7 Part 20 has basically, for the most part,
8 the risk basis of about 1.25 times 10 to the minus
9 four and I realize that's too many significant
10 figures, but that's the way it was being written back
11 in those days, which was cancer mortality and the risk
12 of heritable disease.

13 MEMBER SKILLMAN: So that is one in 8,000,
14 is what that number is?

15 MR. COOL: One in 10,000. Ones times 10
16 to the minus four.

17 MEMBER SKILLMAN: Yes, the reciprocal is
18 1.25, to the minus four is 8,000.

19 MR. COOL: Yes.

20 CHAIR RYAN: 1.25 --

21 (Simultaneous speakers)

22 MR. COOL: Yes. So, when you start to dig
23 a little bit deeper, which we'll talk about in a
24 little bit, the values for public exposure are
25 actually different from the underlying basis for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 occupational exposure at this point, because in fact
2 when the revision of Part 20 was done in the late
3 '80s, we already knew, we already had ICRP's revised
4 recommendation in a statement much like what they have
5 done with the lens of the eye now, that the limit for
6 the public should be a simple, straight, one
7 millisievert, one hundred millirem in a year.

8 And in fact that was within the range of
9 options that was in the proposed rule for Part 20 at
10 that time. That proposed rule in fact had said the
11 limit is 500 millirem with a reference level, or some
12 other term, I don't remember exactly the term that was
13 used, of 100 millirem, and much of the comment that
14 was received at that time was 100 millirem is the
15 limit, why make games about it not being the limit?

16 And so we actually had fairly substantial
17 comment as well as the ICRP's recommendation and other
18 statements that resulted in us making the public dose
19 limit at the time of the revision 100 millirem, one
20 millisievert.

21 → CHAIR RYAN: Don, it's probably helpful to
22 point out that this excludes yet recognizes the
23 presence of background radiation --

24 MR. COOL: Correct.

25 CHAIR RYAN: in the three to five hundred

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 millirem per year range.

2 MR. COOL: Right, the dose limits --

3 CHAIR RYAN: in addition to any
4 background. Forget, you know, your normal terrestrial
5 background and radon and everything else.

6 MR. COOL: The limits exclude all the
7 natural background. It excludes the contribution from
8 -- atomic bomb testing and things.

9 CHAIR RYAN: Diagnostic and therapeutic
10 radiology --

11 MR. COOL: And it excludes radiation
12 received as a result of medical diagnosis and
13 treatment, and if you are familiar with NCRP's report
14 160, which came out a couple of years ago now, which
15 was a description of the average exposure of a member
16 of the United States to different kinds of radiation,
17 with a lovely little pie chart, medical now forms just
18 about half of the average exposure of an average
19 person in the United States, and that's only the
20 diagnostic medical applications. It did not include
21 therapy.

22 Radon is a couple of hundred millirem on
23 average. The natural background's about 100 millirem.
24 The various uses that are licensed by the NRC is a
25 very thin little line along one edge and a fraction of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one percent of that total.

2 So there are a lot of contributions, most
3 of which are not covered by these limits. The current
4 radiation risk value is a value of around five times
5 10 to the minus four, a nominal value of five times 10
6 to the minus four.

7 It has more things wrapped into it
8 nowadays, in consideration not only of mortality but
9 the morbidity, some of the incidents of diseases,
10 heritable effects and otherwise.

11 The values are actually quite consistent
12 when you look at work that has been done by UNSCEAR,
13 that's the United Nations Scientific Committee on the
14 Effects of Atomic Radiation, ICRP, who did their own
15 analysis, the National Academies of Sciences,
16 Biological Effects of Ionizing Radiation, that's what
17 BEIR is, the National Council on Radiation Protection
18 and Measurements, NCRP here in the United States, all
19 have put out values that are very similar to this on
20 a rounded aggregate average, recognizing that as you
21 dig into the details, you find differences. Children
22 are more sensitive than adults. Females are more
23 sensitive than males.

24 MEMBER ARMIJO: But, on this using that
25 same around five times 10 to the minus four, what's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the spread of the radiation risk number? Is it one
2 times 10 to the minus four, 10 to the minus three or
3 --

4 CHAIR RYAN: That's a tougher question, I
5 think, for a --

6 MEMBER ARMIJO: Well, I'm just looking for
7 --

8 CHAIR RYAN: The reason it's a tough
9 answer to give is you have to then get into what
10 cancer, what organ, and there's a wide range of
11 numbers around this --

12 MEMBER ARMIJO: So the bases for all the
13 number are different?

14 CHAIR RYAN: They can be, based on
15 end-point type or radiation.

16 MEMBER BLEY: This is cancer deaths per
17 rem?

18 MR. COOL: This is cancer deaths --

19 MEMBER BLEY: And it just kind of is a
20 homogenized view that says it doesn't matter if you
21 get it in little bit or big bits, it's all the same?

22 MR. COOL: Correct.

23 MEMBER BLEY: Or, rather than it's all the
24 same, this is an average?

25 MR. COOL: It's an average and it is all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 based on the linear hypothesis that the -- for
2 regulatory purposes and ICRP I notice have been very
3 careful to say we are not saying that this is the
4 actual radiation response of the body. But for
5 regulatory purposes, it's prudent to assume that
6 that's a line that goes straight all the way down into
7 zero, and so you can add all of those increments up,
8 because if it wasn't linear, then the whole concept of
9 adding last year and this year, or today versus
10 yesterday, would all sort of fall apart.

11 So there are those sorts of assumptions in
12 it. It has built into it a component for cancer
13 incidence, not a complete addition to it. EPA, in
14 their Blue Book, which is actually -- the reference is
15 EPA402-R-11-001 April of 2011, with their update of
16 their radiation risk information. It was based on the
17 BEIR report from several years before, but went beyond
18 in several areas where they applied some additional
19 information. They are in fact today considering a yet
20 further addendum for lower-energy beta and gamma.

21 The Blue Book report from last year says
22 that at that point, they believed that there was a
23 higher risk from some of these very low energies
24 because all of the energy was essentially being
25 deposited earlier.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I understand that there is going to be a
2 publication of some of the research and that that will
3 result in an addendum to that Blue Book at some point
4 in the not so distant future.

5 When you look at that --

6 MEMBER BLEY: And that's more pessimistic
7 than LNT?

8 MR. COOL: It's LNT.

9 MEMBER BLEY: It's LNT but --

10 MR. COOL: It's LNT but their numbers
11 would say four incidents, not quite 1.2 times 10 to
12 the minus three per rem, for mortality, 5.8 times 10
13 to the minus four per rem, and there is a factor of
14 two or three on each side.

15 I mean you asked the question -- and if
16 you stand back far enough with all of the lots of
17 variations, because there are huge variations, if you
18 had six, the 5.8, it goes down to about two and a half
19 and up to 1.2, 1.3 times 10 to the minus three.

20 So there is a spread -- it's probably
21 close to an order of magnitude -- on that sort of
22 generalized level within which they then send --
23 select the central tendency.

24 CHAIR RYAN: And my own view is I think
25 part of the difficulty in setting any standard, by any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 body, is that there is no absolute, very sharp number.
2 It is a range.

3 MEMBER ARMIJO: Yes, I understand it would
4 be a range, something like that. I just wondered how
5 big.

6 → CHAIR RYAN: Electron energies, I mean, if
7 you look at electron interactions in tissue, the
8 density of interactions, as the energy goes down, goes
9 up. So if you're dealing with something that has come
10 from some other part of the body and now hits the
11 special tissue that you are interested in, at a lower
12 energy, that linear deposition of energy is going to
13 be higher so the risk is going to be higher, the
14 damage is going to be higher. So it's a very
15 difficult thing to kind of extrapolate with a very
16 simple sentence. It's -- and I --

17 MEMBER ARMIJO: You've got to get very,
18 very specific about what you are --

19 CHAIR RYAN: What it is you're doing, and
20 I credit the staff with trying to do the best job that
21 I think can be done to put at least some framework on
22 that and then come up with a reasonable view of
23 central tendency. Yes.

24 MR. COOL: Vince is our resident expert on
25 this.

1 MEMBER ARMIJO: Yes he is.

2 MR. HOLOHAN: Just as another
3 clarification, especially with the -- regards to the
4 EPA numbers, these are population-dependent. The EPA
5 number is for a U.S. population.

6 If you go back to ICRP report 60, you find
7 that different populations have different
8 sensitivities to radiation, and most of that is based
9 on socio-economic type of factors.

10 For example, based on diet, the Japanese
11 have a much higher risk of stomach cancer based on the
12 type of things they eat and some of the viruses that
13 are there.

14 At the same point, U.S. women have a much
15 higher incidence of breast cancer because of the
16 consumption of meat in this country. If you take that
17 same individual from Japan, move them to the U.S.,
18 what you find is all of a sudden, they adopt the U.S.
19 breast cancer rates and they have very reduced rates
20 of stomach cancer.

21 So what you find in many of these
22 composite reports, whether they be UNSCEAR or ICRP,
23 they are combining Japanese populations with Chinese
24 populations with U.S. populations with United Kingdom
25 populations, they even threw, in ICRP 60, segregated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and brought in Puerto Rico, and they add all of that
2 together, and that's where we come up with this number
3 of five times 10 to the minus four, but in fact, in
4 the U.S., it's really 12 times 10 to the minus four,
5 and that's adjusted then for by a dose and dose rate
6 reduction factor of two. That's what then brings that
7 down to six or seven.

8 So, much of what you are seeing here is
9 just trying to correct for the population basis, and
10 that Blue Book number is based on U.S. Census
11 information going back to the year 2000.

12 CHAIR RYAN: What fraction of the U.S.
13 population, Vince, does of cancer?

14 MR. HOLOHAN: About 21 percent.

15 CHAIR RYAN: Twenty one percent dies of
16 cancer and we are looking for a little tiny effect, in
17 that 21 percent that does from cancer from all causes,
18 and the -- probably on the teeny end of things is what
19 is happening with ionizing radiation.

20 (Simultaneous speaking)

21 MR. HOLOHAN: I don't know if this is off
22 topic or not, but I'm really curious, based on what
23 you just said: is there a socio-economic group or an
24 ethnic group --

25 MEMBER SKILLMAN: What was the last one?

1 MR. HOLOHAN: Is there a socio-economic
2 group or an ethnic group where the cancer risks are
3 shown to be very low across that entire control group?

4 MEMBER SKILLMAN: It is socio-economic and
5 I want to say ethnic. What is the smoking rate,
6 what's the alcohol consumption rate, what's the
7 composition of the diet?

8 We find that there is differences based on
9 economics for screening, the type of treatment that
10 occurs. So you can have a similar, let's say, cancer
11 incidence rates, but then cancer mortality is going to
12 be based on the treatment that's received.

13 So it's a combination of many of these
14 things and the epidemiologists have to look at those
15 type of factors to try to segregate those type of
16 things and have equal comparisons.

17 CHAIR RYAN: There is one ethnic example,
18 which is melanoma. Based on the amount of melanin in
19 your skin, you know, you have a very different
20 susceptibility over the range of folks that have, you
21 know, a range of melanoma. So --

22 MEMBER SKILLMAN: Thank you.

23 CHAIR RYAN: There's all sorts of
24 variables like that.

25 MR. COOL: Just to quickly summarize this,

1 if you are looking at Part 50, Appendix I, the risk
2 and scientific information supporting that is 1958.
3 If you are looking generally at Part 20 and the
4 occupational values, it's the one times seven to the
5 minus four.

6 If you are looking at the public exposure
7 limit, it's actually more reflective of the five times
8 10 to the minus number, because the information was
9 available and could be adopted.

10 So within Part 20, you have different
11 bases for the risk that is associated with those
12 limits. But it's not -- it's not even that simple.

13 MEMBER SCHULTZ: One moment, Don.

14 MR. COOL: Okay.

15 MEMBER SCHULTZ: On your last bullet, LNT
16 is adopted for practical purposes of radiation
17 protection, and I think it's important to understand
18 that, what we have just talked about in terms of
19 cancer incidence and determining radiation risk, I
20 don't think there's much data out there that in fact,
21 where the data provides the cancer risk associated
22 with low dose radiation.

23 MR. COOL: Correct, there isn't any. In
24 the kinds of ranges that we are talking about, there
25 is not direct, scientific studies, either

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 epidemiological, or the cellular, molecular or others.

2 You see bits of different things in
3 individual systems and otherwise. That does not
4 generalize to larger organizational systems, organs
5 and tissues or individuals, because there are all
6 sorts of additional things which come into play there,
7 as Vince was just talking about.

8 So we are talking about a range in which
9 we are working on an extrapolation, from data that is
10 available to the ranges that we are dealing with.

11 MEMBER SCHULTZ: What continues to happen
12 is that when publications come out that say well, we
13 endorse the use of LNT, there's always the public view
14 that that is based upon scientific evidence and
15 therefore we cannot adopt anything but an LNT theory,
16 or approach.

17 It's just very easy for the public to
18 assume and adopt themselves that LNT is demonstrated
19 by evidence. Happens all the time.

20 MR. COOL: Correct. So in addition to the
21 risk itself is the mechanisms of calculating and the
22 methodologies. So as I said, 10 CFR Part 50, Appendix
23 I based on ICRP 1 and 2, maximal permissible
24 concentrations for individual organs, there is on way
25 to add the internal and the external exposure together

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to get a risk.

2 Part 20 moved to the total effective dose
3 equivalent concept, which allowed you to add together
4 internal, external exposures, because it assigned
5 relative weights for the induction of cancer in
6 various organs and tissues so that you could sum it up
7 into an equivalent sort of whole person.

8 As I said, the public exposure aligned to
9 the new recommendation; where we had it available, the
10 occupation exposure did not. We also have a situation
11 where we have licensees who are in fact today using,
12 by License Amendment, the internal dosimetry models
13 from ICRP 60 and the supporting publications, 67, 68,
14 and 72, which contains some of the details of the
15 modeling.

16 We were requested for that by License
17 Amendment Request. It actually was a Commission
18 action that endorsed allowing that to take place,
19 allowing them to use the updated models, with one
20 primary condition, which was if you are going to move
21 to the newer set of models, you have to use that newer
22 set of models consistently for everything you do, as
23 in no cherry-picking.

24 The licensees that we are talking about
25 are principally uranium licensees, uranium fuel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fabricators, because the modeling at the time of ICRP
2 26 and 30 had one level. It actually had come up from
3 these assumed radiation risks that was back known in
4 the '50s and '60s.

5 By 1990, it had actually come down back
6 down as there was additional information and studies
7 that were available, so they were in fact taking
8 advantage of a factor of about three in these uranium
9 intake dosimetry systems.

10 So you have a number of folks who are
11 using that. Now this next question of course would be
12 so, what's the impact of the latest set of
13 recommendations and all the calculations that are
14 ongoing right now?

15 And I would love to be able to tell you
16 firmly and unequivocally it is this, or whatever. We
17 understand from the folks who are doing these
18 calculations, most of which are being done by Dr.
19 Keith Eckerman down at Oak Ridge, that for uranium,
20 there is going to be very little change this time
21 around.

22 Some things will go up a little, some
23 things will go down some, because the set of tissues
24 that are used in the calculation, and their associated
25 tissue weighting factors, the percentage for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cancer induction has been amended. You have got more
2 tissues and a revision of the distribution, because in
3 the end all the tissues have to end up to one, they
4 have to sum up to one --

5 CHAIR RYAN: It's always been a little
6 confounding to me that -- uranium is a good example of
7 something that is chemically toxic. Radiotoxicity is
8 an added feature so how do you sort that out? That's
9 always a little headache.

10 MEMBER SKILLMAN: Yes, and sorting that
11 out, I think, probably most of the folks who were
12 dealing with uranium are also dealing with
13 hexafluoride, so there are chemicals --

14 CHAIR RYAN: With the hexafluoride, you
15 are only -- a heavy metal poison.

16 MEMBER SKILLMAN: Oh yes, I got that. I
17 got that.

18 MR. COOL: You have the HF issues
19 associated with uranium hexafluoride if it gets itself
20 with any moisture. That's quite true. But soluble
21 uranium is in fact a greater concern from heavy metal
22 kidney poisoning than it is from radiation exposure.
23 And in fact the Part 20, Appendix B values have a
24 quantity for the soluble uranium which is driven by
25 the heavy metal component, not by the radiation dose.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If you have got an insoluble particle of
2 uranium, that is going to be driven by the radiation
3 dose because not as much of it is taken up and
4 distributed through the body in deposits in the
5 kidneys.

6 MEMBER SKILLMAN: Okay.

7 MR. COOL: In addition to that, at the
8 time that Part 20 was revised in 1991, the total
9 effective dose equivalent was the committed effective
10 dose equivalent from internal exposures, from intakes,
11 and the deep dose equivalent from exposures external
12 to the body.

13 So that was the badge on the collar or the
14 highest point of exposure. At that point in time, the
15 modeling and calculations for being able to actually
16 do a calculation of effective dose from an external
17 exposure, were not refined enough for the staff to
18 determine that it should be able to recognize that.

19 That has since changed. Part 20 was
20 amended now four or five years ago, because it was a
21 couple of years before we started this project, to
22 explicitly allow the use of any of the several
23 standard available methods for calculating effective
24 dose from external exposure.

25 That becomes particularly important in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certain classes of occupational exposure, and in
2 particular our friends in the interventional
3 radiology, cardiology type things in the practice of
4 medicine.

5 Now, two points are important there. One,
6 it's actually radiation, so it's not NRC's
7 jurisdiction. Two, the states have consistently said,
8 as has been their practice in the past, that they will
9 move to adopt any changes in the state programs and
10 there will be a single state program. There will not
11 be a separate program for byproduct materials under
12 their agreement with the NRC and the machine-produced
13 radiations, which are only the jurisdiction of the
14 states.

15 So while, by legal mandate, we do not have
16 jurisdiction over things like the interventional
17 cardiology and radiology exposures, we are well aware
18 that the discussions of changes to the dose limits do
19 have potential impacts on those categories.

20 The third important point to that, is that
21 there had been a number of statements made by some
22 fairly reputable folks -- they are members of the NCRP
23 Council -- that if there was a consistent recognition
24 and use allowed of the effective dose calculation,
25 that those interventional radiologists and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cardiologist would have no problem meeting the lower
2 dose limit, because in fact the difference obtained by
3 the typical lead apron is more than enough to account
4 for a difference between five and two. It could be
5 more like 30 in many of the situations.

6 → MEMBER BLEY: Don, there is one area that
7 confuses me a bit because a few years ago I was
8 involved in some risk work with folks in cancer
9 treatment -- nothing associated with NRC -- but they
10 were tending away from radiation because they were
11 under the eye of the NRC and regulation, where, with
12 everything else, nobody was regulating them and even
13 though it wasn't byproduct, apparently the -- at least
14 what they explained to me, was the argument that NRC
15 used to be regulating what they were doing, was if the
16 radiation was equivalent to what you would get from a
17 byproduct, then NRC has the obligation to regulate.

18 Is that a real thing, or is that --

19 MR. COOL: No.

20 MEMBER BLEY: Okay.

21 MR. COOL: No. But there is a variation
22 on that. The actual answer to the question in the
23 regulations is if an individual is receiving exposure
24 from a mixture of sources, that their total exposure
25 has to be accounted for in compliance with the limit,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 both that which is from the byproduct materials, and
2 any exposure that might be received from other
3 sources, as in the x-rays.

4 So if their techs were getting both x-ray
5 exposure and byproduct material exposure, all of the
6 dose had to be summed together and used in
7 demonstration of compliance.

8 If they were only associated with the
9 machine-produced radiation, the x-rays, the
10 fluoroscopy, you didn't have any -- nowadays PET2 or
11 a byproduct material of nuclear medicine, if none of
12 the byproduct material is there, they are not under
13 NRC jurisdiction.

14 CHAIR RYAN: They are only under the state
15 if the state chooses to regulate.

16 MR. COOL: So, there is a variation on
17 that, but it requires that they have exposure from
18 both licensed and unlicensed.

19 MEMBER BLEY: And that's the other one
20 they argue, was if they were implanting sources, and
21 the sources were generated by some other approach, but
22 they were identical isotopes to what you'd get from
23 byproducts, then the regulation fell to the NRC again.

24 MR. COOL: Prior to 2005, that got to be
25 a very sticky sort of question, because in fact the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 original definition of byproduct material in the
2 Atomic Energy Act was material made radioactive in a
3 reactor.

4 So materials that were made radioactive in
5 an accelerator, were not actually a class of byproduct
6 material, and you could have the exact same isotope.
7 So that did pose a bit of an issue. Well, is was a
8 byproduct or is that not a byproduct?

9 All of that went away with the Energy
10 Policy Act in 2005, which created a new category of
11 byproduct material, which is anything that is made
12 radioactive in an accelerator or similar sorts of
13 device.

14 CHAIR RYAN: One thing that helps a lot to
15 understand this conundrum is that the original Atomic
16 Energy Act of 1948, not '54, but '48, really is where
17 you can see the clarity of this.

18 All these definitions were designed for
19 one sole purpose, maintaining control over what were
20 viewed to be militarily significant materials so they
21 were regulated not with regard to safety of the
22 public, of workers, or the environment or anything.
23 They were defined so that they could be very
24 thoroughly controlled by the military.

25 So it was '58 then of course nuclear power

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and other questions came along, so the Atomic Energy
2 Act of '48 -- so the Atomic Energy Act of '54, where
3 it was kind of schmoozed into the -- well, we have got
4 to have some public uses and we'll have all of our
5 other stuff over here sort of buried in it, that kind
6 of thing.

7 So it's very interesting to go back and
8 read that Act, because in the '48 Act, it's crystal
9 clear.

10 MEMBER BLEY: That is an interesting
11 thing. Let me go back to where I was though, because
12 this had really bothered me when I was working with
13 these folks, because they were -- they were under
14 pressure from their organizations, the medical
15 organizations, to go to less effective treatments to
16 avoid regulation.

17 And it was really disturbing to see that
18 we were regulating one area and the net effect was we
19 weren't helping people, we were driving them to lesser
20 -- less good treatment.

21 And is there any kind of interplay among
22 agencies, with NRC being a part, that is trying to
23 avoid this kind of problem? Or is there a way to
24 avoid it?

25 MR. COOL: I can't sit here and tell you

1 that there is an automatic way to avoid the issue.
2 What I can tell you is that we work very closely with
3 FDA, associated with the medical -- their medical
4 device licensing and other things. We try to work
5 very closely in cooperation with the different state
6 organizations, both the Organization of Agreement
7 States, which are those states that have entered into
8 the agreement, and the Conference of Radiation Control
9 Program Directors, which is everybody, all of the
10 state organizations.

11 That doesn't guarantee that that sort of
12 thing might not happen as a result of some particular
13 management wishing to do that.

14 CHAIR RYAN: Don, I think it's a fair
15 comment, to let the Committee know that there is a
16 very wide range of capabilities in the states'
17 programs, from, you know, larger states like
18 California and others that would have a lot more
19 wherewithal, and the smaller, very unpopulated states
20 where they might have a, you know, satisfactory
21 program but it's not going to be as broad-ranging or
22 as well outfitted with personnel or capabilities. We
23 have a lot of these states, so --

24 MEMBER BLEY: Okay, something to pursue
25 elsewhere, I suppose. But we don't have an agency

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like HSE in the UK that oversees everything so that
2 they can get an integrated policy that works to the
3 good, rather than perhaps to the --

4 CHAIR RYAN: Somebody many moons ago said
5 that to get radioactive material, he had to get 17
6 authorities from 17 different organizations to sign
7 something.

8 MEMBER BLEY: Gee, I wonder who that was.
9 Okay, I'm sorry Don. Go ahead. This one has bothered
10 me for a long time and I don't want to --

11 MR. COOL: And I can certainly understand
12 that. There have been calls on any number of
13 occasions, from states, from the Health Physics
14 Society and others, to Congress, wishing that there
15 could be a consolidation of use of -- there could be
16 an organization that was responsible for radiation.

17 That hasn't ever gotten very far down on
18 the Hill. Okay. I'm not going to go there. Okay, so
19 I'm up to Slide 11. The basis for occupational
20 limits. As I said, 1977, the comparison was then with
21 the average annual accidental risk of death in what
22 were considered to be relatively safe industries. In
23 other words, had about a one times 10 to the minus
24 four fatality risk for that kind of industrial use.

25 So that leaves out the farmers and some of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the other things that have much higher accident rates.
2 The five-rem value was selected with the assumption
3 that the average exposure would be one fifth of that,
4 as in about one rem. It's actually the one rem that
5 corresponded to the one times 10 to the minus four
6 risk of generally considered safe industries.

7 In 1990, it is a much more complicated
8 sort of process, and you can spend some several
9 numbers of hours, I would guess, working through
10 Appendix B or 2 of ICRP's Publication 60 that talks
11 about the multi-attribute process that they put
12 together looking at morbidity, mortality, years of
13 life lost, and a variety of things that they built
14 into their selection.

15 They then actually laid out a table of
16 various levels of cumulated dose, and the associated
17 risk that was associated with that, and reached the
18 conclusion, the objective that they chose, to try and
19 avoid an cumulated exposure of 100 rem or one sievert
20 or more, because at that point, the aggregate
21 increased risk to that individual was about five
22 percent, and that was viewed as a place that they
23 really didn't believe you should allow somebody to go,
24 and if you make the assumption that somebody could be
25 working for 50 years, it's a bit on the outside for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 most people perhaps, but --

2 MEMBER BLEY: Yes, I don't know --

3 MR. COOL: Some of us just keeping going
4 and going and going.

5 MEMBER BLEY: Yes.

6 MR. COOL: But if it's 50 years, and you
7 didn't want somebody to get over 100 rem, that got
8 them to two rem per year, and they said okay, but we
9 know this isn't a precise science, so let's make it
10 two rem per year, average it over five years or so for
11 some flexibility, with a maximum of five in any one
12 year, because they recognized that people would go,
13 well, we don't know if we can get there.

14 So the recommendation that ICRP made in
15 Publication 60, and reaffirmed in ICRP 103, was a
16 limit which is actually an average number, sometimes
17 written as 10 rem over five years, sometimes written
18 as two rem as an average over a five-year period, with
19 a maximum of five rem, 50 millisieverts, in any one
20 year.

21 MEMBER BLEY: Now, you've left that as an
22 option in your --

23 MR. COOL: That was one of the options
24 that we discussed with stakeholders. We'll get to
25 those in just a moment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 → MEMBER BLEY: Okay.

2 MR. COOL: In fact, that same number, 100
3 rem or the one sievert cumulative value, was the value
4 that NCRP here in the United States also used as the
5 basis for their recommendation for an occupational
6 limit.

7 NCRP chose a slightly different approach,
8 which was to say 1N, where N is your age in years, so
9 your cumulative exposure shouldn't exceed your age in
10 years.

11 So people who start working at 18 or so,
12 could get up to 18 rem at a five rem per year sort of
13 clip. Now, you couldn't do that for very long and
14 then, but they both had an underlying approach of
15 reaching to a cumulative value which was a five
16 percent net incidence of harm to the individual.

17 The question of a lifetime occupational
18 exposure limit, has been talked about some many number
19 of times. In fact it was on the table at the time of
20 the revision that was published in 1991.

21 That statement of considerations says
22 amongst a variety of things that the staff in the
23 Commission did not accept an approach of a lifetime
24 limit.

25 There are significant difficulties

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 associated with trying to keep an accurate record of
2 an individual and cumulation over all the time.

3 One of the things that we had heard on and
4 on in that discussion was everybody very excited that
5 they might not have to do the form 4s and 5s to keep
6 records, and go back and have the dose histories over
7 the last number of years that was necessary under Part
8 20 before that revision.

9 In fact, jumping ahead, the exact same
10 sentiment expressed now, the idea of having an average
11 value, was the worst of all possibilities because they
12 would have to go back for additional record-keeping
13 and tracking the individuals and going back to
14 previous employers, so the whole question of transient
15 workers and otherwise made that incredibly
16 complicated. Of all the things they didn't like, they
17 really didn't like that one.

18 MEMBER BLEY: They being the licensee?

19 MR. COOL: The licensees. So you have the
20 ICRP's recommendation, which is an average and a
21 maximum. That's what their recommendation is. That
22 becomes --

23 MEMBER SKILLMAN: Just your 1N riddle,
24 some of us in this room are probably at that point
25 where 1N would be around 60 or so, a little more or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 less. Does that mean we could get 12 per year for
2 five years?

3 MR. COOL: NCRP wouldn't let you go --
4 NCRP's recommendation wouldn't let you go over five
5 per year.

6 MEMBER SKILLMAN: I see.

7 MR. COOL: Up to a total to value.

8 MEMBER SKILLMAN: Thank you. Thanks.

9 MR. COOL: Yes. But in fact, when you are
10 getting up in our age bracket, where you can have 55
11 or 60 rem or more, we were also up in the bracket
12 where, unfortunately, the likelihood of living long
13 enough for that to really start being expressed in
14 another 25 to 30 years, is fairly rapidly going away.

15 MEMBER SKILLMAN: Okay, thank you.

16 MR. COOL: In fact, in an ideal situation,
17 I suppose, from the radiobiologic standpoint, you'd
18 try to minimize the exposures in early years, because
19 those are the ones that have the greatest implications
20 for the individual because they have the longest time
21 for them to be expressed.

22 Contrary to that, the average occupational
23 exposure, if you watch an individual, in any number of
24 situations, medical, radiography and others, they get
25 a heck of a lot more dose in the first few years where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they are getting smart, with the training in doing
2 things, and it tends to taper off a bit, in some
3 cases, because they have gotten over that learning
4 curve.

5 In the medical, it stays right there or
6 even goes up. The people with the highest
7 occupational medical exposures, as far as we can tell,
8 are probably the best, most experienced physicians
9 there are in that category. Why? They get called for
10 all of the really tough, long cases, so even though
11 they can do it better and ought to know all the right
12 technique, it's pure time factor associated with the
13 exposure that goes along with it.

14 When you've got surgeries that are going
15 seven, eight, nine hours, to try and fix somebody on
16 the table, right then, there and now, you are going to
17 get more exposure than a simple stent or something
18 that only takes them an hour or two.

19 So there are a lot of differences that
20 come into play there. There's also been work updating
21 the dose assessment methods. So, this is actually now
22 the first of the topics.

23 So we said to people okay, should we
24 update the new information, the new tissue-weighting
25 factors, the new radiation-weighting factors, the new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nuclear decay data that was published a year and a
2 half or so ago, all the calculations, the new human
3 alimentary tract model, the lung model, all those
4 sorts of things, should we move to that information
5 modeling?

6 The answer that came back, almost
7 completely, was yes, that's a good idea. We really
8 don't want you to do it in dribs and drabs. If you
9 are going to do it, do it once, do it right.

10 There was actually the question on the
11 table, should we tell people in an interim, use the
12 ICRP 60 numbers until the ICRP 103 numbers were in
13 place. That would take a rulemaking in essence.

14 People said no, because we'd go through
15 all of the hullabaloo to use those, and in another
16 couple of years we'll do it all again. No reason to
17 do that, just wait and do it once at the right time
18 and go ahead and do it.

19 So the staff's recommendation to the
20 Commission in this paper is that we move to adopt the
21 methodologies, the updated models, scientific
22 information.

23 We recommend, although some of us wish it
24 could not be so, as individuals, that we continue with
25 Appendix B. There were lots of people who said can't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we get all those detailed numbers out of the
2 regulation and make it a guidance document. And the
3 answer is actually a legal answer: if Appendix B was
4 just used as method for demonstrating compliance with
5 Part 20, you could take it out. It would be a Reg
6 Guide.

7 But those numbers are picked up as
8 references in other portions of the regulations,
9 triggering reporting requirements, some record-keeping
10 requirements, response requirements.

11 That makes them regulatory. You cannot
12 reference a Reg Guide for that sort of action. So the
13 only way to take Appendix B out would be to find a
14 mechanism for expressing all of those other triggers
15 by something else.

16 And if you start to look at it for a
17 second, you say okay, those were triggered basically
18 because that would be the equivalent of five rem, or
19 25 rem, or whatever it was. If you wrote in the
20 number, you would actually have a much less precise
21 trigger, because everybody would have their own
22 calculation, would have their own little variations on
23 the theme and all of that, so --

24 MEMBER BLEY: So, all the other
25 regulations referenced the appendix. They don't --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COOL: they reference --

2 MEMBER BLEY: get the numbers from --

3 MR. COOL: They referenced the values of
4 Appendix B, the appropriate value.

5 MEMBER BLEY: Okay, so changing that is
6 the one place that takes care of all the regulation?

7 MR. COOL: So, and that will
8 correspondingly be one of the things we will have to
9 look at very closely, because all of the changes in
10 the numbers, even if everything else stayed the same,
11 updating the calculation, so some things go up a
12 little bit, go down a little bit, all of those
13 triggers change.

14 So that's part of the impact that we will
15 have to look at in detail because the trigger number
16 for that report is going to be slightly different for
17 cobalt than it was before, or cesium or otherwise.

18 CHAIR RYAN: Don, I'm going to suggest
19 that we take a five-minute break and let people take
20 a --

21 MEMBER BLEY: Let me speak on one quick
22 question.

23 CHAIR RYAN: Well, we can, but I just --
24 whenever you get a spot where you can stop, and answer
25 that as his question, that would be great.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: If you were adopting an ICRP
2 103 exactly, could Appendix B reduce to adopting 103
3 by reference?

4 MR. COOL: No. Much as I might like to, if
5 the values are going to be used as triggers, it has to
6 be in the regulation. First thing. The ICRP numbers
7 themselves, ICRP doesn't actually calculate the ALIs
8 and the DACs, the annual limits of derived air
9 concentrations now. We actually go and do that as an
10 aid for compliance to licensees.

11 So that's the second reason why you
12 couldn't just say go adopt it there. The third would
13 be that that would be an incorporation by reference of
14 a document that was not subject to the public notice
15 and comment processes under the Administrative
16 Procedures Act, as in illegal.

17 So unlike my friends in the IAEA, who can
18 say in the basic safety standards, use the latest ICRC
19 stuff, and they're fine, we can't do that legally
20 here.

21 CHAIR RYAN: They don't even say which
22 one. They just say the latest one.

23 MR. COOL: The latest.

24 MEMBER SKILLMAN: And you figure it out.

25 CHAIR RYAN: Yes, you figure it out.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: There are some other places
2 in the regulation where the regulation has adopted by
3 reference an outside document.

4 MR. COOL: Correct. There are methods to
5 specifically reference by incorporation another
6 document, another agency's regulation --

7 MEMBER BLEY: Maybe with exceptions --

8 MR. COOL: Or certainly it sets the
9 standards where that -- and it's usually specific, by
10 version, and date, because people could comment on
11 that thing being incorporated, rather than just
12 replicating it into the text.

13 But that thereby has the opportunity for
14 notice and comment on the reference, because they had
15 the opportunity to look at it. And I think this
16 probably would be a good time to take a break if
17 people want to --

18 CHAIR RYAN: All right. Five minute so
19 and come back and continue. Is that okay with
20 everybody?

21 MEMBER BLEY: Make it 10.

22 CHAIR RYAN: All right, 10. Fair enough.
23 (Whereupon, the meeting went off the
24 record at 9:55 a.m. and resumed at 10:09
25 a.m.)

1 CHAIR RYAN: Okay, all right. I guess we
2 will open the record and reconvene. Please, Dr.
3 Cool.

4 MR. COOL: Thank you, Dr. Ryan. Let's go
5 to the quite related category for the terminology
6 itself. As the calculational approaches changed, so
7 did the terms that they used to represent it.

8 In 1997, when radiation was being looked
9 at with the quality factors, it was the effective dose
10 -- it was the effective dose equivalent. We had dose
11 equivalence of this and that.

12 By the time we got to 1990 they had moved
13 to radiation weighting factors and the tissue
14 weighting factors and the term that was used was
15 simply effective dose, or the equivalent dose, for
16 individual organs and tissues.

17 So one of the questions that we went and
18 got public comment on was the question of aligning the
19 methodology with aligning the terminology. Now, this
20 is one, where again, stakeholders supported making the
21 change, probably a good idea, slightly more grumpy
22 probably because explaining to the folks, well, we
23 used to call it total effective dose equivalent and
24 now we're going to call it to call it total effective
25 dose, and then I'm going to go, huh?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So there are some issues associated with
2 that, with training, with records and other things, in
3 order to move to the new terminology. But generally,
4 I view that it probably was a good idea, certainly
5 from a correctness standpoint, if you are going to
6 recognize and use the calculational approach, then you
7 should use the term that corresponds to that
8 calculational approach.

9 Our recommendation is to go ahead and
10 develop the details of the regulatory basis to update
11 the terminology, look at those factors associated with
12 people having to gradually change their records and
13 things, look at the question of the degree to which we
14 can allow some flexibility for folks, maybe even over
15 a more extended period of time, so that instead of
16 having to go through and change every procedure
17 immediately, they could do them as they came to them
18 in some cycle or otherwise to lessen the impacts that
19 would be associated with a name change because that is
20 in fact what this would be.

21 → MEMBER SKILLMAN: So, what is the benefit
22 in -- what is the perceived benefit in changing from
23 TEDE to TED?

24 MR. COOL: The only benefit, quite
25 frankly, is a qualitative benefit associated with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 using the same calculation and the same term all the
2 way across, and what you used in other countries, and
3 we are using the term which was created to describe
4 the calculation which is being required by the
5 regulation.

6 If you said total effective dose
7 equivalent, and used all the new tissue weighting
8 factors and radiation weight factors, you would be
9 using a term which did not apply to that calculation.

10 MEMBER BLEY: Creating confusion for some.

11 MEMBER SKILLMAN: So the terminology
12 should go hand in hand with the methodology.

13 MR. COOL: We are recommending that the
14 terminology go hand in hand with the methodology,
15 while recognizing that for a lot of people this is a
16 wide sort of approach.

17 MEMBER SKILLMAN: Yes, what are you
18 getting for this --

19 MR. COOL: This is one where I am not
20 going to suggest to you that I have got a safety
21 benefit lined up that says that this is a safety thing
22 to go ahead to go do.

23 CHAIR RYAN: I guess I would take a view
24 that there could be a safety benefit, and probably is.
25 By having consistent terminology, people in different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 places are going to be informed in the same way, using
2 the same terminology, whereas there can be mistakes
3 made by the misuse of terminology.

4 So I think that you know, we have had some
5 people call it a rainbow of terminology. I call it a
6 rats' nest of terminology. It's very difficult and it
7 takes a lot of overhead to keep it sorted out, quite
8 frankly, to train subsequent generations of, you know,
9 what's the Rosetta Stone to sort this all out.
10 Fixing the terminology solves that problem.

11 MR. COOL: Okay, now for the fun one,
12 which we have already spent a fair bit of time talking
13 about in bits and pieces, the occupational dose limit.
14 I have continued to use the existing terminology
15 letters here. So, I -- instead of saying TED here I
16 still use TEDE, because that's the existing limit.

17 And we have already talked about the fact
18 that the limit does not reflect the current risk basis
19 or cumulated basis. Under the regulation today, you
20 could get background each and every year and therefore
21 you would have the potential for coming very close to
22 or exceeding the total cumulated level of dose which
23 would be a five percent change of harm.

24 We know that there are individuals who
25 received exposures above two rem per year. Now, how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 large a number is that? Not terribly large. As in
2 any dose distribution, you have got a whole bunch of
3 people that didn't get any measurable dose at all.
4 You've got a bunch that are getting just sort of the
5 minimal and the first sort of things, and as you get
6 out to higher dose, it drops off rather rapidly.

7 If you look at the databases that we have
8 available to us, the REIRS database, the REMS database
9 for the DOE workers, there are very few folks out
10 there in the upper ranges.

11 The reactors don't have anybody above
12 three or four. They have only got maybe 50 people or
13 so above two, total.

14 MEMBER BLEY: For the whole country?

15 MR. COOL: For the whole country, right.
16 They have very detailed programs and a very good
17 handle and they have a methodology for tracking all
18 the individuals, job to job, site to site. So they
19 have actually got it tracked.

20 I have momentarily lost the acronym for
21 the database -- PADS. I don't know what it actually
22 stands for in terms of those letters.

23 MEMBER SKILLMAN: Personal Access
24 Database.

25 MR. COOL: Which is the database that gets

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 used by a number of the utilities, so they have got
2 everybody in. It facilitates not only the dose
3 calculations, but knowing if they are trained and
4 qualified in certain things, and a variety of other
5 things.

6 That is not so much the case in some of
7 the other types of licensed use.

8 CHAIR RYAN: Don, just for perspective,
9 could you give us a quick just percentage cut, what
10 number of employees, badged employees, are medical
11 profession, nuclear power profession and other?

12 MR. COOL: Yes.

13 CHAIR RYAN: Okay.

14 MR. COOL: Medical -- this is numbers
15 taken from NCRP Publication 60, where they went to the
16 dosimetry process in order to try to get a handle in
17 general. Medical had 735,000 or so folks. There are
18 3,000 people above two rem per year. They said there
19 were 500 people above five rem. This was 2006, I
20 think was the number.

21 Nuclear power had just about 60,000 people
22 and in 2006 they had 149 above two rem. They didn't
23 have anybody above five rem.

24 Industrial, commercial-type operations,
25 134,000 folks, 930 above two rem, 128 of those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 supposedly above five rem.

2 Education and research, 83, almost 84,000,
3 263 folks above the two rem number, 65 above the five
4 rem number.

5 Various governmental issues. Mostly
6 that's DOE, 35,000 folks, 40 people above two, eight
7 people above five.

8 CHAIR RYAN: DOE -- where's the Navy?

9 MR. COOL: NCRP did not say whether Navy
10 was in there.

11 CHAIR RYAN: Okay.

12 MR. HOLOHAN: NAVSEA doesn't release that.

13 CHAIR RYAN: Pardon?

14 MR. HOLOHAN: NAVSEA won't release that.

15 CHAIR RYAN: Okay, just checking.

16 MR. COOL: And there's actually two
17 components. You've got the certain component that is
18 dealing with their propulsion units, which is outside.
19 And then there's all of their routine uses of
20 materials, so the radiography in the shipyards and
21 otherwise, which is actually done under license.
22 Those are NRC licensees.

23 CHAIR RYAN: I was thinking more the
24 fleet.

25 MR. COOL: So, for those limited segments,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 power reactor folks, industrial radiographers who are
2 still NRC licensees, the other categories, 99.7
3 percent of the folks are underneath the two rem. We
4 are talking a fraction of a percent. That percentage
5 gets larger -- I didn't try to actually do the
6 calculation -- when you wrap in some of the other
7 types of users who do not report to us.

8 It's interesting, as a correlation, I have
9 no idea whether there's causation, those types of
10 licensees that have to report to us are the ones that
11 have zeros about five. In ICRP's Report 160, every
12 other category they say there are people who are
13 getting greater than the dose limits today. That's
14 an enforcement issue, and worrisome.

15 There's also significant additional
16 numbers of individuals that are less than five but
17 above two, for those categories which are not in our
18 REIRS database and reporting.

19 MEMBER BLEY: For the above fives, is
20 there any hint of what the maximums are?

21 MR. COOL: The NCRP report did not give
22 those so I don't have a good idea. I can tell you
23 that there has been what the epidemiologists would
24 call a cluster. I think we have had five events in
25 the past six or seven months in industrial radiography

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and irradiators, for we have had situations where they
2 have gone over five as a result of -- I should be
3 careful and use the next term -- but it was an
4 accident. It was not, certainly not intended.

5 The individual was up on the side of the
6 scaffolding, took the guide tube, draped it over his
7 shoulder, climbed down. He had not retracted the
8 source, for example, and you can go over five real
9 quick.

10 So you have those, and those accidental
11 doses may have quite a large range going up, depending
12 on the circumstances and how long he's actually there
13 without realizing that he has got a source sitting on
14 the back of his neck or something.

15 CHAIR RYAN: There's a fairly well
16 documented series of these evaluated in what are
17 called the medical basis for radiation action,
18 accident preparedness, by Shirley Fry and Karl Hubner
19 and it kind of gets into the question that you are
20 asking.

21 But it's -- there is a record there.
22 These things happen.

23 MR. COOL: The net result of that is that
24 for most people, the question of meeting the dose
25 limit, whether it's five or two, is not a question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They are below it, the two rem, 20 millisieverts.

2 And for a number of the smaller licensed
3 use, industrial gauge users and x-ray crystallography
4 sorts of things, they never get anywhere close. In
5 large measure they don't even necessarily get to the
6 level, the fractional level that would require
7 monitoring.

8 Much of the monitoring is done for legal
9 and informational purposes, not because they actually
10 believe the individuals are going to exceed some 10
11 percent of the dose limit or something like that.

12 So you've got categories, and in our
13 meeting, said, "We don't have an issue with that. We
14 don't ever get close to it, it's not a problem for
15 us."

16 And of course you've got others who say,
17 "We have got individuals that are over, it's going to
18 be very difficult for us to do that." So a lot of the
19 discussion we had throughout this was the question of
20 what do you do with that group of individuals that are
21 the tail of the distribution, that would be above the
22 two rem, 20 millisievert level, average, or whatever
23 it might be, but below the maximum five today, the
24 maximum of five that would be in the ICRP
25 recommendations?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I'm going to go ahead and use this
2 slide to talk about the connection this has with the
3 ALARA program in radiation protection. We will get to
4 that topic in a little bit.

5 But it's very relevant here, because one
6 of the major pieces of discussion was what are the
7 different mechanisms that might be available for
8 reducing that high dose end of the distribution,
9 because that's really the question. Those are the
10 folks who, if they get it year after year, would be
11 starting to challenge the cumulative exposure which is
12 of concern.

13 And in meetings, down in Houston,
14 radiographers sitting right about where Derek is from
15 me, in that meeting, saying yes, I've been in the
16 industry a long time, got like 30 years, I'm still out
17 doing shots, I'm getting over two rem a year, still.

18 So there's clearly people who are getting
19 those kinds of levels every single year for multiple
20 years. Now, we don't have a notion of how many there
21 are. This is again one of those reporting questions.
22 There's either no reporting at all, or it may be a
23 report to the Agreement State. That means it doesn't
24 have to come into us. Some of those are voluntarily
25 shared. Some of them aren't.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, we don't have a good analytic way to
2 add it up and say that person, be it Derek for the
3 moment or anyone else, worked for X company and got
4 two rem and three rem and three rem and two rem and
5 2.5 and -- and we are finally following them year
6 after year, to see whether they are cumulated or not.
7 We can do that with the folks in the reactor community
8 and others because they were reported to the database
9 on an annual level.

10 MEMBER BLEY: Do you have oversight on
11 agreements states or are they independent?

12 MR. COOL: We have oversight of the
13 programs. The programs have to be adequate and
14 compatible. There are some things that have to be
15 essentially identical, high degree of adequacy and
16 compatibility like the limit itself. Reporting is not
17 one of those. The states have some flexibility in
18 terms of the reporting, and whether they actually have
19 it submitted or whether they just expect -- inspect
20 the licensee records.

21 MEMBER BLEY: You don't have any right to
22 audit that or --

23 MR. COOL: We have no reason to go into
24 state of whomever and say how come you didn't get all
25 of this data. That's -- each state will have some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 variations in their own requirements, and we -- one of
2 the things that we did through the Office of Research
3 was to go out and ask for a voluntary submission of
4 information, and we did get some, to help try and get
5 some idea.

6 But that really doesn't help you assemble
7 a picture like this of potentials for year after year.
8 You have to go by the statements of individuals and we
9 have those statements on the record.

10 CHAIR RYAN: Just for Dennis, your benefit
11 on that question, there's two organizations that help
12 with that. One is the Organization of Agreement
13 States and the other is the Conference of Radiation
14 Control Program Directors.

15 And correct me if you don't agree, Don,
16 but my view of those organizations is their tendency
17 is to try and help bring things that are federal,
18 whether it's OSHA or radiation protection or other
19 relevant issues, through their organizations to the
20 member states.

21 So there is some effort to look at
22 consistency and looking at reporting and practice and
23 other issues as well. I have worked personally in a
24 bunch of agreement sates and I kind of found that
25 there was consistency both with NRC and among the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Agreement Seetes.

2 Now, there will be larger programs,
3 California is a large program, Massachusetts might be
4 a larger one, and there will be smaller ones with some
5 of the rural Midwestern and Western states where there
6 won't be nearly as many licensees and subsequently not
7 nearly as many resources put in that program; but I
8 think the effort is to try and maintain consistency
9 and quality across the program, just, and that comes
10 from many of those experience with the states and the
11 organizations themselves. That's my view.

12 MEMBER BLEY: Thanks.

13 CHAIR RYAN: Is that a fair summary?

14 MR. COOL: Yes, particularly for the
15 CRCPD.

16 CHAIR RYAN: Yes.

17 MR. COOL: The Conference of Radiation
18 Control Program Directors. They actually have a set
19 of documents that are suggested state regulations, or
20 SSRs.

21 One of the SSRs, I think it is D, the
22 letter D, is the one that is the mimic of Part 20 and
23 the radiation protection. They have different
24 subparts for all the different -- so there will be a
25 subpart for radiography and a subpart for medical. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there is a lot of consistency there. The states will
2 sometimes use almost exactly what's in the federal or
3 the CRCPD, and then there will be some modifications
4 for individual states. But there is --

5 MEMBER BLEY: The modifications the
6 individual states make really are well, we've got to
7 redo the numbering so it conforms to our state's
8 requirement, something, it's not content-wise, it's
9 more how do we make it look like our own.

10 MR. COOL: Right. So the issue really
11 becomes how do we find a way to try and influence, as
12 in reduce, the exposure of that relatively small group
13 of individuals out there and in fact there was a lot
14 of discussion about whether additions and
15 modifications to the ALARA provisions, as low as
16 reasonably achievable, would function to serve that
17 purpose without having to change the legal limit.

18 And there were various proposals that got
19 tossed back and forth and different things, and in the
20 end, we concluded that it was possible to write such
21 a thing, but that it would be very prescriptive
22 because you would have to start laying out in detail
23 what a radiation protection program would have to do
24 and at what kind of dose levels, to increase
25 investigation justification, find alternatives, do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 another review, those sorts of things, that if you did
2 that kind of prescriptive level and put in a boundary
3 where certain actions had to happen that ICRP calls a
4 constraint, a boundary on the ALARA process, that
5 actually had teeth, it would be a limit because then
6 there would be a requirement to get back underneath
7 it.

8 MEMBER RAY: What would motivate doing
9 such a thing?

10 MR. COOL: An alternative to changing the
11 dose limit itself. We were basically weighing two
12 options. Do you change the limit and let people figure
13 out how do it, or do you prescribe at least to some
14 extent a methodology which is known to work in larger,
15 well-functioning programs, like the power reactors?

16 It's how they do business. They do it in
17 an incredible level of detail, planning an activity,
18 they have got virtually nobody over two rem anymore an
19 they're in an advertised effort to have nobody below
20 two in the next couple of years.

21 MEMBER RAY: Well, there is an unintended
22 consequence to be concerned about there, just to refer
23 to Davis-Besse as an example, in which you can drive
24 things too far and particularly when the consequences
25 are deferred, that will tend to happen.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so I was just wondering whether the --
2 because there already is a somewhat -- a program, as
3 you well know, in the power reactors, in which people
4 compete basically to get their radiation exposures as
5 low as possible, and as a result of that, they don't
6 do the inspections and the maintenance sometimes that
7 they should.

8 MR. COOL: That is an unintended
9 consequence sometimes. For our considerations, more
10 important was the fact that that kind of program works
11 really nicely when you have got a larger, well-
12 functioning, funded program, so it works pretty good
13 for a power plant, a fuel cycle facility, not so good
14 for a radiographer.

15 MEMBER RAY: I'd rather see the limit move
16 down, if that's what you have to do, than use some
17 other mechanism which has this more perverse result.

18 CHAIR RYAN: There has been some drift, to
19 the phrase you used, which is low as possible. That's
20 not what was intended in the regulations or guidance.
21 It's as low as reasonably achievable. So the
22 reasonable achievable part kind of got -- has been, by
23 some, turned into an absolute must do. Everything,
24 you know, within range of human, you know, activity.

25 MR. COOL: I would suggest to you that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exposures in the reactor community are not driven by
2 the dose limits and they are not driven by NRC's ALARA
3 requirement in Part 20.

4 MEMBER RAY: That's right. They are
5 driven by INPO --

6 MR. COOL: They are driven by, they are
7 driven by license conditions where they have
8 incorporated their protection program into their
9 condition so they are held accountable to it.

10 They are driven by their competitive rank
11 in the INPO rankings and otherwise. That influences
12 their insurance, outage and otherwise and so they have
13 a whole lot of factors that are driving them in the
14 direction of lower and lower exposures.

15 From this perspective, we don't
16 necessarily have the view of when they took it too far
17 and didn't do something that was necessary, although
18 certainly that event would be a situation where it
19 shows up.

20 MEMBER RAY: I know, but for the agency,
21 I think, which is what we are trying to talk about
22 here, there is a concern about -- because you can
23 drive that number way down, get a great score, and
24 simply run the risk numbers, that but nobody is aware
25 of, as a result of what you are not doing that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should be doing.

2 MR. COOL: Correct.

3 CHAIR RYAN: Don, I don't mean to press
4 you along but --

5 MR. COOL: Yes we have to keep going.

6 CHAIR RYAN: we are on slide 14 and we
7 have got an hour and a half.

8 MR. COOL: Yes.

9 CHAIR RYAN: So we probably ought to push
10 along.

11 MR. COOL: So we have in fact concluded
12 that exploring -- we got some of the dose limit. It
13 was a more straightforward and better approach than
14 attempting to add specifications in the ALARA
15 requirements.

16 Now, the stakeholders. Nobody wants to
17 have their limit changed, okay? I guess we're not
18 really surprised by that. There were a number of
19 suggestions. There was suggestions of significant
20 impact on the licensed activities, how many people
21 would be needed to do the job. Under delivery of
22 medical care is the doctor available, the things that
23 we talked about a little bit earlier.

24 There were suggestions that this might
25 increase the rate of non-compliance, which we also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talked about: they just decided to leave their badge
2 somewhere else and not get any exposure.

3 And there were a number of statements
4 particularly in the industrial radiography community,
5 that the kinds of sources, the activity of the
6 sources, 100-curie, 120-curie sources, was such that
7 they should have different dose limits.

8 The staff in the Commission paper makes a
9 very clear statement that we as the staff do not
10 believe that a limit related to health and safety of
11 individuals has any bearing on the kinds of sources in
12 terms of justifying whether or not it goes down or
13 not.

14 It equally applied to the dose whether you
15 get it from a reactor, from a radiographer, from a
16 portable gauge. So the staff has rejected the
17 assertion that the changes -- that the types of uses
18 and the types of sources that are used in the United
19 States form any justification for not changing the
20 dose limit if that is the appropriate direction to try
21 and reduce that high dose end of the distribution,
22 which is what we have recommended.

23 And as I said, adequate protection is
24 independent of the source size. We are recommending
25 to the Commission that they agree to us developing a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulatory basis for reducing the limit to two rem.
2 Notice that does not say average.

3 Stakeholder feedback was we really don't
4 want to have to go back and average numbers and
5 things. And when the staff looks at this, the staff
6 believes that there is a mechanism, which we have had
7 some discussion with the states already, to provide
8 flexibility for those cases that need it.

9 It actually works on a model that is
10 already in regulations today. You have provisions
11 today for planned special exposures, only once ever
12 been used.

13 You can apply for it, set out specific
14 specifications for it, and get a larger dose if it was
15 necessary, all approved in advance.

16 In public exposure, the limit is 100
17 millirem, one millisievert, but there is a provision
18 that a licensee could apply for a public dose limit
19 greater than that, up to 500 millirem, on an
20 infrequent basis with justification, pre-approval.

21 The staff believes that it is appropriate
22 to look at a single basic dose limit and the language
23 that might provide a similar flexibility for a
24 licensee should they need to do so over some period of
25 time, to provide the justification for an alternative

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 value, with boundaries, like you've got to know what
2 the dose history for your individuals are over the
3 last five years. You can't be above five rem in any
4 year. It doesn't matter anyway. You'd have to be at
5 two rem average.

6 You'd have to have some planning or
7 otherwise the kinds of details that might go along
8 with that would have to be worked out. That's where
9 the ink dots meet the road in terms of what would be
10 looked at, but we believe that such an approach could
11 provide flexibility in the industrial community, in
12 the medical community, to work with the very small
13 percentage of folks that are actually over the two rem
14 value now.

15 We recognize that an individual dose less
16 than two rem does not mean that a licensee would not
17 have to change anything, because all licensees like to
18 have some margin.

19 And so lowering the limit is likely going
20 to result in people looking at more details of their
21 program to make sure that they are not going to hit
22 the new dose limit.

23 CHAIR RYAN: So allowing a limit doesn't
24 mean ALARA goes away. It means you probably are going
25 to focus on ALARA a little bit more to make sure you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are there?

2 MR. COOL: Correct.

3 CHAIR RYAN: Okay.

4 MR. COOL: So that's what we have
5 recommended to explore and work the details of, with
6 licensees, to actually develop what the regulation
7 might look like, what the alternative provisions might
8 look like, to provide the flexibility and what kind of
9 cost and implications, the number of people that would
10 use it, and the kinds of things that would be
11 necessary to have the right script around that.

12 Let's go to the lens of the eye. This was
13 the most recent one. The reduced limit recommendation
14 was based on the radiation in cataracts. We have
15 already talked about that.

16 And then we also talked about the fact
17 that the effective dose and the lens dose are pretty
18 similar if you don't have shielding or if you aren't
19 running on lower-energy beta or gamma, where there's
20 a significant difference in the dose at different
21 depths.

22 We do know that there are potential
23 implications in interventional radiology and
24 cardiology. That's one of the cases where there is
25 shielding for the body. If you calculate the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 effective dose for those folks you actually calculate
2 the effective dose, it's probably less than a rem.

3 You have done the calculation. If they
4 aren't wearing eye protection, side shields, the lens
5 dose is going to be significantly greater.

6 If the lens dose number were smaller than
7 the whole body number, you could have a situation
8 where the lens dose would in fact be driving
9 protection, which you intimated earlier.

10 We also have a case here where the effect,
11 induction of the cataract, has been challenged by a
12 number of folks as to the equivalency of that to
13 cancer mortality, with a number of people saying lots
14 of people get cataracts, a huge percentage of the
15 population is going to have cataract surgery
16 irrespective of radiation exposure -- my wife has a
17 cataract slowing growing in her eye, we'll face that
18 one of these days -- so why are we equating that, the
19 same severity with cancer induction?

20 MEMBER ARMIJO: It's a good question.
21 What's the answer?

22 MR. COOL: There was mixed feedback. Our
23 answer back is we think there is a basis for reducing
24 the limit. We are not convinced that reducing it to
25 two is the right number.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We actually think it's probably five, to
2 maintain a relationship between the number for the
3 body, the effective dose, and the number for the lens
4 of the eye. It's still a reduction by a factor of
5 three. In fact the data that we have today says that
6 there's only a few people that have ever gotten over
7 five lens dose equivalent, even under today's
8 regulations.

9 → CHAIR RYAN: I think there's an
10 interesting question in the rate of cataracts in the
11 U.S. population. Many people don't get any radiation
12 exposure and have cataracts, like probably most.

13 So I would suggest to you that there's
14 something to think about, in that those radiation --
15 I mean, is the epidemiology sound enough to say it's
16 causal for somebody that gets, pick a number of rem,
17 you know, over their occupational lifetime up to the
18 diagnosis of a cataract? I don't know.

19 MR. COOL: There have been challenges to
20 some of the underlying science.

21 CHAIR RYAN: So I think --

22 MR. COOL: It's actually more mixed in
23 this case than in some of the others. We had at least
24 one group --

25 CHAIR RYAN: That being said, I think this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is one where caution and perhaps waiting might not be
2 a bad idea. That's my own personal view.

3 MR. COOL: Our recommendation to the
4 Commission is that we explore the implications of
5 reducing it, that we are not locked down to a
6 particular number yet. In fact, the staff would
7 probably lean towards five rather than two, and
8 continue to watch the ongoing development of some of
9 this information and otherwise in order to put
10 together an adequate regulatory basis for a proposal
11 at some point.

12 CHAIR RYAN: Okay. I especially liked the
13 last part, waiting for an appropriate basis.

14 MEMBER BLEY: And not to be flip about
15 this, but they certainly aren't equivalent issues, and
16 40 years ago, maybe, getting cataracts was a horror,
17 I just had my operation last year --

18 (Simultaneous speaking).

19 MEMBER BLEY: I think this is one where
20 the impact on the individual I think has to be taken
21 into account. If you've got a stomach cancer, you
22 really are facing a lot of questions.

23 If you are -- you have got something that
24 is relatively easy to fix, and has a low frequency to
25 begin with, I'd almost ask the question why are you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 messing with it, when there's other things on the
2 priority scale that need time and attention and
3 resources by comparison.

4 MEMBER ARMIJO: Don, do all the European
5 countries in the nuclear industry, do they comply with
6 this new view from ICRP on the cataract?

7 MR. COOL: I believe they are headed that
8 direction, because they only came out last year. It's
9 not in the current draft of the European basic safety
10 standard directive.

11 It is in the approved version of the
12 International Atomic Energy Agency basic safety
13 standards.

14 MEMBER ARMIJO: IAEA --

15 MR. COOL: IAEA has adopted it.

16 MEMBER ARMIJO: It's not surprising,
17 they're all UN organizations, right? So it would be
18 --

19 MR. COOL: The EC would bristle at that
20 but IAEA certainly --

21 MEMBER ARMIJO: Well, you know, it's
22 consistency within an organization. I don't see
23 anything really bad about it.

24 MR. COOL: So that is one that is -- this
25 one, the lens of the eye, is one where we are right in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the same sort of adoption string as everyone else.

2 CHAIR RYAN: Press on.

3 MR. COOL: The embryo/fetus for an
4 employed pregnant worker. ICRP's recommendation is
5 now 100 millirem, one millisievert applied after
6 declaration.

7 MEMBER SKILLMAN: That's versus 500 which
8 is presently being --

9 MR. COOL: That's versus 500 which we have
10 presently in our regulation, which applies over the
11 entire gestation period. Now, the statements to
12 ICRP's 103 were more the general ambition of the
13 exposure should be roughly the same as the expectation
14 for a member of the public. That's how you get to the
15 100 millirem sorts of level.

16 Over time it ranged from 200 millirem on
17 the surface abdomen of the woman, plus a fraction for
18 any internal intake --

19 → CHAIR RYAN: Don, let me ask you a more
20 fundamental question. Is it still true on the -- I
21 know it is currently -- but will it still be true that
22 a woman does not have to declare her pregnancy?

23 MR. COOL: Yes.

24 CHAIR RYAN: So this is solely to the
25 discretion of the employee at this point, whether they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are going to take advantage of the different
2 regulation --

3 MEMBER SKILLMAN: In all the plants its
4 optional and she has to declare to be protected.

5 MR. COOL: That is correct. By law, it is
6 the individual's choice. This is the only limit that
7 is optional based on her choosing to do so, and in
8 fact, that factors into our thinking a little bit. If
9 the individual wants to choose protection, basically
10 why is it that the regulation shouldn't provide
11 explicitly the protection that is equivalent to the
12 level for a member of the public?

13 Now, there are a number of things
14 associated with the implications. We know that there
15 are programs -- some of the nuc medicine groups --
16 that routinely and only do 200 or 300 millirem a year
17 for their workers under most circumstances if there is
18 no abnormal situation.

19 They simply haven't ever worried about if
20 one of their workers is pregnant, declares or not,
21 because they are never approaching 500. One hundred
22 would put them in a situation where they would have to
23 think about it.

24 You have a variety of other things here
25 because this was one of the ones where the ICRP's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recommendation is after declaration. Well if she
2 declares at week two, it's very different than if she
3 declares at month seven, a huge difference.

4 In fact, when you look at this and you
5 sort of lay out a matrix of the possibilities, in some
6 cases, NRC's existing regulation today would be more
7 protective, because it requires the licensee to go
8 back and look at all of the exposure up to that point
9 and specifies what is allowable after that -- 50
10 millirem if they have already exceeded the 500
11 millirem level at the time of declaration.

12 The ICRP recommendation would actually
13 allow 100 in that case --

14 CHAIR RYAN: Well and that kind of flies
15 in the face of radiation biology, because the period
16 of most risk is the period when the woman --

17 (Simultaneous speaking)

18 CHAIR RYAN: So, you know, and I think
19 that -- and as you go into the pregnancy more and
20 more, the risk to the unborn fetus and the radiation
21 injury risk goes dramatically down so --

22 MEMBER SKILLMAN: Well, and the policy
23 that the stations normally say is pregnant or intends
24 to become pregnant, so it catches that --

25 CHAIR RYAN: Well no, it doesn't. That's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a policy decision so if somebody intends to become
2 pregnant, no, let's not even explore that, that would
3 take too long. But you know, the point is, is that if
4 we are dealing with a biological risk, the biological
5 risk very quickly goes down.

6 Do you know, I just -- and I guess, in a
7 way, 100, 200, whatever, is splitting hairs a little
8 bit on this, and I don't know that 100 versus 500 is
9 a big deal at all in this case.

10 MR. COOL: This is one area where that
11 question perhaps is still open. In fact, we know that
12 there is an NCRP draft report circulating which might
13 not necessarily support all of this.

14 Our recommendation to the Commission at
15 this point is to develop a basis for lowering it. You
16 have as much perceptual and public confidence issues,
17 and the protection if she chooses to declare.

18 CHAIR RYAN: And I think you know, we
19 would probably offer a view that -- and I would
20 suggest to the full Committee -- that we offer the
21 view that you know, the period of most risk is the
22 period before conception is even recognized --

23 MR. COOL: She may or may not know. It's
24 eight to 15 weeks, which means starting the third
25 month, to about the fifth month.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR RYAN: So, you know, it's --

2 MR. COOL: Lots of people don't know.

3 CHAIR RYAN: it's difficult to say, are we
4 really accomplishing the goal, or has the risk already
5 flown by us when we are cognizant of doing something?

6 MEMBER SCHULTZ: So then what is the
7 proposal? Does it line up with this or is it
8 different?

9 CHAIR RYAN: Well, the answer to that
10 question, Steve, I think, has to come from what's the
11 evidence of harm and to pregnant workers being exposed
12 and what does the database tell us? Is there any
13 risk? Have there been any increases in birth defects
14 or you know, I mean, we have got to sort of see is
15 there something we are really trying to prevent, or
16 obviate here, and my view is the answer is probably
17 not, at least statistically discernible data that is
18 available.

19 So I think this is a real open question
20 for me.

21 MEMBER SKILLMAN: There is another piece
22 of this that has intrigued me for years. I have been
23 party to meetings where the woman will communicate
24 this part of the regulation is --

25 PARTICIPANT: Discriminatory, right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SKILLMAN: Singles her out for a
2 decision that her male counterparts are not required
3 to make, and therefore this becomes somewhat
4 exclusionary or becomes some form of a problem for
5 them.

6 And so there is another piece of this that
7 is very, very delicate, but you know, when you say to
8 an individual, if you want to be protected, you have
9 got to come forward, that person can feel
10 discriminated against.

11 CHAIR RYAN: Well, in part that's why the
12 act of declaration part is in there because you don't
13 have to declare it. They can be just exactly the same
14 all through the pregnancy right up to the day they
15 leave for maternity leave.

16 MEMBER SCHULTZ: So that is what I wanted
17 to clarify. What I'm hearing you say is that the
18 current approach is --

19 CHAIR RYAN: If the pregnancy is not
20 declared, it's not regulated -- the worker is not
21 regulated any different.

22 MEMBER SCHULTZ: Understood. So the
23 current approach is not attractive. These --

24 CHAIR RYAN: Wait a minute, whoa whoa
25 whoa, I didn't say it was not attractive. I said

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's the way it is and I think you're going to have
2 it the same, right? You are going to keep it the same
3 way, that it has to be after declaration?

4 MR. COOL: That legal question is not up
5 for discussion. It's -- the question is -- the first
6 issue is, does she declare. There's no mandatory
7 think on it.

8 What is open, what we are suggesting to
9 the Commission that we don't have a recommendation
10 yet, is whether we do it the way ICRP did it and just
11 apply that for declaration, or --

12 CHAIR RYAN: Don't declare it doesn't
13 apply.

14 MR. COOL: That doesn't apply.

15 CHAIR RYAN: So that would be the option.

16 MR. COOL: If they do declare, it could
17 apply after the declaration, which is what ICRP has
18 recommended. We have had a number of people who said
19 it should be the whole gestation period, just like
20 your 500 now. And we do not have a basis for looking
21 at that in terms of the implications and otherwise.
22 That needs some more exploration.

23 We certainly have had some people who have
24 suggested that this sort of thing, and getting
25 specifically to your point Dr. Skillman, that such a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provision might unintentionally cause bias in the
2 selection of individuals for medical programs or
3 internships or otherwise.

4 Now I think that would be illegal.

5 CHAIR RYAN: Or employment.

6 MR. COOL: Or employment. I think that
7 would be illegal in terms of Equal Opportunity and
8 otherwise, but there has been that suggestion, that
9 this poses one possible way that would be an
10 unintended consequence. So, Vince?

11 MR. HOLOHAN: Just as an additional point
12 here, keep in mind the basic question is, is do we
13 treat the embryo/fetus as a member of the public, or
14 not? The 500 millirem number was the public dose
15 limit prior to 1990. Keep in mind, with the change in
16 our regulations of Part 20, we changed the public
17 doses but not the occupational doses. So the fetal
18 dose never was reduced from 500 to 100.

19 Also keep in mind that children and
20 embryo/fetus are considered more sensitive to
21 radiation carcinogenesis induction than adults.
22 Therefore the international push has been to reduce
23 that exposure to the same as the public dose limit, or
24 100.

25 Now, several years ago the question was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should it be 100 millirem a year or during the period
2 of gestation, which would actually say it would be the
3 less than what the recommendations have been.

4 But that is where the clarification has
5 been coming out. With regards to whether or they can
6 declare, that goes back to Union Carbide, in a vinyl
7 chloride decision, where basically the court said you
8 cannot make a woman declare, period, and that is the
9 catch that we are in.

10 MEMBER ARMIJO: She can put herself and
11 her baby in danger if she so chooses. And this
12 provides no protection for the earliest stage of
13 development of the fetus.

14 CHAIR RYAN: Well, and practically
15 speaking Sam, for that very earliest stage, she's not
16 going to know she is pregnant at all, period.

17 MEMBER ARMIJO: And to get right back to
18 the thing there's some jobs that women of childbearing
19 age shouldn't be engaged in, if you are really --- if
20 this is a real --

21 CHAIR RYAN: Well, I guess I wouldn't go
22 that far. I would say that how do you evaluate and
23 measure and assess risk --

24 MEMBER SKILLMAN: I think this is one
25 where wisdom might prevail and you might say for a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 woman who chooses to declare, she may choose 500 or
2 100. It's her choice, when she chooses to declare.
3 And that way you preserve your 100 but to the --
4 perhaps the young mother who has never been through
5 this before, that may give her the --

6 CHAIR RYAN: Well, I sure hope that if we
7 allow that, we have a requirement that they understand
8 radiation risk and radiation protection decision-
9 making at a much higher level than they have been
10 trained to in their rad worker training program.

11 MEMBER SKILLMAN: My only point is if you
12 go from 500 to 100, there will be that population that
13 says --

14 (Simultaneous speaking)

15 CHAIR RYAN: radiation exposure limit
16 under any circumstance. It should be something that
17 is done by the professionals and the regulators. It
18 is what it is. Pick your own number ain't going to
19 work.

20 MEMBER SCHULTZ: Then you force the person
21 to make two choices --

22 (Simultaneous speaking)

23 MR. COOL: Quite frankly we have not
24 considered optional numbers for her to choose. Her
25 choice is the question of whether or not she declares.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In the staff's discussion it was pretty much, if she
2 chooses to declare --

3 CHAIR RYAN: I must suggest we move on,
4 Don, because we could spend the next hour on this one.

5 MEMBER ARMIJO: This could get into Roe v.
6 Wade before we are over.

7 MR. COOL: So let's move on. The next
8 issue that we discussed was the question on ALARA
9 planning and I have already told you most if what was
10 in this slide.

11 ICRP's Publication 103 provides added
12 emphasis to optimization of ALARA, the consistent use
13 of planning values, constraints or reference levels if
14 it's an emergency or existing exposure situation.

15 So it was explored in detail about what it
16 would be. People didn't like the word constraint.
17 They didn't like the idea of the numeric number
18 because there would be a limit, didn't like much any
19 of it. It would be incredibly difficult to figure out
20 how to even apply it to large segments of the licensee
21 community which don't have the kind of programs that
22 have all of the resources and levels of ability to add
23 things.

24 Staff's recommendation is at this point
25 to not do anything significant to the requirements for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ALARA.

2 CHAIR RYAN: Right, but I must say, that
3 when you look at INPO's data and NEI's data and the
4 utility industry, for one segment, they have done a
5 fabulous job of reducing occupational radiation
6 exposure. So -- and I know of other examples outside
7 of the nuclear industry that have done similar work,
8 so --

9 MEMBER RAY: Just don't do any maintenance
10 at all and it will go to zero.

11 (Laughter)

12 CHAIR RYAN: That would create a new
13 problem.

14 MEMBER RAY: It already has created
15 problems, but anyway.

16 MEMBER SKILLMAN: That is the Davis-Besse
17 -- that's exactly what that is.

18 MEMBER RAY: That is an extreme example,
19 but it's happening every day in every plant today. We
20 are taking great credit and celebrating it as you did,
21 and they don't have any idea what's happening as a
22 result.

23 CHAIR RYAN: Well, they shouldn't let it
24 get to that extent, that's --

25 MEMBER RAY: Well, it is.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COOL: So, let me move on to Dr.
2 Ryan's most favorite topic. Again, the protection of
3 the environment was actually not an issue that we
4 explicitly put on the table with stakeholders at the
5 beginning of the process because we had already made
6 the statement that we did not believe that new
7 standards were necessary.

8 ICRP has been working for quite some time
9 now, developing an assessment framework that would
10 allow you to look at the potential for impacts to
11 other than humans in the environment, referencing --

12 CHAIR RYAN: Flora and fauna.

13 MEMBER ARMIJO: Flora and fauna, yes. Do
14 they ever have a practical assessment of what that
15 would do to anybody working in this --

16 MR. COOL: Well, there actually have been
17 a number of assessments in various estuarine and in
18 other environments where there are no humans. I know
19 of several in the UK and otherwise.

20 The staff recommendation continues to be
21 that the application of the program of radiation
22 protection with licensees is doing the job. It is in
23 fact providing adequate protection for the environment
24 as well. An assessment framework that is consistent
25 could be very useful to prove it to people who don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 want to just accept it because we say it is, and that
2 in fact is maybe one of its greatest virtues, is in
3 NEPA analysis and other things, as another tool to
4 provide more explicit demonstrations, rather than a
5 categorical statement.

6 CHAIR RYAN: And there counter-examples of
7 ecosystems where, when humans are removed, the
8 ecosystems becomes fabulously healthy.

9 MEMBER ARMIJO: Chernobyl. I don't want
10 to waste your time, but I was just shocked, a couple
11 of nights ago I saw a PBS special on Chernobyl and
12 wolf population research around Chernobyl.

13 First of all, it's a wildlife paradise.
14 Every animal in Russia has returned to the Chernobyl
15 area and this guy did a study of wolf populations in
16 the very heavily contaminated area, and out, way
17 outside in Belarus and the other -- Ukraine, I guess.

18 And it was amazing and it was a wonderful
19 environment, and it concluded there is no, no
20 difference. Healthy ecosystems in both areas. So you
21 know --

22 MEMBER BLEY: It has no people, that tends
23 to --

24 MEMBER ARMIJO: Yes, but of course -- but
25 there were no people in the other area too, so it was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- the only big difference was the Chernobyl
2 contamination in that particular area, and it, it just
3 said hey, the ecosystems are pretty, pretty resilient.

4 And so I don't know what ICRP is after,
5 but that part of their work sure doesn't resonate.

6 MR. COOL: It is to fill in -- their words
7 -- it is to fill the conceptual gap, and allow you to
8 make a demonstration, for people who want a
9 demonstration, as part of a tool set.

10 The kinds of levels at which the RAPs
11 numbers would derive consideration reference levels of
12 dose rate for different animals and plants at which
13 there is some effect, are several orders of magnitude
14 higher than the kinds of dose rates and activities at
15 which you would exercise control going through the
16 pathways to humans, and that has been shown in most
17 all of the studies that have been done thus far.

18 But you are quite right. The environment
19 is impacted most severely when a human shows up.

20 So let's move on to the next one. The
21 units of exposure and dose activity. This is the
22 question of the extent to which we encourage, push
23 people towards use of the SI units, becquerels, and
24 grays and sieverts, rather than curies and rads and
25 rems.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Part 20 today is written in dual units
2 with the special units first, rads/remms, with the SI
3 in parentheses. In fact, subsequent to that, the
4 NRC's metrication policy was established which
5 actually says that the standard protocol should be for
6 the SI unit to be listed first, and the special unit
7 in parentheses.

8 → So question one is do we move to the
9 existing metrication policy, and look at the
10 implications of that? Do we move yet further? The
11 Health Physics Society has a very strong position
12 statement that it put out just a couple of months ago
13 saying strict use of SI, let's -- you are never going
14 to do it unless you just decide you are going to do
15 it. I'm summarizing it overly much.

16 CHAIR RYAN: Well said. I agree with it.

17 MR. COOL: It's that sort of issue. There
18 are clearly implications of communication on both
19 sides of the street. There are many who have been
20 around for too long. Some of us have managed to
21 become bilingual. Others simply refuse to. The young
22 folks, younger folks, not trying to be age- or
23 gender-specific there, will much more easily pick it
24 up because it generally is what they are going to be
25 trained to, if we could ever get them to the point

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where they are actually allowed to use it.

2 And so the staff's recommendation at this
3 point is to explore the implications of at least
4 moving to the SI first, other things in parentheses.
5 This is one where the work with states and the other
6 federal agencies is as much, or more important as
7 anything else, because we are only one of many in this
8 field, in radiation protection, and we know we have
9 states that have clearly said we don't want to go
10 there, so this will not work unless it happens in toto
11 and completeness.

12 CHAIR RYAN: So it looks like from your
13 recommendation that we are going to kind of explore
14 and watch and listen and not do much.

15 MR. COOL: And see where we can get.
16 Correct. As I said, in the latest publication of the
17 policy statement, which was 96 I believe, the paper
18 has all of the citations, the Commission at the end of
19 that actually made a statement that it did not plan to
20 reopen the policy unless there was significant impact,
21 issues that had been identified.

22 The question is whether the HPS statement
23 and others now form a basis where there are enough
24 implications that we should in fact reopen that, or
25 not.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR RYAN: Okay.

2 MR. COOL: Reporting. There are seven
3 categories that are required to report. The licensees
4 in Agreement States, as we have already discussed,
5 report according to the state requirements, which
6 means there are some differences. You don't have
7 state data in the database except for a few that are
8 providing voluntary submissions. In the byproduct
9 world, outside of the reactors, 80 plus percent of all
10 the licensees are in the states. They are not ours.
11 The percentage is even higher for things like
12 industrial radiography, where the vast majority of all
13 of the actual licensees, Texas, Louisiana, they are
14 all Agreement State licensees, not NRC licensees.

15 And we have got some categories as I said
16 that do not have to provide individual exposure data
17 at all, period, all of the medical exposures and
18 otherwise.

19 There are uses of a database and a
20 national database that go beyond just a question of
21 can we make an assessment of implications for some
22 Part 30 revision. That certainly would not provide an
23 adequate justification to go tossing on a requirement
24 that wouldn't go into place until after the rule was
25 done. But in fact being able to look at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information, being able to go validate the question of
2 whether the doctor in Fairfax might also be getting
3 exposure in GW in D.C., a different licensee,
4 different jurisdiction -- happens to be NRC in that
5 case -- and who might also have practice privileges at
6 the University of Maryland or something. Now,
7 individuals are supposed to be providing their
8 licensees with indications of other exposure that they
9 maybe received, but there's nothing that necessarily
10 provides you an independent way to verify things like
11 that.

12 So there are a number of places where this
13 could potentially be useful in inspection and
14 enforcement and cooperation. So the staff is
15 recommending that we look at the implications, impact
16 of requiring a different -- additional categories. I
17 didn't say everybody: we still don't think it makes
18 sense for very small source users to have to provide
19 reports -- and at the same time to explore would the
20 states' mechanisms to increase the sharing of data so
21 that action can be useful across jurisdictions for
22 inspection, enforcement, validation purposes.

23 The states were actually quite supportive
24 of that. I will tell you quite frankly, this is the
25 place where I expect there to be an enormous uproar

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 raised. There is a reason that there is no reporting
2 of medical.

3 I fully expect there to be a lot of
4 pushback, and while the cost of providing a report is
5 now very small -- it's all electronic transfer; it
6 gets sent from the dosimetry processor to the licensee
7 in electronic file, you push a couple of buttons and
8 it can be automatically sent to the database, all
9 electronic reporting, all of the record-keeping, all
10 the systems are in place for protection of privacy
11 data and otherwise -- even though that's a very small
12 increment, when you add it over lots and lots of
13 people, it still ends up being a rather large chunk of
14 expended dollars associated with it.

15 MEMBER ARMIJO: Let's assume they started
16 reporting, Don. What would you do with it or what
17 would the NRC do with it, or the states do with that
18 information? Is it for research, historical, for
19 analysis or is it for some sort of an enforcement
20 action, or what?

21 MR. COOL: All of the above. We would
22 certainly be using it in research and reporting.
23 Today we have a NUREG, I think Vince Holohan
24 represented it a little bit earlier, where we provide
25 the information out there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As I noted, those groups that report are
2 the groups that don't have that high tail. Now,
3 that's an interesting correlation. I do not want to
4 suggest it's actually causation. But in fact people
5 don't like to have their categories to just show up in
6 things like that, so there might be some forcing
7 function there.

8 But there are also more routine uses in
9 terms of backtracking and validating individuals who
10 may be working in more than one facility, just as we
11 talked about in the reactor community, who have their
12 own system, and we can validate that because we can
13 independently compare that data with the data that we
14 have in REIRs, because they report to us. We don't
15 have any way of going and doing that for other types
16 of licensees, and we have no way of doing that across
17 jurisdictions.

18 And industrial radiographers hop across
19 state borders just as fast as everybody else. They
20 can have temporary job sites in three states in two
21 days. Not any difficult at all. So there are --

22 MEMBER RAY: Well, at least in the area of
23 health care you are also coming in at a time when
24 there's lots of pressure on healthcare reimbursement
25 rates and things like that. So even though this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't directly intersect with those things, if you
2 are a practitioner, you see this is one --

3 MR. COOL: It's another cost.

4 MEMBER RAY: Well, cost, also it's one
5 more constraint on your ability to generate revenue
6 presumably.

7 MR. COOL: Correct. As I said, I expect
8 this to receive a lot of external stakeholder
9 feedback. Okay. Part 50, Appendix I. As I said,
10 this is still based on ICRP 1 and 2. Licensees today
11 have to file a set of reports related to Part 20 with
12 one set of calculations. They have to file another
13 report related to their effluents with an entirely
14 different set of calculations.

15 The nuclear industry, NEI and others, have
16 been asking us for some time to align them, to bring
17 it up so they didn't have to go back and training HPS
18 that they were getting out of college on how to do an
19 MPC calculation for an environmental release.

20 So we are recommending that there be an
21 effort in parallel, moved forward with Part 50
22 Appendix I, and that it be aligned methodologically
23 with the basis for Part 20 so the demonstrations of
24 compliance can use the exact same set of calculations.

25 You've only got one set of numbers and you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can explain that set of numbers, not why is this
2 something different and otherwise, and that it run on
3 on parallel tracks, because there are a bunch of other
4 things, as I suspect you are well aware, related to
5 Part 50 Appendix I, that do not actually hinge
6 directly on the dose calculation methodology, which
7 certainly warrant looking at, including the question
8 of, well, that has a whole series of dose numbers. Do
9 we simply make those effective dose numbers, or do we
10 change them? Do we need them all, since you're now
11 moving to effective dose, instead of individual organ
12 doses? What do you do about multiple reactor sites,
13 multiple reactors at a site, different sites?

14 There's been some issues that have been
15 raised in various licensing hearings and adjudications
16 related to that and a number of other things which do
17 warrant looking at but which are not connected to the
18 dose methodology, and it's for that reason that we are
19 recommending that they run in parallel -- we want to
20 keep them synchronized -- but that we don't try to do
21 them as a single rule and encumber those discussions
22 with Part 20 discussions or vice versa, because this
23 is a whole set of things talking about radioactive
24 material in the environment and it does very much
25 engage a different segment of stakeholders.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, the reactors and a bunch of other
2 people are subject to protection under the backfit
3 requirements. Part 20 applies to everybody. This
4 will have to go through a backfit analysis and
5 justification.

6 Some of these provisions, depending on
7 what actually would become proposed, could be
8 considered as redefinitions of adequate protection.
9 If you change the dose limits, that probably
10 qualifies.

11 At some point, I have even heard
12 suggestions that changing the numbers of ALIs and
13 DACs, the demonstration, could be considered as a
14 redefinition. It wasn't changing the underlying basis
15 but it reestablished the connection of what
16 constitutes compliance at that particular point.

17 There are other things that we have talked
18 about this morning that clearly are not adequate
19 protection issues. Both quantitative and qualitative
20 arguments will need to be examined in determining
21 whether or not it can pass a backfit analysis.

22 In fact that is the same as the revision
23 that was published in 1991 where the Commission in the
24 end concluded that there was a substantial increase in
25 the overall protection, based on both quantitative and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 qualitative grounds. This is not one of those where
2 you are going to be able to rack up dollars saved from
3 dose against dollars expended for changes of
4 procedures and otherwise and have them match out in
5 some respect. There's a lot more considerations that
6 have to play into this, and we have talked about a
7 number of those.

8 Impact assessments. As I have mentioned
9 several times, so now you have actually covered a lot
10 of these sorts of things, we went out and looked for
11 additional data. We got some, not a huge amount. I
12 have already told you some of these statistics --
13 overexposure vents, the little blip that we have just
14 had recently, which wouldn't be in that data --

15 CHAIR RYAN: Am I reading that right, Don,
16 that you are going to update 6112?

17 MR. COOL: Yes.

18 CHAIR RYAN: Okay. Have you any idea on
19 its appearance, when is it due or coming out or --

20 MR. COOL: Tony?

21 CHAIR RYAN: Roughly.

22 MR. HUFFERT: Hi, Tony Huffert, Office of
23 Research. Our contract, we plan to have a report
24 December 2012. We continue to get data and do a bunch
25 of analysis on several fronts and we keep on getting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interim reports from them but the final will be ready,
2 we hope, December 2012.

3 → CHAIR RYAN: It might be helpful to think
4 about -- not today -- but when the time comes to the
5 Subcommittee, would be to maybe update a little bit,
6 probably a little ahead of the final report, but
7 somewhere later in the game, I'm guessing. Thank you.

8 MEMBER SKILLMAN: Hey, Don. For this
9 spate of overexposures, the recent spate of
10 overexposures, by chance was there a study or some
11 examination made to find out what is the root cause?
12 What comes to my mind is are we seeing a younger group
13 of radiological protection workers who have not been
14 as deeply steeped in some of the cardinal rules that
15 the older rad protection people have been steeped in,
16 and so in a way, we are losing our grip. Is there
17 something like that playing in here?

18 MR. COOL: There, I believe, are some
19 assessments to try and figure out what is going on, to
20 look at the specifics of each case, because most of
21 them are in Texas, and it's being done in the state,
22 I can't -- I'm not in a position to comment at the
23 moment.

24 I will note that I know that there has
25 been research done by various groups that have looked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at the data, the number of events, the number of
2 exposures over time, and that it does appear to be
3 very cyclic with the level of activity in the industry
4 and the number of new individuals in the industry.

5 The extent to which that is playing in
6 these particular cases, I don't know. I know at least
7 one of the cases was a person who was still a
8 radiographer trainee. They had only been on the job
9 a couple of months.

10 MEMBER SKILLMAN: Thank you.

11 CHAIR RYAN: Dick there is a very specific
12 study on one industry segment in Texas, where new
13 entrants' arrival for work has really resulted in a
14 clear pattern. The younger the workforce, and the
15 more cyclic the workforce, the more you end up with
16 these kind of events, so --

17 MEMBER SKILLMAN: That makes you wonder,
18 is it the new worker or the oversight of the new
19 worker, to be in the control of the radiological
20 controls program to prevent the exposure.

21 CHAIR RYAN: My reading of the article
22 that was published on it was that it was basically the
23 training of the new worker, because the oversight is
24 about the same.

25 MEMBER SKILLMAN: Okay. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR RYAN: In that particular case. So
2 I mean It could be both, but there is a clear example
3 there that I think that might have been the Texas one
4 that you are referring to.

5 MEMBER SKILLMAN: There was a time when
6 RadPro just absolutely laid down the law and you
7 didn't get beyond the boundaries until you --

8 CHAIR RYAN: That's a power plant. This
9 is not a power plant circumstance. Don't forget, this
10 is over all licensees, this is a power plant.

11 MR. COOL: Radiographers are actually
12 probably safer when they are up -- when they are
13 working at a power plant than any other time because
14 they have got the plant HP staff looking over their
15 shoulder.

16 MEMBER SKILLMAN: Looking over their
17 shoulder, yes.

18 MR. COOL: And I will also tell you that
19 NEI and the various groups have been looking really
20 closely because they have more problems associated
21 when those radiographers come on site than they do
22 have at any other time also.

23 MEMBER SKILLMAN: Yes, they are
24 rule-benders, often.

25 MR. COOL: So, moving on, in addition to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking at stuff here with another piece of contract
2 with the Nuclear Energy Agency in Paris, trying to get
3 some historical information on costs associated with
4 implementing ICRP 60, trying to take advantage of
5 anything we can learn from what other countries have
6 already done.

7 It's kind of interesting and a little bit
8 sad in one sense, there is little to none of real
9 quantitative data that is out there. Most of the
10 country did not have, at that time, may or may not
11 have now, the kinds of requirements for regulatory
12 analysis that we have here in terms of the
13 justification of the rules.

14 If you are a member of the European Union,
15 when the revision was made to the directive for the
16 basic safety standards, that became mandatory upon
17 each of the countries that are in the European Union
18 for transposition, as they put it.

19 It's not a question of whether or not they
20 are going to do it and whether it makes sense. It has
21 to be complied with. So a no action alternative was
22 essentially never looked at.

23 You get the general view back, do we think
24 it's been a good idea, most people have been able to
25 comply, it's worked pretty well for us. The most data

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think came from -- that had numerical dollar signs
2 in it was associated with Canada and the UK.

3 What I found interesting there was at
4 least half of the costs that they were talking about
5 in that implementation was actually driven by post-
6 September 11, 2001 security issues, and changes in
7 cost of their regulation and licensees. It was a huge
8 adder that came in at about the time that they were in
9 fact bringing in an implementation of the 1990
10 recommendations.

11 Having gone through all of the technical
12 issues, there are three policy directions that we have
13 suggested to the Commission. Obviously the first one
14 is status quo, no action. Beside that what we have
15 got here is sufficient, it's adequately protective,
16 there's no reason for us to worry about being on the
17 current level of science and otherwise, we should just
18 simply stay the course and do what we are doing today.
19 People are being protected. The regulations in total
20 are doing the job. No changes.

21 The second option is to develop the
22 regulatory basis for a more limited revision that
23 would look at the dosimetry methodology and
24 terminology which a large percentage of the
25 stakeholder population thought was something that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should be doing. And in parallel, put that in when
2 looking at a process to look at Part 50 Appendix I.

3 The third approach is to do that and to
4 also go ahead and look at the regulatory basis for
5 possible reductions of the limits, looking at the SI
6 units reporting and another set of factors, which is
7 sort of a third category.

8 Now, in theory, you could pick and choose
9 amongst each of the technical issues, and in fact when
10 we get all said and done, if we were to pursue option
11 3, it would be a picking and choosing of specifics
12 that might actually come forward as you develop the
13 technical basis and the regulatory analysis and all of
14 those things.

15 That makes for a very unwieldy set of
16 possibilities for the Commission so we have tried to
17 keep it more straightforward: this do nothing; the set
18 of things that all the stakeholders suggested; or the
19 additional set, which is justified by the changes in
20 risk level and that consistency and the additional
21 consistency with other countries.

22 I will note that the staff's
23 recommendation, while nothing that there are certainly
24 qualitative benefits associated with aligning with the
25 other countries and all the other things that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have been doing and the movement of workers and
2 otherwise, that we believe that there is a scientific
3 risk basis for taking a look at further exploration of
4 the technical basis of each of these areas. This is
5 not simply a, we should do this because everybody else
6 did. That is there, but that is not the reason for
7 the recommendation.

8 We did have a discussion of resources. We
9 are pumping not quite four FTEs right now into the
10 Part 20 process that would continue over the next
11 couple of years. If it moved to exploring the
12 detailed options, that would require a lot of
13 exploration and eventually rulemaking; not quite that
14 much related to Part 50 at the moment, but that would
15 also have to ramp up.

16 CHAIR RYAN: Taking the message that Part
17 60 -- 50 is out of scope today, you need money in
18 addition to what you have now?

19 MR. COOL: The rest of Part 50 or just
20 Part 50 Appendix I?

21 CHAIR RYAN: Well I mean you have got no
22 dollar values for 20 rulemaking and you have got 60
23 and 60 for Part 50.

24 MR. COOL: Yes, and that is actually an
25 artifact of the way we constructed the table. If you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look at the paper in its form, which has a -- this is
2 taken from that enclosure, which is a couple of pages,
3 we laid out the resources that were associated with
4 the rulemaking itself. Separately, we have, from the
5 materials users program, and the operating reactor
6 program, 400,000 right now which is currently being
7 pumped into work associated with the revision, much of
8 that associated with funding Keith Eckerman --

9 CHAIR RYAN: Do you have a resource issue
10 or not?

11 MR. COOL: Not at the moment.

12 CHAIR RYAN: Okay, good. That's what I
13 needed to know.

14 MR. COOL: We have the resources budgeted
15 to do that which we have suggested for the Commission
16 over the next couple of years.

17 CHAIR RYAN: Okay.

18 MR. COOL: So, conclusions. We do have an
19 inconsistent technical basis. The basis does not, in
20 some cases, reflect our current estimates of risk. We
21 do have some occupational exposures that are close to
22 the existing limits and we have statements that
23 indicate that may be the same set of people every
24 single year. We do not have the data to be able to
25 lay that out on a chart and show you exactly how many

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and who is what.

2 We do believe that we have an appropriate
3 and scientifically justified basis to make changes in
4 a number of specific areas. If you are wondering why
5 that little phrase, that is the phrase from the SRM
6 where the Commission asked us to go make that
7 determination.

8 We do believe that there is value in
9 alignment with the international recommendations. It
10 doesn't necessarily mean that that is the only reason
11 for doing it. As I said, there are some qualitative
12 benefits but each of the issues is justified on a
13 technical and scientific rationale, as well as noting
14 the alignment issues.

15 I think you asked a little bit earlier are
16 you doing exactly what ICRP recommended, and the
17 answer to that question is no on all three of them. In
18 the case of the overall occupation exposure, we are
19 suggesting a single value and a separate way of
20 providing flexibility rather than an average.

21 With the lens of the eye, probably not
22 even down to the two rem average value, perhaps a
23 five, if that's where it turns up, on those issues
24 associated with the comparability of the actions.

25 With embryo/fetus, the number is the same,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 maybe it is after declaration, maybe not, there's
2 still another set of things that has to be done there.
3 So the staff is not recommending just go do what ICRP
4 said. There are specifics associated with each one
5 with what we believe should be explored in greater
6 detail.

7 We believe that changing the limit is a
8 much more straightforward approach than trying to
9 write a very prescriptive ALARA program which wouldn't
10 change the reactors one whit and would result in
11 radiographers completely being unable to do such a
12 thing because there are just not the kind of
13 infrastructure resources and the sorts of approvals.

14 For just an aside at the moment, the
15 Department of Energy, in the last couple of years, has
16 completed rulemaking on their occupational exposure,
17 10 CFR 835. They chose to leave the dose limit at
18 five rem.

19 Associated with that is their radiation
20 control manual which is mandatory on all of their
21 program. That has an administrative control level at
22 two rem.

23 For anyone to be allowed an exposure
24 greater than two rem, they have got to go to a
25 headquarters deputy under secretary at least to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approve it. They don't have anybody over two rem but
2 the dose limit itself is five.

3 That works okay in a program like that. It
4 doesn't work in the commercial sector for small
5 licensees. We looked at that. It just -- the model
6 just doesn't make sense to us.

7 MEMBER RAY: Yes, ALARA is very hard to
8 enforce also.

9 MR. COOL: What's really interesting is
10 the citations on ALARA are not against Part 50. They
11 are against the license conditions and the licensee
12 commitments. They are not against the Part 20
13 regulations themselves, which was one of the reasons
14 we looked at whether there should be some teeth so
15 that the regulation was something that you would
16 actually be able to cite against. We have decided
17 that we don't believe you should go there at this
18 time.

19 CHAIR RYAN: That is a tough way to go,
20 too.

21 MR. COOL: It's a tough way to go.

22 CHAIR RYAN: In essence what you would be
23 saying is by these measures or evidences, we have
24 decided your program isn't working, which is -- that's
25 a personal observation as much as it is --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER RAY: And you'd just fight
2 endlessly.

3 CHAIR RYAN: Yes, it's a fight. That's
4 right. I agree with Harold completely.

5 MR. COOL: And when it boiled down to it,
6 when I asked myself the question, if I were standing
7 out on the plaza and somebody said, "So, Dr. Cool, how
8 do you know that that detail of the ALARA program that
9 you just talked about is going to make sure that
10 nobody gets over two rem?"

11 The answer is, "I don't."

12 Unless you make it a limit, you don't have
13 any guarantee that the exposures would be less than
14 the value. Just as simple as that.

15 There are a number of things that we would
16 need to do, if the Commission approves, in order to
17 develop the regulatory basis. This would be the point
18 where we would start to look at specifics of what rule
19 text might look like, and we all know that until you
20 see it in writing, it's nice to write generalities and
21 all of that, and you don't really get to the details
22 of the -- exactly what it means.

23 What goes along with that is okay, that
24 might be what the rule says, what are we going to
25 expect in terms of the guidance? How would that be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implemented? And how would that be implemented for
2 different categories of licensee?

3 Part of that is what we are proposing
4 would be done over the next couple of years to develop
5 the regulatory basis.

6 CHAIR RYAN: And as you have said well,
7 the regulated community here is not just NRC
8 licensees, but quite frankly in numbers it's the
9 agreement states, which adds a whole other dimension
10 to it all.

11 MR. COOL: That's correct. This would be
12 the point where, within the rulemaking process, as we
13 often do in rulemakings, there would actually start to
14 be a working group which would actually explicitly
15 include one or more members from state programs to
16 help us work with that area.

17 The timing of this is -- driven is not the
18 right word; held up might be the better word I suppose
19 -- by the availability of the information of the dose
20 coefficient to make any revision of Appendix B.

21 ICRP's information is going to come out in
22 a total of five volumes, to be done by roughly the end
23 of 2015. Volume 1 of their OI or Occupational Intake
24 of radionuclides set of volumes is currently in public
25 consultation now. It's a description methodology. It

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't have any of the numbers yet.

2 Two, three, four, five will be the sets of
3 volumes that have all the different numbers. Volume
4 1 will have the most common ones.

5 CHAIR RYAN: Is Dr. Eckerman the one doing
6 the work on all of that? Yes.

7 MR. COOL: Dr. Eckerman and others.

8 CHAIR RYAN: And others.

9 MR. COOL: Yes. So we are recommending
10 that we use that time between now and the end of 2015
11 to continue to engage and really to be able to develop
12 that detailed technical basis, so that we would
13 actually have, at the end of 2015, a regulatory basis
14 for a formal set of proposals with all the
15 documentation that would be necessary, and to do the
16 backfit that is associated with it.

17 We are recommending that the Commission
18 approves the third option, which is to look at the
19 technical basis for both the scientific information
20 and the exploration of the regulatory basis for the
21 reduction in limits, additional reporting and other
22 activities, without -- or with clearly recognizing
23 that this is not a final decision on a particular
24 number, that all of that still hinges on developing
25 the costs and impacts and specifics of regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 language and guidance which the staff would conduct.

2 We believe that this has to continue to
3 involve all the stakeholders, just as we have to, up
4 until this point, and yet more so, because now we'd be
5 getting to the details.

6 As I said, it's all very easy in these
7 sorts of meetings to talk in generalities. It gets
8 much more interesting when you have a specific text on
9 the screen or something like that.

10 And we have recommended that we move
11 forward in the parallel effort which would be actually
12 run by our Office of New Reactors to do an update on
13 Part 50 Appendix I and we keep them connected in terms
14 of the scientific underpinnings and deal with the
15 individual issues on each site, keep them running
16 along and saying that they would be driven by some of
17 the same timing of the availability of dose
18 coefficients, but could work all of their other
19 issues.

20 With that, Mr. Chairman, I have done my
21 set of slides and --

22 CHAIR RYAN: Well done I might say. I
23 guess I'd like to go around, maybe start with Stephen
24 Schultz.

25 MEMBER SCHULTZ: Just I guess an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 administrative comment on that last slide where you
2 were presenting the recommendation of the staff, the
3 first bullet, "Staff recommends approval of option,"
4 it doesn't say option 3, and the rest of the text
5 would apply to either option 2 or 3 so you may want to
6 clarify that going forward.

7 MR. COOL: It's true, we didn't actually

8 --

9 MEMBER SCHULTZ: But --

10 CHAIR RYAN: So just for the record, here,
11 it is three.

12 MEMBER SCHULTZ: Okay. And it is on the
13 record. I heard him say it. I thank you for the
14 presentation. It was at a very good level, and quite
15 detailed and very comprehensive to bring forward a
16 number of points that you have been considering for
17 some time and certainly worthy of our consideration as
18 well.

19 And my only comment here would be I really
20 appreciate what you said as -- and you have interacted
21 with the stakeholders, so this leads you to it, I'm
22 sure, the need for supporting the overall approaches
23 that have been taken and will be taken with regard to
24 being very clear with respect to communicating the why
25 of these changes, why would the changes be made, what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is the basis for them, how are they developed, and so
2 forth.

3 And in that regard, I would again come
4 back to what I think is a very strong need to identify
5 that the occupational limits utilized, linear
6 no-threshold, to develop conservative occupational
7 exposure limits, and that's how it's applied.

8 Below the occupational exposure limits,
9 there has always been a tendency, and it goes to what
10 Harold was saying, there has always been a tendency to
11 say, well, since LNT was applied to derive the limits,
12 it must certainly therefore be applicable below the
13 limits. That is not true. We don't have scientific
14 evidence to demonstrate that. And it would be very
15 nice to be able to clarify that distinctly so that we
16 have occupational limits that are conservatively
17 developed on a basis of LNT.

18 But below that, we don't have evidence to
19 do the types of things that have happened, drive the
20 doses to zero or be concerned about the doses to drive
21 them to zero, and as Mike said, the appropriate
22 approach to take, is ALARA, as clearly defined as low
23 as reasonably achievable. And so --

24 CHAIR RYAN: Emphasis on the R.

25 MEMBER SCHULTZ: if that could be just

1 .presented over and over and over again, I think it
2 would help the case and would certainly help the
3 understanding going forward, for the reasons you have
4 described. Modifying the limits is a very practical
5 approach to take moving forward.

6 MR. COOL: In fact, the individual limits,
7 occupational or public, for any single year, are at
8 ranges of dose where you do not have explicit
9 demonstrations of what the harm is. You cannot detect
10 it.

11 MEMBER SCHULTZ: That's right.

12 MR. COOL: The cumulative number, getting
13 up to the 100, you are getting up to the cumulation
14 where you then have some correlation of the radiation
15 risk and effects. But the individual extrapolation is
16 just that, an extrapolation, for the both the limits
17 on occupational, embryo/fetus, public, all of those
18 other sorts of things.

19 And what's interesting, and what many
20 people, I'm not sure sort of fully grasp, ALARA really
21 only works if you have a linearly based regulatory
22 system such that there is some validity of the
23 underlying assumption that you can add up each of
24 those individual bits and pieces.

25 If you were to run -- let me make a

1 digression just a moment -- if you were to run a thing
2 that said oh, well, perhaps there's a threshold down
3 at one rem or two rem or something, the immediate
4 implication of that in a regulatory program is that
5 the total exposure for anybody on our control, has to
6 be kept below the threshold. Period. End of
7 discussion. All there is to it. And we would be
8 immediately in a rather difficult situation because
9 that would mean that to do it right you would have to
10 deal with all of your occupational exposure, you'd
11 have to deal with the public exposure that the person
12 gets when they go home, you'd have to know whether or
13 not they had radon in their house or not and you'd
14 have to know if they went to the doctor and got an x-
15 ray.

16 CHAIR RYAN: Don't forget what location
17 they live at.

18 MR. COOL: Because the total would have to
19 be less than the threshold. That, if anything, would
20 probably result in a more restrictive system, and it
21 would be really complicated. But I agree with you
22 completely, that underlying rationale, are we setting
23 a regulation on a known effect? Absolutely not.

24 MEMBER SCHULTZ: Thank you. Good
25 presentation.

1 CHAIR RYAN: Dick.

2 MEMBER SKILLMAN: Yes, thank you Don, for
3 a very informative presentation. I have two comments
4 . I believe that the benefit of transitioning to the
5 SI units may be much greater than you have
6 communicated here.

7 We have all been bathed in the Fukushima
8 units. It's alive in everyones mind. Most of us have
9 a chart that shows sieverts and rem or millirem or
10 whatever it is. Most of us have now memorized the
11 conversion so we are becoming bilingual as you and
12 Mike Ryan speak. Bilingual.

13 But it seems to me that implementing and
14 going to the SI units won't be a whole lot more
15 difficult or will be equally as difficult as going to
16 the Maintenance Rule. You simply say here it is, we
17 are going to do it and here's the time frame.

18 And there will be some chatter and some
19 pushback but you know what? That will fade quite
20 quickly, and it probably brings to the table this
21 notion that this international data, with these
22 international units, and international science, now
23 means something. As long as we stick with rem and rad
24 and dose conversion factors and that type of thing, we
25 are going to be stuck with what we have today.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I am a proponent of going with the SI
2 units. The second thing is the value of developing
3 this regulatory basis to get 10 CFR 20, Appendix B and
4 Appendix I to 10 CFR 50, on the same plane.

5 I think that has real benefit for the
6 power users, for the 104 or 108 licenses that we are
7 now dealing with. So I think that there is some real
8 benefit to that. Thank you.

9 CHAIR RYAN: Thank you, Dick. Dennis

10 MEMBER BLEY: Don, I had a lot of
11 questions when I came in, after reading this, and you
12 have addressed essentially all of them. I think this
13 is long overdue and I agree with what Dick said about
14 the SI units. It's just time to stop the confusion and
15 maybe buried in there somewhere must be a safety
16 implication, but it's hard to hang on to, but once
17 somebody makes a bad decision based on getting things
18 mixed up, then we will have it, and I hate to wait for
19 that. Thanks.

20 MEMBER RAY: I would, I think I have said
21 all that I need to. I agree with the focus on the
22 limits and not on programmatic rigor and efforts to
23 impose -- use ALARA as a means of achieving what needs
24 to be done, but rather the changing of the limits.

25 I hope what you are doing doesn't get hung

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 up in this area where you said there is going to be a
2 lot of pushback, because I believe there will be, and
3 that is from the effort to aggregate information that
4 is presently diffuse and not presently available, and
5 I think there is going to be a lot of reaction to
6 that. That doesn't involve anybody in the power
7 reactor community of course, it doesn't affect the,
8 but the people how you are going to be affecting will
9 see it as something to be opposed to, for a number of
10 reasons, and the balance should go on, if it has to,
11 without that being fully resolved I would think.

12 That's my two cents' worth. In other
13 words, I wouldn't want to see the value here held up
14 by some huge fight on Capitol Hill about whether --
15 because it is going to go to Capitol Hill, I would
16 guess, before it's done, and people will do their best
17 to try and prevent you from doing what you are
18 striving to do in that area.

19 CHAIR RYAN: Thanks, Hal. Don, thank you
20 very much and thanks to the other staff who are here
21 today for their participation and I think it has been
22 an excellent briefing to at least get the Subcommittee
23 started on thinking about this.

24 In thinking ahead to the full Committee I
25 guess the briefing will need to be a little bit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shorter because we will probably have no more than an
2 hour, I would guess, for presentation and questions,
3 so I would say 20 minutes/20 minutes isn't a bad
4 split, but I think you will have no trouble getting
5 the essence of what you have got here cut down to, you
6 know really focus on the four or five key messages and
7 the facts that support that.

8 Having some of the Subcommittee hear all
9 of the details I think has been very helpful to allow
10 us to then maybe chime in and offer our views while we
11 are in the full Committee session.

12 MR. WIDMAYER: I think we asked for an
13 hour and a half.

14 CHAIR RYAN: An hour and half, okay, well
15 that's great. That should work pretty well, then. We
16 have got an amount of time. And I would say no more
17 than an hour for the presentation or maybe even a
18 little bit less, and then the rest of the time for the
19 questions because we will have all 15 of us there for
20 that session.

21 I would also add my compliments to all of
22 you, Don, for your work, and Tony and Vince as well
23 for putting together what I think is a really good
24 radiation protection strategy.

25 And I say that in the broad spectrum of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that kind of thinking, that you really are moving the
2 ball forward here. We -- it seems like since I joined
3 the health physics profession that there has always
4 been an evolution of terms and terminology and units
5 and everything else, and does anybody know what a REP
6 is? A roentgen equivalent physical?

7 (No response)

8 But, so there's all sorts of evolution
9 going on and I think Steve, you summarized it well,
10 that we have got an opportunity to straighten out a
11 lot of stuff, and we really ought to emphasize that
12 success, because if we get this clarified and uniform,
13 I think, then, the radiation protection practice not
14 only in nuclear power but across the board, gets a
15 little bit better and easier and clearer to do, and
16 it's better for Agreement States ultimately, when they
17 get it done, so there is a lot of advantages of moving
18 the ball forward in the way we have talked about
19 today.

20 So any other closing comments from staff
21 or?

22 (No response)

23 CHAIR RYAN: All right. With that, any
24 other comments from members or anything else?

25 (No response)

1 CHAIR RYAN: With that, I am going to
2 adjourn the meeting and close the record here. Thank
3 you all very much for your time and attention.

4 (Whereupon, at 11:41 a.m., the meeting
5 was adjourned.)
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

SECY-12-XXXX

Recommendations for Policy and Technical Direction to Revise Radiation Protection Regulations and Guidance

ACRS

April 27, 2012

Donald A. Cool, Ph.D.

Senior Advisor Radiation Safety and International Liaison

Outline of Paper

- **SECY Paper**
 - **Background**
 - **Discussion of Stakeholder feedback and technical issues**
 - **Policy Options**
 - **Recommendations**
- **Enclosures**
 1. **Radiation Risk**
 2. **Summary of Stakeholder Interactions**
 3. **Assessment of Technical Issues and Feedback**
 4. **Examination of National and International Impacts**
 5. **Resource Estimates**

Purpose


- **Summarize staff's interactions with stakeholders**
- **Request approval of recommendations for policy and technical directions for further development of a detailed regulatory basis**
- **Request approval to develop regulatory basis for 10 CFR Part 50, Appendix I in parallel with 10 CFR Part 20**

Summary of Recommendations

- Update scientific information and models
- Update terminology
- Reduce Occupational TEDE limit
- Reduce Occupational LDE limit
- Reduce Occupational Embryo/Fetus limit
- Explore increased use of SI
- Explore adding categories of licensees reporting annual occupational exposures
- Align 10 CFR Part 50, Appendix I to updated scientific and terminology

History of ICRP Recommendations

- International Commission on Radiological Protection (ICRP) Recommendations
 - Earlier recommendations: 1928, 1934, 1937, 1950, 1954
 - 1959 Publication 2
 - 1977 Publication 26
 - 1990 Publication 60
 - 2007 Publication 103



Background

- **ICRP revised recommendations announced in December, 2007**
- **NRC staff analysis indicated areas warranting consideration for revisions – SECY-08-0197, December, 2008**
- **Commission approved staff recommendation to engage stakeholders and initiate development of technical basis materials on April 2, 2009**

Outreach Activities

- **Phase I of outreach included:**
 - Presentations to numerous organizations and groups
 - FRN published inviting inputs (72 FR 32198)
- **Phase II Workshops**
 - FRN published with issues and questions (75 FR 59160)
 - Workshops in Washington, Los Angeles, and Houston
 - Comments accepted through January 31, 2011
- **Phase III**
 - FRN published for lens of the eye (76 FR 53847)
 - FRN closed October 31, 2011
- **Still accepting comments if submitted**

Stakeholder Dialogue

- **Total of 59 comments docketed**
- **General support for changes to reflect current dose calculation methodology and terminology**
- **Opposition to changes to dose limits and ALARA provisions**
 - **View that risk did not warrant changes**
 - **View that impacts would be unacceptable**
 - **View that sources and uses in US are different, and justify different limits**

Radiation Risk

- **Current basis supporting NRC regulations is a mixture of risk information ranging from 1958 to 1990**
- **10 CFR Part 20 based on assumed risk of 1.25×10^{-4} per rem cancer mortality and risk of heritable disease**
- **Current radiation risk $\approx 5 \times 10^{-4}$ per rem**
 - **Considered mortality, morbidity and hereditary effects**
 - **Comparable results from UNSCEAR, ICRP, BEIR, NCRP**
 - **EPA “Blue Book” values even higher**
- **LNT for practical purposes of radiation protection**

Methodology Basis

- **10 CFR Part 50, Appendix I based on ICRP 1 and 2 MPC critical organ approach**
- **10 CFR Part 20**
 - **Generally based on ICRP 26 and 30 TEDE approach**
 - **Public Exposure aligned to newer recommendations and increased risk in final rule**
 - **Occupational Exposure not aligned in final rule**
- **Licensees granted use of ICRP 60+ approach on case by case basis for internal dosimetry**
- **Effective dose recognized for external exposure**

Basis for Occupational Limits

- **1977**
 - average annual risk of accidental death in industries generally accepted as safe working environment – 1×10^{-4}
 - 5 rem value based on expectation that most individuals would be unlikely to exceed 1 rem
- **1990**
 - Multi-attribute approach
 - Objective to prevent cumulative exposure to less than 100 rem
 - Average and maximum values to provide flexibility for implementation

Update Dose Assessment Methods

- **General support for moving to consistently incorporate latest scientific information and modeling.**
- **Stakeholders supported delaying rulemaking until ICRP completes work on dose coefficients**
- **Staff Recommendation:**
 - **Adopt updated methodologies and models**
 - **Continue with Appendix B in rule for ALI and DAC**
 - **Use updated methods for 10 CFR Part 50, Appendix I, and other portions of the regulations to establish new consistent basis**

Revise Terminology

- **Changes in methodology resulted in changes in Terminology in 1990**
- **Stakeholders supported changes, but noted impacts in updating procedures, records, reports, and training**
- **Staff Recommendation:**
 - **Develop Regulatory Basis to incorporate updated terminology.**
 - **Explore options to provide flexibility during implementation**

Occupational TEDE Limit

- **Limit does not reflect current risk basis**
- **Individuals continue to receive exposure above 2 rem (20 mSv/yr)**
- **Exposures near limit could exceed recommended cumulative total**
- **Flexibility only needed for some licensees and small groups of individuals**
- **Differences present complications to trans-boundary movement of workers**
- **Changing limit is most straight forward performance based approach for elimination individual exposures that are above recommended values**

Occupational TEDE Limit

- **Stakeholder Feedback:**
 - Little support for change to regulation
 - Suggestions of significant impact on licensed activities and delivery of health care
 - Suggestions that there could be an increase in the rate of non-compliance
 - Statements that sources and uses in U.S. are basis for having different dose limits

Occupational TEDE Limit

- **Staff Recommendation:**
 - Level of adequate protection is independent of source size or types of uses
 - Develop regulatory basis for reducing limit to 2 rem (20 mSv/yr)
 - Explore mechanism for flexibility for those licensees who need it through specified approval process

Lens of the Eye

- ICRP recommendation issued April, 2011
- Reduced limit based on evidence that radiation induces cataracts at lower cumulative levels than previously estimated (≈ 50 rem (500 mSv)).
- TEDE and LDE similar in many situations except
 - Shielding of body
 - Lower energy β/γ
- Significant impacts in interventional radiology and cardiology

Lens of the Eye

- **Mixed Stakeholder Feedback:**
 - Scientific information questioned
 - Concern about values less than TEDE
 - Concern about type of effect
- **Staff Recommendation:**
 - Develop regulatory basis for reducing limit
 - Consider single values of 5 rem (50 mSv) or 2 rem (20 mSv)
 - Continue dialogue on how prevention of cataracts should be viewed in comparison with the potential induction of cancer

Embryo/Fetus

- ICRP recommendation of 100 mrem (1 mSv) applied after declaration
- Mixed feedback from stakeholders
- In many cases, accommodation results in no additional exposure after declaration
- Potential concern (medical) that lower value might result in decision to not declare
- Staff Recommendation:
 - Develop regulatory basis for reducing limit to 100 mrem
 - Consider options of applying over entire gestation period, or only after declaration

ALARA Planning

- **ICRP added emphasis to consistent use of optimization and use of constraints**
- **Proposals to add requirements for ALARA planning to reduce highest individual exposures, instead of changing limits**
- **Opposition to term constraints**
- **Opposition to numeric value because it would be perceived to be a limit**
- **Staff Recommendation:**
 - **No significant change in rule text**
 - **Explore guidance to provide additional examples of acceptable mechanisms and programs**

Protection of the Environment

- ICRP work continues on framework for assessment of exposures in the environment
- Staff Recommendation:
 - No additional requirements needed
 - Assessment framework may be useful to provide validated approaches for use within NEPA
 - Continue to monitor international developments

Units of Exposure and Dose

- Issue raised by stakeholders to move to SI units (Becquerel, Gray, Sievert)
- HPS position statement in February, 2012
- Current metrication policy states preference for SI units first, with special units in parenthetical
- Staff Recommendation:
 - Explore implications, benefits, and costs of aligning with metrication policy
 - Close interactions needed with other Federal Agencies and States

Reporting of Occupational Dose

- **Seven categories required to report individual occupational doses**
- **Licensees in Agreement States report as required by the State**
- **State data not in NRC database except for some voluntary submissions**
- **Some categories of licensed use (e.g. medical) do not report**
- **Database useful for assessment of impacts, inspection and enforcement, dose to an individual from multiple licensees.**

Reporting of Occupational Dose

- **Staff Recommendation:**
 - Explore implications, benefits, and costs of requiring additional categories to report
 - Explore mechanisms to increase sharing of data between NRC and States to move towards national database

10 CFR Part 50, Appendix I

- **Methodology still based on ICRP 1 and 2**
- **Compliance calculations different for 10 CFR Part 20 and 10 CFR part 50**
- **Stakeholder encouragement to update and align dose calculation methodologies**
- **Staff Recommendation:**
 - **Initiate development of Regulatory basis for revision using updated methodology**
 - **Pursue rulemaking on parallel track with changes to 10 CFR Part 20**

Backfit Considerations

- **10 CFR Part 20 applies to all licensees, including those protected by various backfitting provisions**
- **Some provisions could be considered as redefinitions of adequate protection**
- **Other provisions would require assessment of benefits and impacts**
- **Both Quantitative and Qualitative arguments will be important in analysis**
- **Previous revision in 1991 concluded final rule provided a substantial increase in overall protection of public health and safety based on both quantitative and qualitative grounds**

Impacts Assessments

- **Solicitation of voluntary data to assess impacts for various industrial and medical uses**
 - Limited additional data
 - 21 TEDE overexposure events 1994 – 2010
 - 99.7% of individuals were below 2 rem in 2010
 - 75% of individuals exceeding 2 rem were reported from industrial radiography licensees
- **Staff work to update NUREG/CR-6112**

Impacts Assessments

- **Staff work with NEA for historical information on costs and impacts of implementing ICRP 60**
 - Little quantitative data available
 - No survey participants evaluated a no action alternative
 - Survey participants believes move to adopt ICRP recommendations was generally beneficial

Policy Direction Options

- **No Action**
- **Develop Regulatory Basis for Limited Revision of 10 CFR Part 20 dosimetry methodology and terminology, with parallel alignment for 10 CFR Part 50, Appendix I**
- **Develop Regulatory Basis for dosimetry methodology, terminology, reduction in dose limits, with parallel alignment for 10 CFR Part 50, Appendix I**

Rulemaking Resources

<u>Business Line</u>	<u>Part 20 Rulemaking</u>				<u>Part 50 Rulemaking</u>			
	<u>FY 2012</u>		<u>FY 2013</u>		<u>FY 2012</u>		<u>FY 2013</u>	
	<u>FTE</u>	<u>\$k</u>	<u>FTE</u>	<u>\$k</u>	<u>FTE</u>	<u>\$k</u>	<u>FTE</u>	<u>\$k</u>
Materials Users	1.0	0	1.0	0	0	0	0	0
D&LLW	0.4	0	0.4	0	0	0	0	0
New Reactors	0	0	0	0	1.6	60	1.5	60
Operating Reactors	2.1	0	2.1	0	0.2	0	0.2	0
Corporate Support	0.3	0	0.1	0	0.2	0	0.2	0
TOTAL	3.8	0	3.6	0	2.0	60	1.9	60

Conclusions

- **Current regulations have inconsistent technical basis, and do not, in part, reflect current assessment of radiation risk**
- **Occupational exposures at levels close to existing limits could result in accumulated exposures that may pose a potential to exceed recommended cumulative dose recommendations**
- **Appropriate and scientifically justified changes should be made in a number of specific areas**

Conclusions

- **Increased alignment with international recommendations, and the standards used in other countries, have qualitative benefits, but each technical issue is justified by technical and scientific rationale**
- **A change to limits is a more straight forward, performance based approach than additions to ALARA program requirements**

Conclusions

- **Additional efforts needed to develop regulatory basis for a proposed rule**
 - Explore possible draft rule text
 - Explore possible guidance for implementation
 - Dose coefficients needed before Appendix B values can be revised
 - Detailed cost-benefit information needed for specific proposals
- **Rulemaking would require backfit justification on both quantitative and qualitative grounds**

Staff Recommendation

- **Staff recommends approval of option to continue development of regulatory basis using recommended direction for each technical issue**
- **Staff recommends stakeholder outreach and participation on possible rule text, guidance, benefits, and impacts**
- **Staff recommends parallel regulatory basis development for proposed rules for 10 CFR Part 20 and 10 CFR Part 50, Appendix I**

Questions? Questions?

