

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: Public Meeting to Discuss the  
Decommissioning Process at  
San Onofre Nuclear Generating Station

Docket Number: 50-361 and 50-362

Location: Carlsbad, California

Date: Thursday, September 26, 2013

Work Order No.: NRC-362

Pages 1-148

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION  
+ + + + +  
PUBLIC MEETING TO DISCUSS THE  
DECOMMISSIONING PROCESS AT  
SAN ONOFRE NUCLEAR GENERATING STATION

+ + + + +

THURSDAY

SEPTEMBER 26, 2013

+ + + + +

CARLSBAD, CALIFORNIA

+ + + + +

The Public Meeting convened at the Omni La  
Costa, 2100 Costa Del Mar Road, Carlsbad, California, at  
6:00 p.m., Chip Cameron, Facilitator, presiding.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 NRC STAFF PRESENT:

2 CHIP CAMERON, Facilitator

3 LARRY CAMPER, Director, Division of Waste Management  
4 and Environmental Protection, FSME

5 BRUCE WATSON, Chief, Reactor Decommissioning Branch,  
6 FSME

7 BLAIR SPITZBERG, Chief, Repository and Spent Fuel  
8 Safety Branch, RIV

9 MIKE DUSANIWSKYJ, Financial Analyst, Financial  
10 Analysis and International Projects Branch, NRR

11 BOB EVANS, Senior Inspector, NRC

12 RYAN LANTZ, Chief, Region IV Reactor Projects Branch  
13 D, NRC

14 PAUL MICHALAK, Chief, Environmental Impact Statement  
15 Branch, Waste Confidence Directorate, NRC

16

17

18

19

20

21

22

23

24

25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

T-A-B-L-E O-F C-O-N-T-E-N-T-S

Welcome, Agenda and Ground Rules for Q&A Session  
 (Chip Cameron, Facilitator) ..... 4

NRC Decommissioning Overview (Larry Camper) ..... 9

Reactor Decommissioning Process  
 (Bruce Watson) ..... 21

Decommissioning Inspection Program  
 (Blair Spitzberg) ..... 32

Decommissioning Funding (Mike Dusaniwskyj) ..... 41

Spent Fuel Management (Blair Spitzberg) ..... 44

Questions and Comments from Members of the Public  
 (Chip Cameron) ..... 50

Brief Recess ..... 75

Questions and Comments Continued ..... 77

Meeting Adjourned

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

## P R O C E E D I N G S

(6:21 p.m.)

1  
2  
3 MR. CAMERON: My name is Chip Cameron and I'd  
4 like to welcome you to the public meeting tonight. And  
5 the topic for tonight is the Nuclear Regulatory  
6 Commission.

7 I'm going to use the term and I think  
8 everybody else will use "NRC," but we'll try not to use  
9 acronyms tonight except for that one or others that are  
10 easily understood, but it's the NRC's decommissioning  
11 process.

12 And specifically, NRC's decommissioning  
13 process relative to SONGS Unit 2 and 3, San Onofre Nuclear  
14 Generating Station.

15 And it's my pleasure to serve as your  
16 facilitator tonight. And I'm going to be assisted by Bob  
17 Hager who is in the back of the room.

18 And Bob is a certified facilitator in the  
19 NRC's facilitator program. And what Bob and I are going  
20 to do is to try to help all of you to have a productive  
21 meeting tonight.

22 I just wanted to cover a few items on the  
23 process for the meeting so that you know what to expect  
24 tonight. And I'd like to talk about the objectives for  
25 the meeting, the format for the meeting, go over some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 simple ground rules with you for the conduct of the  
2 meeting and then introduce the NRC speakers who are up  
3 here in front of you and what their topics are going to  
4 be.

5 In terms of objectives for the meeting, the  
6 NRC's primary objective tonight is to give you clear  
7 information on NRC's decommissioning process.

8 And these are the rules that the NRC and the  
9 licensee, in this case Southern California Edison, these  
10 are the rules that the NRC and the licensee has to follow  
11 over the course of the decommissioning of the reactors.

12 We'll also try to provide you with  
13 information on specific aspects of the SONGS facility's  
14 decommissioning and we're going to provide that  
15 information to you in two ways.

16 One is we have a number of presentations  
17 from the NRC staff, and then we're going to answer any  
18 questions that you might have about the decommissioning  
19 process after the NRC staff is done with their  
20 presentation. And that's the format, presentations,  
21 and then question/answer with all of you.

22 Now, some simple ground rules for the  
23 meeting tonight. I would just ask you to hold all of your  
24 questions until we get done with the NRC presentations  
25 so that you'll have a complete picture before we go on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 to you for questions.

2 And I would just thank you for your patience  
3 in advance. It's not an overly long set of  
4 presentations, but it will take some time because the NRC  
5 wants to give you as much information as possible.

6 When we go on to you for questions, just  
7 signal me and I will bring you this cordless microphone  
8 or Bob Hager back there will bring you the cordless  
9 microphone. And just please introduce yourself to us  
10 and ask your question, or make a comment.

11 I would just ask you to be brief so that we  
12 can make sure that we get to everybody who wants to talk  
13 tonight.

14 We don't have as big a turnout as we were  
15 planning for. So, that may give us more time tonight,  
16 but I would ask you to be brief. And I would also ask  
17 you to follow the rule of only one person at a time  
18 speaking. We want to give our full attention to whomever  
19 has the microphone at the moment.

20 As I mentioned, the objective of the meeting  
21 is to give you information on the NRC decommissioning  
22 process, but we realize that there is broader concerns  
23 in relationship to SONGS than just decommissioning and  
24 we want to try to answer questions that you might have  
25 on any of those broader concerns.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           They may not be in-depth answers, but we do  
2 want to try to address those questions, but the primary  
3 focus is on the decommissioning process.

4           And I mentioned that the way we're going to  
5 get the information to you is through the presentations  
6 and through answering your questions. That doesn't mean  
7 that if you have a concern or a comment that you want to  
8 give the NRC that you can't make a comment. Okay?

9           It doesn't have to be a question, but I would  
10 just say that tonight is not the night for long speeches  
11 on anything. And let me introduce the NRC staff that's  
12 going to be speaking to you tonight.

13           First we're going to go to Larry Camper who  
14 is right here. And he's the director of the Division of  
15 Waste Management and Environmental Protection in the NRC  
16 Office of Federal, State and Environmental Management.  
17 And that's a headquarters office in Rockville, Maryland.  
18 And Larry is going to give you a broad overview of the  
19 reactor decommissioning process.

20           After that, we're going to get into a little  
21 bit more depth and we're going to go to Bruce Watson who  
22 is right here.

23           And Bruce is the chief of the Reactor  
24 Decommissioning Branch in Larry Camper's division also  
25 NRC headquarters in Rockville, Maryland.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1           Next we're going to go to Blair Spitzberg.  
2           And Blair is the chief of the Fuel Safety and  
3           Decommissioning Branch in NRC's Region IV. And that's  
4           one of four regional offices. And that one is in  
5           Arlington, Texas. And Blair is going to talk to you  
6           about the NRC inspection program for decommissioning  
7           reactors.

8           And we know there's going to be a lot of  
9           interest in how the NRC inspects what's going on during  
10          the decommissioning process.

11          After Blair is finished, we're going to go  
12          to Mike Dusaniwskyj who is up here. And Mike is an  
13          economist. And he's in the Decommissioning - well, he's  
14          in the Financial Analysis and International Projects  
15          Branch in the NRC's Office of Nuclear Reactor Regulation,  
16          also NRC headquarters Rockville, Maryland. And he's  
17          going to talk to you about decommissioning funding,  
18          because we know that that's also of interest of you.

19          Then we're going to go back to Blair  
20          Spitzberg who is going to talk to the NRC regulation of  
21          spent fuel storage at the San Onofre facility.

22          And I think we're ready to go to Larry.  
23          We'll go through all the presentations, and then we'll  
24          be back to you for question and answer.

25          Larry.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CAMPER: Thank you, Chip. Good evening,  
2 everyone. Thanks for coming out tonight and  
3 participating in this important meeting and taking time  
4 out of your busy schedule. And I must tell you it really  
5 is a pleasure to be here with you. This is a beautiful  
6 place that you live. So, really, it's a nice spot. So,  
7 it's a pleasure to be here.

8 I am Larry Camper, the director of the  
9 Division of Waste Management and Environmental  
10 Protection.

11 As Chip said, I do have responsibility and  
12 my staff has responsibility for the decommissioning for  
13 the Nuclear Regulatory Commission, including nuclear  
14 power plants. And so, we do hope to share some  
15 information with you this evening about that process and  
16 answer your questions.

17 As Chip said, though, we also want to make  
18 ourselves available to answer other questions you might  
19 have. There's been a lot of interest around this  
20 particular site and we understand there may be some other  
21 things you'd like to hear about and we'll try to answer  
22 those issues at least briefly.

23 I'm joined by a lot of NRC staff. And I'd  
24 really like the NRC staff that are with me this evening  
25 to stand up.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I do this because we wanted to bring  
2 expertise to bear. We felt this meeting was important  
3 enough to have the right people here. We have people  
4 from headquarters, from the regions, Region IV, and we  
5 thank them for being here.

6 And over the course of the evening, some of  
7 them will be participating. Thanks, guys. We can sit  
8 down and take it easy, but over the course of the evening  
9 some of them will be joining in with answers to questions.

10 We will take a break. You can catch one of  
11 them if you have a question that you don't want to go  
12 through the trouble of having the microphone in your  
13 face, but you can say, hey, I'd really like to know  
14 something more about that. So, they're all here and  
15 they're all willing to talk to you.

16 We also have some folks from California.  
17 We actually have people here from the California Public  
18 Utility Commission, the California Energy Commission,  
19 the California Coastal Commission, the California  
20 Department of Public Health, California Emergency  
21 Services and also representatives from the United States  
22 Navy because of Camp Pendleton.

23 And so, some of them are here this evening  
24 because there may be questions that you have that are not  
25 within the NRC jurisdiction. And so, we want to have the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 right type of expertise here to turn to for those kinds  
2 of questions as well.

3 So, we thank all of those folks for being  
4 here from the State of California and their various  
5 organizations and we'll turn to them as need be, or they  
6 may even hear a question and they know it's best for them  
7 to be involved.

8 Okay. What I want to start with is our  
9 mission. The slide you see in front of you depicts the  
10 NRC's mission which is to regulate the Nation's civilian  
11 use of radioactive materials, to protect public health  
12 and safety, promote common defense and security and  
13 protect the environment. That is our mission.

14 When a facility such as nuclear power plants  
15 and other nuclear facilities are operating, it remains  
16 our mission during the decommissioning of nuclear  
17 facilities.

18 First and foremost our mission is safety.  
19 We are an independent Federal regulator and our business  
20 is all about protecting public health and safety. That  
21 will remain throughout the process of decommissioning  
22 until it is complete.

23 What you see in front of you is the  
24 regulation that cites our decommissioning criteria. It  
25 doesn't matter about that. What is important is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 explained to you when we use the term "decommissioning,"  
2 what does it mean?

3 It means to remove a facility, in this case  
4 a nuclear power plant, safely from service and reduce  
5 radioactivity to a level that allows either release of  
6 that property for unrestricted use and termination of the  
7 license or reduction of the license in the case of a  
8 nuclear power plant to spent nuclear fuel storage, or  
9 release of the property under restricted conditions and  
10 termination of the license.

11 I will point out that while our regulations  
12 for decommissioning allow restricted release, no nuclear  
13 power plant that has been decommissioned in the United  
14 States has pursued restricted release. All have been  
15 successfully completed using unrestricted release.

16 The slide that I have here for you is  
17 designed to share with you the kind of scientific and  
18 technical expertise that will be brought to bear by the  
19 Nuclear Regulatory Commission as we address the  
20 decommissioning of SONGS 2 and 3.

21 You'll see that there is a lot of different  
22 expertise such as mechanical engineers and chemical  
23 engineers and geologists, mathematicians, biologists,  
24 environmental engineers and so forth and so on. And the  
25 point is all of this expertise is brought to bear in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 decommissioning of our nuclear facilities including what  
2 takes place on the site that we're here to discuss  
3 tonight.

4 I would also point out that the  
5 decommissioning staff that Bruce directs as the branch  
6 chief has over 300 years of cumulative professional  
7 expertise in dealing with the decommissioning of nuclear  
8 power plants. So, we hope that that will inspire some  
9 confidence in our decommissioning process and you can  
10 have some realization of the type of expertise and the  
11 experience that will be brought to bear and the oversight  
12 of the decommissioning of the SONGS facility.

13 This slide depicts the successful  
14 decommissioning completions that have taken place over  
15 the last 15 years. A lot of information to try to absorb,  
16 but I'll summarize it for you.

17 There have been 50 materials licensee  
18 sites. Materials licensee sites are sites that, for  
19 example, processed or produced uranium or thorium for  
20 various industrial uses.

21 We have decommissioned 11 nuclear power  
22 plants, 13 research and test reactors and a large number  
23 of uranium recovery facilities. On the order of 80 sites  
24 have been decommissioned successfully over the past 15  
25 years under Nuclear Regulatory Commission oversight.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           What we have here is a list of the nuclear  
2 power plants that have been decommissioned. I mentioned  
3 a moment ago that there were 11 of them.

4           You'll see that the ones that are depicted  
5 in yellow have been depicted under what's called the  
6 License Termination Rule which went into effect in 1997.

7           The ones in white below that were  
8 decommissioned by an earlier standard before our  
9 existing standard in the License Termination Rule. That  
10 rule is the standard by which the decommissioning will  
11 take place at the SONGS facility. So, 11 nuclear power  
12 plants in the United States decommissioned thus far.

13           What we have here is key decommissioning  
14 milestones. Now, Bruce in his presentation will go into  
15 the process in considerable detail, but I thought it was  
16 worthwhile to at least share with you some of the major  
17 milestones you can begin to think about and be aware of  
18 as Bruce goes through this presentation.

19           First you'll see that there are two  
20 certifications that have to be filed by the utility. A  
21 certification whereby there has been a permanent  
22 cessation of operations, and a certification where the  
23 nuclear fuel has been permanently removed from the  
24 reactor. Both of those have been filed by the utility  
25 operating the SONGS facility.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Next is a Post Shutdown Decommissioning  
2 Activities Report. A PSDAR you will hear us say and  
3 refer to.

4 Then comes decommissioning and  
5 environmental remediation. I have that activity  
6 highlighted in yellow, as well as a little bit further  
7 down, the final status survey, because that represents  
8 activity that takes place on the site. That's not a  
9 submission to the Nuclear Regulatory Commission.  
10 That's actual remediation and decommissioning of the  
11 facility.

12 There is a requirement that a license  
13 termination plan be submitted along the way. Of course  
14 the final status survey whereby the operator of the  
15 utility is ensuring through surveys that the dose  
16 standard that I'll mention to you in a moment is, in fact,  
17 satisfied.

18 The Nuclear Regulatory Commission also does  
19 a confirmatory survey of the results within the final  
20 status survey.

21 And last, but not least, is either a  
22 termination of the Part 50 license - Part 50 is that part  
23 of our regulations under which nuclear power plants are  
24 regulates - or as is more common today, the license is  
25 shrunk in size to the footprint of the remaining

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 independent spent fuel storage installation.

2 In terms of release criteria, I mentioned  
3 that there are two possible pathways for release of any  
4 facility that undergoes decommissioning, including  
5 nuclear power plants. There's unrestricted release,  
6 and restricted release.

7 As I mentioned, no nuclear power plant thus  
8 far has gone for restricted release for a myriad of  
9 reasons. All have pursued unrestricted release  
10 although they certainly could pursue restricted release.

11 There's a lot of information on this slide,  
12 but I want to draw your attention to just two points.

13 The dose criteria that we use in this  
14 regulation is referred to as total effective dose  
15 equivalent of equal to or less than 25 millirem and as  
16 low as reasonably achievable.

17 In other words, the site must be cleaned up  
18 to satisfy that dose standard and the licensee must  
19 demonstrate that the level to which it has cleaned up the  
20 site is, in fact, as low as reasonably achievable based  
21 upon a rather sophisticated cost benefit analysis.

22 Now, when you see and you hear 25 millirem,  
23 what does that mean? Can I understand what he's saying  
24 when he says 25 millirem?

25 Well, let me put it into perspective. When

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you get in an airplane in Los Angeles and fly across the  
2 country to New York, you receive about 3 millirem of  
3 exposure from cosmic radiation.

4 In the United States, the natural  
5 background radiation including exposure from medical  
6 radiation is on the order of 300 to 600 millirem per year  
7 depending upon where you are in the United States.

8 There are places in the world with a natural  
9 background radiation, Saskatchewan, Canada comes to  
10 mind, for example, where the natural background  
11 radiation is 4,000 millirem per year.

12 So, hopefully now when you see 25 millirem  
13 and you hear about it in the months to come as we talk  
14 about the decommissioning standard, at least you'll have  
15 some perspective of what that number means.

16 Tonight for our public meeting I'll be  
17 giving you the decommissioning overview. Of course  
18 Bruce will talk about the reactor decommissioning  
19 process. Blair Spitzberg will talk about the inspection  
20 plan. Michael Dusaniwskyj will talk about the  
21 decommissioning funding. Blair will then come back and  
22 talk about spent fuel management and then of course we'll  
23 go to questions and answers and dialog.

24 I would reiterate that these are the primary  
25 topics and the purpose for our meeting tonight, but we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 also recognize as Chip said and I said earlier and would  
2 repeat now, there are other things you might want to talk  
3 about.

4 And we'll do the best we can to at least give  
5 you brief answers and help us to the extent that we can  
6 stay on the purpose of the program, but we're here to  
7 answer your questions about other issues as well.

8 In terms of the decommissioning inspection  
9 program, you'll hear a lot about this. We do remain very  
10 engaged during the decommissioning process and we'll  
11 give you some clarification as to the level of resources  
12 that will be involved during that process.

13 We also know that another topic that's on  
14 people's minds these days is the Waste Confidence  
15 Decision Rulemaking and Environmental Impact Statement  
16 that the Nuclear Regulatory Commission is currently  
17 working on.

18 We do have a representative here from the  
19 Waste Confidence Directorate this evening that can  
20 answer some questions if that comes up. So, I think we  
21 can give you some insights into that as well.

22 Public involvement. Clearly you're very  
23 concerned about public involvement and, again, I want to  
24 thank you for being here and taking part in what we  
25 consider to be a very important part of our regulatory

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 program.

2 The meeting this evening that we're  
3 conducting is not required by our regulations, but we  
4 felt it was important to be here.

5 Our chairman is very interested in  
6 conveying information, our management is very interested  
7 in conveying information, our entire organization wants  
8 to convey as much information as we can to the community  
9 here, because there's been a lot of very challenging  
10 issues and we know that you've had a number of concerns  
11 and a lot of interest. So, we decided to hold this  
12 process meeting for that purpose.

13 There is a meeting that will take place once  
14 the Post Shutdown Decommissioning Activity Report is  
15 submitted by the utility. That's required by our  
16 regulations.

17 There is a public meeting that will take  
18 place once the License Termination Plan is submitted by  
19 the utility. That's again required by our regulations.

20 And because the decommissioning program and  
21 the approval of the License Termination Plan involves an  
22 amendment to the existing license for the utility, there  
23 is the opportunity for a hearing within our adjudicatory  
24 process as well. So, there are a number of opportunities  
25 for public awareness and public involvement along the way

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 with the decommissioning process.

2 So, I'll stop there and later on will  
3 entertain questions, of course. And Bruce Watson, our  
4 branch chief for the Decommissioning Branch for Nuclear  
5 Power Plants will provide more detail into the areas that  
6 I've just touched upon lightly. Thank you very much.

7 MR. WATSON: Well, good evening and thank you  
8 for being here. I am Bruce Watson. I'm chief of the  
9 Reactor Decommissioning Branch. I'd like to discuss  
10 some of our current activities and their requirements for  
11 decommissioning nuclear power reactors.

12 I want you to keep in mind that we regulate  
13 - the NRC regulates the radiological decommissioning of  
14 these sites.

15 There may be other requirements in the  
16 decommissioning requirements that were beyond what the  
17 NRC requires and those will be addressed by other  
18 regulators.

19 In 2013, four power reactors permanently  
20 ceased operations and are transitioning from operating  
21 status, which is managed by our Office of Nuclear Reactor  
22 Regulation and will be transferring to my office and  
23 FSME.

24 Each of these reactors are at various stages  
25 of decommissioning and are transitioning at their own

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 rate.

2 In 1997, the NRC implemented 10 CFR 20  
3 Subpart E, which is commonly known as the License  
4 Termination Rule.

5 It establishes the release criteria for  
6 unrestricted and restricted release that Larry Camper  
7 just covered.

8 These rules that I'm going over took into  
9 account the decommissioning experience we gained from  
10 our decommissioning at Saxton and Fort St. Vrain in  
11 Colorado.

12 To date, all US reactors had been  
13 unrestricted released for use, which means they can be  
14 used for any purpose. And this regulation is a  
15 risk-informed dose base regulation.

16 10 CFR 50, specifically 10 CFR 50.82 is the  
17 License Termination Requirements for power reactors.  
18 I'm going to discuss this rule in a regulation in great  
19 detail this evening.

20 (Pause in the proceedings.)

21 MR. WATSON: Part 72 deals with the  
22 Independent Spent Fuel Storage Installation License,  
23 licensing of the ISFSI. It's an important regulation,  
24 because it's where the spent fuel goes during the  
25 decommissioning process.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 All right. The NRC offers three  
2 decommissioning options in our guidance, but only two of  
3 those have been implemented to date.

4 DECON, or prompt remediation is what it's  
5 called in international terms, decommissioning begins  
6 shortly after the licensee has prepared the plant for  
7 decommissioning.

8 Like I said, we currently have four reactors  
9 in DECON; the plant at Humboldt Bay in California, Zion  
10 1 and 2 in Illinois and La Crosse in Wisconsin.

11 Regardless of the strategy chosen by the  
12 licensee, the preparation for decommissioning typically  
13 takes one to two years in order to get the plant prepared  
14 for decommissioning.

15 During this time period, the plant will be  
16 set up so that the systems are drained, electrical  
17 connections are de-energized and that it would  
18 facilitate decommissioning and this does take some time.

19 The plant also may include some  
20 modifications that will facilitate future  
21 decommissioning of the plant.

22 During this time frame, the NRC will  
23 generally keep one of the resident inspectors at the site  
24 for about a period of a year. And that's to ensure that  
25 all the operational issues that were under review during

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the process of shutting down are maintained compliant and  
2 to make sure that any plant modifications are maintained  
3 safely.

4 In the SAFSTOR, or deferred dismantling  
5 mode, the plant is placed in safe storage, as we would  
6 call it, cold and dark, until the licensee decides to  
7 dismantle the plant and the decommissioning of the plant  
8 can begin.

9 The licensee may perform some  
10 decommissioning activities during this time frame and  
11 the NRC will inspect the plant periodically, at least  
12 annually, or if the plant is doing some significant  
13 decommissioning activities, we will inspect the plant  
14 more frequently.

15 Although entombment is an option in our  
16 guidance, no power reactors have opted for this option.  
17 No US NRC licensed reactors had been entombed, nor have  
18 any licensees requested entombment. So, it's really not  
19 an option at this point.

20 Our regulations in 10 CFR 50.82 for power  
21 reactors are performance-based, they are flexible, and  
22 they require that the licensee complete the  
23 decommissioning in 60 years.

24 I know you may ask why 60 years. Again, the  
25 basis for that 60-year requirement allows the radiation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 doses to significantly decrease to about one percent of  
2 those which they were when the plant originally shut  
3 down.

4 This represents significant radiation  
5 exposure savings to the workers who will conduct the  
6 decommissioning.

7 It will also reduce the biome of radioactive  
8 waste to about ten percent of what it was when the plant  
9 was shut down. This is due to radioactive decay.

10 Some of the principal radionuclides in that  
11 such as Cobalt-60 will have gone through numerous half  
12 lives, approximately ten, where the radiation levels are  
13 reduced and the amount of radioactivity is significantly  
14 minimized.

15 During this period the Decommissioning Fund  
16 can also increase since it's invested and can increase  
17 by compound interest.

18 Coincidentally, this 60-year also  
19 corresponds to the 20-year license extension for  
20 multi-unit facilities. So, the operator can focus on  
21 safe operation of the remaining units.

22 This is, in particular, specific to San  
23 Onofre, because San Onofre 1 was in SAFSTOR for quite a  
24 while. Then, the utility elected to decommission it.  
25 It's complete other than the reactor vessel still being

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 onsite and there was a significant physical  
2 differentiation between the operating units in it that  
3 allowed that to be done very safely.

4 The NRC policy is that the decommissioning  
5 can be formed Day 1 after the plant shuts down and is ready  
6 for decommissioning, or at the 50-year point. Because  
7 the 60-year point - 50-year point takes into  
8 consideration it will take seven to ten years to complete  
9 the decommissioning.

10 Again, some of the decision factors  
11 licensees use in determining the decommissioning  
12 strategy whether it's a multi-unit site as I just  
13 discussed, the ability to have the financial fund  
14 available - this is important for plants that are  
15 prematurely shut down - whether there is access to the  
16 radioactive waste disposal capacity, the actual future  
17 use of the site - some of these sites are very valuable  
18 to the utility in that they do put new generating capacity  
19 on the site and this has happened at many of the  
20 single-unit facilities.

21 Decisions also that affect the  
22 decommissioning strategy are input from the  
23 stakeholders. There is a new business model out there.  
24 I will let you know that we're - the utility basically  
25 transfers the license to a decommissioning company who

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 does the decommissioning and then returns the fuel and  
2 the site back to the utility. This is the current model  
3 at Zion.

4 There may be other special circumstances  
5 which will affect the licensee's decision on the  
6 strategy. Such a special circumstance would be the - for  
7 SONGS, would be the US Navy's lease with the utility.

8 There are a number of certifications that  
9 come about from the - that are required from - in the  
10 initial stages of the decommissioning.

11 First, the licensee will certify that the  
12 NRC that within 30 days they will be permanently shutting  
13 down. The second certification is that the fuel has been  
14 permanently removed from the reactor vessel.

15 At this point, the - after this is  
16 completed, the licensee is no longer permitted to operate  
17 the reactor or put fuel back in the vessel.

18 Within two years the licensee is required  
19 to submit the Post Shutdown Decommissioning Activities  
20 Report. As we call it, it's the PSDAR. And that is  
21 required to be, like I said, required to be submitted to  
22 us two years after cessation of operations.

23 What's in the PSDAR? Well, it basically is  
24 comprised of three things. It's a description and  
25 schedule for the planned decommissioning activities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 And it describes the strategy that the utility will take  
2 for decommissioning.

3 It includes an estimate of the expected  
4 decommissioning costs and a discussion on the means for  
5 concluding that the environmental impacts associated  
6 with the decommissioning have not changed.

7 The NRC will notice the PSDAR in the Federal  
8 Register. We will hold a public meeting to discuss the  
9 PSDAR and solicit comments from the public.

10 I want to point out that we do not approve  
11 the PSDAR. It is merely a letter to us with specific  
12 requirements in the regulations that they are to report  
13 to us on what their plans are for the site. The licensee  
14 may begin decommissioning 90 days after the NRC receives  
15 the PSDAR.

16 The next step in the process is that the  
17 power reactor - the licensee will perform the  
18 decommissioning.

19 The NRC will continue to conduct  
20 inspections, as I mentioned. The licensee will submit  
21 to us within two years of when they plan to terminate -  
22 request termination of the license, the License  
23 Termination Plan. And we'll talk about that in much  
24 later detail.

25 But in the meantime, the plant can be - can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 conduct decommissioning activities within the current  
2 license that it - within the license that is issued once  
3 the plant is fully defueled. And those are called the  
4 defueled tech specs.

5 We will hold a public meeting to discuss the  
6 LTP and solicit your comments. And we will also submit  
7 - publish that in the Federal Register.

8 What's in the LTP? Well, the LTP is a very  
9 large document. It contains a lot of technical detail  
10 on how the plant will be decommissioned, finish the  
11 decommissioning. It will contain a lot of radiological  
12 data, including some dose modeling, and the licensee's  
13 plans to complete the site remediation.

14 Probably one of the most important things  
15 in the LTP is the description of how the - the detailed  
16 plans on how the licensee will conduct the final status  
17 surveys or the final surveys of the site to demonstrate  
18 that it meets the license criteria.

19 The License Termination Plan contains a  
20 description of the end use of the site if the site is going  
21 to be restricted use.

22 As I said before, none of the power reactors  
23 have requested a restricted use as a final state. All  
24 of them have been decommissioned to unrestricted release  
25 criteria.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           It also will contain an updated  
2 site-specific estimate of the remaining decommissioning  
3 costs and of course it will supplement the - any  
4 supplement to the Environmental Report that was  
5 previously issued.

6           the NRC will conduct a full review of the  
7 LTP. Initially we will conduct an acceptance review  
8 basically to make sure that the major components of the  
9 LTP are in the LTP. And then we will perform a detailed  
10 technical review. That detailed technical review will  
11 take approximately a year to do.

12           If there is missing information or  
13 clarifications required, we will issue additional  
14 information - request for additional information. And  
15 we will hold public meetings - a public meeting. And  
16 also with this since it is a major licensing action, the  
17 public also has the opportunity for a hearing.

18           Eventually if the LTP meets all our  
19 requirements, the NRC will approve the LTP by amending  
20 the license. So, the LTP basically becomes part of the  
21 license.

22           The licensee will perform the remaining  
23 decommissioning activities and we will perform  
24 inspections, including independent in-process and  
25 confirmatory surveys to verify the licensee's results.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 We also employ a contractor, Oak  
2 Ridge-Associated Universities, as an independent group  
3 to do surveys to verify compliance with the radiological  
4 criteria.

5 At the end of the decommissioning, the  
6 licensee will submit to us the final Status Survey  
7 Reports. They describe the radiological condition in  
8 which the site was left.

9 We will continue to perform confirmatory  
10 surveys. And if they meet our criteria, we will approve  
11 the Final Status Survey Report. We will terminate the  
12 license by letter and notice the action in the Federal  
13 Register.

14 Keep in mind that the license termination  
15 will only occur when the licensee demonstrates to us that  
16 they have met the radiological criteria required in the  
17 License Termination Plan which is consistent with the  
18 regulations.

19 I would just like to briefly discuss the  
20 status of San Onofre 2 and 3. Here are the key  
21 decommissioning milestones.

22 Obviously the first two were met. And as  
23 I mentioned, the deadline for the SONGS PSDAR is actually  
24 two years after the shutdown date, which is June 7th,  
25 2015. We understand that the licensee has plans to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 hopefully do that in 2014.

2 We will notice the PSDAR when it is sent to  
3 us to - in the Federal Register and we will hold another  
4 public meeting. And of course when the LTP is submitted,  
5 we also do the same.

6 One of the key features that happens within  
7 the NRC is the transfer of the inspection program.

8 During operations the plant is under the  
9 Reactor Oversight Program. It will be transferred to  
10 what we call Inspection Manual 2561, which is the Reactor  
11 Decommissioning Inspection Program.

12 And Blair Spitzberg will give you some  
13 information on that. Thank you.

14 MR. SPITZBERG: Good evening. My name is  
15 Blair Spitzberg and I'm the chief of the Fuel Safety and  
16 Decommissioning Branch in the Region IV office in  
17 Arlington, Texas.

18 Some of you may be aware of the fact that  
19 the NRC has four regional offices. And the purpose of  
20 these offices were very interesting and it's a very good  
21 decision that was made years ago by the Commission to  
22 establish regional offices for the basic purpose of  
23 conducting the inspections programs associated with our  
24 licensees.

25 It's important to do adequate safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 reviews and to license the licensees to undertake the  
2 activities that they undertake.

3 In the regional offices where we do  
4 inspection, we believe in the axiom of a former president  
5 from California, trust, but verify. And that's what we  
6 do as inspectors.

7 My inspection branch is a small group of  
8 health physicists and engineers and we do inspections of  
9 both the decommissioning activities at reactors and  
10 non-reactor sites. We also inspect spent fuel storage  
11 installations. And we inspect, as well, some fuel cycle  
12 facilities.

13 Now, let me show a picture of some sites here  
14 that I think would be of interest. On the left you see  
15 four sites. And there's a number that - Larry went  
16 through a number of them showing reactor sites throughout  
17 the country.

18 And on the right-hand side is an aerial  
19 photograph showing what they look like at the end of the  
20 decommissioning process.

21 As you can see, Connecticut Yankee  
22 basically removed the entire site and went to a  
23 greenfield, as did Maine Yankee.

24 We show the Trojan, Oregon site there which  
25 was decommissioned in Region IV a number of years ago.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           And as you can see on the photograph there  
2 at San Onofre Unit 1, you may be aware of the fact that  
3 there was another operating reactor at San Onofre years  
4 ago and they were successfully decommissioned with the  
5 exception of the reactor vessel which remains onsite.

6           So, asking the question how NRC ensures  
7 safety, as we mentioned and Bruce went through in detail,  
8 we establish and ensure compliance with the requirements  
9 contained in the regulations, in a number of different  
10 safety standards that pertain, decommissioning and  
11 storage of spent fuel, and then we also write license  
12 conditions and technical specifications that the  
13 licensee has to comply with.

14           And all of this is done in the licensing  
15 process performed in Washington where they undertake  
16 these safety evaluations and all those are subject to  
17 public input.

18           And then finally as the inspection  
19 enforcement, and that's what we do in the regional  
20 offices, we have a - our regional office staff numbers  
21 in excess of 150 safety professionals that do various  
22 inspections not only of the operating reactors, but of  
23 the decommissioned reactors and the nuclear materials  
24 licensees that are located basically west of the  
25 Mississippi River. That's a large geographic region.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           Some of the inspection activities that will  
2 be undertaken at San Onofre now that it is permanently  
3 defueled and in decommissioning status, is that we will  
4 continue to perform inspections of spent fuel pool  
5 safety. Because as you know, there's a number of spent  
6 fuel assemblies that are still in storage in pools at Unit  
7 2 and 3. We'll continue to inspect those.

8           We'll perform decommissioning inspections  
9 out here and most of those will be intense during the  
10 periods of dismantlement, which probably will not occur  
11 for some period of time. But once they start actually  
12 dismantling and cutting up systems and deconning the  
13 facility, we'll be out here on a regular basis, but will  
14 continue to do programmatic inspections up until that  
15 time.

16           It's important to note that during the  
17 remediation activities the NRC conducts independent  
18 radiological measurements. And the purpose of this is  
19 to confirm the licensee's results.

20           We inspect the radiological measurements  
21 that the licensee performs. We observe them doing the  
22 measurements, and then we'll do our own measurements.  
23 And in some cases we'll bring out independent  
24 laboratories that are contracted to the NRC to perform  
25 independent measurements to verify the accuracy of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 licensee's results. And this has been very successful  
2 in our inspection program.

3 As I mentioned, we also inspect the safety  
4 of the independent spent fuel storage installation, and  
5 I'll discuss that in my next presentation in a few  
6 minutes. And then we also continue to inspect the  
7 physical security program at the site.

8 So, what are the objectives of the  
9 inspection program? Basically it's very  
10 straightforward.

11 It's to verify safe conduct of the licensee  
12 activities. And we've looked at the adequacy the  
13 licensee controls, we ensure that safety problems and  
14 violations are properly identified and that they're  
15 corrected and that effective actions are taken to prevent  
16 recurrence.

17 And then we also examined trends in licensee  
18 safety performance. And this is something that's very  
19 important particularly at - well, at all plants, but we  
20 find it important to decommissioning plants as well,  
21 because decommissioning plants the licensees quite often  
22 will bring in contractors that have special expertise in  
23 decommissioning activities.

24 And so, as these contractors come in even  
25 though they're regulated under the licensee's program,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 we find that we have to look at trends in their  
2 performance as well.

3 Next are some of the inspection procedures.  
4 These are the core inspection procedures that we will  
5 implement during and throughout the inspection program  
6 for the decommissioning.

7 They cover everything from the  
8 organizational, management and cost controls, the safety  
9 reviews, any design changes and modifications to the  
10 plant that will be made, the licensee's QA program that  
11 includes self-assessments, audits and corrective  
12 actions, the safety of the spent fuel, the radiation -  
13 occupational radiation exposures to the workers,  
14 inspection of final surveys, the radioactive waste  
15 treatment, effluent and environmental monitoring  
16 program, the transportation of radioactive materials off  
17 site, a lot of waste material will be packaged and  
18 transported to waste disposal sites out of state mostly,  
19 the maintenance and surveillance program, physical  
20 security and the contingency response program.

21 So, let me talk just a minute about how we  
22 plan our inspections and how we communicate our  
23 inspection results.

24 Most of our inspections, we try and lay out  
25 an inspection plan for a year in advance. We're not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 always going to hold to that inspection schedule, because  
2 conditions will change at the plant and activities will  
3 be moved up or new activities will be introduced and we  
4 have an inspection plan that is something that we can  
5 change on short notice to adjust to any activities at the  
6 site.

7 We coordinate our inspection plan with a  
8 Program Office in Washington and we get their buy-in on  
9 what we're planning to do.

10 we work for the Program Office in  
11 Washington. So, they're the ones that set our  
12 objectives and give us funding to do our job.

13 As I mentioned, we adjust the schedule as  
14 needed throughout the year. Then we execute the  
15 inspections.

16 The inspections can be announced or  
17 unannounced. Most of our inspections are announced, but  
18 not always.

19 There may be occasions where we want to do  
20 an unannounced inspection in which case we can do - we  
21 do backshift inspections and weekend inspections  
22 throughout the year.

23 And then as I mentioned, we have - the  
24 inspection plans are approved in advance by the NRC  
25 management in the region. And then we have exit meetings

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 following every inspection where we communicate the  
2 results of our inspections to the licensee so that they  
3 can examine the results and take corrective action if  
4 needed.

5 We issue inspection reports. We have two  
6 different goals for the timeliness of our inspection  
7 reports.

8 For routine inspections involving one or  
9 two inspectors, our goals are 30 days for the inspection  
10 reports from the date following the exit. For team  
11 inspections, it's a 45-day goal for team inspection  
12 reports.

13 And then as I mentioned, we do also have an  
14 enforcement policy. If we identify violations, we  
15 examine the significance of the violation and we get our  
16 enforcement staff involved.

17 We have an enforcement staff in the regional  
18 office and in our headquarters office and will panel the  
19 findings and make a determination of what enforcement to  
20 take.

21 We have a number of different enforcement  
22 tools that we can take. We're looking ultimately to get  
23 the attention of the licensee to correct any violations.

24 If violations are significant according to  
25 our enforcement policy, then we have sanctions such as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 civil penalties or orders that we can invoke in order to  
2 bring about compliance.

3 Some of the other post-inspection  
4 activities. When the inspectors return to the office  
5 and oftentimes before they return to the office, they'll  
6 call me up and they'll brief me on the inspection results.

7 Then, we make a determination collectively,  
8 the inspector and the other staff and the management in  
9 the regional office as to the significance of the  
10 findings.

11 And then we'll issue the inspection report  
12 and I've listed here the website address where you can  
13 get copies of our inspection reports.

14 Most of our inspection reports are publicly  
15 available. For obvious reasons, some minor - few  
16 inspection reports are not publicly available for  
17 security reasons, but most of the decommissioning  
18 inspection reports will be publicly available and you can  
19 access them on our website. And then finally, we'll  
20 track and follow the inspection findings to closure.

21 MR. DUSANIWSKYJ: Good evening. My name is  
22 Michael Dusaniwskyj. I am an economist in the Office of  
23 Nuclear Reactor Regulation in the Division of Inspection  
24 and Regional Support in the Financial Analysis and  
25 International Projects Branch.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1           There are regulations on financial  
2           qualifications, and more importantly on decommissioning  
3           funding assurance.

4           These standards are based on regulations  
5           that have been involved since the enactment of the Atomic  
6           Energy Act of 1954.

7           And ultimately what it is ultimately trying  
8           to do is to determine whether it can be built, operated  
9           and decommissioned safely. To do that, it takes money.

10           A licensee begins funding for  
11           decommissioning when a license is issued. There is a  
12           difference between decommissioning funding and  
13           decommissioning funding assurance.

14           The regulations at the NRC stipulate that  
15           a licensee shall have the necessary funds to decommission  
16           to NRC standards by the time the decommissioning  
17           activities begin and certainly before it is concluded.

18           Requirements while operating, we are always  
19           forecasting the collection process to determine whether  
20           or not there is enough funding in the Decommissioning  
21           Trust to complete decommissioning to NRC standards.

22           Our basic tool for that is that every two  
23           years in odd number of years by March 31st of an  
24           odd-numbered year, a licensee is to report to us seven  
25           significant pieces of information. Two of them being

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 what is the minimum amount that is necessary to put aside.  
2 And more importantly, how much money has been collected  
3 as of December 31st of the year prior to the March 31st  
4 submittal.

5 We also do spot checks. We check to make  
6 sure that what they have in a decommissioning trust fund  
7 is, in fact, in the decommissioning trust fund.

8 Decommissioning funds used, are used  
9 directly for the facility to decontaminate and  
10 decommission to NRC standards.

11 If it can be proven to us by the licensee,  
12 it can also be used indirectly for use on spent fuel  
13 management. Any residual funds can be used for site  
14 restoration and greenfielding. While they are in  
15 decommissioning, we are forecasting the withdrawal  
16 process.

17 Actual decommissioning funding assurance  
18 status reports come in annually once a licensee has  
19 declared that they are, in fact, in decommissioning  
20 status.

21 Two things that must be remembered is that  
22 as of June 7th, 2013, two clocks have already started.  
23 Number 1, the licensee has until for 60 years, to  
24 decommission to NRC standards. And, more importantly,  
25 we are waiting for the PSDAR to which we can then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 determine whether or not there is reasonable assurance  
2 that the funding in place will be, in fact, enough to  
3 carry on the decommissioning activities as prescribed by  
4 the licensee.

5 So, waiting for the PSDAR, we know the  
6 following facts and they are listed for you on this slide.

7 Fundamentally as of December 31st, 2012,  
8 Unit 2 has almost 1.7 billion dollars set aside for  
9 decommissioning. Unit 3 about 1.9 billion.

10 And for comparison, Unit 1 has a remaining  
11 trust fund of about 295 million of which there is an  
12 estimated cost resulting - excuse me - remaining cost of  
13 almost 206 million.

14 The intention of the NRC is not necessarily  
15 to claim how many nominal dollars will be involved in the  
16 decommissioning process, but my job is to more or less  
17 tell the Commission whether or not the purchasing power  
18 of those dollars will, in fact, cover all of the  
19 decommissioning costs associated with the requirements  
20 under NRC regulations.

21 The one thing that I would like to also point  
22 out is that of course greenfielding is not under the  
23 jurisdiction of the NRC. That is primarily under the  
24 jurisdiction of the California Public Utility  
25 Commission.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           So, until we have a PSDAR, these are the only  
2 facts that I can present to you at this time. Thank you.

3           MR. SPITZBERG: Okay. So, you get me one  
4 more time, and then we'll open it up to questions. I'd  
5 like to speak a few minutes about the regulation of the  
6 spent fuel at SONGS.

7           Let me start from basic fundamentals, and  
8 that is that spent fuel must have active heat removal in  
9 a pool for several years after leaving the operating  
10 reactor. After this period of time, it may be passively  
11 cooled by air.

12           Spent fuel is being safely stored at San  
13 Onofre in fuel pools and in the onsite Independent Spent  
14 Fuel Storage Installation.

15           And we use the term "ISFSI" for that long  
16 string of words, Independent Spent Fuel Storage  
17 Installation. So, if I slip up and use the term "ISFSI,"  
18 I apologize.

19           Spent fuel pools are able to withstand the  
20 same environmental hazard conditions as the reactors and  
21 will be operated by certified fuel handlers who are on  
22 shift around the clock.

23           Each spent fuel pool has redundant and  
24 independent cooling systems, power supplies, pool water  
25 sources and other safety and emergency equipment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Both the spent fuel pools and the ISFSI are  
2 protected by the San Onofre Physical Security Force and  
3 its associated security systems.

4 Why do we need an ISFSI at these sites?  
5 It's a long story, but I'll try and summarize it. The  
6 need for the alternatives to spent fuel pool storage  
7 emerged in the 1970s.

8 When these plants were initially designed,  
9 it was anticipated and expected that the fuel would be  
10 stored in the pools for a number of years to allow it to  
11 decay after which it would be packaged up and shipped to  
12 a DOE site for disposal.

13 The Nuclear Waste Policy Act of 1982 and the  
14 Amendments Act of 1987 laid out a process for licensing  
15 a geologic repository. But as most of you know, a  
16 geologic repository is still decades away.

17 Dry cask storage was developed to meet the  
18 need for expanded onsite storage of the spent fuel due  
19 to the lack of a national repository available for use.  
20 The ISFSI at SONGS became operational in October 2003.

21 To give you an example that ISFSIs are now  
22 in widespread use around the country, this is a map of  
23 the US showing all of the nuclear sites, the commercial  
24 reactors and some of the non-commercial reactors where  
25 no longer commercial reactors exist that have ISFSIs that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 are constructed and currently storing spent fuel.

2 Speaking of the SONGS ISFSI, they use a  
3 model Transnuclear Advanced NUHOMS Horizontal Storage  
4 Module System. The major components of this system are  
5 the dry shielded canister, or what we refer to as the DSC,  
6 and the horizontal storage module, or the HSM.

7 These photographs depict those. I don't  
8 know if I have a pointer on here, but on the left is the  
9 dry shielded canister open on one end. This is during  
10 the fabrication process.

11 And then the middle photograph is the  
12 fabrication process of the horizontal storage module.  
13 And then there is a horizontal storage module still under  
14 construction there showing with the concrete in place.

15 Each DSC has an outer shell consisting of  
16 5/8th-inch thick stainless steel with steel internal  
17 spacer discs. The DSC has a welded internal confinement  
18 boundary and a separate welded lid.

19 The DSC is placed horizontally inside each  
20 advanced horizontal storage module and into a steel  
21 support structure. And that's depicted in this  
22 photograph here on the transporter in a shielded cask  
23 that is especially designed to move these canisters out  
24 to the horizontal storage modules on site.

25 The advanced horizontal storage module has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 thick steel-reinforced concrete walls that are greater  
2 than four feet thick and roof slabs that are about five  
3 feet thick. And you saw the reinforcing steel in that  
4 structure as it was being constructed, in the previous  
5 photograph.

6 And this provides for additional structural  
7 protection to the canister and the radiation shielding.

8 The horizontal storage modules set on  
9 concrete pads that are steel-reinforced concrete of a  
10 minimum thickness of three feet.

11 I know those of you out here in southern  
12 California are concerned about seismic conditions. And  
13 any of us that have recalled the Fukushima accident are  
14 concerned about flooding and tsunami considerations when  
15 you live on the ocean. So, let me speak to that with  
16 respect to the SONGS ISFSI.

17 The SONGS ISFSI is designed for  
18 high-seismicity sites. The design basis earthquake  
19 used to analyze the SONGS ISFSI is 2.24 times higher  
20 than that used in the licensing of the reactors.

21 For tsunami considerations and flooding,  
22 the SONGS ISFSI is located 19.75 feet above sea level.  
23 The maximum flood condition of 29 feet was evaluated for  
24 the ISFSI, which would potentially put the ISFSI pad  
25 under nine feet of water.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           The design basis flood for the advanced  
2 horizontal storage module design is to withstand a  
3 submersion at 50 feet underwater.

4           The maximum tsunami including storm height  
5 of the waves was evaluated at 27 feet for the SONGS ISFSI,  
6 which is less than the maximum flood conditions evaluated  
7 for the site.

8           All these evaluations did not take into  
9 credit for the 28-foot sea wall which exists between the  
10 ocean and the ISFSI.

11           And finally if the ISFSI were to get  
12 temporarily flooded during a tsunami, there would be no  
13 adverse thermal effects.

14           Let me talk about how we do the inspection  
15 of the spent fuel storage. For the pool, we do routine  
16 inspections normally semiannually using an inspection  
17 procedure 60801.

18           And the reason I mention the inspection  
19 procedure number is that I would invite you all to go onto  
20 our website. You can call up these inspection  
21 procedures and read them for yourself to see what it is  
22 we look at in detail.

23           For the ISFSI inspections, we do ISFSI  
24 routine inspections normally once every two years  
25 following the guidance contained in the Manual Chapter

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 2690.

2 And this manual chapter references an  
3 assortment of individual inspection procedures that we  
4 also implement during that inspection.

5 We attempt to schedule our routine  
6 inspections of the ISFSI when there's an active loading  
7 campaign in progress.

8 We are not always able to do that. For  
9 those ISFSIs that have been fully loaded, we're not able  
10 to do that, obviously, but we do make every effort to come  
11 out when they're actually loading the cask.

12 And once again I'll reference the website  
13 of the NRC where you can find out inspection guidance and  
14 NRC inspection reports for the ISFSI.

15 MR. CAMERON: Okay, thank you. Thank you  
16 all. Good information for everybody. And before we  
17 start the question and answer, I forgot to tell you that  
18 if you want to write a question tonight instead of  
19 speaking, you can do that. And my colleague Bob Hager  
20 who's right in the back of the room, he has these yellow  
21 cards. You can write a question and at some point during  
22 the night we'll read some of them.

23 And also, we're going to take a ten-minute  
24 break around 7:30 and then come back and finish the  
25 evening off.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 We're going to start the  
2 question-and-answer session by going to Gene Stone who's  
3 right here. He's the spokesperson for a new coalition  
4 of concerned citizen groups. It's the Coalition to  
5 Decommission San Onofre.

6 The coalition has taken the time and effort  
7 to put together some basic questions about the  
8 decommissioning of SONGS. And the NRC appreciates that  
9 effort.

10 The questions are from the coalition, but  
11 the answers to those questions are for all of you. And  
12 I think that a lot of these questions are on everybody's  
13 mind.

14 So, I'm going to ask Gene to say a few words  
15 about the coalition and to read us the first question.  
16 I'll read the second question.

17 We're going to put them up on the screen so  
18 that they're easier to understand for all of you. The  
19 NRC will then answer two questions and then we're going  
20 to go on to all of you to see what else is on everybody's  
21 mind out here.

22 We'll come back to the next two coalition  
23 questions at some point. Go back to all of you and we'll  
24 just continue doing that.

25 And at some point towards the end of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 evening we'll see if there's any follow-up questions to  
2 the NRC answers that have been given.

3 And, Gene, could you talk to us a little bit  
4 right now? I can hold this, or you can. Whatever you  
5 want.

6 MR. STONE: The coalition consists of  
7 different citizens here in the southern California area  
8 and different groups as well.

9 The Sierra Club is here with us. San  
10 Clemente Green, Residents Organized for a Safe  
11 Environment. Citizens Oversight Project is here,  
12 Women's Occupy and the Peace Resource Center of San Diego  
13 are here. And the Sierra Club chapter is the Angeles  
14 Chapter, which includes LA and Orange County.

15 So, we are here today in hopes that the NRC  
16 will make San Onofre a flagship project for the safe and  
17 sane cleanup of America's effort to decommission our old  
18 and dangerous nuclear fleet and its highly radioactive  
19 problems.

20 The original Manhattan Project brought us  
21 to where we are now and it's time for this kind of  
22 resources and energies to be put into a new project to  
23 rid us of the dangerous, highly dangerous radioactive  
24 waste that we have here at SONGS and all the nuclear power  
25 plants.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 To this end, the coalition to decommission  
2 is forming a true citizens oversight committee to watch  
3 out for the health and safety of Californians and the  
4 workers at the plant during the decommissioning process.

5 Our second goal is to monitor the cost of  
6 decommissioning so that the citizens and rate payers of  
7 California are not gouged during this process. Most of  
8 that obviously will happen with the PUC.

9 So, my first question is, is the NRC willing  
10 to recognize and give us, the Coalition to Decommission  
11 San Onofre, official status? Will the public have an  
12 opportunity to review, comment on significant  
13 decommissioning plans, including plant expenditures?

14 MR. CAMERON: Okay, thank you. Thank you,  
15 Gene.

16 Larry, would you like to address the first  
17 one?

18 (Applause.)

19 MR. CAMPER: Thank you, Gene. Appreciate  
20 your comments.

21 The NRC will take that into consideration,  
22 absolutely. I think there's a lot of merit in what  
23 you're suggesting and I guess I would probably like for  
24 you to tell us just a little bit more about how you think  
25 that might work or the merit of that type of relationship.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. STONE: Well, first I'd like to say  
2 before I tell you what I think that might entail, because  
3 what that entails is limited by what you say is possible.  
4 So, let me start by saying what I think this will do for  
5 the NRC to have citizens involved.

6 It will give the credibility to the NRC that  
7 the chairman is trying to achieve by openness and dealing  
8 with groups like ourselves.

9 It will also lend itself to having our  
10 communities at large have interested people who will be  
11 there to oversee the safety from a citizen's point of  
12 view, not from a technical point of view, but just to keep  
13 an eye on to help inform what goes on out there during  
14 the process.

15 And we envision doing this through some sort  
16 of process where we establish an ongoing group of people  
17 that would somehow - and we haven't formulated all these  
18 ideas, but like a board of directors and but we want this  
19 to be a true citizens oversight.

20 So, we'd like to join with you during  
21 inspections with the NRC. Not that we have an eye for  
22 a technical point of view, but we - a critical eye and  
23 critical thinking from different perspectives brings a  
24 whole new light on any story.

25 So, again, how that will manifest will come

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 from, I'm sure, the chairman and the other commissioners,  
2 but we'd like to be part, an active part of participating  
3 in the safety of this lengthy process. Thank you.

4 MR. CAMPER: Well, thank you. We hear that.  
5 And, like I said, we'll take it under consideration and  
6 we'll do that very promptly. Thanks, Gene.

7 MR. CAMERON: Okay. Could we get the second  
8 question up on the screen for everybody to see? And this  
9 is a multi-part question. So, I'm going to read it and  
10 it will be up on the screen for everybody to see.

11 And this is about high burnup fuel. And the  
12 question is, high burnup fuel has been used at San Onofre  
13 since 1996 we were told by the NRC recently, but we cannot  
14 find a public notice of that from the NRC or SEC. Even  
15 the union and other workers we have talked to were not  
16 aware of its use.

17 Was a notice ever given to the public and  
18 workers? Were workers made aware that this high burnup  
19 fuel is more than twice as radioactive?

20 And there's a further statement that high  
21 burnup fuel is hotter and between two and 158 times more  
22 radioactive requiring the waste to be cooled onsite in  
23 spent fuel pools for at least 12 to 15 years rather than  
24 five years.

25 Does the NRC agree with these statements?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 If not, how much more radioactive would the NRC say high  
2 burnup is?

3 Edison reported to the CPUC, that's  
4 California Public Utilities Commission, they must keep  
5 some of their fuel in spent fuel pools for at least 12  
6 more years.

7 Why don't we go to the NRC for answers to  
8 that before we go to the other parts of the question.  
9 And, Blair, are you going to answer that for us?

10 MR. SPITZBERG: I will try. Okay. I'll  
11 answer what I can. I'm not from the licensing  
12 organization and headquarters that would license the  
13 authorization for the high burnup fuel, but what I can  
14 tell you is that they have used high burnup fuel.

15 They are authorized for storage casks to  
16 contain that high burnup fuel once it's brought out of  
17 the pool.

18 I don't have the tech spec requirements here  
19 with me and I wasn't able to get them two days ago when  
20 I got the question. So, I apologize for not having been  
21 able to get the answer to the question about what the  
22 storage time in the spent fuel pool must be for the high  
23 burnup fuel.

24 I think in general terms high burnup fuel  
25 does have to remain in the pool for some period of time

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 longer than the normal five years for regular fuel.

2 I think seven years is the number that I've  
3 seen normally as a figure for high burnup fuel, but it  
4 really depends on the level of burnup and what was  
5 authorized on the license and I don't have that  
6 information.

7 What I can say is that the high burnup fuel  
8 will not be loaded into a canister for long-term storage  
9 in the ISFSI unless it meets the certificate of  
10 compliance for that canister system. And we will  
11 inspect that.

12 MR. CAMERON: Okay. Thanks, Blair. I'm  
13 going to go through - there's three other parts here and  
14 I'm going to read all of them. And then we'll go back  
15 to the NRC staff for answers.

16 How does the high burnup fuel affect the  
17 decommissioning process at San Onofre? What specific  
18 problems does this higher radioactive fuel present for  
19 waste storage in fuel pools and dry cask storage at San  
20 Onofre and just how much longer will this radiation last?  
21 How will decommissioning be impacted by the current  
22 onsite storage of the spent fuel?

23 Third part of the question is, we understand  
24 the NRC staff is worried about short and long-term waste  
25 storage in dry cask of high burnup fuel and has initiated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com



1 a new study to determine if it can be safely stored in  
2 dry cask.

3 Is this report complete? Will it be  
4 released public and when? One of your concerns is that  
5 there is no way to monitor what's occurring inside the  
6 dry cask.

7 How does the NRC propose to monitor the  
8 highly radioactive material in a dry cask? How many  
9 casks will be required to safely store all the high burnup  
10 fuel that is onsite in both the spent fuel pool and dry  
11 casks at San Onofre?

12 MR. SPITZBERG: That's a lot of questions.

13 MR. CAMERON: Okay.

14 MR. SPITZBERG: Let me see if I can attack  
15 them one at a time.

16 MR. CAMERON: And just one - how much high  
17 burnup fuel is on site in fuel pools and dry casks at San  
18 Onofre? Okay.

19 MR. SPITZBERG: Okay. And I will tell you  
20 that I worked over the last day and a half with some of  
21 our folks from headquarters. So, some of the  
22 information I'm relying on to respond to this question  
23 is information that they helped to gather while we were  
24 traveling out here.

25 What I can say is that the NRC does collect

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 data on the total amount of spent fuel stored at  
2 commercial facilities like SONGS throughout the country.

3 The information and much more concerning  
4 the nuclear fuel is available on our website. If you go  
5 to our website NRC.gov and look at what - under waste and  
6 spent fuel storage, you'll get the webpage with that  
7 information.

8 However, for any given facility, the  
9 information is considered security-sensitive  
10 information and is, therefore, not disclosed to the  
11 public as to the amount of spent fuel.

12 You can find this in other publications,  
13 though, because I found a publication yesterday called  
14 Store Fuel that does have the number of fuel assemblies  
15 here at SONGS published.

16 When the last routine ISFSI inspection  
17 report was issued in May of - May 20th, 2011, and this  
18 is a report that's available on our website, SONGS had  
19 loaded 11 canisters that contained at least one fuel  
20 assembly that was greater than the criteria for high  
21 burnup fuel.

22 I'll mention that criteria to you. I know  
23 it won't mean a lot to most of you, but it's anything  
24 greater than 45 gigawatt days per metric ton of uranium  
25 in the fuel and it basically relates to how long the fuel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 was in the reactor at power. And that's what - if you're  
2 greater than that number, then it's considered high  
3 burnup.

4 Out of the 55 canisters that are loaded on  
5 the ISFSI pad currently or at that time of the inspection,  
6 the NRC does not maintain records showing how many fuel  
7 assemblies have been loaded that were high burnup.

8 However, licensees and certificate holders  
9 are required to register each cask with the Nuclear  
10 Regulatory Commission under the provisions of Part  
11 72.212(b)(2). And the registrations and information  
12 contained therein is subject to routine inspection.

13 The NRC does agree that there is currently  
14 no way to monitor the behavior of fuel inside a sealed  
15 cask. We are actively monitoring the efforts of  
16 industry and the Department of energy to better  
17 understand fuel aging mechanisms.

18 The DOE is taking an active role in funding  
19 the Nuclear Energy University Program projects to look  
20 into this issue.

21 In addition, DOE is sponsoring a  
22 demonstration test with a variety of high burnup fuels  
23 to benchmark their models of the behavior of the fuel and  
24 to obtain through monitoring of this cask the temperature  
25 and gases evolved, which will tell them how the fuel is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 behaving. This demonstration will provide data that  
2 monitors the behavior of the spent fuel.

3 It depends on which dry cask storage system  
4 is used at San Onofre for the decommissioning effort and  
5 when the spent fuel is actually moved to the dry cask  
6 storage to the different sizes of casks and the actual  
7 heat load being given off by the assemblies that the  
8 licensee wants to load into the casks. And this  
9 information is not yet available from the licensee on the  
10 new casks that they're wanting to put into use.

11 MR. CAMERON: Are you ready for the last part  
12 of the question, or do you still have some more on that?

13 MR. SPITZBERG: Is that D?

14 MR. CAMERON: Yeah, this is D. We know that  
15 MOX fuel was -

16 MR. SPITZBERG: Okay.

17 MR. CAMERON: - used in Unit 1 and removed  
18 from San Onofre to the GE Morris facility in Illinois.

19 How and when was that done and under what  
20 permit was that done? If MOX fuel was transported away,  
21 can other high burnup fuel be moved from the site in the  
22 same way to the same place?

23 MR. SPITZBERG: Okay. the MOX fuel was not  
24 moved to GE Morris in Illinois. And what I can say was  
25 that between March of 1972 and September 1980, 270 fuel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 assemblies were shipped to GE Morris and MOX fuel was not  
2 included in these shipments.

3 NRC does not require/retain records of  
4 which transportation package was used at that time for  
5 the specific shipments.

6 That was a unique shipment. Normally fuel  
7 can't be shipped to an intermediate storage facility like  
8 GE Morris without specific authorization from the NRC,  
9 in which case they were authorized under their license.  
10 Those shipments are no longer being conducted, but the  
11 MOX fuel was not part of those shipments. The MOX fuel  
12 is in storage here at San Onofre.

13 MR. CAMERON: Okay. Thank you, Blair. And  
14 we're going to go to other people now. We will be back  
15 to the coalition's questions and eventually we're going  
16 to go to - for follow-up questions there.

17 And, yes, sir, if you could just introduce  
18 yourself to us?

19 MR. CRAYCRAFT: Thank you very much,  
20 gentlemen. Thank you for being here with us this evening  
21 and allowing the public to respond. It's commendable.  
22 Applaud you on the efforts of not only your group, but  
23 the entire NRC for progressing what everyone in this room  
24 hopes to be a safe and honorable process in the  
25 decommissioning.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 I have a couple quick questions for you. My  
2 name is William Craycraft. I'm a four-term mayor -  
3 former mayor of Mission Viejo, California, which is South  
4 County's largest city close to SONGS.

5 The first question I have is, given that SCE  
6 has decommissioned Number 1, Generator Number 1  
7 successfully as I understand what you have shared with  
8 us here, were there any problems with that  
9 decommissioning process?

10 PARTICIPANT: I'll address that because -

11 MR. CAMERON: Why don't you ask your second  
12 question as well?

13 MR. CRAYCRAFT: Okay, I can go that. And  
14 were there - the other question is, were there any  
15 problems with the decommissioning of Unit Number 1 and  
16 have the regulations changed since that decommissioning  
17 of Unit Number 1? In other words, something applying to  
18 Two and Three?

19 The second question, please, is I heard at  
20 the beginning in the introductions that Chip gave that  
21 there are a number of state agencies possibly here, maybe  
22 another Federal agency representing. What is their  
23 function in the decommissioning process? If they could  
24 briefly share with everyone here what their  
25 responsibility is, please.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Thank you kindly.

2 MR. CAMERON: Okay. Good questions, Bill.

3 And after we get the first one, we're going to go to some  
4 of the state agencies so that they can explain that.

5 And NRC staff, you heard the first question.

6 And I think part of the essence of that question also is  
7 what lessons have been learned in the decommissioning of  
8 San Onofre Unit 1 or other decommissioning experiences  
9 since then that you might want to talk about.

10 Blair, you go. And I don't know if Doug  
11 Broaddus from NRR wants to say anything, but we're going  
12 to leave it to you and then we'll go to the state agencies.

13 Blair.

14 MR. SPITZBERG: Okay. I was the branch  
15 chief over decommissioning during the decommissioning of  
16 Unit 1. And one of my principal inspectors for the  
17 decommissioning of Unit 1 is here tonight, Rob Evans.  
18 So, I'll invite him to weigh in if he has any input as  
19 well.

20 Unfortunately, in preparation for this  
21 meeting I didn't go back and review all the inspection  
22 reports from the Unit 1 decommissioning, but I'll rely  
23 on my memory as best I can.

24 In my recollection, the decommissioning of  
25 Unit 1 went very well and very smoothly and it was pretty

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 much on schedule.

2 I do remember that there were some routine  
3 violations that we identified throughout. I remember  
4 one in particular that was what we considered to be a more  
5 significant violation that involved a shipment of some  
6 liquid radwaste to a disposal site in Utah that had some  
7 leakage when it was at a truck stop in Utah.

8 The licensee responded very promptly and  
9 they went out there and performed a little bit of decon  
10 at the truck stop and reconfigured the waste shipment and  
11 got it on its way to the disposal site.

12 And there were no health effects as a result  
13 of that, but it was still a leaking shipment, which is  
14 unacceptable to us and a violation. So, we did cite the  
15 licensee at that time. And I do believe that was what  
16 we considered to be escalated enforcement, but I don't  
17 think that there were any monetary sanctions because of  
18 the good performance history at the time of the  
19 decommissioning effort.

20 I think the second part of your question,  
21 was there anything unusual that we saw during the  
22 decommissioning, I would say that there is not.

23 The one thing that sticks with me is the fact  
24 that they have not yet terminated the license there. And  
25 one of the principal reasons for that is that the reactor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 vessel is still on site in storage and that I know that  
2 they had developed plans to grout the reactor vessel and  
3 to ship it to a disposal site, I believe, in South  
4 Carolina, which was the only open site that could accept  
5 that reactor vessel at the time.

6 And I think they had some difficulties and  
7 challenges in getting some of the approvals for the right  
8 of the way for the transportation of that.

9 They went through several different  
10 iterations, as I recall, of different routes that they  
11 could pursue. And I think they finally made a decision  
12 just to keep it on site until the decommissioning of Units  
13 2 and 3. And so, it still rests there today.

14 MR. CAMERON: Okay. Thank you very much,  
15 Blair. And, Larry, Bruce?

16 MR. CAMPER: Yeah, I would just footnote that  
17 and thanks for the question. There has not been a change  
18 in the regulations since Unit 1 underwent  
19 decommissioning, but there have been a number of  
20 information notices put out by our agency in terms of  
21 lessons learned. For example, there's been information  
22 put in about how to enhance site characterization that  
23 comes to mind.

24 And there have been workshops we've had with  
25 industry over the years where we've gone back and looked

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 at what we now know about decommissioning.

2 So, no regulatory change, but much  
3 additional information.

4 MR. CAMERON: Anything else that you want to  
5 add, Bruce, on this?

6 MR. WATSON: San Onofre 1 was somewhat unique  
7 in that we did what we would call a partial site release  
8 under 10 CFR 50.83. And it was determined that the - I  
9 believe it's the intake structure which extends out into  
10 the ocean was released.

11 And of course it was unconditionally  
12 released and it was determined that removal of that  
13 particular structure may create more environmental  
14 damage than leaving it in place. And so, that was  
15 somewhat unique in the decommissioning for Unit 1.

16 MR. CAMERON: Okay, thank you. Let's go to  
17 the second part of Mr. - pardon me?

18 MS. RUSEN (phonetic): I'm wondering if I  
19 could just follow up. I have a couple of follow-up  
20 questions on what was just said.

21 Is that possible rather than moving on?

22 MR. CAMERON: We'll follow up with you later  
23 on. We're going to go to the state agencies right now.  
24 Thank you.

25 Okay. Second question was about the state

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 agencies and let me introduce Cynthia Walker from the  
2 California Public Utilities Commission and Rob Oglesby  
3 from the California Energy Commission.

4 And, Cynthia, do you want to go first and  
5 just say a little bit about what the PUC is doing, and  
6 then we'll go to Rob. Cynthia.

7 MS. WALKER: So, the California Public  
8 Utilities Commission's role in decommissioning is we  
9 have oversight of the management of the decommissioning  
10 of the funds that are set up for all the decommissioning  
11 of the plants and in California.

12 So, there is a separate board. It's all  
13 established by commission decision that oversees the  
14 investments in the fund.

15 And what we do is, and what we'll be doing  
16 with SONGS, is they will be filing an application for  
17 their plan for decommissioning and they've forecasted an  
18 amount that they are likely to spend, and we will be  
19 releasing funds for each of the - as they do the  
20 decommissioning and overseeing that process.

21 The fund is pretty substantial at this  
22 point. The plan was always to have it that way. Because  
23 of the lease with the Navy, there is a requirement that  
24 it be a greenfield restoration.

25 So, and then we also establish the rates.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We keep track, make sure that there is funding. As  
2 Michael was saying, California is more strict than the  
3 NRC in some ways. We have our own - not maybe more  
4 strict, but we have additional requirements. And so, we  
5 will make sure that there is sufficient funding for the  
6 decommissioning as required by the state.

7 MR. OGLESBY: So, I'm Rob Oglesby. I'm the  
8 executive director of the California Energy Commission.  
9 And the California Energy Commission has been involved  
10 with this since the plant was first shut down 20 months  
11 or so ago.

12 And our role in the process isn't so much  
13 with decommissioning, but it's been to work with our  
14 sister agencies to make sure going forward that there is  
15 reliable electricity supplied in the absence of SONGS.

16 And over 2012, for example, we worked with  
17 our sister agencies, the CPUC, the CAISO, to make sure  
18 that we could make system changes in the near term to take  
19 care of the summer of 2012. And that included restarting  
20 an old power plant in order to give some voltage support,  
21 making improvements in transmission and also working to  
22 get additional conservation.

23 We made other changes to get through the  
24 summer of 2013. Now, with the certainty of this resource  
25 not being online, we're working to design plans going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 forward to have a stable and reliable supply of energy  
2 for this region.

3 MR. CAMERON: Thank you, Cynthia. Thank  
4 you, Rob. Let's see what the woman in the red sweater  
5 has on her mind and then we'll answer that. And then  
6 we'll take a break.

7 If you could just please introduce yourself  
8 to us?

9 Ms. RUSEN: Thanks. My name is Mila Rusen.  
10 I live in Los Angeles and I have - there were a couple  
11 of things that struck, me.

12 One, there was a statement made that there  
13 was release of radioactivity during the decommissioning  
14 of - that there was a release of radioactivity during some  
15 kind of an incident that happened in transporting some  
16 of the equipment from Unit 1 and there was an assertion  
17 made that there was no health impact. And so, I'd like  
18 to know the basis of that assertion.

19 And then, I'd also like to know - someone  
20 else stated after that, that there was another release,  
21 I think, into the ocean.

22 And so, I want to know about how you can be  
23 so sure that there were no health consequences whatsoever  
24 as a result of these releases of radiation.

25 MR. CAMERON: Thank you. Thank you very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 much. And we're going to see if we can give you some  
2 information on that. And perhaps more information can  
3 be given during the break to you from the NRC staff, but  
4 anybody - who would we suggest address that? Blair?

5 MR. SPITZBERG: I can address that.  
6 Although, my memory is vague on this now. And, Bob, you  
7 may have to help me is that when we - this would have been  
8 a reportable event that we were notified of. And when  
9 we get a report like this, we would dispatch an inspector  
10 to the site to take surveys of not just the vehicle, but  
11 any areas that the vehicle may have leaked to.

12 And my recollection is that based upon the  
13 surveys that were conducted and the information that we  
14 were able to gather from the route of the vehicle and the  
15 circumstances of the leakage, that it was not  
16 significant.

17 If you need more details than that, what  
18 I'll have to do is find the inspection report that  
19 documented our follow-up inspection of that and then we  
20 can make sure that you're aware of that. It's on our  
21 website.

22 I just think that that was - what was that,  
23 Bob? That was about 2006. Okay. So, that was about  
24 eight or nine years ago.

25 MR. CAMERON: And let's see if Bob has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 anything to add to that. And I don't want to lose the  
2 last part of the question, because I think it's  
3 important. It goes to how the NRC does things about how  
4 can you be certain that - what process do you use to make  
5 sure that - to ascertain whether there is affects or not.  
6 And, Bob, you can address -

7 MR. EVANS: Bob Evans. I'm a senior  
8 inspector for the NRC. The event occurred in 2006.  
9 There was liquid radwaste that was being disposed in  
10 Utah.

11 And a vent on the tanker leaked and I  
12 understand it leaked on a road. And this occurred in  
13 Utah, which is what we call an agreement state. And the  
14 state of Utah responded on behalf of the NRC.

15 The licensee at the time dispatched a team,  
16 remediated the roadway and just basically it did not  
17 create a significant radiological hazard to health and  
18 safety.

19 It was an environment release and it was  
20 eventually cleaned up.

21 MR. CAMERON: Okay. Thank you and anybody  
22 else from the NRC want to add something before we go on  
23 break?

24 Bruce and Blair.

25 MR. SPITZBERG: Let me just add one final

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 point on that.

2 MR. CAMERON: Okay.

3 MR. SPITZBERG: And that is under the  
4 transportation regulations from DOT which we enforce  
5 when it comes to transportation of radioactive  
6 materials, is that certain materials that are  
7 radioactive cannot be transported in liquid form if there  
8 is above a certain level of radioactivity.

9 And so, for something that's of a liquid  
10 nature to be transported in a bulk form like that, it has  
11 almost by definition to be a low-level activity.

12 So, that's one of the things that gave us  
13 confidence that there were no significant radiological  
14 consequences associated with this, but we had to wait  
15 until the final surveys and information came in from the  
16 inspection team from Utah and that we were able to assess  
17 that.

18 Nevertheless, I will say that it was a  
19 significant violation to us. It fell into what we call  
20 a Severity Level 3 category under our enforcement  
21 policies, which is the threshold for when we consider  
22 escalated enforcement.

23 And when we consider escalated enforcement,  
24 we take into account the significance of it. And we take  
25 into account other factors like enforcement history and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 other parameters that we go through with our enforcement  
2 staff to make a final determination of what enforcement  
3 mechanism to use.

4 MR. CAMERON: Okay. Thank you very much.  
5 And is it Cynthia? What was your name?

6 MS. RUSEN: Mila.

7 MR. CAMERON: Mila. Okay. Sorry, Mila.  
8 We're going to take a break now for ten minutes. I have  
9 7:36. And we'll get started again after ten minutes and  
10 you can come back at your leisure.

11 (Whereupon, the proceedings went off the  
12 record at 7:36 p.m. for a brief recess and went back on  
13 the record at 7:46 p.m.)

14 MR. CAMERON: And just let me give you a  
15 preview of what we're going to do for the next few minutes  
16 at any rate, and then we're going to try to get to the  
17 rest of everybody.

18 We have first - and, Bob, just hold off one  
19 second. First of all, we have a woman right here who's  
20 going to ask a question, okay, but someone asked - there's  
21 a video being taken of this meeting. That's going to  
22 be the record of the meeting. And I was told that that  
23 would be available in a couple of weeks.

24 MR. LANTZ: Maybe less than that, actually.

25 MR. CAMERON: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LANTZ: Yeah, the video of the meeting  
2 tonight, it will be posted on our website. And that  
3 should be within about two weeks. And it will also be  
4 transcribed so you can read it, if you don't want to watch  
5 it.

6 MR. CAMERON: Okay, thanks. That's Ryan  
7 Lantz from Region IV.

8 We also were asked the question of who  
9 authorizes the use of high burnup fuel. It was in the  
10 coalition's question and people weren't sure that we  
11 answered that. So, we want to get back to that.

12 The NRC is going to be back out here in ten  
13 days or so at the Sheraton to do a public meeting on the  
14 draft environmental impact statement on waste  
15 confidence.

16 And it's very important for everybody to  
17 know about that. And I don't want to - I don't want to  
18 let that languish.

19 So, I was going to ask Paul Michalak who's  
20 here from the Waste Confidence Directorate at the NRC  
21 headquarters in Rockville, Paul, can you just tell people  
22 about - a little bit about the meeting, the schedule and  
23 everything? And let's get that done now.

24 Paul.

25 MR. MICHALAK: Yes, we're going to be back

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 here - well, in Carlsbad in Wednesday, October 9th.  
2 We're going to be over at the Sheraton.

3 We're going to have an open house between  
4 6:00 and 7:00 and we're going to be taking comments from  
5 7:00 to 10 o'clock.

6 And that has to do with we've been  
7 developing over the last year a Generic Environmental  
8 Impact Statement having to do with the continued storage  
9 of spent nuclear fuel. That being the time from the end  
10 of the license life of a reactor until the fuel is taken  
11 then to a mine geologic repository.

12 We have this document out for comment.  
13 Went out Friday the 13th in September. September 13th.  
14 And the commenting period ends November 27th. So, we're  
15 doing a lot of meetings around the country and we start  
16 next week.

17 We have a meeting next Tuesday at  
18 headquarters that's going to be webcast and then it's  
19 also going to be teleconferenced. You can call into that  
20 meeting if you couldn't make our October 9th meeting.

21 Then at the end, or near the end of the  
22 commenting period on November 14th, Thursday, we're  
23 going to have another meeting at headquarters that would  
24 also be webcast and teleconferenced and you could also  
25 call into that as well if you had comments.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MR. CAMERON: Thank you, Paul. And if  
2 you're interested in more information on waste  
3 confidence, Paul will be here.

4 MR. MICHALAK: And I'm sorry. We have  
5 flyers out on the table with a lot more detailed operation  
6 about the October 9th meeting.

7 MR. CAMERON: Okay. Thanks. Thanks, Paul.  
8 And after we hear from this woman right here, we're going  
9 to go over to Gale and two women over here, okay? So,  
10 thank you. Please address us.

11 MS. BORCHMANN: Hello. My name is Patricia  
12 Borchmann. I'm a resident in Escondido, San Diego  
13 County. And I have family in Carlsbad, I have family in  
14 Seal Beach and I consider in, you know, the 8.46 million  
15 people within 50 miles of San Onofre, I consider all of  
16 you my family. So, that's where I'm coming from.

17 And I, you know, I think that the public  
18 expects NRC to fully perform and carry out your duties  
19 for public safety. And so, anyway, some of my questions  
20 - one of my comments is related to your announcement just  
21 now that NRC is going to be having public meetings  
22 regarding a Generic Environmental Impact Statement  
23 that's going to be prepared.

24 One comment I'll give you up front so you  
25 can give your NRC people a head up, I think that the people

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 in southern California think that a site-specific  
2 Environmental Impact Statement as opposed to a Generic  
3 Impact Statement would be required given the specific and  
4 very important physical circumstances at San Onofre  
5 which don't exist elsewhere in the nation.

6 Generic documents don't, you know, provide  
7 site-specific assessments and I think that would be a  
8 real important -

9 MR. CAMERON: Okay. Thank you, Patricia.

10 MS. BORCHMANN: Okay. Anyway, that wasn't  
11 my question.

12 MR. CAMERON: Well, go ahead.

13 MS. BORCHMANN: Thank you for allowing me the  
14 time. There's been a lot of discussion by each team  
15 member, you know, to convey reasons why the Nuclear  
16 Regulatory Commission has such confidence, waste  
17 confidence, you know, and that's what this EIS is going  
18 to be talking about, but basically confidence in every  
19 aspect.

20 Unfortunately, the public here in southern  
21 California, we've grown skeptical over a long history of  
22 living here near San Onofre and being exposed to, you  
23 know, circumstances which we feel impacts have been  
24 minimalized, trivialized, marginalized, sanitized and  
25 pretty much, you know, comments and concerns of even

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 independent experts who are engineers, who are, you know,  
2 physical scientists, physicists and, you know, highly  
3 qualified specialists that they have conclusions that  
4 are in contrast with the safety assurances that the NRC,  
5 you know, provides us to members of the public because  
6 -

7 MR. CAMERON: Patricia, is there a question?

8 MS. BORCHMANN: Okay, yes. For example, the  
9 use of high burnup fuel started in 1996. Why is it or  
10 what basis for public safety was your approval, the NRC's  
11 decision to approve the use of high burnup fuel used when  
12 there has been no analysis, there has been no proof,  
13 credible proof that the long-term effects will have no  
14 significant impact, you know?

15 MR. CAMERON: Okay. Patricia, we're going  
16 to - that matches the concern that someone had during the  
17 break about the authorization of the high burnup fuel.  
18 So, we're going to - let's take that now and then I want  
19 to go to Gale and to Larry Kramer and - right here, okay.  
20 And then we've got to get Three and Four of the  
21 coalition's questions up there.

22 Authorization, Bruce, Blair, you heard the  
23 question. How is the use of high burnup fuel at a  
24 particular site at this site, how is that authorized?

25 MR. SPITZBERG: Chip, that's authorized by

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 our Office of Spent Fuel Storage and Transportation.  
2 And what they do is they will get an application for a  
3 cask for storage of spent fuel. And as part of that  
4 application, they'll get all the specifications for the  
5 spent fuel including heat load and the type of fuel  
6 assemblies and how long the burnup was and a whole  
7 assortment of parameters of which I'm not fully aware of  
8 all the questions that they ask.

9 They have thermal specialists, they have  
10 health physicists, they have structural specialists,  
11 they have criticality specialists, they have all these  
12 specialists that will review that application.

13 And if that application meets the criteria  
14 for licensing that cask, they will approve the cask.  
15 Once they approve that cask, they'll certify it. And  
16 then that is open to the public comment and to hearings  
17 and that process.

18 What they do is they will rely on historic  
19 data, a fuel that has been stored in casks of that nature  
20 that they have either from the vendors or from licensees  
21 or from, in some cases, DOE they have a historic database  
22 and models that they use to develop the thermal models  
23 and the health physics models associated with that. And  
24 that's part of the licensing basis.

25 It's unfortunate we don't have somebody

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 from a licensing organization that does that licensing  
2 that will be able to provide a more detailed answer to  
3 that, but that's basically - excuse me?

4 MR. CAMERON: Please, please, please.  
5 Please, we're trying to get the answer to your question.  
6 Okay? So, just let's please let people try to answer the  
7 question.

8 And I think that the issue is you're talking  
9 about the use of the cask for it, but I think the question  
10 is, is why was high burnup fuel authorized to begin with.

11 We're going to go to Doug Broaddus from the  
12 Office of Nuclear Reactor Regulation. Doug.

13 MR. BROADDUS: What I can talk about is the  
14 licensing process for fuel. I don't have specifics on  
15 the applications that occurred with San Onofre at the  
16 time, you know, back in the early '90s.

17 I didn't have a chance to research that yet,  
18 but the fuel itself is - there would be an application  
19 originally that would be approved with the license  
20 originally, the type of fuel that would be used at the  
21 reactor site.

22 The manufacturers may come in and want to  
23 use different fuel and they'll - or produce different  
24 fuel. They'll come in for a - what would be more of a  
25 generic type of approval. We would do that through a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 topical report. And then that would be approving the  
2 design of the fuel itself.

3 And then if each reactor wants to come in  
4 and use that fuel at their particular facility, they'd  
5 have to come in for a specific - a site-specific amendment  
6 request at their site to use that fuel.

7 So, that's the process that's used. And  
8 each of those, there would be a licensing amendment and  
9 application. There would be an opportunity for public  
10 involvement in that, but I don't have the specifics for  
11 San Onofre as the one that happened - which one - we can  
12 get that information and provide that at a later date.

13 MR. CAMERON: That's the process that was  
14 gone through. And you can get specifics on that, okay.  
15 Thank you very much, Doug, and we're going to go to Gale  
16 and to Mr. Kramer and then we're going to come to you,  
17 okay?

18 Gale. Yes, we'll get you in there. We're  
19 going to do it a little bit later. Go ahead, Gale.

20 GALE (phonetic): Yes. This is perhaps a  
21 very difficult thing to have to face, but I think we need  
22 to keep track of the fact that the San Onofre nuclear  
23 generating station is on the edge of the ocean and we need  
24 to learn lessons from Fukushima also on the edge of the  
25 ocean.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 One of the things that's happened across the  
2 last few years in Orange County is that its entire coast  
3 under every municipality from San Clemente to Seal Beach  
4 has qualified tsunami ready.

5 SONGS has qualified as something called  
6 storm ready, but we've been down there and we've taken  
7 a look at their so-called wall. And I really think  
8 almost that whatever needs to be kept for a while in  
9 cooling ponds needs to be transported to cooling ponds  
10 that are further inland or the disaster for the coastal  
11 area and a really significant tsunami will be enormous.

12 When you get that radioactive material  
13 spread that way, you have Fukushima where they're not  
14 trying to take care of even more water that they tried  
15 to get out of the picture, because it's become  
16 radioactive. So, I bring this problem to your  
17 attention.

18 I don't know what the answer is, but I'm not  
19 sure that's a good place to put it to sleep to the sound  
20 of the waves.

21 MR. CAMERON: Okay. Thank you for that  
22 comment, Gale.

23 (Applause.)

24 MR. CAMERON: We're going to go to Councilman  
25 Kramer. Councilman Kramer.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. KRAMER: Yeah, I'm Larry Kramer. I'm on  
2 the City Council of San Juan Capistrano and I've been to  
3 I think every meeting that's been held in the last couple  
4 years, but I've got a real simple question.

5 I appreciate all the questions and I've  
6 learned a lot from all these meetings. I think they're  
7 fascinating and I think everybody brings a different  
8 perspective as they come in here and it's been very  
9 interesting to hear all the different perspectives.

10 I heard something tonight, though, that  
11 peaked my interest and I'm curious. On Unit Number 1,  
12 the reactor vessel is still there and you had some  
13 difficulty shipping it. And now, that method of  
14 shipping apparently has gone away.

15 It makes me wonder are there other parts of  
16 Unit 1 that are still here, and does that imply that for  
17 Units 2 and 3 that the reactor vessels and other primary  
18 components may be here for a long time, if not forever.  
19 That's my simple question.

20 MR. CAMERON: Simple question, but perhaps  
21 the answer isn't. I don't know. Who's going to deal  
22 with that one up on the platform?

23 MR. SPITZBERG: I would have to go back and  
24 check, but I believe that the only thing remaining of a  
25 radiological nature from Unit 1 is the reactor vessel and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the spent fuel.

2           There may be some what we call greater than  
3 Class C waste that may have been also containerized and  
4 put in their SOC, but I would have to verify that. That's  
5 something that has been done at other sites.

6           I'm not aware of any other certainly  
7 significant sources from Unit 1 there.

8           MR. CAMERON: Okay. Go ahead, Bruce, and  
9 then we'll go to Bob. Go ahead.

10           MR. WATSON: You want to talk about Unit 1?

11           MR. EVANS: Yes.

12           MR. WATSON: Go ahead. I'll follow up with  
13 Unit 2 and 3 questions.

14           MR. EVANS: Just as a reminder, Unit 1 shut  
15 down in '92. They started decommissioning the DECON  
16 mode in 1999. It took about ten years.

17           What they did at the time was what's called  
18 phased decommissioning and they basically disposed of  
19 everything that was above the surface.

20           At this point in time besides the reactor  
21 pressure vessel, there are still some subsurface  
22 structures like the foundations of the building are still  
23 there with some very low levels of radioactivity and  
24 contamination.

25           The idea at the time was, is they were going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to finish the substructures of Unit 1 in conjunction with  
2 completing the substructures at Two and Three. And the  
3 disposal of the Unit 1 reactor pressure vessel will be  
4 disposed at the same time Units 2 and 3 are disposed.

5 So, again, it was called a phased  
6 decommissioning.

7 MR. CAMERON: Okay. Thank you very much and  
8 - I'm sorry. Go ahead, Bruce.

9 MR. WATSON: I think that with the response  
10 to the questions on Unit 2 and 3, Southern California  
11 Edison is going to have to make the determination on how  
12 they're going to handle those large components.

13 I can give you the example that Trojan were  
14 because they had access to the barge traffic on the  
15 Columbia River, the reactor vessel was packaged so it  
16 could be shipped by barge up to the disposal facility at  
17 Hanford.

18 Maine Yankee was the same way. The reactor  
19 vessel which is probably the largest component was barged  
20 to Barnwell, South Carolina and then up the Savannah  
21 River and then carried over land for a distance to get  
22 it to the Barnwell disposal facility.

23 Right now Zion 1 and 2 are under inactive  
24 decommissioning. Their plan because they are on the  
25 Great Lakes and the large components are too big to go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 on rail or across the road, their plan is to segment the  
2 reactor vessel into small pieces and then ship it in  
3 radioactive, you know, approved radioactive transport  
4 packages then.

5 So, it's all in the approach in what the  
6 infrastructure will support on how you do the  
7 decommissioning. Those are things that you have to take  
8 into consideration when you put your plan together.

9 And so, again, what I was saying before in  
10 this Phase 1 of the decommissioning, they have a number  
11 of significant items to evaluate so they can put their  
12 plan together and make it effective so they can safely  
13 complete the decommissioning and dispose of the  
14 materials.

15 MR. CAMERON: Okay. Thank you very much.  
16 We're going to go to you. We know there's people out  
17 here. We need to get to Three and Four and we have some  
18 good written questions, but why don't you go ahead and  
19 then we'll see where we are.

20 MS. MAGDA: Hi. I'm Marni Magda from Laguna  
21 Beach. I've been attending all the meetings with Elmo  
22 Collins and on into the time we are now.

23 I'm very concerned that this latest report  
24 on the steam generators lets us know that a little hand  
25 slap on something that was known to be dangerous - the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 record that southern California Edison has, has shown us  
2 over and over again that they worry about profit, not  
3 safety. Though, they will always tell us it's safety.

4 I am begging all of you from my heart to help  
5 us in southern California. Of the 104 reactors,  
6 southern California has a danger that we are more aware  
7 of with rising tides, global warming, tsunami.

8 The report just came out about Alaska that  
9 would come across our coast. The seawall is not enough.  
10 Even if we had it all in dry cask storage 50 feet  
11 underground, then it's in saltwater.

12 We must have your help getting final  
13 geological disposal dry cask storage that starts today  
14 in the kind of dry cask - and I'm going to ask you how  
15 we get these, because I've been told you haven't licensed  
16 anything transportable.

17 The US Navy is right now having to get its  
18 nuclear waste out of Idaho by 2035 that I used to say was  
19 forever from now, because tomorrow southern California  
20 could die.

21 How do we get casks like the Navy is using  
22 and put our money where it needs to go even if it's more  
23 expensive.

24 They have 50 of the - oh, I'm sorry, but they  
25 will have 400 by 2035 that are final deposit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 transportable casks that they will be moving out of  
2 Idaho.

3 Can we use those? How do we get them? We  
4 must start moving that - those spent fuel ponds are an  
5 absolute accident waiting to happen tomorrow. We can't  
6 be waiting. Please help us.

7 I hear that it's up to southern California  
8 Edison -

9 (Discussion off the record.)

10 MS. MAGDA: Okay, but the PSDAR says that  
11 this is all up to Edison. That you don't even approve  
12 what they plan.

13 Who do we get involved? How do we get  
14 involved to make this change and not let them take 60  
15 years?

16 MR. CAMERON: Okay.

17 (Applause.)

18 MR. CAMERON: Can we address the  
19 transportation issue?

20 MR. SPITZBERG: Yes.

21 MR. CAMERON: Go ahead.

22 MR. SPITZBERG: Let me take that little piece  
23 of the comment. I think I've heard tonight and earlier  
24 today some information about whether or not the casks  
25 that are used in the dry storage facility at SONGS are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 transportable.

2 What I can tell you is that there are  
3 currently two models of casks that are in use. They are  
4 the 24PT1 and the 24PT4. Both of those have been  
5 approved for transport.

6 the 24PT1 canister has been certified for  
7 transport under Certificate of Compliance 9255. You can  
8 access that on our website. That's the NP 187 Transport  
9 Cask.

10 The 24PT4 canister is also certified for  
11 transport. And that's under Certificate of Compliance  
12 9302. And that's the MP 197 Transportation Cask.

13 The transportation cask for the 32PTH2  
14 canister has not yet been approved, but application has  
15 been made. They're not authorized yet to load canisters  
16 into that canister as yet, but the application has been  
17 made by San Onofre. So, that's the status of the  
18 transportation.

19 MR. CAMERON: Okay. And let's go to the  
20 final part of the question.

21 MR. CAMPER: Well, there was a couple  
22 questions embodied within your remarks. Let me try to  
23 address the ones that I heard.

24 The PSDAR, the Post Shutdown  
25 Decommissioning Activities Report, it is correct that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 don't approve it, but we do review it and we do ask  
2 questions.

3 We look for completeness. We look for  
4 adequacy. If all of the criteria in our regulations are  
5 not addressed - and one of Bruce's slides identified the  
6 things that has to be contained within the PSDAR - we will  
7 ask questions.

8 And the reason that we don't approve it, but  
9 we approve the License Termination Plan, is because the  
10 activities carried out in decommissioning have been  
11 evaluated within the Environmental Impact Statement and  
12 the considerations for licensing and operating a  
13 reactor.

14 And the kinds of activities that go on  
15 during decommission are considered to be less severe,  
16 less risk than the operating reactor conditions, which  
17 is the basis for not approving the PSDAR, but I don't want  
18 you to go away with the impression that we don't hold the  
19 applicant to satisfy all of the criteria that was  
20 identified in the slide about the contents of the PSDAR.

21 The 60-year thing just to reiterate  
22 something that was in one of Bruce's slides, I mean, the  
23 reason that the Commission in the 1996-1997 time frame  
24 put into its regulations the 60-year criteria, which is  
25 considered to be 50 years for the facility to cool off

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 in terms of radiation decay and in ten years to dismantle,  
2 is because at 50 years the dose to workers is reduced to  
3 on the order of one percent of what it would have been  
4 had the reactor gone into immediate dismantlement and  
5 decommissioning.

6 And the volume of waste that has to be moved  
7 out of the community and transported to a waste disposal  
8 facility is reduced on the order of ten percent.

9 And what drives that principally is one  
10 particular isotope called Cobalt-60 which is a very  
11 energetic gamma matter that has a half life of 5.2  
12 years-5.7 years.

13 So, in that period of 50 years, it's gone  
14 through ten halve lives, which means that radiation  
15 contribution has gone away through decay. So, that's  
16 the basis for those 60 years.

17 I know that it seems like a long time, but  
18 that's the basis.

19 MR. CAMERON: Okay. We have to get you on  
20 - here's the deal. Here's the deal is that we can go into  
21 depth on any one of these questions.

22 What we're trying to do in the time we have  
23 available is to hear as many questions on different  
24 topics as we can. I mean, that's just practically what  
25 we have to do here, okay? So, we can't just keep

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 following up on it.

2 MR. CAMPER: There is one question of hers  
3 I didn't answer, though.

4 MR. CAMERON: Go ahead.

5 MR. CAMPER: There was another part of your  
6 question that needs an answer. You really in the  
7 beginning of your comments expressed concerns about the  
8 availability or the lack of availability of a high-level  
9 repository for where the spent nuclear fuel should go.

10 That is a significant, national issue that  
11 continues to play out. The Nuclear Regulatory  
12 Commission is charged with certain responsibilities  
13 under the Nuclear Waste Policy Act to license the  
14 high-level waste repository, but the Department of  
15 Energy is charged with developing and seeking  
16 authorization for that high-level repository.

17 That matter is ongoing. It has political  
18 sensitivities associated with it. It has court -  
19 ongoing court proceedings associated with it. There was  
20 recently a position issued by one of the courts and the  
21 Commission is currently - is evaluating that recent court  
22 decree by communicating and asking for comments from the  
23 parties that were subject to the hearing about the best  
24 way to proceed, but the Nuclear Regulatory Commission  
25 will proceed to look at this, you know, come out in a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 situation once it starts - it completes gathering its  
2 comments that it's undergoing right now.

3 So, it's a very complicated national  
4 problem.

5 MR. CAMERON: Do you have something?

6 CHRIS (phonetic): Hi, I'm Chris. I live in  
7 San Clemente and I think we're all here because we want  
8 just the transparency and to know that this will be safely  
9 handled and we're putting our lives in your hands.  
10 Almost eight and a half million of us.

11 You did a slide in which you compared how  
12 do we get safely from, for example, Connecticut Yankee  
13 and San Onofre and so forth and do you - it's a two-part  
14 question - do you consider Connecticut Yankee safely in  
15 a safe spot? Question 1.

16 MR. WATSON: Yes, absolutely.

17 CHRIS: Okay. And then -

18 MR. WATSON: We've met all our license  
19 criteria for license termination. The site was - I guess  
20 we want to call it a greenfield in many respects. They  
21 did leave some subterranean, I'll call it, foundations  
22 which were radiologically clean. And so, the actual  
23 decommissioning was completed safely.

24 They do - the state of Connecticut is  
25 continuing to monitor some of the groundwater. They did

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 remove a significant amount of soil, because they did  
2 have some underground tankage and piping leakage. Most  
3 of that contaminated soil was removed.

4 And so, yes, it did meet our criteria and  
5 it will meet our criteria through the future.

6 CHRIS: So, the second part of my question  
7 is in a report in my research in 1994, Connecticut Yankee  
8 did leak Tritium which is a highly radioactive material.

9 And I guess you are saying that you were able  
10 to successfully decon that because there were  
11 deteriorating underwater pipes.

12 So, my question and how that correlates on  
13 the slide that you put together is, how do we know that  
14 San Onofre, the underground pipes are not deteriorating  
15 and leaking in the same fashion?

16 MR. WATSON: At Connecticut Yankee they did  
17 what they called the big dig, which was remove all the  
18 - I'll say most of the contaminated soils. Some of it  
19 went to the bedrock which they continue to monitor.

20 At San Onofre they have a groundwater  
21 monitoring program. They also investigate any  
22 contamination events so that they see that the soil or  
23 whatever if they did have some kind of leak would be  
24 monitored and assessed.

25 And so, as part of their environmental

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 report they do do annual environmental monitoring. They  
2 do groundwater sampling and other sampling along the site  
3 to make sure that these type of events aren't occurring.

4 MR. CAMERON: Okay, thank you. Could we  
5 have the coalition questions Three and Four? And I'm  
6 going to read them.

7 Will the NRC allow the resale of  
8 non-radioactive equipment and secondary side  
9 components, turbines, MSRs, heat exchangers? And you  
10 can see all that up there. So, will the NRC allow the  
11 resale of this?

12 And since some of these are almost new, will  
13 they be sold and where will the proceeds go? Is that  
14 something that's within our scope?

15 MR. WATSON: As the NRC, we regulate the safe  
16 use of radioactive materials. Any of these materials  
17 that are not contaminated or have any radioactive  
18 material associated with them, the utility or the  
19 licensee is free to do whatever they want to with the  
20 surplus equipment, scrap steel, whatever it is that they  
21 produce as part of the decommissioning.

22 And so, the proceeds from that would be more  
23 subject to the California regulators and not the NRC.

24 MR. CAMERON: Okay.

25 MR. WATSON: We don't regulate commerce. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 regulate radioactive materials.

2 MR. CAMERON: All right. And let's go to the  
3 California regulator. This is Cynthia Walker.

4 MS. WALKER: So, any proceeds that come from  
5 the sale of any of the components of the reactor would  
6 actually offset the cost of decommissioning. So, that  
7 would be part of what we would be looking at in the  
8 decommissioning proceeding.

9 There's also - I just want to mention  
10 there's also an investigation that's going on separately  
11 that I know many of you who are active are aware of and  
12 involved and maybe even have party status.

13 So, there's going to be some overlap, but  
14 all of these things are going to be happening and being  
15 coordinated together. But, yes, any revenues that are  
16 received would then be offset for the decommissioning  
17 costs.

18 MR. CAMERON: All right. Thank you very  
19 much, Cynthia. The fourth question, could we have that?  
20 Oh, there it is.

21 We would like to know if there can be public  
22 announcements when any, quote, allowable, unquote, toxic  
23 waste is to be re-released into the environment.

24 We would also like to know in general and  
25 relative terms that everyone can understand, what the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 upper limits are for releasing radiation and toxic  
2 chemicals into the environment during the  
3 decommissioning process, when were those limits  
4 established and what would trigger a process to  
5 reevaluate them.

6 So, there is a lot there, but I think that  
7 could be pretty simply answered, I hope, Bruce.

8 MR. WATSON: Yes. The regulations for  
9 monitoring and the release of radioactive materials from  
10 the site, the radioactive effluence, were instituted  
11 decades ago in 10 CFR 20.

12 In decommissioning, the regulation still  
13 applies if the plant was operating. And so, from that  
14 standpoint the radioactive effluence from the plants are  
15 continuously monitored and measured. Blair's people  
16 will inspect to that to make sure that that is being done.  
17 And the utility typically will issue an environmental  
18 report reporting the effluence they've had from the  
19 plant.

20 Now, the NRC regulates the radiological  
21 part of that. Other state or Federal agencies take care  
22 of other materials that may be released from the site and  
23 they typically have permits for that.

24 So, the state of California may issue  
25 permits for the release of other materials that we would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not regulate.

2 MR. CAMERON: Okay, thank you. Thank you  
3 very much, Bruce. I think we need to give people on this  
4 side of the room a chance.

5 And, Bob, at some point can you read the one  
6 question we got about climate change and how that is taken  
7 into account? Why don't we go to the woman you're  
8 standing next to.

9 PARTICIPANT: Thank you. My question is  
10 about NRC oversight during the decommissioning process  
11 as two parts.

12 When SONGS was operating, there was an NRC  
13 employee who worked on site everyday. Does the NRC use  
14 the same approach during decommissioning? And if so,  
15 how do onsite staffing and the role of those onsite staff  
16 evolve during the various phases of decommissioning?

17 MR. CAMERON: Good. Blair Spitzberg.

18 MR. SPITZBERG: The question relates to  
19 basically we have had during the operation of the San  
20 Onofre unit, we've had resident inspectors that are based  
21 at the site. They work at the site everyday. They have  
22 an office there and they are inspecting day in and day  
23 out throughout the year.

24 Once the plant shuts down, we will continue  
25 to have a resident inspector there at the site for at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 least a year, maybe longer. And that person is going to  
2 be certified to do decommissioning inspections as well.  
3 So, he will be utilized in that capacity.

4 He's already qualified and trained and very  
5 seasoned inspector. And we value his input to the  
6 inspection process there.

7 Beyond a year I can't speak to whether or  
8 not he will remain there or not. It's usually a  
9 case-by-case basis and depends on the level of activities  
10 at sites and whether we can justify the level of  
11 inspection at the site at that time.

12 We also plan to utilize this inspector at  
13 some of our other decommissioning inspections in the  
14 state of California and elsewhere as well. So, yes, we  
15 will have a full-time senior inspector there at site for  
16 at least a year.

17 MR. CAMERON: Okay. And, Bob, let's go to  
18 your people over there. I think we have four people over  
19 here that we'll get to, but let's take care of people on  
20 your side of the street.

21 MS. PADD: Yes, my name is Marsha Padd. I'm  
22 part of the Group to Decommission San Onofre. And I  
23 share the concerns of the previous questioners, but I do  
24 have a somewhat different concern.

25 This regards to the safeguards that you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hopefully have in place and will implement with regard  
2 to potential security risks in the future that could  
3 endanger the integrity of the plant and the safety of the  
4 surrounding communities.

5           Regarding the decommissioning process,  
6 what kind of safeguards have you planned for the  
7 transportation of nuclear waste?

8           This would also include transportation of  
9 radioactive material to a permanent depository. And in  
10 addition especially with regard to the proliferation of  
11 drones and the private sector, private ownership, it's  
12 become a hobby nowadays, what safeguards have you  
13 implemented and thought about in this area? Thank you.

14           MR. CAMERON: Okay. The concern generally  
15 was about security and safeguards, but the questions went  
16 to transportation safeguards. And could you just repeat  
17 the last part of that so everybody can hear it?

18           Did you say "drones"?

19           MS. PADD: Yes.

20           MR. CAMERON: Okay. All right.

21           MS. PADD: That's a serious problem.

22           MR. CAMERON: Okay. Thank you. And I don't  
23 - if anybody knows anything about the drone issue,  
24 address that, but can we talk about the security in  
25 transportation issue for her?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SPITZBERG: The site will remain under  
2 the Physical Security Plan that it has been under during  
3 operations. And that will continue into the future.  
4 They have a very substantial security force on site and  
5 substantial number of security systems.

6 Obviously I can't go into specifics about  
7 that, because that's information that we restrict access  
8 to. But, nonetheless, it has the security that's  
9 equivalent to any of the nuclear sites throughout the  
10 country and it will remain that way.

11 What was the second question? The drones.  
12 I cannot specifically answer the question to the drones.  
13 I don't know whether there's been a risk assessment  
14 associated with that or not.

15 MR. CAMERON: Okay. If anybody - go ahead,  
16 Larry.

17 MR. CAMPER: I was going to address the waste  
18 issue.

19 MR. CAMERON: Okay.

20 MR. CAMPER: With regards to the waste  
21 question as you know from earlier discussion this  
22 evening, the spent nuclear fuel will remain on site for  
23 some period of time either in the pool or in dry cask  
24 storage. And so, there's probably nothing more that I  
25 can say about that than we've already talked about. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 think we all understand the reasons for that.

2 With regards to the waste, you expressed a  
3 question or concern about the waste, when the reactors  
4 decommissioned, the majority - we have a waste  
5 classification system in our regulations where waste is  
6 classified as Class A, Class B, Class C or greater than  
7 Class C.

8 When nuclear power plants are  
9 decommissioned, by and large the majority of the waste  
10 that comes out of decommissioning is Class A waste, which  
11 is at the very low end of our risk scale for waste.

12 There is some Class B and some Class C waste.  
13 A very small amount of greater than Class C waste which  
14 will remain on site in a canister in the independent spent  
15 fuel storage installation, but the waste will then be  
16 taken in approved canisters for shipping waste and in  
17 accordance with Department of Transportation  
18 regulations, and will ultimately be disposed of at a  
19 commercial disposal facility.

20 It is conceivable, for example, that the  
21 waste, especially the Class A waste, which is the  
22 majority of waste that comes out of decommissioning,  
23 could find its way to the energy solution site in Clive,  
24 Utah. It is also possible that it may make its way to  
25 the site in Andrews, Texas.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1           There is also a site in the northwestern  
2 United States that's a possibility, but what's important  
3 is that the majority of the waste, Class A, it's the  
4 low-risk end of waste, transported in approved shipping  
5 containers for that type of waste following Department  
6 of Transportation regulations and will ultimately be  
7 disposed of in a commercially operated disposal  
8 facility, which there are four in the United States  
9 today.

10           MR. CAMERON: Okay, thank you. And could  
11 one of the staff members from the NRC after the meeting,  
12 talk in more depth with the woman who asked the question  
13 about the drones so that we can try to find more about  
14 that.

15           You want to talk to that, Bruce? Go ahead.

16           MR. WATSON: Just briefly discuss this.

17           MR. CAMERON: Okay.

18           MR. WATSON: It's not really my area of  
19 expertise, but I think everyone can recall that the  
20 assessment for an aircraft hitting a nuclear power plant  
21 has been pretty well established and studied and the  
22 design in the plant. And that was revisited after the  
23 9/11 terrorist attacks.

24           And so, I think the bounding of a drone  
25 striking the nuclear facility or the reactor containment

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 building has been analyzed and it would be well within  
2 that safety envelope.

3 MR. CAMERON: Okay, great. Thank you for  
4 that. And we're trying to get as many different areas  
5 out as possible. And we did security. We had the state  
6 regulators talk. We talked about high burnup fuel.

7 We do have a question on another pressing  
8 concern and this is climate change, I believe. This was  
9 a written question given to us.

10 Bob, would you read that question?

11 MR. HAGER: Chip, yeah. This is one of the  
12 written questions and it is, has the effects of climate  
13 change been considered? Recent science suggests the  
14 rises in sea level from ocean temperature increases and  
15 contributions from snow melt. In addition, extreme  
16 precipitation events will likely become more common.  
17 For example, the hundred-year storm may occur every 50  
18 or 75 years.

19 So, how are climate change - how are these  
20 climate change variables accounted for during long-term  
21 decommissioning?

22 MR. CAMERON: Okay, good question. How does  
23 that happen? Larry.

24 MR. CAMPER: Well, there is a generic  
25 environmental - and let me make something very clear. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 use the term - Generic Environmental Impact Statement is  
2 an NRC vernacular. It's the same thing as a Programmatic  
3 Environmental Impact Statement which is a term that's  
4 used elsewhere when NEPA, the National Environmental  
5 Policy Act, evaluations take place.

6 And sometimes - one of the comments earlier  
7 was about a concern about something being generic.  
8 That's a criticism we've heard before, but it's just a  
9 vernacular that we use for a Programmatic Environmental  
10 Impact Statement.

11 But there is a Generic Environmental Impact  
12 Statement or Programmatic Environmental Impact  
13 Statement that has been prepared by the Agency dealing  
14 with decommissioning of nuclear power plants.

15 Also, in the PSDAR the applicant, the  
16 licensee, has to provide any update in terms of any  
17 environmental consequences that were not considered at  
18 the time the site was constructed and the environmental  
19 impact statement for that or the Generic Environmental  
20 Impact Statement associated with decommissioning of  
21 nuclear power plants.

22 One of the things that not only our agency,  
23 but all federal agencies as a result of recent Council  
24 of Environmental Quality directions is to look at climate  
25 change.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           And so, the primary impact of  
2 decommissioning with regards to climate change is  
3 equipment, caterpillars and things of that type that  
4 actually move material around while the decommissioning  
5 is going on and those emissions and so forth.

6           But any contribution to the climate change  
7 via greenhouse gases has been and is evaluated as part  
8 of the environmental assessment that we conduct.

9           MR. CAMERON: Okay. Thank you and we have  
10 Ray Lutz.

11           MR. LUTZ: Yes, thank you. My name is Ray  
12 Lutz with Citizens Oversight and the Coalition to  
13 Decommission San Onofre. I am involved with the  
14 California Public Utilities Commission investigation  
15 that's going on.

16           One of the things that has come up, and this  
17 is actually with regard to the decommissioning triennial  
18 cost review, has to do with the fact that they say that  
19 they haven't had any decommissioning costs approved by  
20 the NRC and this is the reason they don't know how much  
21 it's going to cost even for Unit 1.

22           So, I'm wondering if the PSDAR has been  
23 submitted and approved - or you say you don't approve it,  
24 which is a catastrophe, in my view. You guys should  
25 review the PSDAR and stamp it "Approved" or "Not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Approved" and put your butt on the line, because we're  
2 putting our butt on the line out here.

3 And for you to say we don't approve it is  
4 something that takes my breath away. You either approve  
5 it, or not approve it, and don't give me this stuff about  
6 asking questions.

7 So, Question 1 is, have you received the  
8 PSDAR and approved it for Unit 1? Don't go on. I've got  
9 a few more questions here.

10 And the License Termination Plan. Now,  
11 maybe there's a terminology problem here. Maybe you're  
12 saying that they haven't submitted the License  
13 Termination Plan yet.

14 Well, when are we going to know how much it's  
15 going to cost? Because Unit 1 has been sitting there for  
16 many years now and they say in our meeting that they still  
17 don't know how much it's going to cost to decommission  
18 that as if they haven't started it.

19 I'm wondering also you say these casks can  
20 be transported. It seems to me they need to be  
21 transported right away.

22 Now, is there an interim location where we  
23 can put these casks away from these population centers  
24 and in a non-seismic and non-coastal area? So, that's  
25 really kind of like my second question there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           So, if you can answer those, I'd appreciate  
2 it.

3           MR. CAMERON: Okay. And thank you, Ray.  
4 And the staff can quickly reiterate the scheduling things  
5 about the PSDAR and all that, but I think Ray's question  
6 about the process for the NRC review, Larry, you talked  
7 to this a little bit.

8           Can you talk about why there is a review and  
9 not an approval, but first can we talk about has there  
10 been a submission of the PSDAR or License Termination  
11 Plan? Can we just clear that - emphasize that for  
12 people?

13           MR. WATSON: For Unit 1.

14           MR. CAMERON: For Unit 1, okay. Unit 1.

15           MR. WATSON: For Unit 1, there was a PSDAR.  
16 (Speaking off mic.)

17           MR. WATSON: I don't know that off the top  
18 of my head.

19           MR. CAMERON: We'll get you that offline.  
20 Go ahead.

21           MR. WATSON: But let me -  
22 (Speaking off mic.)

23           MR. CAMERON: Wait one second. One second.  
24 Let's let Bruce finish.

25           MR. WATSON: The rationale behind the fact

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that we are not required to approve the PSDAR was a  
2 Commission decision. It was decided by the five NRC  
3 commissioners.

4 MR. CAMERON: Not the present -

5 MR. WATSON: No, not the present Commission,  
6 but it was a Commission decision.

7 MR. CAMERON: Okay.

8 MR. WATSON: And the basis for that was that  
9 within the realm of decommissioning activities, the  
10 licensee could conduct those activities safely within  
11 the existing license. And so, that was their basis for  
12 that decision.

13 The Commission voted and approved the fact  
14 that we would not have to approve a PSDAR, because they  
15 could conduct the decommissioning activities safely  
16 within the existing license which they already  
17 possessed.

18 In other words, they are allowed to do  
19 maintenance. They are allowed to do shipment of  
20 radioactive materials all during operations. And we  
21 expect - and the Commission decided that they could  
22 continue with those types of activities which are part  
23 of the decommissioning without us approving a PSDAR.  
24 Okay?

25 MR. CAMERON: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WATSON: It may sound funny, but it was  
2 a policy decision by the Commission.

3 MR. CAMPER: Well, let me add to that. Let  
4 me just add to that.

5 MR. CAMERON: Go ahead, Larry.

6 MR. CAMPER: At the time the Commission made  
7 the decision, at the time the Commission made the  
8 decision in 1996-1997 time frame that exists today for  
9 the decommissioning of reactors, there was a recognition  
10 of what Bruce just said. There was also recognition that  
11 the expertise that resided within an operating reactor  
12 facility was such that it could accommodate  
13 decommissioning.

14 The activities of decommissioning were  
15 considered to be less severe from a risk standpoint as  
16 compared to, if you will, a material site.

17 When a material site, let's say, for  
18 example, a facility existed where certain metals like  
19 vanadium were processed, but there was uranium and  
20 thorium as a consequence, those types of facilities - we  
21 call them materials facilities - can't proceed to do  
22 decommissioning at all until such time that it's  
23 approved.

24 And to a large degree, that's because those  
25 types of facilities don't have the expertise. They

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 don't have the operating experience that nuclear power  
2 plants have.

3           So, that was part of the logic that led the  
4 Commission to believe that given the point that Bruce  
5 made that if they could operate a nuclear power plant and  
6 they could ship waste and do those types of things, they  
7 could begin the process of identifying how they wanted  
8 to decommission that facility. And, therefore, we  
9 review, but don't approve the PSDAR.

10           But what's, I think, the most critical  
11 component in the decommissioning process is the License  
12 Termination Plan, because it is in the License  
13 Termination Plan that we do review and approve and which  
14 they identify, for example, the final status survey, the  
15 concentration of radioactive materials that will remain  
16 in the soil that will identify and ensure that they meet  
17 the dose standard that I cited during my presentation.

18           So, that is the critical part in terms of  
19 what that site is going to ultimately look like in terms  
20 of satisfying the dose criteria. And we do review and  
21 approve that.

22           MR. CAMERON: Okay. Let's hear what you  
23 have to say. And the last part of Ray's question has been  
24 a concern that we've heard from others in the audience.  
25 In other words, the movement of fuel from the site.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Can we talk a little bit about that before  
2 we go on? I have four people over here I want to get to,  
3 but go ahead.

4 MR. EVANS: I just wanted to clarify a Unit  
5 1 PSDAR was submitted in 1998. And a couple of weeks ago  
6 I dug up a hard copy of it and put it into our ADAMS system.

7 So, if you go into the Unit 1 docket file,  
8 it should be there, but keep in mind that the Unit 1 PSDAR  
9 is kind of like a high-level document. It doesn't  
10 provide a tremendous amount of detail. It's just sort  
11 of like a management level, this is how we're going to  
12 do Unit 1 decommissioning.

13 I was aware that a draft License Termination  
14 Plan was developed, but I don't think it was ever  
15 submitted to the NRC. I will double-check that, but I  
16 don't think the LTP was ever submitted. Drafted, and  
17 then that's as far as it got.

18 MR. CAMERON: Okay. Thank you very much.  
19 Good information. Can we go to the last issue that Ray  
20 raised and it was raised over here?

21 MR. CAMPER: Yeah, the essence of your  
22 concern, if I understood correctly, was the idea of  
23 moving the spent nuclear fuel away from the coast, away  
24 from this site and putting it in some interim storage  
25 facility.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 In every nuclear power plant that's been  
2 decommissioned thus far, there is spent nuclear fuel  
3 there in an independent spent fuel storage installation.  
4 That's because in the United States today, we as a nation  
5 have not solved the issue of the final geological  
6 repository for the disposal of spent nuclear fuel.

7 And so, what has happened is the industry  
8 has reacted to that by developing the cask storage  
9 systems that we've been discussing tonight. That was  
10 done out of necessity, because the kinds of actions that  
11 were envisioned in the Nuclear Waste Policy Act of 1982  
12 and amended a few years later have, in fact, not  
13 transpired.

14 With regards to interim storage, there is  
15 no interim storage facility in the United States today.

16 Recently the President's Blue Ribbon  
17 Commission on America's Nuclear Future undertook an  
18 in-depth analysis. And one of the key findings that was  
19 contained within that report was that the country should  
20 proceed to develop one or more interim storage facilities  
21 until such time as the high-level repository issue could  
22 be addressed.

23 Currently, the contents of that report are  
24 under consideration by the Congress. Certain  
25 congressional acts would have to transpire if, in fact,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 those recommendations were to be successfully carried  
2 out.

3           There was several years ago a company called  
4 Private Fuel Storage that applied for and did receive a  
5 license to operate an interim storage facility in Utah.  
6 They underwent an in-depth evaluation by the Nuclear  
7 Regulatory Commission, a Safety Evaluation Report was  
8 issued, a license was issued, and in-depth Environmental  
9 Impact Statement was prepared.

10           However, in the final analysis, that  
11 facility for a number of different reasons could not  
12 receive authority from the Federal government for the  
13 railroad line to be built to that facility. And  
14 ultimately that facility did not open for that purpose.

15           And not too long ago, in fact, PFS, Private  
16 Fuel Storage, decided they would not proceed with that  
17 license activity at all. So, we do not have in the United  
18 States today an interim storage facility.

19           Some communities have started to express  
20 interest in hosting an interim storage facility. One of  
21 the fundamental principles that the Blue Ribbon  
22 Commission thought was important was that there should  
23 be a buy-in, a stakeholder interest, a community interest  
24 in hosting an interim storage facility. Or for that  
25 matter, a high-level waste repository.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           There is a county in New Mexico that has,  
2           in fact, written a letter to us indicating that they have  
3           a strong interest in submitting an application for an  
4           interim storage facility.

5           There's some movement in Mississippi around  
6           the possibility of hosting an interim storage facility.  
7           And there's some interest in South Carolina as well at  
8           the Savannah River site.

9           So, we'll have to wait and see what happens  
10          with regards to an interim storage facility becoming a  
11          reality for this fuel to be removed not only from the  
12          SONGS facility, but from other facilities that have  
13          undergone decommissioning and currently have spent  
14          nuclear fuel in dry cask storage or, for that matter, what  
15          the United States is going to ultimately do about, in  
16          fact, developing a high-level repository.

17          I wish I could paint a prettier picture than  
18          that, but that is reality.

19          MR. CAMERON: Okay, thank you. We're going  
20          to go here, then the gentleman in the green hat, to white  
21          shirts, and then the gentleman back there.

22          Dave.

23          MR. WEISMAN: David Weisman, Alliance for  
24          Nuclear Responsibility. To follow on to that and the  
25          concerns raised about this, may we look at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 intermediate step, which would be the expedited removal  
2 of spent fuel from the pools with an inherent  
3 vulnerability at least to the dry cask storage even as  
4 it should exist at the site on an expedited matter.

5 Now, I know this is a subject for national  
6 discussion, Tier 3 Post-Fukushima Recommendation on  
7 Expedited Transfer of Spent Fuel, and that's being  
8 discussed at a national level, but we have state  
9 regulators here today.

10 Mr. Oglesby's agency, the California Energy  
11 Commission, has been recommending every year since 2008  
12 that the utilities undertake the expedited removal of  
13 spent fuel from the pools and place them in dry casks in  
14 that matter.

15 The Public Utilities Commission would hold  
16 the purse strings on the decommissioning funding being  
17 used for that purpose.

18 In fact, I raise that question because in  
19 a request for additional information that came out on  
20 this, the question the NRC asked was, please specify if  
21 any of the accumulated fund balances for  
22 non-radiological decommissioning costs such as spent  
23 fuel management or other non-radiological  
24 decommissioning activities.

25 Now, they may just be asking the costs, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I hope they're not attempting to imply, and you alluded  
2 to this earlier, that money can be moved around within  
3 categories for parts of the decommissioning.

4 Should our state recommend it and wish them  
5 to do it? And should our state's public utilities  
6 commission say we think that's a fine use of the money.  
7 Any intent by the NRC to put any brakes on the state of  
8 California proceeding with that irrespective of your  
9 national Tier 3 spent fuel movement issues?

10 MR. CAMERON: Thank you.

11 MR. DUSANIWSKYJ: I believe that the  
12 document you have in your hand was a result of the  
13 Biannual Decommissioning Funding Report that was  
14 submitted by all the licensees back on March 31st of this  
15 year.

16 What we were asking was specifically to  
17 determine that the amount that was stated in that report,  
18 and I have a copy of it here with me, was, in fact, the  
19 amount of money that they have stated is dedicated to the  
20 NRC's requirements for decommissioning.

21 So, we were asking that question to verify  
22 that, in fact, that the statements in the March 31st  
23 submittal were, in fact, what was supposed to have been  
24 stated.

25 In determining what you've also proposed as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to whether or not money can be shifted around in whatever  
2 manner you want to call it, there is a certain sequence  
3 of events that will probably have to take place in any  
4 decommissioning activity.

5 First and foremost being that the licensee  
6 shall have to decontaminate that facility before you  
7 start to even begin to think about greenfielding.

8 And the basic answer to that question is  
9 that once the decommissioning to the NRC standards has  
10 been completed, the NRC has no jurisdiction over that  
11 money and the licensee is free to use that money for  
12 whatever additional decommissioning can be anticipated  
13 with the funds that have been indicated to us in the March  
14 31st submittal.

15 MR. CAMERON: Okay, thank you. Yes, sir.  
16 Please, David, we're going to have to go on.

17 MR. GARDNER: Hi, I'm Richard Gardner. Just  
18 some maybe answers or some questions I have. One would  
19 be out of all the nuclear facilities in the United States,  
20 how many pounds or cubic yards or the volume of waste?  
21 And then I know it's following an exponential decay, you  
22 know, curve so that in time it will be less and less. So,  
23 and then on the other hand I'm thinking about the NRC and  
24 your staffing level.

25 So, what year do you think the most number

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of nuclear plants will be decommissioned and you'll have  
2 the most amount of fuel to deal with? You'll need  
3 inspectors.

4 Now, out of the 96 I think that are  
5 operating, you know, there will be some day ten years out,  
6 15, where you're going to have 25 decommissioning  
7 facilities and it will be, you know, hopefully there will  
8 be some more really choreographed, orchestrated, you  
9 know, national approach to doing this so that it isn't  
10 purely in the hands of utility companies with separate  
11 branches of new people that are working. You know what  
12 I'm saying?

13 Even though I have great confidence in the  
14 NRC, I'm thinking this somehow could be standardized.  
15 Maybe you already have a standard review plan for  
16 decommissioning in place.

17 MR. CAMERON: Thanks, David. Larry.

18 MR. CAMPER: A lot of interesting things in  
19 your comments. Thank you. NEI, the Nuclear Energy  
20 Institute, there's a graphic that comes to mind that I've  
21 seen several times, but they did put it together just a  
22 few years ago. I want to say like three or four years  
23 ago.

24 But it showed at that time the next bow wave  
25 of decommissioning, if you would, when the Class A and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 some Class B and Class C waste would be created because  
2 of reactor decommissioning, was in the 2035 to 2045  
3 period.

4 Now, that peak has changed slightly in the  
5 last few years because there has been renewals of power  
6 plants that wasn't anticipated at that time. So - but  
7 I still think it's fair to say that the next bow wave of  
8 decommissioning is in the 2035 to 2055 period and the fact  
9 of the matter is that at some point they're all going to  
10 have to come down. They're all going to decommissioning  
11 at some point. That's in some ways, that's a long time  
12 from now. And in some ways, it's tomorrow.

13 What we're trying to do about tomorrow, if  
14 you will, is memorialize and capture all the information  
15 that we can about the decommissioning we've already done,  
16 the 11 nuclear power plants that I showed in my slide,  
17 you know. Now, we've had five units go into sudden  
18 announced decommissioning in the last year. There may  
19 be others.

20 So, what we're trying to do is, is capture  
21 as much information as we can for those who will follow  
22 us doing the decommissioning in that 2035 to 2050 time  
23 frame.

24 But we do have a standardized review  
25 process, we have an extensive amount of guidance that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 have put together to facilitate decommissioning in the  
2 future. We continue to take lessons learned and put out  
3 information and/or modify our guidance.

4 I can tell you that the staff right now is  
5 already starting to look at in view of the fact that five  
6 units are going to decommissioning recently, maybe  
7 others, the staff is already starting to look at what we  
8 think is a very successful decommissioning program as  
9 witnessed by the number of facilities available for  
10 decommissioning, but we're also starting to already look  
11 at are there any changes we need to make to the program,  
12 are there lessons learned from what we've done and make  
13 some adjustments.

14 And we do plan to communicate with our  
15 commission about it, because the Commission has a lot of  
16 interest in it as well.

17 MR. CAMERON: Thank you very much. Yes,  
18 sir.

19 MR. CHRISTMAN: Good evening. Thank you for  
20 your patience and perseverance. My name is Patrick  
21 Christman. I'm the assistant chief of staff for Marine  
22 Corps Installations West Camp Pendleton.

23 I'd like to ask a question. Camp Pendleton  
24 has one of the largest environmental staffs in the whole  
25 Marine Corps and one of the largest budgets.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           Obviously that's because of the unique  
2 challenges of dealing with the California regulatory  
3 scheme. We've heard from the PUC and the CEC tonight.

4           Could you please talk a little bit about  
5 your interaction through the NRC process with the other  
6 state agencies such as the Coastal Commission or Cal/EPA  
7 or any of those other folks that we have to deal with on  
8 a regular basis? Thank you.

9           MR. CAMERON: Thank you. Larry, are you  
10 going to -

11           MR. CAMPER: Well, whether it be California  
12 or any other states where decommissioning takes place,  
13 there are state laws and regulations that the operator  
14 of the facility has to satisfy.

15           I mean, for example, a little bit earlier  
16 we were talking about discharge permits, but that's a  
17 state function or EPA or depending on how it's been  
18 delegated to the state function.

19           We do interface with those state agencies  
20 along the way. They are carrying out their regulatory  
21 responsibility. We're carrying out our regulatory  
22 responsibility. There's a lot of communication that  
23 goes on, but let me say this and I'll give you an example.

24           Even though the nuclear power plants are  
25 authorized to operate under our Part 50 license and even

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 though they are subject to our regulations in  
2 decommissioning, one of the things we always say to the  
3 utilities is you need to make sure that you understand  
4 what your state requirements are wherever they may be.  
5 Because that's the last jurisdiction you're going to be  
6 facing.

7           Even if you successfully decommission the  
8 reactor under our regulations, some states even though  
9 we have a federal standard in our regulations that I  
10 shared with you earlier, some states have developed their  
11 own decommissioning criteria for nuclear power plants.  
12 Maine comes to mind. Connecticut comes to mind.

13           Connecticut developed a 19 millirem  
14 standard as compared to our 25 millirem and ALARA  
15 standard. So, the licensee has to deal with the state  
16 agencies and recognize those requirements, but we do  
17 communicate with the state agencies throughout the  
18 process, but each of us are caring in our respective  
19 regulatory regimes.

20           MR. CAMERON: Okay, thank you. Thank you.  
21 We have this gentleman right here and then we're going  
22 to go over to right here. Yes, sir.

23           MR. FAWCETT: My name is Ed Fawcett. I'm  
24 president of the Costa Mesa Chamber of Commerce. I've  
25 attended several of these public hearings pertaining to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 SONGS and wrote in support of Edison's safe restart of  
2 Unit 2 reactor.

3 I say "wrote," because there never previous  
4 to tonight, there was never a time for anybody on this  
5 side to make a statement on behalf of the - voice an  
6 opinion.

7 Yet again I'm spending quite a bit of time  
8 watching without great humor, another spectacle that  
9 leaves me both baffled and disheartened in our elected  
10 and appointed leaders.

11 Whose hearing is this? The NRC has again  
12 allowed a handful of anti-nuclear activists to have  
13 center stage obviously on the agenda without being  
14 written in the agenda just dominating the proceeding.

15 My question followed by a brief comment, why  
16 hasn't the NRC provided the same air time to those who  
17 support nuclear energy and have previously supported the  
18 safe restart of SONGS?

19 While we're waiting for NRC to do its job  
20 and make the decision, SCE was required to keep SONGS  
21 operation-ready. The cost of about a million dollars a  
22 day.

23 Due to mounting costs, SCE finally had to  
24 make the good business decision to retire SONGS after  
25 more than 500 million dollars in cost runup.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           As a business person and Chamber person, I  
2 can easily understand SCE's need to make this decision  
3 to stop the growing cost to taxpayers and to ratepayers.

4           Why can't the NRC make decisions in a  
5 reasonable amount of time without hiding behind a lot of  
6 public opinion, multiple hearings - and just multiple  
7 hearings? Thank you.

8           MR. CAMERON: Thank you for that comment.  
9 And I think that just your reading that statement  
10 provided air time to others who feel a different way, but  
11 part of the explanation, I have to repeat this again, is  
12 that the questions that we got from the coalition of  
13 citizen groups are questions that are on a lot of people's  
14 minds or should be on a lot of people's minds. And that's  
15 why we started with that.

16           We're going to go to this gentleman right  
17 here. Yes, sir.

18           MR. NELSON: Hi. My name is Douglas Nelson.  
19 I'm from up the coast with a company, my own company  
20 called Levitical Network.

21           I wrote down as a follow-up to Dale's  
22 eloquent question to what extent is the NRC interested  
23 in either prolonging or quickly executing the  
24 decommissioning of the San Onofre reactor, this meeting  
25 only seems to be prolonging the process of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 decommissioning with each passing day and the failure to  
2 shut down the second and third units.

3 As was mentioned by the councilman earlier,  
4 the reactor remains open to natural catastrophic  
5 occurrences.

6 Is it because of Cobalt-60 as was mentioned  
7 earlier, or is it due to the use to use more money of your  
8 annual billion dollar budget that we, the taxpayers,  
9 generate?

10 In addition to that, it's ironic perhaps  
11 that we generate through our taxes a billion dollars for  
12 NRC for its billion dollar budget, but the tax - the taxes  
13 that have been created are now diminishing for the  
14 individuals who have been unemployed at the San Onofre.  
15 And so, there appears to be, I think, a conflict, if you  
16 will.

17 We're spending our tax dollars to have these  
18 kind of meetings in large places where only two or three  
19 people show up, and yet there are individuals whose tax  
20 dollars are being used who are no longer employed by the  
21 San Onofre reactor.

22 So, I would appreciate a response to that.

23 MR. CAMERON: And, Larry, there was a lot  
24 there, but maybe one simple way to clarify something as  
25 you might talk about how the NRC budget gets made up.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. CAMPER: Yeah, I was going to -

2 MR. CAMERON: Okay, thank you.

3 MR. CAMPER: Thank you, Chip, and thank you  
4 for the question. From our standpoint, we don't want to  
5 prolong or necessary expedite the decommissioning.  
6 What we have to do as a staff is carry out the regulatory  
7 construct that has been created by our commission as to  
8 how nuclear power plants will be decommissioned.

9 And as I explained earlier and other members  
10 of the staff have pointed out, the basis for this 60  
11 years.

12 Now, we understand that 60 years sounds like  
13 a long time. We get that, but there is a technical basis  
14 behind it and a risk basis behind it that led to and  
15 supported the Commission decision that was made in the  
16 1996-1997 time frame.

17 But with regards to the billion dollar  
18 budget and the taxpayers and so forth, I understand that  
19 concern, but it's also important to point out that the  
20 Nuclear Regulatory Commission is a fee recovery agency.

21 The industry pays for 90 percent of the NRC  
22 budget. And the things that we do through fee recovery  
23 whether it be the annual fees that we charge or the fees  
24 that we charge for review work is borne by the industry.  
25 So, only 10 percent or so comes from the general treasury.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And that is a change that congress imposed several years  
2 ago now.

3 MR. CAMERON: Okay. We're going over to my  
4 colleague. Go ahead.

5 MS. OREN: Hi. Thank you. My name is Mary  
6 Oren. I am a Carlsbad resident. Lived in the area for  
7 about 30 years. And I want to thank you so much for the  
8 chance to share information here tonight. It's been a  
9 really great experience.

10 And I'm so grateful for utility contact to  
11 see, because my question is really for her. And also the  
12 gentleman that is representing energy over there.

13 I think one thing we learned tonight, one  
14 reason we're here is it's obvious that big energy  
15 installations often bring big problems. And we've seen  
16 that with San Onofre.

17 I think some of us are concerned about the  
18 natural gas issue with fracking and how that can  
19 contaminate water and cause earthquakes and then there's  
20 the methane issue.

21 There are bigger installations for wind  
22 which can interrupt bird migration. And the bigger  
23 solar installations, I guess that's still to be defined  
24 whether or not that's going to be dangerous or not.

25 The reason I want to talk tonight is to just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com



1 take one moment and look at the big picture. And the big  
2 picture means we're all in this together; industry,  
3 science, government and citizens. And I think as  
4 citizens, it's time that some of us consider taking a  
5 bigger part.

6 I'm a solar homeowner. And when I bought  
7 my system, my installer said, okay, well, this is how many  
8 you need to meet your power use. Don't go over that,  
9 because then you won' recoup your cost.

10 So, I'm just one of many out there who hear  
11 this everyday still. And it's very disappointing to me  
12 because there's businesses and homeowners out there who  
13 would be willing to invest in a couple more panels and  
14 contribute to more power being available.

15 This is being done in other parts of the  
16 world. It's called a feed-in tariff. Germany, France,  
17 some places in our country do it where the citizenry is  
18 providing clean energy.

19 And in Germany, they do it at the level of  
20 50 percent residential solar projection. Here in San  
21 Diego, America's finest city, sunshine almost everyday,  
22 our percentage is three percent. That's crazy when  
23 there's rooftops everywhere and people willing to be a  
24 part of the solution.

25 So, as time goes by and we end up in these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 kinds of situations where we're all doing our best to  
2 qualify, we care, we're all in this together, we are  
3 ratepayers, we want more solutions. We want more  
4 options.

5 A huge piece of the solution is not  
6 happening. We need to make it easier for residents and  
7 businesses to invest in solar.

8 So, my question is with our energy contact,  
9 what energy is coming in and replace of the nuclear?  
10 I've already heard that we don't really need that.

11 And then in terms of the utility, maybe you  
12 could please tell me why residents and businesses are not  
13 allowed to be a bigger part of this process.

14 MR. CAMERON: Okay.

15 (Applause.)

16 MS. OREN: Thank you so much.

17 MR. CAMERON: Thank you. We're going to go  
18 to Rob Oglesby right here on that question.

19 MR. OGLESBY: Well, just really briefly to  
20 a very large question related to what we're doing to work  
21 around the nuclear power that we don't have any longer,  
22 and there are many pieces to it, and about half of the  
23 energy - oh, so let me say in terms of the math, 23,000,  
24 22,000 and change megawatts from San Onofre gone.

25 But when we look at what we need to do to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 work around not having that, it's more than just  
2 replacing the wattage from that generation facility.

3 We're looking at things that are called  
4 voltage support and reactive power that are kind of like  
5 in a water system pressure in the lines.

6 We look at where the generation resources  
7 are and what transmission options we have that we can  
8 optimize, what we can do to make the system run more  
9 efficiently.

10 As we've developed our recommendations for  
11 the strategy to go forward, which isn't final, but we've  
12 been studying it for some time now and coming up with  
13 various options and our website at the Energy Commission  
14 you could see a paper and the plan that we put forward  
15 as recommendations.

16 But about half of the energy need which also  
17 accounts for growth and the phase out of once-through  
18 cooling facilities, it's all related, come from what we  
19 call preferred resources.

20 And preferred resources include  
21 efficiency, which is one of the best alternatives we  
22 have, demand response, distributed generation which  
23 includes solar, as well as very efficient fast-ramping,  
24 clean fossil traditional generation and enhancements to  
25 the distribution system and transmission system.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           So, I would commend you to look at the  
2 recommendations that have been developed by the Energy  
3 Commission working with its sister agencies of the CPUC  
4 and CAISO, the independent systems operator, and have put  
5 forth some scenarios that we're analyzing and will be  
6 developing to go not only for how we're going to get by  
7 next summer, but going forward in the next several years.

8           In terms of the pricing mechanisms, that's  
9 been a very active discussion in California legislature.  
10 Feed-in tariffs met energy metering and I can tell you  
11 that as one of the agencies that's responsible for  
12 attaining 33 percent renewables and sustainable energy  
13 in California, we're very enthusiastic about solar and  
14 would like to see greater distribution and use of solar.

15           MR. CAMERON: Thank you very much, Rob.  
16 We're going to go to two people here. One in the back  
17 of the room. And then I'm going to ask Larry Camper to  
18 close the meeting out for us.

19           Yes, ma'am.

20           PARTICIPANT: This is so vast and so  
21 complicated an issue from the standpoint of the  
22 billionaire's control of the - through the energies and  
23 the military combined coalition that it's controlling  
24 not only our nation, but our world.

25           And those of us who have been putting our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lives into trying to make some protection for our  
2 children and grandchildren and possible future  
3 generations here for 50 years, no, we know what we're up  
4 against and you're just one of the tools of it all, but  
5 I think that its time has come for those of you who really  
6 understand what's happening to speak out and to do  
7 something about it.

8           Because when you talk about two years - I  
9 was told that you're giving - I say "you," but it's the  
10 commissioners are giving two years to Edison to develop  
11 its plan. And it already has dragged along and delayed  
12 and delayed in starting the closing of everything from  
13 the time the failure took place just trying to stay on  
14 the payroll and we understand that.

15           I mean, we can understand that that's  
16 important to those people, but it's not your role to help  
17 them every step of the way.

18           All through the years the decision has never  
19 been made for us. I shouldn't say "never." Never say  
20 never, right? But the point is that now you're talking  
21 about 60 years.

22           How can anybody comprehend leaving us in the  
23 center of the target for the conditions that we have in  
24 the world today for 60 years?

25           I live two miles from that plant and I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 working with a lot of organizations and I know that there  
2 are millions of people in this country who understand  
3 what - part of what is happening enough that they are  
4 trying - they're desperately trying to get you to help  
5 us, because we know that you are - your sole  
6 responsibility is to protect the public, right?

7 So, we say to you, please stop protecting  
8 the industry instead of protecting us.

9 MR. CAMERON: Thank you. Thank you very  
10 much.

11 (Applause.)

12 MR. CAMERON: Please introduce yourself to  
13 us, sir.

14 MR. STEINMETZ: Hi. My name is Jeff  
15 Steinmetz. I'm a resident of San Clemente, California.  
16 My question has to deal with the transportation of the  
17 high burnup fuel.

18 You did mention a couple of casks that were  
19 approved for transportation. But in your sentence and  
20 in the sentences leading up to it, you didn't specify that  
21 they were approved for the high burnup fuel of the nature  
22 that is stored at San Onofre.

23 So, could you please be specific and can you  
24 please provide the documentation? Because we've looked  
25 for it and we can't find it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CAMERON: Okay, thank you. Blair.

2 MR. SPITZBERG: Yeah, I thought I did provide  
3 the documentation. It's Certificate of Compliance  
4 9255, which is for the 24PT1 canister. That's the MP187  
5 transport cask.

6 Did you want me to repeat that? I'm sorry.

7 (Speaking off mic.)

8 MR. SPITZBERG: And the second one was the  
9 Certificate of Compliance 9302 for the MP197 transport  
10 cask. These are available on our website. If you go to  
11 our website, you can call these up.

12 MR. CAMERON: Okay. And let's talk further  
13 if you need to after the meeting. We have one final  
14 comment back there, Bob, and then we're going to go to  
15 Larry Camper. Go ahead.

16 MR. HAGER: Yeah, but, Chip, before we go to  
17 that, I've got several written questions that we haven't  
18 had time to get to.

19 So, if you submitted a written question that  
20 hasn't been answered, please stay afterwards and find an  
21 NRC staffer who can answer it for you, because I don't  
22 want anybody to get away from here and I'm sorry we  
23 haven't got to you. So, stick around right after the  
24 meeting and we'll get your question answered too.

25 MR. CAMERON: Okay. Pete.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. DIETRICH: Yes, thank you. Pete  
2 Dietrich with Southern California Edison. Larry, I do  
3 have a question and I'm seeking to just ensure that I  
4 understand, because I think it is an important  
5 clarification.

6 The term "greenfield" has been used here  
7 tonight repeatedly. It's not specifically in the  
8 presentation materials, but I believe it was mentioned  
9 by the staff. And it was also mentioned by Ms. Walker  
10 from the California Public Utility Commission.

11 And I think it's important I think we're all  
12 aligned that the decommissioning of San Onofre needs to  
13 be conducted safely, cost effectively, efficiently and  
14 we think that that involves doing it in a very more rapid  
15 manner.

16 However, we have to conduct that  
17 decommissioning using the decommissioning trust funds  
18 that have been set aside to accomplish it.

19 If we're aligned on that point, I think it's  
20 important to focus on beginning with the end in mind.

21 What does the end of decommissioning look  
22 like? What are the criteria for agreeing that the site  
23 has been appropriately decommissioned?

24 I look to seek to understand your  
25 perspective. What I heard here tonight is that from a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 radiological decommissioning standpoint from a Nuclear  
2 Regulatory Commission requirement, we are required to  
3 return the land to the ability to be used in an  
4 unrestricted manner, which has a specific definition  
5 from a radiological standpoint, also per our License  
6 Termination Plan which you gentlemen have talked about  
7 which has to be submitted and approved, but there is not  
8 the term "greenfield" included in the Nuclear Regulatory  
9 regulations related to the land restoration requirements  
10 for radiological decommissioning; is that correct?

11 MR. CAMPER: That is correct. In fact, Mike  
12 in his comments made that point very clear. We do not  
13 have a requirement in our regulations that it be  
14 greenfield.

15 I do not know what the requirements are in  
16 the state of California in that regard.

17 MR. DIETRICH: Right. I appreciate that.  
18 And I did have a chance to - go ahead, Larry. Sorry.

19 MR. CAMPER: You also said "restricted." It  
20 can be - or "unrestricted." It can be as I pointed out  
21 in my comments and Bruce did in his too, our regulations  
22 allow unrestricted or restricted.

23 MR. DIETRICH: Right.

24 MR. CAMPER: The 25 millirem dose criteria  
25 in ALARA is the same, but restricted has some other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 provisions requiring institutional controls and so  
2 forth, but no nuclear power plant -

3 MR. DIETRICH: Right.

4 MR. CAMPER: - thus far has opted for the  
5 restricted release. In fact, they've cleaned up their  
6 site on the order of a few millirem.

7 MR. DIETRICH: That's right. And we intend  
8 to proceed for unrestricted use.

9 MR. CAMPER: Right.

10 MR. DIETRICH: That's certainly our  
11 intention.

12 MR. CAMPER: Right.

13 MR. DIETRICH: The other point that was made  
14 by the CPUC representative was that we would need to  
15 return the land to greenfield requirements to meet the  
16 requirements of the Department of the Navy.

17 And I was able to catch Ms. Walker at the  
18 break and just ask her if her understanding was the same  
19 as mine. And that is absent the radiological  
20 decommissioning restoration requirements, our  
21 requirements are to restore the land to the requirements  
22 of the landlord, which is the Department of the Navy.

23 MR. CAMPER: Uh-huh.

24 MR. DIETRICH: So, there is not specifically  
25 in any of the restoration requirements for the San Onofre

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 property either from a radiological standpoint or from  
2 a landlord standpoint that some greenfield standard be  
3 met.

4 We need to work with the Department of the  
5 Navy to ensure that we have restored the property to their  
6 satisfaction and meet the radiological requirements of  
7 the decommissioning.

8 That's southern California's understanding  
9 and we look forward to getting on with it in a safe,  
10 cost-effective and efficient manner.

11 MR. CAMERON: Okay, thank you. Thank you,  
12 Pete. Okay. Very quickly.

13 MR. STONE: (Speaking off mic) the fact that  
14 it's going to take the 60 years and I understand that  
15 that's because of the decay rate so that it will be safe  
16 to work with.

17 But for those 60 years especially the first  
18 30 of those years, that's when the 8.4 million people are  
19 at more risk, at the greatest risk. So, that has to be  
20 understood as well. And that has to be stated publicly,  
21 which is why I'm trying to tell you this right now.

22 You are aware that the greatest danger is  
23 now because the decay rate happens over the 30 to 60  
24 years, but we're in more danger now.

25 MR. CAMERON: Okay, thank you very much. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are over time and let's -

2 (Speaking off mic.)

3 MR. CAMERON: Okay, go ahead.

4 PARTICIPANT: I would like to know why -

5 MR. CAMERON: Give her the mic.

6 PARTICIPANT: I'd like to know why these  
7 spent fuel pools are not contained in the same way as the  
8 reactors and as the dry cask.

9 I mean, outside of the reactor, that is the  
10 most dangerous state of the fuel and it has to stay there  
11 for up to 15 years.

12 Why are the spent fuel pools not contained  
13 in the same way as the reactors and the dry casks when  
14 they're going to be exposed to tsunami, earthquake and  
15 any other kind of hazard?

16 MR. CAMERON: Okay, thank you. Important to  
17 clarify that. Who's going to take - who wants to take  
18 that? Doug?

19 MR. BROADDUS: Thanks. The spent fuel pools  
20 are not contained in the same manner as the reactor,  
21 because the reactor is under extremely high temperatures  
22 and pressures so that the containment is there to contain  
23 that, those high temperatures and pressures.

24 The pool itself is at ambient temperature  
25 and pressure. It's not under those same high

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 temperatures and pressures. And as such, the risk  
2 associated with a release is not the same as in a reactor.

3 The pools, the primary purpose of the pool  
4 is to cool and keep the spent fuel cool. It's to maintain  
5 cooling circulating around the fuel itself.

6 The fuel is put inside the pool in a manner  
7 that it will not reach criticality and go into the same  
8 type of reaction as in the reactor core itself. So,  
9 criticality is not the issue with the pool. The cooling  
10 of the pool - or the fuel itself is the specific issue  
11 there.

12 As long as that's maintained, that's the-  
13 (Speaking off mic.)

14 MR. BROADDUS: I don' know the thickness off  
15 the top of my head, but there's thick stainless steel  
16 lining that goes all the way around the pool.

17 The pools themselves are 40 or 50 feet deep  
18 and there's about 20 feet of water above the actual top  
19 of the spent fuel. So, there's another 20 feet of water  
20 above that.

21 There's about five feet of concrete that's  
22 on the outside of the lining itself. And so, that's  
23 what's protecting the pool, the fuel itself, you know.

24 And so, from the sides and, you know, from  
25 a leaking standpoint there's no - that's all there to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 prevent it from leaking and making sure that the water  
2 stays inside the pool.

3 MR. CAMERON: I think maybe we can continue  
4 this conversation offline, but thank you for that  
5 question. And we're out of time. We're out of time.  
6 And so, I'm going to ask Larry Camper to close the meeting  
7 out for us and thank you all. Larry.

8 MR. CAMPER: Okay. Thank you, Chip. Let me  
9 start by saying as I did at the outset of my comments,  
10 thank you for coming and thank you for great questions,  
11 good dialog. Very, very good thought went into your  
12 questions and we appreciate that and we hope that we have  
13 been able to answer them at least to a reasonable degree.

14 You know, burnup fuel, I heard burnup fuel  
15 again and again. And I think what we need to do is - there  
16 are two things.

17 I want to make sure that we go back and on  
18 our website post the approvals that Blair was citing with  
19 regards to the casks for the high burnup fuel.

20 And I also want to go back, Doug, and we'll  
21 take a look at the actual authorizations that were used  
22 to allow the burnup fuel to be at SONGS to begin with.  
23 So, we'll work at putting a better explanation of that  
24 particular activity on the website for your review.

25 I would also point out that the 60 years has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 come up a lot. We tried to provide a basis for that, but  
2 also understand as I said, it may have just gotten lost  
3 in passing.

4 Although the utilities have this 60 years  
5 to decommission a nuclear power plant, none of them have  
6 taken the 60 years. None of them have taken the full time  
7 and a number of things drive that decision, not the least  
8 of which is citizen concerns about it. That is a factor  
9 that the utility considers as it goes about planning its  
10 timeline.

11 Having the expert staff on site to do  
12 certain things is a factor. Cost of waste disposal is  
13 another. In fact, I think one of Bruce's slides got at  
14 this. There's a number of parameters that go into the  
15 decision that the utility makes as to how long it's going  
16 to take to decommission that reactor.

17 Our process will remain a very transparent  
18 process. Once we have that PSDAR, the Post Shutdown  
19 Decommissioning Activities Report, it will be posted in  
20 FRN. There will be an opportunity for comment. We will  
21 have a meeting out here at that time. And we'll do what  
22 we can, we'll strive to maintain as much transparency as  
23 possible in this process.

24 And, Gene, with regards to your particular  
25 request, as I said, we will take that into consideration

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 near term and get back to the coalition on that.

2 So, what that, again I think that all of you  
3 being here taking part, it's an important part of the  
4 process and we appreciate you taking the time out of your  
5 day to be with us and we certainly have enjoyed the  
6 opportunity to be with you and will continue to  
7 communicate along the way. Thank you.

8 (Whereupon, at 9:15 p.m. the meeting was  
9 adjourned.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)