# **Official Transcript of Proceedings**

# NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards Radiation Protection and Nuclear Materials

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, November 19, 2013

Work Order No.: NRC-428

Pages 1-213

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1323 Rhode Island Avenue, N.W. Washington, D.C. 20005 (202) 234-4433

	1
1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + +
4	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
5	(ACRS)
6	+ + + +
7	RADIATION PROTECTION AND NUCLEAR MATERIALS
8	SUBCOMMITTEE
9	+ + + +
10	TUESDAY
11	NOVEMBER 19, 2013
12	+ + + +
13	ROCKVILLE, MARYLAND
14	+ + + +
15	The Subcommittee met at the Nuclear
16	Regulatory Commission, Two White Flint North, Room T2B1,
17	11545 Rockville Pike, at 1:00 p.m., Michael T. Ryan,
18	Chairman, presiding.
19	COMMITTEE MEMBERS:
20	MICHAEL T. RYAN, Subcommittee Chairman
21	J. SAM ARMIJO, Member
22	RONALD G. BALLINGER, Member
23	SANJOY BANERJEE, Member
24	CHARLES H. BROWN, JR. Member
25	HAROLD B. RAY, Member
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	2
1	JOY REMPE, Member
2	PETER C. RICCARDELLA, Member
3	STEPHEN P. SCHULTZ, Member
4	GORDON R. SKILLMAN, Member
5	JOHN W. STETKAR, Member
6	
7	DESIGNATED FEDERAL OFFICIAL:
8	DEREK WIDMAYER
9	
10	ALSO PRESENT:
11	EDWIN M. HACKETT, Executive Director, ACRS
12	ROBERT BOEHLECKE, DOE-NV
13	RUTH CHALMERS*
14	CHRISTINE GELLES, DOE, Office of Environmental
15	Management
16	MARVIN LEWIS
17	SHERRI ROSS, DOE-SR*
18	ROGER SEITZ, Savannah River National
19	Laboratory
20	JOHN TOTES, Neptune & Company*
21	ANDREW WALLO III, DOE, Office of Health,
22	Safety and Security
23	*Present via telephone
24	
25	
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

		3
1	T-A-B-L-E O-F C-O-N-T-E-N-T-S	
2	<u>P</u>	<u>age</u>
3	Introduction by Dr. Michael Ryan, ACRS	4
4	DOE Opening Remarks by Christine Gelles	7
5	DOE LLW Disposal Standards and Requirements	
6	by Roger Seitz	.13
7	by Andrew Wallo	.76
8	Implementation of DOE M 435.1	
9	by Robert Boehlecke	139
10	by Sherri Ross	166
11	Subcommittee Discussion	191
12	Public Comments	205
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		
	NEAL R. GROSS	
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgrost	s.com

	1323 RHODE ISLAND AVE., N.W.   (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
25	Subcommittee members will recall that in
24	low-level radioactive waste.
23	their regulatory approach for near-surface disposal of
22	representatives of the U.S. Department of Energy on
21	presentations from and hold discussions with
20	you. The purpose of this meeting is to hear
19	CHAIRMAN RYAN: Yes, it was here, thank
18	have to read between the parentheses.
17	MEMBER STETKAR: Well it's complete, you
16	incomplete list on my paper.
15	CHAIRMAN RYAN: John Stetkar. I have an
14	MALE PARTICIPANT: John Stetkar.
13	FEMALE PARTICIPANT: And Roland.
12	did I miss? Oh, I'm sorry. I missed Ron Ballinger.
11	Harold Ray, Sanjoy Banerjee, Pete Riccardella and who
10	Dick Skillman, Steve Schultz, Charlie Brown, Joy Rempe,
9	ACRS members in attendance are Sam Armijo,
8	Subcommittee.
7	Materials. I'm Mike Ryan, Chairman of the
6	Subcommittee on Radiation Protection and Nuclear
5	a meeting of the Advisory Committee on Reactor Safeguard
4	meeting please. The meeting come to order. This is
3	CHAIRMAN RYAN: All right, we'll begin the
2	(1:02 p.m.)
1	P-R-O-C-E-E-D-I-N-G-S
	4

the Committee's last letter to the Commission on the proposed revision of 10 CFR 61, in July of 2013, the ACRS said it would conduct additional meetings on the subject to better understand the technical basis for some of the revisions being proposed by the staff.

This is our first of two subcommittee meetings planned to collect information toward that end. The Subcommittee will gather information, analyze relevant issues, facts and formulate proposed positions and actions as appropriate. The Subcommittee meets again on December 3rd with other stakeholders on revision to Part 61.

Then the Subcommittee plans on composing a letter report on this matter for consideration by the full committee at the February 2014 full committee meeting.

17 Today's meeting is open to the public. We have not received any requests from members of the public 18 to provide comments. However, I understand that there 19 are folks on the bridgeline, or who will be on the 20 21 bridgeline, who will be listening in on today's 22 proceedings. An opportunity will be provided at the 23 end of the proceedings for anyone listening to make a 24 comment.

25

1

2

3

4

5

6

7

8

9

10

11

12

A transcript of the meeting is being kept.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	6
1	It is requested that speakers first identify themselves
2	and speak with sufficient clarity and volume so that
3	they can readily be heard.
4	Derek Widmayer is the designated federal
5	official for this meeting.
6	I understand that one of our presenters
7	today, Sherri Ross from the Department of Energy's
8	Savannah River Field Office, is providing her discussion
9	via the telephone meeting. Sherri, are you there? Can
10	you hear us?
11	MS. ROSS: Yes, I'm here and I can hear you
12	all.
13	CHAIRMAN RYAN: Okay. Great, if you would
14	just kind of keep your phone on mute that would work
15	for us. And when it's your turn we'll give you a holler
16	and we'll go from there, okay?
17	MS. ROSS: Okay. Thank you.
18	CHAIRMAN RYAN: Oh, thank you. We will now
19	proceed with the meeting and I call upon Christine
20	Gelles, Associate Deputy Assistant Secretary for Waste
21	Management in DOE's Office of Environmental Management
22	to open the proceedings. Let me welcome you and all
23	of your colleagues here, and our other participants,
24	for giving up your time and your information to us.
25	It's very important we hear from you and thanks so much
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W.   (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

(202) 234-4433

for being here.

1

2

3

4

5

MS. GELLES: Well thank you very much, we're pleased to be here. Thank you, Dr. Ryan. Thank you also to all the other members of the Advisory Committee.

I'm going to begin just by giving an 6 7 introduction and teeing up what some of our key messages 8 are and then I'm going to turn over the details to my 9 best colleagues here. Roger Seitz from the Savannah 10 River National Laboratory. Andy Wallo from our office 11 of Health, Safety and Security. You already indicated 12 Sherri Ross from the Department of Energy Savannah River site. And we have Rob Boehlecke from the Nevada Site 13 14 Office, the Nevada National Security Site.

So we're going to begin the purpose of our presentation here. And again, thank you for the invitation. We're looking forward to providing you an overview of our integrated protection systems approach to near-surface disposal.

We've been employing the system for over 21 25 years. We feel very confident about its technical 22 efficacy. We're going to work hard to highly the use 23 of defense-in-depth and the role that performance 24 assessment specifically has as just one of our many 25 inputs to our risk informed decision-making regarding

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

near-surface disposal.

1

2

3

4

5

6

7

8

9

We're going to describe the emphasis that we have on consistency with promulgated requirements. We're well aware of both other national standards as well as international standards and we work hard to harmonize ourselves with those.

And then through our presentation here this afternoon we're going to summarize our considerations on a few key topics.

One, that I think is of primary interest, the fact that we use a 1,000 year time frame for quantitative compliance followed by a transition to a more risk-informed interpretation that recognizes the increasing speculation and uncertainties of longer time periods.

We also are going to discuss how we rely on analysis related to inadvertent intruders. And we consider them within the context of optimization rather than a point performance objective.

And Radon is considered separately from the all pathways objective. Scott, please.

The structure of our presentation. Again, my introduction followed by a pretty detailed overview of our regulatory approach by Roger. A discussion of the history and implementation of our DOE regulations

#### NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

for near-surface disposal. And then some site-specific details by the Savannah River site and by the Nevada Field Office.

1

2

3

4

5

6

7

This is a graphic that we borrowed from the IAEA, a Safety Case Concept. But it's very consistent with the Department of Energy's approach to our low-level waste disposal regulations.

The box highlighted in the middle, or highlighted in red, Safety Assessment is analogous to our performance assessment terminology in the DOE. We do employ an integrated approach to the safety using a defense in depth similar to the safety case of the IAEA literature.

Performance Assessments are just one part, or one argument of the overall integrated safety case. We are confident that our near-surface regulations are consistent with other regulatory frameworks for near-surface disposal and we do consider international recommendations.

And as I mentioned before, we have 25-year history in our employment of these regulations. We continuously review them and have strengthened them over time. And as you'll hear late in our presentation, we're in the process of updating our Department of Energy order on radioactive waste management.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

Continuing. Performance Assessments, they provide us a reasonable expectation that our disposal facilities will not exceed the quantitative performance objective within our DOE order. And we support our decision making with design, operations and closure. The PAs are part of that but they are not a single consideration in the decision-making framework.

We do use a two-tiered approach to the time frames with no specific cutoff. Our 1,000 year period, the quantitative period for compliance, is important to us. But we evaluate out to beat those so we do longer term calculations to consider the peak impacts to support our risk-informed decision-making in the context of the increasing uncertainties that --

15 CHAIRMAN RYAN: When you say for a longer 16 period of time, how long?

17 MS. GELLES: There is no limit. There's 18 no specified cutoff. So considering the specific inventories that we're modeling within our performance 19 assessment, we're going to evaluate out to identify the 20 peak impacts and use that information to inform 21 22 decision-making related to the acceptance of the 23 specific --

24 MEMBER ARMIJO: In the case of uranium 25 where there is no peak, you know, how do you terminate

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

11 1 that? I mean, what's the end-point for, let's say, 2 depleted uranium? That's an issue that's been churning 3 around here that, you know, it's always building up. 4 It's riskier in the future than it is today. All that. 5 What does DOE do? MS. GELLES: Well can we table that for some 6 7 detailed answered after Roger's presentation, if that's 8 okay. 9 CHAIRMAN RYAN: Sure, if we're going to get 10 to it that would be great. 11 MS. GELLES: And truly, with all respect, 12 we will answer that question. It's just we're kind of laying out the overall framework right now. Thank you. 13 14 MEMBER ARMIJO: Okay, I got you. Thank 15 you. 16 MS. GELLES: Please. You're going to see 17 this graphic repeatedly, it's how we're going to present 18 the defense-in-depth nature of our system. So at the 19 very center of the bull's-eve is our site 20 characteristics, that we make very careful 21 consideration of what sites we select to host our 22 near-surface disposal facilities. We make those site selection decisions 23 24 based on geologic and hydrologic considerations, 25 facility design and engineered barriers then of course NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

offer another expanded circle of defense. And then additionally, administrative and technical controls.

Moving out on the bull's-eye, we have employ a conservative bias in the objectives and assumptions that we use in constructing and calculating our performance assessments.

7 We set site-specific waste acceptance 8 criteria and have rigorous waste generator 9 certification requirements. And you're going to hear 10 that in spades from Rob when he describes the Nevada 11 Site Offices program.

Some additional controls that we have. 12 We have federal ownership and specified buffer zones. 13 14 Federal ownership in perpetuity until such time that the sites could be released, if in fact we ultimately 15 16 make a decision to release them. And there are no 17 decisions in the near-term, in the foreseeable future, about a future release of any of our decommissioned 18 near-surface disposal facilities. 19

We have a commitment to continuous improvement of our performance assessments. We have a robust federal review group that consistently, annually, reviews our disposal site systems of controls. And there's an expert peer-review process that we'll share with you.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

	13
1	We have monitoring of our performance
2	assessments. And we are very focused on permanent
3	maintenance of our records to ensure institutional
4	knowledge for future generations. So if we do have
5	waste forms, such as uranium, that present very
6	long-term hazards after our institutional controls have
7	been terminated and we're just relying on federal
8	ownership and records management, that information will
9	be available for us.
10	And again you'll see that slide again. And
11	you'll hear more about each of those details of that
12	defense-in-depth system.
13	And I'll turn it over to Roger Seitz,
14	please.
15	MR. SEITZ: Okay. My name is Roger Seitz
16	and I work at the Savannah River National Laboratory.
17	And I've been involved with radioactive waste
18	management for more than 28 years. I started on the
19	BWIP Project at Hanford. And then spent time at Idaho,
20	Savannah River and also consult for the International
21	Atomic Energy Agency.
22	I think one of the themes that we want to
23	emphasize here is a lot of the information in this
24	regulatory approach has evolved over time. And it
25	reflect experiences. It reflects what has been
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

implemented in DOE programs for more than 25 years.

1

2

3

4

5

6

7

11

We have what we call a Radioactive Waste Management Basis and that's very similar to the safety case that was introduced by Christine. And you'll hear this over and over. We view PA as just one piece of a much bigger case that demonstrates the safety of a disposal facility.

8 Defense-in-depth and a total systems 9 perspective are two things that you'll hear emphasized. 10 This idea that we try to maintain consistency with promulgated requirements related to near-surface 12 disposal.

And finally, as Christine mentioned, we are 13 14 trying to be consistent and consider recommendations from international organizations. 15

16 Here's our defense-in-depth figure again. 17 There's a few key points I wanted to emphasize related 18 to this. And I want to drill down a little more that these different 19 within each of defense-in-depth considerations there's safety factors built in as well. 20 And I think one point that I like to make 21 22 is when we look at the radioactive waste management 23 industry, this industry goes to extraordinary lengths 24 to consider potential consequences in the far future. 25 I think you're hard-pressed to think of many other

### NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

industries that would be considering impacts hundreds or thousands of years in the future and making significant decisions based on that information.

PAs are one contributor. There's many different features that you can see in this defense-in-depth figure. PAs help us risk-inform decisions, along with all those other features. And within each of these, there's safety factors built in our dose constraints. There's safety factors built in those.

We build in conservative bias in our calculations that are done. And our assumptions about site performance. And just the fact that we also consider inadvertent intrusion, that's something that you don't see in other waste-management situations. So there's these other factors that are built in. Okay?

On this slide I'll drill down a little more -- Go ahead and hit it one more time, please -- On this safety case figure. And this really highlights, the box with the red line around it in the center, that's the PA. And it's just one piece of many different components.

And what I really like about this safety case concept is it captures this integrated approach. But also from a perspective of explaining what we do

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

for waste-management, it provides a very effective means to communicate all the different pieces that go into making these decisions. And help build confidence that we are making good decisions. Go ahead and click it.

1

2

3

4

5

6

7

8

9

At the top there, talk about the context and the strategy. And that's where you'll see things like robustness, defense-in-depth, our safety objectives, regulations. So these are kind of the core starting point.

10 And then we have one thing that it also 11 highlights is the idea there's iterations and design 12 optimizations that occurs as we learn more about the We can establish limits and controls and 13 system. 14 conditions based on information that we obtain or if we want to say a certain type of waste can't be disposed 15 16 in this location.

17 And, finally, there's а box called 18 management of uncertainty and you'll hear about our 19 performance assessment maintenance process. And 20 you'll hear more about that later. And, as I mentioned 21 before RWMB, our Radioactive Waste Management Basis, 22 is very consistent with this safety case approach.

23 Go back in history a little bit on 24 Performance Assessment. We've been working on site and 25 facility-specific performance assessments and they've

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

been required by our regulations since 1988. And they've been risk-informed performance-based. We've always had an emphasis on reasonable expectation or reasonable assurance of meeting performance objectives.

1

2

3

4

22

(202) 234-4433

And it's viewed in a graded an iterative approach. And what I've done, I've cut a figure out of a 1988 guidance for performance assessment that was drew up by Marilyn Case and Mark Otis. And even at that time there was a big emphasis on this feedback and working through the process and perhaps back stepping to get more information.

So this graded and iterative process has been built into our approach for many years. Over the years we've continued to refine it. And I think probably the most important refinement is we've really gotten much better at focusing on what really matters. We use this process to really start to

18 identify, what's driving performance, what are the 19 things that we really have to understand.

20 MS. GELLES: If I could interrupt you for 21 just one moment.

MR. SEITZ: Okay.

MS. GELLES: So I apologize for the interruption. But I realize too late that I failed to begin with we are very keenly interested in what the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

NRC staff are doing and the Commissioners are considering relative to revisions to Part 61. And we've been monitoring the ongoing rulemaking efforts for many years now it seems. I think since about the 2008 time frame when the depleted uranium unique waste effort began.

7 And we were very pleased to know that the NRC staff were giving very careful consideration to the 8 9 use of site-specific performance assessments, because it has been such a central component of our system for 10 over two decades. Thank you.

#### CHAIRMAN RYAN: Thanks.

So time of compliance. 13 MR. SEITZ: This 14 is one of the important questions that we're addressing. 15 As Christine mentioned, we've focused on a 1,000 year 16 time of compliance. And that decision is based on a 17 number of factors. And you'll hear different pieces of the story as we go through our presentations today. 18 But at its core, first we're consistent with 19 our overriding radiation protection regulation. 20 And 21 we believe we're also consistent with promulgated rules from the NRC that are associated with near-surface 22 23 disposal. And we're also, we believe, we bound what's

considered for RCRA Subtitle (C) type disposal facilities.

### NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

11

12

24

Í	19
1	Part of this basis for 1,000
2	CHAIRMAN RYAN: Just to clarify, Roger, if
3	I many. So you dispose mixed waste?
4	MR. SEITZ: Yes we do.
5	CHAIRMAN RYAN: Okay. So I just wanted the
6	Committee to be aware that there's a category of
7	hazardous waste that's hazardous under RCRA. And
8	radioactive waste, which is under DOE or NRC, or both.
9	MR. SEITZ: But our low-level waste sites
10	are low-level waste sites, not mixed waste sites. We
11	do have mixed waste sites. And I just want to make sure
12	
13	MS. GELLES: We do.
14	MR. SEITZ: We have
15	CHAIRMAN RYAN: Yes, they're separate.
16	Yes and I understand that. But I just wanted folks to
17	realize that they're in the business of both.
18	MS. GELLES: Thank you. That's an
19	important note.
20	CHAIRMAN RYAN: Yes, that's important to
21	us for a couple of reasons when you think of time of
22	compliance. The hard thing to get some folks to think
23	about is 1,000 years is a long time. Well, forever is
24	even longer, because uranium will be here when the planet
25	is cleaved in half. It's 10 to the 9th year half-life.
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON D.C. 20005-3704 WANN poetroop com
1	

It's not going anywhere soon. So it's a forever waste.

1

2

3

4

5

6

7

8

14

(202) 234-4433

I'll be curious when you get to that stuff. We'd like to hear about your strategies for dealing with these longer-lived radionuclides and their persistence in the environment beyond almost any kind of engineering you can think of. So with that little tidbit laid out there for the future discussion, go ahead.

9 MR. SEITZ: Well I think the link to the 10 mention of hazardous waste brings up that concern as 11 well. Because when we're dealing with hazardous waste, 12 a lot of that has no half-life. So its hazards are not 13 going away.

MEMBER ARMIJO: Like uranium.

MR. SEITZ: Well uranium, or even metals and things like that.

17 CHAIRMAN RYAN: Of course uranium is 18 regulated on its chemical toxicity, not on its 19 radiotoxicity.

20 MEMBER ARMIJO: I had a quick question in 21 reading some of your material and want to make sure I 22 understand it. In meeting your 1,000 year time of 23 compliance objection, you have sort of reasonable 24 expectation criteria that you meet as opposed to 25 something more binding?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

1 You know, I like reasonable expectation, 2 I think I understand that. But is there a distinction 3 between the DOE approach and the NRC approach in meeting 4 whatever the time of compliance is? 5 MR. SEITZ: I believe that, I think the NRC 6 uses reasonable assurance. And there are, I think if 7 you drill down to details there can be some little 8 differences in interpretation. But at their core 9 they're fundamentally similar. 10 MEMBER ARMIJO: Okay. Thank you. Thank 11 you. of 12 lot. MR. SEITZ: But а it is interpretation and that's a big part of what happens 13 14 for these longer time frames. And you'll hear me 15 mention that. But it comes down to how you interpret 16 things. 17 CHAIRMAN RYAN: Well, and correct me if you don't agree, Roger. But to my way of thinking some of 18 that interpretation is not specific to so much the 19 agency, but specific to the waste form, the waste 20 21 constituents of interest, the physical location. What 22 part of the country, you know, wet/dry, north/south, 23 hot/cold. All that sort of stuff really can shape what 24 you think is reasonable. 25 MS. GELLES: Absolutely. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

22 1 CHAIRMAN RYAN: What could be reasonable 2 at one site might be not good enough at another, right? MS. GELLES: And that is absolutely the 3 4 fact. 5 CHAIRMAN RYAN: Okay. 6 MS. GELLES: In the Department of Energy 7 complex. CHAIRMAN That's very 8 RYAN: Okay. 9 helpful, thank you. 10 MR. SEITZ: And I think as you look at those 11 spheres that we showed, you'll see as we do the two 12 examples, the defense-in-depth, the site sphere for Nevada will be much different than the site sphere for 13 14 Savannah River. 15 That's very helpful. CHAIRMAN RYAN: 16 Thank you. 17 MR. SEITZ: And part of this basis for 1,000 18 years is that, you know, when we look at PA as one piece of the puzzle, so focusing too much on one piece of the 19 puzzle you lose sight of all the other arguments that 20 21 go into demonstrating the safety. 22 Probably from a technical perspective, one 23 of the key factors is just the idea that we're trying 24 to make decisions. And as you get into these longer 25 time frames there's decreasing relevance and usefulness NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

23 1 of information that's increasingly speculative and 2 uncertain. 3 So I put it in the context of like a value 4 of information. At some point you have to ask yourself 5 how much do we really believe this information that we're using to support the decision. 6 MEMBER REMPE: But it appeared that you had 7 almost annual updates, is that right? Or semi, and then 8 9 if something happens to change things you might even do it more frequently, is what I recall reading in the 10 11 information. 12 MR. SEITZ: Yes. MEMBER REMPE: Which is something we don't 13 14 quite do, I think, at the NRC. 15 CHAIRMAN RYAN: No, that probably isn't 16 quite right, but --17 MEMBER REMPE: Annual updates? 18 CHAIRMAN RYAN: In the sites I'm familiar that are regulated through agreement states, it's 19 sometimes more frequent than that. 20 21 MEMBER REMPE: Okay. 22 CHAIRMAN RYAN: They are are alive and well 23 and they're running them all the time for one reason 24 or another. So I would say it's probably on a par at 25 least. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	24
1	MEMBER REMPE: How much is the annual
2	update that the DOE requires from these sites? Is it
3	an extensive document or is it a
4	MR. SEITZ: It's an annual report. It's
5	more of a summary of what has happened that year.
6	MEMBER REMPE: Okay.
7	MR. SEITZ: And I think Andy has a slide
8	that gives you a little more perspective on it.
9	MR. WALLO: And one of the things to note
10	is when you say we're running the models, actually we
11	have a layered regulatory approach at DOE. At the top
12	we have the headquarters, and I'm going to talk about
13	the low-level waste review group, that looks at these
14	annual summaries and then reviews each PA and all the
15	monitoring plans and so forth on a periodic basis.
16	But are regulator in the field, the site
17	office, is always following the sites and they may do
18	special runs, as you'll hear from our sites, monthly
19	on various things that come in. So it's not like we
20	just even do an annual. We will do special runs all
21	the time to determine if we need any kind of special
22	treatment of the waste.
23	CHAIRMAN RYAN: And just on a commercial
24	site, Joy, there's the same kind of thing between a power
25	plant or another kind of licensee in getting their waste
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

to a disposal facility, whether it's Washington or Barterella, wherever it might be. That there's on-site inspection at the point of generation and --

1

2

3

4 MEMBER REMPE: That's true for the 5 commercial plants too. There's on-site inspections. What I just am wondering is if that is a little more 6 7 fuzzy in the DOE world and there's a lot more required. You know, is that a difference that we need to consider. 8 9 Is just they're a little more oftenly done. I'm coming 10 from a national lab as I'm asking that question, that 11 the site office and the oversight and how rigid the rules 12 And so sometimes fuzziness is more difficult is are. what I'm trying to say. 13

MR. SEITZ: Okay. And really it's an annual report. So as Andy was saying there may be a lot of things going on over the course of the year. MEMBER REMPE: Right.

MR. SEITZ: But each year we publish an annual report that summarizes all these things that have happened over the year.

CHAIRMAN RYAN: So you don't really update your performance assessment every year? I mean that would be kind of --

24 MR. SEITZ: No necessarily. No, not 25 unless there was a need. And, for instance, as I said

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

in our layered approach, the site office could decide that they want to make a change, they want to do something, and then they come up through the regulatory process and we get the whole process rolling. Or the site can decide that it can handle it itself and do the approvals and that it isn't significant enough to bring up.

And if that's the case then we check into that at the annual reviews and say, oh yes, you were right. Or, wait a second, maybe you exceeded your authority here and we needed to look at this kind of approach.

Andy, correct me if I'm 13 CHAIRMAN RYAN: 14 wrong, but my recollection and knowledge from working 15 at a few of the DOE sites over the years is that very 16 often these waste-generating activities are part of 17 decommissioning one thing or another. And any time you go to decommission all the facilities that have been 18 bolted up for, pick a number 20, 30, 40 years, there's 19 always surprises. 20

There's always inventories you didn't know were there. And then some of the other ones might not be there, they've already been taken care of under some other banner. And so it's a little bit tougher because the history is so dragged out in time that sometimes

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

5 MR. SEITZ: I think, actually, from my 6 perspective, from the DOE perspective at a DOE site, 7 it is much more dealing with exceptions. Dealing with 8 something you haven't dealt with before. There's a lot 9 of that. Where I suspect at commercial sites it may 10 be a little more routine.

MS. GELLES: I think it's at the very core of why the Department of Energy is responsible for the disposal of Department of Energy generated waste as well as special waste from the Naval Reactors Program or classified Department of Defense wastes.

They recognize that we are in the best position, we have this robust performance-based, risk-informed, defense-in-depth system that allows us to deal with the unusual waste streams that are not generally generated by NRC licensed activity.

So absolutely, it's very routine operations for us to have a site that's operating as a disposal facility supported by a site-specific Performance Assessment and the regulatory system surrounding that reviewed and approved by the LFRG, which is the federal

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

review group that I alluded to, that Andy will discuss in some detail.

1

2

3

4

5

6

7

8

9

10

11

12

24

25

And it has a waste acceptance criteria. And all of our sites will profile waste that would fit within that acceptance criteria and then some cleanup activity or some one of a kind mission activity will generate a waste stream that seems to challenge that WAC. And we have a process defined in our order and in site-specific regulations and procedures that allow for special analyses, special runs of our models, special consideration.

Sometimes modify 13 we waste package 14 requirements. Sometimes we modify the disposal method. 15 We might dig deeper. We might use greater engineered 16 barriers in a trench before we place other waste 17 attendant to it. We might isolate it from other waste within the same trench or in the same facility. 18

And that is what our system is set up to do because of the very historic and unique nature of our DOE missions. It's why we have a DOE disposal system. CHAIRMAN RYAN: Thank you.

MS. GELLES: You're welcome.

MR. SEITZ: And back on the second point

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

on this slide, it really gets to the core that 1,000 years is by no means a cutoff. And I guess I've thought about this, how do we explain this. And I think from my perspective the best way to explain it is it's really a transition in how you interpret things.

There's some point where we go from this absolute quantitative compliance to recognizing that as uncertainties grow, as it becomes more speculative, you begin to get to more of this risk-informed decision making recognizing those uncertainties. So it becomes more fuzzy, it becomes a true decision framework.

And you go from this, I can say you go from this idea of from 1,000 years basically it's making a decision for you. If you don't comply the decision is made for you.

Beyond that time it informs your decisions. It's not this idea of compliance/non-compliance. It's no longer a decision maker, it's informing your decision in the context of all these other factors.

20 MEMBER SCHULTZ: Roger, are you going to 21 talk more about that? I'm a card-carrying PRA guy. 22 somebody says risk-informing And as soon as I 23 immediately go back to what can happen, how likely is 24 it and what are the consequences and what are the 25 uncertainties.

### NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

	30
1	MR. SEITZ: Yes.
2	MEMBER SCHULTZ: How likely is it tends to
3	get into numbers. So I'm interested if you're saying
4	that after 1,000 years you're transitioning from a
5	quantitative framework to a risk-informed framework,
6	I'm interested in understanding what that means.
7	MR. SEITZ: Okay. And I guess I'm not
8	saying it's not quantitative. So you continue the
9	quantitative calculations but even those calculations
10	become more and more suspect.
11	MR. WALLO: But we're not necessarily
12	(Crosstalk)
13	MR. WALLO: But we're not necessarily
14	talking about probabilistic assessments. We are
15	generally talking about consequence assessments in most
16	cases. Though we do use probabilities sometimes in
17	these analysis. But we're informing the decision by
18	looking at the long-term consequences and numbers are
19	involved, it's just that we don't use them to compare
20	them against a performance metric or a quantitative
21	metric. You don't have to meet 25.
22	CHAIRMAN RYAN: Correct me if I'm wrong
23	again, but I think DOE has spent a tremendous amount
24	of time, energy and funds on characterizing wastes,
25	physical, chemical and most importantly radioactive
	1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

31 1 material content. Whether it's tritium, which is, you know, fairly innocuous on the big scale up to those that 2 3 are much more important from a health and safety and 4 environmental protection perspective. 5 So is that kind of where you start? Is trying to develop the best sort of insight into the 6 7 inventory that you have that you're dealing with? Or 8 is that one of the term things you look at first? 9 MR. SEITZ: It's all part of the package. 10 CHAIRMAN RYAN: Right, okay. 11 MR. SEITZ: You really can't -- As you go 12 further out in time you start looking at factors like that that all contribute to the safety. 13 14 CHAIRMAN RYAN: Okay. Thanks. 15 Roger, will you go back MEMBER SCHULTZ: 16 to that slide for a moment. And with regard to the 1,000 17 year time frame for compliance, in the bullets there, you've got that this conforms with recommendations from 18 19 ICRP and IAEA. Do those agencies also support the 20 discussions related to beyond 1,000 years? 21 MR. SEITZ: I have some quotes coming up 22 here. 23 MEMBER SCHULTZ: Okay. 24 MR. SEITZ: And I think you can't really 25 pick out a number, which I think is by design when you NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	32
1	look at the international recommendations. But I have
2	some quotes that will give you some perspective. And
3	then we can address it more if you'd
4	MEMBER SCHULTZ: And are you influenced by,
5	clearly the international agencies would have an
6	influence, but other countries have chosen other time
7	frames, other ways in which to perform their overall
8	assessments. I presume you're reviewing those, are you
9	going to discuss that later?
10	MR. SEITZ: Well yes, I have one example
11	that illustrates a point about looking at other
12	country's approaches.
13	MEMBER SCHULTZ: I'll appreciate that.
14	Thank you.
15	MR. SEITZ: Okay. And this kind of leads
16	into what you were just asking about. The next few
17	slides I'm going to talk a little bit about the ICRP,
18	some statements that they have in their recommendations.
19	And one of them relates to the use of the term, the
20	concepts of dose and risk as measures of health detriment
21	over long periods of time.
22	The IAEA has some recommendations related
23	to how long our calculation is really meaningful for
24	surface, near-surface disposal facilities. And this
25	fits with the questions about probabilistic
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

risk-assessment.

1

2

3

4

5

6

7

One of the things that I found when we look at other countries, and countries or situations even for radiologic disposal, when people talk about much longer times it's not unusual in those cases to see them using probabilities, event probabilities or things. So that becomes part of the equation.

So it comes down to how, we may say we do it for a certain amount of time, but what you're doing for that amount of time can be different. And I've got an example coming up here.

So just a couple quotes, and I'll just read through them real quick. "Doses and risks, as a measure of health detriment, cannot be forecast with any certainty for beyond around several hundreds of years in the future."

17 They do on to say that that doesn't mean you can't use them to compare with things. You can do 18 calculations longer. But I think what that, in my mind, 19 20 what that says is there may be a change in how you 21 perceive things after that time. How meaningful is this 22 as an indicator at later times? We can use it for a 23 comparison, but there may be a difference in how strictly 24 you conform to it.

CHAIRMAN RYAN: Again, just a question.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

34 1 To me it also implies that if you found that for whatever 2 reason or reasons this 1,000 or 10,000 year period gives 3 you some kind of an estimate of an impact that you don't 4 like you can restrict the inventory. 5 MS. GELLES: Absolutely. MR. SEITZ: That's true. Yes. 6 7 CHAIRMAN RYAN: So I think it's kind of, 8 it's not just an arrow going one way. You know, your 9 analysis and your thinking goes, you know, from what's 10 happening long times in the future to what's happening 11 today and kind of judging what's appropriate for that 12 timeline, whatever it is. Absolutely. But one of the 13 MR. WALLO: 14 things you think about is the decision is to try to isolate and dedicate as few of our natural resources 15 16 to those as possible. I mean, obviously we could solve 17 this problem by just diluting all the waste and making 18 it --19 CHAIRMAN RYAN: Oh no, I wasn't saying dilution. 20 21 MR. WALLO: No, I'm just saying, so when 22 you decide to limit a waste inventory on a site because 23 of a number 10,000 years in the future you're basically 24 making more sites. 25 CHAIRMAN RYAN: Maybe. Maybe not. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

35 1 MR. WALLO: Yes, well it has to qo 2 someplace. MS. GELLES: Or you could go deeper, which 3 4 is the result of --5 MR. WALLO: Yes, but then you're spending 6 more resources. 7 CHAIRMAN RYAN: And you're digging more 8 holes, but you're not --9 MR. SEITZ: And I quess within the DOE 10 system we have the capability that if we find that it's 11 not, we don't believe that it should be disposed at one 12 site there may be another location that's a better place for a specific waste. 13 14 In terms of time frames for modeling, the 15 quote the ICRP recommendation talks about, "To evaluate 16 the performance of waste disposal systems over long time 17 is the consideration of scales, one approach 18 quantitative estimates on the order of 1,000 to 10,000 19 years." 20 here they're not talking And about 21 guantitative calculation. 22 MEMBER ARMIJO: Then when you do those 23 calculations what's the benefit of it, you know? You 24 can do calculations to any time period. You can get 25 numbers and you may or may not believe them. But, I NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433
mean, so what's the safety benefit of doing that?

1

2

3

4

5

6

7

8

9

MR. SEITZ: I've got a slide coming up that maybe will talk about it a little bit more. But in essence you're trying to learn about the system. Are there things that we can improve in the design to address potential longer term consequences. Maybe there's things that can be done that are reasonably, kind of from an ALARA perspective, things that make sense to do.

10 CHAIRMAN RYAN: Well are they fairly 11 straight-forward and not that expensive to add a fence 12 in depth kind of barrier or something that might come So I think if you kind of inform your assessment 13 in. 14 based on those sorts of those things you might choose 15 Barrier B or Barrier A, because it's going to be, you 16 know, another 500 years or another 400 years. That kind 17 of thing that can help you, you know, make the decisions 18 I think Roger is talking about.

MEMBER ARMIJO: Well where I'm trying to go with this question is, with all the experience DOE has over the years in the design and operation of a variety of waste sites with all different kinds of barrier systems and waste forms, don't you already know the answer or the right way to handle this waste at this particular site?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

So why isn't it just a pure, deterministic, procedural thing that says, hey, we know how to handle this stuff. We put it in these kinds of cans and bury it this deep and all that. And so what's the need for an analysis out to 10,000 years just to do the analysis? Unless something new, you know, that you might benefit. But I find it hard to see how --

1

2

3

4

5

6

7

8

19

(202) 234-4433

9 MR. SEITZ: It's really hard to come up with 10 a kind of a varying structured approach because it's 11 different at every site. And, I mean, we can look at 12 certain classes of waste forms and things and we have 13 a general idea of what works. But at one site you may 14 do something different that you do at another site.

15 There are situations which, from my 16 personally technical perspective, as а and а 17 decision-making rule, it becomes less relevant the farther out you go. 18

MEMBER ARMIJO: Sure.

20 MR. SEITZ: And so you're right. But there 21 can be things out there that are relevant and will help 22 you. But one of the things is the assurance. For 23 instance I may see something that in 20,000 years is 24 at 200 millirem you could get an individual dose. Am 25 I worried about that? No I'm not.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

MEMBER ARMIJO: I hope not.

MR. SEITZ: No. So you see that and you see, you know, I'm going to talk a little later about the NAPA Study and one of the things they told us to look for was catastrophic events. So we provide that assessment to make sure there's nothing catastrophic. And there's rarely a chance of that ever happening. But it is that confirmation that we've met that goal, we know we're not doing something that's resulting in something that's catastrophic.

11 MS. GELLES: And I just want to clarify to 12 make sure that there's not a misunderstanding. What Roger was presenting on the previous slide is the ICRP 13 14 perspective. And we actually have a policy position 15 that we don't believe 10,000 years is needed as a 16 deterministic evaluation for every site because we do 17 have great confidence in how the waste we generate and 18 have safely disposed will perform in our disposal 19 systems.

But we do have a requirement within our system to quantify to 1,000 and then continue to evaluate out to the peak impacts that are presented by the waste inventory that we're modeling. We do not run a PA and isolation for one individual waste stream, we're modeling the entire aggregated inventory that we have

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

received, or are projecting to receive in the foreseeable future.

1

2

3

4

5

6

16

25

(202) 234-4433

So 10,000 years we're not willing to say is necessary for every site, but we certainly are identifying where that point is beyond 1,000 years that is relevant to the inventory at the specific site.

7 And we do exactly what you've just 8 described. The accommodate the specific challenges 9 associated with appropriate that as within a 10 risk-informed defense-in-depth system, whether it's 11 greater depth, more engineered barriers, greater waste 12 form stability, all to be determined by the specific set of --13

14 CHAIRMAN RYAN: Well that's radioactive
15 material.

MS. GELLES: Right.

17 CHAIRMAN RYAN: You could end up with two
 18 sites that could do -- might not be the right answer.

MEMBER BANERJEE: So one could be a catastrophic event.

21 MR. SEITZ: I think catastrophic's in terms 22 of doses, right? A dose.

23 MEMBER BANERJEE: Is it a river running 24 through the site suddenly or something?

MR. SEITZ: No, I don't think --

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	40
1	MR. WALLO: Well we'll look at the NAPA
2	Study. Frankly, for dealing with low-level waste I
3	can't think or imagine an event that would be
4	catastrophic.
5	MEMBER BANERJEE: That's what I look, is
6	how do you define it?
7	CHAIRMAN RYAN: One interesting one was the
8	Russian's concern was the meteor that hit Chelyabinsk.
9	Chelyabinsk is a famous city for a lot of other reasons,
10	but
11	MEMBER BANERJEE: Chemical weapons.
12	CHAIRMAN RYAN: So, you know, 40, 30 miles
13	difference, it could have been a whole different, you
14	know, situation. So it's interesting to think about.
15	You know, I don't know if Europe does kind of
16	catastrophic sorts of things, but they're out there.
17	MR. SEITZ: I think that would fall in the
18	category of a low probability event.
19	CHAIRMAN RYAN: Sure.
20	MR. SEITZ: Chelyabinsk could tell you the
21	probability as well. Anyway it's a rare event, that's
22	for sure. But, you know, I think
23	MR. WALLO: But again, for low-level waste
24	sites, even our biggest ones, I can't think even if the
25	meteor hit it that that would be, the low-level waste
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

41 1 would be a catastrophic result as a result. The meteor 2 certainly would be. 3 MEMBER BANERJEE: Yes, that's the issue 4 really. Would the low-level risk be the catastrophic? 5 MR. WALLO: No, again. CHAIRMAN RYAN: Just spread it around. 6 7 MEMBER BANERJEE: Does it matter? 8 MR. WALLO: Well it may matter and we may 9 have a cleanup, but again, the term catastrophic, are 10 we destroying the planet? No. Are we destroying a 11 significant part of the planet? No. 12 MEMBER ARMIJO: Killing a lot of people? 13 No. 14 MR. SEITZ: And Christine made a good 15 point. I think the purpose on these slides is just to 16 talk about kind of the modeling timeframes that are being 17 discussed by the ICRP. And so they're talking on the 18 order of thousands of years, you can learn from 19 quantitative calculations. They don't mention compliance. 20 21 And you see similar things, the IAEA 22 recently published their safety guide on safety case 23 and safety assessment, which is performance assessment 24 in our --25 MEMBER RAY: Can I interrupt you for just NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

a second? Because I want to draw my colleague's attention to something you just said. They don't mention compliance. As I look at this and listen to all of it. That's the big difference that we have to bridge somehow. Because we have to live in a world of litigious challenges to compliance. More so that you got, I don't mean you disregard that, but that is a difference that makes some of this reasonableness a little more difficult to transfer.

MR. SEITZ: And I think that that's kind of the underlying point here, is they talk about you can do some calculations over these times. They may have meaning over a few thousand years. But how much meaning do you want to apply to it?

15 MEMBER SCHULTZ: That's an important point 16 because each of these statements is surrounded by its 17 own context. And if you read this in and of itself it's very interesting. It's suggesting that if you know a 18 lot about what you've done and have performed a very 19 20 careful Performance Assessment then you might be able 21 to quantitatively perform a calculation that would be 22 meaningful over a longer period of time.

If you haven't done all of that then, boy, ten years, 100 years. You're beyond uncertainty bounds of the situation. So it's an interesting concept.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

MR. WALLO: And the thing to remember is even if you did good calculations, had good uncertainty and you know, had some feeling for how the site and the system was going to perform, the question of your metric in the future what does 25 millirem mean in 500 years let alone 1,000 years. It is not a meaningful metric when you get out that far.

8 So you can gain insights about the 9 performance of the safety system by seeing how things 10 move and where they move. But in terms of relevance 11 to today's standards it's of minimal value.

12 CHAIRMAN RYAN: Well I guess when I think 13 about that question, Andy, which I've thought about a 14 lot over the years, is predictability and stability is 15 really what you're hoping for in a waste disposal system.

You know, whether it's absolutely rock-solid and there's not one atom of anything getting out. Or whether it's a 25 millirem per year commitment or 50 or whatever it is, within reason it's performing.

MS. GELLES: Right.

21 CHAIRMAN RYAN: So I take your point well. 22 It really is something to think about for time horizons 23 that are quite long that's different than say routine 24 monitoring. And let's say the monitoring lies in the 25 groundwater system, if something starts happening there

## NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

20

fairly soon you need to act because it's not supposed to happen at all. That kind of thing.

1

2

3

4

5

6

So, you know, that's kind of a different sort of a strategy. You want to make sure it's working so it's a confirmatory measurement as opposed to a compliance measurement. I see those as very different.

7 MR. SEITZ: Yes. And I won't read the 8 whole thing but there's a couple key statements. When 9 we think about things on the ground surface or perhaps 10 a facility that's on the surface or above-ground, they 11 refer to timeframes of hundreds of years. And 12 quantitative estimates may become meaningless beyond that time, of beyond maybe 1,000 years for that case. 13

14 If it's near the surface, slightly below 15 ground, a few thousand years they're talking about, you 16 know, maybe some useful calculations. When they talk 17 about deep geologic disposal they actually refer to tens 18 of thousands of years.

And that's a big distinction. We have to be careful of applying timeframes that are applied for geologic disposal with timeframes that are compared with near-surface disposal.

23 MEMBER ARMIJO: And what would you say, 24 just kind of a rough estimate of what deep means for 25 everybody's benefit?

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

45 1 MR. SEITZ: What do we say? More than a 2 few tens of meters? MR. WALLO: Yes, 30 meters. 3 4 CHAIRMAN RYAN: So 100 feet plus? 5 Yes, I think that's the MR. SEITZ: terminology now, it's something like more than a few 6 7 tens of meters. Yes. MS. GELLES: Right, I think there's room 8 9 for interpretation there. So near-surface is in the 10 upper 30 meters. I mean there is a concept of 11 intermediate depth, but clearly geologic is, you know 12 CHAIRMAN RYAN: Yes, okay. Thanks. 13 14 MS. GELLES: -- not necessarily measured 15 by the depth but so much as the reliance on the geologic 16 barriers. But they all tend to be very deep. 17 CHAIRMAN RYAN: Okay. 18 MR. SEITZ: You get stability. When you go deeper things are going to be a bit more stable. 19 So also stable. 20 21 CHAIRMAN RYAN: Okay. 22 MR. SEITZ: Okay, I mentioned I would show 23 an example. And what I really want to highlight is it's 24 really difficult to just take times. If you're looking 25 at different countries and well, this country uses this NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

time. This country uses this time. You really need to understand how they use those times. And I think all the countries believe they're being protective, they're genuinely trying to be protective, but it's just different approaches.

1

2

3

4

5

6

7

8

9

(202) 234-4433

And the example that I have here is for the low-level waste repository in the United Kingdom. What you find in their regulatory system, the dose constraint applies through closure.

10 So although they do calculations, they 11 assess safety, I don't think they establish a timeframe. 12 But in practice the dose constraint itself applies 13 through closure of the facility. And I think their 14 logic there is that this is when they can actually 15 observe it. You can actually measure compliance with 16 a constraint.

17 CHAIRMAN RYAN: And just for everybody's18 benefit, you're talking the Sellafield facility?

MR. SEITZ: It's near Sellafield, yes.
 They refer to it as the LLWR, which is located near Drigg.
 CHAIRMAN RYAN: Yes, right.

22 MR. SEITZ: But this is from their 23 assessment that was just completed a couple years ago. 24 So that first timeframe is the absolute dose 25 constraint. Beyond that for perspective time

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

47 1 calculations they talk about a risk guidance level, which becomes much more of this true risk where you add 2 3 probabilities in. 4 And over that timeframe they actually 5 consider the probability that someone would put a well So it becomes more of a true risk 6 somewhere. 7 perspective. 8 CHAIRMAN RYAN: Of course the interesting 9 part of that example is it's on the beach. 10 MR. SEITZ: And that's the timing, and it's 11 a coincidence, but their timing --12 MEMBER STETKAR: Today it's on the beach. Yes. The timing there, for 13 MR. SEITZ: 14 their reference case, they assume that coastal erosion 15 is going to start impacting the facility in about 1,000 And that's considered in their assessment. 16 vears. 17 They have scenarios that look at the facility being, basically chipping away. 18 MEMBER BANERJEE: So what's the period of 19 authorization for? Is it 1,000 years? 20 21 MR. SEITZ: They don't specify a time. So 22 they're looking for things that are happening. But at 23 1,000 years things start changing dramatically. And 24 they have some calculations for doses in at 2,000 or 25 3,000 years maybe where they use those for the risk NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1 guidance levels. They also ran a sensitivity case for what they call delayed erosion, which they looked at 2 happening at 10,000 years. 3 4 MEMBER BANERJEE: The black box is notional 5 box, they haven't put any numbers on the time scale. The question is, is there a 6 MS. GELLES: defined period of closure for the U.K. --7 8 MR. SEITZ: Oh, I see. There may be but 9 I don't remember what that is. 10 MS. GELLES: I believe it is. I don't know 11 what the answer is but it is not a notional concept of 12 closure goes on for an undefined period of time. There is a projected period of operations of several decades 13 14 followed by a closure period, which I believe it's in 15 the decades. It's not hundreds of years, right. 16 MEMBER BANERJEE: Not hundreds. 17 MS. GELLES: The point is that this is, our system of a point of compliance with the 1,000 years 18 is more conservative than what the UK model is, because 19 they have the dose constraint only for their operational 20 21 and closure period. Correct? 22 MR. SEITZ: Yes, and it's all in 23 interpretation. I think it's safe as well. This is 24 MEMBER ARMIJO: rather 25 interesting. One is institutional control, which means NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

48

some organization, whether it's a government agency or business or whatever it is, that is paid or gains, you know, their livelihood or whatever you want to think about for providing these services. That's one.

1

2

3

4

5

6

7

8

9

10

11

12

(202) 234-4433

And then the second part of that is well what if there is no institutional control and people lose track of where it is, you know. So I have a hard time sort of, how do I get from one to the other and when does that happen? Because that's tells you an awful lot about what's left or what's important or not important. So I'm guessing from your nod you're wrestling with the same kinds of questions.

MR. SEITZ: Yes, institutional. How much can we take credit for passive controls, active controls?

MR. WALLO: I mean, you know, there's one thing to take credit in the decision making in authorizing the site. But our plan is that these will be under, our sites will be under institutional control forever, or until they can be released.

Now, you say well you can't guarantee that the United States will be here forever. No. But part of that if it's, you know, and the point to the PA, the PA doesn't protect anyone. All the PA does is inform us on what kind of defense we need to put in place.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

50 1 And so if this is that important we've got 2 to make very sure not only do we have the records in 3 place and the passive institutional controls in the 4 design, but we need to make sure we have a record of 5 why we're isolating this place. And one of the things we'll talk about later 6 7 is we don't want to foreclose on future generations. 8 If they look at what we did and say that's nonsense, 9 we don't need to isolate that, that's their choice. 10 We just want to make sure they know in the future. 11 So that's where we would be putting our 12 emphasis is to make sure, as we have this rolling future, that we inform the future generations of what we did, 13 14 why we did it and why we think it needs to stay secure. 15 CHAIRMAN RYAN: So a loss of institutional 16 memory would be the biggest challenge? 17 MS. GELLES: Yes. 18 MR. SEITZ: We have to address that. We have to address that possibility. 19 And one point on this, I think from a high level this isn't so different. 20 21 The times may be different, they may shift. But 22 philosophically there's a lot of similarities to what 23 we do. 24 There's a recognition that at some point 25 it becomes a more fuzzy argument. Okay? NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	51
1	CHAIRMAN RYAN: Just we were stuck on the
2	option of, you know, using copper canisters for waste
3	and burying them so deep they would be real hard to get
4	to. So they've kind of taken a different track but,
5	again, I think the goals are the same.
6	MEMBER BANERJEE: For even low-level
7	waste?
8	MEMBER ARMIJO: That's only for high-level
9	waste.
10	CHAIRMAN RYAN: That's for high-level.
11	MEMBER BANERJEE: What do they do for low
12	levels?
13	MR. SEITZ: They use geologic disposal.
14	CHAIRMAN RYAN: It's all one deal and the
15	copper canisters are, I don't know, are they ten inches
16	thick?
17	MEMBER STETKAR: I'm not sure.
18	MEMBER BANERJEE: So all radionuclides
19	CHAIRMAN RYAN: And they pick copper
20	because it fits in the geochemistry without having any
21	real problems.
22	MEMBER BANERJEE: But isn't the volume very
23	less?
24	CHAIRMAN RYAN: Not so much.
25	MR. SEITZ: Yes, I think that's actually
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W.           (202) 234-4433         WASHINGTON. D.C. 20005-3701

52 1 in important point. In general we're not talking about a lot of waste, even relative to hazardous waste 2 3 disposal. The quantities of waste that we're talking 4 about are -- DOE may be more so with the cleanup 5 activities but in general low-level waste is not huge 6 quantities. 7 Okay. I just wanted to touch on a few 8 things specific to Performance Assessments --9 MEMBER BANERJEE: Just going back, how much 10 is it involving typically? 11 MR. SEITZ: Oh, I don't know the number. 12 MEMBER BANERJEE: Is it many football fields? 13 14 MS. GELLES: Are you asking about the 15 Department of Energy's or the Swedish site? 16 MEMBER BANERJEE: No, the DOE. The 17 Swedish site I assume is --18 MR. WALLO: It depends. You know, I mean we clean up waste. Just like tailings are very 19 20 voluminous, so we have very big sites for those. 21 Clearly probably all our low-level waste could go to 22 Nevada if it wasn't the transportation cost, and we could 23 dispose of it all there. But then we have the tank 24 cleanups and so forth. And the Saltstone at Savannah 25 River. I mean --NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	53
1	MS. GELLES: We would need to clarify the
2	question, I'd be happy, we could provide you lots of
3	historical information. But as an example the Nevada
4	Field Office accepts nominally a million cubic feet a
5	year of waste. And historically has received
6	MR. BOEHLECKE: I think in 2012 we had, I
7	think it was a little over a million and that represented
8	about two percent of the DOE complex waste that year.
9	MS. GELLES: Of the total volumes of waste
10	that we dispose?
11	MR. BOEHLECKE: Yes.
12	MS. GELLES: Thank you. So that's a great
13	the vast majority of it is disposed at facilities
14	at the site where it is generated to support our
15	environmental cleanup activities. So a small portion,
16	historically it's averaged about five percent of our
17	annual generation, travels offsite to offsite disposal
18	facilities like Nevada.
19	But all waste is not the same. So you'll
20	hear Sherri talk about Saltstone and the way that that
21	is stabilized and disposed is markedly different than
22	the solid waste packages that are being transported to
23	Nevada for disposal in the trenches there.
24	So we'd be happy if you want to refine the
25	question a little bit, we could give you a more credible
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

answer.

1

2

3

4

5

6

7

8

9

10

11

54

MEMBER BANERJEE: Well no, I don't even know --

CHAIRMAN RYAN: So the Barnwell site, which is taking quite a large fraction of the waste from reactors, except for fuel. All the operating waste, large components, is a 300 acre site that's got about 40 feet of disposal height from the top down. And it's 300 acres and it's, I don't know, 75 percent full. And that's from 1971 to the present.

MEMBER BANERJEE: That's reactor waste.

12 CHAIRMAN RYAN: And hospitals and 13 universities and all that stuff. It's all materials 14 used within the U.S. pretty much.

MR. SEITZ: I mean for hazardous waste, I think the last time I looked, you're talking billions. CHAIRMAN RYAN: Oh absolutely. Hazardous waste far outspans radioactive waste.

MR. SEITZ: Okay. And I mentioned, we have a definition, and I think there was a question earlier about how do you use calculations, and I think this definition which came from the NCRP, it's after the NCRP, but two things in this. One part is demonstrating compliance, we use them for that.

But I think equally important, perhaps more

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

55 1 important, is we use these calculation to gain a better 2 understanding of what really matters. What can we do 3 improve performance and make our defensible, to 4 cost-effective and risk-informed decisions? 5 So you've got compliance on one side but part of it is this really this learning, understanding 6 7 what really matters. Okay? 8 One thing with in defense-in-depth I 9 mentioned that there are safety factors built in. And this slide's just a few examples of how these safety 10 11 factors, that I think people forget about sometimes. 12 For example, our dose constraint, 0.25 millisievert 13 per year. 14 It's 25 times less than the average annual 15 dose received in the United States. So there's a factor 16 of 25 less than what people are exposed to routinely 17 from all sources of radiation. 18 MEMBER SKILLMAN: Where did that 6.3 come I thought it was three? 19 from? 20 MR. SEITZ: It's changed with medical 21 procedures. 22 MR. WALLO: Actually it's not a truly 23 average dose, it's a per capita dose. So younger folks 24 that don't get a lot of CT scans are only getting your 25 360. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701 (202) 234-4433 www.nealrgross.com

MEMBER SKILLMAN: Okay. Thank you. But then the older folks are getting more like ten millisieverts.

1

2

3

4

5

6

7

8

MR. SEITZ: Thank you. And also our dose, the true dose limit is one millisievert so we have a factor of four there that's been built in to these disposal requirements. Okay. That's our constraint.

The next step we take is we assume --

9 MEMBER BANERJEE: What sort of dose would 10 be expected from a typical mill tailings pile? Uranium 11 mill tailings?

12 Actually the tailings pile MR. WALLO: standards are, as you know, flux rates. So it certainly 13 14 depends on where you put your house and how much you're 15 affected by the flux. I think we did some very soft 16 analysis and that's why you'll see later in our standards 17 where we say if our low-level waste sites dispose of 18 radium-bearing wastes then they need to meet either the 20 meter squared per second flux standard or a 0.5 19 picocuries per liter at the fence line. 20

We think those are generally comparable, very soft modeling calculations, so if you wanted to use the fence line. The 0.5 picocuries per liter probably borders on something over 100 millirem. If you were staying there for a long time.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

56

57 1 MEMBER BANERJEE: Okay. 2 Okay. So we MR. SEITZ: have our 3 constraints and then when we do our --MEMBER BANERJEE: That's not the airborne 4 5 MR. WALLO: Yes, that would be the rate of 6 7 this decayed product, airborne. 8 MEMBER BANERJEE: Airborne. Okay. 9 Thanks. 10 MR. SEITZ: So our constraint has some 11 built in safety factors. Then we assume that all memory 12 of a facility is lost. That's how these exposure occur, so at some point commitments, land use agreements are 13 14 ineffective. And then when someone moves on the site 15 we're assuming that they would no longer be testing well 16 water or be able to recognize that they're on a waste 17 site. 18 And then when we get into the actual calculations we consider highly exposed individuals as 19 these receptors and oftentimes we're not talking credit 20 21 for all the barriers or processes that may be involved. 22 Frankly, from a practical perspective, that 23 it may be easier to just assume that they're not effective rather than spending the time and effort to 24 25 defend every single process. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

58 1 MEMBER BROWN: When you say compliance 2 decisions are made in context of assuming all memory 3 of the facility is lost, does that mean after 1,000 4 years. For relative to your overall assessment? Or 5 does that mean even if a site is declared open after five years, I mean --6 7 MR. SEITZ: Typically is 100 years. 8 MEMBER BROWN: Hundred years. 9 MR. SEITZ: Is our institutional control. 10 And there can be some differences. It can be justified 11 12 Okay. I need to get the MEMBER BROWN: institutional out of this, I'm sorry. 13 14 MR. SEITZ: Yes, that's a different, that's 15 Yes, the memory of the facility will be lost when true. 16 we assume controls have gone in --17 MEMBER BROWN: Okay. So that's when you relinguish institutional control? 18 MS. GELLES: We have a requirement for 19 active institutional controls for a 100 year timeframe. 20 21 After that you assume that we have complete loss. 22 MEMBER BROWN: Oh, okay. 23 MS. GELLES: And this compliance decision 24 is relative to the quantitative period of compliance. 25 Can we demonstrate that this system, if you assume total NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

59 1 failure, people access the site. Don't know it's a Drill into it and use water that is contaminated 2 site. 3 by the radionuclides from our disposal activities, we're 4 determining if that exceeds our PA limits or not. Based 5 on that 1,000 year timeframe. Yes, so we're intentionally 6 MR. SEITZ: 7 biasing a lot of factors towards more of a worst case. 8 MS. GELLES: A worst case. 9 MR. SEITZ: I don't like to say worst case, 10 but it's pushing it that way. And the next slide I talk 11 a little bit more about the scenarios themselves. And 12 within the scenarios it's a probability of one, we're assuming someone will reside at that site. 13 14 Typically we assume they drill a well at 15 the point and time of peak concentration. So they're 16 very precise in where they put their well. Then we 17 assume that they're a resident farmer, typically. And you could argue that's not a typical person in the 18 19 current society. So there's a lot of exposure pathways there. 20 Some sites our stakeholders ask us to look at other 21 22 scenarios that are specific to considerations there. 23 And of course we have our intruder, and I'll talk more about intruders later. 24 25 So there's a lot of safety factors built NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

60 into this. And I think where this leads is how do we 1 2 interpret things for these longer time periods. So for 3 compliance time we use this. We agree, okay, we're 4 going to work within this construct. 5 When you get to longer times maybe you walk back a little bit and say, you know, what's the real 6 7 likelihood that someone is going to reside at this 8 location. And you can start asking those kind of 9 questions and risk inform the decision. 10 MS. GELLES: And just to reinforce --11 MEMBER STETKAR: When you say you can, do 12 you in fact? MR. SEITZ: I think --13 14 MS. GELLES: Yes. The answer is yes, we 15 do. MR. SEITZ: I think so, yes. 16 17 MEMBER STETKAR: I mean that leads you to a conclusion that 200 millirem is okay. 18 MR. WALLO: Yes, I mean if you don't take 19 into those themes and you come up with 200 millirem in 20 21 40,000 years I would say no, we shouldn't waste time 22 refining or doing probabilistic assessments on when the 23 other things. 24 Now, if vou get something that's 25 significantly higher it may be worth refining stuff. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

So that's, it's a decision making tool and you ask yourself, you know, data quality objectives. Do you have enough data to make a decision or do you need more? And that's where the question is. And there's some relative, it's subjective judgement to some degree.

We don't have a hard line to say, yes, if you're above 25 rem then you need to do some more.

8 MEMBER SCHULTZ: But the defense-in-depth 9 discussion on this slide, as well as the last one, that's 10 defense-in-depth as applied to future generations. 11 It's not to say that we are creating the institutional 12 controls or we're creating the allowable waste stream or usage of the facility within the first 100 years of 13 14 institutional control to be affected by that. In other words --15

16 MR. WALLO: We don't expect that to affect, 17 I mean, again, our commitment is, in all our policies 18 and our directives, is to control that site forever. 19 As long as it's hazardous. So this is only a planning 20 tool in terms of deciding how many -- It's really a 21 resource allocation tool. How many resources do we put 22 into mitigating this risk for the future. Wherein our 23 intent is as long as we own it we're going to make sure 24 that this never happens.

MS. GELLES: Well but I'm not 100 percent

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

6

7

sure I understood the nuance of your question. I apologize if this is off target. But what Roger just described is we're constructing our PAs with these worse cased assumptions. As a result of these PAs we're constraining our waste acceptance criteria to ensure that we don't exceed our quantitative limits for our 1,000 year period, our point of compliance.

But then in our defense-in-depth system we're also ensuring that we don't lose, that we have institutional control so we don't have this kind of loss of institutional knowledge. That we are ensuring that these worst case instances never, ever occur.

So we've got conservatism built into the center of the target in the type of site that we select. The constraints of the PA or the assumptions of the PA that we conduct. The waste acceptance criteria we arrive at deriving it from the PA and then all of the other system controls that we ensure in perpetuity.

So I believe there is defense-in-depth that is protective of the future generations but it also is effecting what we do today. If we didn't have such conservatism built in to these PAs we could probably tell ourselves that it's safe to accept more waste or greater concentrations of waste in this operational period. And we'll worry about it later.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

	63
1	But we've built in conservatism at every
2	step of our process. Is that responsive to your
3	question? I don't think it was, but I think it's an
4	important point for us to make because the
5	defense-in-depth happens at every step of our system.
6	MEMBER BANERJEE: I guess I'm having
7	trouble with Let's forget this for a moment but
8	imagine that you're trying to put the waste in a place
9	where you've got some form of an engineered barrier and
10	you're preventing water runoff or something like that.
11	I can imagine that, I'm thinking of a mill tailings
12	pond. You've populated your stuff and, you know, it's
13	fallen to the bottom now you've got it in there and all
14	this stuff.
15	This is going to deteriorate after a period
16	of time. You know that. You can probably figure that
17	out. So how are you going to ensure that it will not
18	in 1,000 deteriorate and get somewhere into the water?
19	MR. SEITZ: Actually we look at it from,
20	my personal perspective is, some deterioration is good.
21	We're better off with a gradual release than you are
22	with something that happens quickly.
23	MEMBER BANERJEE: So you take that into
24	account?
25	MR. SEITZ: Definitely.
	NEAL R. GROSS
	1323 RHODE ISLAND AVE., N.W.           (202) 234-4433         WASHINGTON, D.C. 20005-3701         www.nealrgross.com

	64
1	MS. GELLES: Yes.
2	MEMBER BANERJEE: All right. So you take
3	iron exchange and all this sort of stuff.
4	MR. SEITZ: Oxidation.
5	MEMBER BANERJEE: And that's part of your
6	model?
7	MR. SEITZ: And that's an example of
8	something you can't always take credit for, but it's
9	part of this thought process of
10	MEMBER BANERJEE: So you set up sort of a
11	geochemical model to take care of some of the dilutions
12	and iron exchange and breakthrough curves and all this
13	sort of stuff. The usual things people do. You do that
14	for the level as well?
15	MR. SEITZ: Right. And it tends to be much
16	more focused. We're going to go into more detail on
17	what matters. And a lot of effort goes into identifying
18	things that don't matter from things that do matter so
19	we know where to focus our efforts.
20	CHAIRMAN RYAN: Sanjoy, I think there's
21	been a lot of effort too in that concept that you're
22	reaching for is that on the surface there's lots of other
23	things to look at to understand the system. And as you
24	go down in depth of burial it becomes a little bit simpler
25	in the sense that on the surface weather processes are
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

probably out of play, except when weather contributes to infiltration. So all you need to know is the infiltration, so that one --

MEMBER BANERJEE: A little easier problem.

1

2

3

4

5

17

24

25

(202) 234-4433

6 CHAIRMAN RYAN: So, you know, you're on the 7 right track. But you almost have to say let's figure 8 out what's for this system. And the point you made kind 9 of at the beginning, is each one has to be looked at 10 for its own parts, pieces and merits and strengths and 11 weaknesses.

MR. SEITZ: Okay. And actually it's a really challenging problem. Because every problem has its different idiosyncracies.

15 MEMBER BANERJEE: Yes, because the 16 geomorphology can change with time as well, right?

MR. SEITZ: Yes.

MS. GELLES: Absolutely right. I'm a little concerned about time, just because we want to make sure we get to the important aspects of Andy's presentation as well.

22 MR. SEITZ: And too, we're covering some 23 of them.

MS. GELLES: And that's fine.

MR. SEITZ: Okay, we'll move through these.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

66 This one, I just wanted to make a couple statements about scenario development. And there's been a lot of discussion of the use of features, events and processes. And I think from a DOE perspective our experience is we tend to start from a conceptual model focus. We want to start with describing the system and

its evolution and then refine it as we go. Where we need to.

9 And then as Mike was referring too we look 10 at it from a systems approach. So as we refine it it's 11 not just one part of the system is interesting, we need 12 to understand it. It's how does that part of the system contribute to the overall performance? 13 So something 14 on the surface that seems like it would be important, like a cover, you may think boy we really have to 15 16 understand that.

But for example in a case like this with a tank, the cover's probably going to fail before the tank does. So it really doesn't matter. The cover performance is less important in a situation like this. So you always have to keep perspective about the whole system.

MS. GELLES: Which reminds me of a point that perhaps we need to not assume everybody understand. There's great diversity in the types of low-level waste

## NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

disposal systems that we have across our sites. Much as you accounted for, we might have site-specific considerations or constraints at sites in the west than we would in the east relative to the constraints of our waste acceptance criteria.

1

2

3

4

5

6

7

8

There are great differences in the types of waste we're dealing with and the types of facilities. Thank you. I apologize for the interruption.

9 MR. SEITZ: And the concept that's appeared 10 more in the last few years internationally is the idea 11 of safety functions. I think it's actually related to 12 reactor concepts. And I think it's a very good concept. It's how we really think about these systems. 13 We're 14 looking at the different parts of the system and then we try to think about which ones are we relying on? 15 What is the function that's expected of that part? 16

For example, reducing grout in this case. That's related to technetium release. If we keep it reduced it's not as mobile, it's not as soluble. So then you start to think, the FEPs come into it. Okay, well what could happen to change it from reducing to oxidizing. What kinds of things could happen that would change it and make it more mobile?

And the safety functions perspective helps you to think about these things as different safety

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701 1 layers in a system. And you can see we look at multiple levels of detail in our models as well. 2 3 I'll just go through these pretty quickly. 4 MS. GELLES: I'm not trying to rush you, 5 I just want to make sure we continue it along. SEITZ: And in terms of scenario 6 MR. 7 development, internationally there's been quite a lot 8 of work in the last several years. And I think they're 9 mirroring this idea that really what's been done in

practice is more of a top down, bottom up. 10 So kind of 11 this conceptual model first. Development under initial 12 conceptualization of the system.

13 And then once you have that 14 conceptualization you refine it. Then you start 15 looking at, okay, what can impact that. And the two 16 codes basically in all programs, the starting point is 17 development of a detailed description of the initial 18 state of the system. So it reflects this conceptual 19 approach.

And when they talk about FEP lists, FEP 20 21 databases, it's in the context they've evolved, at least 22 in more advanced programs, to become mainly a tool for 23 checking completeness in a system and scenario 24 description that's already been derived, rather than 25 something that you're building from the ground up.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

I mentioned the PA maintenance process. This is how we manage uncertainties. And one that's become very clear over the years is, if you've been involved with radioactive waste management, we have to make decisions under uncertainty. There's always uncertainties involved.

And what the maintenance process does, it gives us a means to try and address those uncertainties. And we've also, as a result of some of these uncertainties, we've increased the use of probabilistic modeling. And I'd like to emphasize, it's both for sensitivity analysis and uncertainty analysis.

And in my opinion, sensitivity analysis may play a more important role than in uncertainty analysis because using sensitivity analysis is how we get some priority. We can identify parts of the system that are important for the conclusion as well as parts that really have no bearing on the conclusion and don't warrant a lot of effort.

When talked about the maintenance process, in the early 90s the initial thought was, it's kind of per the previous discussion, we're constantly getting different kinds of waste, different waste forms. And we needed a formal approach that to be able to address these changes that would occur from our initial basis.

## NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

It's evolved from that to more of a broader confidence building concept. And you'll about some of the maintenance activities and the site-specific presentations.

1

2

3

4

20

(202) 234-4433

5 And confidence building, now we have demonstrations. We've got field studies. 6 There may 7 laboratory experiments or, this picture is actually, We have 8 it's a mesoscale laboratory experiment. 9 monitoring that goes on at the facilities. And we've 10 developed a process that's modeled after the USQ process 11 that really focuses on that initial idea of changes. 12 We're trying to address changes.

And that's the unreviewed disposal question evaluations gives us a procedure to address, if we get a design change, a container that wasn't considered in the performance assessment, it gives us an approach to evaluate those.

MEMBER ARMIJO: Roger, I just want to justquickly go back to your Slide 22 and ask a quick question.

MR. SEITZ: Okay.

21 MEMBER ARMIJO: That's a pretty robust 22 looking disposal. It's got grout, it's got some sort 23 of concrete and steel container and high density 24 polyethylene layers and all sorts of stuff. So you put 25 something in there that you want, low-level waste, that

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

71 1 you want to keep out of the environment but some time 2 in the future then you have a scenario a probability 3 that, one, somebody wants to drill right through that. MR. SEITZ: In this case not. The drilling 4 5 would occur nearby. This is actually a tank closure 6 problem. 7 MS. GELLES: And this is a case we're not 8 emplacing low-level waste in the tank. We've removed 9 10 MEMBER ARMIJO: You're just vouching it's 11 in place. 12 MS. GELLES: -- the liquid waste and we're leaving the tank structure in place as a low-level waste 13 14 disposal system rather than exhuming the entire 15 construct of the tank. 16 MEMBER ARMIJO: So for this particular case 17 you do not consider that somebody is going to decide 18 to plant his farm right on top of it and drill a hole? 19 MR. SEITZ: We do. MS. GELLES: We do. 20 21 MR. SEITZ: No, we do. But one of the 22 nuances for intrusion is you can take credit for 23 engineered features. There may be, in certain 24 environments if you have a solid concrete tank, like 25 at Savannah River, it's unlikely someone's going to NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com
drill through it.

1

2

3

4

5

6

7

8

13

25

MEMBER ARMIJO: You'd think he'd stop at awhile.

MR. SEITZ: Right. And when you drill down and think more detailed about these intrusion scenarios, we kind of have these base scenarios that there may be engineered features that can change the timing of the scenarios or things like that.

9 MEMBER ARMIJO: Or make the intrusion event 10 stop. Somebody's drilling and he grinds up a bunch of 11 drills and says this is not a good spot and moves along. 12 MR. SEITZ: Exactly.

MEMBER ARMIJO: Okay.

MS. GELLES: But we don't assume that necessarily. We assume that he hits it and then moves over and drills somewhere nearby. There is some modeling in impact.

18 MR. SEITZ: And actually there is -- And 19 we assume that they drill through a transfer line 20 actually.

21 MEMBER ARMIJO: Okay. And then based on, 22 after radioactive decay, time and everything else, then 23 you calculate their dose assuming they'd lived there 24 for a year?

MR. SEITZ: It's right back to this --

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	73
1	MEMBER ARMIJO: So a one-year
2	MR. SEITZ: Yes, and we have a little
3	discussion later about the intruders.
4	MEMBER ARMIJO: Okay. Thank you.
5	MS. GELLES: Thank you.
6	MR. SEITZ: Okay. And the last slide for
7	my part is one thing that we've found, as more and more
8	people got involved with waste disposal and doing
9	performance assessment it became apparent that we really
10	needed to work hard to share information. And so we've
11	created a Community of Practice.
12	And a lot of the reason for creating it is
13	we saw that there's this potential for inconsistencies
14	in how things are done. So we wanted to make sure people
15	were aware of what was being done at other sites.
16	We also use it for continuous improvement.
17	If someone has a good idea at one site we want them
18	to be using that approach at another site. And also
19	it's a means for us to maintain some enduring capability.
20	We're all getting older and so this is an opportunity
21	to share experiences in a more broader fashion.
22	So the Community is implemented through
23	technical exchanges, workshops, we even have technical
24	support for sites that are embarking on a new PA. And
25	these meetings, we've had NRC staff participating in
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

these meetings. We have state regulators, EPA, international participants. These meetings have been pretty well attended. It's proven to be a good approach to share this information.

Okay. Now we'll pass it on.

MR. WALLO: Okay. As we move along here I may or may not read from the slides so if I skip over something you really wanted to talk about, I may get to it, but feel free to stop me if I don't cover something in a slide. I'm going to just use those as memory joggers and just kind of talk here.

12 The first slide basically talks about our authority, which as you know is the same as the NRC. 13 14 It's derived from the Atomic Energy Commission. But 15 we had a little bit broader authority, unlike the 16 Commissions, we weren't just charged to regulate special 17 nuclear and source byproduct material, but rather we 18 had additional charges under that AEA to protect the public from radiation and radioactive material as a 19 result of our research, development and production 20 21 activity.

22 So we do regulate, and have always 23 regulated, accelerator produced materials. And 24 various norm and T-norm materials.

One of the things we wanted to note about

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

our regulatory structure is we do have a real regulatory structure. And it's not a random thing that everyone gets to do what they want. But we have a series of, it's as I said a weighed approach with many oversight organizations and many arms of the regulatory process.

We define responsibilities and authorities, which again come from the Atomic Energy Act primarily, but also the Energy Reorganization Act. And our general protection standard, like NRC's, is the 100 millirem that we derive from the advisory groups. And it's 100 millirem from all sources and all pathways combined, which is why we use dose constraints.

As Roger noted we try to look at others and try to design our standards to be both internally consistent as well as externally consistent to the extent we can.

17 And one of the things we really try to do is, within the Department, to make sure all our 18 19 directives move ahead together. When a few years ago our occupational standard, 10 CFR Part 835 moved ICRP 20 21 60, we moved our public standard which is the other 22 element that would be equivalent to NRC's 10 CFR Part 23 20 for the public, 458. We moved that to ICRP 60 and as this latest revision of 435 comes out it will be due 24 25 in ICRP 60, we're moving our nuclear safety directives

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

too.

1

2

3

4

5

6

So we really try to do it within a few years to keep everything consistent and in the same general timeframe. And that's how we design all these requirements, to try to help them move along.

Go ahead.

So I just want to talk briefly, and I'll go over this quickly, is our radiation protection of the public and environment. And this, as I said, is equivalent to the public protection side of 10 CFR Part 20 in our C Space.

We have a general standard of 100 millirem per year for the public. And we set a dose constraint of 25 for DOE activities. And it's all sources and all pathways.

Radon is handled separately. As is in most standards. We don't count medical exposures or background radiation. And obviously those folks that are exposed under occupational exposure, that's dealt with under 10 CFR Part 835. And we also apply ALARA in all cases.

I do want to note that we do control radon separately. We have specific standards for cleanup for radium and radon. So even in our equivalent to Subpart E of 10 CFR Part 20, which we actually started developing

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

back in 1985 and first issued in the previous order 5400.5 in 1990. And have since updated to 458.

1

2

3

4

5

6

7

8

9

10

standard that We had a cleanup was approximately 25 millirem. Again initially because we don't feel models project anything beyond one significant digit we did start out with 30. But ultimately to be consistent with NRC we did change to 25. I'd like to say it's one-quarter of the dose limit. So I can still say we're using one significant digit. And that's the same kind of concept that

we're looking at in terms of looking at the low-level waste modeling as I get to talk about that, is really what are you getting, what is your model telling you and what's the significance of it. And the realism of it.

And it's the same thing we did with the public protection, except there we're not projecting. Those limits actually apply at the time and true releases, those are not to real people. But they're to stylized the people just like we do in the 435.

I will briefly mention, we noted that actually the radioactive waste management concept that we have now dates back to '88. It was issued as one of our four-digit orders, 5820.2A. And in starting to implement that we learned a few things and there have

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

78 1 been developments that led to the current 435 and then 2 refinements that Christine will be talking about in what 3 we anticipate from the next 435.1 Order. 4 We did get а recommendation now 5 implementing 5820.2A from the Defense Board in oversight. And one of the major things about that was 6 7 they wanted -- We were focusing on low-level waste sites 8 and they gee, you're putting these low-level waste sites 9 along with all your other sites. 10 Now, the predecessor to our public 11 protection order took that into account because we have 12 to look at all doses from the sites to identify who are maximally exposed individual. But the Board was saying 13 14 well you're projecting things hundreds, thousands of 15 years in the future, what happens to the combination 16 of all of these sites in that period. So we took that 17 to heart in the development of 435.1, as we did those. 18 Next slide. So we began 435 in the mid-90s. 19 It does cover high-level, transuranic, low-level and has 20 21 general requirements in it. I'm going to talk mostly, 22 and we've been talking mostly, about the low-level waste 23 requirements. 24 In developing the revision to the 5820 25

Directive we had many, many workshops. A lot of

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

interaction with those that were being regulated by the orders and those that were the disposers and the customers of the disposal sites.

1

2

3

4

5

21

(202) 234-4433

MEMBER BANERJEE: What do you mean by mixed low-level there?

MR. WALLO: Well the order also covers 6 7 low-level waste that's mixed with hazardous waste. So 8 any of the waste forms that we dispose of, which would 9 include high-level waste, transuranic waste, low-level waste or chemical and radioactive waste mixed. There 10 11 are requirements in this order to make sure we manage 12 it appropriately.

The package with the order included the 13 14 order itself, which gave the general and overarching 15 requirements, the manual which was a requirements 16 document and fairly substantial, that gave the detailed 17 requirements of the order. And then there were technical basis documents and guidance materials that 18 gave some insights of how you might best comply in a 19 20 training program.

And again, the goal of this order is to implement our radiation protection requirements that are in 10 CFR Part 835, for workers. And 458 for the public in the waste management area. This is the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

implementing order to make sure those things are all effective.

1

2

3

4

5

6

7

The order was effective in July 2000 and we've been implementing it ever since. One of the big outcomes, and partly influenced by the Board recommendation, was the creation of a Low-Level Waste Federal Review Group.

8 Previously under 458 DOE Office, deputy 9 assistant secretaries were responsible to approving 10 disposal authorizations. And the Department had in 11 place a guidance group that was made up of contractors 12 that would review each PA and go through a process with 13 the site and the developers and the exchange.

Two things happened. First of all, we realized that that function was probably inherently governmental, hence the creation of a DOE Low-Level Waste Federal Review Group.

But also, the focus of this technical group really got to be very technical. And a lot of time there would be year's reviews done on a PA. The PA sent back and back and back, all for technical questions that maybe didn't make, wasn't a lot of value for the decision to whether to authorize the disposal or not.

And what we found was we needed to combine not only technical reviews, but we needed decision

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

makers that were thinking of the process of what's important to authorizing this site. Not is that KD factor for that particular radionuclide exactly right, should we adjust it up and down.

And in all honesty those things did delay a lot of PAs back then, in the '80. And so one of the real benefits of the Federal Review Group is that focuses it. We still use contractors. We have review groups that we set up when a PA is ready for review and ready for authorization that includes contractors as well as the DOE staff.

And then the results of that review and its analysis come to the Low-Level Waste Federal Review Group, and basically just like a licensing procedure, the decision is do we recommend that the deputy assistant secretary authorize the operation, or the continued operation, of this disposal site.

18 In addition, part of that review covers the composite analysis that was the other element of the 19 Board recommendation. We do look at all DOE operations 20 21 impacting or that that low-level waste site may impact 22 or those sites may impact in terms of an off-site 23 receptor and asked the question is there potential for 24 doses to exceed our dose limits over 1,000 year period 25 as a result of combined operations for the facilities.

## NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

Now, this is not a compliance decision because we're projecting these doses in the future. What it is is a decision to say, gee if this starts to exceed our 25 millirem constrain, or 30 millirem constraint, combined then we need some time in the future to figure out what we're going to do and we need a plan to do that.

8 MEMBER BANERJEE: So is that authorization 9 given for a period of time? Like 60 years or 100 years? 10 MR. WALLO: The authorization has to be 11 re-reviewed at the time when the PA is resubmitted. 12 There is an update on the PAs. Once it's closed then 13 it will be the periodic reviews. But yes. And many 14 times the authorization may include constraints or

15 conditions. And those conditions then are reviewed 16 annually to see that the site is meeting the conditions 17 or taking actions that the conditions can be lifted.

18 MEMBER BANERJEE: But it's authorized with 19 conditions for a certain period of time.

20 MR. WALLO: Yes, that's right. And the 21 authorization will be revisited at some time.

CHAIRMAN RYAN: And then just for the member's benefit, that's not different by much of what the NRC does. They issue a license, there's license conditions for the same kinds of things Andy talked about

## NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

83 1 for waste acceptance criteria, for operations. The 2 requirements for monitoring, personnel, environment, all of that. 3 4 MEMBER BANERJEE: But then we have a review 5 And that's inspected 6 CHAIRMAN RYAN: 7 routinely by onsite inspectors who are there, for the 8 most part, every operating working day. And then 9 there's larger groups that come from the home office 10 to do a more thorough and detailed review of paperwork 11 and all the rest. So it's not atypical at all on either 12 side of the DOE --BANERJEE: it 13 MEMBER Is typical to 14 authorize for 40 years or something like that and then 15 have a renewal process? It's a function in the PA. 16 MR. WALLO: 17 Generally the PA includes an assumption of an operating 18 period. So that's part of the review. MS. GELLES: And how long that is is going 19 20 to depend upon the functionality of that disposal system for the site to meet the site's needs. So a site like 21 22 Nevada that is serving as a regional disposal facility 23 is going to operate for a longer period of time than 24 a low-level waste system devised at site that's going 25 through a complete decommissioning and will be closed NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

84 1 within a two-decade period of time. So it's going to differ depending on the 2 3 location and the mission of the facility. 4 MEMBER BANERJEE: The authorization comes 5 from the deputy assistant secretary? 6 MS. GELLES: Right. 7 MR. WALLO: Generally the composite 8 analysis is not as rigorous as a PA analysis. We use 9 whatever data are available because things that are 10 included may be plant cleanups or some estimates of 11 residual activity. Some old disposal sites that may 12 exist on our facility. Whatever information we have we do the best estimate we can to come up with a composite 13 14 analysis and then determine what more needs to be done, 15 if anything. 16 I just want to talk briefly again about the 17 Low-Level Waste Federal Review Group. They are 18 responsible for reviewing both the PAs, the CAs as well as monitoring the monitoring programs and the various 19 updates that the sites do. And they track and report 20 21 on the compliance documentation and then report back 22 to, as we said, the senior managers. 23 This was, I feel, a real improvement in our 24 regulatory system, was the development of а DOE 25 functional Low-Level Waste Federal Review Group. Not NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

85 1 that we didn't have technical experts and staff on hand that advised the deputies before, and the decision 2 3 makers, but this kind of makes a little more formal and, 4 I would say, institutionalized regulatory structure 5 that we have at the Department. All right. So what are the performance 6 7 objectives in the Order? Basically it's 25 millirem 8 total effective dose equivalent from all exposures 9 excluding the radon. And then we have separate 10 requirements, if you end up disposing of a radon 11 generating radionuclide in your facility. 12 This is, as I said, consistent with the way we handle mill tailings and the way we do cleanups in 13 14 our analysis for cleanup standards. 15 Next slide. 16 The air pathway, we have 10 millirem from 17 the air consistent with the NESHAPS in addition to our 25 millirem all pathways. So no more than 10 of it can 18 go through the air pathway. 19 20 And then for radon the disposal sites, 21 consistent with 40 CFR 192 and our 458.1 requirements, 22 is a flex limit of 20 picocuries per meters squared per 23 second. Or as an alternative you can demonstrate 0.5 24 picocuries per liter. 25 I will note that the one difference between NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

a low-level waste site that may have some radium generating wastes in it and another site is you demonstrate compliance with a mill tailing site by once you cap it you do the measurements. And you've done that and then you monitor forever, just watch the site and make sure the cap's still stable. You don't have to do any more major measurements to demonstrate compliance.

1

2

3

4

5

6

7

8

For the low-level waste site we allow them to model that dose and project it rather than measure it. So we don't wait until closure. They can demonstrate that they're going to comply with their design and their waste acceptance criteria by modeling as opposed to the measurement.

MEMBER BROWN: Is this when you put the site into service or is this after it is, you talk about a representative member of the public or when the public has unrestricted access to that site? I ask the guestion --

20 MR. WALLO: The 25 millirem, the dose? 21 MEMBER BROWN: No, the 10 millirem in the 22 air --23 MR. WALLO: Yes, that's for operation and 24 closure of the site. When we cap the site and --25 MEMBER BROWN: When you cap it, does that

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

87 1 mean --2 MR. WALLO: Well if the site is closed the 3 PA needs to demonstrate that they meet a 10 millirem 4 per year offsite dose limits. 5 MEMBER BROWN: Okay, so it's open --MR. WALLO: Yes. 6 7 MEMBER BROWN: So the public can now enter 8 the site? When you say close, I'm trying to understand 9 what you mean by close. 10 This is in the 1,000 year. MS. GELLES: 11 We would distinguish, these are limits that we need to 12 demonstrate we're meeting within that 1,000 year period of compliance. 13 MEMBER BROWN: This is not for the intruder 14 15 though? This would be for the member of the public that 16 lives around the site? 17 MR. SEITZ: And it will be controlled by the site monitor. 18 Okay. Nobody is on the 19 MEMBER BROWN: site. 20 21 (Crosstalk.) 22 MEMBER BROWN: Nobody's on the site, okay. 23 MR. WALLO: But over time the site's going 24 to --25 MEMBER BROWN: Assume 1,000 years, how can NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	88
1	you even know that even after 100 years is your
2	MS. GELLES: It's our active institutional
3	control requirement.
4	MEMBER BROWN: That's right, so after 100
5	years and if you pick the 10 millirem and say the 20
6	picocuries per meter squared per second for the radon,
7	do you expect those numbers, if nothing else happened
8	on the site, would those go down to what you would
9	consider after 100 years public? Somebody could live
10	on top of that?
11	MR. SEITZ: Your receptor location changes
12	with time.
13	MEMBER BROWN: I have no idea what that
14	means. I'm a person. After 100 years I go build a house
15	on top of that site that had 20 picocuries per meter
16	squared per second. I'm
17	MR. WALLO: It would be assessed against
18	the 100 millirem chronic standard, not against that 10
19	millirem. The 10 millirem is for the operation of the
20	site.
21	MEMBER BROWN: I'm trying to get a feel for
22	after 100 years.
23	MR. WALLO: Yes, after 100 years we would
24	an assessment and
25	MEMBER BROWN: Can somebody go build a
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	89
1	house on it if
2	MR. SEITZ: There's a buffer zone that is
3	assumed to be maintained over time. But say at 100 years
4	the site boundaries may go away and the person who's
5	getting exposed would be
6	MEMBER BROWN: Not an intruder. This is
7	a person.
8	MR. SEITZ: Right. The person, the member
9	of the public that's getting exposed would be within
10	about 100 meters. That's the location.
11	MEMBER BROWN: That's a arbitrary buffer
12	zone?
13	MR. SEITZ: Yes.
14	MEMBER ARMIJO: So you assume they don't
15	put their house right over?
16	MR. WALLO: That's correct. That's the
17	intruder. The undisturbed performance individual is
18	100 meters within the site.
19	MEMBER ARMIJO: But the intruder can go sit
20	right on top.
21	MR. WALLO: Right. But these performance
22	objectives are for the undisturbed performance and the
23	member of the public that lives around the site.
24	MEMBER ARMIJO: Right. Okay.
25	MEMBER BANERJEE: You could live closer to
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

the site.

1

2

3

4

5

6

7

8

9

10

13

MEMBER BROWN: Okay, if somebody was sitting right out in their background right at the boundary, they could get 20 picocuries per meter squared per second while they're sitting there having a beer or watching a ball game.

CHAIRMAN RYAN: Actually not enough to cause any problem because that's the radon flux rate, and the radon's going to whiz by his nose rather than just go up his nose.

11 MEMBER BROWN: Yes, I was trying to 12 calibrate that with the publicly --

(Crosstalk)

MEMBER BROWN: -- four picocuries, to measure it in your basement, for instance.

MR. WALLO: I can't say that we've done it hard, but the 0.5 picocurie per liter has a general qualitative, I would say, order of magnitude estimate with, depending on the boundary of the site. But the 0.5 picocurie per liter, which is one-eighth of the 4 picocurie per liter indoor standard, is our boundary line standard.

23 MEMBER BROWN: Okay. All right. I've got 24 it now. I'm just trying to put it in a practical context 25 of --

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

	91
1	MS. GELLES: Clarifying question.
2	MEMBER BROWN: human being that might
3	understand what you're talking about.
4	CHAIRMAN RYAN: Charlie, you've got to
5	wrestle with another one. Outdoors that radon is going
6	to dilute real fast.
7	MEMBER BROWN: I understand that.
8	MR. WALLO: Equilibrium. Go to the next
9	
10	MEMBER SKILLMAN: Let me build on Charlie's
11	question for a second. Point of compliance. The
12	initial assumption or point of departure for point of
13	compliance is DOE M 435.1-1. For performance
14	assessments is the point of highest projected dose or
15	concentration beyond a 100-meter buffer zone.
16	MR. WALLO: Right. That's, if you go to
17	the next slide.
18	MEMBER SKILLMAN: Does this mean that
19	there's a 200-meter radius around the point? Excuse
20	me, a 200-meter diameter, a 100-meter radius? Is that
21	how
22	MR. WALLO: It's 100 meters from the
23	boundary of the disposal facility.
24	MEMBER SKILLMAN: So if the boundary is as
25	big as a football field, there's another 100 meter on
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

each of the --

1

2

3

4

5

6

7

8

9

10

11

MR. WALLO: Each end of it, yes.

MEMBER SKILLMAN: Now I understand. Thank you. I was just curious.

MR. WALLO: And actually the next slide talks about the conditions. It's not an anything can happen kind of situation. The order actually defines certain conditions under which to do the compliance analysis. We define certain living habits of the critical group, the most highly exposed individuals. It's not just anybody random.

Yes, you can probably think of putting someone in the ground and covering them up and leaving them there for awhile and they might get a higher dose. It's an actual average dose to a member of the critical group, somebody living near the site. The condition unless justified otherwise is 100 meters from the boundary of the disposal unit.

We evaluate reasonably foreseeable natural processes. We probably won't look at the meteorite hitting. But 100-year floods, if there's any seismic possibilities we may look at those things. And we do evaluate sensitivity and certainty.

And then we apply an ALARA process to make sure that our designs result in doses that are as low

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

as reasonably achievable. Now let me say with that this is again kind of like the question of do you ever expect anything catastrophic?

1

2

3

4

5

6

7

8

9

10

Our ALARA requirements are tailored, and basically we say you do quantitative ALARA analysis and spend a lot of money if you have a lot to gain. If you don't have much to gain your ALARA is qualitative. We always do ALARA, but unless you're going to get, you know, we use \$1 to \$6,000 per person-rem as opposed to the NRC's two. We always talk in a range.

And if the analysis, if you're going to get, one person-rem benefit is the most you can get at it, and your analysis it's going to cost you \$1 million, you're probably not going to do a quantitative analysis.

15 Andy, one point that I CHAIRMAN RYAN: 16 think would help the members kind of put all of this 17 into perspective is to answer the question of does DOE ever really walk away from these sites? You know, I 18 19 think the program, correct me if I'm wrong, is that you develop a remediation plan, closure plan and then a 20 21 monitoring plan for the future. So it sounds like to 22 me that that doesn't really have an end.

23 MR. WALLO: No, it doesn't. As a matter 24 of fact, the conditions that we state is the only time 25 we will release these sites is if they can meet the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

clearance or release requirements stated in 458.1.

1

2

3

4

5

6

I think that's a very CHAIRMAN RYAN: important point because, you know, sometimes we get a little bit, sort of thinking about the details of how we're going to close this site, you know, what conditions we have to leave it in.

7 But the DOE's view is that they're not 8 walking away from it. They're not going to lose 9 knowledge that they're there, and there will be an 10 ongoing process to make sure they are maintaining 11 whatever requirements you set forth. Do you think that's fair? 12

MR. WALLO: Yes, it is. Absolutely. 13 And we didn't state that there's a DOE institutional control 14 15 policy where we basically did that in support of this 16 order and 458 that states our position. Did we --

MS. GELLES: We did. It was in the first 17 18 target. It was the outer ring in our defense-in-depth system in the slide that I presented. But that's one 19 of our systems of control is institutional control in 20 21 perpetuity, federal ownership.

22 CHAIRMAN RYAN: On the commercial side, 23 there's a very similar requirement to maintain an 24 institutional control fund which will operate for, at 25 this point it's 100 years, plus any period deemed to

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

www.nealrgross.com

(202) 234-4433

be necessary after that.

1

2 MR. WALLO: Yes. I mean, keep in mind that 3 EPA basically, we had some trouble, but their design 4 standard for RCRA cells, initially they were talking 5 about 30 years but that's evolved where they clearly state now, no, there is no release period. We will look 6 7 at it every five years and make sure it's still safe. 8 So it's the same thing done for the hazardous waste 9 sites that basically we're doing for our disposal sites. 10 And in light of that MEMBER BROWN: 11 question never walking away. What did you all do with 12 the Windsor site? That was a DOE site wasn't it? MS. GELLES: What site? 13 nuclear 14 MEMBER BROWN: There was a 15 prototype up at Windsor at one time. 16 MALE PARTICIPANT: S1C. 17 S1C, yes. Totally was MEMBER BROWN: decommissioned and I thought it was Green Shield now, 18 19 and that was --MR. WALLO: We do release sites. 20 He's 21 talking about -- what I said was, under 458.1 we have 22 release criteria just like NRC does under Subpart E. 23 MEMBER BROWN: Well, that's what I thought. 24 MR. WALLO: If they can meet those release 25 requirements, yes, we will release it. But we will NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

96 1 maintain a low-level waste site until it can --2 CHAIRMAN RYAN: I wasn't talking about for 3 free release forevermore. It's kind of what do you do 4 with the waste site, you know. MEMBER BROWN: I've got it. 5 We've decontaminated and 6 MR. WALLO: 7 released many sites. 8 MEMBER BROWN: Okay. Well, that's what I 9 thought had happened, and all of a sudden I thought, 10 no, you all hadn't walked away from that when I thought 11 12 There's more to talk about, MR. WALLO: about the order, but I want to take time to just talk 13 14 about Time of Compliance. 15 MEMBER BROWN: That's what I think we 16 probably ought to touch on. 17 MEMBER BANERJEE: Could I just, you talked 18 about air. Is it because near surface that becomes the determining dose and not water? 19 20 MR. WALLO: Actually, for the most time it 21 always is water. The only site where air is the primary driver is Nevada. 22 23 (Crosstalk) 24 MR. WALLO: So we have to find some way to 25 expose --NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	97
1	(Crosstalk)
2	CHAIRMAN RYAN: I want to ask at this point,
3	we're going to take a break somewhere along the line
4	and I'll kind of let you folks maybe help me choose when
5	that ought to be. I'm going to suggest we do it now
6	rather than later. We've covered a lot of ground so
7	far and maybe we can take a 15-minute break and kind
8	of plan on coming back and starting up at about five
9	after.
10	MEMBER ARMIJO: If we get into Time of
11	Compliance now we're not going to get it.
12	MS. GELLES: I think that's a wonderful
13	suggestion.
14	CHAIRMAN RYAN: All right, in 15 minutes
15	we'll come back. We're off the record.
16	(Whereupon, the above-entitled matter went
17	off the record at 2:48 p.m. and went back on the record
18	at 3:03 p.m.)
19	CHAIRMAN RYAN: Thank you. We have had a
20	very good discussion this afternoon so far, and I want
21	to suggest that we let our presenters get through this
22	Time of Compliance piece as best we can, because that
23	way I think our questions will be tailored to the whole
24	presentation as opposed to the first sentence or two.
25	We can probably make a little bit of time up if we do
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

that. So good luck.

1

2

3

4

5

6

7

8

MR. WALLO: I'm going to continue on with the Time of Compliance here. The summary of the point I want to make here is we didn't pull a 1,000 years out of the hat, we didn't pull the process out of the hat. It was a very thoughtful exercise. And we looked at a lot of materials and even got some good advice, I think, in developing this.

As I told you before, one of the things is we wanted to maintain internal consistency. We already had in place our cleanup standards, the equivalent to Subpart E. Then we got feedback from many, many groups in the 435.1 working groups. We looked at NRC, EPA standards.

15 At the time we were doing this there was 16 a lot of feedback on risk assessment and cost/benefit 17 analysis and how we should make decisions, from OMB as well. I'll talk a little bit about that in a minute. 18 And then the NAS was doing some studies. 19 They were 20 particularly focused on high-level waste, but still they 21 gave us some things to think about and I want to bring 22 those up.

From the OMB perspective, one of the things that were most troublesome, not troublesome, but most interested us is at that time they were stressing the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

fact and concern that regulations were starting to cost the country a lot.

They wanted more cost/benefit considerations, and they thought that we should be discounting our analysis. Any cost/benefit or risk analysis we did, they were making recommendations at the time that we should use some discounting factors. We didn't do that and we have never discounted either the cost or the health effects. I mean, we basically looked at them as flat.

11 But one question is, you know, is that one 12 way of taking into account the future benefits and costs of something? Well, from our perspective it didn't, 13 14 because in a matter of a 100 years you'll have discounted 15 away any benefit of the health effects associated with 16 these kind of regulations. They are virtually of no 17 value if you use standard discounting. The other thing was the NAS, and flip to the charts. They 18 had two studies going on at the time. One I thought 19 -- yes, there we go. This was the first one from 1990, 20 21 and again they were focusing on geologic disposal, but 22 it still was an interesting thought.

A scientifically sound objective to geologic modeling is learning over time how to achieve long term isolation of radioactive waste. That is a

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

profoundly different objective from predicting the detailed structure and behavior of a site. It is the latter use to which models have been put. The Board believes this is scientifically unsound.

1

2

3

4

5

6

7

8

9

10

11

(202) 234-4433

We also are consistent with this. I mean, even then we were thinking that what we wanted to do with modeling is show how the system performed and give us some insights to that. The benefits of someone believing that you really could detail for a 1,000 years what's going to happen, for 10,000 what's going to happen, you're in a cartoon land then.

What happens is what you program to happen, and you try to make the models as realistic as possible. But the further out you go, the more questions, plus what you're comparing them to. The next one?

This was the '95 study. And this first statement I personally like. Do we believe there is no scientific basis for limiting the time period of the individual risk standard to 10,000 years or any other value? Totally agree.

We note that although the selection of a time period of application has scientific elements, it is also policy aspects that are not addressed. And another issue is intergenerational equity. And then unfortunately, the third thing was they went on to

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

recommend that we carry the calculations out to a peak dose or a million years.

1

2

3

4

5

6

7

8

9

10

11

(202) 234-4433

MEMBER ARMIJO: It sounds like they're a little bit inconsistent.

MR. WALLO: So this basically led us to saying, you know, this raises a lot of questions for us. So what we did, go ahead. We actually said, you know, we agree this is isn't a science issue. Let's go to the National Academy of Public Administration and ask them to evaluate this issue in intergenerational equity.

So we actually went to them and said, take a look at this issue, and we're interested in getting some insights in terms of decision making. And they did a fairly -- go ahead.

MEMBER ARMIJO: As you go through this, just keep this question in mind. You don't have to answer right now. From DOE's perspective, for low-level waste excluding long-lived, what's wrong with 500 years?

21 MR. WALLO: Well, actually I'll answer that 22 right now. One of the things -- and we'll get to this. 23 We looked at this, and indeed the conclusion we came 24 to is that the appropriate modeling period for doing 25 these is a few hundred years. Now the question was,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

well, should it be 300, 500, 600, 700?

1

2

3

4

5

6

7

And what we said, well, wait a second. We really think in general terms, this is some of my thinking, that this is an order of magnitude decision. We don't even have a significant digit. So 100 years is probably too short, and 1,000 years may be too long, but we're going to pick the 1,000 years.

So that's where we ended up. If we really think, and I think many of us think that a few hundred years is the appropriate time, and you'll see that's actually what the NAPA study said. For quantitative assessments--when we flip a little bit. They came up with the usual stylized standards.

14 There's a Trustee Principle. Every 15 obviously for future generation is а trustee 16 The Sustainability Principle generations. that 17 basically said your goal is to have comparable life for 18 future generations. But a Chain of Obligation, each generation is responsible for taking care of itself. 19 You can't sacrifice the current generation for future 20 21 generations. And that near term concrete hazards have 22 priority over long term hypothetical risks.

And then the Precautionary Principle basically said that look, that Chain of Obligation Principle, you don't want to do something that could

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	103
1	have irreversible and catastrophic harm to future
2	generations unless it has a compelling countervailing
3	need to benefit either the current or future generation.
4	So basically go ahead and flip to the
5	next charge. They were basically looking at this
6	pragmatically, and in my words saying, look, first
7	you've got to take care of current generations and the
8	next near generations, and then you look more broadly
9	and qualitatively as you go farther out.
10	In terms of their discussions and what they
11	came up with was two to four generations and that distant
12	future was 500 to 1,000 years. So technically we could
13	have used that I guess to say, yes, let's stop at 500
14	years, which I think is probably consistent with, as
15	I recall, some of the initial Part 61 modeling in their
16	EIS was out to about 500.
17	But anyway, the key was that future impacts
18	needed to be weighted differently than current. You
19	don't compare long term impacts against a near term
20	metric. To take 25 millirem out to 1,000 years is
21	probably too long. However, their finding was it was
22	also inappropriate to use traditional economic
23	discounting formulas for those long term risks. So we
24	couldn't zero them away by discounting them.
25	And consideration of the future does not
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

entitle anyone to impose injustice on the current generation. In general, the literature related to intergenerational equity clearly opposes making trade-offs favoring the future that fail to meet the crucial obligations to present generations, which in again, we're saying we need to focus on the predictable, reasonably predictable near term and appropriately weight those distant times where we make decisions. Go ahead.

1

2

3

4

5

6

7

8

9

25

(202) 234-4433

10 And again, in terms of us doing the 11 principle, the compliance time is not a simple matter 12 of science but a public administration issue that needs to be selected to support good decisions. You don't 13 14 just say, I can carry this number out and I'm going to 15 compare it to a metric. It's not that kind of decision. 16 It's what is it informing you about the safety basis 17 and your disposal site, the safety basis and your 18 disposal system.

19 It's the question of intergenerational 20 equity and resource allocation. That's what we're 21 deciding on. How much are we going to spend today to 22 avert some hypothetical risk in the future? How big 23 does it have to be and how likely does it have to be 24 before we spend a lot of our resources?

Decisions that cost little are easy to make.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

Decisions that are expensive is a little more difficult. And we want to basically extend the current resources to maximize both the benefit to the current and future generations.

I will stress again, which I stressed before, and this is a little redundant. That dose limits today are likely to have little meaning for protecting the public in 500 years, in 1,000 years certainly, and let alone in 10,000 years.

MEMBER ARMIJO: Andy, I really want to understand what you're saying. If I get 25 millirem today I'll have probably no health effect. But let's make it 250 or 2,500. Whatever the dose I get today, and 10,000 years in the future somebody like me gets the same dose, they clearly have the same health effects.

MR. WALLO: No, they don't. Let me talk about that I guess in relative terms. For instance, if 200 years ago you got 25 millirem, it probably wouldn't impact your life expectancy because we were dying of other things than cancer.

Today, if we look at this slide, for instance, in 1900 the primary causes of death, for instance, in the U.S., were pneumonia, tuberculosis and diarrhea. Cancer ranked eight. In the 1800s it ranked way lower than that.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

106 1 Today, heart disease, cancer and vascular 2 disease are the top three. Pneumonia's dropped to nine. 3 I know diarrhea isn't listed in the U.S., but I think 4 worldwide it's probably still five. 5 But the fact is, in 500 years what are you going to project that means? Will 25 millirem risk of 6 7 cancer to us have any meaning? We just don't know. 8 Not only are there uncertainties in the calculation, 9 there's uncertainty in the value of the metric we're 10 picking. 11 MEMBER ARMIJO: I see what you're saying. 12 Yes. MR. WALLO: Yes, I mean, you know, if 1900 13 14 we wrote 10 CFR Part, or I mean 435, we might have said, 15 gee, we've got to avert diarrhea, to keep the doses down 16 below diarrhea. Well, it wouldn't be very important 17 today. 18 MEMBER ARMIJO: I see what you're saying. 19 MR. WALLO: Yes. 20 MEMBER ARMIJO: But up to a point. 21 MR. WALLO: Well, I'm just saying Yes. 22 it's all these factors that become uncertain. MEMBER ARMIJO: Okay. Kaopectate. 23 24 MR. WALLO: Yes. Let's just go --25 MEMBER ARMIJO: They might cure for cancer, NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	107
1	right?
2	MR. WALLO: Yes, if we'd cure cancer then
3	we'd have to look at a different thing to see what we're
4	doing here.
5	MEMBER ARMIJO: Out of business.
6	MR. WALLO: Be spending a lot for cleanup.
7	Let me see, do I want to go back? Dose limits.
8	Well, you'll see that the previous slide
9	just basically summarized that there will be technology
10	changes. And again, the slide we were just looking at,
11	we talked about the fact that 10,000 years ago we were
12	hunting mammoths to extinction probably, some would say.
13	And now we don't have any to hunt, but in the past 100
14	years you see there have been major developments and
15	changes.
16	So all we're saying is times are a-changing,
17	and not only the modeling is uncertain, but the meaning
18	of the end result of that modeling is uncertain. We
19	can say, all right, we know the uncertainty of releasing
20	so much of technetium, so much of that, but we don't
21	know what that impact is.
22	CHAIRMAN RYAN: I think the point is that
23	I take away from what you're saying, it's a very simple
24	one. The framework for any model is static at a given
25	point in time. If you want to stretch that out to a
	NEAL R. GROSS
	1323 RHODE ISLAND AVE N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com
very long time, let's say 500 years plus, forget it. It's not simple. You can't do it. Because you're stretching the framework of the model to some new thing, and then you've got to figure out what all the parts and pieces are of --

1

2

3

4

5

6

8

9

10

MR. WALLO: Yes. What I'm saying is, while 7 you can understand in a certain confined time frame the meaning of the results, as you expand them out you have to broaden your understanding and reinterpret what they mean.

11 CHAIRMAN RYAN: I would say it's worse than 12 You have to start over because you've got a whole that. new framework. You can't do it. I mean if you're going 13 14 to take the guy that was hunting the mastodon and, you 15 know, snap him into 2013, he's lost.

16 MR. Well, WALLO: that's true. 17 Absolutely.

18 CHAIRMAN RYAN: So I challenge you to rethink that a little bit. 19

MEMBER SCHULTZ: Well, I think the comment 20 21 on metrics is very important because it's thought that 22 the metric is universal, that it's not changing with 23 time, and of course it will. If we had a cure for cancer 24 in 50 years so that any effects related to radiation 25 could be cured, it would change the dynamic markedly.

## NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

109 1 I mean this is the goal of lots of human endeavors right 2 now to make that happen. 3 MR. WALLO: And one would argue that maybe 4 we should spend more on curing cancer than we do on 5 researching a KD for a disposal site. MEMBER SCHULTZ: Thank you for saying that. 6 7 WALLO: It's certainly not a DOE MR. 8 position by the way. 9 Before you go on, what MEMBER SKILLMAN: you've done with the first line there has kind of 10 11 convinced us that 10,000 years is a number that's not 12 really worth considering. But what you haven't said is here's why 1,000 is the right number. 13 14 MALE PARTICIPANT: I think you did. 15 MR. WALLO: I did. What I said to you 16 basically was we thought a few hundred years was the 17 right number. That's what we thought when we did our modeling, what we thought when we did our uncertainty. 18 We even, for ALARA analyses say we shouldn't carry our 19 20 ALARA when you're looking at collective dose, not 21 individuals out beyond a few hundred years in our 22 quidance. 23 But when it came to the ultimate decision 24 of what the compliance point would be, basically we said 25 we're going to do it on an order of magnitude basis. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

110 1 So we're going to pick ten to the one, ten to the two, 2 ten to the three, ten to the four. Ten to the two is too small. 3 Ten to the 4 three borders on too big. And we never want to go to 5 ten to the four. MEMBER SKILLMAN: Okay. And until now, I 6 7 didn't hear your order of magnitude discussion. But 8 I understand it. And I agree with the use of 1,000 or 9 600 or 800. Thanks, okay. 10 MR. WALLO: Okay. And to save time, I'm 11 going to, oh well, I want to summarize this last one. 12 You know, just the cost of increasing compliance time doesn't just mean you run the model 13 14 longer. We run the model longer, yes. That doesn't 15 cost. 16 What costs a lot is arguing over the various 17 parameters you put in the mill, the scheduled delays 18 for trying to readjust parameters and assessing the 19 extended licensing, in your case or in the NRC's case. In our case it would be the authorization reviews. 20 21 And as I said, we had, in the early 80s, 22 a lot of experience with that happening over just 23 technical arguments, where you just extended and 24 extended the process and never got to a decision. 25 Because you didn't focus on what really needed, what NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

Í	111
1	was important to decide on.
2	And obviously, the farther out you go, the
3	more uncertainty there is, the more chance of litigation
4	you're going to have.
5	MEMBER BANERJEE: Will it have a sort of
6	a fund for this going on to take care of expenditures
7	in the future?
8	MR. WALLO: We go under continuing
9	resolution.
10	(Laughter)
11	MR. WALLO: No, it's DOE's budget. And it
12	will be
13	MEMBER BALLINGER: But that's all. It's
14	not a fund?
15	MR.WALLO: Yes. We do not have a fund that
16	we put aside money. The Federal Government will
17	continue to fund it based on the importance of this
18	decision until they decide that it's no longer
19	important.
20	CHAIRMAN RYAN: Sanjoy, you've got to
21	recall too this is not for a commercial waste. This
22	is just for Government waste that they put in and he's
23	talking about. The commercial waste still
24	MEMBER STETKAR: By definition, DOE
25	existed 10,000 years ago when we were hunting the
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

112 1 mammoth. MEMBER ARMIJO: Dr. Banerjee, you are their 2 3 funding agent, a source. 4 MALE PARTICIPANT: Or taxpayer. 5 MR. WALLO: You know, we're not just talking about DOE. We're talking about the Federal 6 7 Government and society. And I want to say, that in these kind of 8 9 cases, you know, there's a lot of, well, people thought 10 the pyramids could remain safe. But they were intruded 11 and taken. 12 Well, one of the problems with the pyramid is people knew there was valuables in them. And they 13 14 wanted them. So they took them. That wasn't a good 15 justification. 16 What our goal here is to make sure society 17 knows the value of this. And in general, society has 18 done a good job at protecting itself. Even if you look at, you know, the New York incident that caused the 19 formation of CERCLA, there we had a situation where 20 institutional controls failed. 21 22 But it was a short term failure. Society 23 discovered it and arguably created a solution to it with 24 the CERCLA program. 25 But anyways, what I'm saying is society does NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

113 1 respond to challenges that they think are important to 2 respond to. And they ignore challenges that they feel 3 are not important to respond to. And that's probably 4 appropriate. 5 MEMBER SCHULTZ: So we reference the NAPA study. Have there been similar studies since that we 6 7 would reference today? Because --8 MR. WALLO: I don't there's been any real 9 follow-on to the NAPA study. I think there were some 10 proposals. But obviously didn't have the resources at 11 the time. Ed, do you --12 MR. HACKETT: I don't know of any similar studies. 13 14 MR. WALLO: Okay. Let me just go on. I'm 15 going to go over these additional requirements. 16 Basically we have requirements in the order to protect 17 water resources and then we talked about the inadvertent intruder. And Roger's going to summarize that a little 18 later. So I'm going to just jump over it here to save 19 20 some --MEMBER ARMIJO: Yes. But you labeled not 21 22 a performance objective. 23 MR. WALLO: Exactly. 24 MEMBER ARMIJO: So protection of the 25 inadvertent intruder is not a performance objective? NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701

MR. WALLO: No. It is a management tool. It's how we decide how much, "defense in depth" and how many controls we need. But it's not a quantitative requirement that has to be complied with under the directive.

1

2

3

4

5

6

7

8

9

10

11

23

24

25

(202) 234-4433

You don't have to demonstrate in 1,000 years. What you have to do is do an assessment of the intruder analysis, determine what you can do to make sure that the projected doses, we're not protecting the intruder. We're basically limiting projected doses under this model.

MEMBER ARMIJO: If such an event happened. MR. WALLO: Yes, for this event, for a stylized event that we've --

MS. GELLES: This is important in the distinction we were making about the receptor and how close he was, or he or she was to the point of exposure, so the 100 meters away from the boundary of the disposal facility.

20 CHAIRMAN RYAN: But that's still exposure 21 on --22 MR. WALLO: Roger's going to do more on this

in just a few minutes. So let's --

CHAIRMAN RYAN: If we don't run out of time.

MR. WALLO: Well, that's why I'm doing

NEAL R. GROSS	
COURT REPORTERS AND TRANSCRIBERS	
1323 RHODE ISLAND AVE., N.W.	
WASHINGTON, D.C. 20005-3701	

115 1 this. So he can get the details. And I'm going to go 2 ahead and not go over this slide. Again, the focus of 3 this slide is --4 MEMBER ARMIJO: Go back to it. Somebody 5 can come back to it. MALE PARTICIPANT: Oh, okay. 6 Now it's 7 over. 8 MR. WALLO: What do you want to go back to? 9 MEMBER ARMIJO: No, when you mention we get 10 to inadvertent intruders. 11 MR. WALLO: Yes. Then we can talk about 12 Next one. Oh, no, I'm sorry, the one before it. that. I just want to briefly note, again, PA and 13 14 CAs are part of the analysis process that provide us 15 some insights. They are not what protects the public. 16 All these different things form designs and 17 institutional controls and all have input to our 18 disposal authorization system, the monitoring plan, and the continued monitoring and continued assessment of 19 the sites are all key to protecting the public. So it's 20 21 not one element or one analyst. It's everything here 22 and all the reports. 23 Go ahead. This is summary of the annual 24 summaries, all the things that we do annually for each 25 disposal site. I'm not going to go through it. We can NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

116 1 talk about it. But I think we've talked about it before. 2 We look at the monitoring, we look at the unresolved disposal questions, and so forth and so 3 4 forth. And now we're going to get to the update with 5 Christine. And I'll make her talk as fast as me. MS. GELLES: Actually, we're going to, we've 6 7 agreed to skip this. So if you have any questions about 8 this, this is just a summary of where we are in revising our DOE order. 9 10 Andy gave you a good detailed history of 11 it. This has been a multi-year process informed by 12 another cycle of the complex-wide review. public comment 13 We expect а process 14 beginning this winter before we finalize it and put it 15 into our formal approval system in the Department of 16 Energy. 17 So if you have more questions, we'd be happy 18 to talk with you about it. There will be no substantive 19 changes to any of our performance objectives. 20 MEMBER SCHULTZ: How long is the public 21 comment period? When does it begin? Do you have a date 22 yet? MS. GELLES: We haven't determined it. 23 24 MEMBER SCHULTZ: Do you know how long it 25 will be? NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

117 1 MS. GELLES: I don't know that we have just 2 3 MR. WALLO: Last time it was 90 days and 4 extended. But I don't remember. 5 MS. GELLES: Yes. We haven't fully scoped I apologize for not --6 that out. 7 MEMBER ARMIJO: Just a quick question. 8 Since NRC is a regulator in private sector, do they 9 comment on the update to the DOE order? Are they in 10 some way, do you communicate or --11 MS. GELLES: We've been in very close 12 communication with the low-level waste branch of the NRC staff, working very closely with Larry Camper. 13 14 We've participated in their rule making efforts. 15 They're aware of what we've been doing through our 16 complex-wide review process. 17 The fact that they're happening in 18 parallel, I think, makes it very important since we share stakeholders. And of course we're all aware that there 19 are commercial facilities, the fact that we co-located 20 21 with DOE facilities in the same geology, hydrology. 22 So it's critically important that we be able 23 to plan it. So will they comment? I don't know. Will 24 they be invited to participate in the process? 25 Absolutely. And they have been. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

CHAIRMAN RYAN: And we have a number of the staff members from all over, which I appreciate their attendance.

## (Crosstalk)

1

2

3

4

5

6

7

8

9

10

MEMBER ARMIJO: You raised the issue of consistency in low-level waste regulation between major Government agencies, the Department of Energy and NRC, as being something that would be very valuable as opposed to big differences. And so it's good that you're --MS. GELLES: Thank you. And we work hard

for that. And we also believe that, if not consistency, being complimentary and not in opposition is critically important.

And that's why we care so much about this period of compliance issue. Because I hope we've convinced you. We are very confident about the technical efficacy of our 1,000 year period of compliance.

And not withstanding what might happen, the 19 NRC adopts something that is closer to 10,000, we would 20 21 have a significant difference between our systems. So 22 we're hoping to inform that to the extent that we can. 23 Thanks. So any questions on 435 in the 24 future, we'd be happy to speak with you more. 25 CHAIRMAN RYAN: Thank you.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	119
1	MS. GELLES: It'll be a transparent
2	process.
3	CHAIRMAN RYAN: Okay.
4	MS. GELLES: Aren't you going to get into
5	inadvertent intruders?
6	MR. SEITZ: I'll just say a little bit more
7	about inadvertent intrusion. And as Andy mentioned,
8	it's not considered a performance objective. And
9	that's consistent with the international viewpoint.
10	And there's some concern that people are
11	kind of, it's becoming something real. And it never
12	was intended to be something real. It's a hypothetical
13	construct to evaluate, okay, if we do lose control, let's
14	do something that kind of gives an impression of what
15	could happen, what kind of consequences could occur.
16	And internationally they further specify,
17	which we agree with, that we're protecting an
18	inadvertent intruder, not someone that's deliberately
19	getting into a facility.
20	CHAIRMAN RYAN: Well, I mean, my question
21	for, I don't know, a decade or more, has been when does
22	an inadvertent intruder become an advertent intruder.
23	MR. SEITZ: And that's a very good
24	question. Because I would consider an inadvertent
25	intruder as someone that does not realize they're
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

120 1 getting into something that's waste. And that's an 2 important distinction. That affects your scenario. 3 CHAIRMAN RYAN: Oh, absolutely. 4 MEMBER ARMIJO: Well, you know, maybe I'm, 5 I don't see the difference. (Crosstalk) 6 7 MEMBER ARMIJO: Let me finish. 8 Historically I've been trying to think about the 9 pyramids. You know, those people were grave robbers. 10 Or they were archeologists. Okay, so they would meet 11 your advertent, all right. 12 CHAIRMAN RYAN: Yes. MEMBER ARMIJO: Okay. 13 But then these 14 tombs, this Chinese tomb where they found all these 15 statues buried for a thousand years or more, that was 16 a farmer digging around. He found a statue. 17 Then everybody came in and started digging 18 And so that was inadvertent leading to it up. advertent. So what's the difference? You know, if you 19 want to consider them, you know, just --20 21 (Crosstalk) difference 22 MR. WALLO: The is the 23 responsibility of the individual against, we don't want to foreclose on future generations. 24 25 If somebody goes to the sweetest repository NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701 (202) 234-4433 www.nealrgross.com

121 1 and decides they want to recycle the copper that all 2 that material is stored in, they're doing it on purpose. That's their responsibility. That's not something 3 4 that we would plan for in the modeling. 5 So if somebody wanted to come into our geologic disposal and mine the nickel in the canisters 6 7 that we're going to put waste in, they're free to do 8 that. But we're not going to plan to protect them. 9 MEMBER ARMIJO: You're not going to worry 10 about that. 11 MR. WALLO: That's right. That's up to 12 them. MEMBER BALLINGER: Do we want to do what 13 14 the pharaohs did, the two booby traps? 15 (Laughter) 16 MALE PARTICIPANT: No traps. 17 MR. WALLO: All we want to do is inform And they can come and steal us blind. 18 them. (Off microphone discussion) 19 BANERJEE: 20 MEMBER We can make the 21 inadvertent advertent. Let it blow up in their face. 22 MEMBER ARMIJO: Okay, so we're looking at 23 the totally innocent bystander, very small group, one 24 person, ten persons. We're not talking thousands of 25 people. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	122
1	MR. SEITZ: Yes. And it's a very stylized
2	view point. And I think that's another thing that
3	people are losing sight of.
4	But when they talk about intrusion,
5	internationally there's a big focus on, okay, when we
6	look at these types of scenarios, these types of
7	conditions, what we're really trying to do is if
8	something like this were to occur, how can we reduce
9	the potential that it would occur and how can we reduce
10	consequences if it would occur.
11	It's not about meeting some specific limit.
12	It's about looking, how can we make it more robust
13	against this type of
14	(Crosstalk)
15	MR. SEITZ: For those familiar with
16	MR. BROWN: Why is that inconsistent with,
17	it seems to be inconsistent. If somebody wants to come
18	in and mine for nickel in a big tank that they happen
19	to know it's there, and it's been there for 500 years,
20	but yet you say you're not going to do anything to protect
21	that. If they want to do it, they can go rip the lid
22	off and mine down, pull the chunks out
23	MR. SEITZ: Until they find out it's not
24	
25	MR. BROWN: Until they find out it doesn't
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

123 1 have nickel in it, or it doesn't have copper or whatever But yet you just said you're going to do something 2 it is. 3 that takes care of the consequences of somebody doing 4 that. It seems to me those two statements are a little 5 bit inconsistent. No, it's branded towards 6 MR. SEITZ: 7 inadvertent, I think. 8 MR. BROWN: Is it, okay. 9 In terms of nuclear safety MR. WALLO: 10 space, I would say that the intruder analysis is akin 11 to us doing accident analysis for a nuclear facility 12 where you're saying, okay, we're going to look and we're going to put more resources to that facility, to the 13 14 safety systems. 15 We're going to put safety significant, 16 safety class systems in when it starts to approach or 17 exceed 25 rem, the accident. Whereas if the accident can't cause more than 5 rem, we're not going to deal 18 with those expensive systems necessarily. Standard 19 20 defense in depth can happen. 21 So it's a tool to decide, again, how many 22 you put to averting, or controlling or resources 23 mitigating that kind of event. 24 MR. BROWN: Thank you. 25 It's a difficult topic, because MR. SEITZ: NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

it's something that the industry has committed to internationally, that we would consider this potentially occurring.

But internationally there is good agreement that it is considered as an optimization issue in radiation protection parlance. And it's not a performance objective or a dose constraint. They're pretty clear about that.

9 CHAIRMAN RYAN: That's a very important 10 statement you just made, Roger. That to me is a very 11 important takeaway for everybody, is that it's not a 12 dose constraint.

It's guidance on how to think about the system you're trying to manage. And that's a whole big different story than you've got to meet some number.

MR. SEITZ: Well, and I mean examples of optimization could be, okay, we have this waste form. If intrusion occurs we're showing that a dose could be 600 millirem. What can we do? Oh, well, if we put that package lower in the facility we can reduce that. So you're looking for things that can help mitigate it.

23 On its own, that wouldn't disqualify a site. 24 And actually, that's another way of looking at this. 25 A big concern is if this becomes too much

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

125 1 of a what if game for intrusion, you could potentially dream up scenarios that would disqualify what is an 2 3 excellent site and an excellent disposal facility. And 4 that's really not the intent. 5 CHAIRMAN RYAN: Well, that's the Achilles heel is that, you know, that can happen. And that's 6 7 not a good thing. Because you can disqualify very good 8 sites for no reason, you know, no real reason whatsoever. 9 It's constructed, and that's conjecture. 10 MR. SEITZ: And that's part of the basis 11 for behind it not being a dose constraint. 12 MS. GELLES: That needs to be compounded as well if you were dealing with a longer period of 13 14 compliance. 15 CHAIRMAN RYAN: I need to move along. 16 MR. SEITZ: Okay. And SO there's 17 agreement, one or more stylized scenarios. Let's come up with, we've got acute, chronic scenarios. Acute is 18 simply a member of the public that would actually be 19 drilling. Chronic is something gets brought to the 20 21 surface, a resident establishes a home there. 22 Next slide. For us in DOE, we look at it 23 from the perspective of waste acceptance criteria, how 24 we can improve designs. But as I mentioned, it's not 25 a performance objective. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	126
1	It's consistent with EPA's feedback on Part
2	20. They said it shouldn't be an objective. And as
3	I mentioned, international recommendations are pretty
4	consistent on that.
5	(Off microphone discussion)
6	MS. GELLES: Okay. We're transitioning
7	out of inadvertent intruder and into a comparison of
8	
9	MR. SEITZ: It's kind of a last remark on
10	time frames
11	MS. GELLES: Yes.
12	MR. SEITZ: just from the perspective
13	of consistency with other standards for near surface
14	disposal.
15	MEMBER ARMIJO: Just one quick question.
16	Can we come back to the one year occupancy? Does this
17	inadvertent intruder analysis assume one year in the
18	either chronic or acute case?
19	MR. SEITZ: Acute could be shorter.
20	There's no, you notice on the acute standard there's
21	no time. It's not per year.
22	MEMBER ARMIJO: Oh, it's just
23	MR. SEITZ: Yes.
24	MEMBER ARMIJO: one, one event.
25	MR. SEITZ: Yes. It's an event. The
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON. D.C. 20005-3701 www.nealrgross.com

chronic could be a longer term, but it's averaged over, it's a year's exposure.

1

2

3

4

5

6

7

8

We wanted to try and have something that kind of illustrated what's done for near surface disposal, what do other regulations say. And at the top, we've got the ICRP, just this concept of how long do dose and risk have a real meaning as a measure of health detriment.

9 CHAIRMAN RYAN: Just for clarity's sake,10 I feel like it is not a regulation, it's guidance.

MR. SEITZ: Yes, it's a recommendation, yes. So that's not really a time frame. That is more just perspective of this is when they think is a reasonable amount of time for dose and risk to be somewhat representative of a health effect.

So starting with hazardous waste disposal, in that case it's a design standard. You design the facility a certain way, it's okay. And they rely on the controls. So they have the 30 year control period and then commitments to control it as needed beyond that time frame.

In our order, DOE order 435.1, it's 1,000 year time of compliance. We do extend calculations out for longer time frames to inform things. We have a commitment for 100 years of active controls. But

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

128 1 there's also this longer term commitment to control it 2 as needed into the future. 3 MEMBER ARMIJO: But the presumption there 4 is that the Federal Government as we currently know it 5 will exist during that time. MR. SEITZ: It's for both actually, for 6 7 hazardous waste and for us. 8 MEMBER BALLINGER: Then why such huge 9 difference in, hazardous waste to me is no different 10 than low-level waste. Why such a short time for 11 hazardous waste? 12 It's a design standard. MR. WALLO: Basically they say build it, you know, and they'll 13 14 monitor it for 30 years. And, I mean, physically you 15 require monitoring the owner. And then they will watch 16 it from then on. 17 MEMBER BALLINGER: That's exactly what you're doing. 18 Well, the only difference is 19 MR. WALLO: we don't have a design that you say we build it to. 20 21 We basically make our design based on our performance 22 assessment. MR. SEITZ: If a liner leaks a collection 23 24 25 (Crosstalk) NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

129 1 MR. WALLO: And I'm not sure which would 2 be, that might be cheaper, you know. MEMBER BANERJEE: A hundred years is --3 4 CHAIRMAN RYAN: It's very important to 5 recognize that RCRA sites have double liners, and cover liners and all that good stuff. And they monitor them. 6 7 And when they fail, they fix them, period. They don't 8 want the waste problems. MEMBER BANERJEE: Fix a double liner. 9 10 CHAIRMAN RYAN: So it's a much different 11 strategy and system. So that's very important to not 12 lose track of. That might as well be on another planet as far as this discussion is concerned. 13 14 MR. SEITZ: That's true, okay. 15 MR. WALLO: Well, no. I don't see any 16 difference between, except the fact that we don't have 17 the design standard. We design based on our performance 18 assessment. But we do the same monitoring and the same corrective actions. 19 MR. SEITZ: That's all they do. 20 21 MR. WALLO: Well, I know. 22 MEMBER ARMIJO: They don't do a performance 23 assessment. 24 MR. SEITZ: They don't do a performance 25 assessment. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701 (202) 234-4433 www.nealrgross.com

	130
1	MR. WALLO: They don't require it, that's
2	right. And they certainly don't consider intruders.
3	CHAIRMAN RYAN: Right, so it's a very
4	different system. It's not anything like, you know,
5	what you do for rad material.
6	MR. SEITZ: And that's where the red line
7	just went back there.
8	CHAIRMAN RYAN: Okay. Well, I just wanted
9	the numbers to not take away, confuse the message of
10	what's what.
11	MEMBER BANERJEE: But what is the
12	justification for the dual standards between hazardous
13	waste and say your DOE order?
14	MR. SEITZ: In my mind it's a design
15	standard versus a performance based standard.
16	CHAIRMAN RYAN: And two different agencies
17	thinking two different ways. That's part of it.
18	MR. SEITZ: Yes, basically, I mean, and one
19	of the reasons there could be the design standard is
20	easier to implement across a much broader group of
21	people.
22	MR. WALLO: Yes. And let's note that, you
23	know, the standards for mill tailings, they are based
24	on, you know, that we listed in 10 CFR 40, but it's 40
25	CFR 192 EPA standard.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	NEAL R. GROSS   COURT REPORTERS AND TRANSCRIBERS   1323 RHODE ISLAND AVE., N.W.   (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com
25	MEMBER BANERJEE: Part 40.
24	MR. SEITZ: They're Part 40.
23	tailings go here?
22	MEMBER BANERJEE: Where will the mill
21	MR. WALLO: I agree.
20	system.
19	the same. It's not the same as a performance based
18	CHAIRMAN RYAN: It's different. It's not
17	MR. WALLO: Yes, okay.
16	it's confusing everybody.
15	CHAIRMAN RYAN: It's different. Because
14	(Crosstalk)
13	kind of system, more similar than
12	MR.WALLO: Well, I'm saying it's a similar
11	go under hazardous waste, you're saying?
10	MEMBER BANERJEE: So mill tailings would
9	design standard.
8	there's only one way to do this, is to come up with a
7	facilities in tons of varieties of places. So they said
6	there were going to innumerable amounts of these
5	MR. WIDMAYER: The only consideration was
4	measurements then you watch it.
3	design it this way, measure it, and once you demonstrate
2	It's not a performance assessment. They say you shall
1	Those are basically design standards.
	131

	132
1	MR. SEITZ: They would be part of that.
2	And the note there is addressing what Andy had said
3	earlier. Radon isn't assessed over this long period.
4	It's assessed at closure.
5	MEMBER BANERJEE: At closure, okay.
6	MR. SEITZ: Right. But they do have, in
7	cases where there's multiple radionuclides involved,
8	they do have a 1,000 year assessment period.
9	MEMBER BANERJEE: So for example, this is
10	an internal discussion, but why are we suggesting
11	something so different from mill tailing, what they do
12	for mill tailing?
13	CHAIRMAN RYAN: Because radioactive
14	MEMBER BALLINGER: Yes. This is not a discussion
15	for them but
16	CHAIRMAN RYAN: material decays. A
17	lot of the radioactive waste that's disposed decays.
18	And then it's of no consequence. Uranium
19	MEMBER BANERJEE: No, all I'm saying is why
20	are we saying 10,000 years, our staff, instead of
21	CHAIRMAN RYAN: Why do we think what? I'm
22	sorry, Sanjoy.
23	MEMBER BANERJEE: Ten thousand years.
24	MR. SEITZ: We haven't yet.
25	MS. GELLES: He's focused in on, our core
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 2005-3701 www.nealrgross.com

133 1 message in this is slide is look how different the NRC 2 staff period of compliance is from these other 3 regulatory regimes. MEMBER BANERJEE: I think it's not a 4 5 discussion. Is proposing, not is, is 6 MEMBER BROWN: 7 proposing. 8 MS. GELLES: Right. 9 MEMBER ARMIJO: And that's what you're 10 considering. 11 MR. SEITZ: And likewise, Part 20 has 12 provisions for disposal or of granting exemptions for disposal of radioactive material in near surface 13 14 facilities. And they specify 1,000 year compliance 15 period there as well, or assessment period. 16 MEMBER BANERJEE: So do you get a lot of 17 public comment on this and stuff like that with your 18 orders? Well, they're not readily 19 MS. GELLES: available for public comment. I mean, we engage the 20 21 public in a very continuous basis as we're doing clean-up 22 level, or clean-up actions or making clean-up decisions. And, you know, this ongoing multi-year 23 24 effort of the NRC to revise Part 61 raises questions 25 with some of our shared stakeholders. But they're NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

questioning how our system is different or how this change would affect our system.

1

2

3

4

5

6

7

25

(202) 234-4433

We'll see when we put our revision, or order revision, out for comment this winter. That will be really the first opportunity for folks to provide focused comment on the specifics of our regulatory system.

8 I think we all have to go to the conclusions, 9 and I'd rather not brief these, but just remind folks 10 that these are echoing the same points that I teed up 11 before Roger and Andy started going into depth.

But we feel very confident about our 1,000 year process. Performance assessment is just one element of our system. It's an informing tool for decision making. It is not, in and of itself, ensuring the protection of the public or the worker.

We've got lots of detailed experience and we brought two of our sites to this panel to sort of acquire lessons, our system, and give you some hopefully really meaningful illustration.

And through this, we hope also to answer some of those questions we took for the later part of our presentation. So if we don't answer them, let's bring them to the table again.

In the interest of time, I think, Mike,

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	135
1	you'd like us to end at 4:30 so the members have time
2	to discuss. So we'll spend about 20 minutes each site.
3	CHAIRMAN RYAN: Okay, we'll kind of make
4	that decision when we get there.
5	MS. GELLES: Okay, that's fine. We'll go
6	as fast as we can. And if you need us to go slower let
7	us know.
8	MR. SEITZ: There's a couple of backup
9	slides there with some quotes from the regulations
10	related to radon and time frames.
11	CHAIRMAN RYAN: Okay, good.
12	MS. GELLES: Okay, so we're going to begin
13	with Rob Boehlecke from the Nevada Field Office. And
14	I said this earlier, but I think it warrants repeating.
15	Nevada is a very important facility within
16	our Department of Energy complex. Because it operates
17	as a regional disposal facility and can accept waste
18	from any of our DOE generating sites as long as they
19	meet the waste certification requirements and comply
20	with the waste acceptance criteria which is, of course,
21	an element of the low-level waste disposal system at
22	Nevada. So, Rob?
23	MR. BOEHLECKE: Okay, thanks, Christine.
24	MS. GELLES: Thank you.
25	MR. BOEHLECKE: I'm going to talk a little
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1

2

3

4

5

6

7

8

9

(202) 234-4433

As you'll notice on this graphic, our center circle which represents the site characteristics is a bit bigger than in the previous graphics. And that's to key in on that our site characteristics are uniquely good for low-level waste disposal and the fact that it's very arid.

The rainfall, which averages about five inches a year, is greatly outweighed by the potential of evapotranspiration which is up to 12 times that.

And the depth of the ground water is about 700 feet or more. So we do not have a ground water pathway under current conditions. And in fact, the arid environment provides a significant buffer to potential climate change as well.

We use engineered barriers to enhance the natural barriers. I'm keying in on that defense in depth. Our performance assessment shows that the facility complies with the performance objectives.

And we use our PA, our performance assessment is used daily to help review waste profiles that come in from generator sites that are choosing to or selecting to send waste to us.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

The maintenance program, which Roger talked a bit about, allows for continual improvement. Each year we evaluate that performance assessment. We look at our assumptions or models, all that stuff that goes into the PA to determine if it is still a reasonable representation of the disposal site. And again, that allows for continuous improvement.

We do have a strong working relationship with several external stakeholder groups, including our advisory board and the State regulators.

State has authority for the mixed waste component. We do dispose of the RCRA component. But they've also got agreement in principle. They have access to look at any of our documents, including our PA, and weigh in on profiles, waste profiles that we're considering accepting.

The site is, for those of you not familiar with the Nevada National Security Site, it's a rather large site, about the size of Rhode Island, about 1,300 square miles. We have the additional buffer of the Nevada Testing Training Range, which surrounds the site. And there'll be a graphic a little further on that shows you where our disposal site is within that.

The Area 5 Radioactive Waste Management Site, or RWMS, I might say Area 5 on occasion, because

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

that's the location within the National Security Site that it's located, we've actually been disposing waste since 1961.

1

2

3

4

5

6

7

8

The first disposal authorization statement was issued in 2000. It had some conditions in it that were talked about a little bit earlier. As we resolved those conditions, it reissued the PA, and the second disposal authorization statement was issued in 2002.

9 The 2007 change was to update our PA from 10 a deterministic to a probablistic modeling to help us 11 quantify uncertainty and reduce the conservatism in the 12 model.

The PA, I think it was discussed earlier, is revised when we determine that a significant change has occurred that requires and update. And we can determine that locally or, as was discussed, during the annual review process that may be picked up on by the members of the LFRG group.

The PA and composite analysis, again, prepared to understand the hypothetical projections, the dose calculations. The Area 5 PA determined the disposal facility dose calculations, and the CA looks at the dose from surrounding areas.

I'll mention that the disposal facility is located in Frenchman Flat in Area 5 where there were

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	139
1	ten above ground nuclear tests or, I'm sorry, 14 above
2	ground nuclear tests and ten below ground nuclear tests.
3	So those source terms had to be considered.
4	Again, the above ground is there at the
5	surface. But it's not moving very far. And the stuff
6	below ground is deep below ground. And there's no
7	current pathway to bring that to the surface.
8	Again, the PA looks at post-88 waste. And
9	the CA looks at all the waste that was disposed of prior
10	to 1988.
11	I've got something out of order
12	here, so not good. I'm going the wrong way.
13	Okay, so some of the other documents that
14	we're required to have for compliance of 435 include
15	our maintenance plan which was discussed a bit earlier.
16	That contains our assumptions and our
17	process that guide our day-to-day operations. And our
18	closure plan, including our monitoring plan, looks at
19	how we will close the facility. It has a planned cover
20	design.
21	Final closure would be revisited at the time
22	necessary. Currently it's assumed closure in 2028.
23	But that will depend on decisions made down the road
24	at other sites in terms of disposal need at the Nevada
25	site.
	<b>NEAL R. GROSS</b> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	140
1	MEMBER BANERJEE: You said 2028?
2	MR. BOEHLECKE: Currently that's the plan.
3	It's our planning date. It's based on when we will
4	finish our environmental restoration activities within
5	the Nevada site. Other sites may go on further. And
6	if the choice is made to keep the facility open, it'll
7	have to be re-looked at then.
8	CHAIRMAN RYAN: You'll be out of current
9	space in 2028?
10	MEMBER BANERJEE: Yes, based on space?
11	MR. BOEHLECKE: Right now, no. We've
12	currently, and I think I talk about this a little further
13	on, we've used about 174 acres. And we've got 760 acres.
14	CHAIRMAN RYAN: Oh, okay. So you're not
15	going to run out of space.
16	MR. BOEHLECKE: And we still have room
17	CHAIRMAN RYAN: That's an administrative
18	decision.
19	MS. GELLES: Right. It's not a capacity
20	constraint.
21	CHAIRMAN RYAN: Got it, thank you.
22	MR. BOEHLECKE: The Nevada waste
23	acceptance criteria is our document that we use to
24	communicate to all the generators about what they can
25	send us. It has everything in there from the
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

concentration levels to packaging criteria, transportation criteria, all of those things we want to communicate to our generators on how they should send waste to us.

1

2

3

4

5

6

7

MEMBER SCHULTZ: Rob, how would characterize, this is Rev 10?

MR. BOEHLECKE: Yes.

8 MEMBER SCHULTZ: So how would you 9 characterize the revisions that had been made, is it 10 new waste forms or what?

11 MR. BOEHLECKE: Many different things, 12 yes. It could be new waste forms. The waste criteria 13 reflects what's in our safety basis documents as well.

14 So if we look at something else on the safety 15 basis side in terms of how we want to operate the 16 facility, what kind of packages we want to accept, how 17 we want to receive the trucks, something as simple as 18 having uncovered or covered trucks that would It also aligns with our RCRA 19 potentially change. permit, so waste codes and that kind of thing. 20

21 So we're currently on Revision 10 which was 22 published this past summer. And that's over, what time 23 period would that be, 16 years or so, I think.

MS. GELLES: Right. And all revisions are not equal. So this last revision was to align it with

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

the documented safety analysis when we had realized we could handle larger concentrations of radioactivity within a single container.

1

2

3

4

5

6

7

8

9

(202) 234-4433

Previous ones, a really significant revision was when we obtained our new permitted mixed low-level waste facility in the 2008 time frame. That was a significant change in the waste acceptance criteria. Because now we could accept offsite mixed waste.

Some changes have been more administrative in nature. When the Nevada Test Site ceased to be the Nevada Test Site and became the Nevada National Security Site, that required a revision to our documents.

MR. BOEHLECKE: Absolutely. There's always administrative changes. The technical changes in the last revision, we're looking at Type A containers, and also classified waste, and how we wanted to receive that and the process we wanted generators for classified waste to go through.

20 CHAIRMAN RYAN: Does the State have any 21 licensing or authority over the site, State of Nevada? 22 MR. BOEHLECKE: As far as the RCRA 23 component, yes. They have regulatory authority for our 24 mixed level waste disposal on the RCRA component. And 25 we do have a RCRA design cell that we were talking about

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

earlier.

1

2

3

4

5

6

7

8

9

10

14

25

But again they can, through our agreement in principle, have access to any of our documentation, or we provide the WAC to them for review. They don't concur to it. But we address their comments.

They sit on our panel that reviews all of our waste profiles that come in. Again, they don't have approval authority, so to speak. But they do comment and are free to comment. And we try to address all those comments.

11 MS. GELLES: But they have no formal 12 regulatory authority over our disposal of straight 13 radioactive waste.

CHAIRMAN RYAN: Got it. Thank you.

MR. BOEHLECKE: A little bit on the natural site conditions that I spoke about earlier. Again, we're about 700 feet above the water, the ground water table, five inches annual rainfall a year, high evapotranspiration rates leading to no ground water pathway.

The water vapor flow is actually up in the upper regions of the vadose zone. And so there's really limited pathways for the buried waste to get to the surface.

You actually have to combine a couple of

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433
144 1 pathways in terms of the water vapor coming out. Because the actual top feet are not conducive to, it's 2 3 so dry the water vapor can't get out. 4 So it has to combine with a biological 5 pathway such as, I think it's on the next page here, such as rodent burrowing or root uptake, that kind of 6 7 thing. You can see the liquid diffusion and advection 8 stops at about the two meter mark. 9 So this is our conceptual site model, 10 potential transport mechanisms. Again, outflow is 11 upward in the waste zone and limited pathways, so I'll 12 mention also both seismic and volcanic activity in the area. Key point, no ground water pathway. 13 14 Some additional characteristics, there you 15 can see a layout of our site. And right now you can 16 see that there's a flood control berm around the 184 17 acres in use. The remaining 740 or what's left of the 18 740 acres are to the west of the facility there in the 19 undeveloped area at this point. 20 Unique to the rest of the land on the Nevada 21 National Security Site, this is actually owned by the 22 Several years ago the deed was taken as opposed NNSA. 23 to, you know, use of the BLM land. But the deed is held 24 by NNSA. 25 Again, I'll mention the disposal facility NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

is located within an area that was previously used for nuclear testing. There are other sources of contamination in the area that were considered in the CA.

Only the land and the fact that there's this large buffer around the land, we feel helps ensure the long term management of the site and reduce the potential for those inadvertent intruders we've talked about a bit.

In addition, there are no attractive resources in the area. This is a closed basin, no surface water, ground water's at 700 feet or more. There's no historical evidence that this area has been used for any kind of settlement.

You see the blue lines on there, maybe if they show up. We actually have three wells around the area that are not necessarily for the low-level waste monitoring but were required as part of the RCRA, the hazardous waste monitoring.

Although the waste and contaminants is not ever expected to reach the groundwater, if it does the ground water table is relatively flat. You can see there from the northwest to the southeast corners, about 8,500 feet, and the travel time's been calculated to be over 13,000 years. And that's with data collected

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

	146
1	over 20 years at this point.
2	We also have a lot of data in the ground
3	water in the area because of the nuclear testing program,
4	a lot of data on the geology. And the modeling done
5	for the ground water has shown very flat water table
6	well.
7	MEMBER ARMIJO: You show a number of pits
8	there. How deep are they, typically?
9	MR. BOEHLECKE: Typically our current
10	practice is to dig them down to about 25 feet below grade.
11	In the past, some have gone deeper. And for special
12	wastes where we want to limit the radon flux to the
13	surface we'll put those deeper as well.
14	This graphic shows you where in the site
15	the facility is located. It's kind of down there to
16	the southeast corner in an area called Frenchman Flat,
17	as I mentioned.
18	We really don't have any communities that
19	are close, the closest being Indian Springs which is
20	about 24 miles away across the Air Force land there.
21	I will note too, again, not that ground
22	water's an issue from the waste, but we do not share,
23	we're not hydrologically connected to Las Vegas, or
24	Indian Springs or Pahrump which are the major
25	communities in the area.
	NEAL R. GROSS
	1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

As Roger talked about a little bit earlier, we've got some conservative bias in our assumptions. These include that all radionuclides are available for immediate release at transport.

We don't take credit for the container delaying the source term. We don't take credit for inadvertent intruders recognizing the waste. These aren't in our scenarios.

9 And for the member of the public scenario, 10 we assume that there's continuously present at the 100 11 meters from the site, even though, as I mentioned before, 12 there's no evidence of any long term habitation in the 13 area.

And the last point there is we don't take credit for dilution of transport to that 100 meters. So whatever the model shows might be in the cover, any contaminants that might be in the cover, is what we look at 100 meters from the site.

Again, as Roger pointed out, it would only serve to dilute it further. And because we're in compliance already, we don't need to go through that process.

Again, conservative bias is used for compliance. The probablistic model is used to help us quantify uncertainty and reduce conservatism over the

# NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

long term.

1

2

3

4

5

6

7

8

9

So in 2007, we used the concentration levels. And I think Roger hit on this as well. We used the concentration levels that come out of the model to help set our WAC concentration limits. That helps to protect the inadvertent intruder.

So again, we're not protecting the inadvertent intruder through compliance but setting our disposal limits using that.

Again, as I mentioned, as we move away from kind of the conservative bias and more realistic, we also looked at our resident farmer scenario being highly conservative for our specific site. Because, again, there's no resources there that you would ever have a farm. So we looked at a resident scenario with no agriculture.

This graph is a representation of the mean air pathway total affected dose for the compliance case. You'll note on the left hand side that's a log scale. So a compliance level which is our resident light blue line there, if you can make that out, is three orders of magnitude below the performance objective, again for a non-farming resident.

24 MEMBER ARMIJO: Not much worse for a 25 farming resident.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

MR. BOEHLECKE: No. No, it's not. Again, for uncertainty in maintenance, kind of inform our decision making, we look at all of our model runs out to much longer times.

1

2

3

4

5

6

7

8

Here you can see the representation of the all pathways dose and the 25 millirem performance objective still below that. This is under the chronic intruder scenarios.

9 look at things. For sensitivity We 10 analysis we'll look at the option of no cover versus 11 various cover thicknesses and run the additional member 12 of the public scenarios. And we can run these out. And I've got a slide that shows a little bit further 13 14 on that we've run them out to peak impacts. It's the 15 next slide.

It actually gives you the time for the peak impact, all in the millions of years. You can see that the pathways that don't require transport, those are the intruder pathways, are the earliest in terms of peak impact, because somebody's actually digging down to the waste. And these peak impacts are determined with 100 realizations of the model.

A little bit more on the inadvertent intruder analysis, we looked at the two scenarios that Roger described, the construction scenario where a

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701 Again, these scenarios, not compliant, not driving compliance, but we used them to help set our action levels in our waste acceptance criteria if you look at the concentration limit that sets the lowest level for whatever scenario that turns out to be.

Moving on to our -- I'm sorry, what was your question? Okay. Moving on to the waste acceptance program, two important aspects of that program is our radioactive waste acceptance program in general and then what we refer to as our waste acceptance review panel.

The program itself goes out and looks at all the generator facilities through an assessment program. We'll go out and visit each assessment facility to ensure that they've got processes in place to adequately characterize both the radiological and chemical component of the waste, look at their quality assurance process.

We'll look at, as well, their traceability, their training of their people and how they certify waste that is to be sent to us.

Once we're confident that a site has a

# NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

6

7

8

9

program in place to meet all our requirements, then they can submit a waste profile.

1

2

3

4

5

6

7

When that waste profile comes in, it's reviewed by the same guys that go out and do the facility evaluations. Or it's also reviewed by our operational people, the people that put together the PA and run the PA, nuclear safety personnel, Federal personnel.

And, as was pointed out earlier, the State of Nevada has three people that will sit on that panel as well and look at that. So the review panel will look at the waste profile, discuss it, ask the generator questions. The generator has to respond to those questions before it can move forward.

we have 14 At this point, 24 approved 15 We may receive waste from more than 24 generators. 16 sites. Because some generators act as kind of middle 17 They have compliance programs in place that meet men. our requirements. And they'll help sites that don't 18 want to pay for that full program ship waste to us. 19

GELLES: I think this warrants a 20 MS. 21 distinction from some commercial disposal facilities' 22 operations in that do not have confirmatory we 23 statistical sampling at our receiver site with the 24 exception of mixed waste verification activities which 25 are subject to the State's regulations.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	152
1	So straight low-level waste is not sampled
2	upon receipt to confirm its acceptance. We do that
3	quality control through this generator acceptance
4	program that Rob just described.
5	CHAIRMAN RYAN: It's kind of the same
6	function Baroque has played in the commercial site.
7	MS. GELLES: Thank you.
8	MR. BOEHLECKE: So when a waste profile
9	comes in, the process it'll go through, again, it's very
10	wide. This slide pretty much focuses on the PA portion,
11	making sure it complies with the performance assessment
12	and the disposal authorization statement.
13	We'll look at four questions for each of
14	these profiles. Does the profile change the
15	radionuclide inventory? And this is the assumed
16	inventory at closure.
17	And then does it require a change to the
18	facility design, or closure plans or the imposition of
19	operational constraints and conditions? That might
20	mean spacing for specific waste or burying it deeper.
21	We'll look at whether it alters the
22	likelihood of a feature, event or process or
23	significantly changes a parameter value. And we'll
24	look at whether it requires a change to the waste
25	acceptance criteria or the disposal authorization
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

statement.

1

2

3

4

5

6

7

8

9

10

25

(202) 234-4433

If the answer is yes to any of those, we'll run it through our own review disposal question process which includes primarily looking at the inventory changes.

Screening will be done. If it meets the WAC it doesn't need to go through this process if it meets the straight criteria in the WAC. But if it exceeds, we'll look at a screening process using some fractions based on the WAC action levels.

Again, if it passes here, then we don't go further. If it fails that, then we can go through our special analysis process where we put it in the model, run the model. This would be done for radon producing radionuclides and heat producing potential.

Some of the waste, one waste stream in particular we received in the past couple of years with some radiothermal electric generators which have a potential to produce heat in the soil insulating it, can cause a problem.

And so we looked at those through a special analysis. And I think I talked a little bit about that. MEMBER ARMIJO: Are those the PU-238 sources or --

MR. BOEHLECKE: No. These were strontium

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

sources.

1

2

3

4

5

6

7

8

9

10

MEMBER ARMIJO: Strontium, yes.

MR. BOEHLECKE: So through that process we can impose operational conditions, again, depth and spacing.

In the case of the RTGs, we looked at spacing from each other, spacing from other waste and continue to monitor the heat that is produced by those units. We'll also look at radionuclides that may not have been analyzed in the PA when it was first set up.

Example of a special analysis, look at thorium nitrate waste that was disposed in Cell 13 a number of years ago, quite a large waste stream with several radionuclides exceeding the action levels that were in our waste acceptance criteria.

And through our special analysis process, we determined that it would be effective to limit the radon dose or radon flux at the surface by burying the waste in a bit deeper trench in a single layer with no waste on top of it.

So you've got that additional soil counteracting the radon flux at the surface. So you can see how the disposal was modeled there, the waste thickness and the total cover representing over 25 feet.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

> > WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

www.nealrgross.com

	155
1	MR. SEITZ: That's an example of what
2	happens if you get calculations that are above a standard
3	at some time.
4	MEMBER ARMIJO: You just fix it with a depth
5	or something. In this case, is a form of the thorium
6	nitrate such that it is releasing the radon so it can
7	diffuse out slowly? Or is it encapsulated or what?
8	MR. BOEHLECKE: I don't have the details
9	on that. It was disposed of some time before me.
10	MEMBER ARMIJO: Just curious.
11	MS. GELLES: We can get the answer to that
12	question.
13	MEMBER ARMIJO: I'm just curious about it,
14	whether you want it to accumulate or just routinely
15	release.
16	MR. BOEHLECKE: Diffuse out and decay by
17	the time it reaches the surface.
18	MR. SEITZ: Confining it is the goal.
19	MR. BOEHLECKE: Our PA maintenance program
20	includes ongoing field study, environmental monitoring
21	where we've used the PA and CA to look at those things
22	that we may be able to get more information on, further
23	refine or model.
24	One example of that is we were able to
25	conduct field investigations to determine how the roots
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 KHODE ISLAND AVE., N.W.           (202) 234-4433         WASHINGTON, D.C. 20005-3701         www.nealrgross.com

actually work to bring up moisture in the distribution for burrowing animals.

1

2

3

4

5

6

7

8

9

10

We've also had a continuously running vegetative cover on a long term lysimeter. I believe it's over 20 years that that's been collecting data. We have not have water reach the bottom of that.

The annual summaries document all of the updates to the modeling, the inventory updates, the monitoring and operations of the facility and any new studies that have gone into it.

11 Additionally, the PA update looks at all 12 the conditions and comments that have been previously provided by the LFRG group and how we've addressed those. 13 14 So even in today's summary for this latest year, you 15 can go back and see how we've addressed the previous 16 comments.

17 MEMBER REMPE: Has there ever been any 18 major differences between the data and the modeling, 19 and then you've had to make changes to the modeling?

MR. BOEHLECKE: I don't know about major, 20 21 but the new, you know, radionuclides we haven't looked 22 at before. We'd certainly have to then consider those. 23 MR. SEITZ: I think for a site with ground 24 water there's, I quess, I would say there tend to be 25 differences. Because what we're trying to do with the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

modeling is provide a conservative bias.

1

2

3

4

5

6

So where we'll get concerned is if we start seeing concentrations that begin to approach what the model showed. And occasionally you'll get point measurements. And that actually triggers quite a process.

7 Anytime there's a point measurement that starts to challenge a model assumption, we'll take a 8 9 closer look at that. And it could cause a need for more 10 frequent sampling.

11 MS. GELLES: Yes. And I can't think of any 12 significant differences at Nevada, with the exception of where we've introduced a new radionuclide to the 13 14 inventory.

15 And, you know, there's some detectable 16 presence of it, but not from a release standpoint. Because that would be different than what we had modeled 17 18 before.

MR. BOEHLECKE: And our monitoring has not 19 20 identified any transport at this point.

21 MS. GELLES: I just don't think that's 22 happened. MR. BOEHLECKE: And for ground water sites, 23

24 you get point measurements. Mother Nature doesn't 25 cooperate a lot of the time.

(202) 234-4433

## NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

158 1 CHAIRMAN RYAN: So what do you expect in the long haul at this site? Is it a diffusion site? 2 3 Is anything in your waste containers ultimately going 4 to diffuse? Or is water close to the bottom of the 5 disposal cell? I'm trying to just get a feel for it. MR. BOEHLECKE: No. I mean, the modeling 6 7 shows that, you know, it's going to basically remain 8 there on --CHAIRMAN RYAN: I'm not interested in the 9 I want to physically understand the site a 10 model. 11 little bit better. What's the depth of the saturated zone from the bottom of the trench? 12 MR. BOEHLECKE: Over 750 feet. 13 14 CHAIRMAN RYAN: Seven hundred and fifty 15 feet, okay. So clearly you don't have to worry about 16 it. 17 (Crosstalk) 18 MR. BOEHLECKE: Precipitation that comes down never reaches the ground water. 19 20 CHAIRMAN RYAN: Right. 21 MR. BOEHLECKE: It's evaporated back out 22 or taken up by the plants. So there is no ground water 23 pathway, which makes it an excellent site. 24 CHAIRMAN RYAN: Sure. Again, I'm just to 25 understand it. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701

159 1 MR. SEITZ: It's extremely depositional, 2 isn't it? 3 MR. BOEHLECKE: It is in a depositional 4 valley. It's a closed basin range area. So there's no surface water outflow. There's a dry lake bed in 5 the middle of the valley. 6 7 CHAIRMAN RYAN: And there's the 40 inches 8 of rain a year. So I'm envious. 9 MR. WALLO: Tectonic plate movement could 10 move the site to California in about 2 billion years. 11 (Laughter) 12 MEMBER RAY: To introduce just a little more soberness here, you know, I was involved in the 13 14 low-level waste siting in California for a regional 15 site. You guys are familiar with a different geologic 16 setting, but temporally it seems the same, a dry desert 17 site. It's not like this but close enough. 18 The problem that I see is this is all very, responsible and complete. It's the best job you 19 very could imagine. 20 21 But transferring it into the world where a low-level waste site has to be sited in a different 22 23 context, I just don't see how you do it. Because you 24 can't say many of the things that you've been saying 25 about the responsibility that DOE will exercise over NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	160
1	time.
2	CHAIRMAN RYAN: The batting average is
З	definitely not good.
4	MEMBER RAY: Anyway, in theory, as you
5	know, so to me it does very much depend on whether you're
6	in Utah or in California what the outcome is going to
7	be.
8	CHAIRMAN RYAN: Oh, sure. Illinois,
9	Pennsylvania, North Carolina too.
10	MEMBER ARMIJO: Okay.
11	MS. GELLES: All right.
12	MEMBER ARMIJO: here's Savannah River,
13	that's not a
14	MS. GELLES: Yes. We're very, very close
15	to Savannah River.
16	MR. BOEHLECKE: Two more slides. So
17	again, we have used research and development to do some
18	looking through our model.
19	And we're able to optimize our cover when
20	the facility first went through an authorization
21	statement. They assumed a four meter cover.
22	Looking at using the model and the inputs
23	over the years, we were able to optimize that and show
24	that a two and a half meter cover still meets the
25	performance objective, and there's very little
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W.           (202) 234-4433         WASHINGTON, D.C. 20005-3701         www.nealrgross.com

additional dose. And that extra meter and half would cost a significant amount.

1

2

3

4

5

6

7

8

And final cover decisions will be made at the time of closure. But we're able to show that right now a two and a half meter cover would make a lot more sense.

Again, the PA revision is driven by a magnitude and significance of changes.

9 And final slide, just a kind of summary, 10 again, the natural and engineered barriers, and the fact 11 that it's sparsely populated, make it an excellent site 12 for low-level waste disposal.

The WAC compliance, again, going into our defense in depth principles, aid to help protect inadvertent intruders.

The site assessment, PA and CA, again, makes up one part of the whole system to look at defense in depth strategy, and our maintenance program that allows for continual improvement and refinement of the model through the iterative process and taking into account whatever you may have learned over the course of the previous year.

MS. GELLES: Okay. So to transition to Savannah Site, another DOE site that has multiple low-level waste disposal facilities within it, Sherri's

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	162
1	going to give us a presentation on a subset of those,
2	but a couple of really significant differences,
3	different hydrology, different mission purpose.
4	Because the facilities she's going to talk
5	about are accepting only waste streams that are part
6	of the liquid waste system from Savannah River.
7	Whereas what Rob was describing,
8	particularly his daily use of the PA, had everything
9	to do with the fact that he's receiving waste from 24
10	approved generator sites. And there's great
11	heterogeneity amongst those waste streams, so same DOE
12	system, same DOE defense in depth concepts, but applied
13	very differently.
14	Are you with us, Sherri?
15	MS. ROSS: I am. Can you hear me?
16	MS. GELLES: We sure can.
17	MS. ROSS: Well, I appreciate you all
18	making the effort to allow me to participate by phone.
19	And please let me know if you've got any questions.
20	I'm going to start with Slide 2. Again the
21	defense in depth approach here was the multiple systems
22	in the program that provides protection to the public.
23	But at Savannah River site, as Christine
24	mentioned, it is a very different site from Nevada, our
25	site being very humid in nature, we do take credit for
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

both natural and engineered barriers to demonstrate compliance.

And all our disposal and closure facilities do comply with performance objectives. The PA and the maintenance program supports continuous improvement and continued compliance.

And so we'll take a look at those things that we have uncertainties about in the out-year peaks and see what we know about those and run those in our maintenance program, what R and D do we want to go get, what new information do we want to know, and update our analysis.

We have a strong external stakeholder involvement here with the State, and EPA, NRC and the public. And one of the members asked a question about feedback from the public related to doses and out-year dose and risk. And I'd like to answer that question.

Our citizens advisory board, which is one of our public avenues for getting information to the public, is very concerned with the current risk associated with our waste being stored in underground aging tanks versus, you know, being real concerned about the model showing results way out in the out-years.

They want us to concentrate on the current risk versus long-term risk, so just as a feedback point

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

	164
1	from our members of the public here at Savannah River.
2	Going on to Slide 3, a very large site at
З	Savannah River, 310 square miles, Federally owned and
4	controlled land, access is controlled on to the site.
5	Communities are located approximately six
6	miles from the closure and the disposal facilities which
7	are located predominately in the center of the site.
8	If you look at F, and H and Z, those purple areas sort
9	of in the center of the site, those are the facilities
10	I'll be referring to today.
11	All site waterways do flow to the Savannah
12	River which forms a western boundary for the site on
13	the southwest side. Anyway, any questions about the
14	site in general?
15	MS. GELLES: You're okay.
16	MS. ROSS: All right, Slide 4. So
17	compliance with the DOE order, liquid waste facilities
18	are either disposal facilities such as Saltstone or
19	closure facilities, the F and H Tank Farms.
20	And they are very different. Saltstone is
21	designed to receive waste for disposal. And the waste
22	is homogeniously blended in a grout form.
23	The tank farms are actually, the tanks are
24	cleaned and they're emptied, they're cleaned and then
25	they are closed with, you know, the residual source term
	NEAL R. GROSS
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

is left there by filling the tank with reducing grout so the waste predominately under the surface areas that are contaminated is located predominately on the bottom of that tank.

1

2

3

4

5

6

7

8

9

All facilities have performance assessments. I've listed the major dates here for the PA revisions, 1992 and 2009 for Saltstone, F Tank Farm, 2008, revised in 2010, H Tank Farm, 2011, revised in 2012.

We do have a composite analysis on the site that covers all radioactive residues that were left on the site. That encompasses not just Saltstone and F and H Tank Farms, but our E area low-level waste disposal facilities and any other radioactive material that'll be left on site. And again, Andy had talked about some of the requirements of those.

17 So moving on to Slide 5, annual performance assessment maintenance plan and disposal facility 18 19 summary reports are prepared to assess what have we 20 learned, what do we need to know, what operations have 21 occurred, and evaluate our compliance against where we 22 in operations against that stand performance 23 assessment.

24There's also a disposal facility that does25include disposal authorization, document, waste

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

acceptance criteria, the radioactive waste management basis, closure plan and monitoring plan. And that is your typical disposal facility.

1

2

3

4

5

6

7

8

9

(202) 234-4433

The tank farms are actually closure activities. So we are not receiving waste into the tank farms. We're closing with the residuals that are there, that only order requires Tier 1 and Tier 2 closure authorization plans. Again, we do also have a monitoring plan associated with that.

10 for these three facilities And I'm 11 referring to, they are permittted by the State of South 12 And so they are very much involved and Carolina. approve and authorize those activities as well. 13

14 We continuously ensure conditions remain 15 as evaluated in our documents through this program of continuous improvements, your annual reviews, your 16 maintenance plans. 17

18 I've got, on Slide 6, a detail of natural site conditions. Closure facilities range from usually 19 within the water table to approximately 20 feet above 20 21 the water table. So that's what I've got shown.

22 On the bottom left-hand picture there is four H Tank Farm tanks. Tanks 9, 10, 11 and 12 are 23 24 actually in the water table as constructed. It was 25 during a period of drought.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

These were designed for gravity feed from the canyons. They were recognized that they might be in the water table. They were treated. And you'll see the historical water table level there depicted above the top of the tank.

So we do have four that are in the ground water. We have four other tanks in H Tank Farm that the feet are in the ground water. The other tanks are above the elevation.

10 On the right hand side of the slide, there's 11 a picture of Vaults 1 and 4 at Saltstone. And you'll 12 see the blue line depicts your average water table.

And then we do have a tan clay underneath ground water flow. And the wells are located around those units. So we do have ground water monitoring, actively has been for a long time in the F Tank Farm, and H Tank Farm and around Saltstone. But again, the disposal facilities are about 50 feet above the water table.

And we do have a lot of water, you know, rainfall. I guess I've got another slide that's covers that, yes, Slide 7. So a humid environment, about 49 inches average rainfall annually, about 16 inches infiltration rate.

We have multiple potential exposure

# NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

6

7

8

9

pathways from some of the material over time. Ground water is our predominant pathway at Savannah River. Natural soil characteristics such as the clay in the ground does provide a barrier to movement of certain contaminants. And the site has low seismic and volcanic activity.

7 So on Slide 8, engineered features, we do have design engineered features for the disposal 8 9 enclosure facilities as part of the system performance. 10 Examples are closure caps, the disposable cells like 11 the vaults for the tanks or the Saltstone vault, and 12 engineered waste forms such as the reducing grout that's used at Saltstone and used to fill the void space in 13 14 the empty grouted tanks.

And you can see there sort of a depiction of the conceptual model with the multi-layer closure caps, back-filled soil around the grouted tank. You can see that the entire tank is filled with grout.

The large contamination zone is at the bottom there. There's a base mat, still monitor. There's a concrete vault on the outside of that for all waste types, undisturbed soil and, you know, vadose zone and saturation zone underneath the tank system. And all these are modeled in our model.

Going to Slide 9, conservative biases, some

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

examples of some of the evaluations the conservatism's replaced in the model to support our decision making process.

We do evaluate compliance 100 meters from the edge of the facility. And to go show as stakeholders, we are planning for Federal ownership of the site. But we just do not take credit for more than 100 years in our performance assessment.

9 And even though the site also was six miles 10 from the boundaries, and we have boundary controls, we 11 assume we lose institutional controls and the intruder 12 or the members of the public actually get onto the 13 facility, at 100 meters for the public, intruders 14 actually on top of the site.

We do use peak aquifer concentrations, although wells normally are typically not placed in the shallow aquifers. There's three aquifers around these systems.

And though we will take the 19 highest concentration, which is normally in the upper aquifers, 20 21 you know, our ground water's so shallow, and it's easy 22 to drill here that normally wells are placed to the lower 23 aquifer just in times of drought. They don't want the 24 wells to go dry. But we do use the highest concentration 25 in the upper aquifers for determining dose.

# NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

1

2

3

4

5

6

7

8

25

(202) 234-4433

And Saltstone, same thing, the SGE is a similar design, all fail at the same time. That gives us is some conservatism in the contaminants moving at once.

9 I'll give you peak doses. Moving on to
10 Slide 10. So modeling, include anticipated conditions,
11 robust sensitivity and uncertainty analysis. We're
12 doing both deterministic and probablistic analysis in
13 our performance assessment.

We do include detailed characterization of the residual material during disposal and closure operations.

17 The disposal facility, we do use a waste acceptance criteria very similar to what Nevada was 18 explaining to evaluate proposed disposed streams and 19 20 ensure that those streams are going to maintain 21 compliance with the performance assessment and is 22 against those objectives through the controls that are 23 established through our waste acceptance criteria. 24 Closure facilities, we do have an overall

PA for the whole tank farm. But as we clean the specific

## NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

tanks, we will go in and characterize those and, you know, actually look at the final residual material and how it was inventoried in the previous modeling or update that modeling to address any changes in the actual source term.

So Slide 11, let's give this one some numbers here. Slide 11 is a depiction of a H Tank Farm performance assessment, the base case. It's a deterministic run.

These doses, these lines are not additives. They do depict the Sector A through F, which are the colored lines on the graph, are individual locations 100 meters around the facility if you were to draw a circle around the facility. We've just depicted segments of that line by Sector A, B, C, D, E and F.

And so what we're showing here, this is 17 1,000 year graph. We do have multiple tanks. We have 29 tanks, three evaporators, miles of transfer lines which are all source terms that are feeding the results here.

So this is a large scale graph. And for 1,000 years not much dose is actually coming from it. We do, as depicted and described earlier, we will model to peak.

So you can see on Slide 12 the 100,000 year

#### NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

6

7

8

	172
1	graph. And this, again, is a large scale. It's water
2	pathway, again, the H Tank Farm base case deterministic
3	run. So it includes all those source terms.
4	And again, it's not additive and it's the
5	same Sector A thorough F. So you can see, you know,
6	the doses are approaching around 100 in the out-years.
7	Typically, you know, 10,000 years or below, even out
8	to 25,000 years, you're below ten millirems as your
9	average expected dose from this case and set of
10	assumptions.
11	I do want to state that, you know, DHEC,
12	and EPA and the public, you know, we describe our
13	analysis to the public. They're all very much aware
14	of the results in our analysis.
15	We'll depict both the base case and
16	alternate sensitivity cases and the probablistic run
17	and show that, you know, what's the doses in the short
18	term, what are the doses in the long term.
19	And they're very comfortable with moving
20	forward based on the results, even if they're showing
21	some higher risk in the out-years.
22	MEMBER REMPE: So, Sherri, I've got to ask.
23	On Slide 11, what happened between 150 and 200 years
24	with Sector C and Sector A?
25	MS. ROSS: You're talking about the 100
	NEAL R. GROSS
	1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

173 1 year doses? 2 MEMBER REMPE: Yes, 150 to 200 years after closure. 3 MS. ROSS: Yes. What we've got is some 4 5 transfer lines that are in the tank farms which we know are contaminated. We're not assuming that those 6 7 transfer lines are grouted. Because even if we grouted 8 them, the grout would be on the inside, and your 9 contamination's on the pipe walls. Those pipe walls will degrade. 10 11 So that source term is also not nearly as 12 deep. And it's going to corrode. Those are going to be one of the first release of contaminants. So what 13 14 you've got is a little bit of more mobile radionuclides 15 being released from the transfer lines when they corrode 16 in the ground. 17 MR. SEITZ: It's the lines that connect the 18 tanks to other --So something happened and 19 MEMBER REMPE: the dose went away between 150 and 200 years. 20 21 (Crosstalk) 22 MS. ROSS: Well, it's not really going away. It's just so low it's not really showing it up. 23 24 MEMBER REMPE: Okay. I just was curious. 25 Because they're trying to sell the land. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

	174
1	(Laughter)
2	MEMBER ARMIJO: Well, you got me started.
3	Between 550 and 650 years there was a lot of ups and
4	downs. What happens there? Is some physical
5	MS. ROSS: Well, there're different source
6	terms. Remember we've got 29 different tanks. They're
7	all located at different distances from the 100 meters.
8	You've got evaporators, you've got
9	diversion boxes, you've got transfer lines. These have
10	different source terms, different rads or different
11	mobility. They travel at different rates. Also in H
12	Tank Farm, what was I going to say
13	MEMBER ARMIJO: Well, just talk about
14	Sector E. It goes through this undulation. And what's
15	actually physically happening? Is there
16	MS. ROSS: Well, also in H Tank Farm, a
17	couple of the tanks, the liners are failed at Time Zero.
18	And other tanks are failing at different times. So what
19	you've got is different rads, different source terms
20	are being released at different points in time.
21	And you lay it out on a graph and this is
22	what's occurring. But again, in the 1,000 year window,
23	the doses are all less than one. The scale is really
24	blown up.
25	MEMBER ARMIJO: Well, I understand.
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W.           (202) 234-4433         WASHINGTON, D.C. 20005-3701         www.nealrgross.com

MS. GELLES: But the variability for Sector F, or Sector E, is a function of where that sector is located in the tank farm in relative proximity to different types of tanks that have different release rates or different radionuclides. And we probably presume too much. So there's, how many tanks total are there in H, Sherri?

1

2

3

4

5

6

7

8

25

(202) 234-4433

MS. ROSS: Twenty-nine tanks.

So 29 tanks which are not 9 MS. GELLES: identical in terms of the residual material, not an 10 11 identical design, not identical integrity of liners. 12 So each one is going to perform a little bit differently in the model. And these sectors are different locations 13 14 within that tank farm. There's one single PA for the 15 entire tank farm. 16 MEMBER ARMIJO: So these are composites. 17 MS. GELLES: They are composites, thank I was coming to --18 you. MS. ROSS: Yes. This is for the entire H 19

20 Tank Farm, for all source terms.

MR. SEITZ: Yes. It's more than tanks.
MS. GELLES: Right, and transfer lines.
MEMBER STETKAR: I hate to ask about this,
but I'm required to.

MS. ROSS: Okay.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

176 1 MEMBER STETKAR: These are nice lines, 2 little colored lines, and they go all over the place 3 like over 100,000 years. And you say you've done a 4 probablistic analysis. 5 Do you count for uncertainties? I mean, how do I interpret these lines? Are they the mean value 6 7 of an uncertainty analysis? Or are they just a line? MS. ROSS: Okay. This evaluation is the 8 base case deterministic line. We have other lines on 9 sensitivities and the probablistic analysis. I'm not 10 11 showing those here. 12 MEMBER STETKAR: Okay, thank you. 13 14 MS. ROSS: They're all inside our 15 performance assessment. We do account for uncertainty 16 and variability. 17 MEMBER STETKAR: It's just I read the title on Slide 12 that says risk informed. And that always 18 19 means something --20 We probably should have MS. GELLES: 21 provided a little bit more narrative context for this 22 specific graph. But Sherri does have a few slides --23 MS. ROSS: I'm going to get more into --24 MS. GELLES: -- that compare. 25 MS. ROSS: -- out-year doses and what we NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

do to address this. So we're informed in making our decisions. But we haven't actually made decisions to close H Tank Farm yet. Because we're consulting with NRC actually.

But we're aware that, you know, in the 40,000 year out time frame that the doses are approaching 100 millieme. We know that's, you know, approximating the public standard. It's above 25. And we'll factor that into our decision making.

But again, we will concentrate on the risk reduction today and knowing that what in the model is causing these peaks. We want to be informed by what's causing the peaks, how high are they and what can we learn to address those uncertainties and hopefully remove any concerns associated with that.

I've got some more examples I'm going to get to in just a couple of slides. I hope to explain that, what we've done with out-year peaks associated with F Tank Farm.

So on Slide 13, ongoing compliance, we do have a rigorous unreviewed waste management question. It's the same thing as a UDQE that was previously discussed at Nevada to evaluate new information or proposed activities against unexpected conditions.

When we find something new, your KD was off

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

6

7

8

9

or we had more waste in the tank than we thought we would, anyway, we can evaluate those through this process.

1

2

3

4

5

6

7

8

9

And it can result, depending on the complexity of the new information, in determining that there was no impact, that activity can continue. Or we just need to do a more detailed evaluation. Or it may result in a special analysis which is an addendum to your performance assessment where you rerun your model to provide new information.

So on Slide 14, let me get into some more detail on how we might address out your doses. And this is a 10,000 year graph. And this is graphed from our Tanks 5 and 6 special analysis. And what is showing here is the rem line, is the original F Tank Farm PA base case, all pathway base case analysis.

We also ran, in Tanks 18 and 19, special analysis, the same case with new inventory from the actual inventories. We cleaned Tanks 18 and 19.

In Tanks 5 and 6 the solid darker blue line is the exact same base case with the actual inventory after cleaning Tanks 5 and 6. So you can do a comparison there.

Again, this is a log scale. These are not additive doses and they do reflect the entire F Tank Farm, 22 tanks and ancillary equipment, source terms

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

over a 10,000 period.

1

2

3

4

5

6

So what we did in the Tank 5 and 6 special analysis, we also did a composite sensitivity analysis to determine the impact. And that's the light blue line. And not much difference really in the 10,000 year window.

But if you go to the next slide, on Slide 15 for the 100,000 years, the exact same model run from the Tank 5 and 6 special analysis just plotted over 10,000 year window, we were looking before about the 500 millirem doses occurring around 40,000 years. And you'll see that's now dropped below ten based on the new information that we did consider.

So looking at the graph, if you will again, not an additive dose, and it does represent the whole tank farm.

17 The peaks are occurring around 25,000 18 years, that red and blue dotted line, which from tech-99 from the Type 1 tank, we have eight Type 1 tanks in F 19 Tank Farm, and we have put a tech-99 source that we didn't 20 think was real. But we wanted to determine where the 21 22 impact was if we did leave some tech-99 in the tank farm. 23 And it did show that we would have a high 24 peak, about 500 millieme. But based on the actual, 25 tech-99 is very soluble, it's very mobile in the NEAL R. GROSS

> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433
environment. And we do use several million gallons of water physically to clean a single tank. And so we thought the tech-99 would come out of the tank.

And we were able to confirm that with the Tank 5 and 6 cleaning and characterization data. So that peak actually goes away in the Tank 5 and 6 special analysis.

8 So the second large peak there around 500 9 in the 40,000 year window was occurring from plutonium 10 239. And so we had a solubility expert review with some 11 recommendations. And so we changed solubility release 12 numbers based on the NEA database that was fed into our 13 Geochemist's Workbench to update the solubility numbers 14 and the release mechanism for the radionuclides.

We also updated KDs in soil based on cement leak shape at a higher PH. Because each of these tanks range between 750 and 1.3 million gallons a piece. And we do believe that, you know, roughly a million gallons of high PH cement will affect the leaking of the rads that are located underneath that material.

So as a result we were able to address some of the uncertainties and come up with an analysis that now is predicting the doses will be less than ten millirem.

So this is an example of, you know, we are

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

6

7

1 informed by the out-year doses. And we will continue 2 to evaluate the risk in our decision making process as 3 well as remove that uncertainty with new information 4 as it becomes available. Any questions on Slide 15? 5 MR. SEITZ: Sherri, I just wanted to make I think it's important to realize that there 6 one point. 7 was quite a lot of time and effort spent to address those 8 potential peaks at the long times. 9 MS. ROSS: They were. 10 MR. SEITZ: And in the end, nothing really 11 changed. There was a refinement --12 MEMBER ARMIJO: Nothing physically, but the models were --13 14 MS. ROSS: Right. 15 MEMBER ARMIJO: -- refined, if you will. 16 MS. ROSS: Exactly. 17 SEITZ: So it's a refinement of MR. 18 assumptions. 19 MS. ROSS: Right. 20 MR. WALLO: And it was not a small task though. 21 22 MEMBER ARMIJO: It was a lot of effort. MS. ROSS: It was a lot of effort. 23 24 MR. SEITZ: And a lot of resources put into 25 it. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com						
2 J	NFAL R GROSS						
24	was maybe some, you know, transfer lines and other kinds						
23	CHAIRMAN KIAN: IL SOUNDS LIKE PART OF THIS						
22	MO. RUSS: SUIE.						
2 J	MG BOGG. Gura						
∠∪ 21	MS. GELLES: Snerri, there's a question.						
20 ⊥ ⊃	MC CEITEC, Charri tharala a guartian						
⊥0 1 0	10						
⊥ / 1 Q	the five and six sensitivity state here in this slide.						
± 0 1 7	the five and six consistivity state here in this alide						
± J 1 6	special analysis sensitivity run as well. I'm showing						
+ <del>-</del> 1 5	In this case we actually had a 18 19						
- J 1 4	based degisions to address it						
∠ 1 २	they don't want up to wait and make alcower and						
 12	out-yoor rick but they're not everly concerned. And						
11	focus on the short-term rick They informed of the						
10	Because again like I said they really do						
9	actions						
8	out-year peaks. They wanted us to go ahead and take						
7	the EPA and DHAC were not concerned at all with these						
6	MS. ROSS: Yes. The regulatory agency.						
5	CHAIRMAN KIAN: COLLECT ME II I'M Wrong,						
4	CHAIRMAN RYAN. Correct me if I'm wrong						
-3	closed Tanks 18 and 19 and						
2	money and about six months to address this before we						
1	182 MS. ROSS: Yes. We spent quite a bit of						

moved stuff around in the tank farm. Is that right?

MS. ROSS: Yes. You've got to remember there's multiple types of tanks, that each are failing at different times, they're different distances from the 100 meter. Your transfer lines are failing earlier and so your different source terms, and each radionuclides is being held up. There's multiple barriers here. But each barrier will perform differently based on the radionuclides.

10 CHAIRMAN RYAN: But the transfer lines,11 Sherri, were mostly the earlier time periods.

MS. ROSS: That's correct.

13 CHAIRMAN RYAN: These late time periods, 14 it was just the modeling of the various parameters there 15 in the tanks themselves.

MS. ROSS: That's correct. And what we had done eventually, basically, is we had turned the plutonium, we had made it soluble. And it really doesn't ever become soluble. We just wanted to know what it would do in the out-years. So we fixed that with the sensitivity analysis.

CHAIRMAN RYAN: Thank you.

MS. GELLES: All right, girl, bring us homeon PA maintenance.

MS. ROSS: Okay. So on Slide 16, I've just

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

12

22

25

got some pictures here of ongoing science work that we've done to support our PA and special analysis.

So up on the top hand left corner is a technetium column test being done at PNNL. And on the bottom left hand column is some field activities and a lysimeter that actually is exposed to rainwater. That's being done through our National lab here on site.

8 In the field in the center of the graph is 9 a mockup core drill that's going to support our Saltstone 10 disposal unit activities. Top right is Clemson 11 University research on technetium. It's a batch 12 experiment ongoing.

And then in the bottom right is, at the National lab, an oven that can control both exterior temperature and humidity to support our Saltstone disposal activities as well.

17 But what I'm trying to portray here is that we do have ongoing R and D research to try to find out 18 additional information that's 19 important to the performance of our facility so that we can roll that 20 21 back into, you know, additional modeling or the next 22 PA update if we need to, so just some examples there. 23

24 So the PA and maintenance program, Slide 25 17, is evaluating update on an annual basis to look at

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

1

2

3

4

5

6

7

what our available funding is and what's the priority. And sometimes we may have to push off things for another year.

But again, we're addressing out-year, you know, risk. We think we can wait a little bit to address that. But we do have a program to identify that.

Annual summaries are conducted on the disposal facility document, the actual operations, any science work that's been done and monitoring. We do annual monitoring of immediate conditions to see are we seeing something different than we anticipated.

12 So in summary, on Slide 18, you know, 13 special analysis of performance, key information 14 becomes available and performance assessments are 15 revised on a periodic basis.

But they're entirely being driven by the magnitude and the significance of the changes in the model system. So we won't do a PA revision if we don't need to. But based on the annual reviews, if we find out some new information, we're concerned with maybe the impact, then we'll go ahead and run a new PA or special analysis.

23And that's pretty much it.So any24questions?

CHAIRMAN RYAN: That was a very thorough

### NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

6

	186						
1	review. Thank you.						
2	MS. GELLES: Thank you, Sherri.						
3	MS. ROSS: Thank you.						
4	MS. GELLES: Thank you for your patience						
5	with our very long presentation.						
6	MALE PARTICIPANT: No, it was very						
7	interesting.						
8	CHAIRMAN RYAN: No, it's all very						
9	interesting. I appreciate it. Shall we go around?						
10	Let's see. Well, any questions or comments?						
11	MEMBER BALLINGER: Not really. I thought						
12	it was great, very, very, very thorough. This is						
13	excellent.						
14	CHAIRMAN RYAN: Good.						
15	MS. GELLES: Thank you.						
16	CHAIRMAN RYAN: Harold?						
17	MEMBER RAY: Well, I've already said, but						
18	I think I want to underscore it again, agreeing with						
19	what Ron has said and also the fact that what's being						
20	described here is comprehensive. And I can't see any						
21	way that it could be improved. Transferring it into						
22	our world is what I find daunting for a whole variety						
23	of reasons that I won't go into.						
24	CHAIRMAN RYAN: Oh, gloveboxes aren't						
25	exactly in the reactor scheme of things.						
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS						
	1323 RHODE ISLAND AVE., N.W.   (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com						

And we're talking about setting up rules that are enforceable and can be met by proponents with some confidence that they're not going to get stuck after three years with a failed enterprise like I went through.

9 And that's just the difficulty I am 10 struggling with. Nevertheless, this is qood 11 information. And hopefully we can make some 12 application of it to the environment that we're concerned with. 13

14 The last thing I'll say, and then I'll quit, 15 is also I think that the perspective here is, although 16 we saw the charts going way out in time, and I do mean 17 way out in time, I don't know that we can replicate those 18 for the things that we're having to address with the same certainty that we need, or with the degree of 19 certainty that we need in order to be successful in 20 21 licensing a low-level waste site in the public arena. I'm done. 22

23 MEMBER SKILLMAN: Thank you for a very 24 comprehensive briefing. I just want to make three 25 points.

### NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

I have a good buddy who worked for Dr. Ray, Dixie Lee Ray. And Dr. Ray had a piece of copper wire about so long on her desk. My buddy said what is that? And she said, well, that's the speed of light in one nanosecond.

And light is about 300 million meters a second. And if you divide by a billion, you get a piece of wire about that long, but the point is a practical application.

10 We've been kicking this 10,000 year versus 11 1,000 year around for months now. And I've been trying 12 to get to a place in my mind where a number makes sense. The Magna Carta was presented in about in 13 14 1250 AD. That's about the first time a stone was laid 15 for the cathedral in Cologne. So there's a document 16 that is actually part of our law today and a building 17 that you can visit tomorrow if you were to fly to Cologne. 18 There's evidence of a period of control, 19 a structure, something that we can see and put our hand on that's 750 years old. It makes sense. So I think 20 21 maybe 1,000 years is something that is supportable. Because there is evidence that men and women 22 23 have been able to maintain a chain of custody, or an

24 oversight or some collaborative effort to keep that 25 thing in tact. So I've kind of come to a point where

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

	189						
1	I think this 700, 800 years is probably a pretty good						
2	number. And it certainly beats 10,000. Thank you.						
3	MS. GELLES: Thank you.						
4	CHAIRMAN RYAN: Thank you. Steve?						
5	MEMBER SCHULTZ: I want to echo that I						
6	really appreciate the presentations today. They were						
7	very well done and provided us a lot of information.						
8	For me it was extremely thought provoking,						
9	especially as we've already heard from members of the						
10	committee, the far reaching process of thinking that						
11	is looking at that long time horizon and trying to put						
12	it in perspective with regard to our current knowledge,						
13	past knowledge and what our future knowledge might be						
14	about not only what ought to be done but also what the						
15	metrics might be and how they might change. It's very						
16	thought provoking. Thank you.						
17	CHAIRMAN RYAN: Thanks, Steve. Joy?						
18	MEMBER REMPE: I think my colleagues have						
19	said it better than me, but I also learned a lot from						
20	the discussion today. And I'd especially like to say						
21	that I appreciated the emphasis on how the metrics have						
22	changed over the years in looking at the future.						
23	I have a question though. I agree that the						
24	10,000 year is difficult to be showing. Why do you even						
25	go beyond and show plots that are even beyond 10,000						
	NEAL R. GROSS						
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com						

190 1 years when we all agree that it's not worth doing. And doesn't that just cause you heartburn? And what would 2 3 happen if you suddenly would quit showing those types 4 of graphs in your annual reports and --5 MR. SEITZ: Let's let Sherri --Sherri, do you want to 6 CHAIRMAN RYAN: 7 answer why you're showing plots out beyond 10,000 years? 8 MS. ROSS: Sure, sure. We do, actually. 9 We do want to be informed. We want to know what's 10 causing the peaks. When would the peaks happen and why? 11 What assumptions went into the model that's causing 12 that peak? So what barrier is failing that's causing 13 14 those peaks. And how high are they? Can we redesign 15 the barrier? Is it some feature of the barrier that's 16 very important? Is it one isotope? 17 So it informs our design, and our disposal 18 operations and our closure activities so that we can take actions if necessary. 19 MS. GELLES: So since our policy is to, 20 21 period of compliance is 1,000 years, but then evaluate 22 and model out to peak impacts. 23 To curtail that by any point cut off, whether it was 15,000, 10,000, you know, 12,500, would 24 25 suggest that we have somehow decided that everything NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

after that is not relevant.

1

2

3

4

5

14

And as long as those peak impacts don't need to be mitigated for purposes of demonstrating compliance, but can be used to inform and improve our ability to comply, it's still useful information.

Does it raise questions that we have to answer? Absolutely. But we hope that the gain of it in terms of additional information that helps us engineer our system outweighs the pain of having to explain it to people.

11 MEMBER REMPE: I can appreciate it, 12 although I heard discussion. We spent a lot of money 13 on something rather --

MALE PARTICIPANT: A concern.

MEMBER REMPE: -- and so sometimes it, yes, it sounds like you have a good perspective on it. But it's just something --

MEMBER ARMIJO: And it might be, you know, what I got out of it is you got smarter. But physically nothing changed. And if the analysis hadn't been done at all, nature would behave pretty much like your more final analysis, and there'd be no problem anyway.

CHAIRMAN RYAN: I think I can provide some insights that might really nail it down. I mean, she talked about different radionuclides being important

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

192 1 at different times. And she got some insights that were 2 qualitative rather than analytic, I think. MEMBER ARMIJO: Nothing wrong with being 3 4 smart. I have nothing against it. But it's expensive. 5 And in a commercial low-level waste site, does it really add much to require that on a --6 7 CHAIRMAN RYAN: The only difference is she 8 \_ \_ 9 MEMBER ARMIJO: -- something that doesn't 10 have the Treasury of the United States behind it. 11 In this case, you know, MEMBER STETKAR: I think the observation was nothing, in an engineering 12 sense, changed. 13 14 On the other hand, there could have been 15 an analysis of a different facility where perhaps, and 16 again in Harold's term, a prospective analysis rather 17 than a retrospective analysis where perhaps, you know, subtle changes in the difference of a design or 18 in the burial depth, you might learn 19 difference 20 something. And I think that's a little bit of what I 21 22 heard Sherri saying, what I hear the whole group saying. MEMBER ARMIJO: I think in the case of the 23 24 DOE, they handle such a variety of complex waste compared 25 to what I would expect in a civil or a commercial, but NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

1 I don't know. 2 CHAIRMAN RYAN: You might be surprised. 3 MEMBER ARMIJO: There might be more payoff 4 5 CHAIRMAN RYAN: I think the broad spectrum of users that use a commercial low-level waste site is 6 substantial, everything 7 fairly from veterinary 8 hospitals to you name it. I mean, there's all kinds 9 of different waste streams. 10 So it's probably not as comprehensive a set 11 of streams as the Savannah River site, of course. But 12 it's not one or two either. MEMBER ARMIJO: Yes. But, you know, the 13 14 thing that's, from a regulatory standpoint, if we were 15 requiring similar type of in depth analysis, very 16 analyses for low-level expensive waste sites, 17 commercial, I just wonder if that's the right way to spend our resources. 18 But, Sam, it's not just the 19 MEMBER RAY: What I'm suggesting is the 20 cost of the analysis. 21 analysis has to be agreed upon not only by us but all 22 the other parties to the decision. 23 And therefore, you know, you can say well, 24 we ought to do it maybe. It only costs this much, do 25 But then it becomes now, all right, what do the it. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

193

1 results mean? Does everybody agree with it? Is it 2 another basis for controversy? That's where I think DOE largely, I know 3 4 they have internal controversy, but in a forum that we 5 have to deal in, I'm more concerned about putting things like that on the table than I am the cost of getting 6 7 them on the table. Because how do you then get them resolved? You can't, is what it boils down to. That's 8 9 all. 10 MEMBER BALLINGER: Now I have a question. 11 Can I have a question? 12 CHAIRMAN RYAN: No, you can't. 13 (Laughter) 14 MEMBER STETKAR: You'll get over this in 15 awhile. 16 MEMBER BALLINGER: In your interaction 17 with the public, what spun the public up the most, the long-term analysis and they were worried about that or 18 the short-term? 19 MS. GELLES: Are you asking that of Sherri? 20 21 MEMBER BALLINGER: Yes. 22 MS. GELLES: Because she's got a very 23 specific experience. 24 MEMBER BALLINGER: Because you had a lot 25 of public interaction. So where did the public get **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

194

195 1 exercise? 2 MS. ROSS: The public is much more 3 concerned with the short term. And their concern is 4 it's going leak before I empty them and close them. 5 But they want me to get on with it. Right. Until you can, that 6 MS. GELLES: 7 prolonged analysis, you know, perturbs our ability to 8 progress and empty the tanks. And they get very 9 concerned. They're more concerned 10 MR. SEITZ: No. 11 with delay than with assessment. 12 MS. ROSS: They'd rather me not spend a lot of money on R and D on those out-year, you know, 30,000 13 14 year doses. They'd rather me spend the money emptying, 15 and cleaning and closing tanks. MEMBER BALLINGER: So they're smarter 16 17 than we are, is what you're saying. 18 MEMBER REMPE: It sounds like your public's 19 pretty good. 20 (Laughter) 21 MS. ROSS: They think that I'm trying to 22 be open and having, you know, a well rounded program. MEMBER RAY: If we all could only live in 23 24 South Carolina it would be, the world would be much 25 better. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

	196						
1							
2	CHAIRMAN RYAN: Okay, any other questions?						
3	(Off microphone discussion)						
4	CHAIRMAN RYAN: Anything else?						
5	MEMBER REMPE: No more, thank you though.						
6	CHAIRMAN RYAN: Okay. I guess I'll make						
7	one comment considering a ran a program for 20 years						
8	that did the same kind of stuff.						
9	Ground water is a very difficult thing to						
10	figure out. It takes lots of samples, lots of wells.						
11	What's a geologist's only desire, one more core please,						
12	just one more. Fifty feet right here, I'm good. I'll						
13	be done. And a week later on, two more.						
14	So it's a never ending process of discovery.						
15	But it's also a good one. Because you can get an awful						
16	lot of good information that can help you over time,						
17	and I mean over decades, of improving your processes						
18	and improving your facility so it does what you want						
19	it to do as opposed to what it is going to do if you						
20	don't pay attention.						
21	So that's just, I think you've got a very						
22	good program. And it sounds like you've got the right						
23	folks involved with it. So congratulations on that.						
24	That sounded great.						
25	MS. GELLES: Thank you. We're privileged						
	NEAL R. GROSS						
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.						
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com						

to have a lot of talent at the labs and at the sites. CHAIRMAN RYAN: Absolutely. So thank you. And with that, are there any other comments from our

MEMBER ARMIJO: I would just like to add my thanks to DOE in bringing a good, excellent, terrific package. I can use that a lot to address the issues that are a concern to me as a, you know, period of compliance and as well as the intruder assessment type, what it actually is. It's not nearly as bad as what I thought it might be. So you cleared a lot of things up for me. So I really very much appreciate your work.

13 CHAIRMAN RYAN: And the whole program, I 14 mean, the entire, you know, effort for 435, sorry, 435.1 15 and your presentations there were great. We got a lot 16 of insights that'll help us in formulating views for 17 the commission here.

So we really appreciate your time and the effort you put into making our presentations very high quality. And you've responded to every question. And I think you're batting 1,000.

MS. GELLES: That was our goal. We're very glad to be helpful. And thanks again for giving us so much of your time.

CHAIRMAN RYAN: Oh, absolutely. Thank

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

25

198 1 you. With that, we're adjourned. Oh, yes? I'm sorry? MR. WIDMAYER: You have to ask for public 2 3 comments. 4 CHAIRMAN RYAN: Are there any public 5 comments or speakers on the phone that would like to make a comment? Is the bridge line open? 6 7 (Off microphone discussion) 8 MR. WIDMAYER: It's the usual delay for 9 opening the bridge line. 10 CHAIRMAN RYAN: Okay. Well, nothing like 11 tradition. 12 (Off microphone discussion) CHAIRMAN RYAN: We are on the record now. 13 14 (Off microphone discussion) 15 Well as long as we're MEMBER ARMIJO: 16 waiting, I'll add a little anecdote about 1,000 years 17 being about the right number. 18 I was in Salamanca, Spain, and they have a nuclear fuel factory over there. And they told me 19 about this. Go visit the cathedrals. And I said, well, 20 which ones should we visit? I don't have a lot of time. 21 22 He said, well, they're right across the 23 street from one another. One is the old cathedral, 24 one's the new cathedral. I said, okay, which one should 25 I visit? Well, first you should start with the new NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

199 1 cathedral which was built in 1400. And then go see the old cathedral. That was built in 1100. 2 3 And I did. And they're both looking really 4 good. So I think Dick's right. At about a 1,000 years 5 things are sensible. Going beyond that it's just nonsense. So calculate all you want. 6 MEMBER RAY: Well, you can go to Egypt and 7 8 things get a little longer there. 9 MEMBER ARMIJO: Well, yes, Egypt. 10 MEMBER RAY: The Roman aqueducts are still 11 And they still feed the water -around. 12 MEMBER ARMIJO: The aqueducts. MEMBER RAY: -- and the Roman roads. 13 14 MEMBER ARMIJO: But we've got to be 15 realistic about where we spend our money. And in fact, 16 I think you're probably making the right decision. 17 MEMBER RAY: Well, it's the uncertainty that becomes more and more problematic with time, that's 18 19 the greater concern to me than, as I said already, than 20 it is the cost. I think the cost of the analysis is 21 something that's debatable. But the uncertainty is --22 MEMBER ARMIJO: It's not real, even after 23 you spent the money, you can argue --24 MEMBER RAY: What do you have? 25 CHAIRMAN RYAN: You want to say something, NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

200 1 Derek? 2 MR. WIDMAYER: I was going to open a can So you want to tell us about uranium 233 in 3 of worms. 4 Nevada? No? 5 MS. GELLES: On the record? (Crosstalk) 6 7 CHAIRMAN RYAN: We're on the record. 8 Opportunity for public MR. TOTES: 9 comment. 10 CHAIRMAN RYAN: Yes. 11 MS. CHALMERS: Yes, I'm on the line. 12 MALE PARTCIPANT: Oh, Hi, Bill. Are they not hearing us? 13 14 CHAIRMAN RYAN: We hear you. 15 MALE PARTICIPANT: No, they're not. 16 CHAIRMAN RYAN: We are. MALE PARTICIPANT: I'll call Roger 17 18 tonight. 19 CHAIRMAN RYAN: No, no, no, no. We can hear you well. 20 21 (Crosstalk) 22 CHAIRMAN RYAN: Hold on, one at a time. 23 The gentleman first. MR. TOTES: There're a couple of us. 24 Are 25 you asking for public comment now? **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com

	201						
1	CHAIRMAN RYAN: Yes, we are.						
2	2 MR. TOTES: Oh, very good. We weren't su						
3	3 what was going on. My name's John Totes with Neptur						
4	and Company. I just had a couple comments here.						
5	One is to the gentleman who had been doing						
6	low-level waste work in California. I didn't catch your						
7	name. But you had the comment that all this work with						
8	DOE is very interesting and wonderful. But it wouldn't						
9	translate well to the public sector.						
10	I think that your point was that it would						
11	be very expensive. And I would agree that it, having						
12	written performance assessments for both DOE and for						
13	private entities that are regulated by NRC, I would agree						
14	that it could be expensive.						
15	But the stakes are very high in both cases.						
16	And defensability is very important for all types of						
17	regulators. So I just wanted to add that comment.						
18	And one for Sherri Ross with the Savannah						
19	River DOE office. I was surprised to hear that						
20	stakeholders in Savannah River care very much more about						
21	the present than about the future.						
22	And I'm interested to know what that says						
23	about this whole conversation of how far into the future						
24	we are supposed to protect people. Apparently it's						
25	something that might vary from site to site. I'm						
	NEAL R. GROSS						
	1323 RHODE ISLAND AVE., N.W.						
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 www.nealrgross.com						

curious about any responses to those comments.

1

2

3

4

5

6

7

MR. WALLO: I think the answer to Sherri's, but the issue was people are more concerned about risk reduction than risk assessment. You know, if you have a choice whether you want to reduce risk or assess risk, the choice is let's reduce it first and worry about assessing it later.

And so that's the point. Again, it's the issue of how much to spend on modeling versus getting the job done.

11 MR. TOTES: Okay. I can appreciate that. 12 It seems that if one, there's a possibility or a danger 13 there that one might be short sighted and reduce current 14 risk while increasing future risk.

MR. WALLO: Again, that's part of the issue we're trying to raise, is that you don't want to develop requirements or regulations that force you not to reduce risk while you're analyzing time periods that are of guestionable value.

Clearly, you want to do a complete enough analysis to make a good decision. And that's the issue. That's where you have to ground the issue, is where can you make a good decision.

CHAIRMAN RYAN: We had one other speaker or one other call that wanted to ask a question.

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701 202

Í	203						
1	MR. LEWIS: Go ahead and ask your question.						
2	CHAIRMAN RYAN: I'm sorry.						
3	MR. LEWIS: There's a speaker on by the name						
4	of Ruth. I was telling her to go ahead of me. My name's						
5	Marvin Lewis. I have a question.						
6	CHAIRMAN RYAN: Okay. Ruth? Do you want						
7	Ruth to go first? Where's Ruth?						
8	MR. LEWIS: If she's still on.						
9	MS. CHALMERS: Right here. I've been here						
10	all along.						
11	CHAIRMAN RYAN: Well, great. What's your						
12	question, Ruth?						
13	MS. CHALMERS: Well, I heard a lot of						
14	talking. And there's so much that was said that is in						
15	conflict with known evidence that I couldn't begin to						
16	cover it all, even if you gave me two hours.						
17	But what I am the most concerned about is						
18	the statements that were made about the public, the						
19	members of the public and concerned people.						
20	I realize that they were generalizations						
21	and they didn't specifically address them to me, who's						
22	been studying this for 45 years. But I just felt, well,						
23	some of it had to do with the laughter. I mean, like						
24	it was a game and that you could find the answer. You						
25	could find the answer to nuclear radiation, man-made						
	NEAL R. GROSS						
	COURT REPORTERS AND TRANSCRIBERS						
	(202) 234-4433 WASHINGTON, D.C. 2005-3701 www.nealrgross.com						

204 1 nuclear radiation, that somehow or other there was a 2 way to accept this and to find it was acceptable to expose people to that. 3 4 And I feel a terrible sadness to think that 5 people who I'm sure feel that they are doing the right thing. And yet what is the outcome of this? What has 6 7 been the outcome? What will continue to be the outcome? 8 What is this going to do to our children and our 9 grandchildren? 10 Because the basic thing comes back to 11 there's no safe exposure to radiation, man-made kind of radiation. 12 radiation, any Ι just am overwhelmed. 13 14 CHAIRMAN RYAN: Well, we appreciate you 15 taking the time to call and let us know your thoughts. 16 Thank you. 17 MR. LEWIS: This is Marvin Lewis. 18 CHAIRMAN RYAN: Yes, Marvin. All right. Well, here is my 19 MR. LEWIS: point. You want it cut off at 1,000 or 10,000. And 20 21 my point is this. 22 Recently discovered is the science of 23 epigenetics, E-P-I genetics. And EPI genetics skips 24 generations. It may skip even more. 25 The problem there is will the load radiation NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

205 be cumulative over generations until we wind up the entire human race up against the wall until our evolution stops. Now that is backed up. It's already happened in reverse in the pre-Cambrian explosion of light where suddenly over the millennia. But then soon after that four more filers, soon after that a few

1

2

3

4

5

6

7

8

9

(202) 234-4433

light where suddenly over the millennia. But then soon after that four more filers, soon after that a few hundred million years, you have human beings walking around on another error. But --

MS. CHALMERS: Well, this is Ruth Chalmers again.

12 CHAIRMAN RYAN: Ruth, excuse me, Ruth, I'm 13 sorry. You're interrupting the other speaker. He's 14 giving his comments now.

MR. LEWIS: I'm sorry, Ruth. There is a history in the geology, in the anthropology and whatever. Now we have a science called epigenetics. I'll show you danger is allowing increased amounts of radiation into our biosphere over the ages. And we have in NRC litigation of this up by the various NGOs, and have --

CHAIRMAN RYAN: Thank you for your comment. MR. LEWIS: -- administrative law judges of the NRC. But what I'm saying is what we should be looking at is epigenetics and asking the question as

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

206 1 we add radiation eventually cause more, the end of the human race. Thank you. 2 3 CHAIRMAN RYAN: Well, thank you very much. 4 We appreciate the comments. And are there any 5 additional speakers who would like to make a comment? MS. CHALMERS: Well, it's Ruth. I was --6 7 CHAIRMAN RYAN: Ruth, Ruth, I'm sorry, 8 Ruth. We're going to ask for other speakers first. 9 You had a turn. So I want to make sure there's --10 MS. CHALMERS: Oh, okay. 11 CHAIRMAN RYAN: -- there's nobody else who 12 wants to speak. Is there anybody else that would like 13 to speak? 14 Ruth, we're 20 minutes over our allotted 15 time here in the room. So we're going to take one short 16 comment from you and then we'll close the line. 17 MS. CHALMERS: All right. I wanted people to be aware that there is a proposal to transport weapons 18 grade uranium, enriched uranium, highly enriched 19 20 uranium, on our highways. 21 And it's in a liquid form. And it's never 22 been transported before. And it's going to go to the 23 Savannah River plant. And the woman that gave the talk 24 on the Savannah River plant didn't mention the fact that 25 that's where it's headed. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

And what's interesting too is it's being kept secret. And even though it's on the newspapers, in the newspapers in Canada, it's not in the newspapers in this country. I think there've been maybe two articles.

1

2

3

4

5

6

7

8

9

10

11

23

CHAIRMAN RYAN: Well, again. We thank you for your comment. And with that, we're going to have to close the bridge line, because we are well over our allotted meeting time. So we appreciate you being with us. And thank you for your comments.

MS. CHALMERS: Thank you, bye.

12 CHAIRMAN RYAN: All right. Bye now. Why 13 don't we close the bridge line please. Okay, with that, 14 any other business or are we good?

15 I want to thank everybody. You really gave 16 very thorough presentations and information to us. 17 It's been very helpful to have your colleagues at a 18 distance and yourselves here. And we really appreciate the time and effort you put in to have this great 19 20 conversation with us. So thank you all very much. We 21 appreciate it. 22 MS. GELLES: Thank you very much.

(Multiple thank yous)

24 CHAIRMAN RYAN: All right. With that, 25 we're adjourned.

#### NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

```
www.nealrgross.com
```

										208
1		(1	Nereupo	n,	the	me	eti	ng	in	the
2	above-	-entitled	l matter	was	conclu	uded	at	5 <b>:</b> 20	p.m.)	
3										
4										
5										
6										
7										
, 0										
0										
9										
			l	NEALI	R. GROSS	5				
			COURT REF 1323 F	PORTER	S AND TRAN SLAND AVE.	NSCRIB ., N.W.	ERS			
	(202) 234-4	1433	WASH	INGTON	l, D.C. 2000	5-3701		w	ww.nealrgro	ss.com



# DOE Regulatory Approach for Near-Surface Disposal of Radioactive Waste

Christine Gelles, DOE Office of Environmental Management Roger Seitz, Savannah River National Laboratory Andrew Wallo III, DOE Office of Health, Safety and Security



November 19, 2013



OPERATED BY SAVANNAH RIVER NUCLEAR SOLUTIONS

safety \* performance \* cleanup \* closure



### **Christine Gelles**

Associate Deputy Assistant Secretary Waste Management DOE Office of Environmental Management

- Provide an overview of DOE's integrated protection systems approach to near-surface disposal
- Highlight the use of defense-in-depth and role of performance assessment (PA) as one of many inputs for risk informed decision-making
- Describe the emphasis on consistency with promulgated requirements
- Summarize considerations for a few key topics:
  - Use of 1,000 year time frame for quantitative compliance followed by a transition to a more risk-informed interpretation recognizing increasing speculation and uncertainties for later times
  - Inadvertent intruders considered in the context of optimization, not a performance objective
  - Radon considered separately from the all pathways objective



### Agenda

Introduction and	Christine Gelles
Background	DOE Office of Environmental Management
Regulatory	Roger Seitz
Approach	Savannah River National Laboratory
History and	Andrew Wallo III
Implementation	DOE Office of Health, Safety and Security
Site-Specific Implementation	Robert Boehlecke DOE Nevada Field Office Sherri Ross DOE Savannah River Operations Office

### DOE System of Regulations for Near-Surface Disposal

- Integrated approach to safety using defense-in-depth principles (similar to Safety Case)
- Performance Assessments (PAs) are one part of the integrated approach
- Consistency with other regulations for near-surface disposal and consideration of international recommendations
- Risk-Informed, Performance-Based for more than 25 yr



## IAEA Safety Case Concept

- PAs provide reasonable expectation that DOE disposal facilities will not exceed quantitative performance objectives and support decision-making for design, operations and closure
- A two-tiered approach to time frames is used with no specific cutoff
  - 1,000 years calculated doses are compared to quantitative dose constraints for compliance
  - Longer-term calculations consider peak impacts to support riskinformed decision-making in the context of increasing uncertainties

### **Defense-in-Depth**

- Integrated, total systems approach to safety
  - Site characteristics which provide geologic and hydrologic barriers
  - Facility design Engineered barriers
  - Administrative & technical controls
- Conservative bias in objectives and assumptions for PA calculations
- Site-specific waste acceptance criteria and rigorous waste generator certification
- Federal ownership and necessary buffer zones until site can be released
- Commitment to continuous improvement with PA maintenance, including monitoring
- Permanent maintenance of records

Site Characteristics

Facility Siting, Design and Construction

Engineered Barriers

### Site Performance

- •PA/CA
- Independent Reviews
- DAS

### WAC

Waste Characterization

Generator Certification

### Annual Operational Reviews

- Federal Ownership
- Institutional Controls
- Site Monitoring and Maintenance
- Record Management


**Regulatory Approach** 

#### **Roger Seitz**

Sr. Advisory Scientist Environmental Management Directorate Savannah River National Laboratory



DOE has successfully implemented an integrated protection system for near surface disposal for more than 25 years:

- DOE Radioactive Waste Management Basis (RWMB) is similar to the IAEA Safety Case approach PA is one of many contributors to risk-informed decision-making
- Defense-in-depth and total systems perspective
- Maintaining consistency with other promulgated Federal requirements for near-surface disposal
- Considering recommendations from International organizations

## **Defense-in-Depth**

- Approach goes to extraordinary lengths to consider potential consequences in the far future (100s of years or more)
- PAs are one part of a robust defense-indepth approach for safety

OFFICE OF

ENVIRONMENTAL MANAGEMENT

 Multiple levels of safety factors (e.g., dose constraints, conservative bias, inadvertent intrusion) Site Characteristics

Facility Siting, Design and Construction

Engineered Barriers

Site Performance

- PA/CA
- Independent Reviews
  DAS

WAC

- Waste Characterization
- Generator Certification

Annual Operational Reviews

- Federal Ownership
- Institutional Controls
- Site Monitoring and Maintenance
- Record Management

#### OFFICE OF ENVIRONMENTAL MANAGEMENT

## **IAEA Safety Case**

- Captures the integrated approach to safety
- Effective means to take credit for supporting activities used to build confidence
- Highlights links among modeling, design and waste acceptance criteria
- Addresses management of uncertainties throughout process (e.g., testing, R&D, monitoring – "Maintenance")
- DOE RWMB is consistent with this approach



#### OFFICE OF ENVIRONMENTAL MANAGEMENT

## **DOE Performance Assessment**

Site and facility-specific PAs have been formally required since 1988:

- Risk-informed, performance-based
- Emphasis on reasonable expectation of meeting objectives
- Graded and iterative process
- Implementation has been continuously refined



Initial concept for graded and iterative approach (DOE LLW PA Guidance - Case and Otis, 1988)



- 1,000 year time of compliance based on multiple factors:
  - Consistency with approaches used in DOE Order 458.1 and in existing promulgated NRC and EPA rules addressing near-surface disposal (e.g., 10 CFR Part 20.2002, 10 CFR Part 40 (40 CFR 192), RCRA Subtitle C),
  - Role of PA as only one contributor to the overall safety basis,
  - Decreasing relevance/usefulness of increasingly speculative/uncertain information in the far future when used for decision-making
  - Considerations related to intergenerational equity, and
  - Recommendations from the ICRP, IAEA
- Not a cutoff to calculations must address potential peaks
  - 1,000 years marks a transition from quantitative compliance with performance objectives to use of results in a more risk-informing role for decision-making

- ICRP position regarding the use of dose and risk as measures of health detriment (several hundreds of years)
- IAEA position on calculations for extended times for surface and near-surface disposal
- Consideration of deterministic and probabilistic (risk) views of consequences at longer times of compliance (e.g., event probabilities)

## **International Perspectives (ICRP)**

- ICRP Publication 81 (addresses near-surface and geologic disposal)
  - "Doses and risks, as measures of health detriment, cannot be forecast with any certainty for periods beyond around several hundreds of years into the future"
  - "To evaluate the performance of waste disposal systems over long time scales, one approach is the consideration of quantitative estimates of dose or risk on the order of 1000 to 10,000 years."



OFFICE OF



## IAEA Safety Guide SSG-23

- "For above surface disposal facilities (e.g. for waste from mining), the uncertainties in modelling results will already be substantial when considering periods of several hundred years, and quantitative estimates may become meaningless already beyond a period of a thousand years. For engineered near surface disposal facilities, which are subject to processes that may affect their integrity (e.g. erosion, human intrusion) to a lesser degree or with a smaller probability, modelling periods of a few thousand years may still be reasonable."



The Safety Case and Safety Assessment for the Disposal of Radioactive Waste

Specific Safety Guide No. SSG-23

IAEA

Note: IAEA's Safety Standards are not legally binding on Member States but may be adopted by them, at their discretion, for use in national regulations in respect of their own activities.

## International Perspectives – United Kingdom

- Difficult to directly compare "compliance" times from other countries because of differing assumptions
- Low-Level Waste Repository in the United Kingdom
  - Constraint applies through closure, risk guidance level applied later
  - Probabilities can be applied for exposure scenarios for prospective calculations
  - Generally up to thousands of years considered Reference case considered erosion of facility at 1000 years and 10,000 yr considered for a delayed erosion case





# **PA** Considerations

An iterative process involving site-specific, prospective modeling evaluations with two primary objectives:

- to demonstrate whether reasonable expectation of compliance with quantitative performance objectives can be demonstrated; and,
- to identify critical data, facility design, and model development needs for defensible, cost-effective, and risk-informed decisions and to develop and maintain operating limits (e.g., waste acceptance criteria).

(after NCRP 2005, *Performance Assessment of Near-Surface Facilities for Disposal of Radioactive Waste)* 

Compliance decisions are made in the context of multiple layers of safety factors, for example:

- 0.25 mSv/yr (25 mrem/yr) is 25 times less than the average annual dose received in the United States (6.3 mSv/yr, NCRP) and a factor of 4 less than the dose limit of 1 mSv/yr
- Assumed that all memory of the facility will be lost (DOE commitments, land use agreements, etc. will be ineffective at some time)
- Future residents will not test well water or be able to recognize that contamination is present underground
- General intent for conservative bias in PA approach (e.g., "highly exposed individuals", barriers or processes are not credited in calculations in lieu of defending their performance)

#### OFFICE OF ENVIRONMENTAL MANAGEMENT

## **Exposure Scenarios in Context**

Stylized constructs representing more highly exposed individuals (probability of 1) used as a basis for compliance

- Resident drills a well for water use at location and time of peak
- Resident farmer habits (e.g., beef/milk cows, garden for consumption)
- Other scenarios specific to a site
- Intruder digs basement and drills well, immediately following loss of institutional controls





**Conceptual Model Focus** - Start with initial description of the system and its evolution and refine as needed in areas critical to the decision

<u>Systems Approach</u> - Consider behavior of individual features in the context of overall system performance rather than independently (refinement of details is made within context of importance for system performance)

#### Safety Function Perspective -

OFFICE OF

ENVIRONI

Understanding of roles and functions of "barriers" within total system and addressing potential failure mechanisms for key barriers (FEPs lists can provide insights)



# Approach for development of scenarios (NEA)



Practical implementation has emphasized "top-down, bottom-up" rather than a FEPs based development approach.

"In all programmes, the starting point for the identification of safety-relevant phenomena and uncertainties is the development of a detailed description of the initial state of the system and its subsequent evolution. This description provides the basis for a main scenario, also termed normal evolution, base or reference scenario."

"FEP lists or FEP databases ... have evolved (at least in more advanced programmes) to become mainly a tool for checking completeness in a system (and scenario) description that has been derived earlier or using other methods. "

## Managing Uncertainties – PA Maintenance

- Recognize that waste disposal decisions must be made under uncertainty
  - Increasing use of probabilistic modeling to quantify sensitivity and uncertainty
- Initially focused on addressing changes to waste, waste form, etc. and new information
- Approach evolved to a broader confidence building context:
  - Demonstrations & field studies
  - Monitoring
  - Unreviewed Disposal Question Evaluations (e.g., design, container, waste form or inventory changes)



## **ENVIRONMENTAL** Sharing of Information - Community of Practice

- DOE-EM sponsored organization to share assessment experience
- <u>Mission</u>
  - Reduce regulatory and technical risks related to PA implementation
  - Foster continuous improvement in the quality, credibility, consistency, and efficiency of DOE's PA and risk-based decision-making
  - Maintain enduring performance and risk assessment capability and knowledge base
  - Sponsored technical exchanges, workshops and technical support



#### Andrew Wallo III

DOE Office of Health, Safety and Security Deputy Director, Office of Environmental Protection, Sustainability Support and Corporate Safety Analysis Establish by rule, regulation, or order, such standards and instructions to govern the possession and use of special nuclear material, source material, and byproduct material as the Commission\* may deem necessary or desirable to promote the common defense and security or to protect health or to minimize danger to life or property.

\* In this context "Commission" refers to the Atomic Energy Commission.

## DOE's Regulation of Radioactive Materials and Waste Disposal

- Self-regulation does not mean everyone gets to do whatever they want
- Responsibilities and authorities under the Atomic Energy Act implemented through Directives and Orders
- Requirement to protect members of the public from all sources of radiation, not to exceed 100 mrem/yr
- Seek consistency with existing promulgated Federal requirements
- Strive for internal consistency in Regulations and Directives (DOE O 458.1 and 10 CFR Part 835 establish protection requirements and DOE O 435.1 implements the requirements for waste management)

OFFICE OF



Purpose: To establish requirements to protect the public and the environment against undue risk from radiation associated with radiological activities conducted under the control of the DOE pursuant to the Atomic Energy Act of 1954, as amended.

Establishes Public Dose Limit from all sources and pathways: 100 mrem/yr total effective dose, excepting dose from (25 mrem/yr dose constraint for DOE activities):

- Radon and decay products in air
- Medical exposures
- Background radiation
- Occupational exposure

Also, must meet applicable ALARA process requirements.



- Radon is controlled separately from the all pathways objective consistent with 40 CFR Part 61 and other requirements.
- Describes the approach for demonstrating compliance with the dose limit (representative person or MEI, use of DOE approved dose coefficients and a 25 mrem in a year dose constraint).
- Includes specific requirement that DOE property cannot be released from DOE control until the approved authorized limits are met (applies to waste disposal facilities).

- DOE Order 5820.2A, Radioactive Waste Management, issued September 1988 (PA formally introduced)
- After a few years of implementation, the DNFSB provided Recommendation 94-2 that identified areas for improvement
- DNFSB 94-2 recommended DOE to conduct a complex-wide review
- The Complex-Wide Review identified 6 complexwide vulnerabilities which echoed DNFSB findings (May 1996) and these were used as input to revision of the directive (DOE Order 435.1 development)

OFFICE OF

# Development of DOE Order 435.1 (Current)



- Began process in September 1996
- Four teams of Headquarters and Field staff
  - High Level Waste
  - Transuranic Waste
  - Low Level Waste/Mixed Low Level Waste
  - General Requirements
- Structured process of workshops and steps to incorporate input from the DOE Complex
- Package included Order, Manual, Guidance, Technical Basis, and training program



Objective: Ensure that all DOE radioactive waste is managed in a manner that is protective of worker and public health and safety, and the environment. DOE Manual 435.1-1 includes the specific requirements.

- Effective implementation date July 2000
- Established DOE HQ/Site responsibilities including establishment of a Low-Level Waste Disposal Facility Federal Review Group (LFRG) to provide independent assessments of PAs and their maintenance complex wide
- Established Performance Objective and Requirements
  governing disposal actions
- Required Composite Analysis to assess cumulative impacts of the disposal system and other DOE activities (planning tool)

OFFICE OF

#### OFFICE OF ENVIRONMENTAL MANAGEMENT

## Low-Level Waste Disposal Facility Federal Review Group

LFRG comprises representatives from each site office with a disposal site and specific HQ organizations

Roles and Responsibilities

- Develop and conduct formal review processes
- Review compliance documentation submitted by sites in support of disposal authorization statements
- Track and report preparation of compliance documentation
- Provide LFRG recommendations to senior managers
- Prepare disposal authorization statements for disposal facilities
- Monitor maintenance activities
- Conduct other reviews and assessments as directed by senior management (e.g., waste determinations and transuranic waste disposal performance assessments)

Low-level waste disposal facilities shall be sited, designed, operated, maintained, and closed so that a reasonable expectation exists that the following performance objectives:

#### All Pathways

OFFICE OF

 Dose to representative members of the public shall not exceed 25 mrem (0.25 mSv) in a year total effective dose equivalent from all exposure pathways, excluding the dose from radon and its progeny in air.

Note: Separate treatment of radon is consistent with 40 CFR Part 190.10, 40 CFR Part 61 (subpart H), 40 CFR Part 61.192 (subpart Q), and 10 CFR Part 40 (Appendix A, criterion 6))

#### Air

 Dose to representative members of the public via the air pathway shall not exceed 10 mrem (0.10 mSv) in a year total effective dose equivalent, excluding the dose from radon and its progeny. (Consistent with NESHAPS dose limits)

#### Radon in Air

Release of radon shall be less than an average flux of 20 pCi/m<sup>2</sup>/s (0.74 Bq/m<sup>2</sup>/s) at the surface of the disposal facility. Alternatively, a limit of 0.5 pCi/l (0.0185 Bq/l) of air may be applied at the boundary of the facility. (Consistent other promulgated rules, see previous slide)

ALARA – maintain releases as low as reasonably achievable

#### OFFICE OF ENVIRONMENTAL MANAGEMENT

Performance Assessment will:

- Assess for compliance with dose limit for 1000 year period after closure and to risk inform decisions and evaluate model performance for periods >1000 years
- Average living habits for members of the critical group (more highly exposed individuals)
- Point of compliance is 100 meters from disposal facility boundary unless other point is justified
- Evaluate reasonably foreseeable natural processes that may disrupt disposal system
- Evaluate sensitivity and uncertainty
- Apply ALARA process to determine if releases are as low as reasonably achievable



# **Time of Compliance**

## **History of Time of Compliance**

### Support Decision making process:

Internal Consistency

OFFICE OF

- Property control and release requirements
- 435.1 working groups
- External Consistency
  - EPA, NRC requirements
  - OMB risk assessment recommendations (E.O.12866, Circular A-94 and A-4, and memo M-12-06)
  - NAS recommendations (NAS, 1990; NAS 1995)

#### Not a science but science policy & public administration

**issue** (resource allocation and intergenerational equity and support good decisions):

• Contracted National Academy of Public Administration to review intergenerational issues



- NAS 1990: "[A] scientifically sound objective of geological modeling is learning over time, how to achieve the long-term isolation of radioactive waste. That is a profoundly different objective from predicting the detailed structure and behavior of a site...it is the latter use to which models have been put. The Board believes that this is scientifically unsound." NAS 1995:

- "[W]e believe that there is no scientific basis for limiting the time period of the individual-risk standard to 10,000 years or any other value."

- "[W]e note that although the selection of a time period of applicability has scientific elements, it also has policy aspects that we have not addressed." "Another ... issue is intergenerational equity."

- Recommended peak dose or a million years



# Deciding for the Future: Balancing Risks, Costs, and Benefits Fairly Across Generations, June 1997

- Exhaustive literature survey
- Stakeholder workshop
- Expert panel

- **Trustee Principle** Every generation has obligations as trustee to protect the interests of future generations.
- **Sustainability Principle** No generation should deprive future generations of the opportunity for a quality of life comparable to its own.
- Chain of Obligation Principle Each generation's primary obligation is to provide for the needs of the living and succeeding generations. Near-term concrete hazards have priority over long-term hypothetical hazards. (rolling present)
- **Precautionary Principle** Actions that pose a realistic threat of <u>irreversible harm or catastrophic consequences</u> should not be pursued unless there is some compelling countervailing need to benefit either current or future generations.

OFFICE OF


- Near term considered to be 2 or 4 generations. Distant future – 500 or 1,000 years.
- "Future impacts should be weighted differently from impacts on the present generation."
- "[I]t is inappropriate to use traditional economic discounting formulas over long time periods ..."
- "Consideration of the needs of the future does not entitle anyone to impose an injustice on the present generation. In general, the literature related to intergenerational equity clearly opposes making trade-offs favoring the future that fail to meet crucial obligations to present generations, or that impose an injustice on the present."

- Time of compliance is not simply a matter of science but a public administration issue that needs to be selected to support good decisions
- It is question of intergenerational equity and resource allocation
- The goal should be to expend current resources to maximize benefit to current and future generations
- Limitations and Considerations
- Dose limits based on current assessment of risk and needs
- Activities that generate waste are beneficial to both the current and future generations
- Future state of society and technology will change significantly over the next 100, let alone thousands of years
- Uncertainty in calculations is very large beyond a few hundred years



## **Times Change**

Time Period	Event/Activity
Approx 10,000 years ago	Glacial period ending. Hunting Mammoths
1960	Internal Combustion Engine
1862	Internal Compustion Engine
1903	Wright brothers
1969	Man on moon
	Top 3 Causes of Death
1900	Pneumonia, Tuberculosis, Diarrhea
	(Cancer # 8)
2001	Heart disease, Cancer, Cerebrovascular
	(Pneumonia #9, TB .02% of all, Diarrhea not
	listed)

### **Costs of Excessive Time of Compliance**

- Not just added PA computer run time
- Additional site characterization and research to defend increasingly speculative assumptions for longer times
- Schedule delays
- Extended licensing hearings
- Litigation
- Cancelation of projects
- Cost of elaborate barriers

Invest in risk assessment or risk reduction ?

### Water Resources

OFFICE OI

 For purposes of establishing limits on radionuclides that may be disposed of near-surface, the performance assessment shall include an assessment of impacts to water resources.

### Inadvertent Intruders

 For purposes of establishing limits on the concentration of radionuclides that may be disposed of near-surface, the performance assessment shall include an assessment of impacts calculated for a hypothetical person assumed to inadvertently intrude for a temporary period into the lowlevel waste disposal facility (discussed in more detail later).



# Documentation Required for a LLW Disposal Facility

#### An Integrated & Iterative Regulatory Framework





Annual summaries routinely document activities that are relevant for the disposal facility, for example:

- Disposal volumes and inventories relative to projections
- Status of PA/CA maintenance activities
- UDQEs and any unforeseen circumstances
- Summary of demonstrations and field/laboratory studies
- Monitoring results with comparisons to model results
- General conclusions about the continued adequacy of the assumptions for the PA and CA



# Update to DOE Order 435.1

- Complex-Wide Review initiated late 2008
  - More than 10 years since first Complex-Wide Review (1996)
  - 10 years experience implementing DOE Order 435.1
  - First step to evaluate needs for DOE Order 435.1 update
- Final Complex-Wide Review Report was published
- DOE Order 435.1 Update is nearly complete in draft form
  - Order, Technical Standard and Guide are being prepared
  - Will include a public review and comment period

## Updates

- Technical Standard being developed to replace format and content guides and other informal guidance, for example
  - Disposal Authorizations,
  - Contents for PA report, CA report, monitoring report, closure plan,
  - LFRG review process,
  - Unreviewed disposal question process.
- Specific requirements to provide the ability to use probabilistic results to compare with objectives
- Specific provisions to address Waste Incidental to Reprocessing and Tank Closure



# **Inadvertent Intrusion**

### **Inadvertent Intrusion**

#### OFFICE OF ENVIRONMENTAL MANAGEMENT

# IAEA, ICRP and OECD/NEA

- Consider inadvertent intruder, not advertent intruder
- Striving to reduce potential for and/or consequences of intrusion
- Intrusion considered in the context of intervention and optimization, not as a dose constraint or objective
- Limited stylized scenarios, current habits
- Optimize waste acceptance, design, etc.



## **Inadvertent Intrusion (DOE)**

 Assess the potential consequences in the case of a temporary loss of institutional controls (hypothetical)

OFFICE OF

- Typically assumed to occur immediately following loss of institutional controls (e.g., complete loss of memory of site, land use/deed restrictions not effective)
- Active institutional control assumed to only last for 100 years, in spite of DOE requirements to maintain controls
- Stylized scenarios similar to basis for Part 61 typically used





- Results are addressed in the context of establishing waste acceptance criteria and improving facility design, but not considered a performance objective - consistent with
  - EPA feedback on 10 CFR Part 61 rulemaking that intrusion should not be a performance objective
  - International recommendations that intrusion is considered from the perspective of optimization rather than as a performance objective

Two criteria are considered

- Acute (e.g., basement excavation, well drilling) exposures are compared with 500 mrem consistent with basis for Part 61
- Chronic (e.g., residential) exposures are compared with 100 mrem/yr which is more restrictive than basis for Part 61, but does not include doses from groundwater use

## Regulatory Time Frames for Near-Surface Disposal



**OFFICE OF** 

- DOE has more than 25 years implementing an integrated protection systems approach to near-surface disposal
- Defense-in-depth approach is applied with a number of safety factors inherently built into the process
- PAs are viewed as one of many inputs to the RWMB and for risk informed decision-making
- Regulatory approach is to seek consistency with existing promulgated requirements
- There is no specific cutoff applied to PA calculations 1,000 years deemed appropriate for quantitative compliance followed by a transition to a more risk-informed interpretation recognizing increasing uncertainties
- Inadvertent intruders considered in the context of optimization, not a performance objective
- Radon considered separately from the all pathways objective



# **Backup Slides**

### Radon

#### 10 CFR Part 40, Appendix A, Criterion 6 (Tailings)

"A calculation of the potential peak annual TEDE within 1000 years to the average member of the critical group that would result from applying the radium standard (not including radon) on the site must be submitted for approval." (Note: compliance with Radon flux standards are a design requirement assessed at time of emplacement of final cover)

#### 40 CFR 61, Subpart H (NESHAPS)

Definitions (Effective Dose Equivalent) - "For the purposes of this subpart, doses caused by radon-222 and its respective decay products for after the radon is released from the facility are not included."

#### 40 CFR 190.10 (a) - Environmental Standards for the Uranium Fuel Cycle

" The annual dose equivalent does not exceed 25 millirems to the whole body, 75 millirems to the thyroid, and 25 millirems to any other organ of any member of the public as the result of exposures to planned discharges of radioactive materials, radon and its daughters excepted, to the general environment from uranium fuel cycle operations and to radiation from these operations."

#### 10 CFR Part 20.1101(d)

"... a constraint on air emissions of radioactive material to the environment, excluding Radon-222 and its daughters, shall be established..., such that the individual member of the public likely to receive the highest dose will not be expected to receive a total effective dose equivalent in excess of 10 mrem (0.1 mSv) per year from these emissions."



## 1,000 years

#### 10 CFR Part 40, Appendix A, Criterion 6 (Tailings)

"A calculation of the potential peak annual TEDE within 1000 years to the average member of the critical group that would result from applying the radium standard (not including radon) on the site must be submitted for approval." (Note: compliance with Radon flux standards are a design requirement assessed at time of emplacement of final cover)

#### 10 CFR Part 20.1401(d)

"When calculating TEDE to the average member of the critical group the licensee shall determine the peak annual TEDE dose expected within the first 1000 years after decommissioning."



# DOE Order 435.1 Implementation at the Savannah River Site

Sherri Ross U.S. Department of Energy Savannah River Field Office November 19, 2013

### **Key Points**

- Both natural and engineered barriers are considered to demonstrate compliance
- All disposal and closure facilities comply with performance objectives
- Performance Assessment (PA) Maintenance program supports continuous improvement and continued compliance
- Strong external stakeholder involvement (e.g., state, EPA, NRC, public)



### **Overview of Savannah River Site**



- 310 square miles of federally owned and controlled land
- Communities are ~6 miles from closure and disposal facilities in center of site
- Site waterways flow to the Savannah River which forms western boundary of the site



- Liquid waste facilities are either disposal facilities (i.e., Saltstone) or closure facilities (i.e., F and H Tank Farms)
- All facilities have Performance Assessments
  - Saltstone (1992, 2009)
  - F Tank Farm (2008, 2010)
  - H Tank Farm (2011, 2012)
- SRS has a Composite Analysis that covers all radioactive residues at the site (2010)



- Annual Performance Assessment Maintenance Plan and Disposal Facility Summary report
- Saltstone Disposal Facility includes Disposal Authorization Document, Waste Acceptance Criteria, Radioactive Waste Management Basis, Closure Plan, Monitoring Plan
- Tank farms utilize Tier 1 and 2 Closure Plans
- Continuously ensure conditions remain as evaluated in documents



- Closure facilities range from within the groundwater to <20 feet above water table</li>
- Disposal facilities are <50 feet above water table</li>





- Humid environment with ~49 inches average annual rainfall, ~16 inches/year average infiltration
- Multiple potential exposure pathways from residual material over time
- Natural soil characteristics (e.g., clay content) a barrier to movement of certain contaminants
- Low seismic and volcanic activity

- Disposal and closure facilities incorporate multiple engineered barriers as part of the total system performance
  - Closure cap
  - Disposal cells / tank structures
  - Engineered waste form or tank fill material





- Evaluate compliance doses at 100 meters although plans as negotiated with stakeholders assume government control of entire site in perpetuity
- No credit for passive controls after 100 year active institutional control period
- Use peak aquifer concentration although wells not typically drilled to shallow aquifers
- Assumed intruder resides directly on facility
- Assume all similar engineered barriers fail at the same time



- Modeling includes anticipated conditions and robust sensitivity and uncertainty analyses
- Detailed characterization of residual material during disposal or closure operations
- Disposal facility Waste Acceptance Criteria used to evaluate proposed disposal streams
- Closure facility final residual material characterization against anticipated inventories in modeling

### **DOE Order 435.1 Compliance**



### **DOE Order 435.1 Risk-Informed Information**





- Operating facilities have rigorous Unreviewed Waste Management Question (UWMQ) process to evaluate new information or proposed activities against expected conditions
- Can result in no action, UWMQ Evaluation or Special Analysis depending on nature/complexity of new information

### **Special Analysis Example**



- FTF PA, Rev. 1, All-Pathways Dose (Base Case)<sup>a</sup>
- - Tank 18 and Tank 19 SA, All-Pathways Dose (Base Case)<sup>b</sup>
- —— Tank 5 and Tank 6 SA, All-Pathway Dose (Base Case)<sup>c</sup>
- —— Tank 5 and Tank 6 SA, All-Pathway Dose (Composite Sensitivity Study)<sup>d</sup>

**OFFICE OF** 

### **Special Analysis Example**



FTF PA, Rev. 1, All-Pathways Dose (Base Case) <sup>a</sup>

- - Tank 18 and Tank 19 SA, All-Pathways Dose (Base Case) <sup>a</sup>
- ----- Tank 5 and Tank 6 SA, All-Pathway Dose (Base Case) <sup>b</sup>
- —— Tank 5 and Tank 6 SA, All-Pathway Dose (Composite Sensitivity Study)<sup>c</sup>



 Ongoing science work informed by the risk significance of PA/SA sensitivity and uncertainty analyses









- PA Maintenance Program plan evaluated and updated on an annual basis
- Annual summaries conducted on disposal facility to document operations and science work in relation to establish bases
- Annual monitoring includes facility and environmental media conditions


- Special Analyses performed as key science work obtained or new information available for a closure facility (e.g., final tank inventory determined)
- Performance Assessments revised on a periodic basis with timing driven by magnitude and significance of changes to modeled system



# DOE Order 435.1 Implementation at the Nevada National Security Site

Robert Boehlecke U.S. Department of Energy, Nevada Field Office November 19, 2013

#### OFFICE OF ENVIRONMENTAL MANAGEMENT

### **Key Points**

- Natural and engineered barriers are considered
- Disposal Facility complies with performance objectives
- Performance Assessment (PA) used daily for waste profile review
- PA Maintenance program allows for continuous improvement
  - Strong external stakeholder involvement (e.g., state, advisory board)

•



Arid

Natural barriers

Facility Siting, Design and Construction

• Engineered Barriers

#### Site Performance

- PA/CA
- Independent Reviews
- DAS

#### Waste Acceptance Criteria

- Rigorous Waste Characterization
- Generator Certification Program

#### Annual Operational Reviews

- Federal Ownership
- Institutional Controls
- Site Monitoring and Maintenance
- Record Management

### **Overview of Nevada National Security Site (NNSS)**



OFFICE OF

- 1,360 sq. miles of federally owned and controlled land
- Surrounded by 4,500 sq. miles of federally owned and controlled Nevada Test and Training Range (NTTR)



Area 5 Radioactive Waste Management Site (RWMS)

- Disposal Authorization Statement (DAS) issued in 2000, 2002, and 2007
- Radioactive Waste Management Basis (RWMB)
- **PA** (DOE/NV/11718-176)
  - **Two addenda** (DOE/NV/11718–176-ADD1;-ADD2)
- Composite Analysis (CA) (DOE/NV-594)
  - One addenda (DOE/NV-591-ADD1)



- Maintenance Plan (DOE/NV/25946-091)
- Closure Plan (DOE/NV/25946--553)

Includes monitoring plan

- NNSS Waste Acceptance Criteria (NNSSWAC) (DOE/NV-325-Rev.10)
- 2012 annual summary report (DOE/NV/25946—1717)

### **Natural Site Conditions**



OFFICE OF

- Located >700 feet above groundwater
- ~5 inches average annual rainfall
- High potential evaporation rates (x12 rainfall)
- No groundwater pathway
- Drying unsaturated zone with upward water and vapor flow

• 35 m

- Limited pathways from buried waste to surface
- Low seismic and volcanic activity

# Natural Site Conditions (continued)



No groundwater pathway

OFFICE OF

ENVIRONMENTAL MANAGEMENT

#### OFFICE OF ENVIRONMENTAL MANAGEMENT

### **RWMS Characteristics**



- 740 acres, 184 in use
- Nuclear testing conducted nearby
- NNSA ownership of disposal site in perpetuity
- No attractive resources
  - Water, fertile soils



- Radionuclides available for immediate release and transport
  - Waste forms and containers do not delay source term release
- Inadvertent intruders do not recognize waste at any time
- Resident continuously present 100 m from the RWMS boundary
  - No evidence of any permanent or long-term presence of humans in Frenchman Flat
- Member of public 100 m from the RWMS boundary exposed to soil concentrations estimated for the disposal unit covers
  - No dilution during transport from the disposal site cover to the residence



- Conservative bias is used for the compliance
- Probabilistic model used to quantify uncertainty and reduce conservatism for cost effective management of facility lifecycle
  - 2007 NNSSWAC concentration action levels based on probabilistic model results
  - Resident farmer highly conservative for NNSS, moved to resident with no agriculture for compliance

#### OFFICE OF ENVIRONMENTAL MANAGEMENT

### Compliance



Member of Public Air Pathway results

TED – Total Effective Dose

### **Uncertainty/Maintenance**



OFFICE OF

Figure 1. Area 5 RWMS all-pathways annual TED to a resident estimated by the A5 RWMS v4.114 GoldSim model.

- Uncertainty analyses include
  - Chronic intruder scenarios
  - No cover vs. various cover thickness
  - Additional member of public (MOP) scenarios
  - Out year model runs
    (20,000, 60,000 years)



Performance Objective	Scenario	Time of Maximum (years)
Air Pathway	Resident	3.1E6
All-Pathways	Resident	3.3E6
<sup>222</sup> Rn Flux Density	NA	2.0E6
Acute Intruder	Acute Drilling	2.4E6
Acute Intruder	Acute Construction	1.8E6



- Construction scenario estimates the dose to construction workers building a home with a basement on a disposal unit
- Acute drilling scenario estimates dose to a drill crew drilling a water well through a disposal unit
  - Exposure to contaminated drill cuttings occurs while auguring a surface casing for the well
- Used to set radionuclide action levels in NNSSWAC

# **ENVIRONMENTAL Radioactive Waste Acceptance Program (RWAP)**

- Waste Acceptance Review Panel reviews every waste profile (WP) submitted for disposal
- Members: DOE/State of Nevada/site operations/RWAP/performance assessment/nuclear safety/criticality
- Generator facility audits and mixed waste stream verification
- 24 approved off-site generators





- Review for potential change to PA and DAS
  - Changes radionuclide inventory
  - Requires a change in facility design or closure plans; or the imposition of operational constraints or conditions
  - Alters the likelihood of a feature, event, or process; or significantly change a parameter value
  - Requires a change in waste acceptance criteria, the performance assessment or disposal authorization statement
- If yes to any, enter unreviewed disposal question (UDQ)

### **Unreviewed Disposal Question Process**

- Inventory changes
  - Screening using sum of fractions based on WAC action levels
    - If pass no further action, if fail then special analysis
- Special Analysis
  - PA and process modeling (e.g. radon producing radionuclides, heat-producing potential)
  - Impose operational conditions (depth, spacing)
  - Radionuclides not analyzed in PA

### **Special Analysis Example**

• Thorium Nitrate in Cell 13

OFFICE OF

- 11,600 cubic meters (m3)
- Ra-226, Th-230, Th-232 exceed WAC action levels
- Buried in deeper trench (25 feet) in a single layer
- No other waste placed above





- Ongoing field study and environmental monitoring based on PA/CA sensitivity and uncertainty analyses
  - Field Investigations determined proper distribution for burrowing animals and plant root depths
  - Vegetative cover based on long-term lysimeter
- Annual summaries document review of modeling and inventory updates, monitoring, and operations
- Monitoring includes facility and environmental media conditions



• Research and Development

-ALARA cover optimization

• PA revision driven by magnitude and significance of changes



### Summary

- Area 5 RWMS incorporates
  - Natural and engineered barriers based on sparsely populated arid disposal site
  - WAC compliance
  - Site assessments (PA/CA)
  - Maintenance program to ensure the facility is protective of the worker and public health and safety, and the environment