

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Meeting of the Advisory Committee on the
Medical Uses of Isotopes: Open Session

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, September 10, 2013

Work Order No.: NRC-220 Pages 1-186

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON THE MEDICAL USES OF ISOTOPES

5 (ACMUI)

6 + + + + +

7 OPEN SESSION

8 + + + + +

9 TUESDAY

10 SEPTEMBER 10, 2013

11 + + + + +

12 ROCKVILLE, MARYLAND

13 + + + + +

14 The meeting was convened in Room T2-B3 of
15 Two White Flint North, 11545 Rockville Pike,
16 Rockville, Maryland, at 10:30 a.m., Bruce Thomadsen,
17 Ph.D., ACMUI Chairman, presiding.

18 MEMBERS PRESENT:

19 BRUCE THOMADSEN, Ph.D., Chairman

20 MILTON GUIBERTEAU, M.D., Vice Chairman

21 SUSAN M. LANGHORST, Ph.D., Radiation Safety
22 Officer

23 STEVEN R. MATTMULLER, Nuclear Pharmacist

24 CHRISTOPHER PALESTRO, M.D., Nuclear Medicine
25 Physician

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 MEMBERS Cont'd:

2 JOHN H. SUH, M.D., Radiation Oncologist

3 ORHAN H. SULEIMAN, Ph.D., FDA Representative

4 WILLIAM A. VAN DECKER, M.D., Nuclear

5 Cardiologist

6 LAURA M. WEIL, Patients' Rights Advocate

7 JAMES S. WELSH, M.D., Radiation Oncologist

8 PAT B. ZANZONICO, Ph.D., Nuclear Medicine
9 Physicist

10

11 NRC STAFF PRESENT:

12 BRIAN McDERMOTT, Director, Division of

13 Materials Safety and State Agreements

14 PAMELA HENDERSON, Deputy Director, Division
15 of Materials Safety and State Agreements

16 CHRIS EINBERG, Chief, Radioactive Materials
17 Safety Branch, Designated Federal Officer

18 MICHAEL FULLER, Medical Radiation Safety Team
19 Leader, Alternate Designated Federal Officer

20 SOPHIE HOLIDAY, ACMUI Coordinator

21 ASHLEY COCKERHAM, Alternate Designated
22 Federal Officer

23 SUSAN CHIDAKEL, OGC/GCLR/RMR

24 DONALD COOL, Ph.D., FSME/DILR

25 SAID DAIBES, Ph.D., FSME/DMSSA/RMSB

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 SARA FORSTER, R-III/DNMS/MLB
2 CASSANDRA FRAZIER, R-III/DNMS/MLB
3 LATISCHA HANSON, R-IV/DNMS/NMSB-A
4 MICHELLE HAMMOND, R-IV/DNMS/NMSB-B
5 VINCE HOLAHAN, FSME/DMSSA
6 DONNA-BETH HOWE, Ph.D., FSME/DMSSA/RMSB
7 ANGELA MCINTOSH, FSME/DMSSA/RMSB
8 GRETCHEN RIVERA-CAPELLA, FSME/DMSSA/RMSB
9 RONALD ZELAC, Ph.D., FSME/DMSSA/RMSB
10
11 MEMBERS OF THE PUBLIC PRESENT:

12 SUE BUNNING, Society of Nuclear Medicine and
13 Molecular Imaging
14 ROBERT DANSEREAU, New York State Department
15 of Health
16 WILLIAM DAVISON, University of Pennsylvania
17 LYNNE FAIROBENT, American Association for
18 Physicists in Medicine
19 DEBBIE GILLEY, American Association for
20 Physicists in Medicine
21 ANDREW MCKINLEY, American Society of Nuclear
22 Cardiology
23 MICHAEL PETERS, American College of Radiology
24 JOE RODGERS, Theragenics
25 MEGAN SHOBER, Wisconsin Radiation Protection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 Section

2 MIKE STEPHENS, Florida Bureau of Radiation

3 Control

4 CINDY TOMLINSON, American Society for

5 Radiation Oncology

6 GARY E. WILLIAMS, Veterans Health

7 Administration

8

9

10

11

12

13

14

15

16

17

18

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1	T-A-B-L-E O-F C-O-N-T-E-N-T-S
2	ACUMII Reporting Structure 4
3	View Ray System Licensing Guidance 28
4	Iodine - 123 mIBG Imaging 59
5	Regulatory Aspects of Germanium-68/Gallium-68
6	Generators 83
7	Status Update of 10 C.F.R. Part 20 106
8	Status of Revisions to NUREG-1556, Vol. 9 153
9	Special Presentation to Dr. Van Decker 172
10	Administrative Closing 177
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 P-R-O-C-E-D-I-N-G-S

2 (10:30 a.m.)

3 CHAIR THOMADSEN: Welcome to the second
4 day of the ACMUI meeting for the fall and starting
5 with Ms. Holiday discussing the ACMUI reporting
6 structure.

7 15. ACMUI REPORTING STRUCTURE

8 MS. HOLIDAY: Good morning, everyone. I
9 will be the first speaker for the open session for
10 today's meeting, our final day of the meeting. And
11 the first talk will be about the annual presentation
12 for the ACMUI reporting structure. Today I will
13 speak about our current reporting structure; give
14 what we consider to be the annual review, which
15 essentially is this presentation; go over our
16 meetings; and allow for discussion.

17 So, as was presented during Ashley's
18 presentation yesterday on what is ACMUI, this is our
19 current reporting structure. ACMUI directly reports
20 to the Director of the Division of Materials Safety
21 and State Agreements, as does the medical team or the
22 Radioactive Materials Safety Branch. And then, of
23 course, our division follows under the purview of the
24 Office of Federal and State Materials and
25 Environmental Management programs, FSME. And then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 we, of course, follow the EDO. And then the
2 Commission is the higher governing body of the NRC.

3 So our current reporting structure, we
4 had a teleconference in January of 2011 to make a
5 recommendation as to whether the ACMUI wanted to
6 continue to report to the Director of MSSA or to the
7 Commission or to ACRS. This stemmed from the SRM
8 that we got from the Commission to bring forth the
9 discussion about the pros and cons of having the
10 ACMUI restructured to, instead of reporting to the
11 Director of MSSA, report to the Commission. So
12 Ashley Cockerham drafted that paper. And it was
13 during the teleconference that we brought forth these
14 pros and cons and the ACMUI made the recommendation
15 to maintain their current reporting structure, again,
16 which is to report to the Director of MSSA.

17 Then we had a subsequent teleconference
18 the following week. This was so that the ACMUI had
19 enough time to review Ashley's paper. And from that
20 teleconference, the ACMUI made a recommendation to
21 have this annual review of the reporting structure.
22 And I gave that presentation at last fall's meeting.
23 So here again we're having our second annual review
24 of the reporting structure.

25 Currently ACMUI meets here at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 headquarters twice a year: once in the spring, which
2 is usually in April or May; and then once in the
3 fall, which is usually September or October.
4 Approximately there are two to three teleconferences
5 a year but only as needed or as directed.

6 A few members have voiced their opinions
7 or their concerns that they would like to have more
8 than two meetings face to face at headquarters a
9 year. This is one of the items that we would like to
10 bring forth for discussion and also to pose to the
11 Committee as to whether or not you would like to
12 continue to review this, the reporting structure, on
13 an annual basis.

14 So now I would like to open that up for
15 discussion.

16 CHAIR THOMADSEN: Thank you very much.
17 Are you going to be coming back to any other
18 presentations?

19 MS. HOLIDAY: Presentations?

20 CHAIR THOMADSEN: No?

21 MS. HOLIDAY: Just for the administrative
22 closing.

23 CHAIR THOMADSEN: Okay. Fine. So the
24 first question I think we should answer is whether we
25 should be meeting more than the twice a year. Is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 there discussion? People who feel that we should be
2 increasing the number of meetings we have per year?
3 Dr. Zanzonico?

4 MEMBER ZANZONICO: Pat Zanzonico. I
5 don't see a need for a standing appointment, so to
6 speak, for more than two meetings per year. There
7 may be instances where there were some pressing
8 matters that might require an additional meeting, but
9 my impression is that two face-to-face meetings per
10 year plus teleconferences as needed seem to address
11 all of the matters brought before the ACMUI. So I
12 would recommend maintaining the current frequency of
13 meetings and teleconferences.

14 CHAIR THOMADSEN: Thank you. Dr.
15 Zanzonico.

16 Other opinions? Dr. Langhorst?

17 MEMBER LANGHORST: I think maybe in light
18 of the revision of Part 35, that additional ACMUI
19 face-to-face meetings may be very helpful in going
20 through that process of updating regulation and
21 providing another public forum for discussion with
22 the ACMUI in attendance. So I would make that point.

23 CHAIR THOMADSEN: Would you be just
24 talking about additional meetings during a certain
25 period of time or making a standing third meeting? I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 think --

2 MEMBER LANGHORST: My point was

3 CHAIR THOMADSEN: -- what you're talking
4 about right now is the standard.

5 MEMBER LANGHORST: Yes, a standing third
6 meeting. I don't know for sure, but in the next year
7 or two, I think we probably could use a third
8 meeting.

9 CHAIR THOMADSEN: Thank you, Dr.
10 Langhorst.

11 Other opinions? Dr. Welsh?

12 MEMBER WELSH: I might agree with what
13 Dr. Langhorst just said. And perhaps the structuring
14 is such that we have our standing two meetings and a
15 third meeting that is on the books but perhaps
16 optional or as needed.

17 I can say, for example, during those
18 years where we were in the midst of the heat of all
19 of the discussion regarding the medical events in
20 permanent implant brachytherapy, there were many,
21 many discussions, teleconferences, telephone calls,
22 stakeholder meetings that certainly were longer than
23 the traditional meeting we have here. So perhaps
24 that could have been implemented during that slot.

25 So I am not opposed to having three

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 meetings a year. I just don't think that we would
2 routinely use the three meetings per year.

3 CHAIR THOMADSEN: Ashley -- I'm sorry.
4 Ms. Cockerham, can I ask, is it possible to set up ad
5 hoc meetings of the ACMUI other than the --

6 MR. EINBERG: Should be directed to
7 Sophie.

8 CHAIR THOMADSEN: Oh, yes. You're right
9 there. I have to apologize. I was looking over
10 there. So you weren't there. Ms. Holiday, is it
11 possible to set up the additional meetings as needed
12 of the ACMUI?

13 MS. HOLIDAY: Correct. There's always an
14 opinion to set up as-needed meetings, such as we do
15 for the teleconferences. The only distinction would
16 be to say that it's meetings here at headquarters
17 versus a teleconference.

18 CHAIR THOMADSEN: Mr. Einberg?

19 MR. EINBERG: Yes. Chris Einberg. The
20 practical implications of that, though, are that we
21 need to budget to bring all of the staff or the ACMUI
22 members here. And so that is a large expense that we
23 would have to budget for. So we would want to have
24 some level of certainty that we would be utilizing
25 that third meeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 The other option is to have standing
2 funding for a subcommittee to come in once a year to
3 work on various items that may be of interest to the
4 Committee and then report out to the full Committee
5 during the two standing meetings.

6 And Ms. Cockerham has something she would
7 like to add.

8 MS. COCKERHAM: In addition to the travel
9 budget being planned, reserving this room, in
10 particular, can be problematic. There are other
11 advisory committees that use this room. And so the
12 space that we have to choose from to accommodate a
13 large committee and the public, that could be an
14 issue on our end.

15 MS. HOLIDAY: Correct. We would have to
16 work that schedule out with the other advisory
17 committee.

18 CHAIR THOMADSEN: One more question is,
19 how easy is it to do something on the order of
20 GoToMeeting, a web-based meeting?

21 MS. HOLIDAY: It is very easy to do
22 things on GoToMeeting or GoToWebinar.

23 CHAIR THOMADSEN: Now, I could ask, Dr.
24 Welsh, do you think that a meeting on the web would
25 be a useful substitute for a physical face-to-face

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 meeting?

2 MEMBER WELSH: Thinking back to the
3 numerous subcommittee meetings for the medical event,
4 the prostate implant medical event, discussions, I
5 don't know. I suppose that the answer is yes.

6 MS. HOLIDAY: Dr. Thomadsen, this is
7 Sophie. To follow that up, I will point out the full
8 Committee was not in attendance for the June 18th
9 teleconference, but we did utilize the function for
10 GoToMeeting during that teleconference. So I guess I
11 would ask those members who did participate if that
12 was an agreeable option that we used or how useful
13 that was for everyone.

14 CHAIR THOMADSEN: Anybody who was on that
15 conference wish to give an opinion? Mr. Mattmuller?

16 MEMBER MATTMULLER: Steve Mattmuller.
17 It's a substitute, but it's not nearly in my opinion
18 as effective as everyone physically being here today.
19 There are still some technological issues as far as
20 everyone being able to participate or getting their
21 comments in properly or in a timely manner in order
22 for those comments to be recognized.

23 In a number of not just NRC GoToMeetings,
24 other GoToMeetings I have attended, there have been
25 some issues where if you're -- I realize there is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 difference in cost, but the other huge advantage when
2 we all get together is that oftentimes the meeting
3 continues across the street and there are some very
4 productive discussions afterwards. And it also helps
5 build rapport amongst the Committee members, too,
6 because a lot of us are, especially when you first
7 come into the Committee, it helps build your comfort
8 level with your own fellow Committee members.

9 CHAIR THOMADSEN: When you did the
10 GoToMeeting, were comments typed in or spoken? You
11 are indicating with your fingers typing.

12 MEMBER MATTMULLER: Again, typing.

13 CHAIR THOMADSEN: Was there not verbal
14 discussion?

15 MS. HOLIDAY: There was verbal discussion
16 because it was a teleconference call.

17 CHAIR THOMADSEN: All the GoToMeetings I
18 have been on have all, I mean, you had the ability to
19 type in comments, but most of the discussion was all
20 verbal like a meeting.

21 MEMBER MATTMULLER: True, but then you
22 have to, there has been some frustration in getting
23 the attention of the moderator to say "Steve
24 Mattmuller," for example, "from Kettering would like
25 to make a comment."

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 CHAIR THOMADSEN: Dr. Guiberteau?

2 VICE CHAIR GUIBERTEAU: I agree with
3 Steve in that some meetings are better face-to-face,
4 but there are many meetings that don't need to be.
5 And virtually every organization that I belong to has
6 WebExs or GoToMeetings. And there is a function on
7 there where you can raise your hand to the chair of
8 the committee and they can see who wants to speak so
9 you don't really have to interrupt on the phone.

10 I think they can be very useful, but it
11 also, if possible, might be good to see if we could
12 budget an option if we really needed a face-to-face
13 meeting. And for a one-day meeting, to come to
14 Washington and have the meeting and go home is really
15 a two-day away from our regular duties. And so, I
16 mean, I think a mix of those would be an excellent,
17 you know, set of options.

18 It took me a while to get used to the
19 GoToMeetings myself because I like face-to-face
20 meetings, but once you get used to it and for certain
21 topics, it works extremely efficiently and very well.

22 CHAIR THOMADSEN: Thank you, Dr.
23 Guiberteau.

24 Other comments? Dr. Palestro?

25 MEMBER PALESTRO: Yes. Chris Palestro.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 I have to agree with Dr. Guiberteau that it's not 100
2 percent perfect. It's not ideal. Face-to-face, I
3 think certainly a first choice, but given the limits
4 of time constraints that organizations and
5 individuals have, it works well.

6 CHAIR THOMADSEN: Thank you, Dr.
7 Palestro.

8 Dr. Zanzonico?

9 MEMBER ZANZONICO: Well, I tend to favor,
10 if needed, more frequent either teleconferences or
11 GoToMeetings, mainly because sometimes when you deal
12 with these technical issues that require the need for
13 background material, researching literature, you
14 really can't do that in real time, so to speak, at a
15 face-to-face meeting such as this; whereas, if issues
16 arise in the GoToMeeting, you can say, "Okay. We've
17 come this far. Perhaps in a week from now, we can
18 schedule a half-day GoToMeeting." And in the
19 intervening time, issues that arose in that initial
20 meeting can be addressed in terms of research in the
21 literature, so forth and so on. So I think there's
22 some advantage for certain issues to sort of being at
23 your home base and having access to all your research
24 facilities and so forth and so on that you don't have
25 in a face-to-face meeting away from home without you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 know, there are advantages for these are well.

2 CHAIR THOMADSEN: Thank you, Dr.
3 Zanzonico.

4 It seems to me that in the absence of
5 some particular items, such as possibly the rollout
6 of Part 35 and addressing that, that we have been
7 doing fairly well at covering the topics that we have
8 to cover in two meetings a year. I would think that
9 we probably don't need to increase the number of
10 face-to-face meetings if we could have web meetings
11 in between as needed.

12 The question that Dr. Langhorst brought
13 up about having a face-to-face meeting dealing with
14 the rolling out of Part 35 I think is a good point.
15 And we may need to do that depending on the timing of
16 when that actually comes up and what the problems are
17 going to be. How far ahead, Mr. Einberg, would we
18 need to know to do that budgeting?

19 MR. EINBERG: Yes. At least a year in
20 advance. So now is the time to start planning for
21 that and figuring that the Part 35 rulemaking, at the
22 earliest, would go final in 2014 or beginning in
23 2015. And now is the time if we wanted to schedule
24 an additional meeting in the 2015 time frame.

25 CHAIR THOMADSEN: Okay. Perhaps the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 thing to do is to do exactly that, try and budget for
2 a meeting in 2015, additional face-to-face meeting,
3 but unless I am hearing any motions for increasing
4 the number of meetings from 2 to 3 as a routine, I am
5 not hearing that there is a lot of support for doing
6 that.

7 Dr. Suleiman?

8 MEMBER SULEIMAN: I think also, not
9 ignoring the current budgetary situation in the
10 federal government, I think it would be prudent for
11 us to I mean, webinars are successful. And I
12 understand there are some projects that are not being
13 implemented or put on hold because there is not
14 enough funding.

15 CHAIR THOMADSEN: Right.

16 MEMBER SULEIMAN: So I think, you know,
17 even though it is outside our direct purview, I think
18 we ought to be sensitive to that as well.

19 CHAIR THOMADSEN: I am confident that the
20 federal government will solve the budgetary problem
21 before 2015.

22 (Laughter.)

23 CHAIR THOMADSEN: Are there any

24 MEMBER MATTMULLER: Yes.

25 CHAIR THOMADSEN: Mr. Mattmuller?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 MEMBER MATTMULLER: I'm sorry. This is
2 different. I would like to raise a different issue

3 CHAIR THOMADSEN: Yes.

4 MEMBER MATTMULLER: -- than the rest of
5 the Committee.

6 CHAIR THOMADSEN: Good because we are
7 going to --

8 MEMBER MATTMULLER: Okay.

9 CHAIR THOMADSEN: Go ahead.

10 MEMBER MATTMULLER: And this touches on
11 what Sophie discussed yesterday in regards to
12 membership on the Committee. And typically our terms
13 are for two terms. But I am thinking of if, for
14 example, Pat were ready to cycle off, as Dr. Van
15 Decker is. Because of his great work leading the
16 subcommittee in Part 35 and Part 35 efforts are still
17 going forward, it seems like, rather than creating
18 this void on the Committee, that it would be
19 worthwhile for individuals in that situation to
20 continue on ACMUI.

21 So I guess I'd like to propose in certain
22 circumstances that the term -- it not be a definite
23 two-term limit for some Committee members because of
24 their expertise and what issue at the moment is going
25 on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

I had another conversation this morning
with Dr. Welsh in regards to how beneficial it would
have been for him, for Dr. Nag, to continue on during
the brachytherapy issues. So I think that,
unfortunately, at times the effectiveness of the
Committee takes a hit depending on what time certain
members cycle off.

CHAIR THOMADSEN: Thank you, Mr.
Mattmuller.

To the NRC, Mr. Einberg, can you address
the possibilities?

MR. EINBERG: Yes. It's within the
charter that the ACMUI members can only serve up to
two terms. To have someone serve a third term, it
needs to have a special exception from the Commission
and special Commission approval.

As you know, Dr. Malmud served three
terms. And that received Commission approval. So
the precedent is there. And it can be done. But
there have to be extenuating circumstances.

Having said that, Dr. Nag also -- for
instance, take Dr. Nag as a case here. Dr. Nag
serves as a medical consultant to the staff. And so
Committee members who rolled off of the Committee can
still provide advice to the staff on an as-needed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 basis and serve as medical consultants to us. So
2 that option is still available as well.

3 CHAIR THOMADSEN: Dr. Welsh?

4 MEMBER WELSH: If I might offer a
5 counterpoint to that comment, however, there was an
6 interval where I was the sole radiation oncologist
7 for what seemed an eternity. We were fortunate to
8 have Dr. Suh join us. And it was at a very stressful
9 time where there was an intense debate about the
10 permanent implant brachytherapy medical event
11 definitions. Just I know that that was a very, very
12 busy year for me personally.

13 And although Dr. Nag was available to
14 you, he was not allowed to participate in the
15 subcommittee discussions. And there was an awful lot
16 of conflict, difficulty, and confusion that could
17 have perhaps been alleviated if, rather than a full
18 third term, the individual were allowed to sit until
19 that new representative has been appointed. It's
20 just an idea I throw out as an alternative to a full
21 third term for these extenuating circumstances.

22 CHAIR THOMADSEN: Mr. Einberg?

23 MR. EINBERG: Yes. Thank you for that.
24 We will take that under consideration or look at the
25 possibilities of that. I'm not sure if that is even

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 a possibility, to be honest. So we'll look at what
2 the personnel rules and regulations are in that
3 regard. I understand what your concerns are.

4 CHAIR THOMADSEN: What you are talking
5 about, rather than a continued appointment on the
6 Committee, is there a possibility in HR or something
7 to look at in the HR regulations of a special
8 appointment to the Committee without the normal
9 three-year commitment?

10 MEMBER LANGHORST: Four-year.

11 CHAIR THOMADSEN: Four-year. Sorry.
12 Yes. Right. Thank you for the correction.

13 MR. EINBERG: That's possible. The other
14 thing that comes to mind is, you know, we are looking
15 at the charter right now or the bylaws. This might
16 be something that we consider, you know, addressing
17 in the bylaws. And so the subcommittee that was
18 formed may want to make a recommendation in this
19 regard to the bylaws.

20 CHAIR THOMADSEN: So the subcommittee has
21 this idea. Good, good. And thank you for that.

22 We should probably now address the
23 question of the reporting structure, which we
24 discussed on several occasions before. Is there a
25 thought by the Committee that this is a time when we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 should try to restructure our reporting organization
2 in the NRC? Would anybody like to have any
3 discussion of that? Pat Zanzonico?

4 MEMBER ZANZONICO: Pat Zanzonico. Well,
5 based on Dr. Langhorst's presentation in closed
6 session, it would seem there would be some benefit in
7 since elevating the visibility of the ACMUI and the
8 entire medical operation to the Commission, to
9 reporting to the Commission.

10 I recollect when we discussed this issue
11 some time ago, there were some compelling reasons for
12 not doing so. Sophie, if you recollect those
13 offhand, could you review those or someone from NRC
14 staff review the pros and cons of that?

15 MR. EINBERG: Could we defer that to
16 Ashley? Are you willing to speak to that? And it's
17 kind of extemporaneous, but Ashley is the one who
18 wrote the SECY paper at the time.

19 MS. COCKERHAM: I can't think off the top
20 of my head exactly what the reasons were, but it was
21 very clearly outlined in the SECY paper, 2011.

22 CHAIR THOMADSEN: Could we ask, could you
23 recirculate that paper to the Committee?

24 MS. HOLIDAY: Sure.

25 CHAIR THOMADSEN: And possibly the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 Committee that is looking at the charter at the
2 moment might take a closer look at that and bring
3 that as well as the recommendations on the charter to
4 this Committee, a discussion of the reporting
5 structure since it seems like those might go hand in
6 hand.

7 Any other -- yes, Dr. Welsh?

8 MEMBER WELSH: While I fully agree that
9 it would be prudent for the Commission to have
10 clearer, maybe more frequent medical input, doing it
11 through the ACMUI, reporting directly to the
12 Commission, in my opinion is perhaps not warranted at
13 this time. The reason I say that in response to Dr.
14 Thomadsen's question is that in the past, perhaps
15 before I was on the Committee, there were some
16 questions about whether or not the communication was
17 freely flowing from the ACMUI to the Commission.

18 I think the flow depends very much on the
19 staff individuals in place at the time. And I am
20 pleased with the flow at the moment and, therefore,
21 see no reason to change to the more onerous system of
22 ACMUI reporting directly to the Commission because
23 the staff is effectively communicating our
24 perspectives.

25 CHAIR THOMADSEN: Thank you, Dr. Welsh.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 Mr. Einberg?

2 MR. EINBERG: One of the cons that I
3 recall from the SECY paper was that if you report
4 directly to the Commission, then your recommendations
5 will be on the Committee. However, the staff will
6 have to respond to your recommendations. But we will
7 not be able to rely upon the ACMUI for advice anymore
8 because you're reporting to the Commission. As such,
9 then we would have to have a separate infrastructure
10 developed for the staff to get advice. And so that
11 was one of the cons, as I recall, from the paper. So
12 it would become much more onerous and burdensome to
13 the staff. And much more resources would need to be
14 devoted to this.

15 CHAIR THOMADSEN: Thank you, Mr. Einberg.

16 Mr. Mattmuller, did you have --

17 MEMBER MATTMULLER: I did. Just I'm
18 sorry. If I could make a request to be added to the
19 subcommittee on the charter?

20 CHAIR THOMADSEN: Certainly.

21 MEMBER MATTMULLER: Thank you.

22 CHAIR THOMADSEN: Do you have that or --

23 MS. HOLIDAY: I'll have that.

24 MEMBER MATTMULLER: She has my number.

25 CHAIR THOMADSEN: Dr. Langhorst?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 MEMBER LANGHORST: I guess I would also
2 like to ask a question of who advises the Commission.

3 And maybe there should be additional advisory
4 resource directly for the Commission and not remove
5 that advisory resource from the medical team. I
6 raise it as a possibility, but I am not clear what
7 kind of routine advice the Commission gets directly
8 on medical uses of radionuclides.

9 CHAIR THOMADSEN: Mr. Einberg, did you
10 have a comment?

11 MR. EINBERG: Yes. The way the
12 Commission is formed, each Commissioner has technical
13 assistants, whether it be a reactors technical
14 assistant or a materials technical assistant. And
15 those technical assistants provide the advice to that
16 individual Commissioner. And so the medical area,
17 that would fall under the materials in the technical
18 assistants.

19 Those technical assistants reach out to
20 the staff to get information or make requests for
21 information to advise their Commissioner.

22 MEMBER LANGHORST: This is Sue Langhorst.
23 But not routinely to a medical professional, to NRC
24 staff and --

25 MR. EINBERG: To NRC staff, recognizing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 that we don't have the complement of medical
2 expertise that the ACMUI has, correct. However, if
3 we do not have the answer, we reach out to the ACMUI
4 for those questions.

5 CHAIR THOMADSEN: Thank you, Mr. Einberg.

6 Dr. Zanzonico?

7 MEMBER ZANZONICO: Pat Zanzonico. I just
8 have a follow-up question. So is the solicitation
9 always from the Commission's technical assistant to
10 the medical staff or does it go the other way? In
11 other words, is there the option if the NRC medical
12 staff has a pressing issue that they want to bring to
13 the attention of the Commission that they can do that
14 sort of proactively or is it always a matter of we're
15 waiting for some solicitation from the top?

16 MR. EINBERG: Chris Einberg once again.
17 Those mechanisms for communicating with the
18 Commission, the most formal way is with a SECY paper.
19 If we have an issue that we want the Commission to be
20 aware of or to provide some policy guidance to us, we
21 develop a SECY paper, a Commission paper. And we
22 outline the arguments within that paper in what the
23 issues are and ask for their guidance. And then they
24 vote on that SECY paper.

25 For instance, a good example was the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 medical event reporting for permanent implant
2 brachytherapy. There had been numerous Commission
3 papers we had informed the Commission on. They
4 provided their guidance in how the staff should
5 proceed. And so that is one vehicle, and that is the
6 most formal vehicle. There are also less formal
7 ways, but it's still relatively formal.

8 We have Commissioner assistants' notes
9 that we could send up fairly quickly, and that gets
10 up to their materials TAs, to their technical
11 assistants. And they share that with their
12 respective Commissioners to inform them. And then
13 there are also technical assistants or Commissioner
14 assistant briefs if there is something that we need
15 to brief the commissioners on, we could use those.
16 And we have used that.

17 And then, lastly, if there's something
18 that the Commissioners or we feel that you know, we
19 could have one-on-one briefs also. The office
20 director has a monthly brief with all the
21 Commissioners. And so we raise issues to our office
22 director, and he can raise issues to the
23 Commissioners as well. So those are some of the
24 vehicles.

25 CHAIR THOMADSEN: Okay. Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 Thank you very much.

2 I think this will be the last comment on
3 this.

4 MEMBER LANGHORST: Thank you.

5 CHAIR THOMADSEN: Dr. Langhorst?

6 MEMBER LANGHORST: How does the medical
7 community plug in, then, to the Commission? And if
8 there were an advisory committee, I mean, I would
9 think that would be made up of medical community
10 professionals. And that could be another route to
11 bring these types of issues more routinely to the
12 Commission and to support the Commission in their
13 medical use policy and medical use regulatory
14 responsibilities.

15 MR. EINBERG: Well, first, the ACMUI here
16 does represent the medical community --

17 MEMBER LANGHORST: Right.

18 MR. EINBERG: -- to a large extent. And
19 we would be relying on your advice, your input from
20 the medical community. And so if the ACMUI has
21 anything that they would like to raise before the
22 Commission, we are always available as a venue or
23 avenue to, you know, have discussions or inform the
24 Commission. So the staff is here to provide that
25 avenue to inform the Commission. So we're here to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 help out with that. But you learnedly represent the
2 medical community.

3 You know, how else can the medical
4 community have input into the Commission? When we go
5 out with public rules for comment, the medical
6 community provides their input on those rules. And
7 that's the formal process for getting input into the
8 rulemaking process and into the process.

9 And so, for instance, a Part 35 rule that
10 is in front of the Commission right now, you know, we
11 have held public workshops on that as well. We
12 solicited it and put it to the medical community.
13 When that goes out I guess we are going to have the
14 Commission briefing in October here. And the medical
15 community has been asked to weigh in on that. So
16 those are some of the various ways.

17 MEMBER LANGHORST: Thank you.

18 CHAIR THOMADSEN: Well, we have now an
19 additional charge for the charter subcommittee. And
20 this discussion will be resumed when we hear back
21 from that subcommittee.

22 Thank you very much, Ms. Holiday.

23 MS. HOLIDAY: Thank you.

24 CHAIR THOMADSEN: Now we'll hear about
25 the ViewRay system licensing guidance, C. Frazier and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 M. Shober.

2 MS. SHOBER: Good morning. My name is
3 Megan Shober. And I am an advanced nuclear engineer
4 with the State of Wisconsin Department of Health
5 Services. I am a co-chair of the working group that
6 developed the licensing guidance for the ViewRay
7 system for radiation therapy. On this group, I am
8 representing the Organization of Agreement States.
9 Sandy Frazier is my NRC co-chair in this effort. And
10 we thank you for the opportunity to share a little
11 bit about ViewRay licensing guidance with you this
12 morning.

13 In my talk today, I first want to give
14 you an overview of the ViewRay device. And then
15 we'll describe the tasks of the working group. Then
16 we'll discuss the decision to license the ViewRay
17 under 10 CFR 35.1000. And, finally, I want to
18 highlight a few features of the guidance.

19 There are two novel irradiation therapy
20 devices: the ViewRay System for Radiation Therapy
21 and the MASEP Infini device. They both received
22 510(k) premarket notification clearance from the U.S.
23 Food and Drug Administration. And the devices have
24 components and operating characteristics that are a
25 little bit different from the devices that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 currently regulated under 10 CFR 35.600.

2 Our working group was convened last year,
3 in October. By that time, the State of Ohio had
4 issued a sealed source and device registry
5 certificate for the ViewRay system. And the State of
6 California was reviewing a sealed source and device
7 application for the MASEP device.

8 The working group was tasked with
9 evaluating whether the devices could be appropriately
10 regulated under 10 CFR 35.600 or whether they should
11 be licensed under 10 CFR 35.1000. Then if the
12 working group decided to regulate them under 10 CFR
13 35.1000, the working group was responsible for
14 writing the licensing guidance.

15 The balance of my talk is only going to
16 talk about the ViewRay device, as the State of
17 California has had lengthy delays in getting the
18 MASEP device to the United States to complete their
19 SS&D application. There are three NRC staff and then
20 three state representatives from the State of Ohio,
21 State of California, and State of Wisconsin.

22 This is a picture of the ViewRay device.
23 It features real-time imaging guidance using an
24 on-board MRI system. There is a rotating gantry that
25 has three cobalt-60 radiation sources and has each

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 with a multiple-leaf column meter.

2 This picture is really pretty. And, just
3 to give you a little sense of how this device is
4 built. You can see the green there represents the
5 rotating gantry. And then the orange boxes are the
6 position where those source heads actually are.

7 The source heads are designed to point
8 toward an isocenter right at the middle of the
9 circle. And this device features an integrated
10 treatment plan delivery software. So it looks
11 substantially different from what we are accustomed
12 to seeing for just kind of a teletherapy device with
13 a single source on an ARM.

14 The working group began by discussing
15 these two questions on the slide. Can the ViewRay
16 system meet all of the requirements of a single
17 section of in 10 CFR 35.600; in this case, the
18 teletherapy section? And are there safety issues
19 with the ViewRay device that are not adequately
20 addressed by the current regulations?

21 As you know, 10 CFR 35.1000 allows NRC
22 and Agreement States to adapt to emerging medical
23 technologies without waiting for rulemaking. As the
24 working group examined these questions, we concluded
25 that the ViewRay device can meet most but not all of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 the teletherapy regulations in 10 CFR 35.1000 and
2 that there are many safety issues associated with
3 this device which are not addressed in the
4 regulations at all.

5 The working group felt that the licensure
6 under 35.1000 was warranted for the following
7 reasons. First, there are spot-checks and full
8 calibration requirements that are in the regulations
9 for functions that a ViewRay device does not include.

10 Second, the licensee needs to perform source
11 coincidence testing due to the multiple sources. And
12 that feature is not a part of the current teletherapy
13 regulations.

14 There are issues that are raised by the
15 reliance of this device on real-time MR imaging. And
16 MR imaging obviously doesn't exist anywhere else in
17 our teletherapy regulations.

18 This device also includes a number of
19 daily and weekly testing that are required by the
20 ViewRay owners' manual. And there are no daily or
21 weekly testing requirements in the teletherapy
22 regulations.

23 So, for these reasons, the working group
24 decided, we unanimously supported the decision to
25 license this device under 10 CFR 35.1000. And this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 decision was endorsed by NRC management.

2 ViewRay was notified of this prior to the
3 issuance of the license. The guidance was published
4 in the NRC medical uses toolkit on July 24th. There
5 was a letter that was distributed to the Agreement
6 States dated July 26th and an announcement over the
7 medical server that went out on July 31st. So the
8 guidance is out there.

9 I want to say just a little bit more
10 about our decision to license this device under 10
11 CFR 35.1000. There was significant discussion on the
12 working group and within NRC about the spot-check and
13 the full calibration requirements.

14 I am going to list two examples here of
15 requirements which we felt the ViewRay device could
16 not meet. The first example is a full calibration
17 requirement. This is the one that requires
18 coincidence testing of the radiation field with a
19 field that is indicated by the light beam localizing
20 device. And in standard teletherapy units, this was
21 very simple, very basically a light. And the ViewRay
22 system does use an integrated laser system for that
23 coincidence testing. So that's a little bit
24 different.

25 And the second example there is a spot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 check requirement that involves monthly testing of
2 electrical or mechanical stops to make sure that the
3 primary beam of radiation can't go beyond a certain
4 angle. And so this was critical, for example, to
5 make sure the device wasn't pointing the primary
6 radiation beam at an area that had reduced shielding,
7 for example, at the ceiling.

8 This feature isn't part of the ViewRay
9 device. As you saw before, the sources are on a
10 rotating gantry. Those sources do have a limited
11 range of motion, but that limited range is due to the
12 presence of multiple sources, not to anything that is
13 in here about how the shielding was designed.

14 There are a few safety issues that are
15 not addressed in the current regulations. These
16 include multiple treatment heads and, as I mentioned
17 before, the need for the coincidence testing with the
18 sources; the real-time MR imaging during treatment.
19 There is also a need to ensure that the isocenter for
20 the MR image is the same as that radiation isocenter.
21 This device does have three multi-leaf collimators,
22 one on each head, which allows for gated treatment
23 delivery. So the shutters open and close on this
24 device as the target organ moves into and out of the
25 field of view.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 And then, in addition to the monthly and
2 the annual QA tests that are required by regulation,
3 the ViewRay operators' manual requires the daily and
4 the weekly QA tests.

5 So we took in all of this information.
6 And we based our guidance on three primary
7 references, the existing regulations in 10 CFR
8 35.600, the sealed source and device registry sheet
9 that was issued by the State of Ohio, and the ViewRay
10 operators' manual.

11 So we determined which of the regulations
12 applied to the ViewRay device, which ones had to be
13 supplemented with or replaced by other information,
14 primarily the operators' manual. And then the
15 guidance also provides relief from certain
16 regulations. The ViewRay device, because it is brand
17 new, there is no body of knowledge that exists to
18 support it at the moment.

19 I do also want to point out that the
20 daily QA tests that are required by the ViewRay
21 operators' manual, they're very, very similar to the
22 daily QA tests that are currently in 10 CFR 35.600
23 for a high-dose rate remote after-loader unit and
24 gamma stereotactic radiosurgery units. There are a
25 lot of the same issues as far as checking interlocks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 and checking radiation monitors and things like that.
2 So those are definitely very similar to things that
3 already exist in other areas of 10 CFR 35.600.

4 I want to touch briefly on the issue of
5 physical presence. I know this was a question for a
6 lot of people as we were getting underway with the
7 guidance. The working group initially had a wide
8 range of opinions about physical presence
9 requirements. We understood that the ViewRay device
10 is meant to be a workhorse. It's meant to treat a
11 lot of patients every day and the patients receive a
12 large number of fractions. We understood that it's
13 impractical to require physical presence in the same
14 way that physical presence is required for high-dose
15 rate remote after-loader units and Gamma Knife units.

16 We also recognize that the sources are
17 designed so that the radiation only points inward at
18 the counterweights in the gantry. And once a patient
19 is moved out of the device isocenter, the radiation
20 levels do drop off pretty rapidly.

21 We also knew that the patient is not
22 physically attached to the device in the same way
23 that they are attached to a GammaKnife unit and the
24 source is not inside the patient, as it is with an
25 HDR unit. However, due to the activity of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 sources, they're in the ViewRay device. If something
2 were to go wrong, it would go wrong very quickly.
3 And so the working group came to a consensus
4 agreement that requiring an authorized user or an
5 authorized medical physicist to be in the department,
6 but not at the treatment console, was an appropriate
7 compromise and constituted an acceptable health and
8 safety risk.

9 To touch on training requirements just a
10 little bit, the working group did decide to -- what
11 you see here is very standard as far as training
12 requirements for all kinds of radiation therapy
13 devices.

14 You will notice that a requirement for a
15 preceptor attestation is missing. We decided to
16 delay implementation of the preceptor requirement for
17 five years due to the lack of availability of
18 preceptors at this point in time. And our working
19 assumption is that after five years, the preceptor
20 attestations would be required only for those
21 individuals who are not board-certified and that by
22 this time, the Part 35 rulemaking that's making its
23 way through, will eliminate the requirement for
24 preceptor attestations for the board-certified
25 individuals.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 Preceptor attestations are also not
2 required for the radiation safety officer, just for
3 the ViewRay device. But obviously if you had a brand
4 new radiation safety officer, they would require that
5 just with the regular process for adding a radiation
6 safety officer.

7 As far as where we are going from here,
8 one of the advantages of 10 CFR 35.1000 is that the
9 guidance is nimble and it allows the NRC to be
10 responsive to the concerns of the regulated
11 community. We fully expect to revise this guidance
12 as more clinical experience is gained. And just, for
13 example, the Y-90 microsphere guidance has been
14 revised 9 times in 11 years. And so this is clearly
15 a place where we can revise things as we need to
16 revise them.

17 And if there is a portion of the guidance
18 that doesn't work in practice, just let your
19 regulator know. And we can help you find an
20 alternative way to meet the intent of the provision.
21 This is something that I hope will encourage some
22 dialogue with the places that are kind of leading on
23 the front edge of this because, obviously, we don't
24 want regulations that are impossible for you to meet.
25 So just be in communication with us, and we will come

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 to a mutually agreeable place.

2 That is basically what I had for this
3 part of the presentation. And we will be happy to
4 entertain any questions.

5 CHAIR THOMADSEN: Thank you, Ms. Shober
6 and Ms. Frazier. Does the Committee have questions
7 or comments? Dr. Zanzonico?

8 MEMBER ZANZONICO: I have a technical
9 question. Pat Zanzonico. When you were talking
10 about coincidence testing, I presume you are talking
11 about the coincidence of the isocenter of the MR and
12 the cobalt-60 scan heads. Is that correct?

13 MS. SHOBER: There's a few different
14 coincidence testings that are required with this
15 device. So the three sources -- there is a
16 coincidence testing for the three sources. They all
17 have to meet at the same radiation isocenter. Then
18 there is also coincidence testing between the MR
19 isocenter and the radiation isocenter. So there are
20 two different things that are going on there.

21 MEMBER ZANZONICO: And is that part of
22 the daily or the pretesting?

23 MR. SHOBER: Daily.

24 MEMBER ZANZONICO: The other question I
25 have is, when you are talking about an AMP,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 presumably that most commonly would be a
2 board-certified radiation oncology physicist.

3 MR. SHOBER: Not necessarily. There's a
4 lot of authorized medical physicists that are not,
5 they're not necessarily board-certified.

6 MEMBER ZANZONICO: Okay. Because
7 typically, as far as I know, for example, MRI
8 physicists are often not board-certified.

9 MR. SHOBER: This that I am speaking of
10 would be a radiation physicist. It wouldn't be
11 someone that just deals with MRI.

12 MEMBER ZANZONICO: But that's kind of the
13 issue.

14 MR. SHOBER: They have to meet the
15 training requirements to be an authorized medical
16 physicist according to the regulations. And I don't
17 speak NRC here, in 10 CFR 35.51.

18 MS. FRAZIER: So there would be the AMP
19 in accordance with the regulations.

20 MEMBER ZANZONICO: Right. That's the

21 MS. FRAZIER: Right.

22 MEMBER ZANZONICO: -- issue I am raising.
23 I mean, there are two advanced, complex technologies
24 here. And you are going to have expertise in one of
25 them, namely the teletherapy, but not necessarily the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 same level of expertise in that individual in the MR
2 component subsystem of this system. And I am just
3 wondering if that introduces a potential problem.

4 MR. SHOBER: I think that we would expect
5 there to be some MR expertise involved with this
6 unit, but I don't know how far we can regulate the MR
7 portion.

8 MEMBER ZANZONICO: Yes. Again, I'm just
9 thinking out loud.

10 MR. SHOBER: Sure.

11 MS. FRAZIER: Right.

12 MEMBER ZANZONICO: I mean, should that be
13 built into the guidance? You know, I don't know how
14 that would happen or what kind of mechanism, but,
15 again, it just strikes me that, again, you have two
16 advanced technologies. This is the first instrument
17 of its kind. And the traditional AMP that's
18 typically associated with radiation oncology may not
19 have the breadth of experience nor really could, I
20 think, to be expert in both of these technologies.

21 MR. SHOBER: Right.

22 MEMBER ZANZONICO: So it's just an issue
23 I raise. I don't know what the solution is.

24 MR. SHOBER: Thank you.

25 CHAIR THOMADSEN: Thank you very much.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 Dr. Suleiman?

2 MEMBER SULEIMAN: Is there vendor
3 training? This guidance is not intended to
4 substitute for that, I guess.

5 MS. FRAZIER: Right, right. There's a
6 pretty extensive vendor training process that goes
7 on.

8 MEMBER SULEIMAN: And I would assume they
9 would get sufficient training with the MR system as
10 well as the, I mean the entire system.

11 MR. SHOBER: Dr. Langhorst may be able to
12 speak to that better about what that would involve.

13 MEMBER LANGHORST: Yes. There is vendor
14 training. And, in fact, there is a lot of
15 development going on with the vendor.

16 MEMBER SULEIMAN: So how do we know
17 people will be trained? And will there be a train-
18 the-trainer thing where they will get away from
19 formal training and create an opportunity for
20 deviating from what the manufacturer intends or will
21 there be any qualification or certification program
22 to ensure that the training is good and the people
23 using this technology have been trained properly?

24 MS. FRAZIER: Well, we know right now the
25 vendor may come out. They do get training on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 ViewRay device. So whenever they install the device,
2 they will provide that training. They have committed
3 to doing that.

4 MEMBER SULEIMAN: I mean it is in the
5 best interest of these companies to provide the best
6 possible training. Having said that, they don't
7 always.

8 CHAIR THOMADSEN: Dr. Welsh?

9 MEMBER WELSH: A quick follow-up point to
10 Dr. Suleiman's comment there is that is there such a
11 thing as NRC-approved vendor training, as opposed to
12 just vendor training? I'm thinking about the vendor
13 training I received for the GammaKnife years back. I
14 believe it's an NRC requirement. It made me believe
15 that it was NRC-approved training. But I suppose the
16 question has to be raised. I don't know the answer
17 whether or not there is NRC-certified training or if
18 there is just training for --

19 MS. FRAZIER: No. Well, I'll just answer
20 for NRC. We do not have certified training, vendor
21 certified training.

22 MEMBER WELSH: Yes.

23 MS. FRAZIER: But on a case-by-case
24 basis, we go look at training that you submit to you
25 know, it's in the review process, but it's not vendor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 training. That's certified by NRC.

2 MR. SHOBER: And in this case, the vendor
3 is a licensee of the State of Ohio. And I would
4 expect that training program would have been reviewed
5 by the State of Ohio, but I am not involved with that
6 and NRC isn't involved with that.

7 CHAIR THOMADSEN: Mr. Mattmuller?

8 MEMBER MATTMULLER: Steve Mattmuller. I
9 think to build on what Orhan was suggesting because I
10 think this is somewhat of a lesson-learned from the
11 rubidium experience is that there was initial very
12 good vendor training provided, but then if that
13 original authorized user moves on, can he provide the
14 training to the next person following him? And would
15 his training be as adequate or comprehensive as what
16 the vendor provided? I think initially everyone will
17 be fine, but it's what happens after people move on
18 or new people --

19 CHAIR THOMADSEN: Dr. Langhorst?

20 MEMBER LANGHORST: I can speak to what we
21 do at Washington University in St. Louis and Barnes
22 Jewish Hospital in that, be it for GammaKnife
23 Perfexion or the development of the ViewRay system,
24 our physicians and our physicists go to vendor
25 training.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 In the case of ViewRay because we have
2 got the ViewRay unit there, the training is happening
3 on site. And, in fact, we're helping to develop the
4 training. So it's kind of a special circumstance.
5 But in our case, we require those potential
6 authorized users and potential authorized medical
7 physicists to go off and get training and I would
8 imagine continue that. It's not necessarily a
9 requirement by the NRC, but we are allowed to have
10 our authorized users be trained by other authorized
11 users.

12 CHAIR THOMADSEN: Dr. Suleiman?

13 MEMBER SULEIMAN: We have had some
14 situations at FDA, not always, it's sometimes
15 challenging where the user is required to undergo a
16 certain amount of training, but it's the vendor's
17 training. I would hope that something this
18 technically challenging, something like that, could
19 be done. In other words, maybe the vendor could say,
20 "Look, we're not going to allow you to use this
21 unless your personnel have undergone this level of
22 training."

23 MEMBER LANGHORST: This is Sue Langhorst.
24 I'll mention that this is about a \$5 billion piece
25 of equipment. So people aren't going to get one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 lightly and just let anybody run off to use it.

2 MEMBER SULEIMAN: Trust me.

3 MEMBER LANGHORST: Yes.

4 CHAIR THOMADSEN: Dr. Van Decker, did you
5 have your hand up?

6 MEMBER VAN DECKER: No, I did not.

7 CHAIR THOMADSEN: Okay. I'm seeing
8 things today.

9 Dr. Welsh?

10 MEMBER WELSH: Thank you for that
11 presentation. I was prepared to come in here today
12 harshly criticizing the placement of this in 10 CFR
13 35.1000, but I think your presentation discussion
14 about spot-checks, full calibration, electrical and
15 mechanical stop, multiple heads has convinced me that
16 maybe it can't fit into 600 at the moment and,
17 therefore, has to go into 1000. My concern is that
18 1000 tends to be a wasteland that material stays in
19 for too prolonged a period.

20 Clearly this belongs in 600. From my
21 perspective, this is just a glorified teletherapy
22 unit. It's new to NRC. It's new to the world of
23 teletherapy, but it's compared to what we have been
24 doing with linear accelerators with image guidance,
25 intensive modulation, multi-leaf collimators, dynamic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 multi-leaf collimators; this is nothing all that
2 different. My concern is that once in 1000, things
3 tend to stay in 1000 for too long a period of time.

4 The GammaKnife Perfexion probably belongs
5 with the other teletherapy. The new Infini device
6 that we didn't talk about today probably also belongs
7 in 600.

8 I know it is difficult, but certainly not
9 impossible to move things into categories that they
10 really do naturally belong in. And I'm specifically
11 thinking about how we have had the challenge of
12 radium-223 dichloride the last year or two. And,
13 with some effort, we were able to make accommodations
14 so that it will fit in section 300. I just think
15 that somehow 600 could be accommodated so that this
16 device, which clearly is a glorified teletherapy
17 unit, can fit into that teletherapy section.

18 CHAIR THOMADSEN: Thank you, Dr. Welsh.

19 Ms. Weil?

20 MEMBER WEIL: I'm Laura Weil. Going back
21 to where you talked about physical presence, it's the
22 AMP who needs to be in the department, not at the
23 console. Is that what you said? I'm trying to
24 remember specifically.

25 MS. SHOBER: The guidance currently

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 allows for an authorized user or an authorized
2 medical physicist. It's an "or".

3 MEMBER WEIL: To be in the department,
4 not at the console. What elements of patient safety
5 are lost by what you call that acceptable compromise?

6 MR. SHOBER: As far as why we would
7 require it in the first place?

8 MEMBER WEIL: You called it a compromise.
9 That means that, you know, there are two points of
10 view and you reach some sort of an accommodation,
11 which is problematic in some way on either side. And
12 I think Dr. Langhorst is able to answer that
13 question.

14 MEMBER LANGHORST: I would be glad to try
15 to answer that question.

16 CHAIR THOMADSEN: Dr. Langhorst?

17 MEMBER LANGHORST: I think patient safety
18 is enhanced by allowing that. You have a team of
19 people working to run the ViewRay system, just like
20 you have for the Linac. The physicians and the
21 physicists are able to look at other patients, to
22 deal with other patients without just being tied and
23 doing nothing but twiddling their thumbs because they
24 have to be there.

25 That is a problem with GammaKnife

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 Perfexion right now. We are wasting resources, and
2 it is impacting patient safety because other patients
3 do not have access to those physicians.

4 MEMBER WEIL: Okay. So what is the flip
5 side, then, having someone five minutes away, as
6 opposed to right there at the console?

7 MEMBER LANGHORST: They are there if the
8 technologist who is running the machine and taking
9 care of the patient if there is something that
10 happens that the machine is not working correctly,
11 that physicist is right there to come help address
12 that issue or if there is something that needs to be
13 changed as far as patient plan or whatever, the
14 physician is also right there and maybe doesn't even
15 have to be there physically, can be at a remote
16 console and have that same communication and be able
17 to provide that direction.

18 MEMBER WEIL: So you feel there is
19 adequate redundancy and --

20 MEMBER LANGHORST: Absolutely.
21 Absolutely.

22 MEMBER WEIL: Thank you.

23 CHAIR THOMADSEN: Dr. Welsh?

24 MEMBER WELSH: I might take this
25 opportunity to say that this discussion is perhaps a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 segue to reopening the whole question of whether or
2 not authorized user physical presence is truly
3 necessary for the GammaKnife after all of these years
4 of experience. And perhaps now that the new
5 Perfexion device, which, as I mentioned, is in 1000,
6 perhaps as we accommodate 600 to accept the new
7 GammaKnife and these new teletherapy units, perhaps
8 the question of authorized user; that is, physician
9 presence, during these treatments is really in the
10 best interest of patient safety, flow through in the
11 clinic, and best use of physician time. I think it
12 might be such

13 CHAIR THOMADSEN: So would you like to
14 see that issue on the agenda next meeting?

15 MEMBER WELSH: I think I would, yes.

16 MEMBER LANGHORST: I would second that.

17 CHAIR THOMADSEN: Okay. Well, I think
18 that can be arranged, then.

19 Any other questions? Yes, Dr. Suleiman?

20 MEMBER SULEIMAN: Since you've taken it
21 an extra level, I think this also brings to the floor
22 the issue of are the regulations too prescriptive or
23 too general. In other words, Dr. Welsh was talking
24 about this coming under the part 600. Maybe 600 is
25 too prescriptive where it starts to exclude certain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 other therapy-type devices. Maybe 600 needs to be
2 tweaked to accommodate the other therapy devices, but
3 then if you're not prescriptive enough to ensure
4 safety, the default to me would be to ensure that the
5 manufacturers' training addresses issues, alignment,
6 [and] collimation. In other words, make these
7 general safety requirements but not get so
8 prescriptive that a new technology comes along and it
9 has to be forced over into 1000.

10 I know the NRC is making these "We'll
11 recalibrate the 600s and the 300s and whatever later
12 on," but maybe those very prescriptive requirements
13 need to be slack and not ignored. You know, if
14 you're talking about a radiation shielding issue, if
15 you're talking about alignment of the radiation feed,
16 if you're talking about contamination anyway. Often
17 require those as safety requirements, a little less
18 detailed, but you don't ignore the training that the
19 vendor should be responsible for, for assuring.

20 And if I were a company, I would say
21 anybody who uses this device has to go through our
22 training and there has to be some sort of sign-off
23 qualification or whatever. Then you can sort of have
24 it the best of both worlds. You've got the
25 regulation there that if there is a problem, you come

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 in on the inspection. You say, "You know, you guys
2 were ignoring this."

3 And the company says, "Well, they were
4 trained properly. They followed, they took our
5 training. They signed off on this" or the company
6 says, "These guys are not trained. You know, they
7 didn't undertake our training."

8 So by having a balance, you can sort of
9 back off a little bit from some of the regulatory
10 requirements but basically ensure that the safety
11 component of the regulation is enforced. So I guess
12 the key is the vendor training.

13 CHAIR THOMADSEN: I have on my notes for
14 the agenda next time a discussion of Part 1000 and
15 600 and moving things and an adaptation of those.

16 Mr. Einberg?

17 MR. EINBERG: Yes. If I just may make
18 one comment? You know, what Dr. Suleiman has talked
19 about is revising 35.600 or revising Part 35 again.
20 And that requires rulemaking. And, you know, this is
21 a very lengthy process, and we haven't even gotten
22 through this Part 35 rulemaking. So I just wanted to
23 bring that to everybody's attention.

24 CHAIR THOMADSEN: Thank you. That's
25 understood.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 Member of the public?

2 MS. FAIROBENT: Thank you, Dr. Thomadsen.

3 Lynne Fairobent with AAPM. Two things.

4 One, just to follow up on Mr. Einberg's last comment,
5 although we're not through the current Part 35, I
6 don't think that's reason to delay looking at what
7 other additional changes might need to be made to
8 Part 35 so that we're ready since NRC has a policy,
9 at least right now, of only one rulemaking per part
10 of Title 10 at a time, which personally I think ought
11 to be reconsidered unto itself, but by the time we
12 get through this current Part 35 rulemaking, there
13 are also already other things that are not included
14 in it. And we should not stop identifying things and
15 working towards potential resolution just because
16 there is a current rulemaking underway.

17 Secondly, I have concerns about Part 1000
18 and how it has been utilized and implemented since
19 its conception, when Part 35 was revised in its
20 totality previously. And a quote from the statements
21 of consideration, "The NRC agrees with these comments
22 and will take them into consideration in setting up a
23 process for establishing regulatory requirements and
24 for approving applications for emerging technologies.

25 We intend to evaluate each technology on a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 case-by-case basis and to work with the ACMUI, the
2 medical community, the public, and the developers of
3 the new technology, as appropriate, to determine the
4 specific risk associated with the technology and any
5 additional regulatory requirements for the medical
6 use of the technology."

7 My reason for bringing this up is I don't
8 believe that in the case of the ViewRay there was
9 involvement by ACMUI prior to the guidance. There
10 certainly was not involvement by the medical
11 community at large. And I'm not aware of any public
12 meeting that was held or conference call held in
13 order to discuss this before the determination by the
14 staff to put this device under Part 1000.

15 I would just like to urge NRC to go back
16 and look at the statements of consideration from Part
17 35 on the creation of Part 1000 and to consider
18 following what was stated during that statement of
19 consideration.

20 I am also concerned with the same issues
21 that Dr. Welsh raised. Things go into Part 1000.
22 Nothing has come out of Part 1000. I have heard a
23 lot of comments from NRC staff and others at various
24 meetings that part of this is we have put something
25 into Part 1000 and then the technology disappears or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 it is no longer a viable technology. That may be the
2 case, but there are other things that have been in
3 Part 1000 that as the Perfexion GammaKnife unit is a
4 good example to take a look at, when is it likely to
5 come out of Part 1000? And how long does something
6 have to be in there before a determination is made?

7 And just also, Dr. Thomadsen, AAPM did an
8 extensive training session at CRCDP on ViewRay that
9 addressed the medical physics and clinical use
10 applications of the device. If you would like that
11 done for ACMUI, we would be happy to consider
12 repeating that.

13 CHAIR THOMADSEN: Thank you very much for
14 that offer. Thank you for your comments, Ms.
15 Fairobent.

16 Yes, Mr. Einberg?

17 MR. EINBERG: Yes. If I may respond to
18 Ms. Fairobent? Thank you for your comments. And
19 we'll certainly reexamine the statements of
20 consideration. I wasn't personally aware of those.
21 You know, there is knowledge transfer here and
22 knowledge management. That is greatly appreciated.
23 So we'll take a look at it.

24 CHAIR THOMADSEN: Thank you very much.

25 Last comment, I think.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 MEMBER LANGHORST: Maybe two. Sorry. I
2 really appreciate all the work that your working
3 group has gone through and your careful consideration
4 of all of these issues. The justification of why you
5 went the way you went and chose the route you went,
6 is that available in writing? Is it going to be
7 available in writing? Will that be available for us
8 to know as we move forward what was the thought
9 process?

10 MR. EINBERG: I'm not sure other than the
11 guidance, you know, whether there is --

12 MEMBER LANGHORST: I mean, you gave us
13 some justifications today.

14 MS. SHOBER: Right.

15 MEMBER LANGHORST: But there is not a
16 plan to have anything in writing to say why you came
17 to the decisions you came to.

18 MS. FRAZIER: Right. We didn't have a
19 plan for that. We do have that information, but it's
20 not part of the guidance that is out on public
21 domain. And I don't know. We had not thought about
22 having that information out there.

23 MEMBER LANGHORST: I think that would be
24 very helpful for those of us who have to implement
25 this to understand more of the why. Just like Dr.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 Welsh had mentioned, you know, some of the issues you
2 brought up made a lot of sense as we heard them here
3 today. The other --

4 MS. FRAZIER: I didn't know if Mike
5 wanted to comment on that.

6 MR. FULLER: Yes. Mike Fuller. I was
7 just going to say that you are absolutely right. I
8 would just echo what others have said. There is
9 absolutely no reason why we can't go back now and
10 memorialize and develop a record of the basis of our
11 decision and then make that publicly available,
12 absolutely no reason why we couldn't do that.

13 MS. HOLIDAY: Dr. Langhorst, this is
14 Sophie. I just wanted to follow up with what Mike
15 just said. During our working group discussions, I
16 did capture a lot of our discussions through the form
17 of meeting summaries. So I do have those. It's just
18 a matter of putting them into the official record
19 system and making them publicly available. But, as
20 Ms. Frazier indicated, we had not considered that
21 prior to --

22 MEMBER LANGHORST: I would encourage you
23 to.

24 MR. EINBERG: Chris Einberg. I would
25 caution, Sophie, again. Those meeting summaries are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 internal deliberations of staff.

2 MS. HOLIDAY: Absolutely.

3 MR. EINBERG: So those cannot be made
4 publicly available. However, to echo what Mike said,
5 you know, we can certainly develop a record or get a
6 safety basis or get what the basis for that licensing
7 decision was. We did something comparable for the
8 radium-223. And so we documented what the evaluation
9 was there.

10 MEMBER LANGHORST: My second comment is,
11 just like for Perfexion GammaKnife license guidance,
12 that that you have posted on the website, please
13 number the pages and please date the guidance so that
14 we know when it changes. Thank you.

15 CHAIR THOMADSEN: Thank you very much.

16 MS. FRAZIER: We've actually had a
17 discussion on that. And I believe it's already been
18 taken care of.

19 MR. EINBERG: Right.

20 MS. FRAZIER: So on the website, it
21 should have the numbers and the dates.

22 MS. HOLIDAY: That will be posted
23 shortly.

24 MEMBER LANGHORST: I encourage that for
25 Perfexion GammaKnife, too.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 MS. HOLIDAY: And staff has taken that
2 recommendation. I know that you voiced that
3 recommendation beforehand. And so we have planned to
4 do that for future guidance and then eventually go
5 back and correct the guidance documents that
6 currently exist on the website.

7 MEMBER LANGHORST: Thank you.

8 MS. HOLIDAY: You're welcome.

9 CHAIR THOMADSEN: Thank you very much.

10 And, Ms. Shober -- whoa. You have
11 another comment? Please?

12 MS. FAIROBENT: Lynne Fairobent, AAPM.
13 One of the other things I did mean to mention also is
14 that we need to keep in mind that Part 1000 because
15 it's licensing under guidance is not subject to
16 compatibility by the Agreement States. And although
17 we would like to think that they may follow that,
18 there is nothing to say that the State of California
19 when they start licensing ViewRay for UCLA is going
20 to follow that guidance document. There is nothing
21 requiring the State to do so.

22 CHAIR THOMADSEN: Thank you, Ms.
23 Fairobent, for that comment. And, Ms. Shober and Ms.
24 Frazier, thank you very much for your report. And
25 thank you very much, Ms. Shober, for coming all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 way from Wisconsin.

2 Dr. Van Decker? We are now going to hear
3 about iodine-123 mIBG imaging, a new frontier in
4 nuclear cardiology with cardiac sympathetic
5 innervation imaging.

6 MEMBER VAN DECKER: Thank you, Dr.
7 Thomadsen and staff, for allowing me to present. I
8 realize I stand before lunch. So I'll try to be
9 North-Jersey sharp.

10 MEMBER VAN DECKER: You know, as my time
11 grows shorter at the table, I recognize that I had a
12 five-fold responsibility while here. Number one was
13 to represent my constituents' viewpoints on the
14 issues of the time in a collegial and collaborative
15 manner with the other stakeholders and staff; to hear
16 from NRC and the people at the table to bring back to
17 the constituency base, number two; to serve on
18 subcommittees for the common goal of radiation
19 safety, which was number three; participate in a
20 commissioner briefing if that opportunity presented
21 itself; and then, number five, to do a little update
22 on the field as a part of the stakeholder community
23 so that the NRC has some concept of why things are
24 being done, what kind of activity they are seeing on
25 their licenses. And so, with this little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 presentation, I consider myself personally full and
2 appreciate it except I have to get the slide to work.

3 Okay. So here's my quick perspective on
4 nuclear cardiology from 25 years in the practice of
5 the field. You know, 80 percent of what is going on
6 in nuclear cardiology in this day and age is
7 myocardial infusion imaging depending on which flavor
8 of radiopharmaceutical you like to use. It has
9 proven to be the most robust, reproducible, and most
10 studied way to try to sort out restrictions in flow
11 through coronary arteries to myocardium. And it has
12 done incredible patient outcome improvements over the
13 last 30 years, for which the cardiovascular community
14 I think is quite pleased.

15 You know, the other two pieces of what is
16 done in nuclear cardiology/myocardial function are
17 looking at the water pump for squeeze. And while
18 this is nice, there are a zillion different competing
19 modalities that do the same thing. And the third
20 thing has essentially been after heart attacks how
21 much muscle is still really alive in the myocardium
22 or the questioned myocardial viability, which is
23 frequently done by the perfusion agents themselves,
24 although sometimes done by metabolism through FDG.
25 But those three kind of represent what has been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 traditional nuclear cardiology over the last 25
2 years.

3 Now, having said that, nuclear
4 cardiology, just like everyone else's position at the
5 table, is not stagnant. There have been multiple
6 research interests as to what other kinds of
7 radiopharmaceuticals could answers pointed questions
8 in the clinical care of cardiovascular-ill patients.

9 We have done some infarct avid imaging, hot spot
10 imaging through a variety of radiopharmaceuticals.
11 And, even though the current state-of-the-art is
12 biomarkers, there may still be some realm in this
13 down the line.

14 We have done a lot of research work in
15 radiopharmaceuticals for apoptosis imaging, which is
16 programmed cell death without inflammatory necrosis,
17 which is something that the myocardium undergoes and
18 there is still work ongoing in this.

19 There has been a lot of metabolism
20 imaging to look at how the heart handles substrates.

21 Most of that has been with I-123-labeled compounds
22 and long chain fatty acids. I would point out that
23 the heart is a little bit of an unusual organ. It
24 likes the extra kilocalories per mole of fats, rather
25 than glucose, which is common in the peripheral

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 muscles.

2 But the last piece of this, which is
3 going to be the focus of what I like to talk about
4 for a few minutes, is actually imaging the autonomic
5 nervous system of the heart, which is a frontier we
6 really haven't been in. The heart is an organ driven
7 by autonomic nervous system control. And to have
8 some better knowledge of that, especially in the
9 arrangements and certain very severe clinical
10 conditions, would be incredibly helpful. And the
11 most common clinical condition of major import is
12 really congestive heart failure.

13 The bottom two chambers of the heart, the
14 ventricles, are highly innervated by sympathetic
15 innervation. And that innervation changes quite
16 traumatically when the water pump doesn't function
17 quite so well.

18 So congestive heart failure is the
19 clinical realm that we're looking forward to the use
20 of I-123 mIBG in present. It's a situation suffered
21 by over five million people in the United States of
22 America. Unfortunately, once you acquire the
23 diagnosis, you have a 50 percent chance of passing
24 away at the 5-year mark. So it is quite a severe
25 illness. It has a lot of costs associated with it, a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 lot of therapy options that it would help to be able
2 to try to get a better sense of what to use when.
3 You know, clinically it is mostly marked by
4 congestive fluid backup in the patient, into the
5 lungs and the legs of water, and then forward output
6 problems of being unable to deliver enough oxygen to
7 the forward tissues.

8 Both of these situations, just like the
9 body is such a miracle, undergo compensatory changes
10 from other parts of the body in an attempt to try to
11 get things to work better. And those compensatory
12 changes are obviously something of major import here.

13 Within the past few months, the FDA has
14 expanded the indication on the use of I-123 mIBG.
15 Pat pointed out to me yesterday he is very familiar
16 with this radiopharmaceutical. It's been around for
17 a variety of years now for use in neuroblastoma and
18 pheochromocytoma imaging. And so, you know, it has
19 been out there. But the use in cardiology will be a
20 little bit new in its focus.

21 It's currently indicated for nuclear
22 medicine assessment of the innervation of myocardium
23 by measurement of the density of the sympathetic
24 nerves in the heart to the mediastinum, of which
25 there is very little innervation, so that we have an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 objective numerical evaluation.

2 In patients whose pump function is
3 significantly reduced, the heart usually pumps much
4 more than 50 percent of the blood in it with any
5 beat. But when you start getting clinical
6 decompensations, the amount of blood released is
7 obviously less with each heartbeat, which leads to
8 symptoms, the New York Heart Association
9 classification, where one is no symptoms and
10 functional limitation and four is essentially being
11 chair or bed-bound and then two or three being more
12 mild and moderate limitations due to inappropriate
13 water pump function essentially.

14 And the radiopharmaceutical through a
15 variety of trials, including a recent pivotal phase
16 III trial, has been shown to be possibly useful in
17 identifying patients with lower one and two-year
18 mortality rates. And it just becomes one more marker
19 or one more integrated data point in a clinician's
20 mindset of where a patient may fit in therapeutic
21 needs. And we'll have to see how some of this plays
22 out over the next few years, but having a new
23 independent marker is actually quite exciting for the
24 field of cardiovascular care.

25 So from the NRC perspective, obviously,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 and for the table, you know, the iodine-123 is a
2 radionuclide. It is cyclotron-produced. And it does
3 decay by electron capture. I would point out in that
4 regard that it's no different than thallium, which
5 has been a major player in the radiopharmaceutical
6 component of nuclear cardiology practitioners for
7 decades and decades, a physical half-life of about
8 13.2 or 13.3 hours depending on how you want to look
9 at it.

10 That half-life obviously makes this a
11 potentially unit dose-deliverable compound from
12 commercial radiopharmacies. The radiation peak is
13 159 keV, somewhat similar to technetium at 140,
14 although the line spread function is a little bit
15 different and so the safety issues of half value
16 layers similar for lead.

17 You know, this is a commonly used isotope
18 in the general nuclear medicine realm in the 35.200
19 class for imaging and localization. The radiation
20 safety knowledge is similar to the radiation safety
21 knowledge that every 35.290-trained user gets in
22 radiation safety of clinical radioisotope handling.

23 The nice thing about I-123, which it does
24 well radiochemistry-wise with organification, is that
25 it can be imaged with SPECT crystals and not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 necessarily a PET agent.

2 The biologic excretion is renally
3 excreted, which has the effective T 1 half-life and
4 will be off somewhat in renal dysfunction. The
5 effective dose for a ten-millicurie activity
6 deliverable is about 5.07 millisieverts, which is in
7 the realm of general nuclear medicine-type
8 technologies. Besides the obvious organs I should
9 have put here, the organs receiving the highest dose
10 by the ICRP calculation chart is the liver and the
11 urinary bladder. And most of these people are
12 hydrated well in that regard.

13 So just to give a feel for clinically why
14 this interest is here and where we are going with all
15 of this, I-123 is a meta-iodobenzylguanidine. It's
16 essentially a fake-out of the neurohumoral system
17 excuse my north Jersey-isms which is norepinephrine,
18 which is the major whip to beating the heart to
19 create activity and is used in the autonomic
20 innervation of contractility in heart rate. By
21 having a neurotransmitter that doesn't undergo
22 metabolism, we can kind of track norepinephrine and,
23 therefore, indirectly assume norepinephrine neuronal
24 innervation density essentially.

25 Alright. So this is a little schematic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 of autonomic nerves as they sit on top of your
2 ventricle and some of the fine pathways that are
3 involved, but norepinephrine coming out of these
4 nerves essentially tells the heart something about
5 its performance. Beta one receptors tell you how
6 fast your heart rate goes. Beta two tells you how
7 strong your heart muscle squeezes. Alpha one is a
8 little bit of the vasoconstrictor component of the
9 coronary tree, but norepinephrine is a major driver
10 in trying to auto-regulate some of the stuff that is
11 going on with the heart.

12 And in the field of heart failure, the
13 fact that the pump is starting to fail, the impetus
14 of the body to correct is to hit harder with the
15 whip. And that hitting harder with the whip causes a
16 variety of different things to occur. And having
17 some feel for that would certainly be helpful for
18 understanding where a patient fits in his long-term
19 prognosis and what is going on.

20 So mIBG gets taken up by the
21 norepinephrine transport site on the presynaptic
22 junction. So it helps us mark presynaptics. And
23 there are going to be changes in both receptors and
24 presynaptic uptake based on the neurohumoral
25 dysfunction of the failing heart. And this is going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 to allow us to track it essentially.

2 So to talk a little bit about the
3 catecholamines, of which norepinephrine is one, in
4 heart failure, you know, I wish I could do this as
5 good as Doug Mann, an old friend and colleague of
6 mine at Wash U., who is a Temple boy, by the way,
7 but, you know, essentially as pump function
8 decreases, either by ischemic or non-ischemic causes,
9 the body goes into a neurohumoral overrun to try to
10 get it to do better. And there is up-regulation of
11 the renin angiotension aldosterone system and the
12 sympathetic nervous system, almost kind of in an
13 adrenal flight symptom, to try to get the heart to be
14 more efficient. That causes an initial increase in
15 the release of norepinephrine to the synaptic
16 junction to get the heart to perform better. But the
17 chronic stimulation of the sympathetic nervous system
18 essentially eventually causes depletion of
19 norepinephrine at the synaptic junction and,
20 therefore, down-regulation of the norepinephrine
21 system and the neurohumoral regulation. So that you
22 essentially eventually get to this down-regulation of
23 response and down-regulation of receptors and,
24 therefore, down-regulation of norepinephrine uptake
25 and down-regulation of mIBG uptake as the false

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 neurotransmitter essentially.

2 I would point out that, like all good
3 technologies, if there is scientific data in it, then
4 there will be multiple ways to try to track it. So
5 we should point out that, nuclear medicine being a
6 molecular technology, there are many potential
7 radiopharmaceuticals in the pipeline to do this.
8 Several of them, obviously you could tell from this
9 quick chart, involve PEP-type agents that are
10 norepinephrine kind of analogs.

11 There is some interest, obviously, in
12 parasympathetic innervation as well in the EP
13 community. And we'll have to see how that defines
14 over time.

15 In any case, meta-iodobenzylguanidine is
16 an analog of guanethidine. Guanethidine is similar
17 in structure to norepinephrine. Once uptake into the
18 presynaptic nerve terminal, it competes for entry
19 into vesicles and transmittal out to cause activity.
20 And this allows us to track the amount of
21 innervation in the heart.

22 The attempt over the last couple of years
23 to quantify this has been an attempt to get some
24 relationship of density, of nerves to the ventricle,
25 and on an uptake basis, rather than visually, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 is obviously going to be by radiographic
2 characteristics normalized. So in this regard, there
3 are regions of interest drawn over the heart. And
4 then where there should be lots of innervation and
5 lots of uptake and then a region of interest drawn
6 over the upper mediastinum between the lungs, where
7 obviously there is very little innervation, it should
8 count essentially as the background mode to give you
9 a relationship between the innervation of the
10 ventricle and the background that you see. And a
11 ratio is derived.

12 So in the normally innervated heart,
13 there is lots of uptake. And that ratio is usually
14 well over two. And it tells you that there has been
15 no down-regulation of the autonomic nervous system
16 and that the heart believes that there should be no
17 need for feedback mechanisms from the adrenal system.

18 So if that ratio goes down, then it
19 reflects a decrease in receptor density, some
20 problems with the integrity of the presynaptic nerve
21 terminal, and some ability to take up norepinephrine,
22 which is usually the case.

23 So this is what this has looked like in
24 the '90s or early 2000s, I would say, when people
25 were first playing with this, you know, trying to get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 a density of counts within the myocardium to the
2 mediastinum and give some sense for what is the
3 density of innervation.

4 I would point out that as this field
5 develops somewhat further, there may be some findings
6 in the regional uptake of innervation that may be
7 helpful in understanding the pathophysiology of the
8 patient so that eventually SPECT imaging may play a
9 bigger role while the majority of the current
10 numerical calculation is essentially planar imaging,
11 but there are clearly findings of matched and
12 mismatched perfusion images to innervation of areas
13 of the heart.

14 There are some people in the EP community
15 that believe that that may be sites for arrhythmic
16 reentry. You know, a lot of that will need to be
17 sorted out down the line as far as what that means
18 prognostically. This is just an example of that from
19 a slide from overseas, with the left images being
20 mIBG uptake and the right images being a perfusion,
21 where you can see an innervation regional defect
22 without a perfusion defect.

23 You know, recognize that although these
24 look like perfusion images with a tech agent, that
25 the image on the left side is essentially acquired

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 because the tracer has been taken up by the
2 presynaptic junction and not really by the myocyte.
3 This happens to be sitting on top of it. And that is
4 probably the key piece of molecular imaging.

5 I would just point out, just give a feel
6 for why the excitement is in the clinical trial realm
7 of this. The ADMIRE heart failure trial was probably
8 a phase III pivotal trial that was presented to FDA
9 and did look at patients with class II and III heart
10 failure for whether indeed this numerical assessment
11 of innervation may give us some insights into
12 prognosis of different patient classifications.

13 The primary endpoint was trying to find a
14 presumed cut line, although it's not quite as black
15 and white as everyone would love, and to see whether
16 a cut line would give us some idea of adverse cardiac
17 events above or below, once again, you know, the
18 usual ratio being well above two of heart to
19 mediostinal ratios, using an endpoint of heart
20 failure progression, so worsening functional
21 classifications, potentially life-threatening
22 arrhythmias, which are common in this patient
23 population and especially ventricular tachycardia or
24 cardiac death.

25 You know, there are a variety of ways

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 that this has been looked at over the past few years.
2 We have tried to come to some consensus on what
3 information would be most useful in patient care,
4 whether that would just be plainar imaging, whether
5 it be initial plainar imaging, after the initial
6 injection, whether it be late imaging about four
7 hours after the injection to see if there is washout
8 because integrity will have less washout, less
9 integrity of the nervous system will cause a little
10 bit more washout in addition to less initial uptake,
11 and you can see the combination of that four-hour
12 imaging later. And the cut point on this trial at
13 least was to use the four-hour plain R image as a
14 quantitative assessment. There was a presumed, you
15 know, line of what might be a bad or good prognostic
16 outcome of about 1.6, which is essentially developed
17 over initial trials that were done overseas to try to
18 see if we can at least get some sense for whether
19 this will give us some differentiation and prognosis
20 between patients.

21 And, you know, just in summary once
22 again, this was essentially endpoint progression.
23 There were well over 900 patients involved in the
24 study. Because this is a very sick patient
25 population to study, there were a lot of events these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 patients, unfortunately, clinically are pretty sick
2 and don't always do so well and looked at composite
3 endpoint. At the two-year composite endpoint, the
4 group with relatively good heart-to-mediastinal
5 ratios did still have an event rate. It's not zero.

6 But that event rate compared to the event rate of
7 those people below a certain line was certainly way
8 less than half and at least gives us some prognostic
9 data information when we integrate all of the
10 information about a given patient and where we might
11 make independent decisions.

12 The demographics are very, very common
13 for this type of patient population. And that
14 two-year mortality is pretty consistent.

15 You know, I would just point out that
16 since all of these people by definition had bad
17 hearts with EFs less than 35 and were functionally
18 restricted, that a good majority of these
19 heart-to-mediastinal ratios were nowhere near over 2,
20 but there was some differentiation in the patient
21 population to kind of look for.

22 And this is kind of the clinical outcomes
23 of this trial through the FDA and its decision
24 process, showing Kaplan-Meier curves, where looking
25 at all of the endpoints, there is some degree of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 independent differentiation in prognosis from one set
2 to the other and in all-cause mortality. And this is
3 what has caused some degree of excitement in the
4 community looking for independent markers or
5 something beyond coronary blockages and pump
6 function, something from the nervous system
7 perspective that we might be able to image and might
8 be able to make some decisions on.

9 This is essentially showing three
10 different patients who have significantly different
11 heart-to-mediastinal ratios. You can see from the
12 far right that the heart clearly is taking up some
13 mIGB, even without a calculated ratio, which could be
14 there, which was about 1.7, and the far left, where
15 you can't see any cardiac uptake whatsoever, where
16 the heart-to-mediastinal ratio here was really .96.
17 And, as you can imagine, there were more events in
18 the left group than in the right group essentially.

19 I would point out that, obviously, this
20 is early FDA approval, a lot of excitement because it
21 is a new mechanism target. And, obviously, new
22 mechanism targets are kind of important when you are
23 trying to do disease assessment and disease
24 preparation. But, you know, the ability to add
25 another marker of prognosis to try to see if we can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 define intensity of services and targeting of
2 services in people who are pretty sick is kind of
3 exciting to the community.

4 The nuclear cardiology community
5 recognizes that it is part of the educational part
6 for its practitioners. There is already work
7 undergoing in trying to make sure that we have
8 guideline standards out there in acquisition and
9 reporting and that we have some degree of societal
10 representation of what would be appropriate use of
11 the technology as a piece of the puzzle across many
12 different assessments. But certainly this would be
13 an assessment that is not gotten by left ventricular
14 function or by perfusion and certainly holds some
15 promise in that regard. Certainly we want to make
16 sure on a lab accreditation basis that we have
17 everybody doing this in an appropriate manner.

18 And we realize that, you know, in all
19 life, education, education, education. And, so, you
20 know, we're making sure that there is discourse among
21 the community about the clinical use of the
22 radiopharmaceutical and the clinical isotope handling
23 of the radiopharmaceutical in a culture-safety manner
24 that would do good for patients. And hopefully this
25 will grow the armamentarium of the nuclear cardiology

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

community in helping all cardiovascular specialists take better care of a fairly growing percentage of disease process in the population.

And I will just end this with one quick comment. And hopefully I will be able to say my thank you's later. I am glad this slide made it past the cut, actually. This is not an institutional advertisement but a comment from my colleagues around the table, whom I have greatly enjoyed over the last eight years. You know, I wish while our mascot can sometimes be emotional, I wish both the Committee and the staff the continuing wisdom of the owl. You know, the owl is an unemotional bird that we assign wise wisdom to. It doesn't move quickly at first. It absorbs data. It thinks about it. It looks like it's just sitting there. And then it makes motions that are usually decisive and quickly. And it usually at that point sits back and tries to decide what it should do better the next time. And so I wish for everyone in the room the wisdom of the owl.

21 And I thank you very much for the
22 opportunity to present.

23 | (Applause.)

24 CHAIR THOMADSEN: Thank you, Dr. Van
25 Decker.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 Do we have questions or comments on the
2 presentation?

3 MEMBER ZANZONICO: I just have

4 CHAIR THOMADSEN: Yes?

5 MEMBER ZANZONICO: -- an academic
6 question. So would the idea be that this would
7 identify CHF patients earlier or different patients?

8 In other words, how would it affect the management
9 of these patients?

10 MEMBER VAN DECKER: I think the hope is
11 to try to identify people who need a more rapid
12 intensification of their therapy, rather than an
13 intensification of therapy that may not necessarily
14 be necessary at that moment in their life span, you
15 know intensification of the diuretics, the beta
16 blockers, the transplant list, the devices, versus,
17 you know, sitting tight on some lower-level meds.

18 You know, obviously, you know, with cut
19 points, this is going to be still a clinical judgment
20 kind of issue. But the concept of having a newer
21 independent marker different than some of the
22 traditional markers we have used as a piece of the
23 integrated definition of intensity of services and
24 prognosis I think we're all hopeful for. And
25 hopefully as the phase IV data starts to come out and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 we start to gather some more experience, you know,
2 hopefully we'll be able to put some more specific
3 bullet points to that, obviously.

4 CHAIR THOMADSEN: Dr. Suleiman?

5 MEMBER SULEIMAN: Yes. I think this is
6 exciting. I mean, you are basically looking at a
7 standard uptake value or a ratio in this case. And
8 hopefully that correlates with some clinically
9 valuable indication, you know.

10 The horror that I have experienced over
11 the years is the complete lack of imaging
12 standardization, where they don't know what they are
13 administering and how you choose the regions of
14 interest is almost arbitrary. Forget equipment
15 sensitivity and variation and whatever. And then a
16 lot of these trials fail. And I said, "What sort of
17 standardization did you use?"

18 And "Oh, we looked at it." You know, so...

19 MEMBER VAN DECKER: I think the community
20 is very keen on sizes of regions of interest and
21 positioning of regions of interest. And I think part
22 of our guidelines that we are hoping to get out
23 relatively quickly and standardized so that the field
24 works as a unit is to try to standardize those types
25 of things and bring a numerical piece to it. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 that's the strength of the technology.

2 CHAIR THOMADSEN: Dr. Welsh?

3 MEMBER WELSH: I want to agree with Dr.
4 Suleiman that this was very exciting. So, Dr. Van
5 Decker, if I heard this lecture a zillion years ago,
6 when I was a medical student, I probably would have
7 been a nuclear cardiologist.

8 (Laughter.)

9 MEMBER WELSH: I had no idea how exciting
10 this was. But my question to you --

11 MEMBER VAN DECKER: That would be nice if
12 the owl always knows when to

13 (Laughter.)

14 MEMBER WELSH: But you mentioned that
15 this is a new mechanism target. And new mechanism
16 here is catecholamine analog, specifically
17 norepinephrine. Therefore, I wonder what would be
18 the impact of mimetic drugs, beta blockers,
19 inotropic agents, on the uptake. And how does that
20 uptake alteration in the presence of those drugs that
21 are used in CFH patients compared to the traditional
22 agents?

23 MEMBER VAN DECKER: Well, you almost
24 could have been a cardiologist. That's good.

25 I think that that is great, interesting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 stuff. So, you know, we have obviously patients who
2 are on home inotropic support with milrinone and
3 dobutamine because we are essentially creating
4 artificial whips to the heart because we run out of
5 stuff. You know, can we identify people who need
6 that extra whip earlier or not? In the early down-
7 regulation process, is there some way to track
8 utility of beta blockers to slow the degree of down-
9 regulation? You know, I think that you ask a variety
10 of excellent questions that we have to some degree
11 empirically treated by our gross understanding of the
12 neurohumoral interaction and heart failure, but the
13 potentiality of targeting pieces of that in a more
14 scientific manner I think, you know, shows some hope
15 and some promise for the field in the care of
16 cardiovascular patients.

17 CHAIR THOMADSEN: Well, thank you very
18 much for the moment of glory.

19 MEMBER VAN DECKER: Thank you guys for
20 the opportunity.

21 CHAIR THOMADSEN: And we are running
22 almost a half-hour behind schedule at the moment. We
23 are going to lunch. Maybe we can try to be back here
24 as close to 1:30 as you can.

25 (Whereupon, a luncheon recess was taken

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 at 12:27 p.m.)
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 1:34 p.m.

3 CHAIRMAN THOMADSEN: Welcome back after
4 the break. We'll have a presentation now from Dr.
5 Zanzonico on regulatory aspects of germanium-
6 68/gallium-68 generators.

7 Dr. Zanzonico?

8 MEMBER ZANZONICO: Thank you. Welcome
9 back, everyone.

10 Okay. So as the title indicates, I'll be
11 talking about -- my presentation is germanium-
12 68/gallium-68 generators, and I must first
13 acknowledge our colleague on the ACMUI, Steve
14 Mattmuller, who provided a lot of information and
15 input, and in particular raised some of the key
16 regulatory issues. And to a large extent I'll be
17 parroting what Steve has already presented to us.

18 I think it's worth noting that there's
19 really been widespread growth in the clinical
20 applications of gallium-68 and of these generators in
21 connection with radionuclide. That would be of
22 somatostatin receptor-overexpressing tumors, the
23 neuroendocrine tumors and so forth.

24 Largely outside the U.S. these
25 radiopharmaceuticals, which have been used very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 productively and very actively outside the U.S.,
2 really haven't established themselves in the States.
3 But for example, there have been two recent
4 international symposia on gallium-68 and on imaging
5 in therapy of somatostatin receptor-overexpressing
6 tumors. So in this respect we're a bit behind the
7 times. We're a bit behind the rest of the world.

8 This is simply the outline of what I'll
9 be presenting this afternoon, and I'll begin with the
10 physical properties. So the germanium-68/gallium-68
11 generator is an example of secular equilibrium
12 between the long-life parent, germanium-68 with a
13 287-day half-life, and the short-lived daughter,
14 gallium-68 with a half-life of just over an hour.
15 And the germanium-68 decays by electron capture and
16 really only emits very low energy, very soft
17 characteristic X-rays. The gallium-68 is a positron
18 emitter of 90 percent positron emission with a very
19 small abundance of high-energy protons. So it's
20 really the gallium-68 daughter which dictates the
21 shielding and most of the other radiation safety
22 precautions.

23 Currently generators are available in
24 activities up to 50 millicuries of germanium-68 and
25 they have a source of no-carrier-added gallium-68 so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 that you can get very specific activity and therefore
2 low mass dose radiotraces labeled with the gallium-
3 68, which is an important point since the molecular
4 targets that these radiotraces are directed to our
5 saturable targets, our somatostatin receptors. So
6 it's important to be able to have high-specific
7 activity.

8 Now you can calculate that based on a
9 five-millicurie administered activity per patient.
10 And the fact that you can easily elute the generator
11 up to twice a day, if you look at the ingrowth curve
12 of the gallium-68 by four hours, or about four
13 daughter half-lives, the maximum amount of gallium-68
14 has grown in. So you can easily elute twice over an
15 8-hour work day or up to 6 times over 24 hours and
16 you can easily get a 50 percent radiochemical yield
17 at the various traces.

18 And based on about a two-year useful
19 lifetime of these generators, or slightly less, and a
20 cost about \$1,000 per millicurie of the germanium-68,
21 you can estimate a cost per patient administration of
22 the gallium-68 of as low as \$5 to \$10. So it's a
23 very economical source of a positron emitter.

24 These are examples of the current
25 commercially-available gallium-68 generators, one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 manufactured by Eckert and Ziegler and another by
2 iThemba.

3 And again, you would need extra shielding
4 because of the relatively high 511 keV annihilation
5 photons emitted by gallium-68 and its low abundance
6 of 1 meV photons. In its structure and operation
7 it's a fairly conventional looking generator,
8 analogous in many respects to the molybdenum-99,
9 technetium-99m generator with the parent germanium-68
10 absorbed onto a metal dioxide resin and then eluted
11 with a dilute acid, dilute hydrochloric acid and
12 collected in shielded evacuated collection vials. So
13 again, it's a fairly standard design.

14 This shows the profile of germanium-68
15 where the black bars identify the amount of gallium-
16 68 activity. And that's on the left ordinate axis.
17 And those activities are in megabecquerel. And the
18 white bars represent the breakthrough of the
19 germanium-68 parent. And that activity is indicated
20 on the right ordinate scale. And note that that
21 activity is indicated on the right ordinate scale.
22 And note that that activity is in kilobecquerel.

23 So you see that about 90 percent of the
24 activity gallium-68 is eluted in the four to six-ml
25 of eluent with the germanium-68 breakthrough of about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 0.0025 percent. And you can assay the germanium-68
2 breakthrough either by radioassay of the eluent after
3 any gallium-68 has decayed away. So you're about a
4 day or so, even 12 hours, as short as 12 hours after
5 the elution. So you really couldn't do a
6 breakthrough assay immediately post-elution for each
7 eluent, but perhaps at the end of the preceding day
8 you could elute a generator and then assay the
9 activity of that eluent the following morning for
10 that day's work.

11 There is also a method based on a cation
12 exchange chromatography column for assaying the
13 germanium-68 breakthrough immediately post-elution,
14 but that may be more onerous than most sites would
15 want to get involved with.

16 One of the attractions of gallium is that
17 it's a trivalent or +3 metal chemically analogous to
18 indium, which means it can be stately bound by so-
19 called bifunctional polydentate chelates. And by
20 "bifunctional" we mean that it has binding sites for
21 the gallium metal, but also a second site for
22 covalent binding to proteins or peptides. The
23 original such chelate that was widely used in
24 radiochemistry was DTPA, which is a so-called linear
25 or open chelate. And more recently DOTA,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 which is a cyclic or closed chelate is used more
2 widely because of the greater stability of the metal
3 binding that sort of forms a closed cage around the
4 ion and gives you greater stability. And it's been
5 demonstrated, for example, that there is very little,
6 if any, trans-chelation of the gallium when gallium
7 DOTA radiotracers are administered.

8 And the main form that gallium has been
9 clinically, again, almost exclusively in Europe, has
10 been to link the gallium-68 via the DOTA chelate to a
11 somatostatin analog identified as TOC for short.
12 I'll show you that again a moment. And this
13 somatostatin analog binds with high-affinity and
14 specificity to the somatostatin receptor itself,
15 which is overexpressed on neuroendocrine tumors,
16 neuroblastomas and so forth and is the basis of
17 somatostatin analog imaging and radionuclide therapy
18 of these sorts of tumors.

19 These somatostatin receptors are
20 expressed, overexpressed on the tumor cell membrane,
21 so they're readily accessible to systemically-
22 administered traces of this type.

23 Here is shown the two types of
24 somatostatin analog traces that have been used.
25 Indium-111 DTPA octreotide, or OC for short, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 gallium-68 DOTA tyrosine octreotide, or DOTA-TOC, for
2 short. And shown are the inhibitory concentrations,
3 50 percent inhibitory concentrations, which are in
4 the nanomolar range. So these are very high-affinity
5 binding traces.

6 And on the right is shown the kinetics of
7 labeling of these traces once they've been covalently
8 decorated with the chelation agents. And notice that
9 under mild conditions, 80 degrees celsius and pH of
10 4, you get near complete labeling within about 5
11 minutes of incubation. So it's a very
12 straightforward, very efficient labeling procedure.

13 And so a number of manufacturers have
14 already market radiochemical synthesis modules
15 analogous for what's available commercially for
16 various PET radiotracers, and this allows rapid
17 automated preparation of gallium-68
18 radiopharmaceuticals. So the point is although these
19 generators are not approved for human use in the
20 States, the technology, the practical technology is
21 readily available for the efficient clinical
22 application of this nuclide and these types of
23 traces.

24 And I'd just like to step through some of
25 the clinical applications. Here we're looking at a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

PET/CT scan of a 16-year-old with a small bowel neuroendocrine tumor imagined with gallium-68 DOTA-TOC. And you see in the images on the left column transverse PET images, and then at the bottom a CT image, and then in the middle a PET/CT image and a high uptake focus of activity. And this was also shown on the sagittal MR image. And this demonstrates high-contrast specific localization of this agent in this tumor. And so it specifically identifies it as a somatostatin receptor-overexpression lesion.

And as shown on the left-hand side of this slide, DOTA-TOC is able to identify with really remarkably high sensitivity and specificity these lesions. And there's a statement from this paper basically saying that in literal terms, documenting the high specificity and sensitivity of these traces for identifying these types of lesions.

Another application besides staging and characterization of lesions with gallium-68 somatostatin receptor analogs is theranostic; that is, a treatment plan. Here on the left you see a whole body PET image of gallium-67 DOTA-TATE, which is just a slightly altered analog coronal view showing you uptake in lesions throughout the body, as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 well as the liver and spleen and kidneys. And on the
2 right is shown the therapeutic analog lutetium-177
3 DOTA-TATE following a 200-millicurie administration.

4 And the point is that the gallium agent successfully
5 identifies all of the lesions and more at therapy, as
6 well as the normal organ distribution. So it could
7 be used for not only identifying treatable tumors,
8 but also for lesion and normal organ dosimetry.

9 It can also be used on treatment
10 monitoring. On the left-hand side is shown two pre-
11 therapy PET/CT scans where the arrows are identifying
12 the uptake in these tumors. And on the right after
13 lutetium-177 DOTA-TATE therapy and the uptake has
14 been completely eliminated by the therapy. And given
15 the quantitative imaging capabilities of PET, one can
16 also quantitatively follow therapy response. And in
17 this particular paper a parameter called the
18 molecular tumor index, which is basically a measure
19 of the total tumor uptake is shown to decrease with
20 time post-lutetium-177 DOTA-TOC therapy.

21 So an important advantage obviously of
22 gallium-68 DOTA-TOC is that it's a positron emitter
23 and compared with single-photon emitters like indium-
24 111 DTPA-TOC you have much higher spatial resolution,
25 much more accurate activity quantitation, its binding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

affinity to the target molecule is much higher, the radiation dose because of the short half-life to normal tissues is much lower, and it can be done in a single visit. That is, the patient gets the tracer administered and within one hour, by necessity, the imaging is done. So it's logically simpler, more cost-effective and so forth.

And this is just a table of different types of radiotracers already labeled and used in man in investigational context with gallium-68. And I'd point out in particular that an antibody label trace of a HER2/neuaffibody has been labeled with gallium-68. The importance of that is that nowadays antibodies and antibody fragments can be developed against almost any molecule overexpressed on tumor cells. So even though up to now gallium-68 has been used in connection with neuroendocrine tumors with the ability to raise antibodies against virtually, as I said, any overexpressed epitope and label that via a DOTA chelate with gallium-68, you now have a much, much wider range of applicability of gallium-68 in oncology and other disciplines.

In terms of radiation safety germanium-68/gallium-68 is already very widely used in practice as sealed sources for PET QC and calibration in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 amounts of 10 to 20 millicuries. As I said, the
2 generators are relatively low in activity, but very
3 practically useful, very cost-effective, 10 to 15
4 millicuries compared to up to 1,000 millicuries for
5 widely-used moly generators. The exposure rates are
6 only about 0.5 mR per hour per millicurie of
7 germanium-68 at the surface, or 10 mR per hour for 20
8 millicuries at a 20 millicurie generator surface.
9 And these are the self-shielded generators.

10 The transport index is no greater than
11 Yellow II. So you would, as I said, what to
12 introduce additional shielding at the final site
13 because of the 511-keVs plus that low abundance of 1
14 MeV photons. Patient doses and the patient dosimetry
15 is very favorable. Five millicurie administered
16 activities, less than 1 rem effective dose, which are
17 both less than the corresponding FDG parameters.

18 Contamination issues would be minimal
19 because of the short half-life of the gallium-68. So
20 overall the radiation safety of these generators and
21 of gallium-68 is very manageable in a manner
22 consistent with current best practices in typical
23 nuclear medicine and PET facilities.

24 One issue, and Steve alerted all of us to
25 this, is the disposal/decommissioning issue. Now of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 course the ideal scenario would be to return spent
2 generators to the manufacturer, and that's certainly
3 what we're doing at Memorial, using these in a pre-
4 clinical setting. But there are some regulatory
5 issues. And in particular, in 30.35, Financial
6 Assurance and Record Keeping for Decommissioning,
7 this states that each applicant for a specific
8 license authorizing the possession and use of
9 unsealed byproduct materials of half-life greater
10 than 120 days and in quantities exceeding 10 to the
11 5th times the applicable quantity of Appendix B in
12 Part 30 shall submit a decommissioning funding plan,
13 I guess in case the vendor goes out of business, as
14 described in paragraph E.

15 Now, according to Appendix B to Part 30,
16 germanium-68 is not listed. So for any radionuclide
17 other than alpha-emitting is not listed. The amount
18 is 0.1 microcuries. Ten to the fifth times that
19 would be 10 millicuries, which would be greater than
20 even the lowest-activity germanium generator. So
21 this would necessitate a de-commissioning funding
22 plan. And there's a number of methods of doing this.

23 One would be a surety method by
24 prepayment of a CD or bond or line of credit, a self-
25 guaranty if the institution or site passes certain

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 financial test criteria. Now these are not
2 problematic, frankly, for large hospitals or
3 universities, but are potentially onerous for certain
4 private practices and non-hospital-based practices.
5 And it's sort of a catch-22 because part of the
6 attraction of gallium-68 generators is extending PET
7 much more widely into the community and into practice
8 like non-hospital-based practices. So it seems that
9 in order to promote the use of this very promising
10 radionuclide that some regulatory relief related to a
11 decommissioning funding plan is needed.

12 So just to conclude, the combination of
13 generator-produced gallium-68 and very well-
14 established chelation chemistry which is applicable
15 across a wide range of molecular targets could really
16 extend very cost-effectively the applicability of a
17 PET. As I indicated, a single generator could
18 perhaps be used for up to two years and eluted
19 multiple times each day. It would provide a ready
20 supply of inexpensive rapidly-produced high-specific
21 activity PET tracers. Certainly the short half-life
22 of gallium-68 is compatible with the targeted
23 kinetics of peptide and other small molecule tracers
24 with very favorable patient dosimetry. And it's
25 already been established in Europe that gallium-68

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 radiopharmaceuticals are important in diagnosis and
2 personalized treatment of neuroendocrine tumors, but
3 potentially through antibody-based radiotracers,
4 many, many other cancers and other diseases.

5 As I've also pointed out, the radiation
6 safety issues of these generators and of gallium-68
7 are easily manageable with current best practices
8 widely established throughout nuclear medicine and
9 PET facilities. The licensure would be under Part
10 300. But again, in order to promote this very
11 promising radionuclide and the radiopharmaceuticals
12 it could be used for, some regulatory relief is
13 really needed for smaller facilities that perhaps
14 most profitably can use it from the point of view of
15 clinical efficacy from the potentially onerous
16 financial requirements associated with the
17 decommissioning funding plan.

18 So with that, I thank you for your
19 attention. I'll be happy to take any questions.

20 CHAIRMAN THOMADSEN: Thank you, Dr.
21 Zanzonico.

22 Comments and questions? Dr. Suleiman?

23 MEMBER SULEIMAN: Very nice presentation.

24 I just want to clarify that this has not --

25 MEMBER ZANZONICO: Not --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 MEMBER SULEIMAN: -- been approved --

2 MEMBER ZANZONICO: It's not approved,
3 correct.

4 MEMBER SULEIMAN: -- in the U.S.

5 MEMBER ZANZONICO: Correct.

6 CHAIRMAN THOMADSEN: Dr. Palestro?

7 MEMBER PALESTRO: Chris Palestro. I have
8 a couple of questions for you, Pat.

9 On one of the early slides you indicated
10 that you'd estimate the cost to be somewhere between
11 2 and 5 or \$10 per patient. And that's based on an
12 estimate of how many patients per day?

13 MEMBER ZANZONICO: Well, it's --

14 MEMBER PALESTRO: Or total?

15 MEMBER ZANZONICO: We could go back and
16 look at it, but it's based on a five millicurie
17 administered activity. It's based on eluting a
18 generator twice a day. And it's based on a 50
19 percent radiochemical yield. So in other words based
20 on those parameters you would get X number of doses
21 per day. And then over two years, if you divide that
22 number into the cost of say a 20-millicurie
23 generator, you would come up with 5 to 10K. So in
24 other words, it's assumed that every dose you could
25 produce, every patient dose you could produce was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 actually being administered to a patient.

2 MEMBER PALESTRO: So then the concept
3 would be that this is a commercial generator as
4 opposed to having one in house, because virtually no
5 institution does these numbers of studies for
6 neuroendocrine --

7 MEMBER ZANZONICO: No, I agree. And I
8 think if you were to base this entirely on
9 neuroendocrine tumors, this would not be viable. But
10 I think the longer term -- and I showed that one
11 slide with non-somatostatin receptor targeting
12 tracers that have already been produced, but in
13 particular the ability to generate antibody fragments
14 -- you couldn't use whole antibodies with this
15 because their targeting kinetics are much too slow
16 for the 60-agent at half-life. But there's a lot of
17 genetic molecular engineering being done with
18 antibodies and antibody fragments. And I'm
19 continuously impressed with the specificity and ease
20 with which these antibody-based molecules and be
21 produced to target virtually any epitope
22 overexpressed on tumors.

23 So like HER2/neu would be directed
24 against breast cancer, which obviously is a very big
25 cancer. There's A-33 overexpressed on colon cancer.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 So there are any number of big cancers that
2 potentially could be targeted with antibody fragments
3 labeled with gallium-68. And I think that's where
4 the real payoff lies, not neuroendocrine tumors.

5 MEMBER PALESTRO: I have second question
6 and really sort of clarification. You were talking
7 about checking for germanium-68 breakthrough.

8 MEMBER ZANZONICO: Right.

9 MEMBER PALESTRO: If I understood you
10 correctly, you elute the generator today and then you
11 test the --

12 MEMBER ZANZONICO: Well, that was one
13 possible scenario, because the photons emitted by the
14 gallium-68 are higher energy than those emitted by
15 the parent. So you couldn't use kind of differential
16 shielding to assay it. And with only a 68-minute
17 daughter to half-life, you know, you have to do your
18 radiochemistry in your administration quickly after
19 the elution. So one scenario I was suggesting was
20 that you elute the generator maybe at the end of the
21 preceding day and then the next morning assay that.
22 And the only residual activity in that eluent by that
23 point should be the parent germanium-68, if there was
24 any present.

25 MEMBER PALESTRO: But don't you want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 know the breakthrough before you inject the patient -
2 -

3 MEMBER ZANZONICO: Ideally you would.
4 It's somewhat analogous to the situation. You know,
5 you can't do the same exact thing, for example, you
6 would do with the rubidium generator because the
7 half-life is too long. So I'm trying to come up with
8 some compromise.

9 The other option is a cation exchange
10 chromatography system. It's a little more involved
11 than most radiopharmacies do, but it's not difficult.
12 You know, there are any number of traces that have
13 been developed that rely on set pack columns prior to
14 administration or some simple chromatography, and I
15 think this would fall into that category.

16 MEMBER PALESTRO: Just one last question.

17 It's off the topic of radiation safety and
18 regulatory, but you're quite enthusiastic about the
19 radiolabeled antibodies.

20 MEMBER ZANZONICO: Yes.

21 MEMBER PALESTRO: Given the abysmal
22 performance of single-photon radiolabeled antibodies,
23 and we have a history of 20 years of all sorts of
24 different antibodies that have been abject failures,
25 what is it that you see that's changed? Are they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 different types of antibodies?

2 MEMBER ZANZONICO: I think the big
3 advance is the development of these molecularly-
4 engineered fragments. I think the big limitation of
5 not only intact antibody, but the larger fragments
6 like FAB prime fragments and FAB fragments, the
7 kinetics were just incompatible. The kinetics of
8 targeting and clearance from normal tissue were just
9 incompatible with sufficiently high tumor to
10 background ratios for imaging and for therapy. But I
11 think with these very small, which these much smaller
12 fragments that have much more rapid targeting and
13 clearance kinetics a lot of those limitations
14 potentially may be overcome.

15 You know, in our facility we're doing an
16 enormous amount of work with antibody-derived
17 radiopharmaceuticals and some of the images obtained
18 in pre-clinical models, which is not always
19 predictive of clinical performance -- but some of the
20 images obtained at early times post-injection
21 compatible with the half-life of gallium-68 are
22 really spectacular. And I think that is a bit
23 advance, not simply the conventional fragments, FAB
24 and FAB.2, right along the intact antibody, but much,
25 much smaller molecularly-engineered fragments.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 CHAIRMAN THOMADSEN: Well, thank you very
2 -- oh, we do have a comment. Dr. Welsh?

3 MEMBER WELSH: Pat, I think you might
4 have already answered my question in your answer to
5 Dr. Palestro. I think this is fascinating.

6 Has the DOTA-TATE been used for diagnosis
7 of acromegaly or carcinoid? And, you know, if it
8 has, does that open the therapeutic option with the
9 lutetium analogous to what you showed --

10 MEMBER ZANZONICO: I'm almost sure it's
11 been used in carcinoid tumors and I think the
12 lutetium-177 has been used therapeutically, almost
13 exclusively in Europe at this point, and the
14 Europeans are very enthusiastic about it.

15 CHAIRMAN THOMADSEN: Yes, Dr. Suleiman?

16 MEMBER SULEIMAN: Two questions I have in
17 mind. I know with the animal research you're dealing
18 with small animals, and so the advantage of PET may
19 go away, you know, with a human, so some of the non-
20 PET longer-lived nuclides, you know. I mean that's
21 always give and take.

22 The other question I've heard people
23 raise regarding this type of generator is sterility
24 over a long period of time. Most modern day
25 generators are gone within a week or two, so I mean I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 think it's a surmountable --

2 MEMBER ZANZONICO: Yes, I think it's --

3 MEMBER SULEIMAN: -- concern.

4 MEMBER ZANZONICO: Right. And I mean as
5 shown in my diagram, I mean the eluent is always
6 passed through a sterile filter. You know, you still
7 have issues of pyrogenicity, which would not be taken
8 care of by that. And that may ultimately be a
9 limitation, but you know, you're also eluting the
10 generator with typically four normal HCl, and I think
11 that may clean up a lot of stuff --

12 MEMBER SULEIMAN: Yes.

13 MEMBER ZANZONICO: -- that obviously
14 would subsequently have to be brought to physiologic
15 pH, but that may be a blessing in disguise, the fact
16 that it's eluted with an acidic mobile phase.

17 CHAIRMAN THOMADSEN: Mr. Mattmuller?

18 MEMBER MATTMULLER: Yes. Great
19 presentation. In simple terms you might think of
20 this as FDG production without the cyclotron in that
21 you've got gallium in a can, but you still run it
22 through a synthesis module likely used for the
23 production of FDG and you still have to do your
24 quality control testing for sterility for
25 pyrogenicity of your final product before it goes to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 the patient. So all those steps are still there.
2 And I believe your cost estimate is really just for
3 the gallium.

4 MEMBER ZANZONICO: Just for the gallium,
5 not the --

6 MEMBER MATTMULLER: Not the --

7 MEMBER ZANZONICO: -- radiochemical,
8 correct.

9 MEMBER MATTMULLER: -- radiochemical or
10 the module, and hopefully maybe the pharmacist might
11 get paid in there, too. But I always have to put
12 that plug in. It's not a given anymore.

13 So also because of the short half-life of
14 the product this isn't something that Mallinckrodt or
15 Lantheus is going to take interest in because there's
16 no way they could produce this in a single site and
17 then ship it all over the country. This is going to
18 be more successful in current PET production centers
19 or in a large centralized nuclear pharmacy around the
20 country because they'll be able to have the setup for
21 production quality control testing and then ship it
22 to local hospitals because of the relatively short
23 half-life.

24 Last time we met we talked about getting
25 some sort of regulatory relief, and I know -- and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 that was very timely, Dr. Howe, in that -- I'm sorry
2 -- was encouraged by the Enforcement Guidance
3 Memorandum and how that provided regulatory relief
4 for conditions that can't be met for rubidium
5 generator, that something along those same lines
6 could be developed for the germanium/gallium
7 generator. Something along the lines of what we've
8 proposed in the past is that once a generator is used
9 and we're finished with it we ship it back to the
10 manufacturer as a way to avoid the triggering of the
11 DFP for a particular site.

12 CHAIRMAN THOMADSEN: Thank you for that
13 comment. Other comments?

14 MEMBER ZANZONICO: Can I just --

15 CHAIRMAN THOMADSEN: Yes.

16 MEMBER ZANZONICO: -- follow up on
17 Steve's comment about the -- you know, people might
18 think, well, F-18 with 110-minute half-life, which is
19 not that much longer than gallium-68, is shipped
20 regionally. So wouldn't that be amenable to gallium-
21 68? The issue of course is that you can make much,
22 much larger amounts of F-18 in the cyclotron, so even
23 if a significant amount of it decays during transport
24 over several hours, there still would be an ample
25 amount delivered to the final site. That's not the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 case with gallium-68. Not only is it a shorter half-
2 life, but the smaller amount you would start out with
3 necessarily would be prohibitive. So it really is
4 not amenable to transport regionally.

5 CHAIRMAN THOMADSEN: Dr. Howe?

6 DR. HOWE: I just wanted to remind ACMUI
7 that Sophie talked about yesterday the list of
8 recommendations that the ACMUI made and Mr.
9 Mattmuller's recommendations is on that. Sophie said
10 that we were going to be sending it to another group
11 at the NRC because the decommissioning questions are
12 not part of our group. And so that's part of our
13 resolution of your comment last time. So just
14 reminding the ACMUI.

15 CHAIRMAN THOMADSEN: And thank you for
16 the reminder.

17 Further comments? Suggestions?

18 (No audible response.)

19 CHAIRMAN THOMADSEN: Thank you very much,
20 Dr. Zanzonico.

21 MEMBER ZANZONICO: Okay.

22 CHAIRMAN THOMADSEN: And is Dr. Cool
23 here?

24 MR. EINBERG: Yes, he's here.

25 CHAIRMAN THOMADSEN: And next we have Dr.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 Cool, who'll give us a status update on 10 C.F.R.
2 Part 20.

3 DR. COOL: Good afternoon, ladies and
4 gentleman, Sophie says I have to be labeled, so I
5 suppose I'm labeled. I don't know what the half-life
6 is, however.

7 (Laughter.)

8 DR. COOL: This is about a different a
9 topic from your previous one as is possible to
10 obtain, but for the next little while what I wanted
11 to do is provide the Committee with a necessarily
12 very brief overview of the current NRC staff
13 considerations looking at possible revisions to the
14 Radiation Protection Standards.

15 We've talked about this before, so some
16 of these topics are not necessarily new, however,
17 since the time that we have last met together there
18 have been some developments, so this should be
19 interesting for you.

20 For those who some have forgotten, and I
21 don't manage to get that luxury, we've been actually
22 looking at this for quite a period of time. The
23 ICRP's revised recommendations, ICRP Publication 103,
24 noticed in December of 2007. A year later the staff
25 went to the Commission and said, yea, verily we think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 there are some things that probably deserve
2 possibilities for updating. The Commission came back
3 and said, yes, you're probably right. Go off and
4 start exploring those.

5 We did that for several years, including
6 exploring with you, and went to the Commission now a
7 year and several months ago with a set of directional
8 recommendations to determine whether or not we should
9 proceed with some topics and have some notion,
10 because in order to get to a final regulatory basis
11 and proposal, eventually we need to dig into the
12 specific details. And it's very nice to talk about
13 generalities, but that doesn't actually a rulemaking
14 make.

15 So we went to the Commission in April.
16 They took until December. Gave us a Christmas
17 present of last year with a Staff Requirements
18 Memorandum. And that's what I'm going to be
19 providing you today. The short version of that is
20 the Commission approved in part and disapproved in
21 part. We'll sort of go through what those things
22 were.

23 At this point the staff has actually
24 divided up the work into sort of four major areas.
25 I'm principally going to talk about the first two;

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 that is, methodology and terminology and the
2 activities related to Part 20. Recognize that there
3 is a parallel effort looking at Part 50, Appendix I,
4 which is specific guidance related to the effluents
5 from the power reactors, in itself a very complicated
6 topic which has connections to this activity, as well
7 as a variety of other issues that don't actually
8 touch the Part 20.

9 And then the Commission in addition in
10 their wisdom said, yes, staff, not only do we think
11 it's a good idea to work on that, but we want you to
12 go off and look at all of the other places that still
13 use the very old methodology and terminology and work
14 on bringing them up to date, which if I reflect on it
15 from a historical perspective is probably a good
16 idea. We didn't do it last time in 1990. What makes
17 us think we'd get around to it this time around
18 sooner or later?

19 So we have yet another set of things.
20 And again, I won't get into some of those. Some of
21 those will be handled by separate rulemakings and
22 considerations because any time you open up a part;
23 for example, Part 61 on low-level waste, you
24 introduce a bunch of other issues into the equation.
25 It's not a simple matter of take this word out and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 put that word in, hardly ever.

2 So there are three major categories of
3 issues from an overarching standpoint that we're
4 going to have to look at as we develop what will
5 become a regulatory basis.

6 Cumulative effects of rulemaking. The
7 Commission has for many years been specifically
8 asking the staff to look at cumulative effects as in
9 the fact that we're doing this year and somebody else
10 is doing that there and somebody else is doing this
11 over here. And they all come together. I see Susan
12 shaking her head up and down. They call come
13 together on a licensee. And she goes, oh, my -- you
14 can fill in the blank. So we actually try to take a
15 look at what those implications are in timing and
16 space and activities, or conflicts of those.

17 The regulatory impact itself. In
18 preparing a regulatory document we will have to have
19 an analysis of regulatory impacts, cost benefits
20 implications with quantitative and qualitative.

21 And the state implementation. While
22 there are 103 reactors, there are 22,000 materials
23 licensees. Only about 4,000 of those are NRC's.
24 There are 33 Agreement States. So they are a major
25 partner in this and moving forward. And certainly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 Part 20 is a major player in all of those regulatory
2 areas.

3 So let's start with the first area, the
4 updated methodology and terminology. The
5 Commission's direction to us was to go ahead and
6 develop a regulatory basis to align with the most
7 recent methodology and terminology for dose
8 assessment. All very nice. Sort of sounds simple.
9 Yes, sort of sounds simple. There are a set of
10 proposals that we're not looking at.

11 The first one perhaps is simple. We
12 update the terminology to match the current
13 international terminology that's used. That change
14 in terminology also happens to align with underlying
15 changes in some of the calculational details, so a
16 new term applied with a new calculation approach, new
17 tissue-weighting rating factors allows you to sort of
18 figure out who did what to whom when. Well, that
19 makes sense. The new tissue-weighting factors and
20 radiation-weighting factors are in place. They were
21 in Publication 103. That's all very nice. It's
22 translating those into all those little details of
23 annual limits of intake, derived air concentrations,
24 dose coefficients to various organs and tissues from
25 internal radionuclides and from external

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 radionuclides. That takes a wee bit of time.

2 There is now something like 1,200
3 radionuclides in the calculation table. So you have
4 to look at a variety of external exposure scenarios,
5 and that's one set of numbers. And then you take
6 each of those radionuclides and you run it through
7 new biological models, updates of nuclear decay data.

8 You crank it into what our friends down at Oak Ridge
9 call the cluster. It processes and processes and
10 processes; and they've burned out a cluster of two
11 over time, and eventually generate the Monte Carlo
12 calculations, which give you new sets of numbers.
13 All of that can be done and is sort-of
14 straightforward, but it's taking time. It's going to
15 continue to take time and effort. Those numbers are
16 not actually ready that. That's one of the timing
17 pace issues that we will eventually have to deal
18 with. In the meantime, there are some other details
19 which are not necessarily quite so neat. As you
20 know, the models that are used to model the body
21 constantly evolve over time. You actually have to
22 say we're going to do that particular set of models,
23 pick a point, and they continue to evolve. ICRP is
24 moving to a set of what they call voxel phantoms,
25 voxel being a 3-D pixel. So imagine your entire body

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 pixelated or voxelated to using MRI and CT and other
2 data. Wonderful specificity, but in fact there are
3 certain tissues, GI wall and some other things, that
4 are actually too small to be represented by a voxel.

5 So in fact the models will remain some combination
6 of mathematical and voxel-types of phantoms and they
7 continue to evolve.

8 Right now at Oak Ridge there is a very
9 detailed set of mathematical phantoms. They will be
10 working to bring in the voxel phantoms. The staff's
11 understanding at this time is that the differences
12 when they bring in those over the next several years
13 will be within a few percent, although it's not
14 possible ahead of time to predict exactly what the
15 differences between going from a pure mathematical
16 set to the voxel mathematical combination will be.

17 Our friends at the Environmental
18 Protection Agency, in looking to move forward with
19 the development of guidance which they use in their
20 Superfund programs and other programs, has determined
21 that they could wait and they could continue to wait
22 and they could continue to wait or they could ask Oak
23 Ridge to go ahead and take the set which is
24 essentially in place now and move forward. It
25 incorporates the ICRP 103 tissue-weighting factors,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 radiation-weighting factors, the new lung model, GI
2 model and all of those sorts of things, and, as I
3 said, is understood to be within several percent.

4 The NRC and the Department of Energy are
5 working closely with EPA, and one of our goals,
6 perhaps a bit optimistically, was the thought that
7 perhaps someday we could have all of the federal
8 agencies using more or less the same set of models at
9 the same time, including our friends in FDA who have
10 their own needs for assessing certain issues in new
11 drug evaluations and things, the organ-specific
12 models. And so we are examining going ahead and
13 leveraging the work that Oak Ridge will be going
14 ahead and having Oak Ridge do over the next year or
15 so.

16 That gives us an advantage of consistency
17 with the federal family. It gives us an advantage of
18 hopefully having products within another year or so
19 so that there's actual technical basis, because
20 everyone wants to know what their favorite
21 radionuclide's annual limit of intake will be. It
22 runs the bit of a risk that eventually numbers that
23 would come out in ICRP Publication 1-something-
24 something-something might be slightly different, and
25 therefore there might be slight differences between

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 the U.S. version and the international version.

2 The staff plans to go to the Commission
3 sometime early next year with a more detailed look at
4 this and our recommendation, although at this point
5 the staff's leaning is that there are advantages to
6 national consistency and being able to move forward.

7 As I said, we can wait forever. About the time we
8 have the voxels done, the modelers would be off
9 having created yet another new set of models.

10 And a second interesting issue is the
11 calculation of a member of the public. In the
12 existing Part 20, Appendix B, Table 2, the Effluent
13 Concentrations, the member of the public numbers were
14 derived by taking an occupation-exposed individual
15 and ratioing it for the number of hours of breathing,
16 breathing rate, time, those sorts of things, because
17 back in the day there was only an adult model.

18 Now there is a newborn, and a 3-month-
19 old, and a 1-year-old, and 5-year-old, and a 10-year-
20 old, and a 15-year-old male and female, and adults
21 males and females. All of them have their own model.

22 There's a whole family of models now. And there
23 have in fact been efforts that have already been done
24 to take that set and to use age and gender-weighted
25 averaging of the set of dose coefficients to create a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 member of the public which would represent the
2 spectrum of people in the population.

3 So you take the census data, 2001. You
4 know how many one year olds, three year olds, five
5 year olds in the population, the males and females.
6 You can ratio each of those dose coefficients by that
7 amount and you create a statistical reference
8 individual, which is certainly a better
9 representation of a member of the public than simply
10 taking an adult and ratioing them down. In fact, you
11 will see differences depending on the kind of
12 radionuclides. So iodines would be different from
13 uranisms and some of the other things. So it
14 actually does provide a more realistic
15 representation.

16 The staff is considering that approach.
17 It has in fact already done documented and public
18 using the older ICRP-60 coefficients. It was done by
19 the Department of Energy several years ago and is
20 available publicly in DoE Standard 1196, 2011.

21 DoE is quite interested in partnering
22 with us to updating that to the 103 methodology so
23 that again there might be consistency in the federal
24 family between that which gets used in the DoE area
25 and within the commercial side. So that's another

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 possibility that we're wanting to look at.

2 Yet another question of course is so
3 what's the target dose for effluence? Today the dose
4 limit, we simply divide it in half. We've got half
5 for air and half for water. Well, okay, that makes
6 logical sense if that's what you want to do. But
7 other people will say, well, why do you do that?
8 Because, well, I've got some air and I've got some
9 water. What about the stuff coming directly from the
10 site? So there are some issues that we need to
11 consider since it could be argued that someone could
12 be exposed by all three pathways, yet we've only
13 accounted for two in a particular effluent stream.

14 And then of course as I mentioned, the
15 time frame for calculations. If the staff moves
16 forward with a recommendation of using the set of
17 models Oak Ridge is beginning to work through now, we
18 would hope we would have technical basis numbers by
19 sometime in early 2015, which could support
20 discussion and possible development of a regulatory
21 basis by the end of 2015.

22 If we decided to wait for ICRP's actual
23 publications to come out, we could easily be in '17
24 or '18 before it was all done and published and we'd
25 still have to crank through. Okay. Nice set of dose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 coefficients. Crank it through. So what's an ALI?
2 What's a derived-air concentration and things? So
3 there's work to be done.

4 So a number of questions. You've got all
5 of these on the slide. In the interest of time I'm
6 not going to try and read all of them, but there are
7 a number of things that we're going to be asking.

8 This is probably a good time to note that we
9 are in the process of developing a detailed *Federal*
10 *Register*, which might look and sound a whole lot like
11 an advance-notice-proposed-rulemaking-type of thing,
12 the next step in the series, that we've published
13 before, which will lay out the issues and lay out
14 very specific questions that we're trying to get
15 information and feedback on so that we can go into
16 the next round of development of the regulatory
17 basis.

18 So let's go to the next major issue; and
19 this is the humdinger of the group perhaps,
20 Individual Protection ALARA. There was great
21 cheering in certain sectors of the commercial
22 community when the Commission gave its direction to
23 leave the total effective limit at 5 rem (50
24 millisieverts). Having said that, the Commission
25 said, yes, we don't see a need to just change the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 limit, but we understand the rationale upon which the
2 international recommendations were based, which is
3 that you don't want cumulative exposures starting to
4 get up towards perhaps a sievert (a hundred rem) at
5 which point you have five percent or more potential
6 induction.

7 So staff goes off and consider
8 alternative approaches for dealing with protection at
9 or near the current limits. That gets to be rather
10 interesting and complicated. So as the staff looks
11 at this and starts to engage in this discussion,
12 starting from the objectives that we've laid out to
13 try and ensure that the cumulative exposure is
14 examined, the progressive restrictions can be taken.

15 That's a nice generalized statement of what we'd
16 want to do. Turning that into regulatory language
17 is, as I'm sure you realize, perhaps a bit more
18 complicated.

19 There are several possibilities that
20 we're going to be asking questions on. The first is
21 to consider adding a requirement to actually do ALARA
22 planning. Now that probably sounds like a what?
23 After all, today the reg says to reduce exposures as
24 low as reasonably achievable using procedures and
25 engineering controls. Okay? Doesn't actually say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 "plan." We in fact had individuals in our public
2 meetings on the record say it's impossible to plan.
3 That got some of us just a wee bit upset.

4 Okay. But one thing that might be a
5 useful tool to look at those issues is to actually
6 require planning, to do some documentation and
7 planning. Another would be to consider requiring the
8 licensee to establish a mechanism to examine
9 cumulative exposure and take restrictions. Now, at
10 the most performance-based level that might be the
11 requirement, and let licensees sort of figure it out
12 and improve it on a licensee proposal sort of basis.

13 Or you could be a little more specific
14 and say we want you to plan and we want you to have
15 an administrative control level, a planning level,
16 which you're going to take some actions on so that
17 that's firmly in place in a license condition so
18 there's something to inspect and benchmark against
19 all of that.

20 Also under consideration, whether there
21 should be some additional requirements associated
22 with concurrent sources of occupational exposure.
23 And the medical community is one of those places
24 where we see the possible potential for that, as in
25 you might have practice privileges at several

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 different institutions and you may be receiving
2 exposures in several places concurrently. It's not
3 clear the extent to which that may or may not be
4 occurring, but it's certainly something that we want
5 to look at and which today we do not have information
6 on except in the reactor community where we have
7 really good details because they're required to
8 report. But we'll put reporting aside. I'll get
9 back to that in a minute.

10 So the staff thought about what kind of
11 things -- so if you establish a performance-based
12 requirement and say go off and establish a mechanism
13 and maybe go off and establish an administrative
14 control level -- by the way, if you're wondering
15 where that phrase came about, that is the existing
16 language in the Occupational Federal Guidance signed
17 by President Reagan in 1988 as a very strong
18 suggestion. It was not picked up in Part 20 itself,
19 but is something which is already out there. It's in
20 fact implemented in the DoE system already.

21 So a licensee could decide -- and these
22 are meant as possible things that the staff could
23 consider as acceptable. They're not must do all of
24 the above, but perhaps one of the above might be an
25 acceptable approach depending on your mechanism.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 You could simply say I'm going to keep
2 everybody below 20 millisieverts and everybody would
3 be happy. Yes, okay.

4 I'm going to keep track of things over a
5 five-year period. So as long as I'm averaging 20
6 millisieverts over five-year periods all well and
7 good. That's the ICRP's recommendation.

8 I'm going to sort of track everybody to a
9 10-millisievert level with age, which was actually
10 the NCRP's recommendation for how to deal with this
11 exact same cumulative issue, looking at the exact
12 same one-sievert end point to try and avoid.

13 Or perhaps you could say, well, I'm going
14 to establish an ACL, but I'm not going to worry about
15 them until they get to some total cumulative
16 exposure. Means you have to keep track of the
17 cumulative exposure. So but as long as they're below
18 500 millisieverts, 750 millisieverts, 50 rem, 75 rem,
19 then, okay, they're cumulative. It's not something
20 I'm going to worry about. But if they get up in that
21 level, then I'm going to have to pay more attention
22 and do something else to control them.

23 Now that potentially has some interesting
24 values, at least in the data set we have today
25 because there's precious few people that actually get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 up that far. We do have some in the database, but
2 not a lot of them. So that perhaps has virtue for
3 some types of licensees.

4 Of course there is a downside. If you
5 wanted to do something like that, then you'd also
6 have to have the records in place to be able to
7 demonstrate that you are tracking cumulative
8 exposure. And one of the things that we've heard
9 over time is, gee, it's really nice to only worry
10 about this year. So there are pros and cons that
11 we're asking people to explore.

12 The next two slides actually are
13 questions that are associated with this that we're
14 going to be trying to ask in terms of the
15 implications, how different approaches might or might
16 not work in different types of settings. We
17 recognize that industrial radiographers, medical
18 facilities and reactors are all very different. And
19 what works very nicely in a reactor does probably not
20 translate so well to some of your facilities. So
21 you're looking at a variety of possible options to
22 consider what might work to help you improve
23 radiation protection and deal with this issue.

24 Are there other mechanisms? I mean we've
25 tossed some stuff out on the table that's been in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 various international recommendations for guidance,
2 but I don't claim to have a corner on the knowledge
3 in this particular set of things. And so there might
4 be some other possibilities which also might become
5 acceptable options. And what other sorts of things
6 should be looked at?

7 And to what extent should the States be
8 required to be similar to or be allowed to be
9 different from what the NRC might decide to put in
10 place? Dose guards, the 5 rem, 50 millisievert is a
11 compatibility B. Essentially identical. Is there a
12 reason to require the States to do that, or could
13 they be more restrictive? They could for example as
14 I -- we want people to do one or two certain ways
15 because that's what we would like them to do. Is
16 that an acceptable approach from a state-to-state
17 basis, which could introduce some variations?

18 And of course we know that the medical
19 community also happily crosses jurisdictional lines.

20 It wouldn't surprise me at all for someone to have
21 practice privileges at Fairfax and NOVA and GW and
22 somewhere up here in Maryland all simultaneously.
23 Three different jurisdictions, three different
24 regulatory agencies, as well as three different
25 licensees. So there are some pros and cons and we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 looking for discussions on how to do that.

2 So let's talk about the lens of the eye,
3 another rather interesting issue. The Commission's
4 direction was to continue the discussions about
5 possible reductions. At the time we went to the
6 Commission, we didn't not make a specific
7 recommendation. The ICRP had only more recently come
8 out with its findings that there was -- I guess the
9 simplest way to say it is the threshold for possible
10 induction of cataracts, the post-subcapsular
11 cataracts that radiation typically induces, maybe
12 with a threshold more like 50 rem total cumulative
13 exposure rather than the several hundred rem upon
14 which the previous 15-rem high-dose equivalent was
15 based.

16 So the ICRP changed their dose limit
17 recommendation, actually numerically the same numbers
18 as their effective dose. So the ICRP's
19 recommendation was two rem average/five rem maximum
20 lens dose equivalent. I'll use the traditional units
21 here since I'm in the United States at this moment.

22 Given that the Commission said leave the
23 five rem effective dose number alone, staff doesn't
24 quite see how we could possibly reduce the lens dose
25 number to something smaller than that because lens

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 doses would then automatically be controlling any
2 time there was a relatively uniform full-body
3 exposure. Lens dose would be different from whole-
4 body dose if you had varying asymmetric fields or,
5 for example, in a number of your areas, not
6 necessarily of the byproduct material, but all the
7 interventional work if you're wearing the lead aprons
8 and things. Some of the lens dose might be
9 significantly greater if you don't have the leaded
10 glasses and things. So the staff is asking questions
11 related to a proposal to reduce the number to the
12 same number lens dose equivalent to 50 millisieverts
13 (5 rem) as the effective dose number.

14 Obviously there are a number of
15 questions. Is this the right kind of proposal? We
16 still have lots of people who are not entirely fond
17 of the underlying data set. They also raise a very
18 interesting question, which I suppose sooner or later
19 we're actually going to have to deal with, which is,
20 okay, so this is induced. Most of us will probably
21 have cataract surgery if we hang around long enough.

22 I know certainly my wife is facing it in another
23 year or so if her cataracts continue to erupt. She
24 was never involved in radiation exposure otherwise,
25 but it's one of the hazards of growing older. It

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 happens to be outpatient surgery. You go home the
2 same day. And by the way, your vision's improved.
3 Maybe you'll need reading glasses after things settle
4 down after a few days. So do we wish to consider
5 this sort of effect in the same way that we look at
6 the induction of cancers?

7 Now if you take that logical
8 philosophical extension on it, at some point you get
9 to the question do we worry about cancer induction or
10 do we worry about cancer fatality, and should our
11 considerations change over time because we're getting
12 better at curing things? At the moment I don't
13 really want us to go all the way out there, but it is
14 an interesting philosophical discussion. We are
15 interested in the underlying viewpoints on the health
16 end point.

17 There are a number of issues associated
18 with assessment and dose recording if you're wearing
19 leaded glasses. So what kind of protection factor do
20 you lack? And it's probably very different if it's
21 wraparound because some of the significant doses may
22 be scattered rather than direct in. So it's coming
23 in from the side. Do you have the side shields in
24 place or otherwise some of those other associated
25 things? How you do the measurements. Some people

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 are getting smarter with little dosimeters which they
2 might put inside the leaded glasses and a variety of
3 other things. What are the impacts on the licensees
4 and state regulatory programs?

5 Moving on to the next one, recognizing
6 that we don't have a lot of time here, the dose limit
7 for the embryo/fetus/declared pregnant female.

8 That number in the current regulation,
9 500 millirem (5 millisieverts), was not changed with
10 the final rule for Part 20 in 1990, even though the
11 public dose limit was lowered. I don't know exactly
12 why at the time it was left there, but that's where
13 we are. But in fact is a fact where you have what is
14 ostensibly stated as a level of protection comparable
15 for that member of the public getting all the legal
16 debates.

17 So the staff's proposal, as agreed with
18 the Commission, is to look at a reduction to the one
19 millisievert. That has some implications, of course.

20 The current regulation applies over the entire
21 gestation period. The ICRP's recommendation applies
22 only post-declaration. As we've discussed before,
23 that makes a whole lot of difference in terms of
24 possible protection that's afforded. The dose limit
25 for the embryo/fetus of a declared pregnant woman is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 the only dose limit which is in fact variable
2 depending on an individual's right to choose and
3 their decision on what they're going to do and when
4 they're going to do it.

5 So if you have a regulation that is set
6 up only post-declaration, you have a very protective
7 rule if she chooses to declare very early. You have
8 a not very protective rule if she decides to wait
9 until halfway or more through it.

10 On the other hand, if you apply it across
11 the entire gestation period, as it does today, you
12 have to go back, calculate and look and see where you
13 are. There needs to be a provision if you're already
14 close to or exceed the current value. Those would
15 have to be put in place.

16 There are of course issues associated
17 with how you go about measuring it. If you do
18 monthly reporting on a lot of the typical detectors
19 at 10 millirem a month you're squeezing the minimum
20 detectable levels. So the question becomes mis-dose
21 and otherwise and how significant that becomes in the
22 analysis. So again, impacts on activities and
23 programs.

24 We know that there are some types of
25 licensees -- I understand for example some of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 nuclear medicine pharmacists, which may run 300 or
2 400 millirem typical lab exposure in a year, end,
3 finis, done. They've never been worried about any of
4 it because they were below the limit. It was never
5 an issue, but suddenly might become an issue with the
6 new regulatory requirements.

7 Moving onto the next issue, traditional
8 versus SI units. You've noticed that I have sort of
9 waffled back and forth between talking about rads and
10 rems and curies and talking about millisieverts and
11 sieverts and becquerels. The Commission disapproved
12 eliminating the traditional units. So those of you
13 who are from the Health Physics Society, I'm sorry.
14 The Commission chose not to agree with the position
15 which the Society posted, which was just do it, but
16 instead to continue with both set of units.

17 Now, that continues the sort of who does
18 what to whom when and the communications issues. The
19 staff, given that direction, would propose to do
20 exactly what it was actually thinking about, which is
21 to implement the current Commission policy statement
22 on metrication, which is that rules should be written
23 with the SI units first and traditional units in
24 parentheses. That's a reverse of what Part 20 is
25 today. Part 20 was finalized before the whole

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 metrification thing came into play. So, that's sort of
2 nice.

3 And question No. 1: So what impact does
4 that have? If I flip-flop it and everybody continues
5 to behave the way they are, perhaps there's no
6 impact. But you might decide to, well, gee, if
7 you've listed SI first, shouldn't I be allowed to
8 report in SI, or least keep my records in SI?
9 Licensees are required today to report in traditional
10 units. Should we change that? Should we allow there
11 to be a difference?

12 Should we allow there to be keeping the
13 record so long as the records are in one place, but
14 for emergency preparedness or certain other functions
15 continue to require only one set of units? Because
16 when we start talking about two sets of units and
17 emergency preparedness and some of those sorts of
18 things, really bad things happen in a hurry, as the
19 Fukushima Daiichi accident very rapidly pointed out
20 where they were all reporting in SI and the reporters
21 were talking in SI, and here's the good on U.S. still
22 mired back in traditional units and everybody's
23 what's that? How does it relate? So there are
24 certainly communication issues that we need to try
25 and look at in order to try and avoid massive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 confusion.

2 Of course in the end I suppose the
3 question is will the U.S. ever just become metric?
4 That's a question that I luckily don't have to answer
5 myself.

6 So let's get to reporting of occupational
7 exposure. This is the other potentially really big
8 deal lurking in these sets of things.

9 The Commission was actually very explicit
10 in its direction: Go improve reporting of
11 occupational exposure by NRC and agreement state
12 licensees, some of which currently do not submit
13 reports. Regulation today requires seven categories
14 of licensees to report. Reactors, industrial
15 radiography, low-level waste disposal sites, spent
16 fuel storage facilities, fuel cycle facilities and a
17 couple others, general processing. Notice that there
18 were no medical uses in there, or a variety of other
19 things. Add to the complicating factor that this is
20 a compatibility D. So for the States it is optional.

21 So in fact is not required by most all of the
22 States. So when we go about looking to try and find,
23 so, what are the exposures in industrial radiography?

24 Well, I've got the data from the few licensees that
25 remain NRC licensees. And due to the good graces of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 a few of the States I've got some of the other data,
2 but we don't have all of that data. And we certainly
3 don't have any data in the medical area because
4 nobody is required to report that data. So the
5 proposal that we are examining is the question of
6 adding categories of licensees perhaps as broad as
7 licensed under Part 35, or perhaps more specific
8 licensed under 35.100, 200, 300, 400, 500, 600. That
9 gets it all or some subsets if there is a rationale
10 that is associated with including or excluding some
11 of those on the basis of possible incurrence of
12 occupational exposure. We're looking for information
13 on that.

14 The question of how we look at adequacy
15 and compatibility with States, perhaps moving from
16 optional to something which is a little more
17 restrictive so that we actually gather the
18 information.

19 Looking at mechanisms for how to try and
20 get all that information into one place so we can
21 actually share it with each other. I'll go back to
22 the same analogy I did a little bit ago: So what
23 about the physician who has practice privileges in
24 Maryland, D.C. and Virginia, three different
25 organizations? If we're not sharing data amongst

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 each other, we still don't have a good way for
2 anybody to cross-check what might be going on, unlike
3 the reactors today where I can go and if I have your
4 name -- it's a Privacy Act system, there are
5 safeguards associated with it -- I can pull your
6 entire dose record. And we have people on the staff
7 who have worked in the industry who do QA checks by
8 going in and checking themselves, all the different
9 places that they've been and times that they've been,
10 and seeing how it all adds up. And we can do dose
11 trends.

12 So there are certainly a whole bunch of
13 questions that are associated with that. Could we
14 add? Why do we add? How does it look at
15 occupational exposure? Are there specific reasons
16 for including or not including certain types of uses
17 for otherwise? How about other groups besides just
18 Part 35? There's lots of other things licensed in
19 the byproduct material world.

20 So what do we do with the other half of
21 medical, which is only licensed by the States, the
22 machine-produced radiation and otherwise? Last I
23 know the dosimeters were not very discriminating with
24 regards to whether it came from a byproduct material
25 atom or whether it came from a machine. So it's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 bit tough for many licensees if individuals are
2 working in both to know what was contributed, one or
3 the other. But in fact what we understand via
4 anecdotal information, which is probably a good thing
5 because otherwise I'd have to regard it as an
6 allegation, about badges being left behind, exposures
7 exceeding dose limits and otherwise in some of those
8 categories and sort of how do we get a handle on that
9 in a reasonable sort of way working with the States?

10 I will tell you that the States have been quite
11 interested in working on this. They see the need for
12 moving in this direction, which was a hopeful sign.
13 But certainly a whole bunch of issues.

14 So with that incredibly rapid run-
15 through, what are the next steps? We're trying to
16 talk to everybody who will listen to us, federal,
17 States, licensees, advisory committees, public
18 stakeholders. We do hope to have a *Federal Register*
19 notice out there eventually. It's taking a bit
20 longer. But one of the advantages of talking to a
21 lot of people and every time we come away from a
22 meeting coming back and saying we heard this
23 question, this question. Ooh, that's a good
24 question. Add it to the *Federal Register*. So it's
25 evolving over time. Issues are being added. That

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 will get out. There will be formal notice and
2 comment. The docket, which has been open previously,
3 is still open.

4 We are seriously thinking about one or
5 more Webinars to engage people to get people thinking
6 about it, if not get feedback at that point, provide
7 further opportunities for discussion and proposals.

8 The staff's proposal is still to try and
9 do probably a second round actual draft regulatory
10 basis document for comment maybe late in 2014 or
11 early 2015, still at that point not having all of the
12 specific dose coefficient numbers available, but for
13 another round of discussion.

14 At this point in time the staff is due to
15 take the regulatory basis as a voting matter to the
16 Commission in December of 2015.

17 Now, certainly that timeline, while
18 etched in the Commission's tracking system, may be
19 impacted by the availability of whether we actually
20 have all the information and can complete that
21 process or not, but that's the current timeline.

22 And with that, I've talked long enough.
23 Questions?

24 CHAIRMAN THOMADSEN: Dr. Zanzonico?

25 MEMBER ZANZONICO: So is there any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 consideration about a stratified dose limit system?
2 Because what I'm thinking of is, as you pointed out,
3 interventional radiologists, especially with respect
4 to a lens dose. You know, typically you have the
5 upper limit of occupational doses in a medical
6 setting. And that's one group where reducing those
7 things really impacts the patient care. Because, you
8 know, yes, in a large academic medical center there
9 may be any number of interventional radiologists.
10 Those smaller centers or rural centers, they may be
11 much fewer and far between. So that those things
12 could really impact delivery of care.

13 So I was just wondering if there's any
14 thinking in that respect, that for certain groups or
15 subgroups among medically-exposed. occupationally-
16 exposed individuals there might be one dose limit.
17 For another group it might be a different dose limit.

18 I mean, obviously there's many things wrong with
19 that, but I'm just curious if that's at all being
20 thought about.

21 DR. COOL: The answer is yes, but without
22 using the word "limit."

23 MEMBER ZANZONICO: Yes.

24 DR. COOL: As the staff is looking at it,
25 the limit, the magic bright red line at which we get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 our Office of Enforcement to come bang on their head,
2 remains at the 50-millisievert level.

3 The staff's discussion has been, so, if
4 we tell licensees to establish a system to look at
5 these exposures, one of the possible options which we
6 think could perhaps be acceptable would in fact be to
7 allow them to have a stratified system and to allow a
8 licensee to create their own particular system which
9 would work for them.

10 A rural clinic licensee might be able to
11 establish a much more simple system which would be in
12 keeping with the work that they do, the workload, the
13 kind of exposures, whereas your facility with a huge
14 number of different things and activity might see an
15 advantage to requesting a specific license amendment
16 and set of procedures whereby you have several
17 different strata for different groups with
18 justifications and approaches, and that that could be
19 looked at.

20 So the staff sees that as a possibility.

21 We haven't at this point locked down on yes, or no,
22 or within certain parameters. That's part of what
23 we're trying to get feedback on as to the extent to
24 which that could work, what kind of flexibility might
25 be necessary and how such a system, which would then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 become more licensee-unique, could fit within us
2 having confidence that the overall system is
3 generally providing adequate protection with this
4 flexibility.

5 CHAIRMAN THOMADSEN: Dr. Suleiman?

6 MEMBER SULEIMAN: I have a couple of
7 points, or you'll hear some of my feedback.

8 I agree with you on the models. I call
9 them realistic models. The ability to generate
10 literally patient-specific models, we're going there.

11 It's just a matter of time with the technology. I
12 mean there's a whole movement in medicine to know
13 what the patient doses are with other philosophical
14 issues that they're not really relevant right now.
15 But I think we're going to be there. And in the
16 future people will know the doses that they've
17 received.

18 In terms of what do you do with that, I'm
19 a firm believer people should know what they get and
20 at that point they can decide what's appropriate.
21 And you can't discuss risk unless you know the age,
22 the gender. And, you know, let us get philosophical
23 and say, you know, you've got an illness or you don't
24 have an illness. You know, you're willing to take
25 more risk.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 So I think the key thing is to know what
2 the dose is and worry about what your trend is. If
3 you're getting high doses all the time as an
4 occupational worker, you ought to be concerned. I'd
5 be less concerned about the number as much as the
6 trend and the consistency and the standardization.

7 A couple of years ago I remember that
8 reactor workers were basically going around from one
9 site to another getting their maximum and then going
10 to another. I thought the NRC addressed that. Was
11 that ever resolved?

12 DR. COOL: Yes, you certainly have a
13 cadre of individuals who will work several outages in
14 a year. The reactor community has a whole series of
15 call them administrative control level planning
16 values where a site will not take an individual to
17 more than a small percentage of the total and they
18 carry an ongoing call it passport or whatever. They
19 know exactly where they are. They know exactly how
20 much they've got left.

21 In fact, I understand that sites will not
22 let somebody on the site for an outage unless they've
23 got X amount of buffer for work that might be done
24 under that outage and that all of that is geared to
25 keeping all of the folks below 20 millisievert. In

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 fact, many of them are using a rem-and-a-half (15
2 millisievert) otherwise. And they're not taking
3 people over that.

4 It is a very detailed system. The
5 planning there by outage, by individuals, by
6 radiation work permit is astounding. They've got the
7 system. They can do it. And they know exactly what
8 their people are. They know every single person and
9 they've got them tracked. We can compare theirs with
10 ours and we know exactly.

11 MEMBER SULEIMAN: Okay. And the last
12 thing I wanted -- I sit on a Society of Nuclear
13 Medicine Molecular Imaging Task Group and an AAPM
14 Task Group dealing with dosimetry, and the thinking
15 right now is -- because we're going to require
16 standardization across. You can't talk about DTDI or
17 radioactivity. You need to know what the absorbed
18 doses are. But the thinking is people should use
19 whatever reference model they want as long as they
20 reference it. And the thinking is that all else
21 being equal, you know, if you type in, you know, 67
22 kilograms and you give some dimensions, it's very,
23 very likely that whichever model you use, the numbers
24 you're going to get are going to be with an
25 experimental uncertainty.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 So rather than try to -- it probably
2 would be problematic to come up with one standard,
3 but I think from an occupational standard, you know,
4 for federal agencies, it's probably better to maybe
5 go with something right now that would be a standard.

6 But I think eventually the models will be so similar
7 and you can change what you want with it in terms of
8 variables.

9 DR. COOL: In fact what we would be
10 looking at for prospective radiation protection for
11 purposes of Part 20 would be a picked model, a picked
12 reference person, a specified set of parameters.
13 Does such a person exist? Nope. Because none of us
14 are hermaphrodites, for example, the average male and
15 female roles. But for purposes of prospective
16 protection you pick a reference and you set some
17 numbers for compliance. If you're going back doing
18 the retrospective assessment, then you can get in all
19 the details and information and use all of the
20 individual models.

21 MEMBER SULEIMAN: And also FDA, the
22 thinking there as well is that we really want to
23 minimize error. So I'm an advocate of moving forward
24 and trying to advocate SI. I've been doing that for
25 decades. You know, but I think we see all sorts of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 confusion when you eliminate one unit, let alone the
2 prefixes, you know, which vary by profession anyway.

3 So I would encourage using the two systems for now,
4 but making a little bit more difficult to access, you
5 know?

6 DR. COOL: The Commission's direction in
7 that case was actually pretty clear.

8 MEMBER SULEIMAN: Yes.

9 DR. COOL: Keep both sets. So the regs
10 are going to have both sets. Our proposal is to have
11 the SI first. And then you get to the interesting
12 questions of do we allow people a little more
13 flexibility in what they report?

14 And the one I didn't mention, a
15 formatting nightmare. So Appendix B, all those pages
16 and pages of numbers which are all in traditional
17 units now. Are they SI units? Do I have both and
18 make the table twice as big? So we have some
19 interesting little details to work through including
20 what is even of use to licensees, because there's no
21 point in me chewing up pages in the *Federal Register*
22 if nobody wants it, or if they can just have it on
23 the CD, or a stick.

24 CHAIRMAN THOMADSEN: Dr. Welsh?

25 MEMBER WELSH: Thank you for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 presentation. I have a few comments.

2 One I won't even pose as a question, but
3 I'm curious how you know who's a hermaphrodite and
4 how you know everybody's not one.

5 (Laughter.)

6 MEMBER WELSH: But anyway --

7 DR. COOL: I'm making an assumption so as
8 to not be gender-biased.

9 MEMBER WELSH: Regarding the units,
10 traditional versus SI units has always been an issue
11 that we have to wrestle with. Scientifically I think
12 everybody would agree that SI units are superior.
13 From a practical perspective when we're talking about
14 regulation and safety issues in particular, I'm not
15 so sure. I think everybody agrees that the metric
16 system is so logical and scientific. Why don't we
17 adopt it? I say that all the time in spirit. But if
18 I went home tomorrow and I saw the traffic signs in
19 kilometers per hour, I'd probably have an accident or
20 a ticket. So I've of mixed mind on that.

21 Regarding the point you brought up about
22 the radiation worker, for example, a physician or a
23 physicist working in say D.C., Virginia and Maryland,
24 I thought that this is a very interesting scenario
25 and it's a very realistic scenario. It presents a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 challenge, but obviously it's not an insurmountable
2 challenge. But it raises some interesting questions.

3 I don't want to contradict myself from my
4 presentation this morning, but it dawns on me that
5 the NRC is concerned with all forms of ionizing
6 radiation exposure here, and maybe I would have
7 thought that they'd focus on, you know, byproduct-
8 related exposures. Apparently not the case. Very
9 interesting.

10 DR. COOL: If I can put a little
11 parenthetical in that, all to the extent that an
12 individual who is receiving exposure from licensed
13 material. The licensee must account for all of their
14 exposure that's under the licensee's control, both
15 licensed and unlicensed sources. So if you're in
16 nuclear medicine and you're also getting exposure
17 from the CT machine or fluoroscopy or otherwise, the
18 licensee has an obligation under the regulation today
19 to account for all of your exposure and demonstrating
20 compliance.

21 If you are only in the interventional
22 suite and there is never any byproduct, or you're
23 only CT, and there's no PET/CT or no other exposure,
24 then that is a State regulatory issue and is not
25 involved with the NRC and the Agreement State. So it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 depends on whether there is a nexus of where you're
2 receiving the exposure from in the regulations today.

3 MEMBER SULEIMAN: Appreciate it. I
4 understood the comment.

5 But nevertheless, the licensees are
6 keeping tab of their total radiation doses. And I
7 know I've said this many times before, my personal
8 opinion, professional opinion is that I urge caution
9 when tightening the limits because of the
10 possibility, however remote, that it could limit
11 patient access to certain medical procedures. And
12 the example comes from my own past professional
13 experience in rural parts of the State of Wisconsin
14 where there are no cardiologists. There were no
15 interventional radiologists for 50 miles or so. And
16 if that individual 50 miles from where I was wound up
17 not being able to practice, patients would have to
18 drive 100 miles. And it makes me just wonder if that
19 really is necessary based on the data that we have
20 that we're debating and analyzing that would suggest
21 possibly adjusting these limits. So that's just my
22 comment and reason for reservation.

23 DR. COOL: I would reflect back again.
24 One, we're not suggesting at this point changing the
25 limit, but rather consideration of some additional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 criteria which at this point we are thinking about in
2 a very preferment sort of way for each licensee to
3 look at how the individuals are being exposed and
4 their cumulative exposure within that limit boundary
5 on an annual basis. And we're looking very much for
6 feedback on the sorts of mechanisms that would work
7 to address the issue without being restrictive within
8 a limit framework.

9 I quite firmly believe that there are
10 going to be some reasonable variations in the
11 approach that we should look at. But that's the
12 Donald Cool view of the world, not an NRC staff view.

13 CHAIRMAN THOMADSEN: Dr. Van Decker?

14 MEMBER VAN DECKER: Couple of comments,
15 if I could. Always appreciate this discussion, as it
16 keeps coming back.

17 Number one, on a pragmatic basis once
18 again, although the NRC looks at the non-nuclear
19 component of exposure only because of their piece of
20 it, recognize obviously that on a pragmatic basis,
21 you know, institutions use this as their overall
22 Radiation Protection Program because they have to
23 have some number to work by and they never know when
24 there could be, you know, exposure from the byproduct
25 material side. And so everybody in the fluoroscopy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 realm is kind of held to the same global numbers.
2 And that's how radiation safety committees look at
3 things and that's how things get reported. And so it
4 is kind of an overarching kind of outlook on the use
5 of ionizing radiation.

6 Having said that and having sat on
7 radiation safety committees for well over two
8 decades, it's clearly true that on an exposure basis
9 those people involved in the fluoroscopy units and
10 the machine-produced are more likely to be our higher
11 exposed people. And so obviously the stakeholders
12 for that number, because they're held to it, really
13 belongs in the Societies of SIR, Society of
14 Interventional Radiologists, SCAI, Society of
15 Cardiovascular Angiography and Intervention, and HRS,
16 Heart Rhythm Society for fluoroscopy and EP lab. And
17 they look at this with much different viewpoints
18 because it's their daily life and what they do and
19 the access that patients get the care through them.
20 So that's point one.

21 Point two is this concept of cumulate
22 dosing or cumulative over short periods of time and
23 God knows the radiation biology on that. We can get
24 all kinds of different viewpoints around the table.
25 But recognize that when we talk about the population

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 I'm talking about; is as a personal protection issue
2 I probably have the most interest, you're talking
3 about 30 and 40-year careers. Right? And so by the
4 time you're talking about cumulative dosing that
5 you're going to start the mark on, the biologic
6 unit's reactivity to what you're looking at at that
7 point in time is actually less.

8 So I guess you can look at this two ways:
9 You can tell people you can't start until you're
10 much, much older, or you have to have early forced
11 retirement. And you can look at it in either
12 modality and you can kind of make a decision on that.
13 They may not look at it that way, you know, and
14 that's the way stakeholders go. But, you know, those
15 are the realities of some of the pieces of that.

16 The other point, the third point is I'm
17 personally a little bit nervous about this concept of
18 individual licensees making tiered structures for
19 their people, which would obviously be the diagnostic
20 realm and then the interventional realm, because
21 that's where the numbers end up splitting out.
22 Right? Because this is workplace OSHA stuff and, you
23 know, a center and a city which has more options for
24 people looking for jobs may be able to press the
25 boundaries a little bit more. Someplace else may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 press it a little bit less. And what we're really
2 looking at is within a given profession no matter
3 what institution they're at, what's their
4 professional protection? What's their professional
5 standard, rather than the standard at a local
6 building? And I think that's the way those societies
7 I just talked would look at it as well. So I think
8 you need to do some exploration with the
9 stakeholders, you know, in that regard.

10 And then my last comment, other than
11 because I have to always follow Dr. Welsh, I'm not
12 convinced why we lost Delaware, Pennsylvania and New
13 Jersey as practitioners going among three states all
14 the time.

15 In either case, the last comment would
16 be, you know, on the reporting basis, you know, I'd
17 be quite impressed obviously if the reactor community
18 looks at this differently, but you know, the
19 regulated stakeholders, beyond the stakeholders at
20 this table that are in this, may look at reporting
21 and mandated reporting in a variety of different
22 ways. And I think that, you know, they need to be a
23 piece of the discussion. And even if the majority of
24 their exposure is coming from non-byproduct/non-NARM
25 material, you know, their outlooks and where this is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 going needs to be a piece of the puzzle if indeed
2 these standards are in some ways generalized to the
3 overall medical community and its different
4 exposures. And, you know, somebody talked in the
5 last few days about, you know, sharing of information
6 between different regulatory agencies involved in
7 different pieces of ionizing radiation and how we get
8 that together and how, you know, the weighting
9 factors may vary, and how we really looked at that in
10 a global sense, you know, in the FBI/CIA kind of
11 sharing of information world may be an important
12 piece of this and, you know, as you look at an
13 overall national policy.

14 And then my last comment because my time
15 grows short, is my idea of national policy is always
16 compatibility B, because getting over from Delaware
17 to Pennsylvania sometimes takes me an hour, but I
18 know I can almost walk there in that period of time
19 and I shouldn't have to be setting up two different
20 sets of direction just because I crossed the line.

21 DR. COOL: I very much appreciate that
22 and would encourage you both now and as you move
23 forward to help us engage those societies and those
24 organizations, because that's the discussion which I
25 would hope we can have just to try and flesh out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 whether there may in fact be benchmarks for certain
2 types of use that would allow us to be more
3 standardized. I know I don't have that information
4 now. If such information were available and could be
5 brought forth and could have some dialogue/discussion
6 that would help to inform that such that what might
7 be an acceptable set of approaches can be honed in,
8 that would make me very happy.

9 Am I happy with, hey, licensee, propose
10 what you want and I'll let the reviewer -- within
11 some parameters. And the more you can define those
12 parameters so that there can be some comparability --
13 I'm not sure we can go to compatibility B or not;
14 that's a different discussion -- I think the better
15 off we might be. But it needs to have that sort of
16 dialogue on the range, on the flexibilities, on the
17 options, and on the implications.

18 CHAIRMAN THOMADSEN: Dr. Langhorst?

19 MEMBER LANGHORST: I just wanted to
20 follow up a little bit on what Dr. Van Decker had
21 said, and I had had that same thought, too. But the
22 challenge from a radiation safety officer's point of
23 view is we haven't been tracking lifetime doses, so
24 this will be a challenge if we would move to
25 something like that. And if as a licensee you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 this system of cumulative dose control, well, will I
2 not be able to hire this one physician because they
3 don't fit, their history doesn't fit that model and
4 so I can't hire them now in a medical environment?

5 So there's a lot of intricacies of how
6 you deal with cumulative dose that impact a lot of
7 different areas.

8 DR. COOL: Yes, Part 20 became much
9 simpler when we went to annual.

10 MEMBER LANGHORST: Right.

11 DR. COOL: When we got rid of the 5n - 18
12 in the tracking, there was great rejoicing. And
13 going back to that has sorts of implications
14 including the dose histories.

15 MEMBER LANGHORST: Right.

16 DR. COOL: What assumptions you are
17 allowed to make when there are gaps in the history
18 and otherwise.

19 MEMBER LANGHORST: Yes.

20 DR. COOL: That is certainly an important
21 set of questions in looking at the viability of those
22 systems. I agree with you completely.

23 CHAIRMAN THOMADSEN: Any other comments
24 or questions?

25 (No audible response.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 CHAIRMAN THOMADSEN: Thank you very much.

2 And at this point we're scheduled for a break. As
3 we've been doing today, we're running a little bit
4 late. Maybe we can try and pick up five minutes and
5 just have a 10-minute break as opposed to 15.

6 (Whereupon, the above-entitled matter
7 went off the record at 3:11 p.m. and resumed at 3:24
8 p.m.)

9 CHAIR THOMADSEN: It's the last session
10 of the last meeting.

11 We now have Ms. Cockerham and Ms. Howe
12 talking about the status of revisions to NUREG-1556
13 Volume 9

14 MS. COCKERHAM: Good afternoon. My first
15 slide here shows the process for revising the NUREG-
16 1556 series. I don't know if you can see all this
17 very well.

18 But the bar represents the number of
19 individual NUREG values at a given stage in the
20 revision process.

21 So you can see in 2012 there were ten of
22 the - I believe we have 21 - 21 total that were in
23 the draft development part of the process and then as
24 you go along to the right it goes through technical
25 editing, steering committee reviews, additional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 reviews, public comment periods.

2 So the majority of the volumes are in the
3 draft development phase and that was in 2012.

4 The numbers here aren't really important.

5 What I want you to see is in 2013 the bars start
6 moving to the right. There are only three volumes
7 that are in the draft development process versus
8 there were ten last year. So that means the volumes
9 are moving along. They're going through concurrence.

10 We're getting public comments on them. I
11 believe the first three have already been published
12 for comments and those comment periods have all
13 closed, maybe even the first four.

14 So we are making progress. I thought it
15 was a good visual to see here's where we were last
16 year. Here's where we are this year. We'll continue
17 to see things move along to the right.

18 For Volume 9 specifically if you look at
19 the red arrow on the bottom it's still at the first
20 bar. It's in the draft process and that's currently
21 what my presentation is going to focus on today.

22 So we have two different working groups
23 that are working in parallel. I'm leading the Volume
24 9 non-rule making working group along with an
25 individual from the Agreement State. Mary Burkhart

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 is from Illinois and then I have Jackie Cook from
2 Region IV, Penny Lanzisera from Region III and Toye -
3 I'm sorry, Penny Lanzisera from Region I and Toye
4 Simmons from Region III.

5 So our group is looking at the overall
6 document. A lot of our items are comments that were
7 submitted after the EPACT when the NARM information
8 was incorporated in 2008. There were comments that
9 were received that were outside of the scope of NARM
10 and so those have gotten passed along to me.

11 So I have those sorts of comments. We've
12 also issued information notices, regulatory issue
13 summary documents, things like that that would be
14 incorporated into this document.

15 We have just general administrative
16 changes, comments that I've received from regional
17 staff and from agreement states from various avenues.

18 We also have some changes that are being
19 made for consistency across all of the volumes so if
20 a change is being made in Volume 2 and they say we
21 want to make the same change across all of the
22 volumes, that's being incorporated into Volume 9 as
23 well. And then the last part is security and the
24 items related to 10 CFR Part 37. Changes from that
25 are being incorporated into Volume 9 as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 And so Donna-Beth is going to talk about
2 things that are rule making related so I don't have
3 anything to do with those at this time.

4 DR. HOWE: So I have a different working
5 group and my working group is - consists of Dr. Said
6 Daibes, Dr. Sandy Gabriel, Dr. Ron Zelac and myself
7 and we are the same people that are working with the
8 rule making group to develop the rules. So we have a
9 one-to-one correspondence with the rule making and
10 the guidance development.

11 And we are looking only at changes that
12 need to be made to guidance based on the rule making.

13 As you know, this particular Part 35 rule
14 making also extends into pharmacy issues which will
15 be Volume 13 and it extends into other issues that
16 are not associated with requesting a license or
17 amending a license.

18 And so with this presentation I'm only
19 looking at Volume 9. We've got Qs and As which deal
20 with non-licensing issues but implementation. We
21 have Volume 13 - that's for the pharmacy. And where
22 are we in the process?

23 We're further along in the process.
24 We've already assimilated - the ACMUI did review the
25 draft reg guide. Didn't give us any actionable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 comments. They made comments but no actionable
2 comments.

3 At the same time, we got comments that we
4 had to take action on from a number of agreement
5 states and also the regions. And so we have been
6 incorporating the draft comments into the reg - into
7 the NUREG and our NUREG is ready to go and is sitting
8 with the commission paper.

9 The commission paper - not really saying
10 it was a commission paper. The Commission paper has
11 the draft rule that went to the Commission.

12 At the same time, the Commission is
13 interested in knowing that the guidance is ready and
14 so we've provided the commission with our ADAMS
15 number that says where the guidance is so that they
16 can look at it as they're going through the rule.

17 So our - we will be publishing the Part
18 35 proposed rule and guidance at the same time for
19 public comment and after the end of the public
20 comment we'll be resolving the public comment
21 questions.

22 The first thing we have to do is we have
23 to resolve the rule making question. So once we
24 resolve the rule making questions then we can go and
25 resolve the guidance questions and the changes to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 guidance based on any changes in the rule making.

2 Once we've got those comments completed
3 from the public comment period and then we will send
4 the draft final rule back out to the ACMUI and the
5 regions for comment and when we get those comments
6 we'll go into a final management review and then our
7 guidance will be finished and will be ready to be
8 published with the Part 35 rule.

9 Our guidance has to be published with the
10 Part 35 rule and so we are keeping this part of
11 Volume 9 separate from Ashley's part, and Ashley will
12 show you her scale on the next slide.

13 MS. COCKERHAM: So this next slide shows
14 Donna-Beth's time line along the bottom and my time
15 line is along the top. So you can see that they're
16 working in parallel. We're both in different phases.

17 The solid boxes are things that are
18 already done or are being done right now and then
19 everything that has a dotted line around it is in the
20 future.

21 As you know, for the rule making things
22 it's really driven by a rule making schedule and
23 nothing to do with inside the division whereas I'm
24 working towards division deadlines, internal
25 deadlines that have to do more with the overall

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 revision for all of the NUREG series - the NUREG-1556
2 series.

3 So we're currently in the Volume 9
4 working group draft development section. We have to
5 finish that up in the fall and then it will
6 immediately go to tech editing. Tech editing is
7 expected to go through really spring 2014. It's a
8 very, very large volume.

9 There's a lot involved and needs
10 revisions, and then the steering committee will have
11 several months through next summer to look at it.
12 The fourth box is that we go back into comment
13 resolution to incorporate all the changes that have
14 been suggested from tech editing and the steering
15 committee, and at that time it will go to the ACMUI
16 and I'm hoping it just depends on how the rule moves
17 along.

18 But if the rule making piece is done and
19 the guidance has been revised and is back into final
20 form and it's ready to be fed into us whenever they
21 are ready to hand it over to us you can kind of see
22 the two arrows going up through a big gap there.

23 Any time in that time frame along those
24 boxes we could get the rule making guidance. In an
25 ideal world I would put it in before and you would -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 before it even comes to you to see any of the changes
2 and you would have one great big document, and if not
3 then you'll just see the changes that I've made
4 separately and I'll feed the rule making changes in
5 later.

6 So we'll publish the draft guidance in
7 the Federal Register. It is planned for fall and
8 winter of 2014 to have a comment period. We'll do
9 comment resolution again, go back to tech editing and
10 have the final management reviews in approximately
11 fall of 2015.

12 So our goal is to publish the final
13 document fall/winter of 2015. This may or may not
14 coincide with the rule making time line. I know
15 right now they're well ahead of us.

16 But we can't predict what the commission
17 says or how long the - you know, we had a discussion
18 this morning about how long the comment period will
19 be. Things like that could push that bottom time
20 line out to shift more over to the right.

21 So there's a lot of leeway here but
22 hopefully you can at least see from 2013 to 2016 that
23 there's a lot involved in the process and that it is
24 moving even if it is a very slow and deliberate
25 process. It's very thorough.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 DR. HOWE: And if our rule gets delayed
2 for any reason then it could actually delay Ashley's
3 production of the final document.

4 MS. COCKERHAM: Absolutely.

5 DR. HOWE: Any questions?

6 CHAIR THOMADSEN: Any questions or
7 comments from the - we have one. Dr. Langhorst.

8 MEMBER LANGHORST: I think I've said this
9 before but I really like the NUREG-1556 series and it
10 has helped me greatly now with two license renewals.

11 I don't see Ms. Frazier anywhere around but so I
12 thank you all for that.

13 I have mentioned this I think to a few of
14 you too. There are some questions as to where to put
15 these regulatory guidance documents.

16 For instance, in the 1556 Volume 9
17 there's the patient release guidance which is
18 Appendix U, I believe, but we also have that in Reg
19 Guide 8.39. Am I right? Oh, gosh. I am a geek for
20 these regulations.

21 So it's always good to have one guidance
22 one place but I know we were asked at one point oh,
23 we should maybe put - we should use the 8.39 Reg
24 Guide and point people to the NUREG, and I didn't
25 feel that was a good one because I thought the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 regulatory guys are open to, it seems, more people
2 and they don't have to go through a 512-page document
3 to get that little piece.

4 So I know this is always a challenge to
5 try to figure out where to put your regulatory
6 guidance and to try to have just one version of it
7 rather than trying to keep up multiple versions.

8 So I thank you for all your efforts and I
9 know it's not easy to keep up with all of it.

10 DR. HOWE: And I think I'd make a slight
11 comment on that. Our intent, because we've got a
12 very large rule research element going full page and
13 release, is Ashley will be updating the patient
14 release minimally.

15 MEMBER LANGHORST: Right. Right.

16 DR. HOWE: Minimally. Not getting into
17 tables, not getting into the questions that we're
18 going to be getting answers to hopefully from
19 research.

20 And at the point where we do get answers
21 back from research the intent is to then update the
22 Reg - the Reg Guide. Not the NUREG, the Reg Guide.
23 That will be the fundamental document.

24 MEMBER LANGHORST: This is Sue Langhorst
25 again. I think them - you may want to consider in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 Appendix U pointing people to the Reg Guide rather
2 than having it published in two different versions
3 that might get out of sync.

4 It's a challenge to try to keep those
5 guidance the same. I'm done.

6 CHAIR THOMADSEN: Yes, Mr. Fuller.

7 MR. FULLER: This is Mike Fuller. Thank
8 you for those comments, Dr. Langhorst. I will say
9 this.

10 When we get to that point and it will
11 happen where Reg Guide 8.39 and Appendix U are not
12 aligned, assuming that there are some substantive
13 differences as a result of the research that's
14 conducted, one of the things that we have already
15 asked research - the office of research to do is if
16 needed, you know, to update 8.39. So at some point
17 in time it's likely that those two will be different.

18 So at that point in time what we will do
19 until we can get the Appendix U and NUREG-1556 Volume
20 9 updated is we will simply do our best and use every
21 possible avenue available to us to communicate to the
22 community through the medical list server, through
23 RIS's, through newsletters, through meetings like
24 this.

25 We will say, you know, until we get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 Appendix U updated use 8.39 and then eventually we
2 expect to be back to where we are currently where the
3 - when the Reg Guide which is consolidated - that's
4 why we call it consolidated guidance - is
5 consolidated into the NUREG. Then we'll be fine
6 again.

7 But there is likely to be a point in time
8 when they're inconsistent and we'll just make it -
9 make it our priority to make sure that folks
10 understand.

11 CHAIR THOMADSEN: Dr. Langhorst.

12 MEMBER LANGHORST: This is Sue Langhorst
13 again. You may want to consider just pointing people
14 to the Regulatory Guide when you update your Volume 9
15 and not have two locations of the same guidance that
16 are then out of sync.

17 So I offer that up as a possibility. I
18 don't know if you feel it's workable.

19 DR. HOWE: I think we have some guidance
20 that we want to put in to Appendix U that's not the
21 type of level that's going to be in the Reg - that's
22 in research's project.

23 So there will be a time early on where
24 there will be slight changes but not the tables, not
25 the equations, none of that. There might be some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 other information included.

2 CHAIR THOMADSEN: Other questions or
3 comments? Okay. Thank you very much. Do we have
4 Mr. McDermott?

5 Now, in that case, Ms. Holiday, could we
6 go to the end with the administrative closing while
7 we're waiting for Mr. McDermott?

8 MR. EINBERG: That's a good suggestion.

9 MS. HOLIDAY: Okay. So at this time, we
10 are moving on to administrative closing and saving
11 the special presentation at last.

12 So this is the part where we go over our
13 selection for the next meeting date and we review the
14 recommendations and actions that were put forth
15 during this meeting.

16 So the newest item came from yesterday
17 where Dr. Thomadsen added Dr. Christopher Palestro to
18 the medical events subcommittee.

19 Dr. Palestro's role in the subcommittee
20 will be to review and provide input to the
21 subcommittee on iodine-131 medical events. Are there
22 any comments on that?

23 Okay. Moving on, the next item is that
24 Dr. Thomadsen created a subcommittee to review the
25 proposed amendments to the ACMUI bylaws. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 recommendations will be - I'm sorry, that should be
2 will be presented in the spring 2014 meeting.

3 Subcommittee members include Dr.
4 Palestro, Dr. Suh, Dr. Suleiman, Ms. Weil and Dr.
5 Zanzonico, chair. I have you for later.

6 The next item is that the ACMUI
7 recommended to reestablish the rulemaking
8 subcommittee to review and address staff's response
9 to the subcommittee's recommendation and comments to
10 the draft proposed expanded 10 CFR Part 35 rule
11 making.

12 That comes as preparation for Dr.
13 Zanzonico's presentation during the October 18th
14 Commission briefing.

15 The next item is that today Dr. Thomadsen
16 added Mr. Mattmuller to that ACMUI bylaws
17 subcommittee. In addition to that for item 27, Dr.
18 Thomadsen added the following additional charges to
19 that subcommittee.

20 One, discuss, address and make your
21 recommendation to the reporting structure - for the
22 reporting structure of the ACMUI. That would be to
23 review if the committee wants to continue to report
24 to the MSSA director or directly to the commission.

25 Two, discuss, address and make a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 recommendation for the consideration of budgeting for
2 an additional face-to-face meeting at headquarters.

3 And three, consider the feasibility of
4 conducting means using the Go-to-meeting or Go-to-
5 webinar function.

6 Are there any comments on that?

7 MEMBER ZANZONICO: Also, was it in
8 connection with that item Ashley was going to
9 recirculate her document on the pros and cons of
10 that?

11 MS. HOLIDAY: Yeah, that's item 28.

12 MEMBER ZANZONICO: Oh, okay.

13 MS. HOLIDAY: So item 28 is that Dr.
14 Thomadsen requested that staff provide the committee
15 with the SECY paper that was transmitted in 2011 that
16 discussed the pros and cons of restructuring the
17 reporting structure of the ACMUI. I will provide
18 that this evening.

19 Item 29, Dr. Welsh asked or recommended
20 that the next year's agenda include the physical
21 presence requirements for authorized users for the
22 GammaKnife Perfexion device. Are there any comments
23 on that?

24 Okay. I think that covers all the
25 recommendations that were made thus far. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 So now is our favorite part of the
2 meeting where we select our spring meeting date. As
3 you can see from your calendar - let me switch it for
4 you.

5 So you'll notice on the last page of your
6 handout that the months of April have a lot of Xs in
7 it and I've sent out a meeting wizard scheduler to
8 all committee members and staff members to inquiry
9 which days would be best for the next meeting and it
10 appears that our meeting dates fall - our options
11 fall in May of 2014.

12 The best date for everyone - there is
13 only one member that had a conflict. He and I have
14 discussed it and it's been resolved is May 8th and
15 9th. That is on a Thursday and a Friday. Are there
16 any issues or conflicts for any other members?

17 VICE CHAIR GUIBERTEAU: For the 12th and
18 13th - I mean, normally we pick a couple of days. Is
19 that - is that open or not? I can't -

20 MS. HOLIDAY: Yes. I was just offering
21 this up as the first set of dates.

22 VICE CHAIR GUIBERTEAU: Okay.

23 MEMBER LANGHORST: For me the 8th and 9th
24 is much preferable to the 12th and 13th since I keep
25 missing radiation subcommittee meetings and I try not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 to.

2 VICE CHAIR GUIBERTEAU: Sophie, what is
3 wrong with the 5th and 6th?

4 MS. HOLIDAY: There's nothing wrong with
5 the 5th and 6th but that there was only one person
6 that had a conflict on the 8th and 9th.

7 VICE CHAIR GUIBERTEAU: Oh, okay. Okay.
8 That's fine then.

9 MS. HOLIDAY: Right. And then
10 alternatively another set of dates was the 5th and
11 6th or the 12th and 13th. There were two members
12 that had conflicts on both sets of dates.

13 So I offered up the 8th and 9th as
14 possibly the first choice since there was less
15 conflict on that date.

16 VICE CHAIR GUIBERTEAU: What are the - so
17 the Xs are not -

18 MS. HOLIDAY: Are not an option.

19 VICE CHAIR GUIBERTEAU: Those are which?

20 MS. HOLIDAY: Not options.

21 VICE CHAIR GUIBERTEAU: Not options
22 because -

23 MS. HOLIDAY: Because there are other
24 conflicts that have been brought up either through
25 staff or from other members.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 VICE CHAIR GUIBERTEAU: So they're major
2 reasons why.

3 MS. HOLIDAY: Yes, and I think in
4 particular I know for example May 15th and 16th
5 because this room is not primarily ACMUI's room so we
6 have to also take into consideration the ACRS's
7 meeting schedule.

8 Okay. So I don't think I see any other
9 conflicts. Can we put May 8th and 9th down as the
10 first choice? Okay.

11 Now, for your second choice we have May
12 5th and 6th or May 12th and 13th. So I guess we can
13 start with seeing does May 5th and 6th work for
14 everyone.

15 MEMBER SUH: That's not going to work for
16 me. I'm going to be out those days.

17 MS. HOLIDAY: Okay. Is May 12th and 13th
18 a conflict for you?

19 MEMBER SUH: That would work. That's
20 better, a lot better.

21 MS. HOLIDAY: Does anyone else have a
22 conflict with May 5th and 6th? Okay. Now, what
23 about May 12th and 13th? Does anyone else have a
24 conflict for May 12th and 13th other than Dr.
25 Langhorst?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 So I leave it up to the discretion of the
2 chair to choose between May 5th and 6th or May 12th
3 and 13th as a backup date.

4 MEMBER SUH: I may be able to make it.
5 I'll be out of the country so I think I fly back on
6 the 4th.

7 MEMBER LANGHORST: Mr. Chairman, I can
8 make the 13th work if absolutely I have to. You
9 know, I don't change my radiation subcommittee. I
10 have physicians on that. Sorry. It doesn't change.
11 It might get cancelled but it doesn't change.

12 CHAIR THOMADSEN: Well, I would - I would
13 say it sounds like we maybe should do the 12th and
14 13th with apologies to Dr. Langhorst for having to
15 miss one meeting for another.

16 VICE CHAIR GUIBERTEAU: But that's just a
17 backup.

18 CHAIR THOMADSEN: Right. I was going to
19 say that is a backup and it sounds like 8th and 9th
20 is very promising.

21 MS. HOLIDAY: Perfect. So for the
22 record, I have the first choice down as May 8th and
23 9th with the backup date as May 12th and 13th. That
24 will wrap up my - yes, Mr. Mattmuller?

25 MEMBER MATTMULLER: Just curious. Does

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 ACRS ever have to adjust their schedule because of
2 our meeting schedule?

3 MS. HOLIDAY: No. Unfortunately, they
4 trump us. They have monthly meetings so their
5 meetings are scheduled way in advance and they've
6 already booked which days they need the rooms. And
7 since it's their meeting room we can't exactly kick
8 them out.

9 CHAIR THOMADSEN: So the subcommittee
10 should also look into buying our own room for our
11 meetings.

12 MEMBER MATTMULLER: I think there's space
13 available across the street.

14 CHAIR THOMADSEN: Thank you very much.

15 MS. HOLIDAY: Thank you.

16 MR. EINBERG: And Dr. Thomadsen, I got an
17 email from Mr. McDermott. He's on his way and so he
18 said ten minutes ago he's in the other building so -

19 CHAIR THOMADSEN: We will have a slight
20 informal break right now. I will pause and we will
21 resume momentarily.

22 (Whereupon, the above-entitled matter
23 went off the record at 3:51 p.m. and resumed at 3:55
24 p.m.)

25 MR. MCDERMOTT: Well, thank you very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 much. I'd like to take this opportunity to make a
2 special presentation to Dr. Van Decker. He has
3 served as nuclear cardiologist on the committee.

4 He was appointed back in October of 2005
5 and served two terms, and his role has been very
6 important to the committee and to the advice that we
7 provide to the Commission.

8 As you heard in Ashley's opening
9 presentation, many of the recommendations of the
10 committee go directly to the Commission so it's
11 supportive of the staff and I think that speaks
12 volumes to the staff's, to you on the quality of the
13 recommendations and diversity of views that the
14 committee members bring to the issues.

15 I did want to note that Dr. Van Decker
16 was key in a briefing of the Commission back in June
17 2009 on the perspectives regarding the clinical
18 benefits of diagnostic nuclear medicine.

19 And he also provided valuable assistance
20 to the staff on a variety of topics over his term -
21 issues such as the medical isotope shortages, two
22 subcommittees dealing with, in the first instance,
23 the relevance of board certification pathway but
24 other alternatives to that to deal with the diplomats
25 becoming authorized users after completion of their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 T&E.

2 Also on the subcommittee that reviewed
3 the ICRP Publication 103 recommendations. We
4 appreciate his service to the Commission in a way
5 that NRC wouldn't otherwise have those views from our
6 staff, and so that's been very important to us.

7 We have a couple of items for you to
8 recognize your service. If you'd come up and join
9 me. The first for you is an NRC lapel pin.

10 (Off the record comments)

11 This United States flag has been flown
12 over the nation's capital and accompanying it is a
13 letter from Chris Van Hollen, a member of Congress,
14 and I'll read you the letter.

15 "Dear William, I'd like to extend to you
16 my heartfelt congratulations on your retirement from
17 the federal service." I don't think this is your
18 only retirement - from your federal service.

19 "You have played an important role in the
20 operations of our government, particularly for your
21 service to the Nuclear Regulatory Commission.

22 I am grateful for the commitment that you
23 have shown to federal service for more than eight
24 years. I'm proud to represent dedicated federal
25 employees like you who give so much of themselves for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 the good of our community and our nation.

2 At the request of your agency, an
3 American flag has been flown over the United States
4 capital in honor of your service. Again, my
5 congratulations and thanks for all you've
6 accomplished.

7 I wish you the best of luck in all of
8 your future endeavors. Sincerely, Chris Van Hollen,
9 Member of Congress."

10 And a flag - everything's got to come
11 with a certificate of authenticity so it really did
12 fly over the capital.

13 From NRC Chairman Allison MacFarlane we
14 have a certificate of recognition that says, "In
15 recognition of eight years of service as a nuclear
16 cardiologist to the advisory committee in the medical
17 uses of isotopes, which has resulted in significant
18 contributions to the work of the U.S. Nuclear
19 Regulatory Commission" - a certificate.

20 I'd like to, you know, just add to, you
21 know, I think it's a very special individual who
22 makes the time to participate in an activity such as
23 serving on the ACMUI.

24 We understand that the compensation that
25 you will all receive from being special government

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 employees may hope to offset a small fraction perhaps
2 of your time and then it's really a largely volunteer
3 service, and with your expertise that's very central
4 to us.

5 We do appreciate, you know, you making
6 the time to provide this report to the government to
7 make sure we get it right the best we can and I just
8 want to say thank you for that.

9 (Applause.)

10 MEMBER VAN DECKER: Just three quick
11 comments because people are getting out. Number one,
12 I just want to say thank you to the NRC staff. I
13 think I said yesterday I met most of this group in
14 1996 at the first opening town hall meeting on 10 CFR
15 35 in Philadelphia.

16 In over 17 years the staff, as they've
17 come and gone on with their career activities, have
18 been smart. They've been interactive and they have
19 been well-meaning to get things right.

20 I think that, you know, it's a good sign
21 of the government at work. I want to thank all my
22 colleagues, both here and the ones that have passed
23 before me. I've enjoyed the interaction very, very
24 much. I've learned a lot.

25 I want you to know the nuclear cardiology

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 community values its seat at this table. We see
2 ourselves as stakeholders. We want to be a piece of
3 the process and we appreciate the opportunity to do
4 so.

5 And then the third piece of this is in
6 reflection, looking back, I think it's kind of neat
7 the way the process works. Despite what everyone
8 says, you know, there is outlier events that show up
9 in a variety of different things and they get
10 analyzed and they get dealt with.

11 But the stakeholder community's input to
12 consensus and regulation to the mainstream of what
13 creates patient access and good patient care may take
14 a while, but it has clearly worked over time.

15 In that regard, I wish the committee and
16 the staff continuing wisdom of the owl in good
17 decisions for the future and the opportunity to help
18 participate.

19 (Applause.)

20 MEMBER MATTMULLER: Actually, we have one
21 more presentation inspired by your last slide and we
22 have found almost in NRC. I'll be with you.

23 (Applause.)

24 CHAIR THOMADSEN: I would just like to
25 say on behalf of the committee that in your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com

1 presentation you gave five goals for somebody on this
2 committee and you pointed out quite nicely that you
3 satisfied them all and you've been a valuable member
4 on this committee as somebody who always listens very
5 carefully and then cuts right to the heart of the
6 matter.

7 Sometimes you would expect that from a
8 cardiologist, I guess. And your comments are always
9 insightful and creative.

10 You're the voice of compatibility. Above
11 all, you've always been very pleasant to work with, a
12 wonderful member of this committee. Thank you very
13 much.

14 (Applause.)

15 And with that, we're done with our
16 business and thank you all for coming.

17 (Whereupon, the above-entitled meeting
18 concluded at 4:00 p.m.)

19

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

www.nealrgross.com