

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
 Power Uprate Subcommittee: Open Session

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, December 3, 2013

Work Order No.: NRC-470

Pages 1-77

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
(ACRS)
+ + + + +
POWER UPRATE SUBCOMMITTEE
OPEN SESSION
+ + + + +
TUESDAY
DECEMBER 3, 2013
+ + + + +
ROCKVILLE, MARYLAND
+ + + + +

The Subcommittee met at the Nuclear
Regulatory Commission, Two White Flint North, Room T2B3,
11545 Rockville Pike, at 8:30 a.m., Joy Rempe, Chairman,
presiding.

COMMITTEE MEMBERS:

JOY REMPE, Chairman
RONALD G. BALLINGER, Member
SANJOY BANERJEE, Member
MICHAEL L. CORRADINI, Member
STEPHEN P. SCHULTZ, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

ACRS CONSULTANT:

KORD SMITH

DESIGNATED FEDERAL OFFICIAL:

PETER WEN

NRC STAFF:

STEVE BAJOREK, RES

TERRY BELTZ, NRR

TAI HAUNG, NRR

CHRIS JACKSON, NRR

JOHN MONNINGER, NRR

PETER YARSKY, RES

ALSO PRESENT:

JENS ANDERSON, GE Hitachi

MIKE COOK, GE Hitachi

JOHN GRUBB, Xcel Energy

STEVE HAMMER, Xcel Energy

CHARLIE HECK, GE Hitachi*

RANDY JACOBS, GE Hitachi*

JOSE MARCH-LEUBA, ORNL

MARK SCHIMMEL, Xcel Energy

RICK STADTLANDER, Xcel Energy

JUSWALD VEDOVI, GE Hitachi

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2

*Present via telephone

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

T-A-B-L-E O-F C-O-N-T-E-N-T-S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAGE

I. Opening Remarks by Dr. Joy Rempe 4

II. Staff Opening Remarks
by John Monninger 6

III. Introduction by Terry Beltz 17

IV. MNGP MELLLA+ Overview by NSPM Staff:
MELLLA+ Overview by Mark Schimmel 19
Overview of NSPM MELLLA+ Implementation
by John Grubb 26
MELLLA+ Relationship to EPU
by John Grubb 28

V. Public Comments 28

VI. Committee Comments:
Michael Corradini 29
Sanjoy Banerjee 30
Ronald Ballinger 34
Kord Smith 46
Stephen Schultz 51

VII. Adjourn 54

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

P-R-O-C-E-E-D-I-N-G-S

(8:31 a.m.)

CHAIRMAN REMPE: So this meeting will now come to order. This is the meeting of the ACRS Power Uprate Subcommittee and I'm Joy Rempe, Chairman of the Subcommittee.

ACRS Members in attendance today include Mike Corradini, Sanjoy Banerjee, Ron Ballinger, and Stephen Schultz. We also have our Consultant, Dr. Kord Smith, present, and Peter Wen of the ACRS Staff is the designated Federal Official for this meeting.

The purpose of this meeting is to review the Monticello Maximum Extended Load Line Limit Analysis Plus, or MELLLA+, Licensed Amendment Request to the Associated Staff Draft Safety Evaluation.

We're going to hear presentations today from the NRC Staff and the Licensee, Northern State Power Company of Minnesota, or NSPM. The Subcommittee will gather information, analyze relevant issues and facts, and formulate the post-positions and actions as appropriate for deliberation by the full committee.

As shown in the agenda, some of the presentations today will be closed in order to discuss information that's proprietary to the Licensee and its

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 contractors pursuant to 5 USC 552(b)(c)(3)(4).

2 Attendance at this portion of the meeting
3 dealing with such information would be limited to the NRC
4 Staff, Licensee representatives and its consultants and
5 those individuals and organizations who've entered into
6 an appropriate confidentiality agreements with them.

7 Consequently, we need to confirm that we
8 have only eligible observers and participants in the room
9 and that the phone lines are appropriately closed for
10 this portion.

11 And we're going to ask you to not only help
12 us make sure that we do have the appropriate here, but
13 if we start asking questions that you feel are
14 proprietary, just tell us and we'll hold off for the
15 answer to it.

16 The rules for participation in today's
17 meeting have been announced as part of the notice for this
18 meeting, previously published in the Federal Register.

19 And the detailed procedures for the conduct
20 of and participation in this meeting were published in
21 the Federal Register on November 8, 2013, 70(a) CFR
22 67205, 67206.

23 We've received no written comments or
24 requests for time to make oral statements from members

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 of the public regarding today's meeting. A transcript
2 of the meeting is being kept and will be made available
3 as stated in the Federal Register Notice.

4 And so, therefore, we request that
5 participants in this meeting use the microphones located
6 throughout the meeting room in addressing this
7 Subcommittee.

8 And participants must first identify
9 themselves and speak with sufficient clarity and volume
10 so they could be readily heard. So now we're going to
11 proceed with the meeting and I'm going to call on Mr. John
12 Monninger, of the NRC Staff to begin.

13 MR. MONNINGER: Good morning, Dr. Rempe,
14 and fellow ACRS Members. My name is John Monninger, I'm
15 the Deputy Director of the Division of Operating Reactor
16 Licensing within NRC's Office of Nuclear Reactor
17 Regulation.

18 We, the Staff, are pleased to be here today,
19 to discuss the status of our review of the Monticello
20 MELLLA+ Application. As you'll hear today, starting
21 with our Senior PM, Terry Beltz, it is related, though
22 not directly joined, to the EPU Application, which we had
23 briefed the ACRS Subcommittee and Full Committee on two
24 times this past Fall.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 In regards to that, the Application, the
2 Amendment for the EPU is very close to finalization and
3 issuance, so I just thought I'd mention that. It may be
4 of some interest to you.

5 As we've noted in the past, this Staff does
6 take tremendous benefit in the comments and questioning
7 from the ACRS. It provides a good review for our
8 independent safety evaluations that we do conduct.

9 So with that, I'll just turn it over to, as
10 I mentioned, Terry Beltz, he's our Senior PM for the
11 Monticello site. And we thank you all very much in
12 advance for your comments and questions today.

13 MEMBER CORRADINI: Just remind me, this is
14 the first application, though, for us, is that correct?

15 MR. MONNINGER: Yes.

16 MEMBER CORRADINI: Okay.

17 CHAIRMAN REMPE: So I was going to do this
18 later, but since we're talking about process and things
19 like that now, this application is solely for GE fuel.

20 And with respect to process, if an applicant
21 were to decide to switch to the fuel of another vendor
22 or, you know, what would be the process for that, would
23 they need to have similar types of documents and what
24 happens with the mixed core mode and does it come back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 to ACRS, or what's the procedure for that?

2 MR. MONNINGER: So the front half of the
3 questions are probably easier than the second half,
4 whether it comes back to the ACRS or not. Of course,
5 well, I could answer the second half.

6 Any topic, of course, that the ACRS is
7 interested in, you know, the staff is, of course, held
8 accountable to comment on and brief you. I don't think,
9 generally, we would comment with that. I think we would
10 view it more as a routine licensing action, or routine
11 licensing amendment.

12 But if the ACRS was interested in it, we
13 would ensure that we did deliver on that. So I'm not sure
14 whether Terry or Chris want to discuss if there was an
15 amendment with different fuel or mixed fuels?

16 MR. JACKSON: Yes, I can help a little bit.
17 Okay, so Monticello's the first application of MELLLA+.
18 We have received two additional applications and they're
19 in the acceptance review phase. We haven't accepted
20 them yet, but their acceptance is imminent.

21 So the first one is Monticello, the second
22 one is Grand Gulf at Nine Mile Point, so those will be
23 coming through, as well. Now --

24 CHAIRMAN REMPE: But they're all GE fuel?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. JACKSON: All GE fuel. Well, I mean,
2 it's in the acceptance review, I believe they're all GE
3 fuel, but I'm not certain.

4 CHAIRMAN REMPE: Okay.

5 MR. JACKSON: So if the MELLLA+ topical
6 report is in fact limited to GE fuel, so you couldn't use
7 that topical report free and clear with some other fuel
8 design, or from some other fuel.

9 So it would require an amendment and would
10 require NRC review and approval. So that's being
11 contemplated, there's a public meeting tomorrow for
12 Monticello to discuss how they plan to do that.

13 So we're expecting an application next year
14 for Monticello to do that. And we're going to have to,
15 you know, outline a plan, a strategy. We got a public
16 meeting tomorrow to discuss it. We got our technical
17 staff, as well as research coming to discuss that.

18 So if you were to use another fuel design
19 you would go back to MELLLA Flow rather than MELLLA+. So
20 we actually have an application for Monticello in-house
21 right now for AREVA fuel at MELLLA conditions.

22 And that would be a routine license
23 amendment and I wouldn't expect ACRS to be interested in
24 that. But, MELLLA+ Flow regime, or extended flow regime

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 in the AREVA parlance, I would expect ACRS to have
2 interest in that and we're happy to accommodate the ACRS
3 interest in them.

4 MEMBER CORRADINI: Can I say it back to you,
5 so I get it right? So if they fall back to the MELLLA
6 region, it doesn't come here because that's all past
7 history?

8 MR. JACKSON: Right. Unless, of course,
9 you want it to.

10 MR. MONNINGER: Moving on --

11 MR. JACKSON: But I'll leave it --

12 MEMBER CORRADINI: I think --

13 (Simultaneous speaking.)

14 MEMBER CORRADINI: Listen to my own advice.
15 I don't want to speak for anybody else.

16 (Simultaneous speaking.)

17 (Laughter)

18 MR. JACKSON: Yes.

19 MEMBER CORRADINI: Okay, so that's point
20 one. Point two is that if they choose to go in the
21 MELLLA+ region, then you, the staff, would have to see
22 some sort of justification with some calculations and
23 analysis with the new fuel and that would come for review
24 here?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. JACKSON: Yes, sir.

2 MEMBER CORRADINI: Okay.

3 MR. JACKSON: And it would be, there's a
4 public meeting tomorrow that we'll go through everything
5 and it would have, you know, several pages and like --

6 MEMBER CORRADINI: Whether it'll be
7 partial or a complete changeover.

8 MR. JACKSON: Right.

9 MEMBER CORRADINI: So the partial, we would
10 see a mixed core as the first incoming --

11 MR. JACKSON: Yes.

12 MEMBER CORRADINI: Okay.

13 MR. JACKSON: But you would, the difficult
14 part for me would be shifting to AREVA method. So, you
15 know, there's numerous ways you could do it correctly,
16 or do it safely. They got to choose one.

17 But if you go to AREVA methods and the AREVA
18 methods have to be justified for MELLLA+, you know, for
19 whatever flow regime they want. Then you can be told
20 those things need to be ironed out.

21 MEMBER CORRADINI: Okay. Thank you.

22 MR. JACKSON: It's just sort of
23 multi-faceted.

24 MEMBER BANERJEE: So you're going to brief

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 us on this, at some point, as to what the span you would
2 be leaving with this?

3 MR. JACKSON: We can.

4 MEMBER BANERJEE: Yes.

5 (Simultaneous speaking.)

6 CHAIRMAN REMPE: I think that might be
7 something we might want to request, with a letter or
8 something.

9 MEMBER BANERJEE: Yes, even if informally,
10 then we'll know whether we really want to hear this, and
11 I suspect we will.

12 MR. JACKSON: Okay.

13 MEMBER BANERJEE: You know, to call the
14 methods up, as we know.

15 MR. JACKSON: Yes.

16 MEMBER SCHULTZ: And a briefing is the
17 right place start right now.

18 MEMBER BANERJEE: Yes.

19 MEMBER SCHULTZ: And I believe that
20 briefing ought to cover both, the mixed core issues, as
21 well as the licensing methodology changes that are
22 associated with the new vendor and fuel.

23 MR. JACKSON: So after tomorrow's public
24 meeting I think we'll have a reasonably good idea of what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this strategy is and we won't make a finding or
2 conclusions to whether that's a good approach, but we'll
3 come back and develop a licensing strategy or plan for
4 that.

5 And, you know, we're ready for that meeting.
6 We'll have our colleagues from Research here as well.

7 MEMBER BANERJEE: Okay.

8 MR. JACKSON: And the Applicant may be able
9 to provide some insights as to how that works. We had
10 a public meeting with another licensee, I believe it was
11 Nine Mile, but my staff can correct me, because I always
12 get the plants confused, but they had a slightly
13 different approach and we'll get an application next year
14 as well. So it's an interesting topic, but it's --

15 MEMBER BALLINGER: It's been in two other
16 plants, or three, that are --

17 MR. JACKSON: We had two other plants --

18 MEMBER BALLINGER: -- two, Nine Mile and
19 Grand Gulf?

20 MR. JACKSON: -- seeking MELLLLA+ flow
21 regime. Then we also had a meeting with a plant that
22 wanted to use a MELLLLA+ flow regime with the re-fuel, so
23 --

24 MEMBER BALLINGER: Oh.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. JACKSON: -- it's doable, but it will
2 require a review and then we --

3 MEMBER BANERJEE: You mean the GE methods
4 with the re-fuel?

5 MR. MONNINGER: No.

6 MR. JACKSON: So --

7 MR. MONNINGER: With the standard MELLLA+
8 --

9 MEMBER BANERJEE: So let's --

10 MR. JACKSON: No, you're right, John, it's
11 the parlance and --

12 MR. MONNINGER: Yes.

13 MR. JACKSON: -- AREVA terms has extended
14 flow was quite different.

15 MEMBER BANERJEE: So you mean extended flow
16 methods?

17 MR. JACKSON: Yes. So that'll be, you
18 know, an area of significant review for us, we see many
19 plants interested in that. And we'll come up with an
20 approach and share it with the Advisory Committee.

21 I'll leave it to John to develop a schedule
22 or a plan. I mean, traditionally, our approach would be
23 to develop an SCR and then come to the Advisory Committee,
24 but I think the earlier meeting, planning meeting --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN REMPE: I think so.

2 MR. JACKSON: -- would, personally, be a
3 good idea.

4 MEMBER BANERJEE: I think we've seen the
5 methods for both MELLLA+ and extended flow. I think
6 we've seen both.

7 MEMBER CORRADINI: I think we've seen
8 something, but I don't think don't think we've seen those
9 big tanks.

10 MEMBER BANERJEE: I do not think I've seen
11 the complete, maybe you could --

12 MR. HUANG: Yes, this is Tai Huang. Yes,
13 the ACRS already reviewed the extended flow --

14 MALE PARTICIPANT: Right.

15 (Off the record comments)

16 MR. HUANG: This is Tai Huang. The ACRS
17 has reviewed these a few weeks ago without extending flow
18 renewal mixed authority for AREVA?

19 MEMBER BANERJEE: Yes, I remember that.

20 MR. HUANG: You did that.

21 MALE PARTICIPANT: You were the Chair.

22 MEMBER BANERJEE: Yes.

23 MR. HUANG: Yes.

24 MEMBER BANERJEE: And I was also the Chair

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for the MELLLA+.

2 MR. HUANG: Yes, that's right. And that's
3 like now for us the mixed core issue. Remember, we had
4 for MELLLA+, there's two or three or five question there,
5 designed to the mixed core review.

6 So they can either check that, you know,
7 transition that you're possibly, maybe, I'm not there but
8 this is my guess, and they use possibly authority, the
9 top up there, AREVA, you follow our applicability topical
10 report. We can do that, you know, follow that, I don't
11 know.

12 MEMBER BANERJEE: Yes, because the mix, I
13 can see with AREVA core, GE core, it's clear, I mean,
14 everything is straight. But mixed core what you're
15 going to do with these, yes. You're laughing.

16 (Off microphone discussion)

17 MR. JACKSON: Did that answer your question
18 --

19 CHAIRMAN REMPE: Yes, and I think --

20 MR. JACKSON: Okay.

21 CHAIRMAN REMPE: -- we all agree, we should
22 have some additional discussions and --

23 MR. JACKSON: The Advisory Committee Staff
24 may want to come to the public meeting tomorrow .

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN REMPE: There's supposed to be
2 another meeting, so we'll try and see what we could do,
3 okay?

4 MR. JACKSON: Okay.

5 CHAIRMAN REMPE: Thank you.

6 MR. BELTZ: All right, good morning. My
7 name's Terry Beltz. I'm the Senior Project Manager in
8 the Division of Operating Reactor Licensing, and I'm
9 assigned to the Monticello Nuclear Plant. Again, on
10 behalf of the NRC Staff, I'd like to take the opportunity
11 to thank the ACRS Members for accommodating this MELLLA+
12 review of Monticello.

13 Before continuing with the discussion of
14 the Agenda, I'm just going to just briefly go over the
15 timeline, as John mentioned, the EPU and MELLLA+ were
16 tied during the review process.

17 The EPU Application, itself, came in on
18 November 7th of 2008. In November of 2009, DORL
19 management accrued linking the MELLLA+ Amendment with
20 the EPU Application because the MELLLA+ Application
21 referenced and the analyses was performed at EPU
22 conditions.

23 So the staff approved looking at both
24 applications due currently. In January 2010 the MELLLA+

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 application was submitted to the NRC and in March of 2010
2 it was accepted for review.

3 Going back a little bit, in October 2009,
4 the reviews were placed on hold, and this was to resolve
5 the issues regarding containment accident pressure.
6 And in March of 2011, the EPU was reactivated in addition
7 to the review of the MELLLA+, was also recommenced.

8 Just a brief background on the review. We
9 had seven application and supplements to the MELLLA+.
10 There were eight responses to REIs. And, also, during
11 the course of the staff's review there was an audit
12 conducted at GE Hitachi and that material is also on the
13 docket.

14 The agenda for today, Xcel Energy will begin
15 with an overview of the MELLLA+, as Dr. Rempe mentioned,
16 following, I guess, the first break, we'll close the
17 session as everything, the remainder of the morning and
18 into the afternoon is, proprietary information will be
19 discussed.

20 After the break Xcel Energy will go over
21 Nuclear Design and Safety Analyses, Discussion of
22 Training and Simulator, and MELLLA+ Testing. The
23 afternoon session, the NRC staff will give presentations
24 on Safety Analyses and TRACE Confirmatory Analyses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 And that's all I have, if anyone has any
2 questions. If not, I'll turn it over to Mr. Mark
3 Schimmel with Xcel Energy.

4 (Off the record comments)

5 MR. SCHIMMEL: Good morning.

6 CHAIRMAN REMPE: Good morning.

7 MR. SCHIMMEL: How are you today?

8 CHAIRMAN REMPE: Fine.

9 MR. SCHIMMEL: Now, well, first of all,
10 we're glad to be here to have this opportunity to present.
11 We do appreciate the opportunity to present the MELLLA+
12 to the ACRS as it relates to the Monticello Extended Power
13 Uprate.

14 There's been a lot of work that's went into
15 this on all parties involved, from ourselves to the
16 vendors, even to, the NRC put a lot of time into this and
17 I think we're well-positioned to answer the questions as
18 they come up today.

19 And if for some reason a question comes up
20 that we can't answer it we will tell you we can't answer
21 it and we'll find the right person to get you the answer.
22 That's the cleanest way to do it.

23 We do have some support in the audience if
24 we have to call on them for some help we will do that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And if we can't we'll just follow-up and tell you we'll
2 give you a follow-up and get back to you on the time that
3 we agree to.

4 All right, the presenters today are myself,
5 Mark Schimmel. I'm the Vice President for Xcel Energy
6 Nuclear. I will discuss the plan overview and how the
7 big picture, timeline, and how we kind of got here where
8 we're at today.

9 Then I'll turn it over to John Grubb, which
10 is the Technical Assistant to the Monticello Vice
11 President and he'll talk about the implementation of
12 MELLLA+.

13 John will turn it over to Mr. Hammer, to the
14 far left here, and John will, Mr. Hammer is the Project
15 Manager for MELLLA+, been engineering most of his career,
16 and he will discuss the Design and Safety Analyses as we
17 go through this today.

18 And lastly, we'll turn it over to Mr. Rick
19 Stadlander who is the Monticello Assistant Operations
20 Manager and the Senior License Holder at Monticello.

21 He will talk about the training and plan
22 operational-type aspects of MELLLA+ and can answer any
23 questions regarding how the plant's operated or what the
24 operators will actually see and how it will be handled.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 The next couple slides, it talks about the
2 background, Monticello -- is there a question? Okay.
3 Monticello, the original license was issued in 1970, in
4 September of '70.

5 We went commercial on June 30th of 1971 and
6 then it took about another year to get the full-term
7 operating license approved, which we did in January of
8 '81.

9 It's a BWR/3 with a Mark 1 Containment,
10 which everybody should be very familiar with. The
11 original license thermal power limit was 1670 megawatts
12 thermal.

13 And then we did a little power uprate in '98
14 to re-rate the units primarily down to the secondary side
15 through some turbine work and Steve can talk in greater
16 detail and present questions on that, it took us to 1775
17 megawatts thermal.

18 And then we have set for most of the members
19 of this Committee and requested the additional power
20 uprate license, which is still in progress. It takes us
21 from 1775 all the way up to 2004 megawatts thermal.

22 MEMBER CORRADINI: Okay, without, just to
23 remind us, I remember you explained this to us, but I
24 don't remember, without MELLLA+ you can go to what?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BELTZ: Well, I don't have -- Rick, you
2 want to discuss that?

3 MR. STADTLANDER: Right. Excuse me.
4 What we've determined up to this point is that we can
5 comfortably operate at about 1880 megawatts thermal.

6 We believe we could, without MELLLA+ we'll
7 be able to do our testing up at 1908 megawatts thermal,
8 but then to give the operators a good operating window,
9 we're going to have to come down to that 1880 megawatts
10 thermal.

11 MEMBER CORRADINI: Right.

12 MR. SCHIMMEL: It just tightened up too
13 much.

14 MEMBER CORRADINI: Right. I understand.
15 I just wanted to make sure, I couldn't remember the
16 numbers, but thanks.

17 MR. STADTLANDER: Okay, yes.

18 MEMBER CORRADINI: Thank you.

19 MEMBER BANERJEE: Of what percentage of
20 flow over 100 percent can you go, can you go comfortably
21 at all?

22 MR. SCHIMMEL: One hundred percent flow is
23 what we --

24 MR. HAMMER: You want me to take that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. STADTLANDER: Go ahead, Steve.

2 MR. HAMMER: Yes, it's Steve Hammer in
3 Monticello. We can't really get to 100 percent core flow
4 now at EPU.

5 MEMBER BANERJEE: Okay.

6 MR. HAMMER: The impact of EPU over CLTP is
7 we lose about 1.7 percent on core flow capability. And
8 at the maximum capability you've got, varies a little
9 bit, depending on whether you're top peaked or bottom
10 peaked, but we expect to be about what, a 96 percent core
11 flow capability.

12 MEMBER BANERJEE: Okay. So it's actually
13 cut down?

14 MR. HAMMER: Yes. We are licensed for 105
15 percent core flow.

16 MEMBER BANERJEE: Yes.

17 MR. HAMMER: It's just that we don't have,
18 the equipment can't support that right now.

19 MEMBER BANERJEE: Okay.

20 MEMBER CORRADINI: Is there a plant or an
21 equipment change-out, I don't remember, I'm sure we asked
22 this and I just don't remember.

23 MR. HAMMER: No.

24 MR. SCHIMMEL: We had not approved any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 equipment up to this point --

2 MEMBER CORRADINI: Okay.

3 MR. SCHIMMEL: -- we had talked about it,
4 which was probably what jet pumps --

5 MEMBER CORRADINI: but with MELLLLA, okay,
6 thank you.

7 MEMBER BANERJEE: So that's also partially
8 why you're limited to the 18 --

9 MR. SCHIMMEL: That's correct.

10 MEMBER BANERJEE: -- 96, or whatever that
11 number is.

12 MR. HAMMER: Yes.

13 MEMBER BANERJEE: Okay. So you really
14 need the MELLLLA+.

15 MR. HAMMER: Yes.

16 (Off the record comments)

17 MR. SCHIMMEL: Again, implementation of
18 MELLLLA+ does allow us to get to the full power uprate that
19 was requested. The next couple of slides, basically, is
20 just a basis for how we addressed MELLLLA+.

21 And the whole point of the next two slides
22 really is just to let you know that we've only used
23 previously approved NRC approaches to acceptable methods
24 to determine this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 On the next slide you're going to see a list
2 of the road map that we followed through the NEDCs to
3 derive that, you know, we used these license topical
4 reports to get there. So the whole message here is we
5 just followed, the road map we used was previous approved
6 documentation to get here.

7 MEMBER BANERJEE: Were there any
8 exceptions that you needed to any of these things?

9 MR. HAMMER: There are a couple of
10 exceptions --

11 MEMBER BANERJEE: Yes.

12 MR. HAMMER: -- and we'll talk about those.

13 MEMBER BANERJEE: All right. Because I
14 noticed there were.

15 CHAIRMAN REMPE: It would help if you'd
16 make a real point to say, emphasis that point, too, as
17 you go along, please.

18 MALE PARTICIPANT: Yes.

19 MR. SCHIMMEL: We can do that. Unless
20 there's any questions on that, I think what I'd do now
21 is I would turn this over to John Grubb. He's going to
22 talk about the implementation of MELLLA+.

23 MR. GRUBB: All right again, my name's John
24 Grubb, I'm Assistant to Site Vice President. I thank you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 for the opportunity to be here. What we're looking at
2 here is the MELLLA+ Power Flow Map for Monticello. The
3 red region represents the MELLLA+ Operating Domain.

4 And as Mark hinted at earlier, the real
5 reason Monticello would like to get the MELLLA+ is for
6 operational flexibility. Up at full EPU power levels we
7 really have almost no opportunity to make power
8 adjustments other than with moving rods.

9 That is allowable, we can do that, but it
10 represents additional human factors, risk for errors and
11 the way we've operated the plant primarily for the last
12 40-some years is taking those minor power adjustments
13 with flow and that's what the MELLLA+ Operating Domain
14 allows us to continue.

15 So that's really the point on this slide.
16 Now this will be discussed a little bit later during the
17 NRC's portion. They'll talk specifically about that,
18 kind of at a point on the power flow map where we would
19 be somewhat restrained without the MELLLA+. Next slide.

20 MEMBER CORRADINI: So just to clarify, so
21 Point D is the flow where you're restricted to because
22 of --

23 MR. HAMMER: Yes.

24 MEMBER CORRADINI: -- C, B. Okay, got it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Thank you.

2 MR. GRUBB: Changes based on MELLLA+,
3 again, an expansion of the operating domain, as I
4 mentioned earlier, the power flow map, there are a couple
5 of instrument and alarm setpoint changes that will be
6 done as part of the MELLLA+ implementation.

7 Core flow has been analyzed as low as 80
8 percent, this is all under our EPU Conditions. And the
9 tech spec changes to implement DSS-CD Long-term
10 Stability Solution would also be done under MELLLA+.

11 What does not change under MELLLA+?
12 Maximum license power level does not change. Maximum
13 licensed core flow, maximum licensed plant vessel dome
14 pressure does not change.

15 There's no balance of plant equipment
16 changes to implement MELLLA+, and no major hardware
17 changes are required to support MELLLA+. There is a
18 jumper that we will remove in our PRNM System to enable
19 the DSS-CD method. Next slide.

20 Relationship EPU, we are constrained at
21 full EPU conditions. And as we noted on the power to flow
22 map, all of our MELLLA+ analyses did assume EPU
23 conditions.

24 System parameters are bounded, so there's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just a list of things here that, all of which were bounded
2 by our EPU conditions, main steam and feedwater
3 temperatures, flows, pressures, you can look at the list
4 there, but there's really, from an operational
5 standpoint, very little change from a MELLLA+
6 standpoint. Next slide.

7 CHAIRMAN REMPE: Okay, so probably Peter
8 needs to go do some things to make sure we've switched
9 our lines and things are appropriately closed up before
10 you go any further.

11 MR. YARSKY: Okay.

12 CHAIRMAN REMPE: And for the record, we're
13 going to go to a closed session.

14 (Whereupon, the foregoing matter went off
15 the record at 8:57 a.m. and went back on the record at
16 5:22 p.m.)
17

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

CHAIRMAN REMPE: Okay, so first we do they do the public. Are there any people here in the audience that want to make any statements at this time?

And what about the phone lines, are any people out there, first of all, because we can't really tell unless someone speaks up and says that they're there. And since no one's saying anything I guess that takes care of the public comment.

So let's go around the table then and, Mike, would you like to go first?

MEMBER CORRADINI: Yes. I guess I didn't appreciate that these heat transfer issues that don't affect Monticello directly, but if they didn't have successful operator reaction at times they did would have affected another individual's analysis in this regard.

I didn't realize they kind of interweave with this, and I guess I would think this is a generic issue that the thermal hydraulics committee ought to take up so that we understand it better.

Because I really do think that this affects things more than I guess I first, when I looked at the slides I didn't appreciate the inter-connection and I think it's important to understand a bit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRMAN REMPE: Would the Chairman of the
2 thermal hydraulics committee like to --

3 (Laughter)

4 MEMBER CORRADINI: Well I want to give
5 somebody some work to do.

6 MEMBER BANERJEE: I just want to make sure
7 that he attends the meetings.

8 (Laughter)

9 (Simultaneous speaking.)

10 MEMBER BANERJEE: He's very good at
11 avoiding thermal hydraulics meetings. All right,
12 leaving that aside now. I think the case made for the
13 MELLLA+ is strong, but I don't see any issues really for
14 the first order.

15 The issue that had worried I think many of
16 us, I'm sure, is this, related to ATWS. That seems to
17 be taken care of with the 90-second operator action,
18 which they've just given us reasonable assurance it can
19 be done in time.

20 The part of it that I'm still concerned
21 about is whether that, what's the margin to onset of
22 instability? Because once those instabilities start
23 things are pretty much very, very difficult to control
24 I would think really calculating.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 So, you know, it sounds from Peter, but
2 maybe this needs to be a little better assessed, that
3 you've got enough margin, you know, with the 90 seconds.
4 And if that's true then I'm quite happy with this.

5 CHAIRMAN REMPE: So what would you want to
6 see to demonstrate if you addressed in a certain --

7 MEMBER BANERJEE: You know, I don't know if
8 we need to see anything. What we need to do for it
9 probably is with a little bit more, get a little bit more
10 analysis to show that nothing starts within ten, 20, 30
11 seconds, or no oscillations start.

12 I mean I don't know if the staff has done,
13 whether they've done any linear stability analysis or
14 something to support that. Maybe I should ask Jose or
15 GE or somebody. Yes, go ahead.

16 MR. COOK: Yes, this is Mike Cook from GEH,
17 there was some uncertainty in the time --

18 MEMBER BANERJEE: Right.

19 MR. COOK: -- and the generic time was based
20 on 120 seconds.

21 MEMBER BANERJEE: Yes.

22 MR. COOK: And so we actually have a
23 120-second case that we had performed --

24 MEMBER BANERJEE: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COOK: -- and it was the same result
2 effectively, so that's another, you know, 30 seconds
3 there.

4 MEMBER BANERJEE: Yes. That's really what
5 we would like to --

6 MR. COOK: So for Monticello, you know, 90
7 seconds is --

8 MEMBER BANERJEE: Is conservative.

9 MR. COOK: Yes.

10 MEMBER BANERJEE: Yes. And you've got
11 plenty of margin.

12 MR. COOK: Yes.

13 MEMBER BANERJEE: So if you don't get it
14 done till 100 seconds --

15 MR. COOK: Well there's at least, at least
16 up to 120 seconds.

17 MEMBER BANERJEE: Okay. And that's
18 oscillations at 120 seconds?

19 MR. COOK: Right.

20 MEMBER BANERJEE: Okay. And that doesn't
21 get changed by noise or anything like Peter was saying?

22 MR. COOK: We also use a modic for that and
23 it's not, I believe NRC has seen some sensitivity to that
24 method of noise.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MALE PARTICIPANT: Yes.

2 MR. COOK: But we have not seen this.

3 MEMBER BANERJEE: So it's a finite aptitude
4 effect probably, you know, so that occurred, but, okay.

5 MR. COOK: Yes. Well certainly at 90
6 seconds, you know, there's, you're not on the hairy edge
7 there.

8 MEMBER BANERJEE: Okay. Thank you.

9 MR. BERES: Joel Beres. The other part of
10 that total time, it's 90 seconds to initiate the
11 feedwater stoppage, as the feedwater terminating, I
12 think that's what we call it, and there's 15 seconds after
13 that analytically.

14 In real life it takes four seconds to shut
15 the valve, so there's another 11 seconds there and a very
16 much complicated task for the operator to do. It's
17 essentially, you take a switch with your finger and then
18 you just hold it in. So it's a very complicated task.

19 MEMBER BANERJEE: Yes, so the thing is it
20 probably takes as they pointed out 20 seconds or so, and
21 maybe a little longer, for the effects to be really felt.

22 So if you switch it at 120 seconds you're
23 going to get into oscillations and, you know, the level
24 control will help you, but it will help you after you've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 received substantial oscillations.

2 Whereas this way, even if it takes 20
3 seconds to come, it'll, you know, you won't get any
4 oscillations at all, which is very helpful, that's nice.

5 But once you start to get oscillations I
6 start to worry about the calculations and things like
7 that. So, I'm done.

8 CHAIRMAN REMPE: Thank you. Ron?

9 MEMBER BALLINGER: I'm going to have to
10 defer to my thermal hydraulic expert colleagues, but the
11 difference between 90 and 100 seconds is not much to me.
12 So I --

13 MEMBER BANERJEE: We defer to you on --
14 (Laughter)

15 MEMBER BALLINGER: Not yet. I just --

16 MEMBER BANERJEE: It's back at the
17 operator --

18 MEMBER BALLINGER: -- we say well, we've
19 got an extra four seconds, we've got an extra ten seconds,
20 I don't know. It just seems to me like that's not, I
21 think there's got to be fuzziness there somewhere and I
22 know these are beyond design basis calculations and
23 they're difficult to do and all that kind of stuff, but
24 I don't know.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 I just don't know that there's a difference
2 between 90 and 100 seconds.

3 MEMBER CORRADINI: But I misunderstand 90,
4 I thought --

5 MEMBER BANERJEE: It's 120.

6 MEMBER BALLINGER: Or the 100, I don't
7 think that much, you know, with all these uncertainties
8 I worry that there's not much difference between 90 and
9 120 seconds now. You think that's okay, so okay.

10 MEMBER BANERJEE: I think it's okay because
11 GE has done some calculations. I don't, my feeling is
12 that once you go into these large aptitude calculations
13 there are a lot of uncertainties with regard to what
14 phenomena there can be and so on.

15 But the onset of these oscillations you
16 should be able to predict within, I would hope, 30
17 seconds. So --

18 MEMBER BALLINGER: Okay, 90, 100, 110, 120,
19 okay, that's 30 seconds.

20 MEMBER BANERJEE: Yes. I would hope, but
21 I don't --

22 MEMBER CORRADINI: You guys are not
23 worried, you're worried about the operator reactor or the
24 text of the suppression methodology.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: Well there is --

2 MEMBER CORRADINI: That's what I was trying
3 to understand.

4 MEMBER BANERJEE: There is no scram here.

5 MEMBER BALLINGER: I think the, you know,
6 I can see the operators making the right decisions within
7 90 seconds. I'm just not sure, and again, I'm not a
8 thermal hydraulic expert, what's the error on the 90
9 seconds?

10 (Simultaneous speaking.)

11 CHAIRMAN REMPE: On the onset --

12 MEMBER BALLINGER: You know, and so, the,
13 you know, I want the experts --

14 MEMBER BANERJEE: Well that suppression I
15 was asking Peter, you know --

16 MEMBER BALLINGER: Yes.

17 MEMBER BANERJEE: -- what do you feel is,
18 and he's saying 20 seconds now I have to believe him, you
19 know. I haven't done the calculations.

20 MEMBER BALLINGER: I mean some of these
21 thermal hydraulic codes remind me of finite element codes
22 where I asked a guy one time --

23 MALE PARTICIPANT: They're not that bad.
24 They're better than them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER BALLINGER: -- what's to stress, and
2 he said well what do you want it to be.

3 (Laughter)

4 MEMBER BALLINGER: So, anyways.

5 MEMBER CORRADINI: I guess I, just to, my
6 impression is that I'm not concerned because a lot of this
7 stuff, I got to go back to, and these guys are caucusing
8 back here now they've whistleblew.

9 My sense of it is a lot of these things have
10 been benchmarked off of experiments and now you're
11 either, I want to use the word extrapolating, but taking
12 the benchmark calculations and using them in a real case.

13 So to me I'm not concerned about that. I'm
14 more worried about the question you guys were asking the
15 applicant relative to how the operators respond, and they
16 respond way in advance of this stuff, however uncertain
17 this stuff is.

18 So that gives me some confidence. I
19 honestly don't have confidence, as the wiggles get
20 bigger, I have less and less confidence. When the
21 wiggles start, I have some confidence.

22 But if I start worrying about how they start
23 doing this and this and this, I throw all of that out the
24 window until we actually have an experiment that goes out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 there.

2 But I do think we ought to ask staff, that
3 I do think they've benchmarked this, and I don't
4 remember, is it with the, some reactor experiments in the
5 past, have you not done some of the analysis?

6 MR. JACKSON: TRACG is an NRC approved code
7 for a lot of different things --

8 MEMBER CORRADINI: But I think what Dr.
9 Ballinger was asking about is in terms of its abilities
10 or staff's ability to predict oscillatory behavior with
11 a feedback.

12 MR. JACKSON: I think we answered one
13 question, and then I'll try to answer this one slightly
14 differently. So I agree with you where the uncertainty
15 is.

16 Where I know uncertainty is where you get
17 the oscillatory behavior, so I don't think there's a
18 whole lot of uncertainty as to where they start. So I
19 think we're pretty firm in that our methods, GE's methods
20 that those are, that's based on the feedwater system and
21 the feedback times there.

22 So I think that that's not where I have
23 uncertainty. Where we have uncertainty is when you're
24 trying to predict the oscillatory behavior. So what we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have is, at 90 seconds we have a result and we're
2 confident that if you believe the GE model and it's, you
3 know, it could be a great model, we just haven't reviewed
4 it yet.

5 They showed several results even once you
6 get to the oscillatory behavior. The onset, I don't
7 think that's where the uncertainty is. I'm confident
8 that you'll have, you know, if you can get those things
9 in place 90 seconds, you're in good shape.

10 GE's got a calculation, so even if you don't
11 get it in place in 90 seconds and you wait until 120
12 seconds and the oscillations start you could still be
13 okay.

14 We might, after further review, end up
15 agreeing with that, but what we're basing our decision
16 on was that onset and I don't think there's a whole lot
17 of uncertainty there.

18 MR. YARSKY: Yes. This is Peter Yarsky
19 from the Office of Research. To clarify my earlier
20 response, this 20-second period has more to do with I
21 would say the immaturity in our analyses methodology and
22 more so than uncertainty in the thermal hydraulic
23 conditions that would result in the onset of instability.
24 It's something that is better known than the 20 seconds

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that I quoted earlier.

2 MALE PARTICIPANT: So the maturity, as
3 you --

4 MEMBER BANERJEE: I think your number was
5 good enough and you don't need to --

6 (Laughter)

7 MEMBER BALLINGER: As you mature, you have
8 matured by the way. Will you get more margin do you
9 think?

10 MR. YARSKY: Well where we are in the use
11 of TRACE to do these kinds of calculations is, like we
12 have a very large body of assessment against stability
13 experiments.

14 MEMBER BALLINGER: Okay.

15 MR. YARSKY: And, you know, and when we do
16 a time domain stability calculation we perturb it
17 ourselves, our officials, and then we observe how that
18 perturbation, it pays to evaluate things like stability
19 margin.

20 Instability is a little different. With
21 instability you're watching a plant evolve from a stable
22 to condition to an unstable condition and then we gauge
23 that it's unstable because we see growing oscillations.

24 Something that TRACE is susceptible to and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this is not necessarily the case in all time domain codes,
2 just the one that TRACE is susceptible to, is predicting
3 a condition where thermal hydraulically the reactor
4 would be unstable, but not predict the onset of growing
5 power oscillations because it's a computational
6 framework.

7 So it can be sitting in something that is
8 disguising an unstable condition. And when I say like
9 it's because of methodology and maturity is that we're
10 exploring the use of, just wiggling a little bit every
11 now and again so that if it is unstable we give it just
12 the right kind of wiggle so if it's something that is
13 unstable, we jostle it enough to go into this growing
14 power oscillation condition.

15 It's really a computational thing that I
16 think is unique to TRACE and when you look at a TRACE
17 result today I would say that there's some uncertainty
18 in onset timing on this order of 20 seconds. So that's,
19 I think it still could be construed in that particular
20 context.

21 CHAIRMAN REMPE: Kord?

22 MEMBER CORRADINI: Can I --

23 CHAIRMAN REMPE: You already had your turn.

24 Go ahead.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: The Chair will shut me
2 down, but time domain codes for instabilities always have
3 a problem, and whether it be without power feedback or
4 not.

5 But what I thought I was feeling comfortable
6 with, but I listened to your discussion now and I'm not
7 sure I completely got it, was that if I can come into a
8 situation where I've got the initial and bounding
9 conditions nailed down, then I should be able to see the
10 evolution of the instability eventually portray itself
11 and the time shift of that shouldn't be a big issue
12 because, it just shouldn't be a big issue, but the way
13 you just explained it makes me now wonder if I should
14 retract that.

15 Because you were saying that there are
16 certain things about TRACE that the methodology of just
17 a solution may give you uncertainty? I don't follow
18 completely, I'm sorry.

19 MR. YARSKY: Yes. Let me try it once more.
20 What we're evaluating is a very slowly evolving
21 transient, so things are happening relatively slowly
22 when you compare it to something like a TRACE time step
23 size.

24 Like we're looking at instability starting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 say a minute plus into an event which could be with step
2 sizes of like ten milliseconds of them, large number of
3 time steps where between a few of them things are not
4 changing very substantially.

5 So you may evolve into a condition where the
6 reactor goes from a decay ratio of say 0.99 to 1.0 to 1.01,
7 and at that point in time the reactor has become unstable.

8 MEMBER CORRADINI: And it may not see it?

9 MR. YARSKY: But we may not see it in our
10 transient calculation result because you may be in a
11 condition where if you have a perturbation it would grow,
12 but you're doing a numerical calculation so that
13 perturbation might not be there at that particular time
14 step to then grow.

15 MEMBER CORRADINI: Okay. But you're
16 taking, if I might just repeat it to you, but you're
17 taking hundreds of time steps, thousands of time steps
18 in 20 seconds.

19 So I would expect this thing would pop up
20 and the wiggle room is not 20 seconds, but just seconds,
21 fractions of a second. But am I missing something?

22 MR. YARSKY: Yes, like our intuition about
23 it was that it would be on the order of about a period
24 according to the natural frequency.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MEMBER CORRADINI: Okay.

2 MR. YARSKY: But it's something that we are
3 currently looking into and this number that I have is just
4 very preliminary and, you know, as we're trying to
5 develop a generically applicable methodology to make
6 sure that we have robustness and reproducibility.

7 That's not going past that NRR has charged
8 us with.

9 MEMBER CORRADINI: And then you said --
10 (Simultaneous speaking.)

11 MR. YARSKY: I'm giving you the umber limit
12 number as we best understand it today.

13 MEMBER CORRADINI: I'm better now. I'm
14 not as confused about this. So is it just TRACE? The
15 way you framed it is, you said just TRACE, but again I'm
16 back to time domain codes generally have this problem.

17 MR. YARSKY: Right. I think it's
18 something that has to be addressed by your methodology.
19 So all codes might have this problem, but depending on
20 how you use your code --

21 MEMBER CORRADINI: Okay, fine. Yes.

22 MR. YARSKY: -- right, and how mature your
23 methodology is though you'll have a different
24 resolution. And what we're exploring right now is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 use of what we call noise, but we need to study it more
2 thoroughly to make sure that we're using it without
3 perturbing our actual results, you know, and things like
4 that. So, I mean --

5 MEMBER CORRADINI: But, I mean, just to
6 turn back to the applicant who's hopefully not worried
7 about our discussion --

8 (Laughter)

9 (Simultaneous speaking.)

10 MEMBER CORRADINI: Well don't they have
11 characteristic noise in their machine that one could use
12 a surrogate to see? I mean that sort of noise is
13 fundamentally generated in the BWR anyway, whether it be
14 flow or a void or --

15 MR. YARSKY: Oh, yes.

16 MEMBER CORRADINI: So isn't that what you
17 use as the takeoff point for your initialization?

18 MEMBER BANERJEE: You're in ATWS?

19 MR. YARSKY: Yes, but if you have suddenly
20 different --

21 MEMBER CORRADINI: No, no, no, during its
22 normal, during normal, but when the BWR is running I'm
23 sure it's a relatively noise machine.

24 MALE PARTICIPANT: You're not operating at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 these conditions.

2 MALE PARTICIPANT: Huh?

3 MALE PARTICIPANT: You're not operating at
4 these conditions in ATWS.

5 MR. YARSKY: Well you would still
6 experience real life noise, so noise isn't --

7 MEMBER CORRADINI: But if we were able to
8 take that real live noise and stick it in this condition
9 at least to --

10 MEMBER BANERJEE: No. What you would do
11 normally is you'd do a linear stability analysis and get
12 the most unstable wave number and then perturb your
13 solution with an area of wave numbers.

14 And they don't want to do that so they're
15 taking sort of a bunch of wave numbers and simulating it,
16 that's what I think anyway.

17 MR. SMITH: Maybe I'll comment on that.

18 CHAIRMAN REMPE: Okay, so --

19 (Simultaneous speaking.)

20 CHAIRMAN REMPE: Let's let him and Steve
21 have a chance at, you know, giving their comments, okay.

22 MEMBER BANERJEE: Right.

23 CHAIRMAN REMPE: Go for it.

24 MR. SMITH: So I just spent 20 years trying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to predict the magnitudes and the time of these onsets
2 because I was a believer that these things can all be
3 computed, and the more I compute the less I believe is
4 they're very, very hard, they're sensitive throughout
5 the thing, so I applaud you for having an engineering
6 solution to make sure you don't have to sharpen the pencil
7 on the calculations too much.

8 So I believe the calculations are very
9 realistic. I worry about the onset time and I would just
10 suggest going through, and like you're saying, linear
11 stability analysis.

12 You can do this similar thing if you go
13 through a range of feedwater temperatures and water
14 levels in the downcomer, so you, in effect, put a pseudo
15 study state condition, 217, to look for the instability
16 and then how you do the perturbation is kind of
17 irrelevant.

18 Like if sometimes when you do these long
19 simulations, and we saw this with the Oskarshamn
20 instability event, that it was so long to get to the
21 instability that people were all over the map of when it
22 happened.

23 So here you're not that far out in time and
24 as long as, as you're getting the instability, if you got

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 this at 250 seconds, another one will say well let's use
2 200 for operator training, I'd be very worried.

3 So it's important that that timeframe be
4 short enough and then you've cut something off. So I
5 would just recommend doing that, the linearized event,
6 if you will, across the things that really drive it and
7 make sure that's the shortest time that you have ever seen
8 when you change the model.

9 Because a lot of them aren't certain and
10 there's a lot pluses and minuses all the way going out.

11 MEMBER BANERJEE: Yes. I guess the
12 problem, Kord, is right now in the absent, I don't know,
13 if they may have done a linear stability or not.

14 So when you absence of a linear stability
15 analysis, which may or may not be possible to do, you
16 know, but GE has some results which show the onset is
17 around 120 seconds. There's some uncertainty on that.

18 What are we going to, are we going to say
19 there's enough margin on the 90 seconds, that really
20 seemed to the issue, you know. Now if you feel that the
21 uncertainty is too large that's a different matter, you
22 know, but you have much more experience with this than
23 anybody else.

24 MR. SMITH: I mean there's a lot common

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 things in the methods that worries me. We're all doing
2 first order time integration for the most part, you know,
3 you can takes lots of time steps but if it's a first order
4 time integration you haven't changed the global behavior
5 or your ability to predict the global behavior.

6 So that's a thing to watch out for. I
7 haven't see a de-catastrophic and I suspect these results
8 are quite believable. But once you get into these big
9 oscillations, the magnitudally oscillations are very,
10 very hard to predict.

11 So if we're going to believe, you know, our
12 quench model or whatever is going to save us during this,
13 I'd be very nervous for sure.

14 MR. VEDOVI: This is Juswald Vedovi, GEH,
15 just want to, would like to add something about that and
16 also respond to the comment of Dr. Corradini. I think
17 one distinction when we talk about like Oskarshamn
18 benchmark with respect toward, we talked, that is not in
19 ATWSI.

20 So if we're talking about a transient
21 analysis such as the Nine Mile instability event, the
22 LaSalle instability event, and the Oskarshamn
23 instability event, Leibstadt, Confrentes and so forth,
24 all these stability events are transient and they're not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 the ATWSI event that you are trying to discuss in this
2 situation.

3 So that's one aspect. The other one is that
4 Dr. Corradini mentioned about if there were
5 qualification cases done for oscillations, and the
6 answer is yes. Actually we have a quite extensive
7 qualification benchmark of TRACG codes with actual plan
8 data.

9 And notably the Peach Bottom stability
10 test, Nine Mile trip, LaSalle, Leibstadt, and others.
11 So these are documented in the Term G Qualification LTR
12 which, of course, is available for the staff.

13 So in addition to that we do perform the
14 oscillation test for each time that we develop a new fuel
15 design and we compare that with TRACG analysis and we have
16 very good predictions of the oscillations. Thanks.

17 CHAIRMAN REMPE: Any more comments?

18 MR. SMITH: Well I agree that a lot of the
19 data that we have, really instability events that should
20 have never happened because they get in a really bad
21 control rod position power shape. They were totally
22 avoidable.

23 So they're actually not very good for
24 benchmarking this kind of thing other than can we do the,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 that's the way oscillation predictions, you know, the
2 physics of it directly.

3 One reason I like Oskarshamn is, in this
4 context is, it was driven by a feedwater transient that
5 happened over a long period of time and this plant was
6 never in a stable condition and you weren't just looking
7 at noise data to determine what decay ratios were.

8 You actually had to really understand data.

9 CHAIRMAN REMPE: Okay, Steve?

10 MEMBER SCHULTZ: Well we've covered a lot
11 of ground since the applicant's presentation this
12 morning.

13 (Laughter)

14 MEMBER SCHULTZ: And I think it's important
15 that we did, but given the presentation that was made and
16 the staff's reviews and the analysis results that we have
17 seen for Monticello. Under the current fuel design and
18 reload conditions I think a strong case has been made to
19 support the implementation of MELLLA+.

20 With the proviso, of course, of the
21 conditions and limitations that the staff has applied.
22 For applications of any other analyses for other
23 facilities that may have a higher power density, more
24 stability, sensitivity, I think what we've seen today

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 demonstrated that those cases still need to be made.

2 And the same would be true, I would think,
3 for alternative fuel designs or for mixed cores as well,
4 but that's not what we're discussing with regard to
5 Monticello at this point in time.

6 As we went into that discussion we had, in
7 closed session, discussions related to credit for
8 analytical improvements that might be made, provide
9 more margin, to be honest I was unconvinced with the
10 suggestions that were made there and we're out of closed
11 session so we won't get into the details, but I think
12 those evaluations and analyses need to be approached with
13 great care.

14 The research work that was presented I think
15 is very important to demonstrate and improve our
16 understanding here and we've seen that today and I really
17 did appreciate the quality of the work that has been done
18 in the presentations that were made today because of what
19 we can see as perhaps more challenging applications than
20 from Monticello.

21 Coming back then to the last point with
22 respect to Monticello, we have seen the importance of
23 operator action and the timing associated with that and
24 wanted to just re-emphasize one more time that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 applicant and the staff also needs to assure that as you
2 come to the full committee with a case of operator action,
3 that a real solid case must be made to support the time
4 critical operator actions and the NUREG that we referred
5 to earlier is associated with a formal analysis of human
6 performance.

7 And that is, there is an expectation that
8 at least that will be examined and the context of the
9 operator action times will need to be put into that
10 framework.

11 CHAIRMAN REMPE: So I, again, like to thank
12 the licensee and the staff, as well as GE for their
13 efforts to support this meeting and I think that they've
14 provided some very useful insights i.e, speak, you know,
15 I'm not sure right now we don't have the February full
16 committee agenda, but usually an hour and a half might
17 be a reasonable, to two hours max if it's a loose agenda
18 that you'll have.

19 And so I share what Steve had said that the
20 presentations should really focus on making a very strong
21 case because you've only got a subset of a full committee
22 here and there will be individuals who will be
23 questioning you about the operator action time and you
24 need to have a strong case to bat.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Uncertainties, where you might have more
2 margin in the actual timing and the analysis would be very
3 good to be prepared to answer questions about to provide
4 further confidence that this is a strong case.

5 I think that the staff and the licensee have
6 done a very thorough job of trying to support this in the
7 documentation you've provided, and the staff's review,
8 and the questions that were asked, and the responses
9 back, but you won't have time, and the full committee
10 members won't have read, most likely, all of that
11 material, so just some advice on how we go forward.

12 And I appreciate everybody's willingness to
13 stay till almost 6:00, I know we're way behind schedule.
14 And if there aren't any further comments or questions I'm
15 going to close the session, okay.

16 (Whereupon, the open meeting in the
17 above-entitled matter went off the record at 5:50 p.m.)
18
19
20
21
22
23
24

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com



U.S.NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment

ACRS Subcommittee on Power Upgrades

Monticello Nuclear Generating Plant

Maximum Extended Load Line Limit Analysis Plus (MELLLA+)

December 3, 2013

Opening Remarks

John Monninger

Deputy Director

Division of Operating Reactor Licensing

Office of Nuclear Reactor Regulation



Introduction

Terry Beltz

**Senior Project Manager
Division of Operating Reactor Licensing
Office of Nuclear Reactor Regulation**

Review Timeline

- **November 5, 2008 – EPU application submitted to NRC**
- **November 23, 2009 – NRC staff approve linking of the EPU and MELLLA+ LAR reviews**
- **January 21, 2010 – MELLLA+ application submitted to NRC**
- **March 15, 2010 – MELLLA+ application accepted for review**
- **October 2009 – Reviews placed on hold to resolve issues regarding application of CAP credit**
- **March 2011 – Reviews were reactivated. NSPM committed to resolving the CAP issue in the same manner as the EPU, such that the analysis of CAP assumed EPU and MELLLA+ conditions.**

Background on Review and Correspondence

- **Application and supplements – 7**
- **Response to NRC staff requests for additional information – 8**
- **Audit report and presentation material associated with NRC staff audit of GE Hitachi**

Agenda

- **MNGP MELLA+ Overview**
- **Nuclear Design and Safety Analysis**
- **Training and Simulator**
- **MELLA+ Testing**
- **Safety Analysis**
- **TRACE Confirmatory Analysis**



Questions



Public Comments



Committee Comments



Adjourn



Monticello Nuclear Generating Plant Maximum Extended Load Line Limit Analysis Plus



**Advisory Committee on Reactor Safeguards
Power Uprate Subcommittee Meeting
December 3, 2013**

Monticello Nuclear Generating Plant

Maximum Extended Load Line Limit Analysis Plus (MELLLA+)

Introduction

Mark Schimmel

Vice President Xcel Energy

NSPM ACRS Subcommittee Presenters

- **Mark Schimmel – Vice President Xcel Energy**
- **John Grubb – Technical Assistant to the Monticello Site Vice President**
- **Steve Hammer – Monticello Engineering - MELLLA+ Project Manager**
- **Rick Stadtlander – Monticello Assistant Operations Manager**

Background

Monticello Nuclear Generating Plant Overview

Operating License issued on September 8, 1970

Commercial Operation commenced on June 30, 1971

Full Term Operating License was issued on January 9, 1981

GE BWR 3 - Mark I Containment

OLTP Limit 1670 MWt

Initial Plant Rerate Implemented in 1998 (CLTP) 1775 MWt

20% OLTP (12.9% CLTP) EPU Planned for 2013 2004 MWt

Implementation of MELLLA+ allows the plant to achieve full EPU power conditions

Monticello MELLLA+ Overview

MELLLA+ Basis

NSPM Implementation of MELLLA+

Relationship to EPU

MELLLA+ Basis


MELLLA+ Basis:

- MELLLA+ M+SAR (NEDC-33435P) provides analysis for MELLLA+ implementation
- Only previously NRC-approved or industry-accepted methods were used for the analyses of accidents and transients

MELLLA+ Basis

- MELLLA+ application based on GEH MELLLA+ Licensing Topical Reports
 - NEDC-33006P-A - General Electric Boiling Water Reactor Maximum Extended Load Line Limit Analysis Plus (M+LTR)
 - NEDC-33075P-A - General Electric Boiling Water Reactor Detect and Suppress Solution – Confirmation Density (DSS-CD LTR)
 - NEDC-33004P-A - Constant Pressure Power Uprate (CLTR)
 - NEDC-33173P-A - Applicability of GE Methods to Expanded Operating Domains (IMLTR)
 - NEDE-33147P-A - DSS-CD TRACG Application (DSS-CD TRACG LTR)

NSPM Implementation of MELLA+



NSPM Implementation of MELLLA+

Changes Based on MELLLA+:

- MELLLA+ operating domain expansion is an incremental expansion of the operating boundary at EPU conditions, EPU is considered CLTP
- MELLLA+ changes the operating power/core flow map and changes a number of instrument and alarm setpoints
- MELLLA+ Core flow is analyzed as low as 80% of rated core flow under EPU conditions
- Technical Specification Changes to implement DSS-CD Long Term Stability Solution

NSPM Implementation of MELLLA+

MELLLA+ Does Not Change:

- Maximum licensed power
- Maximum licensed core flow
- Maximum licensed plant vessel dome pressure
- Balance of Plant Equipment
- No major hardware changes required to support MELLLA+

MELLLA+ Relationship to EPU

- **MNGP constrained at full EPU conditions by power/flow map without MELLLA+**
- **MELLLA+ assumes EPU conditions**
- **MELLLA+ system parameters are bounded by EPU conditions**
 - MS and FW temperatures, flows, and pressures
 - Reactor Recirculation and CRD system temperatures, flows, and pressures
 - SRVDL temperatures, flows, and pressures
 - RWCU system temperatures, flows, and pressures
 - RCIC, HPCI, CS, RHR and SLCS system temperatures, flows, and pressures