## Official Transcript of Proceedings NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards Digital Instrumentation and Control Systems

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, February 18, 2014

Work Order No.:NRC-597

Pages 1-323

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1323 Rhode Island Avenue, N.W. Washington, D.C. 20005 (202) 234-4433

- 1 UNITED STATES OF AMERICA
- 2 NUCLEAR REGULATORY COMMISSION
- 3 + + + + +
- 4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
- 5 (ACRS)
- 6 + + + + +
- 7 DIGITAL INSTRUMENTATION AND CONTROL SYSTEMS
- 8 SUBCOMMITTEE
- 9 + + + + +
- 10 TUESDAY
- 11 FEBRUARY 18, 2014
- 12 + + + + +
- 13 ROCKVILLE, MARYLAND
- 14 + + + + +

15The Subcommittee met at the Nuclear16Regulatory Commission, Two White Flint North, Room17T2B1, 11545 Rockville Pike, at 8:30 a.m., Charles

- 18 H. Brown, Jr., Chairman, presiding.
- 19 COMMITTEE MEMBERS:

20 CHARLES H. BROWN, JR., Subcommittee Chairman

- 21 DENNIS C. BLEY, Member
- 22 STEPHEN P. SCHULTZ, Member
- 23 JOHN W. STETKAR, Member
- ACRS CONSULTANT:
- 25 MYRON HECHT

1	DESIGNATED FEDERAL OFFICIAL:
2	CHRISTINA ANTONESCU
3	ALSO PRESENT:
4	LARRY AARON, Westinghouse
5	ROSSNYEV ALVARADO, NRR
6	STEVEN ARNDT, NRR
7	ERIC T. BERNARD, MPR Associates, Inc.*
8	MARK BURZYNSKI, Rolls-Royce*
9	GORDON CLEFTON, NEI
10	SAMIR DARBALI, NRR
11	BERNIE DITTMAN, RES
12	BILL GALEYEAN, NuScale Power*
13	DAN HEAD, Invensys
14	JOHN HEFLER, PG&E
15	SHIATTIN MAKOR, Region IV*
16	JOHN MCKAY, Invensys
17	JONATHAN NAY, MPR Associates, Inc.
18	WARREN ODESS-GILLETT, Westinghouse
19	JODI RAPPE, NuScale Power*
20	KENNETH SCHRADER, PG&E
21	RICHARD STATTEL, NRR
22	JOHN THORP, NRR
23	JERRY VOSS, EXCEL Services Corporation*
24	STEVE WYMAN, NRR
25	*Present via telephone

1	T-A-B-L-E O-F C-O-N-T-E-N-T-S
2	Opening Remarks
3	Charles Brown5
4	Diablo Canyon Process Protection System (PPS)
5	System Overview
6	John Thorp7
7	Rich Stattel20
8	Diversity Defense-in-Depth
9	Rich Stattel61
10	Review of Advanced Logic System (ALS) System
11	Diversity Approach
12	Rich Stattel
13	Communications
14	Rossnyev Alavardo110
15	Secure Development Environment Evaluation
16	Samir Darbali169
17	Deterministic Performance Characteristics of PPS
18	Richard Stattel
19	Additional Discussion208
20	Closing Remarks
21	Charles Brown
22	
23	
24	
25	

1	P-R-O-C-E-E-D-I-N-G-S
2	1:02 p.m.
3	CHAIRMAN BROWN: This is a meeting of
4	the Digital Instrumentation Control Systems
5	Subcommittee. I'm Charles Brown, Chairman of the
6	Subcommittee. Advisory Committee members in
7	attendance are John Stetkar, Steve Schultz, Dennis
8	Bley. Our consultant, Myron Hecht. And Ms.
9	Christina Antonescu of the staff is our designated
10	federal official for this meeting.
11	The purpose of this briefing is for the
12	staff to provide a preliminary review of the safety
13	evaluation with the Diablo Canyon Power Plant, Unit
14	1 and 2 digital replacement to the process
15	protection system of the reactor trip system and
16	engineering safety features actuation system.
17	The final safety evaluation report is
18	not yet complete. I think that's correct, isn't
19	it?
20	MR. STATTEL: That is correct.

1 CHAIRMAN BROWN: Okay. The 2 Subcommittee will gather information, analyze 3 relevant issues and facts and formulate proposed 4 positions and actions as appropriate for deliberation by the Full Committee. 5 The 6 rules for participation in today's meeting have 7 been announced as part of the notice for this 8 meeting previously published in the Federal 9 Register on February 12th, 2014. 10 We have received no written comments or 11 requests for time to make oral statements from 12 members of the public regarding today's meeting. 13 Also we have some folks on the bridge 14 phone line listening to the discussions. Jodi 15 Rappe and Bill Galeyean, NuScale; Mark Burzynski, 16 Rolls Royce; Jerry Voss, EXCEL; Eric Bernard and 17 Jonathan Nay from MPR; and Shiattin Makor and 18 others from Region VI.

1 To preclude interruption of the meeting 2 the phone line will be placed on listen-in mode 3 during the discussions, presentations and Committee 4 discussions. Also the bridge line will be open at 5 the end of the meeting to see if anyone listening 6 would like to make any comments. You should 7 identify yourself at that time, by the way, when 8 you make comments as to who you are. I will remind 9 you at that time, I hope. 10 A transcript of the meeting is being 11 kept and will be made available as stated in the 12 Federal Register notice, therefore we request that 13 participants in this meeting use the microphones 14 located throughout the meeting room when addressing 15 the Subcommittee. 16 The participants should first identify 17 themselves and speak with sufficient clarity and 18 volume so that they may be readily heard. 19 We will now proceed with the meeting. 20 Mr. John Thorp, the INC branch chief at NRR who

21 will provide some opening comments.

22 MR. THORP: Good afternoon. Thank you,23 Charlie.

24 CHAIRMAN BROWN: All right.

1 MR. THORP: It's a pleasure for me and 2 my staff to be here. As you pointed out in your 3 remarks the staff's been requested to provide an 4 informational briefing to the ACRS Subcommittee on 5 several topics related to the Diablo Canyon Process 6 Protection System upgrade license amendment 7 request. I'll be briefly describing the 8 9 regulatory history of the Tricon and ALS platforms; 10 i.e, the Tricon and ALS topical reports and the 11 Diablo Canyon license amendment request. I'll also 12 describe just a very high-level overview of the 13 system architecture and communications architecture 14 for the Diablo Canyon Digital Process Protection 15 System.

1 We have a number of folks here with us. 2 Pat Hiland, my division director, is here seated at the side table along with our senior level advisor 3 4 Dr. Steven Arndt. Rich Stattel and Rossnyev 5 Alvarado are our principal technical reviewers for 6 this evaluation, and they'll describe the 7 regulations, the relevant regulatory guidance and 8 the status of the evaluation for the topics shown 9 as we move along through the slides. Samir Darbali 10 is also assigned as a reviewer for this evaluation 11 and he'll be describing the secure development and 12 operational environment evaluation that's being 13 performed for this system.

14 I'd like to introduce some of the 15 Pacific Gas and Electric and industry members 16 present and allow them to address the Committee if they would like. So from PG&E we have Mr. Kenneth 17 18 Schrader over on my right hand at the side table 19 there. From Invensys I believe we have Dan Head 20 and John McKay, all right, seated in the back 21 behind there. From Westinghouse we have Larry 22 Aaron and Mr. Warren Odess-Gillett. They've been 23 raising their hands. I don't know if you spotted 24 them. They've been pretty quick.

CHAIRMAN BROWN: I figured somebody was
 behind me and I don't have eyes on the back of my
 head.

4 MR. THORP: Right, right. And from the
5 Nuclear Energy Institute we have Mr. Gordon
6 Clefton.

7 So here's our presentation outline and 8 introduction that I'll provide. And then you'll 9 see an overview of the Diablo Canyon license 10 amendment request; discussion of diversity and 11 defense-in-depth; communications; SDOE, as I had 12 mentioned earlier; current platform status. And by 13 the way, the members of my staff who conducted the 14 reviews of these platforms are also here. Bernie 15 Dittman. And Steve Wyman is back over on my left 16 side. And then some discussion of the PPS project schedule for Diablo Canyon. 17

18 Go to the next slide. So in October of 19 2011 Pacific Gas and Electric Company submitted a 20 license amendment request to replace the existing 21 Eagle 21 Digital Process Protection System at 22 Diablo Canyon at their nuclear power plant's units 23 1 and 2 with an improved Digital Plant Protection 24 System. Hereafter I'll call that PPS.

1 The new PPS system will be comprised of 2 two PPS subsystems, one of which is based on the 3 Invensys Tricon platform and the other based on the Westinghouse Advanced Logic System, ALS. 4 The 5 Tricon system is a computer-based programmable 6 logic control system, a PLC system. The NRC issued 7 a safety evaluation report for the Tricon Version 8 10 platform topical report in May of 2012. With 9 respect to the Advanced Logic System, ALS, it is a 10 field-programmable data ray FPGA-based system, 11 which includes diverse features to address the NRC 12 guidance for diversity and digital protection 13 systems. The NRC issued a safety evaluation report 14 for the ALS topical report in October of 2013.

1 We accepted the license amendment 2 request for evaluation in January of 2011 and we 3 identified a number of issues that could present 4 challenges at the time to approving the LAR, and 5 these were deterministic performance of software, 6 software planning documentation, equipment 7 qualification testing plans and set point 8 methodologies. So those are some of the areas of 9 focus that we've engaged in. And in the process 10 thus far we've done a number of things, as well as 11 PG&E. PG&E has since provided several license 12 amendment request supplements and they've responded 13 to all of our RAI questions, our requests for 14 additional information questions. There were 67 of 15 them.

Staff has conducted two audits at the vender facilities of Westinghouse and Invensys and the results for those audits are publicly available. 1 Next slide. So our review process. 2 We're conducting the review in accordance with the Standard Review Plan, chapter 7. That's NUREG-3 0800, chapter 7. With our administrative office 4 5 instruction LIC-101 and Interim Staff Guidance, the 6 ISGs applicable to digital systems. Interim Staff 7 Guidance has already been reviewed I think 8 previously by ACRS.

9 These documents clarify the licensing 10 criteria for digital safety systems. Compliance 11 with the ISGs represents more or less the fast 12 track, the HOV lane, as it's been called before, 13 for review and approval. Specifically the staff 14 used the following ISGs for the Diablo Canyon PPS 15 review: We've used ISG-04 to guide the review of 16 communications aspects of the LAR, and we're using in fact piloting with this Diablo effort ISG-06, 17 18 which establishes the process used by NRC for 19 licensing digital I&C systems, the what-do-you-20 need-to-bring-to-the-table-and-when-do-you-need-to-21 bring-it-types of information. 22 CHAIRMAN BROWN: Can I ask a question?

MR. THORP: Yes, go ahead.

23

1 CHAIRMAN BROWN: We reviewed ISG-06 and wrote a letter on it I guess probably four or five 2 3 years ago, if I remember the time frame, and it was 4 a multi-phase including a set of preliminary discussions. And since this is a pilot program, 5 have you come to any conclusions as to whether this 6 7 has improved your ability to get ahead of the game relative to the information you need to make your -8 9 \_

1 MR. THORP: Yes, I'll give you a 2 general answer and then I'll let Rich give you something more specific. We've had some lessons 3 4 that we have learned and are learning as a result 5 of the process. We do think it's a more organized 6 approach and has made it more clear, and you can 7 probably ask the folks that are here from industry 8 as well their opinions on this. We've 9 conducted a couple of presentations on how things 10 have gone thus far with ISG-06, and I think that 11 some of the lessons that are learned from those 12 have been expressed to industry and to all of the 13 various stakeholders. But overall we feel like 14 this has been a very worthy effort and is 15 continuing to be so in terms of the organization of 16 what we need to get and types of information we need to have and when we need to get that to effect 17 18 the best review possible.

19 Now there are other reasons that things 20 can slow down or not fulfill the sort of timely 21 aspects of business, and that can be addressed 22 further, if you like.

1 MR. STATTEL: Sure. Well, obviously 2 the review is still in progress, but there were 3 several aspects of ISG-06 that we found very 4 helpful. If you might recall, there was an annex 5 in IC-6 that identified by phase exactly what 6 documents and what information we required at the 7 time of receiving the license amendment request and 8 then subsequent phases of the design, because the 9 design is still in progress. Those were very 10 useful.

11 During the acceptance review we were 12 able to really pinpoint what material was there, 13 what material was missing. We identified that and 14 we subsequently received the follow-up information 15 from the licensee. So we've used those both for 16 phase 0 and phase 1, or phase 1 and phase 2 of the 17 project. We still haven't received all 18 of the phase 2 documents, but we have a schedule 19 for the licensee to get that later on this year. 20 It was very useful even identifying what material 21 was missing so that we could point them right to 22 that section in IC-6 and we could basically be on 23 the same page with regard to what information we 24 needed to complete the review.

25 CHAIRMAN BROWN: Okay.

1 MR. STATTEL: We've also identified 2 there's a lot of duplicate information that's in 3 the ISG, and we're kind of marking that up. There 4 was a lot of material that was pulled from the 5 various branch technical positions and chapter 7. 6 And personally, I don't like having the same 7 material in two different places because it can be 8 taken out of context, so we're marking that up as 9 we go and we hope to use that down the line to 10 incorporate --

11CHAIRMAN BROWN: But you're looking at12a revision possibly to the ISG, or are you just --13MR. STATTEL: We'd rather not to that.14CHAIRMAN BROWN: Yes. No. No.

15 MR. THORP: Preferably I guess, you 16 know, our goal in all these Interim Staff Guidance 17 documents is to eventually fold those into more 18 permanent guidance, into our SRP or other guidance, 19 reg guides, etcetera. And so my preference would 20 be that we take these lessons learned from the 21 pilot effort and then get that folding done so that 22 we don't have to do a revision to the ISG.

23 MEMBER BLEY: Do you have a plan for 24 that or a schedule? I've just seen some ISGs last 25 for years and years and years.

1	MR. THORP: Yes.
2	MEMBER BLEY: And this is already been
3	quite a few years.
4	MR. THORP: We've had quite a few that
5	we actually have folded into the reg guides and
6	things.
7	MEMBER BLEY: Yes, I know. We've seen
8	a couple.
9	MR. THORP: And so the schedule, we
10	depended upon the completion of the pilot effort.
11	MR. STATTEL: I'll say my personal
12	preference is to roll it into the update of the
13	Standard Review Plan. I think it belongs in
14	chapter 7. After having worked with this for
15	awhile, I think it's useful information.
16	MEMBER BLEY: Yes.
17	MR. STATTEL: I think it can be rolled
18	right into a Standard Review Plan.

1 I'll point out one shortcoming of the 2 ISG-06. That is it's really geared towards an 3 entire reactor protection system upgrade and it's 4 not very scalable. So if we have an amendment 5 request that's only affecting one safety function 6 or it's only digitizing one card of a reactor 7 protection system, it really doesn't account for 8 that. So we're hoping to work with the licensee 9 and kind of discuss those prospects and kind of 10 come up with some better guidance on how to handle 11 that, how to scale it. 12 MEMBER SCHULTZ: Rich, you mentioned 13 that the ISG helped you to identify those areas and 14 point the licensee to areas where they had not 15 provided all the information that you required for 16 your review. 17 MR. STATTEL: Yes. 18 MEMBER SCHULTZ: Do you understand why 19 you didn't get the information in the first place 20 given that it was already in the ISG? Was it not 21 identified clearly, or --22 MR. STATTEL: Right. 23 MEMBER SCHULTZ: -- enough detail to 24 provide you what you would like? 25 MR. SCHRADER: I can answer.

1 MR. STATTEL: Actually, yes, go ahead, 2 Ken. Thank you. 3 MR. SCHRADER: Hi, I'm Ken Schrader, and I'm responsible for the license amendment 4 5 request and prepared the LAR. 6 A couple of the issues: One of them 7 was the set point. Okay? And there we were 8 actually and are doing a separate license amendment 9 request for industry, Tech Spec Task Force, TSTF-10 493. And so we were going to include the set point 11 information in that LAR. Okay? But that caused 12 the staff a problem because the set point 13 information, you know, wasn't in the LAR we 14 submitted. So we corrected that. We submitted the 15 set point information as, you know, part of the 16 LAR. So that really was -- we totally understood 17 what ISG-06 required. We just were going to 18 provide it in a separate licensing action. So we 19 corrected that.

1 As far as the equipment qualification, 2 that really was a vendor scheduling issue as far as 3 when the equipment qualification tests were being 4 performed. Some of the tests that the vendors did 5 for the equipment qualification, they were very 6 conservative in terms of, you know, the criteria, 7 the loads or spectra, whatever, that they used in 8 the tests, and there were some issues in some of 9 those tests. So some of those are being redone to 10 take out some of the conservatism in order to get 11 better results. So it's really a scheduler thing 12 as opposed to a deficiency with ISG-06. I'll just 13 say preparing the LAR having ISG-06 was just 14 excellent to be able to prepare the LAR. 15 Thank you. That's MEMBER SCHULTZ: 16 very helpful. 17 CHAIRMAN BROWN: With the comment you 18 said it was useful using the word "excellent," I 19 guess one of my concerns with folding it into the 20 SRP would morph the thing or spread it out 21 depending on how it gets incorporated. 22 MR. THORP: Probably depends on the 23 form that it would take because we've had some 24 preliminary discussions.

1	CHAIRMAN BROWN: I'm just laying that
2	thought process
3	MR. THORP: Yes, understood.
4	CHAIRMAN BROWN: on the table, when
5	you get around to that.
6	MR. STATTEL: Well, one of the aspects
7	of the ISG is instead of identifying documents by
8	title, it identifies documents and it has a
9	descriptor of what information we expect to be in
10	that document, because obviously not all vendors
11	and not all licensees use the same titling and
12	procedures for developing the documents. So I
13	think, you know, when we performed our acceptance
14	review, we went to the description of the
15	information that we needed to have available to us
16	to do the evaluation and we used that instead of
17	just doing a check mark of the, you know, document
18	titles. It was pretty good. It actually
19	facilitated a lot of the discussions in the
20	meetings we had, you know, trying to rectify,
21	because we might have interpreted one piece of
22	information. They might have had a different
23	interpretation of what was expected. But, you
24	know, in general we were able to get the
25	information we needed. So far.

1 CHAIRMAN BROWN: Okay. Any other 2 questions? 3 (No audible response.) 4 CHAIRMAN BROWN: You want to go on, 5 John? 6 MR. THORP: Okay. So next we'll just 7 do a very brief overview of the process protection 8 system. So this figure and the next will show the 9 Diablo Canyon Reactor Protective System and the 10 Engineered Safety Features Actuation System 11 combination RPS/ESFAS architecture and how the 12 plant protection system fits within the plant 13 design. 14 The digital PPS system consists of four 15 protection sets to support reactor protection 16 system and the engineered safety features functions 17 with either two of four or two of three coincidence 18 actuation logic. The integration of RPS and ESFAS, 19 which we've, you know, historically seen as 20 separate quote/unquote "systems" combines two of 21 the four more or less echelons of defense layers 22 that are described in NUREG/CR-6303 for protection 23 against software common cause failures. We'll 24 discuss that in a little bit more detail during our 25 discussion of diversity.

1 But as you look at the figure, the work 2 that this license amendment request, the scope of 3 the LAR work that we're involved in is contained 4 within that red box. The process racks. The other 5 white boxes that you see, the rod control power 6 cabinet, reactor trip, the solid state protection 7 system, the NIS, the nuclear instrumentation system 8 racks, etcetera, are actually not within the scope 9 of this LAR.

10 With that said, I'd like to turn it 11 over to Rich Stattel to give you more detail in 12 this presentation. Thank you.

13 MR. STATTEL: Okay. Thank you. Before 14 I leave this slide, just want to mention that even 15 though the systems in the white boxes here are not 16 being modified under this license amendment, we are 17 evaluating them in terms of the interfaces between 18 what is being modified and those systems. So 19 you'll see during our discussion here we'll be 20 talking quite a bit about what the solid state 21 protection system is doing and what the NI system 22 is doing.

1 Okay. I'll start out with -- this is 2 an expanded view of the existing Eagle 21 system. 3 There are a few points I'd like to make about this diagram. First of all, both the reactor trip 4 system and ESFAS systems are -- those functions, 5 6 those safety functions are being performed by the 7 Eagle 21 processors now. They use discreet analog 8 sensor inputs that are separated between safety 9 divisions. And I'm going to use the term 10 "divisions" and "protection sets" interchangeably. 11 So basically the terminology that Diablo Canyon 12 uses is "protection set." And what that means is 13 the individual four redundant divisions performing 14 the safety functions.

1 All the voting logic for the ESFAS and 2 the reactor trip function is performed by the solid 3 state protection system, which is shown in the gray 4 box at the bottom of this figure. And that's again 5 not being modified by this particular amendment. 6 The actuation signals to the SSPS voters are 7 hardwired connections. They do not use any 8 communications technology or any digital technology 9 at all. And I have a couple of diagrams I'll show 10 later on in the presentation to show exactly how 11 those interfaces take place. There are no inter-12 divisional communications being implemented in this 13 design. So in other words, there's no 14 communication between the protection steps. 15 Okay. This figure here shows the 16 replacement digital process protection system. And 17 I'll make the same points here: Both the reactor 18 trip and ESFAS systems will continue to use 19 discreet analog sensor inputs. The sensors are not 20 being changed as part of this amendment. The

21 voting logic will still be performed by the solid 22 state protection system. And the actuation signals 23 to the SSPS voters, as I mentioned, are hardwired 24 connections. Okay?

1 CHAIRMAN BROWN: Can I ask you a 2 question relative to that? You said the sensors 3 are all the same. And I guess I understand that point. Got that out of looking at the LAR. 4 5 MR. STATTEL: Okay. 6 CHAIRMAN BROWN: And I don't know with 7 the Eagle 21 how that worked, but I mean I noted 8 that in some of the diagrams temperature 9 information, particularly narrow range and a few 10 things like that fed -- only inputted into the ALS 11 parts of some of these systems. And then they fed 12 into -- is that different? I would have imagined 13 in the Eagle system they all went into the same 14 processing chain in each division. 15 MR. STATTEL: That is correct. The 16 temperatures are a bit unique as far as all the 17 signal inputs to the system. And the reason is 18 because the ALS is actually doing the signal 19 conditioning for the RTD inputs and then it sends 20 an analog signal over to the Tricon portion of the 21 PPS. 22 CHAIRMAN BROWN: I got that.

1 MR. STATTEL: So both systems, both 2 digital subsystems are relied upon to complete the safety functions associated with temperatures. So 3 4 they're unique in that respect. All of the other signals are wired to either the Tricon or the ALS 5 6 subsystems, or both in some cases. And the 7 diagrams kind of show that relationship. 8 CHAIRMAN BROWN: Okay. 9 MR. STATTEL: I'll talk a little bit 10 more about the temperature signals; and I think 11 Rossnyev will cover some of that during the 12 communications discussion, because they are a bit 13 unique. And we're currently evaluating the 14 operating procedures or the anticipated operating 15 modes for the system. And the temperature signals 16 really do play into that. 17 Okay. 18 CONSULTANT HECHT: Can I ask a 19 question? In the presentation, as I have looked 20 through it, there didn't seem to be much of a 21 discussion of the internals of both the Triconics 22 or the ALS. Now the Triconics is a processor 23 system that relies on software. We understand 24 that. 25 MR. STATTEL: Yes.

CONSULTANT HECHT: With respect to the 1 2 ALS, of course there we're dealing with FPGAs, 3 we're dealing with a different development 4 paradigm, different design structures. We have 5 VHTL, I assume. We have finite state machines and 6 fixed logic. We have just a number of differences 7 that don't get covered by the normal set of the 8 IEEE Software Development Standards. Are you going 9 to cover that in this talk, or is there an 10 appropriate time to cover that? 11 MR. STATTEL: Well, we can discuss it a 12 little bit. With regard --13 CONSULTANT HECHT: There's only one 14 page in the LAR that I could see that spoke about 15 hardware product assurance. 16 MR. STATTEL: Well, both of these 17 platforms were individually evaluated by the NRC 18 prior to this. That's what John had mentioned 19 earlier. So we have completed safety evaluations 20 for both the Tricon platform and the ALS platform. 21 So really the subject of our review, our current 22 evaluation is the application development. So the 23 internals of the box, those have already been 24 evaluated.

1 CONSULTANT HECHT: Well, that's true, 2 but there's software which is unique to Diablo 3 Canyon which is running on the Triconics and 4 there's probably logic which is unique which is running on the ALS. And that would have to be part 5 6 of this LAR, wouldn't it? 7 MR. STATTEL: The application, that is 8 true, but for instance the operating system that's 9 used in the Triconics, that would not be part of 10 this evaluation that we're currently performing. 11 MS. ALVARADO: And I just want to add, 12 regarding the ALS system, is not all the components 13 that are being application-specific for Diablo 14 Canyon. We're just talking about one. It's the 15 ALS-102, which is the core logic. So that's the 16 only module that is unique for this application. So that one we are definitely looking into more 17 18 detail. 19 CHAIRMAN BROWN: Well that goes to the 20 point about if you've already approved in some 21 previous SER the ALS --22 MR. STATTEL: Straw building blocks. 23 CHAIRMAN BROWN: -- building blocks --24 MR. STATTEL: Yes. Okay. 25 CHAIRMAN BROWN: -- whatever it is --

1 MR. STATTEL: Yes. 2 CHAIRMAN BROWN: -- and yet this -- and 3 I remember seeing this about the 102 in there. That was the core logic block was different for 4 this application, or was new, or what -- I don't --5 MR. STATTEL: Well, it's unique to each 6 7 application. 8 CHAIRMAN BROWN: Yes. And so is there 9 an additional evaluation done of that core logic 10 block, or is it assumed to have been taken care of 11 under your previous SER? 12 MS. ALVARADO: I just want to clarify, 13 because I'm also responsible for reviewing the 14 software plans and tests that they are doing for the applications. 15 16 CHAIRMAN BROWN: For Triconics?

1 MS. ALVARADO: For both. Besides doing 2 communication, I'm also responsible for the 3 software plans. But the ALS-102, even though I'm 4 saying it's customized, you can customize it for 5 each application, you don't need to customize the 6 whole board. It's certain functions that we're customizing. For example, the communication, the 7 8 protocol that we use you have to customize it to 9 fit what Diablo Canyon's requirement. So we are 10 looking definitely at those customization of the 11 ALS-102 by reviewing the requirements or how 12 they're implemented, especially in the ALS, how 13 they're implementing the diversity into these 14 application-specific parts.

15 MR. STATTEL: So let me add: The way 16 the hand-off takes place is we have a reviewer 17 perform a separate evaluation of the platform, and 18 that's application-independent. So they don't know 19 if it's going to trip the reactor or safety 20 injection or what it's going to do. And they spend 21 a lot of time reviewing things like the 22 deterministic performance characteristics of the 23 system, the operating system, the building blocks.

1 The way the hand-off takes place, in 2 those safety evaluations they identify a list of 3 what we call application-specific action items or 4 plant-specific action items, and those are things 5 that need to followed up by the subsequent reviewer 6 of the

7 application. So for example, each one of the 8 platforms has a list of approved boards by part 9 number. So for the ALS application what we, the 10 application reviewers, would be looking at, we 11 would confirm that the boards that are being used 12 in this Diablo Canyon application are the same 13 model number, the same version boards that had been 14 previously approved during the platform review.

And then there are several action items that we're required to perform to verify that the applications are meeting the requirements, like the single-failure criteria requirements of IEEE-603 or the communications aspect requirements of IC-2. So it's kind of a two-part evaluation.

1 CONSULTANT HECHT: Well, let me try to 2 be as specific as I can. I said hardware, and I 3 guess that was kind of ambiguous. The two first 4 letters of FPGA are for field-programmable, and 5 particularly programmable. So there is a program 6 that's running inside that FPGA that consists of 7 finite state machines to handle I guess the ship 8 registers and the RS-422 and 485 ports, and then 9 there's some static logic ad handle the eight 10 signals coming in from the reactor. Those are 11 unique. And those are the equivalent of programs 12 written in SEER or ATA in the Triconics platform. 13 MR. STATTEL: Yes. 14 CONSULTANT HECHT: But they're very 15 different in the sense of the technology that's 16 used, the tools that are used, the way that the 17 FPGA is made. And, you know, the FPGA you're 18 actually making links. This appeared to be a board 19 where you actually create the links rather than 20 break them. And that is a development process 21 that's a complex development process, and that's --

1 MR. STATTEL: Yes, we agree, and we 2 apply the same criteria to the FPGA as we do a programmable logic device as far as the development 3 4 process is concerned. So in other words, we have review guidance in our Standard Review Plan and 5 6 BTP-7-14 identifies all of the planning aspects of the development plan. So for example, 7 8 configuration management control, quality assurance 9 control, testing planning. All of those aspects 10 are evaluated by the staff for any digital system 11 regardless of whether it's an FPGA-based system or 12 a computer-based system, PLC system. 13 And that's in both of the reviews. 14 So to the extent that we're able to we 15 evaluate the BTP-14 criteria during the platform 16 review, all of the planning aspects of the system 17 design. And the later phases where we confirm that 18 the plans have been implemented, those activities

19 are performed by the staff during the application 20 review.

CONSULTANT HECHT: Well and I guess 1 I'll end the questioning here and maybe you can 2 3 follow it up later with the ACRS, if they feel it's appropriate. For software you have eight IEEE 4 5 standards that talk about how you go through all the processes that you mention. 6 7 MR. STATTEL: Yes. CONSULTANT HECHT: For VHTL and FPGAs I 8 9 don't think you have the same industry standard 10 guidance.
1 MS. ALVARADO: No, I want to point out 2 we do recognize that we don't have guidance 3 specific to or target to VHTL, right? So what 4 we're trying to do is use the guidance that we have 5 and try to see how we can use it to perform the 6 review of the VHTL code. And then to answer your question regarding like the specific of 7 8 the finite state configuration, what we are doing -9 - and we had done thread audits where we pick a 10 requirement, right, like for example, communication 11 between the ALS and the maintenance work station 12 and we track that requirement and see how it has 13 been implemented in the finite state machine, 14 right, like it has been implemented and the tools 15 being used. And here we have two cores, right, so 16 how is that diversity being implemented and 17 followed throughout the process? 18 So that's how we are reviewing I think 19 what you are asking about, like are we looking at 20 the code and the difference between with the 21 Triconics? That's what we are doing for the 22 application-specific part in the ALS. 23 CONSULTANT HECHT: I would just observe 24 that the LAR, which was a very welcome --25 MS. ALVARADO: Well --

1 CONSULTANT HECHT: -- document, had 2 very little information on it. MS. ALVARADO: And this is one of the 3 things with ISG-06, is that a lot is rely upon the 4 5 information that was provided for the platform. So 6 because we already look into how that development 7 was done, I don't think the licensee; and you can 8 contradict me, felt a need to go into that level of 9 detail. 10 CHAIRMAN BROWN: So let me make one 11 observation. I don't know whether you're familiar 12 with ISG-06 or not --13 CONSULTANT HECHT: Yes. 14 CHAIRMAN BROWN: -- and even my memory is somewhat fuzzy, but there was three different 15 16 methodologies to be used if there were already 17 approved platforms. 18 MS. ALVARADO: Right. 19 CONSULTANT HECHT: Right. 20 CHAIRMAN BROWN: Then there was an -- I 21 don't want to call it abbreviated, but it was a --22 CONSULTANT HECHT: Modified. 23 CHAIRMAN BROWN: -- modified approach. 24 CONSULTANT HECHT: Right.

1 CHAIRMAN BROWN: You didn't have to go 2 look at this. You still had to look at the 3 application --4 CONSULTANT HECHT: Right. 5 CHAIRMAN BROWN: -- programming that 6 was going to be done to make sure that was going to 7 be okay, but the fundamental platform operation, 8 you know, know it performed its functions and its 9 housekeeping and all, that was all looked at, 10 theoretically. Okay? 11 CONSULTANT HECHT: Well, they --12 CHAIRMAN BROWN: Well, let me finish. 13 And then so there's a next phase where there is an 14 intermediate stage and then there's a third phase 15 or a third stage or methodology where everything is 16 brand new and nothing has been seen. So this 17 effectively, in my understanding from looking at 18 the LAR, took -- we've already got topical reports 19 that have been approved by the staff, and therefore 20 those pieces, the generic pieces have been looked 21 at and we only have to look at the touch points, 22 the interfaces and the fundamental application to 23 make sure we meet the requirements.

1 CONSULTANT HECHT: They did say that 2 the ALS portion was going to be level 3, or 2 or 3 3 I guess is the word that was used. 4 CHAIRMAN BROWN: Yes, that's the one 5 that's new, I think. 6 CONSULTANT HECHT: Okay. 7 CHAIRMAN BROWN: I've forgotten. Was 8 it two or one is the one where everything is --9 MS. ALVARADO: Right. In an ideal 10 situation we review the platform. You know, we 11 spend our time performing a safety evaluation of 12 the platform. And then that platform unaltered 13 gets used. So we know what the building blocks for 14 the application are and all we really have to do is 15 make sure that they put those blocks together 16 correctly to meet the regulations.

1 It's very rare to get that ideal 2 situation because time passes, improvements are 3 made, corrections are made to the platform over 4 time. So in previous applications, you know, 5 several years had passed between when we preformed 6 the platform evaluation and when the application 7 was developed and they had new versions of the 8 platform at that time. So we're not only reviewing 9 the application development, we're reviewing the 10 deltas or the changes that have been made to the 11 platform.

12 This is pretty close to the ideal 13 situation because the Tricon, the V-10 safety 14 evaluation was completed very recently, well, 15 within the last year or two. And so they're really 16 not deviating from what was evaluated by the staff at that time. The ALS is even more recent, because 17 18 you know, just late last year we issued that safety 19 evaluation. So very few actual changes have been 20 made to those platforms. So most of our review is 21 concentrating on the application development. 22 Now there are some changes to both of 23 those platforms, but we have a separate evaluation

24 section in our safety evaluation that we cover that 25 under.

1 MR. THORP: This kind of goes to the 2 fundamental concept of what is the benefit of 3 having a topical report for a platform which we've reviewed in the greatest detail that we can review 4 5 and satisfied ourselves that for the generic 6 aspects of it we understand what it does, how it's 7 come together and what it's intended to do. And 8 then we've identified those things that when this 9 platform is taken to a specific application have to 10 be looked at. So the application-specific action 11 items are then taken into account to look at that 12 melding of the platform to its particular utilities 13 application.

14	MR. SCHRADER:	Can I	
15	MS. ALVARADO:	I think	
16	CHAIRMAN BROWN	: Hold it.	I'm sorry.

1 MR. SCHRADER: This is Ken Schrader. 2 We've got two points we want to add here. One is 3 is that this is to address Myron's comment about 4 the LAR and the content, you know, on the software 5 development. So each vendor for this application 6 has their own software development plan for this 7 project, which is its own document. You know, and 8 it's based on the requirements of their topical, 9 but then, you know, essentially the project-10 specific requirements. And so those documents, you 11 know, have been developed by the vendors and have 12 been submitted kind of like separately from the 13 LAR, but they're tied to the LAR, to the staff and 14 the staff is reviewing those. 15 So the information is not contained in 16 the LAR itself. It's contained in the vendor 17 document that we've submitted. 18 CHAIRMAN BROWN: I agree, there were a 19 number of references to vendor documents. 20 MR. STATTEL: That's correct. If we 21 did everything in one, the LAR would be --22 CHAIRMAN BROWN: Yes. No, I understand 23 that. 24 MR. STATTEL: -- about this thick. 25 (Laughter.)

1 CONSULTANT HECHT: Yes, references 15 2 and 61, which I guess were FPGA development 3 procedure in the ALS topical report --4 MR. STATTEL: That's correct. 5 CONSULTANT HECHT: -- but you didn't 6 mention them when you were up here, so I didn't 7 know if you were using them or not. MR. STATTEL: Okay. We refer to them 8 9 frequently during our evaluation. 10 CHAIRMAN BROWN: We're going to have to 11 move along. 12 CONSULTANT HECHT: I'm sorry. 13 CHAIRMAN BROWN: No, no. That's fine. 14 The FPGA thing we did not have a number of 15 discussions on that in any great depth, so this is 16 a useful discussion.

1 MR. STATTEL: Honestly, it's a very 2 daunting review because the volume of material that 3 we have in front of us, it's pretty daunting, I'll 4 say. It's a fairly simple application. They're 5 not really doing a lot of fancy things. For the 6 most part it's signal input, comparator and signal 7 output to the SSPS voters. But the documentation 8 that goes with that is fairly significant. So we 9 have requirements documents that we're using for 10 our thread audits. We're pulling those threads 11 into the actual implementation. So we have view of 12 all of the design documentation here. So there's a 13 lot of detail there. It's not an easy review task, 14 I'll say that.

15 So the next slide. Okay. I want to 16 first point out a couple of the abbreviations that are used here. MWS is the abbreviation for 17 maintenance work station. And even on the Eagle 21 18 19 system there was an operator interface maintenance 20 work station within each cabinet, within each Eagle 21 21 cabinet. And this is a non-safety-related PC 22 basically that interfaces with the protection 23 system.

1 In the replacement system there are 2 actually two maintenance work stations in each 3 protection set, one for the Tricon system and one 4 for the ALS system. The line goes over to a KVM 5 abbreviation. That's simply an abbreviation for 6 keyboard, video and mouse. So these are collocated 7 with the safety system. And those cabinets have 8 very limited space, so there wasn't any point in 9 adding two video displays, two mouses, two 10 keyboards. So they simply run that through a 11 switch so there's only one operator interface. 12 That's the cabinet CHAIRMAN BROWN: 13 interface where somebody can look it at and it 14 handles both the Tricon and the ALS? 15 MR. STATTEL: Only one at a time. 16 CHAIRMAN BROWN: I understand. 17 MR. STATTEL: Right. 18 CHAIRMAN BROWN: Okay. Thank you. 19 MR. STATTEL: Now just to be clear, you 20 know, both the ALS and the Tricon within each 21 protection set are in the same protection set. So 22 there isn't a regulatory boundary that needs to 23 exist between those systems, but in this design 24 PG&E chose to keep those systems independent of 25 each other. Okay?

1 So these red walls here, these vertical 2 walls I'm showing here are basically reemphasizing 3 the fact that there is no communications between 4 protection set. So there's no communications A to 5 B, B to C, C to D. And the line that go down to 6 the solid state protection system voters are simply hardwired connections going to relays that are 7 8 inside the solid state --9 CHAIRMAN BROWN: But those were 10 referred to as bistable outputs in a number of 11 places. 12 MR. STATTEL: Right. 13 CHAIRMAN BROWN: After our discussion I 14 was able to --15 MR. STATTEL: Okay. 16 CHAIRMAN BROWN: -- finally find some. 17 But in terms of the bistable output from the PPS --18 MR. STATTEL: Yes. 19 CHAIRMAN BROWN: -- is that a solid 20 state on/off high/low or is it a --21 MR. STATTEL: It's basically a solid 22 state relay. Correct me if I'm wrong. 23 MR. HEFLER: John Hefler representing 24 PG&E. Yes, that's correct.

1 CHAIRMAN BROWN: The Tricon or the ALS 2 initiates a driver, which is a solid state relay of 3 some kind and you get a high or a low and it goes 4 off to the SSPS? 5 MR. HEFLER: That's correct. 6 CHAIRMAN BROWN: That's fine. 7 MR. STATTEL: And I have a figure later 8 on that represents that as well. 9 So then this next slide shows the 10 horizontal lines which is basically a choice. This 11 is not a regulatory requirement, but there's a 12 choice made by the licensee to keep the Tricon and 13 ALS systems separate. So there are no 14 communications between the Tricon and the ALS, so 15 there's no dependency. 16 MEMBER BLEY: That switch you talked 17 about, it's a hardwired switch. You're either 18 looking at one or the other. 19 MR. STATTEL: The KVM switch is only 20 for the maintenance work station. 21 MEMBER BLEY: Right. 22 MR. STATTEL: Right? So it's basically 23 just --

1 MEMBER BLEY: But you can't get any 2 communication through that because you're either 3 hooked to one or the other --MR. STATTEL: That's correct. 4 MEMBER BLEY: -- period? 5 6 MR. STATTEL: That is correct, yes. 7 CHAIRMAN BROWN: The ALS does communicate with the Tricon because it creates an 8 analog temperature output and feeds it back into 9 10 the Tricon system. 11 MR. STATTEL: Right, but that is --12 CHAIRMAN BROWN: So that line is really 13 \_\_\_ 14 MR. STATTEL: -- an analog signal. There's no digital communication. 15 16 CHAIRMAN BROWN: No digital 17 communication. 18 MR. STATTEL: That's correct. 19 CHAIRMAN BROWN: No serial coms or 20 anything like that? 21 MR. STATTEL: That's correct. 22 CHAIRMAN BROWN: Okay. That's what you 23 meant? 24 MR. STATTEL: Yes. 25 CHAIRMAN BROWN: Okay.

1	(Laughter.)
2	MR. STATTEL: That's right.
3	CHAIRMAN BROWN: Thank you.
4	MR. STATTEL: Okay. The figures in the
5	next set of slides represent in varying levels of
6	detail how safety functions are accomplished by the
7	PPS in terms of inputs, which are shown on the
8	left. The processes in the center, those are the
9	processes that will be performed by the PPS system.
10	And the outputs are shown on the right side.
11	On the left of this figure are the
12	monitored plant parameters, or inputs to the PPS
13	system. The blue boxes represent the parameters
14	that are used to perform reactor trip functions.
15	The pink boxes represent parameters that are used
16	to perform ESFAS or engineered safety feature-
17	related functions. And the purple boxes represent
18	parameters that are used to perform both reactor
19	trip and ESF functions.

1 In the center is the existing Eagle 21 2 processor. Note that there's a single processor 3 for each protection set. No redundancy is provided 4 within each protection set. So as you'll see when 5 we get into our diversity discussion, when the 6 software failure is postulated, basically all of 7 the PPS functions on the right side of this diagram 8 would be compromised. So each processor performs 9 all of the safety functions within a single 10 protection set. 11 And on the right side are the functions 12 supported by the PPS system. The top red box is 13 the reactor trip function, and all the others are 14 ESF functions. 15 CHAIRMAN BROWN: Before you go on, back 16 up to your PWR protection concept, the big, big, big block diagram. 17 18 MR. STATTEL: That one?

19 CHAIRMAN BROWN: Yes. And I'm just 20 trying to clarify something that's a little bit 21 inconsistent on the figures that are in the LAR --22 MR. STATTEL: Okay.

1 CHAIRMAN BROWN: -- and in your 2 discussions. Here it says the NIS functions or 3 protectors come out to the NIS, go to the solid 4 state protection system. If you look at the rest 5 of these figures, it shows an NIS input into the 6 Tricon neutron flux. You know, like figure 4.5, 7 figure blah, blah. There's a couple other ones. 8 So am I missing something here? 9 MR. STATTEL: No. No, that's true. 10 The nuclear instrumentation signals actually 11 provide input. This diagram is a little bit overly 12 simplified. They provide input directly to the 13 solid state protection system as shown on this 14 figure. 15 CHAIRMAN BROWN: Yes, I understand 16 that. 17 MR. STATTEL: But they also provide an 18 input to a certain safety function in the process 19 racks, and that is the overpower DT, delta T 20 protection function. And that's exactly the same 21 configuration as in the Eagle 21. 22 CHAIRMAN BROWN: Okay. All right. 23 MR. STATTEL: So it's both. 24 CHAIRMAN BROWN: So it's just an 25 oversimplification?

1 MR. STATTEL: That's correct. Yes. 2 MR. THORP: Could have a thin little 3 arrow, NIS racks into that red box, but we left 4 that out. 5 CHAIRMAN BROWN: That's fine. Just a 6 difference. 7 MR. STATTEL: Okay. 8 CHAIRMAN BROWN: All it means is I read 9 it, right? 10 (Laughter.) 11 MR. STATTEL: Okay. And this figure 12 represents the replacement system. In the dark 13 blue box is the microprocessor-based Tricon 14 subsystem. Each protection set will have three 15 Tricon processors. So that's part of the Tricon 16 system. So the second in the orange box is the 17 Westinghouse FPGA-based ALS subsystem. Each 18 protection set will have two redundant ALS cores. 19 Okay? So instead of having a single processor to 20 perform all safety functions, the replacement 21 system includes multiple layers of redundancy 22 within each protection set. This is being done 23 primarily to increase system reliability and fault 24 tolerance. It is not being done to meet any 25 specific regulatory requirement.

Okay. The next set of figures --1 2 CHAIRMAN BROWN: Well, let me ask you a 3 question about that then. Later in the LAR and in 4 your SE on the D3 --5 MR. STATTEL: Yes. 6 CHAIRMAN BROWN: -- which you all 7 issued I think three years ago, or two years ago, 8 whatever it was --9 MR. STATTEL: Correct. 10 CHAIRMAN BROWN: -- there were some comments about the diversity in the ALS system, and 11 12 you used that as a -- when PG&E or you all pointed 13 out that they did not meet some position precisely 14 that -- and then you go on and say you've finished 15 up with SAMBOLT (phonetic), but the diversity, the 16 modifications made and the diversity that is in the 17 ALS system, we conclude that everything is 18 satisfactory and acceptable. So you say there's 19 two cores in the ALS system. Are those two cores 20 programmed differently or something? Is that the 21 diversity you're referring to in your SE? 22 MR. STATTEL: Yes. Yes, they are. 23 We're kind of jumping ahead to the diversity --24 CHAIRMAN BROWN: If you're going to 25 talk about that later, we can wait.

```
1
                   MR. STATTEL: Yes. If you don't mind -
2
                   CHAIRMAN BROWN: That's fine. Let's
3
4
       just go on.
                   MR. STATTEL: -- I'd like to defer a
5
6
       little bit of that discussion until later.
7
                   CHAIRMAN BROWN: That's fine. Let's
8
       just go on.
9
                   MR. STATTEL: Okay.
10
                   CHAIRMAN BROWN: I was afraid I was
11
       going to forget it.
12
                   MR. STATTEL: Okay. No, we'll
13
       definitely cover that.
14
                   So basically this is just showing a
15
       little bit more detail on the Tricon portion of the
16
       PPS. You can see which process signals are being
17
       provided and which functions are being performed by
18
       the Tricon system. The determinations of function
19
       allocation to the PPS subsystems were made based on
20
       the results of the D3 analysis. Okay?
```

1 So the way that was done is all 2 functions for which there was already an automatic 3 diverse backup actuation signal, and it could be 4 credited in the analysis, those were assigned to 5 the Tricon subsystem because the Tricon would be --6 the functions that are performed by Tricon would be 7 subject to the common cause failure. Those 8 functions would be postulated lost on the common 9 cause failure in the Tricon affecting multiple 10 protection sets. 11 All of the remaining functions; and 12 those are the functions associated with the three 13 you see here, reactor coolant flow, pressurizer 14 pressure and containment pressure, those function 15 were allocated to the ALS system. 16 MR. THORP: Or a combination. MR. STATTEL: Right. Okay? As the 17 18 next slides will show, all the remaining signals

19 are allocated to ALS so that the built-in diversity 20 features of that platform could be used. Okay?

1 Okay. The next figure, I didn't plan 2 on spending a lot of time on this unless you had questions regarding this, but basically this shows 3 what functions are being performed. This is just 4 5 simply showing bistables and the relationship 6 between the system inputs and the outputs, the 7 safety functions being performed. 8 An example is -- I just kind of broke 9 this one out. This is really just showing the 10 steam generator level signal going to a high 11 bistable. And when the level exceeds a high-level 12 set point, it initiates a partial turbine trip and 13 feedwater isolation, partial actuation. And that 14 would be a signal input to the voters in the SSPS. 15 CHAIRMAN BROWN: Will you watch your 16 paper on your microphone there, Rich? MR. STATTEL: Oh, I'm sorry. 17 18 CHAIRMAN BROWN: Move the microphone 19 back some. 20 MR. STATTEL: Okay. 21 CHAIRMAN BROWN: Very good. Thank you.

1 MR. STATTEL: And just a reminder, this 2 is only showing one protection set. So the partial 3 actuation signal is sent to the voters. And in this case there's a two out of three coincidence 4 logic that would be required to actually initiate 5 6 the safety function. Okay? 7 The next slide shows the ALS functions, 8 the relationships between the inputs and outputs. 9 For the functions associated with these signals for 10 the Eagle 21 manual operator actions were needed to 11 be credited in the D3 analysis. So this goes back 12 to your question earlier. So in the Eagle 21 in 13 1993 when that was installed a D3 analysis was 14 performed and basically the common cause failure or 15 loss of all safety functions was postulated 16 coincident with each accident in the plant safety 17 analysis.

1 And the result of that analysis was 2 there was a subset of functions for which there was 3 no automatic diverse action. And they credited 4 manual operator actions. So there were switches, 5 basically hard wire inputs to the solid state 6 protection system that would have to be actuated on 7 a common cause failure in order to accomplish those 8 functions and mitigate the effects of a common 9 cause failure. Those are the functions that are 10 being allocated to the ALS system in the new 11 design. So the effect is they're eliminating the 12 necessity to rely on manual operator actions for 13 those cases. 14 CHAIRMAN BROWN: But as stated in the 15 reports, the manual capability has been retained 16 fully. 17 MR. STATTEL: That's correct. 18 CHAIRMAN BROWN: I think you said 19 completely, that none of those were eliminated or 20 changed. 21 MR. STATTEL: That's correct. Those 22 are all being accomplished by hard wire inputs 23 directly 24 to --25 CHAIRMAN BROWN: Still available --

1 MR. STATTEL: -- the SSPS system. 2 They're still available to the operator. 3 MEMBER BLEY: So for something we 4 haven't thought about that --5 MR. STATTEL: Right. 6 MEMBER BLEY: -- somehow takes out the 7 whole system, we can still override it? 8 MR. STATTEL: Well, not software. 9 Right. So the manual operator actions were not 10 dependent on software --11 MEMBER BLEY: Right. 12 MR. STATTEL: -- on the Eagle 21 and 13 they are still independent from the software or 14 logic implementation on the replacement system. 15 CHAIRMAN BROWN: I think that's what 16 you meant by overriding. 17 MR. THORP: Or if there's something we 18 haven't found or thought of relative to core A, 19 core B within the ALS and we end up with a belly up 20 on both of those, there's still the manual backup.

1 MR. STATTEL: So in a sense this 2 figure, what you're looking at right now, this 3 figure is showing what the PPS system functionally becomes or falls back to when a total common cause 4 5 failure of the Tricon system occurs. Okay? As you 6 can see, there are two functions on the right side 7 that are disabled during such a failure. And I'll 8 talk a little bit about those, because these are 9 analyzed in the plant's D3 analysis. And I'll talk 10 about the coping strategies that are employed for 11 those functions. 12 CHAIRMAN BROWN: You say three. You 13 said two, rather. 14 MR. STATTEL: There are three input 15 signals, right, that I mentioned before; reactor 16 coolant flow, pressurizer pressure and containment pressure. And the functions that I'm talking about 17 18 now, those are signals that had no diverse 19 functionality, no automatic diverse functionality -20 21 CHAIRMAN BROWN: In the old system?

MR. STATTEL: -- existing. The safety 1 2 functions I'm talking about now are functions that 3 are only performed by the Tricon. So in this 4 figure you can see; it's the blue boxes on the 5 right side, the safety functions, turbine trip 6 feedwater isolation and auxiliary feedwater 7 initiation. So think about it this way: If the 8 Tricon fails, everything that has a blue box next 9 to it goes away. So we still have a reactor trip, 10 we still have safety injection actuation, we still 11 have containment spray, but we don't have the 12 turbine trip feedwater isolation. Okay? 13 So for the turbine trip and feedwater 14 isolation function this function is designed to 15 address excessive heat removal due to a feedwater 16 system malfunction event. This safety function has 17 an existing backup mitigating function which is the 18 power range high-flux reactor trip, which is a 19 direct input to the solid state protection system 20 and doesn't rely on any of the PPS software or 21 logic. 22 This backup safety function does not 23 rely on the PPS system, and thus will not be affected by the CCF of the PPS. 24

25 MEMBER STETKAR: Rich?

1	MR. STATTEL: Yes.
2	MEMBER STETKAR: I'm going to wait
3	until you get past all of this stuff to ask the
4	real meaty things, but since you've stopped here
5	MR. STATTEL: Okay.
6	MEMBER STETKAR: what trips the main
7	turbine?
8	MR. STATTEL: What trips the main
9	turbine? Well, a number of things.
10	MEMBER STETKAR: You just know because
11	you've reviewed this. So what trips the main
12	turbine? I don't care about tripping the reactor.
13	In fact I'd actually like to have the reactor
14	running if the main turbine isn't tripped. What
15	trips the main turbine?
16	MR. STATTEL: Well, there are several
17	trips of the main turbine.
18	MEMBER STETKAR: No, no, no. On this
19	particular event what trips the main turbine? How
20	do I prevent a really rapid cool down is what I'm
21	trying to get at? I can trip the reactor and if
22	I'm delivering 100 percent steam flow to the
23	secondary side, step on the primary side, ain't
24	going to be happy. So I'd like to know what trips
25	the main turbine.

1 MR. STATTEL: In terms of protecting 2 the turbine? 3 MEMBER STETKAR: No. No, in terms of 4 protecting the plant. This is very severe 5 overcooling transient equivalent to a steam line 6 break. 7 MR. STATTEL: Okay. So we're going to 8 initiate a high-flux reactor trip. 9 MEMBER STETKAR: Good. 10 MR. STATTEL: Right? 11 MEMBER STETKAR: That makes the power 12 low, so that exacerbates the effects of this now 13 large steam line flow. 14 MR. STATTEL: Okay. I'm looking for 15 some help from the PG&E --16 MEMBER STETKAR: I'm keeping the 17 secondary side delivering 100 percent steam line 18 flow until I get a main steam isolation signal, 19 which, oh, by the way, comes through Tricon. MR. STATTEL: Yes, I'm thinking it's 20 21 going to be the steam isolation. 22 MEMBER STETKAR: Which comes through 23 Tricon for these events. You don't have a 24 containment high-pressure signal here. This is all outside. 25

1 MR. STATTEL: But there's an ALS 2 function for isolating main steam. 3 MEMBER STETKAR: On high-containment 4 pressure. 5 MR. HEFLER: If I could interject, this 6 is John Hefler, there is a turbine trip on reactor 7 trip. 8 MEMBER STETKAR: That's what I wanted 9 to hear. Where does it come out of though? Does 10 it come out of the --11 MR. HEFLER: That's hardwired. 12 MEMBER STETKAR: That's hardwired? 13 MR. STATTEL: Off of the trip --14 MEMBER STETKAR: Thank you. Thank you. 15 MR. HEFLER: Yes, it's the old -- like 16 it used to be. 17 MEMBER STETKAR: Enough said. Thank 18 you. 19 MR. SCHRADER: It's a tech spec 20 requirement. 21 MEMBER STETKAR: Thank you. 22 MR. STATTEL: One of our random trips. 23 MEMBER STETKAR: Thank you.

1 MR. STATTEL: Okay. The second 2 function that I'll talk about is the auxiliary feedwater initiation function. The low, low steam 3 4 generator level is the primary AFW initiator. This 5 function is designed to address major secondary 6 pipe rupture, major rupture of a main feedwater 7 pipe, loss of non-emergency AC power to the station 8 auxiliaries and loss of normal feedwater event. 9 This safety function has two existing backup 10 mitigation functions which are pressurizer pressure 11 reactor trip and high containment pressure safety 12 injection and reactor trip. Again, neither of 13 these backup safety functions rely on the Tricon 14 subsystem and thus would not be affected by the CCF 15 of the PPS system.

Additionally, the auxiliary feedwater system is actuated by the independent AMSAC system on low steam generator level. The non-safetyrelated AMSAC is independent and diverse from the PPS system as we'll see later.

21 MEMBER STETKAR: Yes, let me ask you to 22 stop here, because we're getting there. What 23 starts auxiliary feedwater on a plain vanilla loss 24 of all main feedwater event? The diverse signal.

1 MR. STATTEL: For a diverse signal? So 2 we're saying the CCF is present so we don't have a 3 Tricon safety function? I believe it would be --4 MR. HEFLER: Rich? John Hefler again. 5 That's AMSAC. 6 MR. STATTEL: AMSAC. I was going to 7 say --8 MEMBER STETKAR: Is AMSAC conditioned 9 on the fact that you still have to have high first-10 stage impulse pressure from your main turbine? 11 MR. HEFLER: Yes. 12 MEMBER STETKAR: Okay. I'm asking you 13 on a plain vanilla loss of all main feedwater. The 14 reactor trips. The turbine does trip. What starts 15 the auxiliary feedwater? I didn't say the reactor 16 failed to trip. What starts the auxiliary 17 feedwater? 18 MR. HEFLER: The auxiliary feedwater 19 will be started on the AMSAC initiation. 20 MEMBER STETKAR: No, no, no. Does it 21 start it regardless of first-stage impulse pressure 22 or only if first-stage impulse pressure is still 23 high?

1 MR. HEFLER: Well, the AMSAC actuation 2 is dependent on being over the C-20 interlock, 3 which is high first-stage turbine pressure. MEMBER STETKAR: Okay. So but if I 4 trip the main turbine will AMSAC initiate main 5 6 auxiliary feedwater, is what I'm asking. If I 7 successfully trip the main turbine at T-0? 8 MR. HEFLER: If you've tripped the main 9 turbine as a result of AMSAC, which the AMSAC --10 MEMBER STETKAR: No. No, no, no. No. 11 It came through. 12 MR. HEFLER: The reactor pressure is 13 still high. 14 MEMBER STETKAR: The reactor tripped. 15 You told me that the reactor tripped. Breakers and 16 the single to trip the turbine. All of that works 17 fine. All of that works perfectly fine. What 18 starts the auxiliary feedwater? 19 MR. STATTEL: It would probably be a 20 manual initiation. MEMBER STETKAR: Manual initiation is 21 the answer if that's what's left? Those are the 22 23 answers I'm looking for here.

1 MR. STATTEL: But the other thing I'd 2 like to point out, neither of these functions are 3 being impacted by this modification at all. We're postulating the loss of the safety function, and 4 5 the identified mitigating action here is the same 6 for Eagle 21 as it will be for the new system. 7 MEMBER STETKAR: My questions will 8 eventually get to the point of what are we doing 9 with this modification and how effective is it at 10 preventing a need for operator actions? 11 MR. STATTEL: Okay. 12 MEMBER STETKAR: Okay? So auxiliary 13 feedwater. I now have a tick mark over here that 14 says operators will probably have to start that. 15 Okay. 16 Suppose I have a LOCA in the plant and ALS doesn't work. How do I mitigate a LOCA? 17 18 MR. STATTEL: Well, when you start with 19 ALS doesn't work --20 MEMBER STETKAR: ALS doesn't work. 21 MR. STATTEL: Right? 22 MEMBER STETKAR: I can say that. 23 MR. STATTEL: So we're saying both of 24 the cores? 25 MEMBER STETKAR: That's right.

1 MR. STATTEL: Both ALS cores? 2 MEMBER STETKAR: Well, I can have --3 MR. STATTEL: Even though they're diverse, they don't perform --4 5 MEMBER STETKAR: You know, I've got 6 three processors in each protection set from 7 Tricon, and yet your magic, very special software common cause failure can kill all of those. So ALS 8 9 doesn't work. 10 MR. STATTEL: Basically you put the 11 plant in the exact same situation as Eagle 21 is 12 operating under. 13 MEMBER STETKAR: Okay. So that's 14 another operator has to manually start stuff for any LOCA? 15 16 MR. STATTEL: That's correct. MEMBER STETKAR: Okay? And we already 17 18 talked about a steam line break outside 19 containment, not inside containment. Does the 20 operator have to manually close the MSIVs to 21 mitigate that event? 22 MR. STATTEL: I believe so. I would 23 have to look at the D3. 24 MEMBER STETKAR: It does, unless there 25 are other signals. I'm waiting for --

1	MR. STATTEL: Yes.
2	MEMBER STETKAR: people from Diablo
3	to chime in and say, yes, but there are these other
4	signals.
5	(Laughter.)
6	MR. STATTEL: Right.
7	MEMBER STETKAR: Not hearing that, I'm
8	assuming there aren't any.
9	Now, if that's the case, you have
10	postulated a clean software failure of Tricon. And
11	when I say "clean software failure," I mean the
12	kind of death I'd like to have. I'd like to die
13	painlessly and I would like to not thrash about in
14	the death throes. So you're not postulating any
15	kind of spurious operation. You're saying it
16	doesn't do what you thought it was supposed to do
17	and it doesn't do that cleanly? You've not
18	postulated any types of failures of the ALS, is
19	that correct? Common cause failures.
20	MR. STATTEL: We did not eliminate
21	common cause failure from the ALS, but the effects
22	of the common cause failure on the ALS would not
23	affect the safety functions being performed by the
24	ALS.

1 MEMBER STETKAR: High-pressure 2 injection from a LOCA it wouldn't affect? 3 MR. STATTEL: No, it would not because the common cause failure would affect one core or 4 the other. It would not affect both cores. 5 6 CONSULTANT HECHT: Of the ALS? 7 MR. STATTEL: That's correct. MEMBER STETKAR: Okay. I guess you're 8 9 going to explain why that's true later. 10 MR. STATTEL: Yes. I'm getting to 11 that, yes. And again, keep in mind that we're 12 addressing a software or a logic implementation 13 error that's common to multiple divisions or 14 multiple protection sets. Okay? 15 CONSULTANT HECHT: But not necessarily 16 a design flaw. 17 MEMBER BLEY: Or specifically excluding 18 a design flaw perhaps. 19 MEMBER STETKAR: Or people going and 20 noodling set points through your maintenance work stations on both of those cores. 21 22 CONSULTANT HECHT: That's true, too. I 23 was thinking specifically about that, but I was out of order. I apologize. I'll wait until the --24
1 MR. STATTEL: Okay. For the D3 2 analysis, we'll start by reviewing the current 3 requirements for diversity. There are three 4 primary documents that provide guidance for 5 addressing and evaluating diversity. They're all 6 based on the direction provided by the Commission in SRM to SECY-93-087. NUREG-6303 describes a 7 8 methods for analyzing a CCF of a computer-based 9 nuclear safety system and its potential effects on 10 the overall plant safety analysis. 11 Okay. The BTP-7-19, which was recently 12 revised, provides guidance for evaluating an 13 applicant's D3 analysis and the design of automatic 14 and manual controls and displays for use as diverse 15 actuation systems. Okay? 16 ISG-02 was developed as one of the Steering Committee efforts to provide clarity and 17 18 establish expectations for the D3 analysis. This 19 ISG has been incorporated into BTP-7-19, however, 20 I'm still listing it here because it is relevant to 21 Diablo Canyon in that the safety evaluation that 22 was done on the D3 analysis was performed before 23 the recent update to BTP-19. So ISG-02 was used at 24 that time.

1 Okay. As I mentioned before, BTP-7-19 2 requires a coping strategy to be developed for a 3 digital safety system to address the effects of a software or common cause failure when the potential 4 for a CCF cannot be eliminated. Okay? A D3 5 6 analysis was initially performed for the existing 7 Eagle 21 system in 1993. This analysis postulated 8 a software CCF resulting in a failure of all PPS 9 functions, failure to actuate. 10 For functions associated with

11 containment pressure, reactor system coolant flow 12 and pressurizer pressure the analysis credited 13 manual operator actions as a means of coping with 14 such a failure. This modification will eliminate 15 the reliance on manual operator actions to cope 16 with software or logic implementation CCF.

1 Okay. The licensee performed the D3 2 analysis and updated D3 analysis, and the staff 3 completed a safety evaluation of that analysis in 4 2011. The D3 analysis does not make a case that 5 software CCF of the ALS subsystem is not possible. 6 Instead, it determined that the effect of the 7 postulated CCF of the ALS subsystem does not cause 8 a loss of the safety functions. And I'll discuss 9 the effects of the postulated software for loss of 10 logic 11 -- or common failure of the logic implementation 12 next. 13 Okay. This slide, I'm not going to 14 spend time on this because I'd like to advance, but 15 basically I'm showing the Tricon system. Even 16 though there are three processors and redundancy is built into this system, there are elements of the 17 18 software that are running in this system that are 19 common on all protection sets. Therefore, no 20 credit is given as far as eliminating the 21 possibility of common cause failure on the Tricon.

1 MEMBER STETKAR: And I think, if I 2 remember, Rich, the arrows that you show kind of 3 running around in circles or whatever is some sort 4 of algorithm that it uses to determine the middle 5 value of each parameter that's input, right, so 6 that all three of the processors use that -- I'll 7 call it the middle value? 8 MR. STATTEL: There's a voting that 9 takes place --10 MEMBER STETKAR: Yes. Yes. 11 MR. STATTEL: -- in the Tricon 12 processes, yes. 13 MEMBER STETKAR: So in some sense --14 MR. STATTEL: So the signals are 15 validated. Essentially the added layers of 16 redundancy certainly provide an improvement in system reliability. And that really plays out 17 18 because one of the documents we're reviewing is the 19 reliability analysis. And we're seeing that the 20 numbers do show because of the added redundancy 21 here there's increased -- we expect there to be an 22 increase in reliability of the system.

1 MEMBER STETKAR: Tell me if you're 2 going to talk about this, but one of the questions 3 that I had was when I read through the LAR I think 4 it told me that while the system is operating, if I 5 have a detected fault on one of the main processors 6 here, I can remove that processor and the system, you know, adjusts appropriately because --7 8 MR. STATTEL: That is correct. 9 MEMBER STETKAR: -- it's not there. 10 MR. STATTEL: That is correct. 11 MEMBER STETKAR: And that when I plug 12 it back in, it essentially does what I'd call a hot 13 reboot. In other words, it starts operating by 14 itself without my needing to test anything. Is 15 that true? 16 MR. STATTEL: That is true. And that's 17 kind of unique to the Tricon system. When we 18 looked at other platforms, they don't normally have 19 that level of redundancy built into them. It's not 20 required by regulation. I guess it would keep them 21 out of LCOs. 22 MEMBER STETKAR: Well, what I was going 23 to ask is is there any -- I mean I understand the 24 upside to that. 25 MR. STATTEL: Yes.

1 MEMBER STETKAR: You don't have to 2 declare that protection set inoperable and do 3 whatever you need to do to restore it to 4 operability after things are replaced. 5 Is there any downside to it? 6 MR. STATTEL: It does increase the 7 level of complexity as far as the handling of those failures and the shift of control between 8 9 processors, but those are all aspects that we 10 evaluated during the safety evaluation. So there 11 is an increase in the level of complexity as far as 12 handling the flow of the --13 MEMBER STETKAR: I was thinking more 14 about when you install the good -- so, you know, 15 probably good processor in the slot. 16 MR. STATTEL: Right. 17 MEMBER STETKAR: And everything else 18 then automatically makes it happy. Let me put it 19 that way. I don't want to try to prejudice you or 20 \_ \_ 21 MR. STATTEL: But as far as the outside 22 \_ \_ 23 CHAIRMAN BROWN: That would -- comes 24 out the way it's supposed to after you do that.

1 MR. STATTEL: From a control -- because 2 understand, these systems are much more widely used in control system applications, for instance, paper 3 mill or process control. And from those 4 5 standpoints, yes, you're concerned about bumpless 6 transfers of control, you're concerned about 7 failing over to pre-failure conditions, things like 8 that. But from a protection system perspective we 9 don't really have as much concern about that, 10 because generally when the maintenance is being 11 performed we're not crediting those functions 12 anyway, right, because we have the three other 13 redundancies that are already performing that. So 14 we have a lot more layers of redundancy here. 15 MEMBER STETKAR: Well, but what you 16 just said is a little bit different than what I 17 thought I said. 18 MR. STATTEL: Okay.

1 MEMBER STETKAR: You said when 2 maintenance is performed you're not crediting those 3 other redundancies, which to me says something is 4 de-energized and tagged out of service and 5 therefore my system is now only three protection 6 sets. It's not three and two-thirds. What I 7 thought I read is that the system is fine with 8 three and two-thirds --9 MR. STATTEL: It's still --10 MEMBER STETKAR: -- protection sets --11 MR. STATTEL: It maintains the safety 12 function, yes. 13 MEMBER STETKAR: And when I plug this 14 new module in at power, system operating, not 15 removed from service or anything, then --16 MR. STATTEL: Well, I guess my point is 17 when they plug it in, well, what can go wrong? 18 We're really talking about a bistable output, a 19 digital output here. So it could cause an 20 actuation, right, or it could fail to cause an 21 actuation. In either case any time maintenance 22 performed on the system some kind of operability 23 determination would need to be performed to confirm 24 that the system is still functioning, operable.

MEMBER STETKAR: Okay. I like to hear 1 2 those words. I don't think I was reading them 3 anywhere. 4 MR. STATTEL: Okay. 5 CHAIRMAN BROWN: John, like you, the 6 detail I saw when I was reading that was that if 7 you didn't do -- if one had a fault, it would 8 remove itself. Somehow you've got --9 MEMBER STETKAR: Yes, I mean, you'd get 10 an alarm --11 CHAIRMAN BROWN: -- and the other two 12 continue operating and everybody's happy. MEMBER STETKAR: It's fine. You know, 13 14 it's inputs. Yes, it signals when you lose --15 CHAIRMAN BROWN: Yes, and so you've 16 still got four divisions at that point. It's the point at when somebody goes and does something to 17 18 remove the one that's inoperable, you --19 MEMBER STETKAR: I think --20 CHAIRMAN BROWN: -- you plug it back 21 in. It wasn't real clear.

1 MR. SCHRADER: This is Ken Schrader. 2 So we would not, you know, operate for a long 3 period of time with one or two of these Tricon 4 modules out. In fact we committed in the LAR 5 there's on module out, we would replace it within 6 30 days. And if there was 7 two --8 CHAIRMAN BROWN: That's not a long 9 time? 10 (Laughter.) 11 MEMBER STETKAR: Ken, let me follow on 12 that. I don't care about the time window. Is the 13 system alive and processing signals when you do 14 that replacement? 15 MS. ALVARADO: Yes, it is. 16 MR. STATTEL: It's processing signals, 17 but I think the real question is is it operable? 18 Is it considered operable? 19 MEMBER STETKAR: I'm not an attorney. 20 I'm never going to go get a law degree. I don't 21 care about attorneys. I care about hardware. 22 MS. ALVARADO: Well, when you say --

1 MEMBER STETKAR: Hold it. Stop. 2 Declaring something legally inoperable is an 3 attorney's problem. It's not a technical problem. 4 I'm worried about technical problems. If it is 5 plugged in and processing signals, even though you 6 might declare it legally inoperable, what needs to 7 be done to it to declare it legally operable when I 8 plug that new module in there? And if the answer 9 is nothing because it takes care of itself, that's 10 one answer. If some sort of functional testing has 11 to be done on it, that's another answer. So that's 12 the information I'm looking for. I don't care 13 about 30 days or legally. 14 MR. McKAY: Excuse me. John McKay from 15 Invensys. What happens -- and the word that you 16 were -- that were used is reeducating the MP when 17 you plug in a brand new one. 18 MEMBER STETKAR: I read that word. I 19 didn't want to use it. 20 MR. McKAY: It will reeducate, which 21 means it will download the control program running 22 in the other two MPs. It will perform self-23 diagnostics and then it will come back up and 24 become a TMR system again. Until that time that MP 25 has no input into the process.

1 MS. ALVARADO: So just let me point out 2 the figures work model. Assuming you're losing one of these processors, so you're going to go from 3 4 three voting to two voting. Until you connect this 5 processor again and it does checking and confirms 6 that it is okay, you're not going to go backwards to three voting. So that's what is happening. 7 8 MEMBER STETKAR: If everything works as 9 the designers believe it out to should kind of 10 work, that might sort of kind of happen. In our 11 experience the world doesn't always sort of kind of 12 work the way designers think it should have might 13 have kind of worked according to their design 14 philosophy. Sometimes funny things happen. And 15 what I'm trying to probe is how carefully you've 16 all thought about the funny things that might 17 happen if I'm plugging a new module into an 18 operating system that's producing signals. That 19 new module then must become; we'll use the term, 20 because we heard it, reeducated.

MS. ALVARADO: Again, if that were to happen, this new processor that I'm plugging in right into the Tricon system, when it check itself and the system realize there is something wrong, it will be mark as a fail component, right?

MEMBER STETKAR: If the system realizes 1 2 there's something wrong. 3 MS. ALVARADO: Okay. That's one item. 4 The second item, if the input from that processor 5 is different than the other two, that output is not 6 going to be considering the voting, because they 7 all have to agree. 8 CHAIRMAN BROWN: Well, hold it. There 9 were words about selecting a median value as 10 opposed to them all agreeing so that they're never 11 going to all agree exactly because they get 12 different -- they're going to process inputs from 13 the quote "input legs," and with whatever errors --14 one might read, you know, 10.56 and another one 15 might be 10.03 and another one will be something 16 else and it will be --17 MEMBER STETKAR: Okay. Pick the 10.3 18 because it's --19 CHAIRMAN BROWN: They won't read the 20 same. 21 MEMBER STETKAR: -- on the 10.3 22 MR. STATTEL: Well, going back to our 23 review, our safety evaluation, we look at the changes they're making to their technical 24 25 specifications.

1 MEMBER STETKAR: Right. 2 MR. STATTEL: So there are still 3 surveillance requirements that would have to be met. So there are functional requirements that 4 would have to be met. And I would expect that 5 6 those would be applied before -- you know, if they 7 replaced a card, before they declared that system 8 operable --9 CHAIRMAN BROWN: You mean that division 10 operable? 11 MEMBER STETKAR: Correct. They would have to complete the functional surveillance --12 13 CHAIRMAN BROWN: By a human? 14 MEMBER STETKAR: -- requirement for 15 that division. 16 CHAIRMAN BROWN: By a human? 17 MEMBER STETKAR: Yes. 18 MR. SCHRADER: That's correct. We 19 don't have a fully automated surveillance as part 20 of this. It would require a person at the 21 maintenance work station to verify that.

1 CHAIRMAN BROWN: So let me phrase it 2 this way: When the new processor is put in and 3 it's being reeducated, that division does not 4 become -- that's effectively out of service in my 5 mind -- let me -- John, I see you're shaking your 6 head. I agree with your shaking your head. Based 7 on what you're saying, it almost says we're making 8 that out of service in some form until a human says 9 that new one is working right. Now whether the 10 other two are still crunching along and putting 11 stuff out or whether they're momentarily ignored 12 from that division because of something the human 13 intervention does when he plugs the new card, it's 14 not clear at all and I don't know whether it's --15 MR. STATTEL: Quite honestly, I don't 16 see it as being a lot different than replacing a circuit board in an analog system. Because when I 17 18 put the new circuit board in, yes, it's going to 19 energize, it's going to function, it's going to 20 perform the safety function, but until I do a 21 functional test, a surveillance test on that, an 22 operability determination, then I'm not crediting 23 that.

24MEMBER BLEY: Well, in older systems --25MR. STATTEL: Yes.

1 MEMBER BLEY: -- if -- call it channel 2 3 out of 1, 2 or 3 -- if 3 is not working right, 3 you could actually take it out of service and it 4 would have no output. And then I'd work on it and 5 I'd test it. And then when I knew it was working 6 right, I'd put it back in service. So in-service 7 and out-of- service to me means it's really not 8 putting any signals out. This sounds like it's 9 still putting something out that could be anything 10 for a little while until it all gets worked out. 11 And, you know, whether we call that 12 operable or inoperable, I'm kind of like John, I 13 don't care. What could it be doing? What might it 14 make the plant during this interim time? When it's 15 not working right is it really out of service or 16 does it still have outputs that are getting fed into this system? Sounds likes it does. And what 17 18 can those do? You kind of hit early on some things it might do, but I haven't seen what tells me 19 20 you've really thought through could this get us in 21 any trouble in these interim times? 22 MEMBER STETKAR: In the old days you 23 have the infamous bypass inoperable switches. 24 MR. STATTEL: Well, they still have 25 those switches.

1	MEMBER STETKAR: But, well, the key is
2	would they play if they had a single main
3	processor in one protection set
4	MR. STATTEL: Yes.
5	MEMBER STETKAR: fail; I'll use that
6	term, would they place that protection set in a
7	bypass inoperable state? And I don't know how they
8	do that. I don't know the philosophy at Diablo
9	because it's different from plant to plant. For
10	the reactor trip you either put it into trip mode
11	and you go to one out of the remaining three, or
12	whatever, or you can to go to a two out of three
13	logic. It's plant-specific.
14	MR. STATTEL: With those surveillances
15	those LCO requirements are not being modified by
16	this

1 CHAIRMAN BROWN: Yes, but, John, let me 2 phrase it slightly -- I can understand if you're going to leave it in service. One fails and we've 3 4 got 30 days to do something with it and the other 5 ones are working fine, the division, the protection 6 set is in service, it's doing its job. Now after 15 days, hey, we're going to go replace one of 7 8 them. But my question would be do you put that 9 protection set, bypass it while you insert the new 10 processor in and let it run through its -- is there 11 a -- what did you call it, an LC -- is there a 12 requirement? I mean if I was an operator, if I was 13 owning this thing, I sure as heck wouldn't just put 14 it back in. I don't think I would anyway.

15 I mean I've faced this issue because I 16 had an automatic control system for a large turbine 17 generator set where we needed it to stay on line 18 and we had a voltage regulator and a governor, both 19 of which were designed with two hot running 20 redundant systems and you had to transfer from one 21 to the other in less than five milliseconds in 22 order to not dump something like 20 megawatts worth 23 of load at the wrong time. And so we had to have a 24 transfer.

1 But now we got that part working fine, 2 but now the question is what do you do with the one 3 that was not operating right that you left? 4 Because you could go take the card out, put a new 5 card it, computer, whatever it is. And we 6 struggled like crazy trying to figure out what do 7 you -- now, that's a little bit more dynamic 8 situation. Well, this is, but I mean that's -- I 9 quess if -- left to my own desserts. I don't know. 10 MR. STATTEL: Your points are well 11 I'll be honest with you, we're reviewing a taken. 12 license amendment, therefore --13 CHAIRMAN BROWN: No, I understand that. 14 MR. STATTEL: -- we are evaluating what 15 is changing. And the tech specs that are 16 associated with the determining operability are not 17 changing. 18 CHAIRMAN BROWN: But this is different. 19 MR. STATTEL: They're the same as 20 before. My expectation would be when the shift 21 supervisor issues a key to an I&C technician, here, 22 go replace that circuit board, that main processor, 23 safety processor, that the operators would have 24 entered the required LCO for that prior to issuing 25 that key.

1 MEMBER STETKAR: That's your 2 expectation. 3 MR. STATTEL: That's correct. 4 MEMBER STETKAR: Having played games 5 with tech specs 30 years ago, I'd ask Diablo Canyon 6 officially on the record what their interpretation 7 would be, because many people can interpret the 8 requirements of tech specs differently. So the 9 question is would Diablo Canyon declare that 10 protection set inoperable with whatever the 11 requirements of the tech specs are if one and only 12 one main processor -- I'll say fails, because 13 eventually it has to be replaced. I don't want to 14 split hairs over --15 CHAIRMAN BROWN: Well, but they could 16 leave it operating and it's when they go to replace 17 it is when, you know, the problem --18 MEMBER STETKAR: Well, if you want to 19 split hairs down to that. 20 MEMBER STETKAR: Yes, it's a nuance. 21 MR. THORP: Because I think they're 22 going to try to take advantage of the technology 23 that allows the system to continue to operate so 24 that they 25 don't --

1 CHAIRMAN BROWN: Yes, absolutely. 2 MEMBER STETKAR: That's fine. So let's 3 focus on --MR. STATTEL: I think Charlie's --4 5 MEMBER STETKAR: -- the replacement. MR. SCHRADER: This is Ken Schrader. 6 7 CHAIRMAN BROWN: Before you say 8 anything, this isn't -- but see this is different 9 than now than Eagle 21. There the division was 10 down if the processor failed. You had to go to --11 you had to take it out service maybe, you know, for 12 whatever it is. So this is different. Now you're 13 leaving it running. It's running hot. Now you're 14 putting something in while it's running hot. What 15 can happen when you reintroduce that into the 16 system? How does it get reeducated? Can it 17 bullocks up something else in the process? 18 So I'm sorry. Now I interrupted you, but I wanted ad make that somewhat a thought-valid 19 20 important point, and maybe, maybe not.

1 MR. SCHRADER: This is Ken Schrader 2 now. So we did address this on page 243 of the LAR 3 supplement. So what we had said was for the Tricon if one leg goes out, we would allow it out for up 4 to 30 days. We'll control that in what's called 5 6 our Equipment Control Guidelines. So it's kind of 7 a sub-tier of the tech specs. If there's two legs 8 out, we would only allow seven days to get one 9 back. And if all three are out, then we declare 10 all the associated channels inoperable. 11 CHAIRMAN BROWN: Of that particular 12 protection set? And that still doesn't address 13 putting one back in service if you've got the other 14 two running. 15 MR. SCHRADER: Right. 16 MEMBER STETKAR: There's nothing that I've read, and I studied the tech specs, I studied 17 18 \_\_\_ 19 CHAIRMAN BROWN: I'm sure, John.

1 MEMBER STETKAR: -- some of the words, 2 and there was nothing in there that satisfies the 3 logical "and" and "or" in my mind that says they 4 must declare it inoperable when you replace it and 5 do anything to verify that it's operable after you 6 replace it. And I'm not hearing Diablo say 7 anything to the contrary. So this sounds like it 8 can be performed. It's a totally hot swappable 9 during power operation with no need for 10 administrative declaration of inoperability and no 11 need for human being intervention to verify and 12 let's say assert operability. Which as Charlie 13 noted is different than Eagle 21 because Eagle 21 14 was the equivalent of all three of those processors 15 going belly up. 16 CHAIRMAN BROWN: That's correct.

MEMBER STETKAR: And there they say
obviously within a seven-day, or whatever time
period it is, you know, that you do enter LCOs.

1 MR. STATTEL: One of the pieces of 2 information we don't have at the time is the actual surveillance procedures, the modified surveillance 3 4 procedures. With past applications we, in absence 5 of that -- because normally our safety evaluations 6 are performed prior to the development of those. 7 In absence of that, what we normally do is we 8 include in our safety evaluation recommended 9 inspection items. And those are things that after 10 the safety evaluation is issued our inspectors 11 would basically go to the plant, inspect and make 12 sure that those procedural requirements are met. 13 There are procedural requirements that are 14 established in the safety evaluation that we write. 15 And this seems like it would be in that area. And 16 those haven't been developed yet. CHAIRMAN BROWN: Okay. Let's roll on. 17 18 MR. STATTEL: Okay.

19 CHAIRMAN BROWN: We've beat this one.

20 It's an open question, I guess.

1 MR. STATTEL: Okay. Now onto the ALS. 2 So the next couples slides are going to be discussing the diversity features that are part of 3 4 the ALS subsystem. It's designed with two 5 important redundancy features that are considered 6 in the NRC safety evaluation. The are core 7 diversity and imbedded design diversity. 8 So core diversity as implemented in the 9 Diablo Canyon application generates two redundant 10 logic implementations for placement within each 11 FPGA for a standardized circuit board. This is the 12 ALS-102 board. The two redundant logic 13 implementations represented in relation between 14 core A1 and core A2 on this figure and between core 15 B1 and core B2 use the same hardware descriptive 16 language or HTL files per standardized circuit board. However, each logic implementation is 17 18 produced using different synthesis directives. 19 Therefore, the synthesis tool is used as a means of 20 making the core logic in the number one 21 implementations different than the core logic in 22 the number two implementations. 23 CONSULTANT HECHT: So the diversity 24 comes in the synthesis step?

MR. STATTEL: This is for core 1 2 diversity. This is one of the two means of 3 diversity that are implemented in the system. 4 So it's in the synthesis step. So they 5 have procedures that have the teams -- when they're 6 performing the synthesis, they set the directives 7 to a certain configuration and then they implement 8 the logic. And they do that for the number one and 9 the number two logic. And the results are 10 different implementations of the same HTL code. 11 CONSULTANT HECHT: Okay. And you also 12 said that there was another level of diversity? Is 13 that --14 MR. STATTEL: That's correct. The 15 second level of diversity is what we call imbedded 16 design diversity. This provides an additional level of diversity to that provided by the core 17 18 diversity. The imbedded design diversity requires 19 the production of two versions of hardware 20 descriptive language files for each standardized 21 circuit board. This is represented on this figure 22 as the difference between the A cores and the B 23 cores in the figure. So the imbedded diversity is 24 at the top of the figure.

1 Okay. The Diablo Canyon application 2 defines the configuration and arrangement of the 3 PPS system and creates two different sets of FPGA 4 design variance. So what you see on the figure, 5 they have basically two different teams that are 6 creating the HTL code to implement the system 7 requirements. So you have an A team that will 8 basically develop a set of HTL code to implement 9 requirements. And then there's a complete other 10 team that develops a separate set of HTL code 11 that's independently developed to develop the code 12 for B, the HTL code for the B logic. Okay? And 13 that's the imbedded diversity. 14 And within each of those teams they 15 both implement the synthesis process using 16 different sets of HTL logic. 17 MEMBER BLEY: I've read some stuff 18 about this idea in other applications than here, 19 and you often run into the fact that either people 20 who have had the same training -- lots of different 21 things lead them to the same solution so that you 22 come up with the same thing. Has anybody ever 23 looked into this, at what the two teams do and see 24 if there is any diversity in approach? 25 MR. THORP: The end?

1	MEMBER BLEY: Yes.
2	MR. THORP: As a result of their
3	process are they actually different?
4	MEMBER BLEY: Yes. Because the stuff
5	I've read says there's so much imbedded dependency
6	among people trained to do this either through
7	their organizational or through where they went ad
8	school that often you find they're the same.
9	MR. STATTEL: Yes, and this is a
10	question we've been asking Westinghouse
11	MEMBER BLEY: Yes.
12	MR. STATTEL: We understand that you
13	have a team A and a team B. What's to tell me that
14	they don't you know, great minds think alike.
15	They don't come up with the exact same solution and
16	therefore you compromise the diversity that you're
17	trying to establish.
18	MEMBER BLEY: Yes.

1 MR. STATTEL: And so what we asked was 2 what type of V&V activity -- who is looking at the 3 end product, the resulting HTL code or the 4 resulting binary files to make sure they're different and make a determination that they're 5 6 different enough so that we don't have to consider 7 the common failure between those two. Right? And, 8 you know, we haven't completed our evaluation, but 9 in the process of performing our thread audits, we 10 are pulling various requirements and we're pulling 11 them down to that level and we're looking at those 12 actual files that are created, the completed files. 13

And we have looked at them in a couple 14 of instances already. We have another audit that's 15 coming up in the summer and we'll be pulling those 16 threads further to basically provide some kind of assurance that the end results are in fact diverse 17 18 as they're designed to be. So basically you're 19 going to end up with four different 20 implementations, two pairs basically forced by the 21 synthesis process to be diverse and then diverse 22 from the other set of cores by the implementation 23 of different HTL code.

1 Now what we have before us today is we 2 have the procedures that the developers are using 3 for the development of that HTL code. And they are different. They have a different set of 4 5 implementation procedures for the core A team and 6 the core B team. So it's really unlikely that they 7 would come up with the same solutions because 8 basically their coding instructions are based --9 how would you word that? They're based on 10 different --11 MS. ALVARADO: Different approach. 12 They're taking a different approach. 13 MR. STATTEL: Different approaches. 14 Different design approaches, right? 15 MS. ALVARADO: Yes. 16 MR. STATTEL: Now the other thing -- a 17 part of our evaluation, one of the things we have 18 yet to do is to identify the actual V&V activities 19 that are being performed by their people. Because 20 we're only doing thread audits. We're only 21 pulling, you know, one or two requirements out of 22 thousands. 23 MEMBER BLEY: Is this something you 24 guys dreamed up or is this a common term nowadays?

1 MR. THORP: It's just pulling a thread, 2 you know? 3 MEMBER BLEY: Okay. 4 MR. THORP: A vertical slice, you know, 5 that goes all the way down. 6 MEMBER BLEY: Same as a vertical slice? 7 Okay. 8 MR. STATTEL: So we're only doing a 9 spot check. So we're only checking a really 10 statistical insignificant set of the requirements. 11 But, so that in and of itself we don't consider 12 adequate to ensure necessary diversity. We also 13 want to see that in their processes they have V&V 14 activities that they're performing and they have 15 people, independent V&V people that are looking at 16 the end products and making sure that they are in 17 fact diverse as they are designed to be. 18 MEMBER BLEY: I suspect it would be a 19 great temptation for even those people to say team 20 A has done a lot better job than team B. We ought 21 really encourage them to do the same thing. 22 (Laughter.)

1 CHAIRMAN BROWN: Actually back in the 2 '80s we not only used the software or the program -3 - which this isn't software. The microprocessor 4 days, not FPGAs. But we actually had two cabinets 5 with two sets of hardware like this, another two 6 with another set of hardware plus two different 7 teams designing the software. And after we went 8 through that drill we threw it out as being cost-9 prohibitive and not very reliable in terms of 10 improving anything because a number of studies were 11 -- and this is on the software side, not on the 12 FPGA programming-type stuff. That if you used the 13 same language then as people program using the same 14 language they get to certain things they have to 15 solve, but it was amazing how few solutions you 16 could get to. There were limited choices and some 17 were better than others. And so you didn't have 18 the true diversity. Now if you used a different 19 language in each one, then your support costs just 20 skyrocketed, particularly when you do everything 21 customized the way we did it. 22 MEMBER STETKAR: I was going to say it

23 was too expensive for --

24 CHAIRMAN BROWN: No, I mean --

1 MEMBER STETKAR: I was going to say, 2 too expensive for the Navy is a perspective. 3 CHAIRMAN BROWN: And we really had to 4 look at, you know, where was the value-added coming 5 from. So I mean it's --6 MR. STATTEL: Now, I'll mention one of 7 our previous reviews that we performed was on the 8 Wolf Creek MSFIS system. They used the same 9 system -- well, the same FPG. 10 MR. THORP: For folks on the phone, the 11 Wolf Creek Main Steam and Feedwater Isolation 12 System. 13 MR. STATTEL: Thank you. So they used 14 the same ALS system, but they only used core 15 diversity. So they were only implementing 16 differences in the code by giving different 17 synthesis directives. Okay? And we approved that, 18 but in that safety evaluation we identified -- that 19 was a very simple function which could be fairly 20 comprehensively tested. So we approved it for that 21 application, but we identified the fact that a more 22 complex application, like what we're looking at 23 today with Diablo Canyon, would require an 24 additional level of diversity. And that's where 25 the imbedded diversity is implemented.

1 MEMBER BLEY: Well, this would be 2 interesting to see how it all turns out. 3 CONSULTANT HECHT: Yes, I just wanted 4 to ask a couple of things. 5 MR. STATTEL: Yes. 6 CONSULTANT HECHT: I quess number one 7 question is, does this not introduce a problem 8 where you would have mismatches and thereby cause 9 the ALS system to become less reliable because of 10 those mismatches? 11 And then associated with that is can't 12 you take some credit for diversity in the Tricon? 13 And why do you need to have, you know, redundancy 14 within -- diversity within diversity here? 15 MR. STATTEL: Well, I'll answer the 16 second first. In a way they do take credit for diversity of the Tricon in that in the D3 analysis 17 18 there are several cases where a function of the ALS 19 is -- in the backup column they've identified a 20 diverse function in the Tricon. So they have taken 21 credit for the diversity between ALS and Tricon. 22 MEMBER STETKAR: Right. 23 MR. STATTEL: So that's part of the 24 equation.

1	Now, the first part of your question,
2	let me think about this a second.
3	MS. ALVARADO: If I can jump in, first
4	of all, both cores have to meet the requirements as
5	specified, right?
6	MR. STATTEL: Right. Okay.
7	MS. ALVARADO: So the V&V team is
8	definitely looking into that both core perform per
9	the requirements to where define for the cores to
10	perform. Even though your synthesis process is
11	different and your design is different and your
12	different teams, you still have to meet the same
13	requirements.
14	CHAIRMAN BROWN: You mean get the same
15	end result so there's not a mismatch?
16	MS. ALVARADO: Correct.
17	MR. STATTEL: That's correct. Well,
18	it's a little more complicated than it.
19	CONSULTANT HECHT: Yes, actually it is.

1 MR. STATTEL: So core 1 and core 2 are 2 implemented basically on the same circuit board. 3 The results of those cores and intermediate signals 4 of those logic implementations are compared and 5 that comparator is actually part of the design of 6 the system. So if there is a mismatch -- and this 7 is a question I have asked to the vendor, right? 8 If there is a mismatch how is the system going to 9 respond to that? What are the failure modes of 10 that? That's one of the RAIs that I asked to the 11 vendor and they provided me with that information, 12 right, because it is defined in the system 13 requirements.

As far as the core A and core B, basically the outputs of those are or'ed, basically. And actually this next figure kind of shows that. So each protection set has a core logic A and core logic B implementation. The outputs are or'ed before they go down to the SSPS coincidence.
1 CONSULTANT HECHT: Well, I guess or it 2 depends on whether that's to trip or not to trip, 3 right? So and the other thing is is that is the 4 only output that you're getting from the ALS 5 logical or is there actually some numerical output 6 as well? 7 MR. STATTEL: The safety functions are 8 all logical outputs. 9 CONSULTANT HECHT: What about 10 diagnostics or what about things that people would 11 make decisions on? 12 MR. STATTEL: I'm trying to think. I 13 don't think there are any analog output signals 14 from the ALS portion of the subsystem. Those are 15 handled either by analog devices -- they have 16 analog isolator devices that are on the signal 17 inputs and they provide a signal over to meters, 18 right, that are on a control board. 19 CONSULTANT HECHT: Yes. 20 MR. STATTEL: Or there are cases where 21 the Tricon is actually sending a signal over to a 22 meter on the control board to indicate like trip 23 set points. 24 MS. ALVARADO: Right.

1 MR. STATTEL: Right? So the operator 2 would have that information. Now that would go away on a common cause failure, right, but it's a 3 4 trip set point that's calculated within the Tricon 5 system. So it has to be reliant on the computer 6 system to develop that signal. 7 CONSULTANT HECHT: So I quess --8 MR. STATTEL: But for ALS I don't 9 believe -- I'm trying to -- I'm wracking my brain 10 right now. I don't believe there are any signal 11 outputs for operator indications. 12 MS. ALVARADO: No, I have all these 13 great signals. 14 CONSULTANT HECHT: So basically you're 15 relying on the completeness of the requirements and 16 if those requirements are complete -- and by the way, I guess there's also timing associated with 17 18 that --19 MS. ALVARADO: Correct. CONSULTANT HECHT: -- so that there's 20 21 this, I guess -- I don't know that or gate, I don't 22 know exactly how that works. Does it sample --23 MR. STATTEL: I'll show you that. 24 CONSULTANT HECHT: -- at the light 25 times. So if there's one vote to trip, you trip?

1 MR. STATTEL: That's correct. 2 CONSULTANT HECHT: If it's energized or 3 de-energized? 4 MR. STATTEL: Right. So let me jump ahead a couple slides and I'll show you that. 5 6 CHAIRMAN BROWN: There is one analog 7 output and that's the temperatures that come through, because those are fed into --8 9 MR. STATTEL: That's an analog output, 10 but it's to an operator indication necessarily. 11 CHAIRMAN BROWN: No, that just goes ad 12 Tricon, wherever it goes from there. 13 MR. STATTEL: That's right. 14 CONSULTANT HECHT: But that's I assume 15 before it comes to this board though, right? 16 CHAIRMAN BROWN: This is just a box on the diagram. 17 18 (Laughter.)

1 MR. STATTEL: This diagram is showing 2 the logic output, the trip determination, the 3 partial trip determination coming from the ALS. So 4 this is the safety function. This is not showing 5 analog signals. The only analog signal outputs 6 that I'm aware of on the ALS would be the 7 temperature signals that are input into the Tricon 8 system. 9 CHAIRMAN BROWN: And reactor coolant 10 flows. 11 MR. HEFLER: Excuse me, Rich. There's 12 also the reactor coolant pump flows. 13 MR. STATTEL: Oh, the indicators? MR. HEFLER: There's indicators for the 14 15 RCS flows. 16 MR. STATTEL: From ALS? 17 MR. HEFLER: Yes. Because RCS flows 18 and is processed by ALS.

1 MR. STATTEL: Okay. All right. Ι 2 didn't know of another way to represent how the 3 outputs are or'ed, right, so I put an or gate in 4 this figure. The way it's actually accomplished is 5 this schematic diagram. So this shows the digital 6 output cards. And this is a de-energize to trip 7 configuration. And then the next slide will be the 8 energize to trip configuration. So these are 9 digital output cards. And since this is de-10 energize to trip, think of the DO card as being a 11 closed contact. So in this case 120 volts is being 12 provided through the two closed contacts through 13 the manual trip switch and it energizes the SSPS 14 train A and train B relays. Those are actually 15 relays in the SSPS system. 16 So you can see if either one of those 17 card contacts opens, it will cut the power to those 18 relays, it will drop out and that initiates the 19 trip. That's a de-energize to trip. 20 CHAIRMAN BROWN: The circle with the 21 120 is just the voltage? It's not a relay? 22 MR. STATTEL: That's just a voltage, 23 that's correct. 24 CHAIRMAN BROWN: That's a voltage? 25 Okay.

1	MR. STATTEL: I didn't draw it. They
2	drew it, so
3	(Laughter.)
4	CONSULTANT HECHT: For trips the switch
5	is basically the operator of the or gate.
6	MR. STATTEL: That's exactly right.
7	And you can see here I mean this is a schematic
8	drawing. So that if you open manual trip switch,
9	it doesn't matter what happens on the computer
10	system, it's going to de-energize those relays.
11	It's just a direct in-line contact with the relays.
12	So you can see that the manual trip function is not
13	impacted by the digital system at all.
14	CONSULTANT HECHT: Wait a second.
15	There's a manual function. I get that. And then
16	there's the operator of the or gate. I thought you
17	just said that the output of the or gate is kind of
18	the metaphorical manual trip switch here. Is that
19	not true, or is this a real manual trip switch?
20	MR. STATTEL: Well, I guess the or gate
21	should have a third input, and that would be the
22	manual trip switch. So it would be either ALS A,
23	or ALS B, or the manual trip.
24	CONSULTANT HECHT: I see. Got it.
25	Okay.

1 MR. STATTEL: That would be more 2 accurate. 3 CONSULTANT HECHT: Yes, that would be 4 better. I did not understand this figure. 5 MR. STATTEL: Right. And then the next 6 figure basically shows the same configuration, but 7 on an energize to trip situation. So here you can 8 see the contacts of the digital output card are in 9 parallel. So here it's 48 volt DC and in order to 10 energize you have to close the DO contact of ALS A 11 or ALS B. And if either one of those closes, it's 12 going to put 48 volt DC over to the relays that are 13 in the SSPS system. 14 Now here the manual trip switch is also 15 in parallel, right? So here closing the manual 16 trip switch energizes those relays regardless of 17 the state of the digital system. Okay? 18 CHAIRMAN BROWN: You're going backwards 19 in your slides. That's messing up my time frame 20 here. 21 MR. STATTEL: That's okay. I'm going 22 to go through the next couple pretty quickly. 23 CHAIRMAN BROWN: Before we get moving, 24 you've got five minutes, because we're going to 25 take our break at 3:00 as opposed to 2:45.

1 MR. STATTEL: Okay. So this figure 2 here is really just showing here's what a software or logical implementation CCF malfunction of the B 3 4 cores might look like. So here we have the common 5 error on all four protection sets. All four B 6 cores use the same logic, so all four would be 7 Though the fault affects all four affected. 8 redundant protection sets, each set retains its 9 ability to perform its safety functions via the 10 diverse core A logic. And again, the or gates 11 would not be affected by the CCF. 12 Okay. And the next figure is basically 13 just the opposite. So if we have a common cause 14 failure of the core logic A, this is basically the 15 functionality of the system would be maintained. 16 MEMBER STETKAR: And you're basically 17 saying that there's no conceivable way that I can 18 have both a core A and core B common cause failure? 19 MR. STATTEL: Well, I haven't said that 20 vet --21 (Laughter.) 22 MR. STATTEL: -- because we're 23 performing our safety evaluation. 24 MEMBER STETKAR: Okay.

1 MR. STATTEL: But the object is to have 2 reasonable assurance that that would not occur. 3 MEMBER STETKAR: We're probably close 4 to a good stopping point. Let me ask you a --5 MR. STATTEL: Yes, it's probably fine. 6 MEMBER STETKAR: -- 30-second question, unless you want -- where's a good stopping point, 7 8 Rich? 9 MR. STATTEL: Let me look real quick. 10 I have three more slides, and these are really just 11 talking about the ATWS and the manual operator 12 actions, which we've already mentioned. So I could 13 probably go through these pretty quick. 14 MEMBER STETKAR: Go through them then, 15 because I --16 MR. STATTEL: This slide is pretty 17 busy, but it's really just showing that, you know, 18 part of our evaluation is establishing that the 19 replacement digital system remains diverse from the 20 ATWS system, right? So these are basically the 21 different attributes of the system that we're 22 comparing between the two systems. We're comparing 23 the differences between the existing AMSAC and the 24 replacement PPS system. This really shows the 25 results of what we've seen so far.

1 Though the ALS and AMSAC systems are 2 currently supplied by Westinghouse, they are the same vendor technically, the ALS platform was 3 originally developed by an independent vendor CSI, 4 which was later purchased by Westinghouse. So it's 5 6 in fact a different vendor as far as the 7 development of that. 8 The ATWS system is implemented via the 9 existing Diablo Canyon ATWS Mitigation System, 10 which trips the main turbine and it starts

11 auxiliary feedwater and isolates the steam 12 generator blow-down on coincidence of low, low 13 steam generator water level in three out of four 14 steam generators.

15 This figures shows the functional 16 relationships between the PPS and the AMSAC 17 systems. As you can see, the only interface 18 between these systems is the steam generator level 19 signal. Actually and turbine impulse pressure as 20 well. That does feed over the AMSAC system.

1 The steam generator level systems that 2 are used for AMSAC actuation are derived from the same sensors that provide input to the Tricon 3 4 subsystem, however, these signals are provided to 5 AMSAC through qualified analog isolation devices. 6 Again, no reliance on software or logic 7 implementation there. 8 Okay. We confirmed through our review 9 of the interface requirement specification for the 10 PPS system that the steam generator level input 11 signals used for AMSAC are independent and isolated 12 from the PPS system. 13 Okay. Finally on manual operator 14 actions, I kind of show on the schematics where the 15 trip functions -- how they're independent from the 16 digital system. One of the objectives of this 17 modification is to eliminate the need to perform 18 certain manual actions as a means of coping with 19 software common cause failure.

1 The modification does not affect the 2 ability of the operators to perform the manual 3 operator actions of the safety functions. Again, we talk about this early on. Those are direct 4 5 hardwired inputs into the SSPS system, so they still retain the ability for channel level or 6 7 functional actuation of the various safety functions. So the previously credited manual 8 9 operator actions will still be available to the 10 operators, so both the component and division level 11 actuation capability at the control boards is 12 retained.

13 And that's it for diversity.

1 MEMBER STETKAR: This slide, that first 2 bullet, I'll come back my earlier ranting. If I 3 can have a software common cause failure only in 4 the Tricon system, I still don't understand how it 5 eliminates the need to perform manual operator 6 actions as a means of coping with software common 7 cause failure within the PPS, because I still don't 8 understand how you get the main steam line isolated 9 for a steam line break outside the containment and 10 I don't really understand how you can get aux 11 feedwater started for a reactor -- a loss of main 12 feedwater that results in a successful trip of the 13 reactor and a trip of the main turbine without 14 manual action.

MR. STATTEL: I mean I guess more accurately what I'm saying is; and I guess this is a poor choice of wording on this slide, the modification is eliminating those manual actions that were being credited for the three input signals that I had mentioned before.

21 MEMBER STETKAR: That is a logically22 correct statement.

1 MR. STATTEL: It is not eliminated 2 credited manual operator actions that had 3 previously been credited in the original D3 4 analysis. 5 MEMBER STETKAR: Okay. MR. SCHRADER: This is Ken Schrader. I 6 7 agree with that statement. 8 MEMBER STETKAR: Okay. You have to be 9 very, very careful when you use words like "eliminate," "all," "no." 10 11 MR. STATTEL: Right. 12 MEMBER STETKAR: Because one could be 13 left with the impression that that first bullet can 14 be taken at face value, which it can't. 15 MR. HEFLER: Mr. Stetkar? 16 MEMBER STETKAR: Yes? 17 MR. HEFLER: This is John Helfer. I 18 had a question for you, sir. When you just 19 mentioned on starting aux feedwater --20 MEMBER STETKAR: Yes? 21 MR. HEFLER: -- you said that was after 22 a successful trip. 23 MEMBER STETKAR: After a successful 24 reactor and turbine trip, yes.

1 MR. HEFLER: And what was the reactor 2 trip based on? 3 MEMBER STETKAR: Low-level steam 4 generator level coming into the Tricon system. 5 MR. HEFLER: Okay. in that case the 6 low, low steam generator level, if it trips the 7 reactor through the Tricon will also initiate aux 8 feedwater. 9 MEMBER STETKAR: Regardless of the 10 status of turbine first stage impulse pressure? 11 MR. HEFLER: That is correct, sir. 12 MEMBER STETKAR: Ah, thank you. Good. 13 We solved that one. People design the AMSAC systems -- you know, I've seen a bunch of different 14 15 designs 16 and --17 MR. HEFLER: Well, that particular 18 scenario that you described does not go through 19 AMSAC. But I'm doing some checking on AMSAC because 20 there may be a feature in AMSAC that addresses your 21 concern there, too. 22 MEMBER STETKAR: Just simply the low, 23 low -- let me see if I can understand what you're 24 telling me.

1 MR. STATTEL: Just a simple loss of 2 feedwater? 3 MEMBER STETKAR: Yes, and I don't want 4 to get into -- the problem is you can lose 5 feedwater many different ways. I've seen people 6 stylistically say that, well, the only way I can 7 really lose feedwater is tripping the main 8 feedwater pump, so signals are taken off of main 9 feedwater pump output breakers. 10 MR. STATTEL: Right. 11 MEMBER STETKAR: I've seen people say 12 the only way you can lose it is loss of power, so 13 signals are taken off of loss of power. I also 14 need to careful about low steam generator levels, 15 but I think that's pretty much the way --16 MEMBER BLEY: Well, that comes through 17 Tricon, so that wouldn't have tripped yet. 18 MEMBER STETKAR: No, Tricon --19 MR. STATTEL: That's the CCF --20 MEMBER STETKAR: It's the CCF. I 21 believe in things that I was looking at --22 MR. STATTEL: The steam generator level 23 is the Tricon --

1 MEMBER STETKAR: -- the Tricon system 2 is aux feedwater. ALS does not initiate aux 3 feedwater. MR. STATTEL: That's correct. 4 5 MEMBER BLEY: Are you saying if you 6 anchored this with a low, low steam generator level 7 you wouldn't have even gotten it because it failed 8 in Tricon? That's a Tricon signal. 9 MR. HEFLER: But in that case if you've 10 lost the Tricon, then you haven't had your 11 successful reactor trip. You haven't had your 12 turbine trip --13 MEMBER STETKAR: Yes, you have, because 14 you have the --15 MR. HEFLER: -- initiated aux feedwater 16 through the armed Tricon system.

1 MEMBER STETKAR: Yes, except for the 2 fact that the redundancy for the reactor trip 3 indeed you get is pressurizer high reactor trip, 4 which comes through ALS. I couldn't find any 5 reactor trip signals, at least in kind of my 6 thought process, that didn't have redundancy 7 between Tricon and ALS. I couldn't get an ATWS, 8 but some of these other functions I think I could 9 get. So I think that you would get the reactor 10 trip through the high pressurizer pressure from the 11 ALS.

12 MR. STATTEL: I'll say this: When this 13 application came in, I was a little bit surprised, 14 because I knew they were using two different 15 platforms and I assumed that they would duplicate 16 functionality between Tricon and ALS. So basically 17 ALS would be the diverse actuation system for the 18 Tricon. But that wasn't the design philosophy that 19 was used. So I was very surprised when I initially 20 saw this particular application. However, when you 21 get into it, you really find that there is some 22 reliance on the diversity between those two 23 subsystems when we actually got into the review. 24 MEMBER STETKAR: When you say diversity

25 -

1 MR. STATTEL: And it comes out in the 2 D3 analysis. 3 MEMBER STETKAR: When you diversity in the subsystems, you mean Tricon versus ALS? 4 MR. STATTEL: Correct. 5 6 MEMBER STETKAR: Not the cores within 7 ALS? 8 MR. STATTEL: Yes, and they are 9 diverse, so there's no reason not to take credit 10 for that. 11 MEMBER STETKAR: You know, the only 12 things I found were the ones that I've mentioned, 13 the steam line isolation on a steam line break 14 outside containment, downstream of the MSIDs --15 CHAIRMAN BROWN: We're losing control 16 here a little bit, John. 17 MEMBER STETKAR: -- aux feedwater and 18 LOCA response. 19 MR. STATTEL: Correct. 20 MEMBER STETKAR: Fine. 21 MR. STATTEL: Okay?

1 MEMBER STETKAR: One last question to 2 the applicant: I thought that I read that the Diablo has three DC power divisions. Is that 3 4 correct? Do you have three or four safety-related 5 DC power, 125-volt DC power? 6 (No audible response.) 7 MEMBER STETKAR: Okay. We'll take a 8 break. 9 CHAIRMAN BROWN: Okay. We will now 10 recess for 15 minutes and we will return at 3:20, 11 and we'll catch up. 12 (Whereupon, the above-entitled matter 13 went off the record at 3:05 p.m. and resumed at 14 3:26 p.m.) 15 CHAIRMAN BROWN: The meeting is back in 16 order. During the break --17 MEMBER STETKAR: Just for the record, 18 Charlie, we got a little more information about how 19 the Diablo Canyon AMSAC system performs, and that I 20 believe alleviates my concern, at least about 21 automatically initiating auxiliary feedwater with a 22 common cause failure in the Tricon. 23 So if Diablo would like to for the 24 record put --25 CHAIRMAN BROWN: Make a statement?

MEMBER STETKAR: -- make a statement---1 2 CHAIRMAN BROWN: Have at it. Take 3 charge. MEMBER STETKAR: -- because I don't 4 5 want to risk too much misinterpretation of their 6 system. 7 CHAIRMAN BROWN: Have him go ahead and 8 make a statement for the record on answering your 9 question. 10 MR. HEFLER: Thank you, Mr. Stetkar. 11 CHAIRMAN BROWN: Can you hear okay? 12 MR. HEFLER: This is John Hefler with 13 PG&E. And what I just wanted to clarify on the way 14 that AMSAC works, it monitors the forced steam 15 generator levels and also monitors turbine impulse 16 pressure or turbine first stage pressure. 17 And it arms itself when the two impulse 18 pressures have been over their setpoint. The 19 important thing to remember, though, is that it 20 remains armed for four minutes or 240 seconds after 21 the turbine trips. There's a time delay there.

1 So in the scenario that we were 2 describing here where you had a reactor trip due to 3 something, not necessarily low steam generator 4 level, and let's say that it was high pressurizer 5 pressure, which could happen through the ALS rather 6 than through the Tricon, in that case as soon as 7 the heat input to the steam generator stops due to 8 the reactor trip, the levels will collapse, and 9 that's a very fast collapse.

10 The AMSAC is monitoring the levels, the 11 steam generator water levels. And because it 12 remains armed for 240 seconds afterwards, it will 13 start aux feedwater. And so that alleviates I 14 believe that concern.

15 The other thing that's important is 16 that the turbine impulse pressures and the steam 17 generator levels come off the front end of the 18 instrument loops prior to any digital processing. 19 So they are independently isolated and independent 20 from any digital processing.

1 MR. STATTEL: Right. And that's an 2 important feature, and that's something that I 3 didn't mention earlier. But in the existing Eagle 4 21 system, that is a weakness of that system 5 because currently the Eagle 21 provides an analog 6 signal over to AMSAC, I believe, for the aux feed 7 actuation. 8 MR. HEFLER: No. It -- right now it 9 provides signals to digital feedwater. 10 MR. STATTEL: It was aux feed actuation 11 as well, I'm pretty sure. But, anyway, those 12 dependencies are -- there are dependencies where 13 the Eagle 21 provides analog signals to other 14 external systems, and those have been eliminated in 15 this design. So there is no longer the reliance on 16 the software or digital system in order to provide 17 those signals to the independent system. 18 I believe it's aux feedwater. There 19 was an issue at another plant with similar design,

Eagle 21 design.

1 MR. HEFLER: This is John Hefler again. 2 That is an important point -- that the design of 3 the replacement system for those important signals that would be -- are dependent on digital 4 processing right now. Those will be taken off the 5 6 front end of the instrument loops for the critical 7 control systems like digital feedwater, pressurizer 8 pressure, and so on, so that you don't have the 9 possibility of a malfunction in the Tricon causing 10 an undue influence in those control signal systems. 11 It sort of decouples them. 12 MR. STATTEL: Thank you. 13 CHAIRMAN BROWN: All right. Rich, are 14 you ready to go? 15 MR. STATTEL: Our next area of 16 discussion will be communications, and I'll have 17 Rossnyev Alvarado lead that discussion. 18 MS. ALVARADO: Thanks. This is my 19 first time presenting in the ACRS. I am going to do 10 seconds of bio, so this is really quick. 20

1 I'm Rossnyev Alvarado. I work for 2 NRR/DE, Division of Instrumentation and Control --3 I'm sorry, the Branch of Instrumentation and Control. I have been with NRC since 2010, and 4 before coming to the NRC I worked for almost 10 5 6 years with MPR Associates, which is a consulting 7 firm down in Alexandria. And prior to my graduate 8 work I worked in Venezuela. I'm from Venezuela, 9 and I worked for the oil and gas company. So it 10 has always been in the instrumentation and control 11 area. So that's a little bit about me. 12 Next slide? 13 This slide summarizes the guidance that 14 we have available for communication. And 603, 15 which is referenced in 10 CFR 50.58(hh), provides 16 the criteria for independence between redundant 17 portions of our safety system and between safety 18 systems and other non-safety-related systems.

7-4.3.2 adds to the requirements of the 1 IEEE 603 that data communication between safety 2 3 channels or between safety and non-safety systems should not inhibit the performance of safety 4 functions. To clarify the guidance provided in 603 5 6 and 7-4.3.2, the Digital I&C Steering Committee 7 created a Task Working Group Number 4, and this 8 task working group prepared what we now have, ISG-9 04, which provided that there is points for 10 evaluating digital systems communication and 11 compliance with the NRC regulations. 12 The ACRS, as Rich mentioned before, has 13 reviewed the ISG-04, and that is the guidance that 14 I am currently using for evaluating the 15 communications for Diablo Canyon PPS system. 16 Next slide?

1 Stealing this slide from Rich, two of 2 Rich's slides actually, I just want to reemphasize that there is no communication between the 3 4 protection sets, which are the vertical lines that 5 we can see here, and there is no communication 6 between the Tricon system -- digital communication 7 between the Tricon system and the ALS system. So, 8 in this manner, the licensee agreed to maintain 9 divisional independence between these protection 10 systems.

In addition, there is no communication -- and Rich went into detail providing this -between the protection system and the solid state protection system. As he mentioned before, these are trip sessions that are sent from the PPS to the solid protection system as discrete electrical signals through the interposing relays.

18 Next slide?

Again, sorry for repeating this, but I just want to show this is the figure that was provided in the license amendment for Diablo Canyon. This figure shows one protection set, and it is exactly the same communication architecture for all protection sets.

1 Here we can see the separation between 2 the independence between protection set with the 3 red line, which is exactly the same that we saw in 4 the previous slide on the vertical lines, and then 5 the separation of communication between the Tricon 6 and the ALS for the digital communication, which is 7 the horizontal lines that we saw in the previous 8 slide. 9 The same level of communication 10 separation is used for all four protection systems. 11 Next slide? 12 So taking one of those, what I am going 13 to do is walk through the different communications 14 data links provided in our protection system. In 15 this case, we are doing protection set IV, and I'm 16 going to explain each one of these components. 17 So here is like the previous figure 18 loaded into the different components to show more 19 So there is a link between the ALS and the detail. 20 Tricon, as we have talked about before, but this is 21 an analog temperature signal that is processed in 22 the ALS, and the Tricon uses to perform the 23 overpower differential temperature and 24 overtemperature differential temperature reactor 25 trip safety function.

1 This is an analog signal, and there is 2 not any kind of digital communication. 3 Within each protection set we can see 4 several components that are non-safety-related, and there is communication between the Tricon and the 5 6 ALS to these non-safety-related elements. So I am 7 going to talk about them, and I am going to 8 describe how the Tricon and the ALS performed these 9 communications. 10 But before we go there, I want to just 11 point out some of the elements that we can see 12 The MWS is what Rich described before as the here. 13 maintenance workstation. The KVM is the 14 keyboard/video/mouse switch. So what we have in 15 this slide --16 CHAIRMAN BROWN: Can I ask a question? 17 I'm transitioning from two slides earlier over to 18 this one, and this is supposed to illustrate safety 19 to non-safety communications, and --20 MS. ALVARADO: That's correct. 21 CHAIRMAN BROWN: -- where -- by "non-22 safety," in this circumstance do you mean 23 information that goes to the operators, or what---24 MS. ALVARADO: Yes.

1 CHAIRMAN BROWN: -- type of -- because 2 I don't -- this all looks like safety stuff, if I 3 look at this picture. 4 MS. ALVARADO: Right. And I should 5 have like provided a line to separate what is 6 safety from non-safety here. I just wanted to show 7 all the components that are related. The 8 maintenance workstation, the stations that are---9 CHAIRMAN BROWN: That's a non-safety 10 system. 11 MS. ALVARADO: Right. 12 CHAIRMAN BROWN: So that's the way --13 MS. ALVARADO: Correct. Yes. So the 14 maintenance workstations are non-safety-related, 15 and the plant computer system is non-safetyrelated. So those are the non-safety-related that 16 17 are shown in this slide.

1 MR. STATTEL: If you look at the 2 previous slide, this slide here, the boundaries --3 so the maintenance workstations are shown. The maintenance workstations are shown here. This is 4 5 the Tricon maintenance workstation, and this is the 6 ALS maintenance workstation, through the 7 keyboard/video/mouse display to those components. 8 And then the plant computer is shown on the right 9 side here. That's the interface to the plant 10 computer.

And these directional arrows are meaningful in that this is a one-way communication path. Okay? So those are the equivalent paths to what we see here. So, again, the communication to the maintenance workstation, Tricon, and ALS, operator interface, and then the plant computing system.

18 So everything, really, outside of the 19 Tricon and ALS boxes here is a non-safety-related 20 component.

21CHAIRMAN BROWN: Okay.22MS. ALVARADO: Did I answer the

23 question?

1 CHAIRMAN BROWN: Yes. I have one other 2 semi-related question. In an earlier discussion, 3 we had talked about this port tap. MS. ALVARADO: Yes. I will go into 4 details to talk about it later. 5 6 CHAIRMAN BROWN: Okay. Then I'll wait. 7 MS. ALVARADO: Like I was saying, we 8 have two maintenance workstations, one provided for the ALS and one is provided for the Tricon. 9 Two 10 maintenance workstations are provided per 11 protection set. 12 The maintenance workstations do not 13 communicate with other maintenance workstations in 14 other protection sets or with other controllers, 15 except for the ones in their division. In addition 16 to that, both the Tricon and the ALS portion of the PPS communicate data to the plant computer system. 17 18 The plant computer system is part of the existing 19 system and is not part of the scope of this license 20 amendment. So we are not changing anything for 21 that.

1 I will talk into details about how the 2 communication is done, but, in summary, the Tricon 3 transfers the data to the port tap, which I will 4 present later, and the ALS does it through the 5 transmit TXFB communication ports, which I will 6 talk about when I go into details. 7 CHAIRMAN BROWN: What did you assess? 8 It communicates -- are you talking about just the 9 TAB to the MWS? 10 MS. ALVARADO: No. The TAB is used 11 actually --12 CHAIRMAN BROWN: Okay. Are you talking 13 about the bottom red line? 14 MS. ALVARADO: Yes. 15 MR. STATTEL: Well, the orange lines. 16 MS. ALVARADO: These two lines are the 17 ones that are used for communication, and it's one-18 way communication. Let's just go into the ALS 19 description, and I will explain that in more 20 detail, because the TAB -- the one that I have --21 the TAB here is a two-way communication. 22 CHAIRMAN BROWN: Yes. I got that part. 23 I'm looking at the other one. Okay. Skip the next 24 one.

MS. ALVARADO: No. Hold on. The KVM switch, which Rich talked about it, is keyboard, video display, and mouse. It is just a switching device that -- what it does is provide access to the peripheral devices for the operators to monitor the PPS subsystem. So it will be either the ALS or the Tricon per division.

8 MR. STATTEL: Now, I'll mention these -9 - these displays are mounted inside the cabinets 10 that are in the cable spreading room, which is a 11 level below the control room. So these are not 12 displays that the operators would be standing at or 13 operating. That's not our expected use of those 14 displays. They are really used for initiating 15 surveillance tests and performing diagnostic 16 functions.

MS. ALVARADO: Okay. I just want to point out, the last thing in this is like near the maintenance workstation or the KVMs which has any sort of access to the plant network or the internet.

22 MEMBER STETKAR: Rich, something you 23 just said just struck a chord here. When you use 24 the term "operator," do you really mean human 25 being, or do you mean a licensed operator?

1	MR. THORP: Maintenance or ops.
2	MEMBER STETKAR: Okay.
3	MR. THORP: Really
4	MEMBER STETKAR: Because the
5	qualification you inserted about the displays at
6	the cabinets are not things typically that I would
7	think that licensed operations personnel would be -
8	_
9	MR. STATTEL: I was really talking
10	about the licensed operators. Right. So basically
11	these displays are inside of cabinets with opaque
12	doors that are closed and locked during normal
13	operations. So it's not something operators would
14	typically be relying on to make any operating
15	decisions. That's my point.
16	MEMBER STETKAR: Okay. Thanks.
17	MS. ALVARADO: Okay. Next slide?
18	This is just Rich, I guess we didn't
19	get into the
20	MR. STATTEL: Did you want this one?

1 MS. ALVARADO: Yes. this slide is just 2 to show how the signals from -- the analog 3 temperature signals are used by the ALS and the Tricon to perform the protection functions. This 4 5 is just for information, to see that these signals, 6 how they are processed by -- and used by both 7 systems. 8 And the orange or pink is the ALS that 9 is processing the signal, and then in the blue is 10 how the Tricon performs the function. So this is 11 just for information. 12 Next slide? 13 Okay. Now let's talk about the ALS 14 communication. First of all, there is no 15 communication path between the Redundant Safety 16 Division or the protection sets in the ALS portion 17 of the PPS replacement. The ALS subsystem doesn't 18 require a port tap device to enforce one-way 19 communication.
1 Instead, the ALS has two custom ports 2 called TXB ports, which are in this case the orange 3 lines that you can see there and are one way. 4 These ports are configured such that it is only 5 possible to transmit data through these 6 connections. This is one-way communication and 7 doesn't require the use of handshaking signal. 8 I'm going to skip to the next slide, 9 please. 10 CHAIRMAN BROWN: Say that again. 11 MS. ALVARADO: Next slide? 12 So this is the --13 CHAIRMAN BROWN: No, no, no, no, no. 14 Go back. You're way ahead of my question. 15 MS. ALVARADO: I'm explaining the 16 orange lines. CHAIRMAN BROWN: No. I'm -- you said 17 18 "handshaking." 19 MS. ALVARADO: There is no handshaking. 20 CHAIRMAN BROWN: Oh, I thought you -- I 21 missed the "no." I'm sorry about that. 22 MS. ALVARADO: No, that's okay. 23 CHAIRMAN BROWN: I missed that. 24 MEMBER BLEY: And now she is going to 25 show you why they can't.

1 MS. ALVARADO: Yes. I was going to 2 tell you again there was --3 CHAIRMAN BROWN: I was just going to 4 tell you, if you want to say what you're going to 5 say, your Slide 36 is a lot better than this one. MS. ALVARADO: My Slide 36? 6 7 CHAIRMAN BROWN: That's your next one. 8 MS. ALVARADO: Okay. 9 CHAIRMAN BROWN: No. Slide 36 is the 10 one that shows TXB-1 and TXB-2 coming from these 11 and going over to the plant computer with the RS-12 422 lines on them. 13 MS. ALVARADO: Oh, no, no. What I'm 14 trying to -- okay. 15 CHAIRMAN BROWN: That's what those 16 lines are.

MS. ALVARADO: Right. Correct. What 1 2 I'm trying to show with the next slide is just how 3 the ALS has configured these ports to enforce one-4 way communication that is hardwire-enforced. So 5 this is the circuit that they're using, and the way 6 this works is that the TXB that you can see there 7 on the top is the one that drives the transmit 8 channel circuit, and the receiver, which is the 9 TXFB, is configured in such a way that the transmit 10 data is looped back for channel integrity. 11 So the data will -- it will never --12 you will never get data from the outside into the -13 14 CHAIRMAN BROWN: NSR? Non-safety-15 related. 16 MS. ALVARADO: Non-safety-related. 17 CHAIRMAN BROWN: Plant computer? Yes. 18 MS. ALVARADO: Yes. In this case, it 19 will be the plant computer system or the 20 maintenance workstation. 21 CHAIRMAN BROWN: Correct. 22 MS. ALVARADO: Through the TSX. I 23 still have the TAB bus, which is a different -- we will talk about it --24

1 MR. STATTEL: That's why there's two 2 links here. One -- these are both TXB ports, the 3 two orange lines. One is communicating to the 4 maintenance workstation; the other is to the plant 5 computer system. 6 CONSULTANT HECHT: Can I ask a 7 question? 8 MS. ALVARADO: Sure. 9 CONSULTANT HECHT: You don't have the 10 handshaking, so the receiver has got to get what it 11 can. But the plant system is depending on signals 12 coming from the ALS. Isn't there a problem about, 13 you know, loss of signal integrity, loss of 14 corruption, loss of synchronization, that might 15 result in the plant computer system not getting the 16 signals from the ALS? MR. STATTEL: Well, these are not 17 18 safety-related systems. So they are not relied 19 upon for performing any safety functions. Even the 20 operators would not use indications from the plant 21 computer to make their safety determinations. 22 CONSULTANT HECHT: But they are still 23 being used by the plant computer. I mean --24 MR. STATTEL: They are inputs to the 25 plant computer. That's correct.

1 CONSULTANT HECHT: Right. So what 2 happens if the plant computer doesn't get them? 3 MR. SCHRADER: This is Ken Schrader. 4 You know, the plant computer does not -- it is just 5 for information. It doesn't perform any safety 6 function whatsoever. 7 CONSULTANT HECHT: Well, are those 8 computers saying like the ALS has tripped something 9 or that -- I forgot exactly what the signal --10 MR. SCHRADER: Those indications would 11 be provided on the control board. 12 MS. ALVARADO: Yes. They will provide 13 -- if there is any problem or failure with the ALS 14 system, it will be annunciated in the main 15 annunciator system. 16 CONSULTANT HECHT: Well, then, why have 17 any links? 18 MR. SCHRADER: Just so that you -- you 19 have a way to get information on the performance of 20 the system online without going down to the 21 cabinets in the cable spreading room. 22 CONSULTANT HECHT: So they're only 23 status signals for the ALS?

1 MR. HEFLER: Excuse me. Its 2 information signals go to the plant computer, but 3 they're not relied on to make safety decisions. In 4 one case that you had mentioned, if the ALS tripped 5 something, or if the Tricon tripped something, 6 there is hardwired -- well, they're multiplex, but 7 there's indicator lights coming out of the solid 8 state protection system.

9 It's a hardwire multiplexing, but there 10 are postage stamp indicators on the main control 11 board that will tell you what the trip status is of 12 the SSPS for whatever initiates the trip. Those 13 don't depend at all on these data links.

14 CONSULTANT HECHT: I'm still trying to 15 figure out if there is any impact at all on plant 16 operations, normal operations, if you don't have 17 those indications. And if you don't have those 18 indications, why are they there?

MR. SCHRADER: The answer is no,
because the plant computer does not perform any,
you know, relied upon functions. It's just for
information.

1 MR. THORP: I might offer just an 2 observation that as SRO on a nuclear plant for 3 about eight and a half years, our typical use of 4 the plant computer was to provide just sort of 5 ongoing point trending. In fact, we would as 6 individual operators select groups of points that we found most interesting to us or that would help 7 8 us as we were trying to perhaps analyze some way 9 that a system was not operating as efficiently as 10 it could or wanted to see what was going on. And 11 so we would observe those points.

12 So typically the way the computer was 13 set up -- and I'm not a computer expert, but I was 14 a computer user, and we would -- we would identify 15 -- see that the points that were coming in, if 16 there was something that went wrong upstream, that 17 began to feed bad data to those points, there were 18 means by which the computer could identify that the 19 point was now bad and would indicate so, and then 20 that would give us pause to reflect on what is the 21 source of that, and we would call for help if we 22 needed it.

1 But it was -- it was always more 2 informational and just sort of that extra degree of 3 cognizance of what's going on in the plant, 4 allowing us to stay more well informed. 5 CONSULTANT HECHT: So the only thing 6 that is happening is that these signals would be 7 displayed? They were not used in any control algorithms or anything like that? 8 9 MS. ALVARADO: No. 10 MR. SCHRADER: That's correct. 11 CHAIRMAN BROWN: Okay. Let me go back 12 to my question, because I had -- before she started 13 talking, I was pretty much sold. 14 (Laughter.) 15 MS. ALVARADO: Wow. 16 CHAIRMAN BROWN: I didn't mean that in a negative --17 18 (Laughter.) 19 MS. ALVARADO: Don't worry. I can take 20 it. 21 (Laughter.)

1 CHAIRMAN BROWN: You know, I have 2 looked back and forth at so many of these pictures, 3 and I thought I was pretty much convinced that 4 everything was happy, and I was going to be happy, but then I look at that picture and that's an 5 6 ALS/TXB communications port. 7 And then I go look at the LAR, where it 8 talks about the receive capabilities with TXB channels and the -- this is an ALS-102 line, are 9 10 physically disabled by hardware on the ALS board, 11 and I don't see any physical disabling at all. I 12 just see a continuous back and forth. One set of 13 data goes out, and another set of data comes back 14 in from the --15 MS. ALVARADO: This is the one driving, 16 right? 17 CHAIRMAN BROWN: That's the transmit. 18 MS. ALVARADO: Okay. Well, this one is 19 coming back here. 20 MEMBER STETKAR: It's easier -- stay 21 close to the mic and use a mouse or something, so 22 we pick up --

1 CHAIRMAN BROWN: I see what you're 2 doing, but you've also got a direct feed from the 3 NSR that comes back in and goes in that way also. 4 So your diagram just shows --5 MS. ALVARADO: Look, this is --6 CHAIRMAN BROWN: Go up. I have no idea 7 what a little round circle means. 8 MS. ALVARADO: It's a knot. It's not 9 coming back. It's a knot. 10 CHAIRMAN BROWN: On that line, but 11 you're feeding something back the other way back to 12 the FPGA. 13 MS. ALVARADO: No, I'm not. This is 14 the line that is transmitting data, and it's --15 this is the loop back that I'm sending to check for 16 integrity check between the data that you send, to 17 compare there is -- that it is the same data that 18 you are receiving. This is not connected. I'm 19 sorry. This is not connected. 20 CHAIRMAN BROWN: That's a solid line, 21 and I'm --22 MR. STATTEL: Even if you were to 23 transmit data on this lower line here --24 MS. ALVARADO: It will not come back 25 here. It will not come back here.

1 MR. STATTEL: It wouldn't go anywhere. 2 It's not connected. 3 MS. ALVARADO: It's not connected. 4 CHAIRMAN BROWN: It's transmitting on the upper line. Does that little circle mean it's 5 6 disconnected? 7 MS. ALVARADO: Yes. 8 CHAIRMAN BROWN: The wire is separated, 9 is that what that means? 10 MR. THORP: You should see a little 11 hump there. 12 CHAIRMAN BROWN: That's all you had to 13 say. That's not obvious. I see little lines. 14 It's just a connector going in. That's all. 15 MR. STATTEL: Would someone from 16 Westinghouse care to chime in? 17 CHAIRMAN BROWN: This is their diagram, 18 is that right? 19 MR. STATTEL: Yes. This is from the 20 topical report, the ALS topical report. 21 CHAIRMAN BROWN: I got it. You don't 22 have to --23 MR. STATTEL: Okay.

1 CHAIRMAN BROWN: I'm just trying to 2 make it correspond to the LAR, which said very 3 clearly that it was physically disconnected. That means the wire -- it's also what I was told earlier 4 in a verbal discussion. 5 6 MR. STATTEL: What's not shown on here 7 is the actual logic implementation that would be 8 needed for the receive. It's not implemented 9 within the core logic. 10 CHAIRMAN BROWN: Well, that's okay. 11 That's just a design error. All of a sudden it 12 gets implemented and somehow it's there and that's 13 -- so having a wire broken makes it very difficult 14 to transmit information on it, so I'm happy with 15 that. 16 MS. ALVARADO: Can you go back? Okay. 17 So let's go back, and then I'm going to talk about 18 the TAB bus, which TAB stands for Test ALS Bus. 19 This is the line that is shown in red. Okay?

1 The TAB bus can be connected to the ALS 2 maintenance workstation to provide direct two-way 3 communication for maintenance activities. Normally, the two-way connection between the ALS 4 maintenance workstation and the ALS PPS is 5 6 physically disconnected from the ALS subsystem. 7 When online testing of the ALS subsystem is 8 required, the TAB is physically connected, allowing 9 two-way communication between the ALS maintenance 10 workstation and the ALS subsystem. I want to point out there is no software associated with 11 12 disconnecting or connecting this data link. 13 CHAIRMAN BROWN: There's no what? 14 MS. ALVARADO: Software. 15 CHAIRMAN BROWN: Is it a switch? 16 MS. ALVARADO: It's a cable. It's a 17 cable that you have to --18 CHAIRMAN BROWN: So the guy has got to 19 hook up a cable from both sides.

1 MS. ALVARADO: Yes. So for this 2 connection to be available, the TAB has to be 3 physically connected to the maintenance workstation 4 by qualified personnel under administrative 5 controls; and, two, only one ALS -- core A or core 6 B -- can be connected to the TAB at a time in a 7 protection set. So I can just connect to core A or 8 core B. 9 CHAIRMAN BROWN: Because there is only 10 one cable. 11 MS. ALVARADO: The restrictions that we 12 are imposing is --13 CHAIRMAN BROWN: It's a procedural 14 restriction. 15 MR. THORP: And just to clarify, I think Charlie had asked, does it have to be 16 17 connected at both ends of the cable, or is it just 18 one connection that has to be made? And that's --19 MR. SCHRADER: I can respond to that. 20 We disconnect at the maintenance -- back at the 21 maintenance workstation. 22 MR. THORP: So there's just a single 23 connection that you need to --24 CHAIRMAN BROWN: All right. That's 25 fine. I just --

1 MR. SCHRADER: Each ALS core, Alpha and 2 Bravo, have a separate cable. 3 MR. HEFLER: Actually, we're more 4 likely to disconnect it at the ALS chassis. It's 5 easier to get to. 6 CHAIRMAN BROWN: All right. All right. 7 Keep going. Keep going. We've got to make up some 8 time here. 9 MS. ALVARADO: Okay. The diverse ALS 10 subsystem connected to the TAB bus will be taken 11 out of service with a section of the ALS added to 12 the signal processing function, the temperature 13 signals that we were talking about, which will 14 remain operating during a specific surveillance 15 test performed on the ALS functions. 16 The diverse ALS system that is not connected -- that the TAB is not connected to will 17 18 continue to perform its safety function without 19 being affected. Whenever the TAB is physically 20 connected to one of the cores, an alarm will be 21 annunciated in the main annunciator system. 22 Next slide?

Now I'm going to talk about the Tricon.
The Tricon is slightly different, because the
Tricon uses the port tap aggregator. And the
Tricon communicates with the non-safety system to
this port tap, and also the port tap provides twoway communications to the Tricon maintenance
workstation.

8 So in the next slide, which Rich 9 pointed out, it is -- we're showing the port tap 10 aggregator. This is how it is devised. It does 11 not rely on computer software to perform its 12 function. It has three ports, and I added the 13 color -- the blue arrows to show into which one of 14 them they are connected.

Port A is for communication with the Tricon module, TCM. Port-B is for communication with the maintenance workstation. And Port 1 is for communication with the PCS, the plant computer system. So Ports A and B are two-way communications, and Port 1 is for one-way

21 communication.

The port tap was previously evaluated and has been approved as an acceptable means of isolating safety systems. This evaluation was performed when we did a Tricon platform evaluation. As part of this evaluation, the NRC performed a circuit analysis of this device to identify internal data signal flow paths using the device schematic, which is the schematic shown in the corner. For these tests, the signal flow -- for the signal to flow from -- by the directional

8 communication, in this case from the TCM towards 9 the receiving instrument, in this case the plant 10 computer system, electrical signals has to pass 11 through a buffer amplifier integrated circuit 12 component.

13 The buffer amplifier was further 14 analyzed for the potential of electrical signals to 15 flow in the opposite direction during failure or 16 overload conditions. The result of this analysis 17 shows that the amplifiers were not capable of 18 passing electrical signals in the reverse direction 19 under any condition.

20 So, in other words, data cannot flow 21 from Port 1 to Port A, which is from the plant 22 computer system to the Tricon. 1 To confirm this analysis, and the 2 conclusions that the staff reached, the Office of Research contracted a lab to conduct data tests on 3 4 an actual port tap device. During these tests, 5 several attempts were made to force data signals to 6 flow in the reverse direction. The test involved 7 using several techniques to challenge the device 8 integrity.

9 And I will ask Rich if he wants to add 10 anything else, because I know he was involved on 11 this testing.

12 MR. STATTEL: Well, I'll leave it up to 13 you. I mean, I can describe the testing that we 14 performed. It was pretty intrusive testing, and 15 they basically challenged the device in many 16 different ways. And they were able to cause communications to fail, right, through -- like 17 18 large electromagnetic fields and things like that. 19 But they were not able to force communications in 20 the incorrect direction, the wrong direction, which 21 is really the purpose, the function of the device. 22 CONSULTANT HECHT: That's true I quess 23 between Port 1 and Port A or Port B, right? MR. STATTEL: Correct. 24 25 MS. ALVARADO: Yes.

1 CONSULTANT HECHT: Okay. And I would 2 have -- I assume that, once again, there is no information upon which the plant computer would 3 make a decision coming out of the Tricon, is that 4 5 correct? 6 MS. ALVARADO: That is correct. 7 MR. SCHRADER: That's correct. The 8 plant computer does not perform any accredited 9 functions. 10 CONSULTANT HECHT: All right. So, and 11 from the MWS to the Tricon, obviously there has got 12 to be bi-directional communications. 13 MS. ALVARADO: Correct. 14 CONSULTANT HECHT: And that only happens when Tricon is offline. 15 16 MR. STATTEL: No. 17 MS. ALVARADO: No. I will go there in 18 the next slide. I will explain that. 19 MR. STATTEL: There is two-way 20 communications to that -- the Tricon maintenance 21 workstation during normal operation. 22 MS. ALVARADO: Yes.

MEMBER STETKAR: And can I ask one 1 2 quick one before you get to the other thing? In 3 the license amendment request, when they discuss 4 the port aggregator, they talk about setting dip 5 switches in the aggregator, and that those dip 6 switches are set administratively and controlled 7 under administrative practices. 8 Can those dip switches allow reverse 9 communication from Port 1 to A or B? In other 10 words, you said if the dip --11 MR. STATTEL: We evaluated that, and 12 the answer is no. 13 MEMBER STETKAR: It cannot. 14 MR. STATTEL: Those switches are used 15 to basically set the parity mode and the modes of 16 communication that are going through the device. 17 So if the switches were set incorrectly, it could 18 affect the ability to communicate through the 19 device, but it would not impact the --20 MEMBER STETKAR: The direction and 21 flow. 22 MR. STATTEL: Right. So we evaluated 23 that specifically. 24 MEMBER STETKAR: Thank you.

1 MS. ALVARADO: It doesn't set the 2 direction of the communication. Okay. 3 MR. STATTEL: Actually, that guestion 4 came up. One licensee was implementing the device, 5 and they had the dip switches out of position, and 6 the -- well, the inspectors called me and asked me 7 about that, and we had evaluated that, and I told 8 them, "Well, we really don't care what position 9 they put those dip switches in." 10 MEMBER STETKAR: That's fine. Thank 11 you. 12 MR. STATTEL: Okay. 13 MS. ALVARADO: Okay. The next slide? 14 In this slide I'm going to describe the 15 communications for the Tricon system. So as I 16 mentioned before, the Tricon system used the port 17 tap to communicate the non-safety-related. There 18 is also a non-safety-related communication that is 19 happening with the remote RXM, which is a module 20 that Tricon provides to acquire IO signals. 21 But before we go there, let's focus in 22 the Tricon communication module, TCM, which is to 23 the right of the system.

1 The TCM communicates with the port tap, 2 right? But the communication that is acquired to 3 the TCM doesn't go directly into the main 4 processor. Instead, the Tricon uses the IOCCOM, 5 which is the one here in the middle, which is an 6 independent processor with dedicated memory 7 location for communications with the TCM. 8 The IOCCOM processor is scan-based and 9 does not use interrupts. 10 CHAIRMAN BROWN: What? 11 MS. ALVARADO: Scan. Scan. 12 CHAIRMAN BROWN: Oh, Scan. Okay. 13 Excuse me. 14 MS. ALVARADO: No, that's okay. 15 It doesn't use interrupts. All 16 communications between the main processor and the 17 IOCCOM processor are via dual port RAM, DPRAM, 18 which I'm showing in this slide. The dual port RAM 19 provides separated, fixed, and dedicated memory 20 locations and cues for communication messages and 21 IO data. 22 The IOCCOM processor verifies the data 23 before processing it and forwards it to the DPRAM. 24 And from the DPRAM, the main processor can retrieve 25 these data.

1 The DPRAM and the IOCCOM processor 2 provides the primary protection for the safety 3 processor, in this case the main processor in the 4 Tricon. The Tricon subsystem also incorporates, as 5 I've mentioned, the safety-related/non-safety-6 related communications to remote RXM chassis. The purpose of the remote RXM is to process non-safety-7 8 related IO signal to support non-safety functions 9 in the PPS, such as the main annunciator system 10 inputs and analog output signals to various main 11 control board indicators. 12 The communications with the remote RXM,

13 the Tricon uses the IO bus, which is showing here 14 in the lines with the IOCCOM, to the primary RXM. 15 And this communication is a master and a slave with 16 the IOCCOM as the master. So the IOCCOM will send 17 a request to the primary RXM, and this will process 18 that request and send it to the non-safety-related 19 RXMs to request the information provided.

20 The second --

21 CHAIRMAN BROWN: Okay. You've got me22 confused.

23 MS. ALVARADO: Okay.

1 CHAIRMAN BROWN: Let me tell you why 2 I'm confused before you try to answer it. If you 3 look at -- in your Figure 4-5, in the LAR it shows 4 a primary RXM chassis, which you show there, and it 5 shows a remote RXM chassis, which is --6 MS. ALVARADO: The secondary. 7 CHAIRMAN BROWN: Okay. That's fine. 8 But the primary RXM chassis is the one that issues 9 trips to the SSPS, at least as shown on Figure 4-5. 10 It says "discrete trips to SSPS." 11 MS. ALVARADO: Yes. Because that part 12 is safety-related. 13 CHAIRMAN BROWN: So the main -- well, I 14 quess what I'm getting to, there is a main chassis, which is TCM. 15 16 MS. ALVARADO: Right. CHAIRMAN BROWN: And TCM --17 18 MS. ALVARADO: No, no, no. No. 19 CHAIRMAN BROWN: I don't know. What's 20 TCM? 21 MS. ALVARADO: TCM is for 22 communication. TCM is only used for communication. 23 CHAIRMAN BROWN: Okay. All right. So 24 it's the IO out of the main processor, IOCCOM. 25 MS. ALVARADO: Yes.

1 CHAIRMAN BROWN: I quess my question 2 is, we have been talking about failures in the main 3 processor or stuff like that. But is the primary -4 - I have no idea -- there was no real discussion of 5 the primary RXM in terms of its functionality. I 6 mean, is it another set of microprocessors? 7 MS. ALVARADO: Yes. It has its own 8 microprocessor. 9 CHAIRMAN BROWN: Is it a TRICON 10 platform? 11 MS. ALVARADO: It is a Tricon. It's a 12 module of the Tricon. So it has --13 CHAIRMAN BROWN: Okay. Let me go 14 backwards. There is a data processing that you go 15 through. There is a cycle time that the main 16 processor goes through to calculate whatever --17 throwing all of the variables together and come up 18 with a trip. And then -- but now something goes 19 over to the primary RXM, does it get operated on 20 again? Is there a synchronization between? I'm 21 trying to understand how that chain works in the 22 normal processing cycle? 23 MR. STATTEL: Response here from 24 Invensys.

1 MR. McKAY: John McKay from Invensys. 2 The primary RXM will have three RXM modules in it, and they are going to kind of look like the MPs in 3 the main chassis. But what they are is they are IO 4 bus extenders, which allow us to have that non-5 6 safety connection to the remote RXM by a fiber 7 optic connection. CHAIRMAN BROWN: So it's for electrical 8 9 isolation? 10 MR. McKAY: The fiber optics between 11 the primary and the remote RXM are for electrical 12 isolation between the safety and non-safety 13 systems. But the RXM modules themselves are 14 basically IO bus extenders. 15 CONSULTANT HECHT: But the diagram has 16 the -- has an arrow indicating trips to SSPS. 17 Figure 4-5. 18 MR. McKAY: That primary RXM still is a 19 safety module. 20 MS. ALVARADO: It's a safety module. 21 They are still within the safety --22 MR. McKAY: The IO bus connection 23 between the main chassis and the primary RXM are 24 normal IO bus copper cables, but those are both 25 safety chassis.

1 CONSULTANT HECHT: So is there voting 2 in that remote chassis? 3 MR. McKAY: In the remote chassis, no. 4 That is all taken care of in the main processors. 5 CONSULTANT HECHT: But there are three 6 outputs out of the remote chassis. What's --7 MR. McKAY: Those -- all that voting 8 and all of the IO signals are taken -- are put 9 forth through the IO bus, and that IO bus 10 connection between the main and the primary RXM chassis is our copper IO bus cables. So in an up 11 12 to 15 chassis Tricon system that we could have, you 13 could have -- if they were all relegated as safety 14 chassis, you could have safety signals going in and 15 out of any of those other chassis. The primary RXM 16 is still a safety chassis. 17 CONSULTANT HECHT: So if one channel of 18 the Tricon says trip and the other two don't, what 19 happens? 20 MR. McKAY: Do you mean one of the 21 three? 22 CONSULTANT HECHT: One of the three 23 going to the RXM or --24 MR. STATTEL: It won't. That will be 25 voted out.

1 CONSULTANT HECHT: That will be voted -2 - so then why do we need three RXM chassis there? 3 Or is that three separate RXM chassis? 4 MR. McKAY: No, not three separate 5 chassis, but three separate RXM cards, because the 6 IOCCOM -- the main processors have also three 7 separate IOCCOM processors, too. So each one is 8 independent of the others. 9 MS. ALVARADO: These are the IOCCOM. 10 These are the IO communication busses. 11 CHAIRMAN BROWN: Okay. I'm going to 12 springboard from him. Okay? If you go back and 13 look at the little picture they showed earlier of 14 the three legs, each processor feeds out to an 15 output leg, A, B, and C. It's way back there. Way 16 back. 17 Now, those say -- where is the output? 18 Is that the RXM? Or is that -- are those RXMs on 19 the right-hand side? It says voter on that one. 20 MR. McKAY: No, they're not. But those 21 are voted and then the output leg, A, B, and C, 22 those are the independent IOCCOM processors. They 23 will go out on each of the individual IO busses, 24 which in the case of the remote RXM chassis are 25 through those fiber cables.

1 CONSULTANT HECHT: So does that mean 2 that there is a chassis after the voter? Where it 3 says "output termination," that's where the chassis 4 goes? 5 MR. McKAY: No, I don't believe so. 6 CONSULTANT HECHT: Because it looks 7 like the voter is the last step before output. 8 MR. McKAY: No. The voter is -- the 9 voting is done in the MPs. 10 CONSULTANT HECHT: The voting is done 11 in the MP, and then you are fanning out the three 12 lines to the chassis? That means that the -- is 13 that what's happening? 14 MR. STATTEL: It's an extension of the 15 IO bus. 16 MEMBER BLEY: What's confusing some of 17 us is if it is an extension of the bus, it almost 18 sounds like why do you need a processor there? 19 You're just making that --20 MR. McKAY: Well, it's a way of 21 transferring the copper IO buses from the main chassis and the remote RXM into the fiber for the 22 23 electrical isolation of a non-safety system.

1 CONSULTANT HECHT: Well, that would 2 mean that the voting -- that means that there is 3 nothing coming out of the IO chassis. But it says 4 that there is a signal from the IO chassis going to 5 the SS -- I mean, to the --6 MR. McKAY: That's where those 7 particular IO modules are. The voting of those IO 8 signals is done in the IOCCOM, and then it goes out 9 on the three IO buses to the primary RXM chassis, 10 which then on all three channels will set that out. 11 MS. ALVARADO: I'm going to ask Steve 12 if he has anything to add when he did the safety 13 evaluation for the Tricon. 14 MR. WYMAN: Sure. Steve Wyman, DE I&C. 15 Yes, I'll take a shot. I think of the RXM, the 16 primary RXM, just like an input, IO module. So if 17 you look up there you see three separate legs. You 18 plug in an RXM module, and it's got three separate channels, just like an IO -- an input card or even 19 20 an output card.

And the reason that it needs a microprocessor is because as it sits on the bus it is identified as a single address. Okay? But out here you have a whole other module that has got 10 more IO cards in it. So there is a whole bunch of addresses.

7 So when the main processor wants to 8 talk out the IOCCOM processor, it says, "Hey, okay, we want to talk to that guy." So it's going to go 9 10 and it's going to talk to that primary RXM module, 11 and that primary RXM module is going to take that 12 request and it is going to break it down and it's going to look at it. And it's going to say, "All 13 14 right. Who am I talking to?"

Now, normally it would just be talking to a single IO card, but in this case it can potentially be talking to any one of, you know, a dozen or more IO cards. So there is extra information in there that it's not actually a processor.

1 They use an FPGA, and it strips the 2 information off, it decodes it, and then it sends 3 the information across the fiber optic cable and it 4 now says, okay, on the other side, I'm talking to which of the 10 cards? And those -- that card will 5 6 answer, and it will come back, and it needs to 7 again take that return message and rewrap it, so 8 that it looks like it's the answer coming from that single point. Does that make sense? No? 9 10 CONSULTANT HECHT: What's confusing in 11 all of this is that if you look at Figure 4-5 there 12 is a line saying directly to the solid state --13 what is it, SSPS, and that is the problem. Figure 14 4-5, if we --15 CHAIRMAN BROWN: Yes. And I'd like to 16 get one other thing. This picture you showed, 17 Slide 44, if you want to go to 44, is this one 18 division? 19 MS. ALVARADO: Yes. 20 CHAIRMAN BROWN: So that's the three 21 processors we see in one protection set. 22 MS. ALVARADO: Correct. 23 CHAIRMAN BROWN: And I come out to 24 three primary RXMs. 25 MS. ALVARADO: Yes.

1 CHAIRMAN BROWN: And you say the voting 2 is done within the circle of the main processors. 3 MS. ALVARADO: Correct. 4 CHAIRMAN BROWN: But they still go out 5 on three legs. Is it the same -- so when we go out 6 to output leg A, B, and C, is that an identical signal? Because supposedly if it's the median, or 7 8 whatever it is, I mean, there was some --9 MS. ALVARADO: Yes. 10 MR. McKAY: There is voting on each IO 11 card also. There are three independent processors 12 on each IO card as well. 13 MR. STATTEL: I think what part of the 14 confusion is, this is not a functional diagram. 15 This is really more or less showing the 16 communications architecture. The RXM, the primary 17 and secondary RXM, are just a means of extending 18 the IO bus. So like the primary RXM is located in 19 the same cabinet as your main chassis. So if you 20 want to install input cards or output cards you can 21 install them into that primary RXM chassis.

1 The fiber optic link over to the 2 secondary RXM, that is our 1E barrier, right? So 3 the communications that takes place between the 4 primary RXM and the secondary RXM, that is 5 something that we evaluated in the platform 6 evaluation as being a gualified 1E to non-1E 7 barrier. 8 So there are --9 CHAIRMAN BROWN: Non-safety system 10 communication. 11 MR. STATTEL: That's correct. This is 12 non-safety-related system communication. So that 13 was evaluated in the platform safety evaluation. 14 CHAIRMAN BROWN: Okay. Now let me ask 15 one other question. The answer is either going to 16 be yes or no. 17 MR. STATTEL: Okay. 18 CHAIRMAN BROWN: Maybe. If I look at 19 this picture and each of those primary RXMs sends a 20 discrete trip to the SSPS, I've got three other 21 protection sets for any one function -- I just want 22 to pick one of the functions -- does that mean I'm 23 sending 12 trip signals to the SSPS?

1 MR. SCHRADER: This is Ken Schrader. Ι 2 just want to point out this picture here is not 3 showing the SSPS control --4 CHAIRMAN BROWN: Yes, I've got that. 5 I'm just thinking there is a little line going off 6 of each of those off to the SSPS. 7 MR. STATTEL: No. What it is is you 8 have -- so it's a digital output from the system. 9 So we have a digital output circuit board that 10 plugs into the primary RXM chassis. Right? It 11 connects up to the Tri bus. It connects up to all 12 three. The voting takes place in IOCCOM, and it 13 tells that card to close your contact and initiate 14 your safety function. 15 MS. ALVARADO: You're going to get only 16 one signal out of these three to the SSPS. This is one of the 17 CHAIRMAN BROWN: 18 reasons I asked the question earlier, to have a 19 little bit more functionality-type picture that 20 illustrates how this information flows. I agree 21 that these are high level, but they are so --22 they're a step level higher. I still want to 23 understand, because I keep looking at one talking 24 about these discrete signals leaving the primary 25 RXM.

So some place it's got to go from -and that's a digital signal in there is what you're telling me. That's just a data extender, which is digital data, serial-type data flowing through it, and you want to convert it to fibers to send it somewhere else. I've got to have a discrete signal coming out somewhere.

8 MR. STATTEL: So here is my dilemma, 9 right? I have like 72 diagrams that are function 10 block diagrams that show the functional level 11 details that you are referring to. And I have the 12 communication diagrams here, and I'm trying to, you 13 know, come to the right degree of detail to get --14 to answer your question. And I'm having a hard 15 time doing that. Okay?

16 So, I mean, that was really the purpose 17 of the earlier diagram that showed those functions, 18 those bi-stable functions, the comparative 19 functions are being performed within the Tricon. 20 What paths they take and what communication busses 21 they take, that's really part of the communications 22 architecture. Data gets communicated from input 23 cards to processor to output cards, and the IOCCOM 24 is basically directing all of that traffic and 25 performing voter functions on that data.
1 So it is a rather complex scheme, but 2 that's the nature of that system. So, I'm sorry, 3 but there is no simpler diagram that I could show. MR. HEFLER: Rich, could we -- let me 4 just give a try here. Could we go back to the 5 6 Tricon conceptual? I think it was Slide 14. 7 MR. STATTEL: 14? Sure. Yes. 8 MR. HEFLER: It wasn't that one. It 9 was the one that the Tricon concept. 10 MR. STATTEL: The three leqs? 11 MR. HEFLER: Yes, the three legs. 12 MR. STATTEL: The one we were just at? 13 MR. HEFLER: Yes. The one we were at -14 - there. Okay. There we go. Okay. The way that 15 this works -- and this is John Hefler again, by the 16 way. What this is showing is there is three sections to this drawing. On the left you've got 17 18 the input -- it says input, like A, B, and C. 19 That's one input card that has three legs.

1 And so when you see the input 2 termination the signal that comes in on that input 3 termination goes to all three of those legs, A, B, and C, and then there is -- through the IO bus 4 5 those signal -- each one of those goes through its 6 corresponding main processor, A, B, and C. And 7 those processors communicate with each other on the 8 Tri bus.

9 And so the first level of voting takes 10 place at the main processors, where they are 11 processing the signals, comparing against setpoints, and so on, and through their 12 13 communication on the Tri bus they will decide 14 whether a trip condition exists or not. 15 MEMBER BLEY: So coming out of those 16 main processors, those are identical signals, then,

the three coming out of those and going to the

18 output legs.

17

1 MR. HEFLER: Yes. But where it shows 2 the IO bus, there's three signals now, and that's 3 going to output leg A, output leg B, and output leg 4 C. That's your IO bus, and what's going out on 5 each one of those legs is what main processor A, B, 6 and C have voted to do. But they have also -- they 7 also vote among themselves. And so if one of them 8 disagrees --9 CHAIRMAN BROWN: Who? The second 10 voter? You said they also vote -- you shifted from 11 the main processors where you said they have 12 decided that they are all going to have the same 13 output. 14 MR. HEFLER: Right. 15 CHAIRMAN BROWN: And then you said then 16 these other things vote also. Well, what --17 they've only got one signal to vote on. How can 18 they vote on it? 19 MR. HEFLER: One signal for each one. 20 There's three of them. Output leg A gets a signal from main processor A. Output leg B gets a signal 21 22 from main processor --23 MEMBER BLEY: So those three signals 24 aren't identical. Each main processor develops---

1 MR. HEFLER: Gets the signal from the 2 corresponding main processor, and then on the 3 output board that contains output leg A, output leg 4 B, and output leg C, that votes again. 5 MR. THORP: So if there's a problem in 6 one of those main processors, and it doesn't vote 7 correctly, it doesn't vote or corresponds with 8 reality, what you're saying is that's -- that's 9 where it is detected is in those output legs 10 because it does a comparison between the -- what it 11 is receiving from A, B, and C. 12 MR. HEFLER: I think that's one of the 13 layers of voting. But the main thing is -- and Mr. 14 Hecht had mentioned it -- it sounded like you 15 thought that there was a signal going -- each one 16 of those boards sent three signals out to the SSPS 17 so that you could -- you might have maybe 12 18 signals to the SSPS for one function. In reality, 19 on the output board, the three legs are voted, and 20 so each output board only sends one signal to the 21 SSPS. 22 MR. THORP: For each function. 23 MR. HEFLER: For each safety function.

CHAIRMAN BROWN: Hold it, hold it, hold 1 2 it. There's three RXM boards for each main -- for 3 each division. And if each one of them is voting, 4 there are still three signals, and I've got three 5 more protection sets to go. 6 CONSULTANT HECHT: I want to give 7 credit to Charlie for that. 8 MS. ALVARADO: This is the IO legs 9 that's show in the processor for the RXM. 10 MR. HEFLER: Essentially, each one of 11 those RXM -- what looked like an RXM card in the 12 other figure is just that section of the IO bus. 13 MS. ALVARADO: Right. 14 MR. HEFLER: It is not really so much a 15 card; it's a piece of the IO bus. It's the piece 16 of the IO bus corresponding to that --17 CONSULTANT HECHT: But the problem is 18 is that the way it's depicted in Figure 4-5 is that 19 that piece of the IO bus doesn't go through the 20 voter; it goes back -- it goes straight to the 21 SSPS.

1 MR. HEFLER: That's because in this 2 case there is a whole -- there is a lot of detail -3 - the internal detail of what's happening on the 4 output board that isn't shown. There are no output 5 boards shown in that primary RXM chassis. In fact, 6 the RXM chassis contains a number of input and 7 output boards. 8 CONSULTANT HECHT: Okay. So what 9 you're saying in that case is that there is one 10 board that is sending out a signal -- single signal 11 to the SSPS from the triple there, in the Tricon. 12 MR. HEFLER: Yes. 13 CONSULTANT HECHT: And that there are 14 separate boards which are sending the safety to 15 non-safety signals. So it's not --16 MR. HEFLER: No. That's a completely -17 - in that case, the IO bus extension goes out to 18 the remote RXM chassis, and that goes out via 19 fiber. But it's still just an extension of the IO 20 bus. 21 CONSULTANT HECHT: Okay. Well, I guess 22 we're taking too much time up. 23 CHAIRMAN BROWN: We'll go on.

1 MS. ALVARADO: Okay. Just to continue, 2 we were on Slide 44. The use of the RXM communication in this manner was described in the 3 Tricon platform topical report and was evaluated by 4 5 the NRC in its safety evaluation. In this safety 6 evaluation, the staff concluded that this design 7 provides adequate protection to the safety side of 8 the IO bus and the overall safety functions. 9 This safety evaluation also states that 10 all data received from a non-safety-related RXM 11 must not be relied upon to perform the required 12 safety function. For the PPS, the staff confirmed 13 that signals acquired by the remote -- in this case 14 the secondary RXM are not used to support 15 mitigating functions for a common cause failure of 16 the Tricon. And in the next slide we listed these 17 signals that are acquired by the remote RXMs. 18 So these are the signals processed 19 through the remote RXM chassis. As I stated 20 before, none of these signals are associated with 21 systems required to be diverse from the PPS.

1 Next slide is about communication and 2 where we are currently now in our review. The NRC 3 staff is currently reviewing the document provided, and we are evaluating this information based on 4 ISG-04. 5 6 Next slide? 7 While evaluating ISG-04, the staff 8 identified that it seems like they are in 9 conformance with most of the guidance in ISG-04, 10 with the exception of Staff Position 1, Point-10. 11 And I'm briefly going to present the -- describe 12 these deviations. 13 So for the Tricon the deviation is 14 associated with the following statement. "Online 15 changes to safety systems software should be 16 prevented by hardwire interlocks or by physical 17 disconnection of maintenance and monitoring 18 equipment." In the case of the Tricon, the Tricon 19 is using a key switch to prevent inadvertent 20 changes to the application programs. There is a 21 physical interlock that controls the mode of 22 operation for the system.

1 Normally, the key switch is in the Run 2 position, and the key is removed and stored in a secure location. And access to this key switch is 3 administratively controlled. The key switch must 4 5 be placed in the Load position to allow 6 modifications to the application program. When 7 this is done, the key switch relies on software to 8 effect disconnection or connection of the 9 maintenance equipment to modify the safety systems 10 software.

11 PG&E has implemented the following 12 administrative controls for the key switch. The 13 maintenance for the station is located in the cable 14 spreading room and has the similar access 15 requirement as the main control room. The keys are 16 administratively controlled, as I mentioned before. 17 Modification of the Tricon operation 18 mode is alarmed in the control room, and any failure of the key switch to shift from the Load 19 20 position to the Enable position is also alarmed in 21 the control room.

Although this is an exception to the 2 quidance in ISG-04, the staff is currently reviewing this feature to verify that it provides 3 4 reasonable assurance against unauthorized changes 5 to the system.

6 Then, regarding the deviation with the 7 ALS, we found that this is related to the following 8 sentence. "A workstation might alter addressable 9 constant setpoints, parameters, and other settings 10 associated with the safety function only by way of 11 the dual-processor shared memory scheme described 12 in this guidance of the ISG-04, or when the 13 associated channel is inoperable.

14 The ALS allows the operator to modify 15 certain data parameters during plant operation, 16 with the subject channel in bypass mode. However, 17 the design implemented allows the ALS to enable one 18 sub-chassis to remain operable, meaning that one 19 chassis will take -- be taken out of service to 20 perform the changes required, with exception of the 21 ITD signals where the ALS continues to operate.

1

1 So, in other words, the protection 2 function can still be performed, and the channel 3 remains operable. However, the redundancy and diversity of the ALS has been required by just 4 5 keeping one --6 CONSULTANT HECHT: Rossnyev, what can 7 be changed during operation in the ALS? 8 MS. ALVARADO: We are talking about 9 setpoints here. We are not talking about software. 10 You cannot change software. 11 MR. STATTEL: Yes. You can't really 12 implement or you can't modify the logic 13 implementation. That requires the card removal. 14 MS. ALVARADO: In addition, to perform 15 any modification, as we discussed before, the 16 maintenance workstation requires that the top 17 communication bus is connected. And to do so the 18 TAB needs to be physically connected to the ALS 19 maintenance workstation by qualified personnel under administrative controls, and only one ALS 20 21 core A or core B can be taken out of service per 22 division.

1 The diverse ALS subsystem connected to 2 the TAB will be taken out of service with exception 3 of the ALS RTD signal processing functions. The 4 diverse ALS subsystem, whose TAB has not been 5 enabled, will continue to perform its safety 6 functions without impact. 7 Although this design is an exception to 8 the guidance of ISG-04, the staff is reviewing this 9 feature to verify that it provides reasonable 10 assurance against unauthorized changes to the 11 With this, I conclude my system. 12 presentation about communications. 13 MEMBER STETKAR: Rossnyev, I have a 14 question. I wanted to allow you to finish there. 15 The key switch -- I read in the license amendment 16 request the statement that says, "Tri Station 1131" 17 -- that's maintenance workstation -- "is configured 18 during development to prevent the application from 19 halting when the key switch is turned to Stop." Continuing on, "The default setting is 20 21 used for the Diablo Canyon power plant PPS 22 replacement, which means turning the Tricon key 23 switch to Stop will not halt the application 24 program." And I read those words. I'm not quite 25 sure why that setting was implemented.

MS. ALVARADO: I understand, and I had the same question that you had, and this was formulated to PG&E in the last set of RAIs. So I will pass it to PG&E to see if they can provide an answer.

6 MR. HEFLER: This is John Hefler with 7 The requirement to disable the Stop is part PG&E. 8 of the SER, and the reason why the -- for 9 maintenance purposes, it is actually written into 10 the Version 10 SER, "The application program shall 11 inhibit or disable Stop in the application." And 12 the reason why was to prevent an inadvertent 13 maintenance action from halting the processor.

14 The technician could accidentally turn 15 the key switch to Stop and that would halt the 16 controller. Now, that might not necessarily be a 17 terrible problem because you've got three other 18 divisions that are still performing the function, 19 and that power -- Diablo Canyon restricts access or 20 maintenance on the PSS to only one division at a 21 time. So there wouldn't be a serious impact, but 22 it could happen, and it's preventable. And so that 23 was -- Steve might be able to amplify it a little 24 bit more, but that actually is a requirement of the 25 SER.

1 MEMBER STETKAR: Thank you. 2 MS. ALVARADO: I have to --3 MEMBER STETKAR: Let me ask you this. 4 I hear those words, regardless of where it came 5 from. Is there any conceivable situation where I'm 6 an operator in the main control room, and I'll use 7 the technical term "Tricon goes nuts." And I, as 8 an operator, would really like to go down and turn 9 it off. 10 CHAIRMAN BROWN: A division or the 11 whole --12 MEMBER STETKAR: Well, it went nuts, so 13 I want to turn it off. It's like my computer going 14 nuts and me pushing the power go away switch. This 15 tells me that I can't use the key switch to do 16 that. Is that correct? 17 MS. ALVARADO: Yes. 18 MEMBER STETKAR: Is there any way that 19 I, as an operator, can quickly make it go away and 20 stop doing what it wasn't supposed to be doing? 21 MR. STATTEL: You can turn power off. 22 There are breakers that feed the cabinets. That's 23 about it. 24 MEMBER STETKAR: That's about it. 25 Okay.

1 MR. HEFLER: The normal way of stopping 2 the Tricon is to take the controller key switch to 3 the Program position, and it actually continues to run in the program position. But then using the 4 5 TS-1131 workstation, the processor can be halted 6 from the workstation. 7 MEMBER STETKAR: That's not something I 8 would expect an operator to do. I'm talking 9 literally, I'm an operator and I know that I have 10 key switches, and I know where those keys are, 11 because I'm hoping that the Operations licensed 12 people control those keys. 13 MR. SCHRADER: That's correct. 14 MEMBER STETKAR: Okay. Good. Thank 15 you. And I want to make this stop -- stop doing 16 what it's not supposed to be doing. I don't know how it got there, but I wanted to make it stop. 17 18 And you're saying that in the current configuration 19 the only way I can do that is to go basically 20 unplug it.

1 MR. STATTEL: I really wouldn't say 2 that. I mean, as far as actually stopping the 3 processor from functioning, there are switches for 4 manual trip, the forced trips, and there are 5 switches for bypass that are included in the 6 system. So if the system is going haywire and it's 7 actuating, you know, at some crazy interval, 8 clicking the bypass switch does bypass those 9 functions. 10 So they can clear the trip, or they 11 can---12 MEMBER STETKAR: But is that bypass per 13 channel? 14 MR. THORP: It's on a protection set 15 basis. 16 MEMBER STETKAR: Protection set or per 17 channel? 18 MR. STATTEL: No, no, no. It's per 19 safety function. There are a series of switches in 20 the cabinet --21 MEMBER STETKAR: I want to use --22 MR. STATTEL: -- one for each safety 23 function.

1 MEMBER STETKAR: Okay. I want to use 2 the terminology that I have become familiar with. 3 I have become familiar with the terminology of 4 protection sets, and I have become familiar with 5 the terminology of channels within that protection 6 set. 7 MR. STATTEL: Correct. 8 MEMBER STETKAR: And I interpret a 9 channel as it might be a safety function or it 10 might be an individual signal. Go start high 11 pressure injection. 12 MR. STATTEL: There is a bypass switch 13 for each channel within each protection set. 14 MEMBER STETKAR: So, again, as an 15 operator, I have to go down and actuate a large 16 number of bypass switches, more than one. 17 MR. STATTEL: Click, click, click, 18 click, click. Yep. 19 MR. HEFLER: Or you could -- if it was 20 something that was seriously wrong and you -- and 21 as an operator you'd be governed by the -- by your 22 procedures, you would actuate -- you would take the 23 manual action, say trip the reactor, which is --24 MR. STATTEL: Which would force the 25 trip as well.

1 MR. HEFLER: And you'd use the high 2 level trip, because to do anything other than open 3 breakers, or, like you say, pull the plug, that 4 would be something that would be done by 5 Maintenance, not by Operations. 6 MR. STATTEL: But from an operator 7 perspective, there is two states that he wants the 8 signal to go to -- actuate or not actuate. And he has switches for both of those states for every 9 10 channel. Correct? 11 MR. HEFLER: For the ALS -- the ALS has 12 bypass and trip switches. For the Tricon, there 13 are trip switches, but the bypass is normally --14 I'll say that again. This is John Hefler. For the 15 ALS portion of it, there are bypass and trip 16 switches for most of the functions, very few 17 exceptions. But in the Tricon, there are trip 18 switches, but bypassing an individual channel is 19 done on an individual channel basis. 20 You have to go through the maintenance 21 workstation and go through a dialogue. It's not 22 something that you could simply walk up to the 23 panel and flip a switch.

MEMBER STETKAR: What I'm trying to probe here is not details of specific things. It's apparently a determination was made, and the applicant has said that determination was made by the SER.

6 So, therefore, that seems to be a 7 determination made by the NRC staff that the stop 8 function of the key switch shall be disabled. And 9 what I'm trying to probe here is how far the 10 collective wisdom NRC staff reviewers and the 11 applicant has examined whether or not there are any 12 downsides from that determination.

MR. STATTEL: Steve, care to chime in? MR. WYMAN: Well, yes, I'm sorry I'm not prepared to answer that right now. I'm happy to take --

17 MEMBER STETKAR: That's all I was 18 trying to probe is because, as I said, I used the 19 technical term "it went nuts," okay? And I'm 20 trying to determine at what level can the operator 21 -- I understand the operators have manual trip the 22 reactor capability. I understand the operators 23 have some capability to actuate safeguards. But I 24 didn't define what "went nuts" means.

1 MR. HEFLER: Okay. This is John 2 Hefler. I just wanted to add one thing. One of the reasons for that -- and I think Steve would 3 4 probably back me up -- since that's a mechanical 5 switch that goes through software, the switch could 6 fail --7 MEMBER STETKAR: Yes. Sure. MR. HEFLER: -- and halt the processor. 8 9 And you don't want that to happen. 10 MEMBER STETKAR: I understand that 11 perspective completely. I'm asking the other --12 the flip side of the coin is by disabling that 13 function, is there any downside? That's all I was 14 asking. And whether or not anybody has thought 15 about that. 16 CONSULTANT HECHT: Yes. When you have redundancy like that, yes, sure, for stop failures 17 18 or hand crash failures, you certainly -- the redundancy gives you that. But for the other kinds 19 20 of failures, which is basically -- in honor of John 21 I'll call it the "goes nuts failure," you increase 22 that by a factor of four. That probability goes up 23 by a factor of four. It might be a small number, but it's still there. It's a tradeoff. 24

1 MR. WYMAN: This is Steve Wyman. Just, 2 you know, one of the things to keep in mind is that 3 the Tricon system was originally designed to be the 4 kind of system that had long availability. It 5 never stopped. 6 So I think that's just -- and it shows 7 that they did a good job in their original design. 8 It is actually hard to stop it. 9 CHAIRMAN BROWN: Okay. We're way 10 behind. I thought you said you were finished a 11 minute ago. 12 MS. ALVARADO: Yes. I was just going 13 to introduce Samir Darbali. 14 (Laughter.) 15 CHAIRMAN BROWN: Then you weren't quite 16 finished. No, I'm just teasing. 17 MS. ALVARADO: Finished is a relative 18 term. 19 CHAIRMAN BROWN: So this is out of 20 order from the schedule. We're going to go to 21 Secure Development. And then before we talk about 22 Deterministic Performance --23 MR. DARBALI: Correct. 24 CHAIRMAN BROWN: -- and we have 30 25 minutes.

1 MR. DARBALI: I'll do it in that. 2 CHAIRMAN BROWN: No. For both of them. 3 Not for you. MR. DARBALI: Good afternoon. My name 4 is Samir Darbali. I'm a technical reviewer in the 5 6 Instrumentation and Controls Branch, Division of 7 Engineering, Nuclear -- Office of Nuclear Reactor 8 Regulation. 9 So let's talk briefly about secure 10 development and operational environment. The staff 11 is reviewing the SDOE to ensure reliable system 12 functionality. So the applicable guidance is Reg 13 Guide 1.152, Revision 3, Criteria for Use of 14 Computers in Safety Systems of Nuclear Power 15 Plants, which endorses IEEE Standard 432. I just want to make a clarification 16 17 that Reg Guide 1.152 works in the Part 50 space. 18 We are not talking about cyber security here. We 19 are mostly talking about reliability. 20 Any questions? 21 CHAIRMAN BROWN: Just keep going. 22 MR. DARBALI: Okay. 23 CHAIRMAN BROWN: If you hadn't said 24 that word --25 (Laughter.)

1 MR. DARBALI: So secure development 2 environment. The secure development environments 3 for the ALS and the Tricon platforms were reviewed 4 as part of their respective topical report reviews, 5 and they were found to be acceptable. The staff is 6 currently evaluating that these development 7 environments are maintained for development of the 8 Diablo Canyon application. 9 So far the staff has not found any 10 deviation from the generic environment that was 11 evaluated. 12 The vendors control access to their 13 development environments by performing 14 vulnerability assessments. These assessments 15 identify both critical and life cycle 16 vulnerabilities. 17 Control of access to development 18 environment or that environment within their 19 facilities is accomplished by the use of access 20 security cards, control of development areas, 21 including computers, workstations, network servers, 22 and portable media.

1 The vendors have procedures for access, 2 design, and material controls, as well as software 3 development, configuration management, testing, and 4 non-conformance reporting. Vendors use V&V 5 activities, as well as code reviews, to detect and 6 prevent unidentified functionality. 7 I want to make it clear that PG&E will 8 not be developing or modifying their software. 9 The staff has also performed an audit 10 at the vendor facilities to look at their secure 11 environment -- development environment. 12 Next slide? 13 For secure operational environment, it 14 is defined as a condition of having appropriate 15 physical --16 When you did your CHAIRMAN BROWN: 17 review, was that an audit, a spot audit? Or did 18 you just literally sit down and walk through their 19 entire -- every area? I mean, you should have been 20 able to go and have a meeting on this in a few days 21 and walk through almost every one of these relative 22 to how --23 MR. DARBALI: Right. 24 CHAIRMAN BROWN: -- they actually do 25 their control or --

1 MR. DARBALI: We did a review before we 2 went to do the audit. 3 CHAIRMAN BROWN: Well, when you did 4 your review, did they give you procedures? Did they -- what did --5 6 MR. DARBALI: They looked at the 7 vulnerability assessment documents. A lot of these 8 are proprietary documents. And we went through the 9 process of, for example, for identifying 10 unidentified code functionality they would show us 11 the V&V process, how they do testing and code 12 reviews, and match that with the requirements, make 13 sure there is no code that shouldn't be in there. 14 As far as their secure environment, we 15 basically asked them, how do you get access to your 16 procedures, to the code files? So they would show 17 us, well, you know, the servers are---18 CHAIRMAN BROWN: There at the plant. 19 MR. DARBALI: -- when we were there at 20 the --21 CHAIRMAN BROWN: Facility. 22 MR. DARBALI: -- at the vendor 23 facilities. 24 CHAIRMAN BROWN: Yes. Okay.

1 MR. DARBALI: So we would see the --2 every development workstation requires a password. 3 The rooms are locked. You need a key access. Not 4 every employee has access to that. 5 The network -- it's a separate network 6 from the corporate network. So we looked at all of 7 their procedures to make sure that the integrity of 8 the product is maintained. 9 MEMBER SCHULTZ: So you did process --10 what I'm hearing you say at this point is that you 11 did process reviews to assure that the vendor had 12 done all of those things --13 MR. DARBALI: Correct. 14 MEMBER SCHULTZ: -- that you thought 15 were appropriate. 16 MR. DARBALI: Correct. MEMBER SCHULTZ: On the previous slide 17 18 you had mentioned code reviews that were also 19 performed. The code reviews, is that code reviews 20 that are done by the vendor? 21 MR. DARBALI: Correct. 22 MEMBER SCHULTZ: And how did you review 23 that part of their work?

1 MR. DARBALI: They would show us, for 2 example, a non-conformance ticket or they would find -- they would -- an example, they would show 3 4 us here is an example of how we identify the code 5 that was not supposed to be there. And they showed 6 us -- for example, in the case of Westinghouse, 7 they showed us a presentation where they did some 8 simulation -- they used a simulation tool to trace 9 the code back to the requirements, and that way 10 they could say, "Well, here is a piece of code that 11 should not be there," and then they went through 12 the process of showing how they address that. MEMBER SCHULTZ: Okay. But you didn't 13 14 go back and do independent review. 15 MR. DARBALI: No. 16 MEMBER SCHULTZ: You reviewed what they 17 had done. 18 MR. DARBALI: No. We audited their 19 process for doing that. 20 MEMBER SCHULTZ: Thank you. 21 MR. THORP: Walk us through it. Show 22 us how you did it. 23 MEMBER SCHULTZ: Understood. Thank 24 you.

1 MR. DARBALI: So going back to secure 2 operational environment, once the equipment is installed at the plant, PG&E informed us that 3 4 modification to the PPS replacement components that 5 were produced by the vendors -- Westinghouse, 6 Invensys -- will be performed by the vendors, not 7 the licensee.

8 And we did mention where the cabinets 9 or the PPS replacement system is going to be 10 located, and it's going to be located in a vital 11 plant area, in the cable spreading room, the same 12 cabinet where the current Eagle 21 is located. And 13 we did perform an audit last August at the plant, 14 and we did ask the licensee, how do you gain access 15 to the cabinet? So they walked us through the 16 process.

17 We would go to the control room. It 18 would ask the operators for the key, which is 19 actually locking another cabinet. Then we would 20 get access to the cable spreading room. You would 21 go to the cabinet. You have to open it, and that's 22 how you would get to the current Eagle 21, which is 23 where the PPS replacement will be.

1 The maintenance workstations will 2 require further access control, so they would have a password, for the ALS maintenance workstation and 3 the Tricon maintenance workstation. 4 5 Any questions? 6 MEMBER SCHULTZ: Oh, one question. On the modifications, do you have some assurance that 7 8 the same processes that you reviewed are going to 9 be implemented associated with any modifications to 10 the software? One of my concerns -- I understand 11 you looked at processes, and they showed you, then, 12 some things that they had found by implementing and 13 using the process. 14 You know, the tough part is to figure, 15 how robust is the investigation associated with 16 that process implementation, which is now dependent 17 upon what the vendor does and how invasive they are

20MR. ODESS-GILLETT: I can't speak for21how the NRC would validate it, but from the22Westinghouse point of view --23CHAIRMAN BROWN: Give your name,24please.

on their own to identify any issues. Any way that

you could validate that, Westinghouse folks?

18

19

1 MR. ODESS-GILLETT: I'm sorry. Thank 2 you, Charlie. Warren Odess-Gillett from 3 Westinghouse. And for the ALS platform we have 4 certain commitments that we have made in our safety 5 evaluation report for the platform. And we have to 6 adhere to all of those commitments. 7 So regardless of the project that we 8 do, whether it be this one or for some other 9 safety-related project, we have to adhere to those 10 commitments in that SER. So once we are done and 11 there needs to be a change to the PPS, we would --12 from the Westinghouse point of view anyway, we are

14 the NRC reviewed and approved and so were 15 acceptable, and that's what we're going to have to 16 follow.

committed to sticking with what the procedure said

13

17 CHAIRMAN BROWN: So you have to 18 maintain those particular processes, follow 19 procedures, whatever they are, independent of 20 whatever you might do for another designer who 21 wants something maybe a little bit different. 22 MR. ODESS-GILLETT: That's right. 23 We're procedure-oriented. That's correct. 24 MEMBER SCHULTZ: I appreciate that 25 explanation. Thank you.

1 MR. DARBALI: With that, I will --2 MEMBER STETKAR: Charlie, I hate to do 3 this because I don't know anything about operating 4 systems software. But I did notice that both sets 5 of workstations are supposedly using Microsoft XP 6 Service Pack 3, both of them, ALS and Tricon. 7 CHAIRMAN BROWN: I didn't see that. 8 MEMBER STETKAR: Okay. Well, I did. I 9 can show you the quotes. You have to look. Is 10 there a vulnerability that's introduced by that, he 11 asked? 12 CHAIRMAN BROWN: From what I've been 13 reading. 14 MR. SCHRADER: This is Ken Schrader. Ι 15 would just point out that that is on a non-safety 16 maintenance workstation. 17 MEMBER STETKAR: Can you use those non-18 safety workstations to change safety-related 19 setpoints and change programming -- in at least the 20 Tricon you can change the programming. You can 21 change setpoints everywhere. Can you do that? Yes 22 or no. 23 MR. SCHRADER: The answer is yes. 24 MEMBER STETKAR: Thank you.

1 MR. SCHRADER: But let me add that 2 after you do that you have to meet the tech spec 3 requirements, including performing a channel 4 operability test to verify that what was done 5 during the maintenance meets the operability 6 requirements. 7 It's a good guestion, CHAIRMAN BROWN: 8 because I have been advised to throw my computer at 9 home away, which is eight years old, and in which 10 about two out of every six times I try to start it 11 up it won't start and I have to punch the button 12 and start over again. 13 MEMBER STETKAR: I'm worried about more sinister vulnerabilities. 14 15 I understand that. CHAIRMAN BROWN: 16 But, I mean, the point being is it's not -- there 17 is no -- there is no -- even though changes are 18 still coming in, you know, to software, they will 19 tell you there is no support for that anymore, 20 although a little bit it's still -- you still get 21 them.

1 CONSULTANT HECHT: I have another 2 question on that same topic. It wasn't on the 3 operating system, but it was of concern, and that 4 is, is anybody worried about sustainability? And 5 that's really on the ALS side. FPGA technologies 6 are changing rapidly, and having -- I mean, is 7 there going to be a lifetime buy of blanks? How do 8 we assure that ---

9 MR. STATTEL: I guess I could let the 10 vendors respond to that. However, with regard to 11 our safety evaluations, we essentially establish a 12 snapshot when we issue the safety evaluation of the 13 platform. That platform, SAE, identifies specific 14 model number boards, specific versions of 15 procedures and documents that we evaluate.

16 So any changes or improvements that are 17 made to processes or changes to the hardware design 18 would be subject to further evaluation, 19 particularly if they had the ability to impact the 20 safety conclusions that were drawn. So it is an 21 issue with all platforms. It's an issue--- it was 22 more prevalent with the earlier platforms, the 23 AREVA platform, because a lot of time had passed 24 between the safety evaluation and when the 25 application was developed.

1 There are different ideas for how to handle this problem. One is to perform a 50.59-2 3 type evaluation. This would be a process that the vendors would implement, and so any time they made 4 a change they would make -- they would do an 5 6 internal evaluation and evaluate and make a 7 determination of whether they felt that impacted 8 the safety conclusions of the SE. 9 And if it reached that threshold, then 10 it would require an update being submitted to the 11 NRC and have the NRC update its evaluation. And,

if not, if they could make a case where it doesn't

impact it, they would document that evaluation, and

on a subsequent application development we would

15 have access to that documentation that they used

16 for those evaluations.

12

13

14

1 MR. THORP: This is John Thorp. Let me 2 just amplify that a little bit very briefly, 3 because I know we are short on time. But this is 4 an open question and a topic of our ongoing digital 5 I&C meetings that we are having with industry. And 6 it's a key topic for which industry and NEI have 7 formed a task group to examine, what is the means 8 by which we maintain configuration or they maintain 9 configuration management and control of these 10 various platforms, because -- recognizing that 11 evolutions that will occur and improvements will be 12 made, and we have evaluated a given version. So 13 that exploration is ongoing. If you have further 14 questions about it, Gordon Clefton can speak to 15 that from NEI.

We'd like to see progress move on that a little bit faster than we've seen it, but nonetheless that is happening. And so what --which is described essentially as sort of the subject or the premise of that group's effort. 1 CONSULTANT HECHT: So it's an open 2 question, basically. So do you think there will be 3 any differences between FPGAs and, for example, 4 software in that regard? Because FPGAs, if we have 5 to change, you know, the packaging or the chip 6 because of advances in technology, what we're 7 doing, a whole new --

8 MR. STATTEL: What we've seen over the 9 years seem to be -- seems to be pretty common among 10 different technologies, and that is there is 11 improvements made to the hardware, there is 12 improvements made to the software, there is 13 improvements made to the firmware, and there is 14 improvements made to the processes that are used to 15 develop that.

16 So we have seen changes in all of those 17 areas for all types of technology. And it's nice -18 - these evaluations are fairly fresh. They haven't 19 made a lot of deviations from what we evaluated. 20 So we are not having to spend a lot of time 21 evaluating changes, although there will be a change 22 evaluation in this.

23 CONSULTANT HECHT: Well, it looks like
24 you started in 2010, so it's getting to be five
25 years until implementation.
MR. STATTEL: Yes. Yes. Well, so we do evaluate those changes, though. But, keep in mind, we don't see all digital upgrades in plants either, because some of them can be performed under 5 50.59 evaluations.

6 CHAIRMAN BROWN: Okav. 7 MR. STATTEL: And moving on to the 8 deterministic performance, the final area of discussion we have today is for deterministic 9 10 performance. Both the Tricon and ALS platforms are 11 designed to process every piece of plant input data 12 and every protection and safeguards function, 13 including processing of all system outputs during 14 predictable program cycles.

15 Okay. Each of the platform evaluations 16 determined that there are application-specific 17 parameters which could influence the system's 18 ability to perform in a deterministic manner. 19 Therefore, the staff -- we are currently evaluating 20 deterministic behavior characteristics for each of 21 the subsystems within the context of the Diablo 22 Canyon application.

1 So as you can imagine, the more complex 2 of an application you write, the more functions you 3 are performing within that applications, the longer 4 time it will take to execute. So those are 5 characteristics of computer systems and FPGA 6 systems alike. So, therefore, you can't really 7 make a complete safety conclusion without knowing 8 what the application-specific functions are. 9 Now, this slide talks about the 10 standard review plan guidance. It advises the 11 evaluation should confirm the system's real-time 12 performance characteristics are deterministic and 13 known, and we have Branch Technical Position-21, 7-14 21, which discusses design practices to be avoided 15 for computer-based systems. 16 And some of these are really not -- we 17 found are really not directly applicable to the 18 FPGA-type designs. But we used this guidance as 19 best we could, being it's all we have available 20 right now. So these practices include a non-21 deterministic data communication, non-deterministic 22 computations, interrupts, multi-tasking, dynamic

scheduling, and event-driven design. So these are
practices that our guidance say should be avoided
in development processes.

1 So each of the platform evaluations 2 concluded that there are application-specific 3 parameters, as I mentioned. Therefore, we reevaluated deterministic behavior within the 4 context of the Diablo Canyon application. 5 6 I'm going to skip to the next slide. 7 This is just a quick description here. Both of the platforms really have a similar 8 9 architecture. In other words, there is a bus, 10 there is input cards plugged into that bus, there 11 is output cards plugged into that bus, and there is 12 processing cards plugged into that bus. 13 And any determination or any evaluation 14 of time response on a system like -- on a digital 15 system like this really does rely heavily on how 16 the communications is handled on that bus.

1 And in order to get from the input 2 sensor shown on the left of this diagram to the 3 output function as the triangle on the right side, 4 basically data has to process -- be processed 5 through the input cards, it has to be processed --6 in other words, the functions performed using the 7 processing, the microprocessor or the -- in the ALS 8 it would be the core logic board, and then it goes 9 over to the output card over that communication 10 bus. Okay? And then the yellow box is just 11 showing the communications capabilities that are 12 connected in there. 13 So first I'll talk about ALS. The ALS 14 platform is FPGA-based, and it is not embedded --15 it does not embed microprocessor cores or use 16 interrupts. It does not use interrupts. The staff is in the process of 17 18 confirming the Diablo Canyon application. It operates on fixed cycles where a deterministic 19 20 sequence of acquiring inputs, perform logic

21 operation, and process outputs, is followed without 22 the use of a microprocessor core or interrupts. So 23 we are basically confirming that it's meeting the 24 guidance, the criteria.

1 This is consistent with the ALS --2 ALS's platform's approved topical report. So that 3 evaluation is in progress. 4 For the ALS system, there are two 5 timing parameters that are used to establish 6 deterministic performance of the subsystem. There 7 are access time and frame time, and their 8 definitions are on this slide here. 9 So although the ALS platform 10 establishes fixed board access time, other aspects, 11 including the number of times a board is accessed 12 per frame, the number of boards accessed per frame, 13 and the sequence of board accesses per frame, and 14 the frame time itself, are determined using the 15 application-specific design phase. 16 And, again, it goes back to the reason 17 why we can't make the determination without knowing 18 the specific design of the system. Okay? These 19 are design aspects that are established and fixed 20 during the development. Okay? So we are 21 evaluating the application-specific attributes for 22 the Diablo Canyon design. 23 Is there any question on ALS?

1 CONSULTANT HECHT: Yes. Access time is 2 both input and output per board? Basically, if I 3 understood what -- the message here it's that you 4 can't determine frame time on the system level 5 because you don't know how many IO boards there 6 are. 7 MR. STATTEL: Correct. 8 CONSULTANT HECHT: But you can 9 determine access time because you know what the 10 time is between the central processor in each board 11 \_\_\_ 12 MR. STATTEL: It's not both input and 13 output. It is basically transferring data from the 14 input board to the processor, or from the processor 15 to the output board. So the number of times that 16 that happens to complete a safety function is 17 really part of the equation. 18 MR. ODESS-GILLETT: So, Myron, that's -19 - this is Warren Odess-Gillett from Westinghouse. 20 That's two different access times. 21 MR. STATTEL: Correct. 22 CONSULTANT HECHT: Okay. Thank you. 23 MR. STATTEL: Okay. Now, under the 24 Tricon system --

1 CHAIRMAN BROWN: Let me ask one other 2 question just to make sure. Let's go back. You've 3 got a functional plant that you know you -- what 4 you have to do. I mean, the algorithms are set. 5 The protection functions are set. The data that 6 you've got to get in is set.

7 So saying the number of boards that you 8 have to access to get data from is no different than -- it's similar to, not no different -- it is 9 different -- but it's similar to even a software-10 11 based system where you have data coming in, you 12 have to go hit every one of those, collect them 13 all, whether they're buffer -- however you do that, 14 and then you go into your processing. There's a 15 number of algorithms or routines you have to 16 process as you go through to develop all of your 17 outputs, your trips, et-cetera, et cetera, et 18 cetera. And then you've got to send it someplace 19 when you finish that. When you finish that process 20 \_\_\_

21

MR. STATTEL: To the SSPS.

1 CHAIRMAN BROWN: Yes. It's got to be 2 transmitted out. It's that last step. And so each 3 of those, the more functions you have to process, 4 the longer is your cycle time, which is affected by 5 your accident analysis and all of that other kind 6 of stuff, you've made determinations of what you 7 can and can't do. 8 So there is really not a whole lot of 9 difference, but in this case aren't they able to 10 tell you the number -- what this information is? 11 Have you all gotten that and you all are trying---12 MR. STATTEL: Yes. 13 CHAIRMAN BROWN: Okay. You've gotten 14 that and you're trying to use that to develop, 15 because once you've got this you've got a -- you 16 access, do all of them, and it's a matter of you 17 get them all, you keep going through the 18 calculational part, and then you toss the 19 information out. 20 Once you've got that, you've got a 21 fixed time, whether it's too long, to short, 22 whatever it is. 23 MR. STATTEL: Right.

1 CHAIRMAN BROWN: But it should be 2 repetitive, and it should be predictable, 3 particularly given -- I'm presuming the FPGA -- I'm 4 not an FPGA expert, by any means. But you don't 5 stop that per se -- the question is, you don't want 6 to stop that process. You don't want to have a 7 state that says it -- to deviate from that process. 8 You want it to walk right on through everything. 9 MR. STATTEL: That's what I would call 10 an event-driven interrupt. 11 CHAIRMAN BROWN: Yes. 12 MR. STATTEL: You don't want something 13 external that would --14 CHAIRMAN BROWN: But can you do that with FPGAs? I mean, they've got a clock that is---15 16 MR. STATTEL: If you wanted to, I 17 suppose you could, but --18 CHAIRMAN BROWN: I only did one of 19 these in my past reincarnation, and we didn't have 20 any of that. It was -- that was 25 years ago.

1 MR. STATTEL: So what the staff has to 2 look at is we have been given some numbers, right? So we have -- we have access, of course, to the 3 safety evaluation, which says the system needs to 4 5 perform this safety function in this amount of 6 time. And it's usually -- they are pretty long 7 times, in order of seconds, right? 8 Now, that number includes the response 9 time of the relays, the response time of the pumps 10 starting up, the mechanical components, things like 11 that, but it also includes the response time for 12 the digital system that is one of the inputs to 13 that. 14 We also have specs, the specifications 15 for the systems, so we know the exact number of

16 milliseconds that is being allocated for the ALS, 17 and there is a different number being allocated for 18 the Tricon system. 1 So in the case of signals that are 2 temperature -- that are relying on temperature, 3 those are kind of your worst-case conditions 4 because both systems have to completely perform 5 input process output in order for that safety 6 function to occur, right? So we add up both of 7 those times. We know what the allocations are. We 8 know what the numbers -- what the specs are. Those 9 are in the system specifications.

10 And we also have calculations that we 11 have received from the vendors that basically tell 12 us, based on the application, this is -- this is 13 what the time, the cycle time for this is going to 14 be when they build that board, right? Now 15 understand that development is in progress right 16 now, so it needs -- that still needs to be confirmed, and that will be one of the confirmation 17 18 activities we perform this summer, right, to 19 confirm that.

20 Now, with the ALS -- with the FPGAs, we 21 are talking orders of magnitude. These are very 22 fast. It is kind of akin to the old machine 23 language coded programs or microcontrollers. The 24 cycle times are much faster than what you would 25 typically see in a microprocessor-based system.

1 There is a lot of margin. There is a 2 lot of margin between the actual expected response 3 time of an FPGA card, and the specified time that 4 it needs to meet within the application. Right? 5 Now, for the Tricon system it is --6 CHAIRMAN BROWN: Let me -- I guess what I'm trying to get to is there's two things we're 7 8 trying to do. Will these things perform and meet 9 the time response requirements that are necessary 10 to give you -- is it going to perform the same as 11 Eagle 21 did for the other system? That's one 12 aspect. You've got to make sure that you 13 understand that.

14 But the second part is that every cycle 15 time is the same. It's not going to be stopped and 16 be altered while you are trying to process and 17 generate trips. I mean, there's a start time. You 18 gather, you calculate, then you've got some spare 19 time where diagnostics could be done, where 20 housekeeping can be done, where extra buffers can 21 be layered out, or a separate port can be accessed 22 for whatever, or whatever you want to do.

1 But, I mean, you've got things you've 2 got to time within that -- it ought to do all of 3 those every time, and then you ought to just cycle 4 back and start over again. But nothing alters that 5 process. So it's not 10-milliseconds one time, 50 6 the next time, 75 the next time, and come back --7 because it decided to do something else, okay, 8 while it was doing -- in the middle of the 9 processing cycle. 10 MR. STATTEL: This is something that

12 FPGAs, it is not like it is performing the 13 functions and then it is switching over to another 14 task, or it is doing diagnostic and then it 15 switches back to functions.

varies between the technologies. Okay? So for the

11

16 CHAIRMAN BROWN: Yes, I've got that. 17 MR. STATTEL: It is really just a logic 18 implementation. So it's just -- now it does go in 19 a cycle, right? So it reperforms its functions 20 periodically and -- but the answer to your question 21 is, yes, it's independent of the loading or 22 condition of the environment around it. It will 23 perform those functions deterministically.

1 The Tricon is a bit different because 2 it does -- it does use interrupts, but it doesn't 3 use event-driven interrupts. There has to be 4 interrupts in a computer system, because you have 5 to tell that system when to start performing the 6 function. Right? So you establish that cycle time for the application, right? And you want that to 7 8 interrupt whatever is going on. 9 So if there is diagnostics -- so if it 10 completes its application and is performing 11 diagnostics in the spare time that it has, you need 12 to be able to interrupt that and say, "Here, it's 13 time to restart your application and" --14 MR. STATTEL: I will grant you that 15 there are what's known as good interrupts and bad

16 interrupts. So our job, you know, the way we see 17 it is to make sure that they are using the good 18 type of interrupts to make sure that the 19 deterministic performance is ensured without any 20 reversion or any -- creating any back doors or 21 anything that could affect -- or basically the use 22 of the bad interrupts where we have an event or a 23 condition external to the system that would affect 24 its performance.

Now, there's a couple measures that are put into place. There is a calculation that Tricon uses. So basically they develop their application, so basically this is describing the scan task, and there is three -- there is three basic tasks that are performed on every cycle, and these are called the higher priority tasks.

8 And they are not event-driven. There 9 is no -- now, they are initiated by interrupts, but 10 they are not event-driven interrupts. Okay? Thev 11 are basically initiated by the clock. Okay? The 12 scan task, the communication task, and the 13 background task, and every other task that is 14 performed by that processor would be a lower 15 priority task, and it basically would be performed 16 as available.

17 CHAIRMAN BROWN: Does it come under the 18 background? I mean, if you've got a cycle that you 19 go through, that cycle should be repeated every 20 time you finish the --

21 MR. STATTEL: That's correct.
22 CHAIRMAN BROWN: -- if that's the cycle
23 you're going through, you start the scan, you do
24 the communication, blah, blah, and you go
25 through it.

1 MR. STATTEL: That's correct. Now, I 2 thought I had another figure, but I don't see it 3 I guess I didn't put it in. But there was here. 4 another figure basically that showed the way this 5 works is it performs the scan task and then it 6 cycles between the communication task and 7 background task during the idle time until the next 8 program cycle begins. Okay? 9 And those are the times where 10 diagnostic functions are performed and self-11 checking, things like that. 12 CHAIRMAN BROWN: My point being is that 13 although -- whether it's a 100-millisecond cycle or 14 a 50 or a 200, whatever it is, they all get done to 15 some extent during that time. 16 The primary tasks are done, the 17 communications, the outputs are done, and then the 18 background task takes care of whatever it can get 19 done. It ends, it finishes the cycle, goes back 20 and starts, but it knows where it left off on the 21 diagnostics, and it will start there the next time 22 it gets to that point. And that cycle is the same 23 all the way through.

1 CHAIRMAN BROWN: As long as it's not 2 altered, if you don't have event-driven things, it 3 all of a sudden alters this stuff, which is out to 4 lunch.

5 MR. STATTEL: That is correct. So 6 deterministic behavior is assured through the 7 synchronizing of application scan, which guarantees 8 a new set of inputs and a new set of outputs for 9 the IO modules are established during every 10 application scan in each of the separate 11 processors. 12 Now, the processors are running 13 asynchronously. 14 CHAIRMAN BROWN: That's fine. 15 MR. STATTEL: Okay. 16 CHAIRMAN BROWN: That's good. Probably. 17 18 MR. STATTEL: So just a couple notes on 19 The Tricon application program calculation that. 20 cycle cannot be interrupted by any of the lower 21 priority tasks during program execution cycle. The 22 actual processing time is established during 23 program development, and we are provided with 24 calculations that determine what that -- what the 25 expected cycle time is.

Once the application program
 development is complete, the cycle time does not
 vary the function of calculational loading of the
 system.

5 Okay. Next, this diagram basically 6 shows what I was describing before, so we have a 7 calculated response time, and this is basically 8 what we expect the system to perform based on the 9 number of functions in the application. The 10 program scan time is set to a greater value, and 11 this is basically a conservative number to ensure 12 that we don't have any overruns based on normal 13 performance of the system.

And, of course, that is less than what is specified as the specified requirement for time allocation of the system. And we are ensuring all of these numbers fall in.

18 And then, finally, it ties to the 19 accident analysis required time response, which we 20 are looking at that as well.

21 CHAIRMAN BROWN: What is the calculated 22 response time? Calculated based on what? 23 MR. STATTEL: Actually, perhaps John 24 you could answer that.

1 CHAIRMAN BROWN: Well, I was thinking, 2 if you've got a calculated response time --3 MR. STATTEL: Right. 4 CHAIRMAN BROWN: -- your program scan 5 time and your -- all of the other ones ought to be 6 shorter than the calculated. 7 MR. STATTEL: No. Calculated is 8 actually the fastest theoretical time that we 9 expect that program to run, right? 10 MR. McKAY: And that's exactly -- John 11 McKay, Invensys again. We have to perform 12 calculations based upon worst-case scenarios of 13 like getting your input point right after the input 14 processing has stopped for the scan, so you have to 15 go all the way around again. And we have created a 16 document that we have submitted to that effect, and then also just to go on what he said about the scan 17 18 time itself is hard-coded into the program before 19 it is delivered. 20 CHAIRMAN BROWN: The calculated 21 response time is based on picking up every piece of 22 data the instant you need it without having to go 23 back through the cycle again.

1 MR. McKAY: No. The calculated -- we 2 call it the maximum Tsat scan time, so it's the 3 maximum response time that we will get, and we will 4 get everything in this maximum time. Almost every 5 scan we will get everything a lot faster than that. 6 CHAIRMAN BROWN: Then why is the 7 program scan time longer than the calculated 8 response time? 9 MR. STATTEL: It's conservative. We 10 actually -- we know what the cycle time is going to 11 be. If we just run it as fast as it can go, it is 12 going to be on the pink line there. But what we do 13 is we slow it down, we set a program scan time that 14 is longer than that, basically gives us assurance 15 that we are always going to be completing what we 16 need to complete in the cycle with some 17 conservatism. Okay? 18 The things that go into the calculation 19 is like --20 That's fine. I mean, CHAIRMAN BROWN: 21 go on.

1 MR. STATTEL: It's an interesting 2 calculation. I have reviewed it, and it assumes, 3 you know, how long it takes to process the input 4 and how long it takes to communicate that over to 5 the processor, you know, how long it takes to 6 perform all of the function blocks that are in the 7 processor. 8 So it's a very comprehensive 9 calculation, and it comes up with a number and then 10 the actual scan time that is set, that is basically 11 the interrupt. That is that clock interrupt that 12 says start doing your safety functions now, no 13 matter what. 14 CHAIRMAN BROWN: Where is your communications and your backgrounds? It's after 15 16 that? 17 MR. STATTEL: It's basically the time 18 between what actually -- you know, the time that is 19 left between the calculated response time and the 20 program scan time, that is your excess time. And 21 that is where your background --22 CHAIRMAN BROWN: Your program scan time 23 then encompasses all three of those --24 MR. STATTEL: Right.

CHAIRMAN BROWN: -- that you talked 1 2 about. Not the scan tasks. 3 MR. STATTEL: Correct. CHAIRMAN BROWN: That's different. 4 MR. STATTEL: That's correct. 5 6 CHAIRMAN BROWN: That's connecting the 7 scan task to --8 MR. STATTEL: I think Steve has the 9 right diagram. 10 MR. WYMAN: Here is the scan task in 11 green, and then toggling back and forth, this is 12 background and communications. So the background 13 is down here in the orange time, and the 14 communication task is shown here in the blue time. So they toggle back and forth. 15 16 CHAIRMAN BROWN: And that's the program 17 scan time. That's talking about --18 MR. STATTEL: What you're seeing from 19 the beginning of --20 CHAIRMAN BROWN: Okay. All right. I 21 got it. 22 MR. THORP: I think the reason, 23 Charlie, that it's considered conservative is it 24 eats up more time --

CHAIRMAN BROWN: We're okay, John. You 1 2 can stop talking. Okay? My problem was connecting 3 the previous viewgraph with scan task, 4 communications, and background. 5 MR. THORP: Gotcha. 6 CHAIRMAN BROWN: And those are really 7 all within the program scan time, not scan test. 8 Scan test takes a part of that program scan time. 9 Comm takes part of that scan time, and the 10 background takes part of that, and as long as I 11 understand that. The other thing is a nice piece 12 of information. 13 MR. STATTEL: Okay. Now, we can spend 14 as much time as you want on this slide. Really, 15 all this is talking about is the use of watchdog 16 timer functionality. Both of these platforms have 17 watchdog timer-type functions, and all this is 18 illustrating is basically we are just monitoring 19 the performance of these scans using hardware 20 components that are not dependent or not subject to 21 common cause failure and they are not dependent on 22 the application development. 23 CHAIRMAN BROWN: Is it a hardware 24 timer?

1 MR. STATTEL: They are hardware, but 2 they are not -- they are built into the platforms, 3 and that's why you don't see them very --4 CHAIRMAN BROWN: Is it hardware? Or is 5 software controlling its performance? MR. STATTEL: Well, in the case of the 6 7 ALS, it is actually -- it is actually implemented 8 within the logic, within the logic card. But it is 9 a -- it is a watchdog timer function, type 10 function. 11 So, for example -- for example, for the 12 ALS, communications -- we talked about the 13 importance of communications on the RAB bus, right? 14 So this is where all of the IO is getting 15 communicated to the processor. Okay. Each slave 16 board can detect a communication failure and can isolate itself from further communication on the 17 18 RAB until the communication failure is corrected. 19 Each RAB slave implements communication 20 watchdog, timeout, and halt function for the RAB 21 communications. So this is -- this is kind of a 22 use of a watchdog timer-type function in order to 23 ensure that that communication takes place in the 24 designed time.

1 CHAIRMAN BROWN: If a watchdog timer is 2 actuated because something didn't complete, that 3 shows an alarm. 4 MR. STATTEL: That's correct. 5 CHAIRMAN BROWN: Does that go to the 6 control room? 7 MR. STATTEL: Yes. In both cases. So 8 basically it's a system failure. 9 CHAIRMAN BROWN: As you say for both---10 MR. STATTEL: And then that's -- for 11 both ALS and Tricon system. So basically the 12 system -- it's system failure. If there is some --13 something that would challenge the deterministic 14 performance of that system, if the process is 15 taking longer than expected, the watchdog timer is 16 basically time out and they would alert the operators that there is something wrong. So they 17 18 would question the operability of that channel. 19 CHAIRMAN BROWN: Is it on a card-by-20 card basis? Or is it --21 MR. STATTEL: These are. 22 CHAIRMAN BROWN: Let me give -- okay. 23 So it's not something that says, "Here is my 24 program scan time. If I don't complete that, I get an alarm." 25

1 MR. STATTEL: Correct. It is 2 independent of the application. 3 CHAIRMAN BROWN: But you still get an 4 alarm. So you've got a lot of little processors 5 that all have these watchdog timers on it. 6 MR. STATTEL: Yes. And those functions were evaluated -- I'm not evaluating --7 8 CHAIRMAN BROWN: I'm not as worried 9 about this on this by the way, because it's --10 well, I'm not voting with these. 11 MR. STATTEL: Right. It's effectively 12 an analog voting system if you look at it, and 13 that's one way to look at the -- I think that's the 14 way I look at the SSPS, right? I purposely didn't 15 put a lot of details on this slide, because we're 16 not -- this is not part of our evaluation. These are -- these features are features that are built 17 18 into the platform. 19 CHAIRMAN BROWN: Does the Tricon 20 topical report talk about these? 21 MR. STATTEL: Yes. 22 CHAIRMAN BROWN: Okay. I mean, I found 23 V-10. It turns out that was nothing but deltas 24 from an earlier report, so it was kind of --

1 MR. STATTEL: Version 9, right. 2 Nothing but -- I mean, it's a 300-page SE. I mean 3 \_\_\_ CHAIRMAN BROWN: Well, not the SE. I'm 4 5 talking about the -- not your all's SE but the 6 actual topical report for the platform. 7 MR. STATTEL: It was an update. Yes. 8 CHAIRMAN BROWN: Yes. And it wasn't 9 300 pages. It was only 139-1/2. No, I'm just 10 kidding. It was small. 11 MR. STATTEL: Actually, the V-10 SE was 12 a fairly extensive safety evaluation. 13 CHAIRMAN BROWN: All it did was say the 14 words and it had nothing about alarms going 15 anywhere. MR. STATTEL: Well, it did have --16 CHAIRMAN BROWN: And neither did the 17 18 LAR. 19 MR. STATTEL: Okay. 20 CHAIRMAN BROWN: And neither did the 21 functional requirement spec. MR. STATTEL: In the disc that I 22 23 provided to you, I have provided you a document 24 called Watchdog Timers. These are direct quotes. 25 CHAIRMAN BROWN: Oh, the disc?

1 MR. STATTEL: These are direct quotes 2 from those safety evaluations. 3 CHAIRMAN BROWN: You said the disc you 4 gave me? MR. STATTEL: Yes. I provided --5 6 CHAIRMAN BROWN: Did I get a disc? 7 MS. ANTONESCU: Yes. You got --8 MR. STATTEL: It was the supplemental 9 one. 10 CHAIRMAN BROWN: Where did I put --11 MS. ANTONESCU: Wait. I didn't send 12 you the supplemental because I attached it in the 13 status report, so it was easier that way. 14 CHAIRMAN BROWN: Oh, okay. 15 MS. ANTONESCU: So it's in the status 16 report. MR. STATTEL: I put a short document 17 18 together. It's only two pages long, and it 19 discusses the watchdog comments for both ALS and 20 Tricon. 21 CHAIRMAN BROWN: Okay. Thank you. 22 MR. STATTEL: Sure. 23 CHAIRMAN BROWN: I'm finished on that, 24 so you're -- keep moving.

1 MR. STATTEL: We kind of mentioned this 2 before -- changes made to the platform. There haven't been too many, but we are evaluating the 3 4 changes. The ALS platform safety evaluation was 5 just issued in 2013, and there are no changes that 6 we're aware of between that platform and what is 7 being installed in Diablo Canyon. 8 The V-10 safety evaluation was issued 9 in 2012, and some changes have been made to the 10 platform. We have evaluated those. The majority 11 of those changes we did not consider to be 12 significant. We performed a review of these 13 changes to ensure they are acceptable and ensure 14 that the previous safety evaluation conclusions are 15 not adversely impacted. 16 So we have that drafted now. It's not 17 finalized. 18 MS. ANTONESCU: Could we get copies of 19 the topical reports? 20 CHAIRMAN BROWN: I think I have one. 21 MEMBER BLEY: I don't know if it's the 22 right one. 23 MR. STATTEL: I have the ADAMS numbers 24 right here.

1 CHAIRMAN BROWN: How about just -- give 2 them to Christina when we're done, and she can send 3 them to us. MR. STATTEL: Okay. I have both of 4 That's these two books right here. 5 them. 6 Schedule. So this is really the last 7 item I'd like to mention. We are past the two-year 8 point on this review. You might have noticed when 9 John introduced that we started this evaluation in 10 October of 2011. 11 I just want to mention -- so as of 12 today, the licensee informed us that they had a 13 delay in implementation. So basically we have 14 several what we call Phase 2 documents that we 15 require before we complete our safety evaluation. 16 And those are dependent on completion of the 17 design.

1 So right now this timeline here shows 2 briefly what their current schedule is for the 3 completion of the factory acceptance test. At 4 those factory acceptance tests they will have the 5 cabinets built and they will be doing functional 6 testing of those. Prior to each of those tests, we 7 intend to perform audits at each of the vendors' 8 facilities. And these are mainly confirmatory 9 audits. We are developing the plans for those 10 audits right now. 11 And in June we should have the final 12 document submittals of the completed designs. And 13 right now we are planning to issue our draft safety 14 evaluation. This is just from EICB to DORAL in 15 October of this year. 16 And that's all we have. CHAIRMAN BROWN: Okay. Yes? 17 18 MR. HEFLER: This is John Hefler, PG&E. 19 I'd like to apologize and also correct the record 20 if I might. I had said earlier that the SER said 21 that the stop switch shall be disabled. I was 22 incorrect. It is the Triconics application guide 23 that is the appendix to the topical report. So with apologies to the staff---24

1 MR. STATTEL: We still have an open RAI 2 on that particular issue, so we haven't quite 3 resolved that. CHAIRMAN BROWN: Okay. Before we 4 5 conclude, is there anyone in the audience that 6 would like to add a comment? 7 (No response.) 8 Hearing none, I am putting the phone 9 line -- for those of you who are on the phone 10 lines, if you will hold on a second, I will confirm 11 that it is open. Would somebody say something to 12 let us know that the phone line is actually open? 13 MR. GALEYEAN: Yes, I can hear you. 14 CHAIRMAN BROWN: Okay. Is there 15 anybody out there that would like to make a 16 comment? 17 MR. GALEYEAN: Not here. 18 CHAIRMAN BROWN: All right. Not 19 hearing any further responses, we will conclude 20 this. Did I miss anything? Did you want to -- oh, 21 yes, I forgot all about that. Yes. John, do you 22 have any comments or --

1 MEMBER STETKAR: I do not. I would 2 like to thank the staff for getting through a heck 3 of a lot of material in four and a half hours or 4 whatever it was, and I thought it was very, very 5 useful dialogue. So thank you. 6 MEMBER SCHULTZ: I appreciate the 7 staff's presentations today. They were very well 8 done, and they really did give me an appreciation 9 for the depth of the review that has been done and 10 is ongoing. 11 Thank you. 12 MEMBER BLEY: I'd second that. Thank 13 you, all. No other comments from me, Charlie. 14 CHAIRMAN BROWN: Okay. Yes. I'd like 15 to go on and say that this was -- I think you've 16 covered very, very thoroughly the -- what I call 17 the topical areas that we have tried to, you know, 18 put together to allow a good review by us, the 19 committee, that we can then pass on when we have 20 the full committee meeting to let them know where 21 we stand on this as well.

1 But we will have to condense this 2 obviously somewhat before the full committee 3 meeting. And we will try to provide you some 4 feedback, but largely along the lines of, how do we 5 meet the four pillars of redundancy, deterministic, 6 performance, and defense in depth and independence, 7 and as well as the simplicity, which you could 8 never convince anybody that this is simple. So you 9 might not want to work on that one too hard in the 10 full committee meeting. 11 MEMBER SCHULTZ: Charlie, are we going 12 to meet again before -- in the midst of what is 13 ongoing with the --14 CHAIRMAN BROWN: Right now we've got a 15 full committee meeting information briefing 16 scheduled for the full committee meeting. MEMBER SCHULTZ: Just information. 17 18 CHAIRMAN BROWN: That's -- well, that's 19 the way it's listed right now, or at least it was--20 21 MEMBER SCHULTZ: I just want to 22 understand --

1 CHAIRMAN BROWN: And that's for the 2 March full committee meeting. I think it would be 3 useful to see them -- let them know what is being 4 done in this area, because we haven't had any 5 interface on -- what I call on the operating plant 6 side with what has been going on in a while. So 7 that's where we would intend to go with that. 8 So I'll try to give you some 9 suggestions over the next couple of days. I'll 10 pass them back to Christina to get them to you to 11 where -- and if you guys have any suggestions, by 12 the way, of stuff to cover --13 MEMBER BLEY: I don't know quite how to 14 say this. One of the reasons I think we had some 15 trouble in going through this is we aren't -- at 16 least I'm not fully informed about the two platforms and the review you did on those. So I 17 18 think a lot of our questions were dealing with 19 things that were addressed there.

1 I'm not sure how we can dodge that for 2 the full committee, but -- and maybe it's by 3 simplifying. You know, where we were getting into 4 trouble was how these multiple channels within the 5 protection sets talk to each other, and I think 6 simplifying that and not guite showing as much for 7 the full committee might --8 MEMBER SCHULTZ: Yes. I think around a 10-minute presentation about what historical -- the 9 10 review that has been done and what the results of 11 those reviews has been --12 CHAIRMAN BROWN: On the platforms. 13 MEMBER SCHULTZ: -- on the platforms 14 would be very useful for the full committee. And 15 then that puts what we heard today in a perspective 16 for them in a shortened version that you indicated 17 you would work with. 18 MR. THORP: Just along that line, I 19 wanted to thank the two authors of the SEs for the 20 two topical reports. Steve Wyman and Bernie 21 Dittman have been here throughout the meeting, and 22 we'll talk about how we might be able to get them 23 involved in terms of giving that brief historical 24 presentation on the review of those topical 25 reports.
1 CHAIRMAN BROWN: The triplicate set of 2 stuff in there and the interrelation to all of the 3 communication paths and what happens because these 4 RXMs are whatever, I mean, one of the key figures 5 in this was one of the earlier ones in terms of 6 showing the independence of this from the internet, 7 from the -- you know, and the one-way 8 communications and lack of connection to the 9 outside world.

10 The control of access is of pretty high 11 level of interest to us these days relative, even 12 though you all don't look at -- theoretically at 13 this stuff. This is really a control of access 14 issue, in my own mind, that -- from a plant design 15 standpoint. But some of those figures were -- just 16 add confusion where they -- but they don't 17 communicate any information that is useful. You 18 know, the three-dimensional pictures of everything 19 is -- was overwhelming, if there is a way to 20 communicate that down to a simpler design, for 21 instance, Slide 13 or 14 or whatever -- no, it's 22 earlier than that -- was a pretty good one.

1 And a couple of the earlier ones with 2 the red lines to show you that everything is 3 separate and individual and independent and have that come after this -- what you all did for the 4 5 platforms, after the 10-minute introduction on the 6 platforms. So those are pretty key, since they 7 have already been done and we are being asked to 8 accept those as already completed, finished, and 9 closed out.

10 Any other thoughts? 11 MR. THORP: Just a comment that I 12 really appreciate some of the good probing 13 questions and the scenarios that you put us 14 through, especially John Stetkar. That was very 15 helpful I think to us to kind of stimulate some 16 thinking, and all of you had great questions for 17 us.

So where we have fallen short on answering any of the questions, perhaps Christina will get back to us, if there is any other information that we need to provide. CHAIRMAN BROWN: If somebody wants to feed me any questions or if they can send them to

24 Christina, obviously, we'll feed them back to you.

1 MR. STATTEL: Some of the questions, 2 John, you asked were in regard to the D3 analysis. 3 And at some points I kind of wasn't sure we had the 4 right people in the room to respond to that, because in actuality I&C doesn't perform 5 6 evaluations of D3 analysis. That's not something 7 that's done by the safety group. That's RXB. 8 So we did provide input to that, and we 9 did -- we did generate the update to that, but it 10 was more of -- does this system impact the existing 11 analysis? 12 CHAIRMAN BROWN: Well, one way to 13 approach that, to springboard from what John said 14 during the meeting, and the key point was you in 15 your slide said, "We eliminated the need for 16 operator action," which was not correct. There are 17 some. The point being is that Eagle-21 had some 18 areas where they credited. There were other areas 19 that were credited.

20 MR. STATTEL: Correct.

CHAIRMAN BROWN: You eliminated some of 1 2 them by incorporating them, and so that's a simple 3 It's a better system because now we have approach. 4 reduced the number of operator actions needed to be 5 credited for taking care of certain scenarios. 6 Others, still there. Just like they were before. 7 So that's a little bit more crisp way of phrasing 8 it is a way to --9 MR. STATTEL: Okav. 10 CHAIRMAN BROWN: -- get that -- does 11 that help address -- if you get too complex on 12 that, it's just going to explode. 13 MR. STATTEL: I mean, the D3 analysis covers dozens of scenarios. I only listed two as 14 15 examples here. There are dozens of others where, 16 you know, we could talk for hours about what the 17 primary and what the backup mitigation and where 18 manual operator actions come into play. But I kind 19 of shy away from that level of meaning. 20 MEMBER BLEY: Well, there's a problem 21 that we have. I mean, you partition things among 22 yourselves. We kind of worry about who is looking 23 at the integrated picture and picking up how these 24 things all interact. A lot of John's questions 25 were really of that sort.

1 MEMBER STETKAR: Yes. I mean, it's not 2 our role to design a system. You know, we are It is our role to try to keep this 3 ACRS. integrated -- some bit of high level perspective. 4 5 And, you know, given a blank sheet of paper, would 6 I have done things differently? Well, yes, I 7 would. Would it be better? Would it be acceptable 8 to the staff? You know, that remains to be seen. 9 But I think it is important for the 10 full committee that you do provide that perspective 11 of what was the purpose of this upgrade of the 12 replacement, and not necessarily -- and be careful 13 about not overselling things in clear black and 14 white when they might not be. 15 CHAIRMAN BROWN: Okay. With 16 that, if there's no other comments or observations, the meeting is closed. Adjourned. 17 18 (Whereupon, at 5:42 p.m., the 19 proceedings in the foregoing matter were 20 adjourned.) 21 22 23 24 25

# Diablo Canyon Process Protection System LAR



#### Presented by: NRR / EICB

Pat Hiland Director DE John Thorp Branch Chief EICB Rich Stattel Technical Reviewer EICB Rossnyev Alvarado EICB Samir Darbali EICB

February 18, 2014



- Introduction
- Overview of Diablo Canyon License Amendment Request
- Diversity and Defense in Depth
- Communication
- Secure Development and Operations Environment (SDOE)
- Platform Status
  - Tricon
  - ALS
- PPS Project Schedule



## Introduction Diablo Canyon PPS Replacement LAR

- On October 26, 2011, PG&E submitted a LAR to replace the existing Eagle 21 Process Protection System with a new more modern digital system.
- The Safety Evaluation for the Tricon Platform Topical Report was Issued in 2012 and the Safety Evaluation for the ALS Platform TR was issued in 2013.
- The Diablo Canyon Digital Process Protection System (PPS) is based on both the Microprocessor based Invensys Tricon and the FPGA based Westinghouse ALS Platforms.
- As part of the NRR acceptance review process the NRC accepted the LAR (January 13 2012) for review and documented several review areas which would require particular attention prior to approving the LAR. These are:
  - Deterministic Performance of Software
  - Equipment Qualification Testing Plans
  - Software Planning Documentation
  - Setpoint Methodologies



- EICB is conducting the review in accordance with Standard Review Plan (SRP) Chapter 7 (NUREG-0800, Chapter 7) and LIC -101.
- Interim Staff Guide 06 "Licensing Process for Digital I&C Systems" is also being Piloted as part of this review effort.



### Process Protection System Overview



























#### **Overview of Diablo Canyon Application** Current PPS System Functions





#### Overview of Diablo Canyon Application New PPS System Functions

























#### **Turbine Trip and Feedwater Isolation function**

This is the primary mitigating function for "Excessive Heat Removal Due to a Feedwater system malfunction" event.

- Backup mitigating function "Power Range High Flux Reactor Trip."
- The High Flux Reactor Trip does not rely on the PPS system and will thus not be affected by a CCF of the PPS.



#### Aux FW Initiation

This function is the primary mitigating function for the "Major Secondary Pipe Rupture – Major Rupture of a Main Feedwater Pipe", "Loss of Non-Emergency AC power to station auxiliaries", and "Loss of Normal Feedwater " events.

- Backup mitigating functions are;
  - 1) Pressurizer High Pressure Reactor Trip,

2) High Containment Pressure Safety Injection and Reactor Trip

 Both of these backup mitigating safety functions do not rely upon the Tricon subsystem and will thus not be affected by a CCF of the PPS.

In addition, the AFW system is actuated by the independent AMSAC system on Low SG level. AMSAC is independent and Diverse from the PPS system.



## **Diversity & Defense-In-Depth**





### Diversity and Defense in Depth (D3) Guidance

- Guidance for Diversity Assessment
  - SRM to SECY-93-087 Item II.Q

Establishes NRC policy for Diversity and Defense in Depth

#### • NUREG/CR-6303

Method for Performing Diversity and Defense-in-Depth Analyses of Reactor Protection Systems

#### Branch Technical Position (BTP) 7-19

Guidance for Evaluation of Diversity and Defense-in-Depth in Digital Computer-Based Instrumentation and Control Systems

• Interim Staff Guide (DI&C-ISG-02) Diversity and Defense-in-Depth Issues



- Diversity and Defense-In-Depth Analysis Performed
  - Eagle 21 (1993)

Assumed CCF of PPS resulting in loss of all PPS safety functions

– Replacement PPS System (2011)

Assumed loss of all Functions performed by the Tricon Subsystem.

- Update to Previous Analysis Tables
- All plant Accidents and AOO's are included in the analysis
- Identifies Three Parameters for which there is no existing Automatic Diverse Backup function.
  - Pressurizer Pressure
  - Containment Pressure
  - RCS Flow
- Describes ALS Diversity and postulates CCF of ALS. This CCF does not result in loss of ALS assigned Safety functions













 $^{\star}$  OR function is accomplished by DO contacts in series for De-energize To Trip (DTT) or in parallel for Energize To Trip (ETT) function.





 $^{\star}$  OR function is accomplished by DO contacts in series for De-energize To Trip (DTT) or in parallel for Energize To Trip (ETT) function.





\* OR function is accomplished by DO contacts in series for De-energize To Trip (DTT) or in parallel for Energize To Trip (ETT) function.











### **Diversity and Defense in Depth** Anticipated Transient Without Scram (ATWS)

- The design architectures are completely different.
- The two PPS subsystems were developed by vendors that were different than the vendor that developed the AMSAC system . \*
- The AMSAC system uses different microprocessors which are produced by different manufacturers than those used in the Tricon subsystem.
- The diverse AMSAC system is powered by a non-safety related source.
- The quality of components in the AMSAC system is based on selection of known process electrical components that have proven reliability.
- The diverse AMSAC system initiation path is separate and independent from the Tricon PPS system processors which are subject to a SWCCF.
- The diverse AMSAC system initiation path is separate and independent from the ALS PPS system Core Logic Boards.
- Though the AMSAC system shares the same Steam Generator Level sensors used for the PPS system, these sensors are not digital devices and are not subject to the effects of a software CCF.
- The AMSAC output actuation signals are transmitted through relays that provide isolation between the safety-related control circuits actuated by AMSAC and the non-safety related AMSAC system.


# **Diversity and Defense in Depth** Anticipated Transient Without Scram (ATWS)





# Diversity and Defense in Depth Manual Operator Action

- The new Diablo Canyon Digital Process Protection System eliminates the need to perform Manual Operator Actions as a means of coping with a software CCF within the PPS.
- The modification does not however affect the ability of operators to perform manual actuations of safety functions.
  - Manual Initiation signals are provided directly to the SSPS system which is not being modified.
  - Previously credited MOA's will still be available to the operators.
  - Existing component and division level actuation capability at the main control boards will be retained



# Communications





- Guidance for Communication
  - IEEE 603, "IEEE Standard Criteria for Safety Systems for Nuclear Power Generating Stations"
  - IEEE 7-4.3.2, "Standard Criteria for Digital Computer in Safety Systems of Nuclear Power Generating Station"
  - DI&C-ISG-04, "Highly Integrated Control Roomscommunication Issues"



# Overview of Diablo Canyon Application PPS System Architecture





### **Communications Architecture**



Figure 3-3 PPS Replacement Communications











# **Overview of Diablo Canyon PPS Application** OPDT and OTDT Functions













## **Port Aggregator Tap**





#### 10/100 Port Aggregator Tap

#### **Product Diagrams**











# Remote RXM Chassis I/O Signals

#### **INPUT**:

- OTDT / OPDT Interlock Manual Trip Switches
- Power Supply Failure Relays

## OUTPUT:

- Delta T Indicator
- Over Power Setpoint Indicator
- Over Temperature Setpoint Indicator
- T average Indicator
- OTDT and OPDT Interlock Signals
- Various System Alarms to Main Annunciator System (MAS)



Communication Path Forward

### The NRC staff is currently reviewing and documenting the evaluation for DI&C-ISG-04 adherence points in regard to the Diablo Canyon PPS system Design.



# **Communication** Current NRC Assessment (In Progress)

- The Diablo Canyon LAR appears to adequately address each of the twenty adherence points listed in DI&C-ISG-04, with the exception of Staff Position 1, Point 10.
- Staff Position 1, Point 10, states that safety division software should be protected from alteration while the safety division is in operation.
  - Deviation in Diablo Canyon LAR
    - The Tricon Maintenance Workstation will be connected to the TRICON system during plant operations.
    - The ALS RTD signal processing functions will remain operable during specified surveillance tests performed on other ALS functions. Thus, the licensee is taking a limited exception to this criteria.



### **Secure Development and Operational Environment**





# Secure Development and Operational Environment (SDOE)

- Guidance for SDOE
  - RG 1.152, Rev. 3, "Criteria for Use of Computers in Safety Systems of Nuclear Power Plants"
- A secure development environment must be established to ensure unneeded, unwanted and undocumented code is not introduced into a digital safety system
- A secure operational environment must be established to ensure predictable, non-malicious events will not degrade the reliable performance of the safety system



- The secure development environments for the ALS and Tricon platforms were reviewed as part of their respective Topical Report reviews and were found to be acceptable
- The same development environments are being maintained for the DCPP PPS replacement application
- These development environments include:
  - Vulnerability assessments
  - Physical and logical access control of the development infrastructure
  - Control of portable media
  - Configuration Management of documentation and source code files
- Code reviews to detect and prevent the use of unintended code or functions
- The licensee will not develop or modify the software



### Secure Operational Environment (Control of Access)

- Once the PPS replacement project is completed and the PPS is in the Operations and Maintenance phases, software modifications to the Tricon and ALS platforms will be controlled by the PPS Replacement Software Configuration Management Plan
- Modifications to the PPS replacement components produced by the vendors will be performed by the vendors, not the licensee
- The PPS replacement system will be located in a plant vital area
  - In the cable spreading room
  - In the same cabinets that currently house the Eagle-21 PPS
  - These cabinets are locked and the keys are administratively controlled by operations personnel
  - Access to the MWSs is password protected







- Deterministic performance characteristics for each platform were evaluated and accepted by the NRC as part of the associated platform safety evaluation.
  - Each SE considered the following system characteristics;
    - Input and Output Signal Processing
    - Data Transfer Methods / Techniques
    - Software or Logic Implementation Structure
    - System Diagnostic functions
  - The NRC is also evaluating Application Specific Characteristics of the PPS such as;
    - System loading
    - Application architecture







# ALS Deterministic Performance Characteristics

- No Embedded Microprocessor Cores
- FPGA Design Does not use Interrupts
- Deterministic sequence of performing logic operations:
  - 1. Acquire Inputs
  - 2. Perform Logic Operations
  - 3. Generate Outputs



Access Time: The board access time is the fixed interval allocated to exchange data with an individual board using the Reliable ALS Bus (RAB) protocol.

**Frame Time:** The frame time is the interval between accessing each specific board so information will have been read once from all application input boards and written once to all application output boards.



- Tricon scan cycle is predictable and repeatable from scan to scan
- Event Driven Interrupts are not used in the Tricon

TASKS BY PRIORITY	<b>INTERRUPTS BY PRIORITY</b>
SCAN	WATCHDOG
COMMUNICATIONS	START SCAN TASK
BACKGROUND	START COMMUNICATION TASK









- The Tricon application program (calculational cycle) cannot be interrupted by any of the lower priority tasks during the program execution cycle.
- Actual processing time is established during program development.
- Once application program development is complete, the cycle time does not vary as a function of calculational loading of the system.



			Accident Analysis Time Response
Spe Tim		Specified PPS Re Time Allocation	sponse
	Program Scan Time		
	Calculated Response Time		
Time			











- The Tricon V10 Topical Report and Safety Evaluation were issued in April of 2012
- Since then, changes to the approved platform have been made due to advancements in digital technology and improvements in development processes. These changes include:
  - Hardware
  - Software
  - Procedure
- A Review of these changes to the approved platform is necessary to assure the changes are acceptable.
- The Staff is reviewing documentation associated with these changes and is drafting a Platform Changes chapter within the Safety Evaluation.







# Summary





- Path forward for D3
  - The Licensee has provided all of the necessary documentation to support the Diablo Canyon D3 Position including a comprehensive D3 analysis approved by the NRC in 2009.
  - The Staff is reviewing this documentation and is drafting the Diversity (D3) portion of the Safety Evaluation.
- Path forward Communications
  - The NRC review staff is documenting the evaluation for each of these 20 ISG#4 positions in regard to the Diablo Canyon PPS system design.
- Path Forward for Determinism
  - The Staff is reviewing this documentation and is drafting a system determinism chapter within the Safety Evaluation.