Official Transcript of Proceedings NUCLEAR REGULATORY COMMISSION

Title:	Advisory Committee on Reactor Safeguards Open Session
Docket Number:	(n/a)
Location:	Rockville, Maryland
Date:	Thursday, March 6, 2014

Work Order No.: NRC-622

Pages 1-224

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1323 Rhode Island Avenue, N.W. Washington, D.C. 20005 (202) 234-4433

1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + + +
4	612TH MEETING
5	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
6	(ACRS)
7	+ + + + +
8	THURSDAY
9	MARCH 6, 2014
10	+ + + +
11	ROCKVILLE, MARYLAND
12	+ + + +
13	The Advisory Committee met at the
14	Nuclear Regulatory Commission, Two White Flint
15	North, Room T2B1, 11545 Rockville Pike, at 8:30
16	a.m., John W. Stetkar, Chairman, presiding.
17	COMMITTEE MEMBERS:
18	JOHN W. STETKAR, Chairman
19	HAROLD B. RAY, Vice Chairman
20	DENNIS C. BLEY, Member-At-Large
21	J. SAM ARMIJO, Member
22	RONALD BALLINGER, Member
23	SANJOY BANERJEE, Member
24	CHARLES H. BROWN, JR. Member
25	MICHAEL L. CORRADINI, Member
	1

1	COMMITTEE MEMBERS: (Continued)
2	DANA A. POWERS, Member
3	JOY REMPE, Member
4	PETER RICCARDELLA, Member
5	MICHAEL T. RYAN, Member
6	STEPHEN P. SCHULTZ, Member
7	GORDON R. SKILLMAN, Member
8	
9	DESIGNATED FEDERAL OFFICIALS:
10	ZENA ABDULLAHI
11	CHRISTINA ANTONESCU
12	GIRIJA SKUKLA
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	
I	

	3
1	T-A-B-L-E O-F C-O-N-T-E-N-T-S
2	Opening Remarks
3	John Stetkar
4	Selected Chapters of the Safety Evaluation Report
5	with Open Items Associated with the U.S. Advanced
6	Pressurized Water Reactor Design Certification and
7	Comanche Peak Combined License Application
8	Comanche Peak Combined License Application
9	Perry Buckberg, Staff 43
10	Diablo Canyon Units 1 and 2 digital
11	Replacement Project
12	Pellet Cladding Interaction Fuel Failures
13	During Anticipated Operational Occurrences 137
14	Adjourn
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	
	1 I I I I I I I I I I I I I I I I I I I

	4
1	P-R-O-C-E-E-D-I-N-G-S
2	8:33 a.m.
3	CHAIRMAN STETKAR: The meeting will now
4	come to order.
5	This is the first day of the 612th meeting
6	of the Advisory Committee on Reactor Safeguards.
7	During today's meeting the Committee will consider the
8	following: Selected chapters of the Safety Evaluation
9	Report with open items associated with the United
10	States Advanced Pressurized Water Reactor Design
11	Certification and the Comanche Peak combined license
12	application; Diablo Canyon Power Plant Units 1 and 2
13	digital replacement of the process protection system
14	and portions of the reactor trip system and engineered
15	safety features actuation system; pellet cladding
16	interaction fuel failures during anticipated
17	operational occurrences; biennial review of the NRC
18	safety research; and preparation of ACRS reports.
19	Portions of today's sessions may be closed
20	to discuss and protect proprietary information.
21	This meeting is being conducted in
22	accordance with the provisions of the Federal Advisory
23	Committee Act.
24	Mr. Girija Skukla is the designated
25	federal official for the initial portion of the

(202) 234-4433

	5
1	meeting.
2	We received no written comments or
3	requests to make oral statements from members of the
4	public regarding today's session.
5	There will be a phone bridge line. To
6	preclude interruption of the meeting, the phone will
7	be placed on a listen-in mode during the presentations
8	and Committee discussion.
9	A transcript of portions of the meeting is
10	being kept and it is requested that the speakers use
11	one of the microphones, identify themselves and speak
12	with sufficient clarity and volume so that they can
13	readily heard.
14	Before we begin, I have one sad comment to
15	make. Dr. Sam Armijo, who has been with us for 8
16	years is participating in his last meeting as a member
17	of the Committee.
18	And, Sam, we're going to be really sorry
19	to see you go. You're going to be really missed.
20	Thank you very much for your long service and active
21	participation and energy and everything you've brought
22	to the Committee.
23	MEMBER POWERS: The trouble is he's going
24	to be spending his time with more mature people. His
25	granddaughter.
1	

(202) 234-4433

	6
1	(Laughter.)
2	CHAIRMAN STETKAR: And people who know the
3	difference between 8 and 18 probably already.
4	(Laughter.)
5	MEMBER ARMIJO: No, John, she's three-and-
6	a-half.
7	(Laughter.)
8	CHAIRMAN STETKAR: Oh, doing partial
9	differential equations by now.
10	(Laughter.)
11	CHAIRMAN STETKAR: And with that, we will
12	begin our first topic, that is the US APWR and
13	Luminant Comanche Peak COLA. And I will lead that
14	discussion.
15	As a matter of introduction, this is
16	another of our chances to provide some interim review
17	comments on the DCD and COLA applications. As the
18	Committee is well aware, we have been doing that over
19	the course of the year. This particular session will
20	cover most of Chapter 3 and most of Chapter 14 for
21	both the DCD and the COLA, and all of Chapter 9 for
22	the COLA. We had Subcommittee meetings on Chapters 3
23	and 9 back in November of last year. And just very
24	recently, Tuesday of this week, we had a Subcommittee
25	on Chapter 14.

(202) 234-4433

	7
1	And with that, I will ask the staff if
2	they have any introductory remarks. Perry?
3	MR. BUCKBERG: No thanks.
4	CHAIRMAN STETKAR: Okay.
5	MR. BUCKBERG: No remarks.
6	CHAIRMAN STETKAR: Good. So I'll turn it
7	over to MHI. Ryan?
8	MR. SPRENGEL: Good morning, everyone.
9	I'm glad to be back yet again. We will be covering
10	the majority of Chapters 3 and 14. The exceptions are
11	noted in the slide.
12	With me today are Masatoshi Nagai and
13	Rebecca Steinman, and they'll be covering the two
14	specific chapters that we're looking at.
15	The first bullet here gets a little busy,
16	and it's getting to the point Chairman Stetkar
17	highlighted earlier in the week. We're talking about
18	the remaining chapter because it's easier. So we
19	actually are down to a few areas after today of
20	remaining chapters or sections to bring to the Full
21	Committee, and those being Chapter 1, the Section 3.7,
22	3.8 with associated sections of 14 and Chapter 18. So
23	we're getting close in terms of our kind of interim
24	interactions with the Committee.
25	The next two portions are a reminder, a
I	I contraction of the second

(202) 234-4433

	8
1	carryover from the last time we met with US APWR is
2	going through some adjustments in our review and where
3	MHI is focusing their energies right now. So we are
4	nearing the end of our kind of slow down adjustment.
5	And we'll be starting a new period where we're
6	focusing on still getting our design certification but
7	in a reduced number of areas at any one time, the
8	first areas being Chapter 18 and defines topical
9	report. So those will be our initial focus areas.
10	And we will be working with the staff to complete the
11	or for the staff to complete their SER and then we
12	do it just bringing those to the ACRS Subcommittee and
13	Full Committee.
14	With that, I will turn over the
15	presentation to Masatoshi Nagai for Chapter 3.
16	MR. NAGAI: Thank you, Ryan.
17	Good morning. I am Masatoshi Nagai, the
18	licensing engineer for Chapter 3. DCD Chapter 3 is
19	titled, "Design of Structures, Systems, Components and
20	Equipment." Last October the NRC issued Safety
21	Evaluation Report with open items for this chapter
22	except 3.7 and 3.8. MHI and the NRC staff presented
23	that chapter to the ACRS Subcommittee on November 20th
24	and 21st last year.
25	In t Safety Evaluation Report there are 24

(202) 234-4433

(202) 234-4433

1 open items. Seven of them are considered closed at 2 The areas that require further review this moment. interactions with the staff include the 3 and DCD 4 sections listed on this slide. There are two 5 outstanding RAIs in Section 3.9.2 regarding US APWR steam generator design methodology and criteria. 6 So 7 responses to the RAIs have been prepared and provided 8 to the staff and the staff has been reviewing the 9 responses.

10 MHI recently submitted revised responses to two RAIs in Section 3.9.4 regarding seismic design 11 of CRDM reflecting the latest seismic input. The 12 responses are available on the docket for the staff's 13 14 review. MHI also submitted a revision to Technical 15 Report MEUAP 10,023 initial type test result of class 16 1 mini gas turbine generator system, which includes 17 discussion on seismic qualification of the system. There's one open item in Section 3.10 to track the 18 19 status of the review of the report.

3.11, 20 Τn Section the environmental qualification, there are several RAIs that have been 21 including 22 closed ones reqarding environmental qualification of non-metallic parts and the use of the 23 24 term "important to safety." And we have been working with the staff to identify the path forward. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	10
1	There are a few other open items in the
2	Safety Evaluation Report to track the audit of design
3	specifications for ASME 613 components for
4	specifications and quote the seismic qualification
5	I'm sorry, seismic and quality group classification.
6	The audit was conducted last month, February 2014.
7	There are several follow-up items from the audit which
8	I committed to address by revising some of the
9	specifications and the supporting documents and making
10	them available in future follow-up audit for the staff
11	to review the changes. Finally, reviewing responses
12	to the questions from the ACRS Subcommittee meeting
13	held last November will be submitted on the docket by
14	the end of this month.
15	Okay. The next slide will be presented by
16	Rebecca Steinman.
17	MS. STEINMAN: Hello, my name is Rebecca
18	Steinman and I'm the licensing engineer responsible
19	for Chapter 14 on verification programs. As Chairman
20	Stetkar mentioned, we were just here on Tuesday to
21	talk about that. And several of the members who are
22	today got to listen to that discussion on an area of
23	our initial test program and our ITAAC areas.
24	During that meeting on March 4th we
25	presented all sections of Chapter 14 except for
	I Contraction of the second

(202) 234-4433

	11
1	14.3.2, which is the section of Chapter 14 that goes
2	with the seismic information that we just heard about,
3	the open items associated with that. And then we also
4	did not include Section 14.3.9, which is associated
5	with HFE, which is our next topic that would be coming
6	in terms of the DCD chapters to the ACRS Committee.
7	In both cases the relevant Chapter 14
8	tests that are associated with those two technical
9	areas would be presented at the same time that the
10	technical topic came back to the ACRS. So you would
11	expect to see that Chapter 14 discussion included in
12	those presentations.
13	The remaining review areas for Chapter 14
14	are a little more limited than what was in Chapter 3.
15	We only had one open item in our SE and that was tied
16	to a Chapter 7 RAI. There was a follow-up that was
17	submitted and MHI just at the end of February
18	submitted their response to that. We believe that we
19	have adequately addressed it, but of course the staff
20	has not had an opportunity to completely review our
21	response and come to the same determination, but we
22	hope that we have a closure path for that one open
23	item kind of already in the pipeline so that we'll be
24	closing things up.
	There are no additional DATE that are onen

There are no additional RAIs that are open

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	12
1	in Chapter 14 right now. We are making a couple of
2	editorial types of corrections that have been found by
3	the staff in terms of specific English word usage and
4	some of the Tier 1 material that we're moving forward
5	with as we close out confirmatory items in Chapter 14.
6	During our meeting on Tuesday we received
7	approximately 10 questions from the ACRS and we'll be
8	providing a written response to those hopefully within
9	the next couple of weeks, but definitely by the end of
10	March.
11	And this completes my part of the
12	presentation, and I think our entire presentation for
13	that matter.
14	CHAIRMAN STETKAR: That is efficient. As
15	usual, we had a number of questions. I was going
16	through my notes from the Subcommittee meetings. A
17	lot of the questions during the Subcommittee tend to
18	touch on rather detailed information that is probably
19	not necessarily appropriate for discussion, especially
20	because you're planning to provide written responses
21	to most of our questions. MHI has been very, very
22	good in the past about following up on the questions
23	from the Subcommittee.
24	Recognizing that, I'll ask do any of the
25	Committee members, especially Subcommittee members who

(202) 234-4433

(202) 234-4433

	13
1	attended the Subcommittee meetings, have any questions
2	for MHI on these topics, Chapter 3 and Chapter 14,
3	recognizing that the remaining sections of Chapter 3
4	will be the structural design and seismic analyses
5	which tend to be somewhat more meaty topics. Put it
6	that way.
7	(No audible response.)
8	CHAIRMAN STETKAR: If not, thank you very
9	much for the summary and we'll have the staff come up.
10	MR. SPRENGEL: Thank you.
11	MR. BUCKBERG: Good morning. My name is
12	Perry Buckberg. I'm the lead project manager for
13	review of the US APWR Design Certification
14	Application. I'll be presenting the staff's
15	evaluation of Chapters 3 and 14, to follow MHI.
16	The current public schedule reflects the
17	pending slow down of the review of US APWR since we
18	have certain chapters that have been issued with open
19	items, partial Chapter 3, Chapter 18 and a couple
20	other areas, exercising phase discipline, if you will,
21	Phase 2 is TBD along with the rest of the review.
22	We've been working with MHI to coordinate the slow
23	down process and how to reach a logical point for each
24	of the chapters that are still under review regardless
25	of what phase the chapter may be in, but TBD applies
	I

(202) 234-4433

	14
1	because we're not sure when the slow down period will
2	end. Hasn't quite begun yet, but we're not sure when
3	it's going to end. So the schedule will change some
4	time, our estimate two to three years from now.
5	MEMBER SKILLMAN: Perry, let me this
6	question, please.
7	MR. BUCKBERG: Sure.
8	MEMBER SKILLMAN: How does the staff
9	ensure that there's continuity in review? Let's just
10	theorize that the slow down is 24 months, 36 months.
11	The cast of participants change or changes. New eyes
12	and new concerns arrive with new reviewers.
13	MR. BUCKBERG: Yes.
14	MEMBER SKILLMAN: And the work that has
15	been parked for 24 or 36 months now is exposed to new
16	challenge, yet 24 months ago the work was essentially
17	parked. What is in place to ensure continuity so
18	there isn't a redoing of work that has been closed?
19	MR. BUCKBERG: The process is more or less
20	unprecedented. Once the slow down was announced
21	informally in October and then formally in November,
22	we internally started working on that process.
23	Specifically we designed a spreadsheet, an Excel sheet
24	where the current reviewer, the current project
25	manager would document each open area where there is

(202) 234-4433

15 1 possibly an RAI response to be reviewed or an open 2 item that hasn't been resolved to document and put in writing certain aspects of that item and in data and 3 4 in text. 5 That spreadsheet, one for each chapter, will be peer reviewed by their project managers to 6 7 make sure it makes sense to another reader. 8 Everything that's not represented on the spreadsheet 9 should be represented in an updated draft Phase 4 10 chapter. You either have an evaluation in the chapter that's going to sit for a couple years, or you have 11 itemized documentation of what needs to be done. 12 That was the best plan we could come up 13

13 That was the best plan we could come up 14 with. And the easy answer is I'll let you know if it 15 works.

(Laughter.)

17 MR. BUCKBERG: There's going to be some but hopefully each technical branch to re-review, 18 19 whatever extent is possible will own up to what review was done presently. And there may be a couple steps 20 That's just going to be part of the 21 backward. And one of the main reasons is each of the 22 process. new reviewers, which it could be several, it could be 23 24 a complete new branch, will have to sit up in this chair and present their evaluation. They're going to 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

16

	16
1	have to take ownership of what was done before them or
2	redo the work before they sit up here. It's very
3	stressful up here sometimes.
4	So that's the process of how we've planned
5	it. And we think it makes sense and it ought to work.
6	But anytime there's a delay of a couple months, or
7	even if a reviewer himself has been out of the office,
8	him or herself, for some period of time, there's a
9	readjustment period. And two or three years from now
10	there's going to be a couple steps backward before we
11	start moving ahead again.
12	MR. LEE: Let me add to Perry's comments
13	here, if I may. This is Sam Lee, the branch chief for
14	Licensing Branch 2 that's overseeing this particular
15	design and also APR-1400.
16	What we are envisioning is is that not
17	knowing how long the slow down period will last,
18	although Ryan has indicated that Chapter 18 will be
19	covered initially during the slow down period and then
20	there will be kind of a trickle-down approach and it
21	will be a very smaller fraction of the staff
22	resources dedicated to continuing the review during
23	the slow down period.
24	Having said that though, that's hard to
25	justify a staff of a good size of large a number of
	I contraction of the second seco

(202) 234-4433

1 PMs dedicated to this project during the slow down So what we're envisioning is is that we're 2 period. going to try to package the chapters and the sections 3 4 in such a way that if they're not addressed during the 5 slow down period, whether it be two, three years down the road, that the records will indicate, you know, 6 7 where the reviews have been, what has been done and 8 what needs to be done and what are the next steps to 9 So we're making sure that those road maps be taken? 10 are clearly identified and recorded at this juncture. We're also envisioning that there may be 11 a new project manager and perhaps even a new technical 12 reviewer down the road. And so we're making those 13 14 assumptions in planning for how the work can be picked 15 back up in a couple of years. So we're giving our 16 best shot to make sure that we're leaving a good 17 record for whoever comes along next to pick up the work. 18 Thank you. 19 MEMBER SKILLMAN: MR. SPRENGEL: This is Ryan Sprengel with 20 MNES. We do need to clarify that there is no committed time period and we'll adjust our efforts and kind of ramp back up depending on other conditions

21 22 23 24 outside of our control right now. So the two to three-year time period is nothing that we're actually 25

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	18
1	specifically targeting.
2	MR. BUCKBERG: Any more questions on the
3	slow down?
4	MEMBER BLEY: Let me ask one more question
5	about the slow down. I don't know any details of it,
6	but tell me if I'm correct in assuming that any
7	responses to RAIs that are submitted before we really
8	stop this for awhile, you will complete your reviews
9	on those before finishing the flow charts and all of
10	that of where you stand, right?
11	MR. LEE: So when MHI informed us of their
12	plan back in November the staff has been trying to
13	package up, you know, close the issues, you know,
14	whether it's in Phase 1 or Phase 4. We saw a good
15	ending point by March 31 was to have an SE with
16	updated information and then so forth.
17	So, but as you might imagine, for every
18	chapter, and perhaps sections, too, we're all in
19	different places, right? And so it's important. For
20	example, where is that particular RAI, you know? You
21	know, if the RAI responses have been submitted, has
22	the staff had the opportunity to review it? And not
23	only have they reviewed it, but have they documented
24	the review?
25	And so we're trying to get to a place

(202) 234-4433

	19
1	where documentation is the end. And so this road map
2	that I spoke of specifically addresses each RAI, each
3	confirmatory item so that when the review is picked
4	back up, whenever, is that we have a clear sense of
5	where that RAI was, where that confirmatory RAI
6	what was in that SE?
7	MEMBER BLEY: Just to help me a little bit
8	on this, it sounds as if March 31 after that date
9	you have no more money for the review. So there might
10	be some things that are
11	MR. LEE: Yes.
12	MEMBER BLEY: some responses that are
13	partially completed but not all the documentation.
14	That would leave us in a tough spot, I would think.
15	MR. LEE: Well, so the goal here is is for
16	every chapter and every section we there is a plan
17	that MHI has been following. And we've been talking
18	with MHI on a weekly basis on where are we
19	specifically on each chapter. And so we're going to
20	try to practice redundancy and diversity ourselves in
21	such that we have records within the SE and the road
22	map and the records that we keep by the technical
23	reviewers and the PMs to make sure that where we are,
24	where we leave this is exactly, you know that all
25	parties agreed to that.
	1

(202) 234-4433

	20
1	MEMBER BLEY: Okay.
2	MR. LEE: And that has not been easy.
3	That's been a challenge. And we're in close dialog
4	with MHI to do that.
5	Now, I just want to say that nothing is
6	being shut down as far as I understand. It's being
7	called slow down because there are some resources
8	dedicated to this review. And as Ryan said, Chapter
9	18 is kind of next on line after, you know, April 1.
10	So projects will have some resources dedicated to
11	continuing the efforts, but obviously not at the level
12	that we are currently doing.
13	MEMBER BLEY: Thank you.
14	MR. SPRENGEL: I'll take a moment to
15	expand a little bit, maybe add some level of comfort
16	hopefully.
17	The chapter status reports I mentioned
18	that we'll be submitting at the end of March are doing
19	many of the same things that Sam spoke of, but it's
20	from the applicant's perspective and it will be sent
21	in and available on the public record. So it does
22	give a good snapshot of where everything stands in the
23	review of the individual chapters at this time.
24	And we'll also treat those as living
25	documents that we will update. So Chapter 18 is one

(202) 234-4433

1 of our first starting points. And as we've progressed with Chapter 18, staff finalized the SER. 2 We come to 3 ACRS. We would update that document to show where we 4 stand at that time. So we are trying to keep a good 5 communication and keep a good public record of where we stand in the review and what is happening over 6 7 time. Like Sam mentioned, you know, we are slowing 8 down, but we're remaining committed. And instead of 9 focusing on all 19 chapters at a time, we're trying to 10 just work on one main area at a time. If I might, in the case of 11 MR. BUCKBERG: example of the one 12 RAI response, if RAI the an we would have come 13 response was issued, to an 14 agreement with MHI that in most cases the staff would 15 review the RAI and at least give a preliminary 16 acceptance of non-acceptance. In many cases we would 17 have also discussed SE input being drafted to really close it out because we found in the past that unless 18 19 SE input is drafted, even what looked acceptable may turn out to not be. But we didn't arrive to that 20 point for every RAI, for every question. But we tried 21 We tried to get to a logical point, and that's 22 to. the process we're in right now through the end of the 23 24 month. And we have a plan, MHI has a plan, and we're hopeful that it's efficient. That's about the best we 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	22
1	can do, I think.
2	CHAIRMAN STETKAR: That's important. You
3	know, I've obviously been following this for I said
4	earlier Sam's been here 18 years. It seems like I've
5	been following this for about 36 years.
6	(Laughter.)
7	CHAIRMAN STETKAR: But, you know, there
8	are RAI snapshots, and some are very focused on, you
9	know, one specific topic. Some of them are part of a
10	chain of evolving questions. And those, I think, are
11	a bit different. I hope the staff and MHI have been
12	sensitive to those issues where there are initial RAIs
13	issued and perhaps two or three subsequent iterations
14	of RAIs to successively refine an understanding of a
15	particular topic. Those are the ones where the
16	continuity, especially the knowledge base of the
17	current review staff, is probably more important than
18	just a specific RAI on, you know, an isolated, if you
19	will, topic.
20	MR. BUCKBERG: Right. And there are RAIs
21	as you described that affect several chapters.
22	CHAIRMAN STETKAR: Right.
23	MR. BUCKBERG: And there's one reviewer
24	that may be central in monitoring the whole thing like
25	the head coach. There's not much we can do but
	1

(202) 234-4433

	23
1	document what the process was, what the status was and
2	move on.
3	CHAIRMAN STETKAR: Okay.
4	MR. SPRENGEL: We do actually have a very
5	good understanding and very good tracking of the kind
6	of sequential RAI question. So that issue is
7	important, and we've recognized that. And working
8	with the staff over really a couple years now, we've
9	kind of looked at the entire history of our RAIs and
10	we've linked the series of questions so that we do
11	understand the connection between them and that we're
12	really at this point focused only on those most recent
13	ones or any of them that are open for whatever reason.
14	So those linkages are very well aware of and
15	documented. So we're in good alignment with the staff
16	and we're following those.
17	CHAIRMAN STETKAR: Okay. Thank you.
18	MR. LEE: May I just add one thing just to
19	clarify here, because I don't want to create an
20	expectation that I didn't mean to create here. What
21	I said was that we were working toward making sure
22	that we document as much as we can and the end goal
23	being, you know, delivering a phase product via SER.
24	I also just want to say that, you know, that because
25	the chapters and sections are at various places in the
1	

(202) 234-4433

review phase, there are RAIs that we have yet to
review, RAI responses that we have yet to review. And
so for those, you know, we're making sure that those
are the next steps to be tackled, you know, when the
full review is resumed.

I also want to say that, yes, the slow 6 7 down that we're speaking of officially starts after March, but we've kind of been in an initial slow down 8 9 period for the last three months. So with that, you know, there have been some reduced effort on the 10 staff's part to work on this. So just to make sure 11 that not all chapters have ended with an SER, with 12 reviews of all the RAIs. They're in different places. 13

14 MEMBER BLEY: Not to beat a dead horse, 15 but to say things that are so obvious. You know, you are taking care of them. But one thing I do want to 16 just -- I know in this process of RAIs and the reviews 17 of them there's a lot of verbal discussions and things 18 19 that are worked out. And I hope you're somehow trying 20 to get that documented so that whoever takes this over sometime has the best understanding they can of where 21 things really stood, because I know it's tough to do. 22 23 MR. BUCKBERG: It's going to be tough. 24 And one thing that hasn't been mentioned yet is we

planned a public meeting on the 20th of March with MHI

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

(202) 234-4433

	25
1	to compare notes chapter-by-chapter, line-by-line.
2	And that will add some documentation to our side for
3	sure; possibly to MHI, and some of those notes that
4	need to be recorded will be. And that's part of the
5	process. That's an important part of it.
6	MR. SPRENGEL: But it's a good question.
7	And one of the key parts will be the upcoming meeting.
8	And actually over the last couple months we've
9	identified several areas and worked with the staff on
10	items that were kind of floating, maybe concerns,
11	maybe not and actually working with the staff we did
12	get them documented as RAIs issued out to us. Now how
13	that's resolved and how we respond to it, that's
14	something that we'll deal with over time.
15	The other part is the chapter status
16	reports that we're developing there is a section that
17	looks into the future. And if it's kind of a key area
18	that we know we still have some interactions and still
19	have some, I don't know, maybe development of a
20	response to go, we're giving an indication in that
21	section of where we intend to go for that area. So
22	again, it's meant to communicate with the staff and
23	it's also documenting on a public record where we
24	stand from the applicant perspective.

MR. BUCKBERG: Next slide? Reflected in

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

	26
1	this slide are the chapters that have been issued and
2	by the close of this meeting will have been through
3	the ACRS Full Committee as well, which as MHI
4	represented is the vast majority of the chapters,
5	though there are some difficult areas yet to make it
6	through Phase 2 even.
7	During the November Subcommittee meeting
8	for Chapter 3, 20 open items were presented by the
9	staff. The current status of those 20 open items is
10	reflected in these three slides for Chapter 3. If
11	there are any specific questions, I hope we can answer
12	or take for action on these.
13	CHAIRMAN STETKAR: Perry, you noted
14	never mind.
15	MR. BUCKBERG: Chapter 14 was presented on
16	Tuesday to the Subcommittee. One open item was
17	discussed. And no surprise, the status hasn't changed
18	since Tuesday, so it's just reflected on this slide as
19	well.
20	One ACRS question regarding steam
21	generator internals and vibration testing we had sort
22	of an interim answer that the staff is still
23	considering where to go with that and how it affects
24	Chapter 14 verification programs.
25	CHAIRMAN STETKAR: Yes, just for clarity
l	1

(202) 234-4433

for the other members, there was some discussion during the Chapter 14 Subcommittee meeting. And I noticed -- the reason I said never mind was I looked ahead to this slide. But there's a previous -- one of the RAIs on -- I think slide 6 mentioned -- no, it wasn't slide 6. One of the long list there someplace that I can't find quickly mentioned continuing review of the steam generators.

9 understanding from the Ιt was my 10 Subcommittee meeting regarding the steam generators -we had some questions about vibration testing of the 11 steam generators during the start-up program and its 12 resolution in the context of Chapter 14. 13 And I 14 thought that I understood from staff -- is that you've 15 not yet completed -- I want to make sure that I 16 understand it and the other members who were not 17 present the Subcommittee meeting have an at opportunity to gain the same understanding. 18 You've 19 not yet completed your review of the steam generators, is that correct? 20 That's our understanding. 21 MR. BUCKBERG: 22 CHAIRMAN STETKAR: And when you complete that review, you may revisit possible start-up testing 23

24 requirements for the steam generators. Is that an

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

25 accurate understanding?

27

1

2

3

4

5

6

7

	28
1	MR. BUCKBERG: That's an accurate
2	understanding.
3	CHAIRMAN STETKAR: Okay. Thank you.
4	MR. BUCKBERG: We're good?
5	CHAIRMAN STETKAR: (No audible response.)
6	MR. BUCKBERG: The RAI at the top of slide
7	5 is the one I believe you're referring to.
8	CHAIRMAN STETKAR: Yes.
9	MR. BUCKBERG: Just for the sake or
10	argument.
11	That being said, that's the last for
12	Chapter 14 and the end of my presentation. Any
13	questions?
14	CHAIRMAN STETKAR: Do any members have any
15	questions for the staff?
16	(No audible response.)
17	CHAIRMAN STETKAR: No? Thank you very
18	much. And thanks a lot for the summary on the slow
19	down information. That was helpful.
20	MR. BUCKBERG: Well, we appreciate the
21	questions. We field lots of questions. We have a
22	branch chief meeting today where we present and we
23	take a lot of notes. And there are a lot of opinions
24	and a lot of good suggestions on how to move forward
25	with this. So we're trying to take it all in.
	I Contraction of the second

(202) 234-4433

	29
1	CHAIRMAN STETKAR: With that, we'll have
2	Luminant come up. They have a little bit more
3	material to cover than MHI and the staff.
4	John, you up first? Don?
5	MR. WOODLAN: I'm up first.
6	CHAIRMAN STETKAR: Okay.
7	MR. WOODLAN: Good morning. My name is
8	Don Woodlan. I'm the manager of Nuclear Regulatory
9	Affairs for Luminant and for the Comanche Peak, Units
10	3 and 4 projects. I want to thank you for letting us
11	present today, squeezing us into your schedule,
12	especially for Chapter 14.
13	With me today are John Conly and Bob
14	Reible. They're both from Luminant as well.
15	First slide. The agenda of what we intend
16	to cover today. Briefly an introduction of the
17	various topics. And the chapters we're looking at are
18	Chapter 3, less the seismic and structural sections;
19	Chapter 9; and then Chapter 14. And as mentioned in
20	the DCD presentation, that does not include the human
21	factors or the seismic structural aspects of Chapter
22	14. Those will be covered when those sections are
23	covered.
24	And some general topic information which
25	we presented in most of our briefings hasn't changed

(202) 234-4433

	30
1	much at all. The entire COLA uses the IBR, or
2	incorporated by reference, methodology. In the
3	chapters we're covering today, 3, 9 and 14, we take no
4	departures
5	(Laughter.)
6	MR. WOODLAN: from the US APWR DCD. In
7	fact, we take not departures at all in the entire COLA
8	at this point in time.
9	MEMBER SKILLMAN: SKILLMAN: Don, as you
10	proceed do you anticipate taking departures based on
11	the final 3.7 and 3.8 for the DCD?
12	MR. WOODLAN: No, but I will say that we
13	have a list of potential departures that we would
14	consider after we got the license mostly for economic
15	reasons that there may be alternate ways of doing some
16	things that we may consider doing. But it's just a
17	list that we've maintained just in case and that we
18	want to evaluate at that point in time.
19	MEMBER SKILLMAN: So there are potential
20	departures
21	MR. WOODLAN: Yes.
22	MEMBER SKILLMAN: awaiting the DCD and
23	the final deposition of this application?
24	MR. WOODLAN: Yes.
25	MEMBER SKILLMAN: And that will be based
	1

(202) 234-4433

	31
1	on economics at the time?
2	MR. WOODLAN: I believe so.
3	Do either you recall exactly?
4	I think that's what they are.
5	MEMBER SKILLMAN: Okay. And those will be
6	based on Tier 1 information and Tier 2* information,
7	is that correct? If it's not that, it's supplement,
8	so it's Tier 1 or Tier 2*.
9	MR. WOODLAN: Yes, it could be either Tier
10	1 or Tier 2*
11	MEMBER SKILLMAN: Okay. Thank you.
12	MR. WOODLAN: We have no contentions
13	pending before the ASLB. I will mention that we are
14	one of the plants that was mentioned in the Waste
15	Confidence Rule activities that are ongoing. And so
16	we are part of that evaluation that the staff is
17	completing. I believe they intend to complete that
18	later this year.
19	All confirmatory items that have been
20	provided to us have been incorporated into the FSAR.
21	And I say FSAR Rev 4. And I believe that's true for
22	these chapters. There are a couple confirmatory items
23	that will be in Rev 5 when it gets issued.
24	Luminant has responded to all the open
25	items in these chapters and all outstanding issues

(202) 234-4433

	32
1	have been identified in the SERs that have been
2	provided.
3	Okay. With that, we'll move into kind of
4	a summary of the ACRS Subcommittee discussions and
5	we'll each take turns covering a chapter. I'm going
6	to turn Chapter 3 over to John Conly.
7	MR. CONLY: Thank you, Don. My name is
8	John Conly. I'm the COLA project manager for
9	Luminant's Comanche Peak Units 3 and 4.
10	In November of last year we presented
11	Chapter 3. And at that time we discussed with the
12	ACRS Subcommittee a couple of items in detail. One is
13	the military air crash probability, the assumptions
14	and numbers therefore. And the second item was the
15	turbine missile probability calculation, again numbers
16	and assumptions made during that calculation. Those
17	were the major items discussed.
18	Are there any further questions?
19	CHAIRMAN STETKAR: My recollection, again
20	for the members who were not present at the
21	Subcommittee meetings, the issues that we raised that
22	are noted here, the military aircraft crash
23	probability, there is a military air traffic corridor
24	within you'll have to correct me of the exact
25	distance of the center line of the site, but it's

(202) 234-4433

within close enough that they need to actually quantify a crash frequency. And we had some questions about the military aircraft crash frequency data that they're using, because military aircraft have different crash frequencies than commercial aircraft. So that's that item.

7 Turbine missile probability calculation was more in terms of the completeness of the analysis 8 9 looking at all of the -- not just the turbine stop 10 valves and control valves and their associated hydraulics, but all the way out through the signal 11 processing to get the trip signals into the solenoids 12 that open the hydraulic fluid valves and things like 13 14 that. I think there's a clear understanding. We 15 haven't received any feedback yet on either of those Seem to be well under control. I don't know 16 items. 17 where you're going to get the military aircraft crash frequency data, but that's a different issue. 18 19 (Laughter.) MR. CONLY: If there are no further 20

questions, I will ask Bob Reible to pick up Chapter 9. MR. WOODLAN: No, I'm doing that. MR. CONLY: I'm sorry, Don Woodlan. MR. WOODLAN: Yes, this is Don Woodlan again. Chapter 9, we have several topics that we've

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

1 listed here that were discussed during the 2 Subcommittee meeting. One was the use of wet bulb 3 temperature and especially using that in calculating 4 evaporative losses, whether or not the value we were 5 using was in fact a conservative representation of the We talked about the duct heaters in the HVAC 6 site. And that came up because the duct heater 7 system. 8 values, and actually in the presence of duct heaters 9 was different in the four trains. And it wasn't 10 obvious why they were different, so we discussed the differences. 11

We discussed the sharing or the fire brigade between Units 3 and 4 and how well that was going to work. We discussed the term of incident commander. And that also goes along with fire brigade leader and exactly what that term meant as we were applying it in the FSARs.

And the final topic was on flooding in the 18 19 emergency service water pipe tunnel and whether or not that flooding had the opportunity to flow back into 20 safety-related 21 other areas that had equipment. Unfortunately we had some incorrect information in the 22 FSAR that looked like the tunnel was vented into one 23 24 of the safety-related areas and therefore flooding In fact, that is not a 25 would have been a concern.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	35
1	vent path.
2	CHAIRMAN STETKAR: It is not open?
3	MR. WOODLAN: No, it's not open. That was
4	incorrect in the FSAR. We're increasing that.
5	CHAIRMAN STETKAR: So it's sealed?
6	MR. WOODLAN: It sealed. So there will
7	not be flooding into that area from the pipe tunnel.
8	And those were the issues
9	CHAIRMAN STETKAR: The reason we discussed
10	that last item, and I'm glad I don't think we had
11	feedback that it was sealed, did we? My notes were
12	still open on that.
13	MR. WOODLAN: I don't know. We always
14	depend on your comments to the staff and then the
15	staff asks us and
16	CHAIRMAN STETKAR: Okay. Well, we're
17	closing the loop today, so
18	(Laughter.)
19	MR. WOODLAN: Okay. All right. Good.
20	CHAIRMAN STETKAR: But those are flood
21	protection sealed piping penetrations
22	MR. WOODLAN: Yes.
23	CHAIRMAN STETKAR: into the reactor
24	building?
25	MR. WOODLAN: Yes.
	1 I I I I I I I I I I I I I I I I I I I
	36
----	--
1	CHAIRMAN STETKAR: The reason this came
2	up, for the other Committee members' benefit, is that
3	the internal flooding analyses, if you want to call
4	them that, for the certified design which includes all
5	of the safety-related equipment areas in the I
6	always get the names wrong, the reactor building and
7	the power supply building are documented in the design
8	certification document. So anything that has to do
9	with internal flooding sources; pipes, pumps, valves,
10	that kind of thing, within the scope of the certified
11	design is handled in the DCD.
12	Luminant is responsible for the ultimate
13	heat sink and the piping connections between the
14	design of the piping connections from the ultimate
15	heat sink, which in their case are mechanical draft
16	cooling towers, into the normal plant and any
17	associated flooding analyses with their site-specific
18	scope of the design. And there's an interface where
19	the pipes from the service water system enter the
20	reactor building.
21	And there was some question, at least when
22	we had our review, about whether or not those pipe
23	tunnels were physically open to the reactor building
24	such that a break in the piping tunnel could spill
25	water into the reactor building, which was not

(202) 234-4433

37 considered in the internal flooding analyses because 1 it was from a source outside of their scope. 2 And in 3 principle, if they were open should have been 4 considered in the flooding analyses done by Luminant, 5 but it wasn't addressed there. So that's the whole reason for that last 6 And I'm glad to hear that those are 7 bullet there. 8 closed. 9 MR. WOODLAN: And the reason for the confusion is when we were addressing freezing in the 10 tunnel, we had mentioned that this was a vent path 11 that would help assure no freezing. And that was 12 incorrect. 13 14 CHAIRMAN STETKAR: That was incorrect? 15 MR. WOODLAN: Yes. That's the 16 CHAIRMAN STETKAR: Okay. 17 problem? Okay. MEMBER SKILLMAN: So now it can freeze but 18 it can't flood? 19 (Laughter.) 20 MR. WOODLAN: Well, it could flood. The 21 flood just won't flow into the other room. 22 23 MEMBER SKILLMAN: Yes. MR. WOODLAN: And it does not freeze. 24 (Laughter.) 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	38
1	MEMBER SKILLMAN: Thank you.
2	MR. WOODLAN: You're welcome.
3	CHAIRMAN STETKAR: It is open to the ESW
4	pump rooms, or are they sealed down there also?
5	MR. WOODLAN: I believe they're sealed at
6	both ends.
7	CHAIRMAN STETKAR: Okay. Thank you.
8	MR. WOODLAN: All right. And we'll go to
9	Chapter 14. And you'll notice there are no bullets
10	here, but there are bullets on the handout that we
11	gave you, because it just happened Tuesday. And I'm
12	going to turn it over to Bob Reible to cover Chapter
13	14.
14	MR. REIBLE: My name is Bob Reible. I'm
15	a project on the Luminant team and I'll address the
16	discussion topics for Chapter 14. The discussion
17	topics were also addressed with DCD and there were no
18	follow-ups for the COLA with regard to these topics.
19	One of them was on design air flows. And
20	the second one was the PRA success criteria versus the
21	testing requirements for the ultimate heat sink. That
22	concludes
23	MR. WOODLAN: Both of which will work with
24	MHI and the DCD in preparing responses.
25	CHAIRMAN STETKAR: Yes, again, for the
	I

(202) 234-4433

1 benefit of the other members who weren't here, the design airflow is -- part of the testing acceptance 2 3 criteria measures air flow from ventilation systems, 4 not necessarily the ability of the ventilation systems 5 maintain temperature in a room. So we had to 6 questions about whether the functional acceptance 7 criteria for those tests should also be measuring the 8 ability of the ventilation system to maintain design 9 temperatures rather than just measuring the flow 10 through the fans. And as Luminant mentioned, that applies both for tests that were specified within the 11 scope of the certified design and for the essential 12 service water building ventilation system which is 13 14 part of Luminant's design responsibility. 15 The PRA success criteria, also a common topic that's shared between the design certification

16 17 and the COLA because most of the -- or many, let's say, of the testing programs confirm the operation of 18 19 systems to support the licensing basis of the plant, which -- and the licensing basis of the plant is the 20 plant is nominally four 50-percent-capacity trains. 21 So in many cases the tests confirm the fact that any 22 two of the trains can support a safety function. 23 24 However, in the PRA there are many cases 25 where the PRA has done analyses to support the notion

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 that any one of the trains can support the PRA success So we had questions about whether or not 2 criteria. 3 the testing program would indeed confirm the PRA success criteria. In other words, that one and only 4 5 one train operating would indeed support the success criteria as evaluated in the PRA. 6 The PRA success 7 criteria may be different than the licensing basis 8 because the PRA best estimate heat loads and the 9 timing at which the heat loads would be applied to the 10 various systems. So that's the genesis of the second bullet 11 that we can't see on the screen up there, but that we 12 all have in our handout here. And as I said, that 13 14 also requires coordination between Luminant and the 15 DCD because the shared nature of some of their responsibilities. 16 17 MR. WOODLAN: I was going to sneak in here and type it in, but you went too fast. 18 19 CHAIRMAN STETKAR: There you qo. (Laughter.) 20 With that, do any of 21 CHAIRMAN STETKAR: the members have questions for Luminant? If not --22 MR. WOODLAN: Well, let me just make some 23 You discussed earlier about the slow down on 24 closing. the DCD. Just to refresh everyone's memory, when MHI 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

announced the slow down on the DCD, Luminant evaluated our status and we can't move any faster than the DCD moves. So Luminant was to actually suspend review. So as of March 31st we're suspending all reviews of the COLA to be restarted whenever. Again, we don't have a schedule either. We're very dependent on the progress that MHI makes on the DCD.

8 But we have worked very well. The staff 9 has been extremely cooperative with us. We've qone 10 thoroughly through what's still open on the COLA docket to get them to, as Perry said, a good closing 11 point to get all the SERs updated as much as possible. 12 We only have a handful, maybe five or six questions 13 14 that we have now responded to and three of those were just issued last week. And the others are questions 15 16 that we can't respond to because we're dependent on 17 the DCD to give us information before we can respond.

And of questions under evaluation and 18 19 review, again there's only a handful, I don't know, maybe five or six that are -- maybe more than that, 20 maybe a dozen that are in the evaluation category that 21 And most of those again are 22 the NRC is reviewing. dependent on the DCD activity. 23 Chapter 19, for 24 example, they're focused on the DCD first. We always 25 come second. So that's the reason they're pending.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

	42
1	It's not because there's any open issues.
2	Everything that could be responded to we
3	have responded to. Almost all the confirmatory items
4	have been closed out. There's only a couple that
5	haven't. And Perry said, the SEs are being updated as
6	they do that so that when we end this on March 31st
7	they'll be as clean as possible going out.
8	And with that I'd like to thank the ACRS
9	members, especially John and the Subcommittee and
10	everybody that participated in the Subcommittees for
11	the many briefings that we've had over the last
12	several years. Because of the suspension Luminant
13	probably won't be back here in front of the Committee
14	for a good period of time. And this is probably my
15	last time I'll be, unless something very unusual
16	happens.
17	I'm very much a firm believer in the
18	process, both the NRC reviews and the ACRS
19	involvement. I believe ACRS makes a good contribution
20	to that process and I believe the questions and the
21	comments and the feedback that we've gotten over the
22	years has been beneficial and has helped us to do a
23	better job and produce a better project. And then
24	that's all I have. Thanks, John.

CHAIRMAN STETKAR: Don, thanks a lot. We

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1 appreciate your comments. And it's going to be sad if we don't have any interactions at least with the team 2 3 in front of us in the future, because it's been very 4 useful. Luminant has taken a real interest. They're 5 knowledge people, good response and be sad if this is the last time we see you, at least with all the faces 6 7 on both sides of the table. So thanks again for all 8 of your interactions and responsiveness to our 9 questions and things like that. It's been a good 10 process. MR. WOODLAN: You're welcome. 11 CHAIRMAN STETKAR: And with that, we'll 12 have the staff come up for Comanche Peak. 13 Hello again. My name is 14 MR. BUCKBERG: 15 Perry Buckberg. I'm the lead project manager for the staff's evaluation of the Comanche Peak combined 16 17 license application. I'll be presenting the staff review of Chapters 3, 9 and 14. 18 As Don introduced, the Luminant will be 19 And this is what that looks like in black 20 suspended. Much like the MHI schedule, everything 21 and white. from Phase 2 on is TBD and will remain that way until 22 the review is restarted at some period. 23 24 The review of COLA chapters has followed review of the design certification 25 closely the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	44
1	chapters. So this slide looks much like the slide
2	that I presented previously where most chapters as of
3	the close of this meeting will have been through the
4	ACRS Full Committee. And there are some interesting
5	areas left, but a lot of progress has been made.
6	Chapter 3 was issued in October of 2013
7	and presented in November to the Subcommittee. The
8	current status of the three open items discussed are
9	reflected on this slide. And there's been some
10	progress, but still open items at this point.
11	MR. GALVIN: Perry, if I could just
12	mention, the staff this is Dennis Galvin. I'm the
13	Chapter 3 project manager. Sections 3.7 and 3.8 of
14	course were not presented, but also 3.41 was not
15	presented here to ACRS because there was a link to the
16	hydrology review which had not been completed. So
17	you'll be seeing that at a
18	CHAIRMAN STETKAR: That's right.
19	MR. GALVIN: future date.
20	CHAIRMAN STETKAR: Because we haven't
21	reviewed those sections of Chapter 2 of the COLA,
22	right?
23	MR. GALVIN: Yes. I think those are still
24	being reviewed, yes.
25	CHAIRMAN STETKAR: Right, right, right,
1	I contract of the second se

(202) 234-4433

	45
1	right.
2	MR. BUCKBERG: Thanks, Dennis. Any
3	questions on the status of the open items?
4	(No audible response.)
5	MR. BUCKBERG: Chapter 9 was issued in
6	July of 2013 and also presented in November. One open
7	item was discussed during the presentation and its
8	status is changed to a confirmatory item where an
9	acceptable response has been provided and the staff is
10	awaiting the next update of the FSAR to verify the
11	change. Any questions?
12	(No audible response.)
13	MR. BUCKBERG: Moving on to the last
14	chapter. Fourteen was just issued a couple weeks ago.
15	And again we appreciated the opportunity to present so
16	soon after. There were no open items presented on
17	Tuesday and the staff did field one question regarding
18	license conditions being somewhat redundant with other
19	requirements and regulations. And all the staff
20	needed to discuss and come to an answer for that
21	aren't present this week, but we're looking into it.
22	It looks like it was a decision that was made a couple
23	of years ago. And it's being revisited and there's a
24	possibility of some change. We want to do what's
25	logical and if we can't find justification for it now,

(202) 234-4433

	46
1	it's a good opportunity to change it. So no promises,
2	but that's going to be revisited and discussed
3	internally.
4	Any questions on Chapter 14?
5	CHAIRMAN STETKAR: Any members have any
6	questions?
7	(No audible response.)
8	CHAIRMAN STETKAR: If not, thank you.
9	This was very efficient, but as all the participants
10	mentioned, there are a number of not many really
11	difficult open items, let's say, at least from our
12	perspective, and that's a little bit why we have this
13	efficiency meeting.
14	Before I go back to the Full Committee,
15	let me ask if there are any members of the public or
16	any people in the room who would have any comments.
17	(No audible response.)
18	CHAIRMAN STETKAR: And I don't know if we
19	have anybody on the bridge line. Girija, can we get
20	the bridge we do not?
21	(No audible response.)
22	CHAIRMAN STETKAR: Okay. I'm informed
23	that we do not have any participants on the bridge
24	line.
25	And with that, thanks very much to MHI and
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	47
1	Luminant and the staff; appreciate your participation,
2	and again, very much for the cooperation earlier this
3	week with the Subcommittee. It was a difficult
4	process, but we actually got it all done in terms of
5	logistics of the meeting. And again, I'd like to
6	thank everyone for their cooperation earlier this
7	week.
8	And with that, we will resume the Full
9	Committee meeting.
10	Now, for planning purposes we are about an
11	hour ahead of schedule. What I would like to do is
12	let me ask the members. Would we prefer to take a
13	break now, or do we want to just go into the next item
14	that I'm going to propose?
15	MEMBER CORRADINI: What is the next item?
16	It all depends.
17	CHAIRMAN STETKAR: What I'm going to
18	propose is we have an initial read-through of our
19	letters for both US APWR and Comanche Peak, only
20	because we have the time to do that. The letters are
21	relatively short and it's kind of fresh in our minds.
22	So I think we
23	MEMBER POWERS: And they seem to be bold-
24	faced lies.
25	CHAIRMAN STETKAR: And they could be bold-

(202) 234-4433

	48
1	faced lies.
2	MEMBER POWERS: Yes, because it says we're
3	going to review these chapters during our meetings and
4	we haven't really reviewed these chapters.
5	CHAIRMAN STETKAR: We've reviewed these
6	chapters. We just did that.
7	MEMBER POWERS: No, we conducted a wake.
8	(Laughter.)
9	CHAIRMAN STETKAR: Anyway
10	MEMBER CORRADINI: I hope that's not on
11	the record.
12	CHAIRMAN STETKAR: It is on the record.
13	What I'd propose, given the time; it's probably too
14	early for a break, if we can just read through these
15	letters, get an initial read-through. I may need
16	some feedback on the you'll see on the Comanche
17	Peak letter based on information that we just received
18	during this meeting.
19	MEMBER CORRADINI: We're at your disposal,
20	Mr. Chairman.
21	CHAIRMAN STETKAR: So let's try to do
22	that. And we do that in open session, so you know
23	anyone
24	MEMBER CORRADINI: Everybody can sit here
25	and watch us.

	49
1	CHAIRMAN STETKAR: is welcome to
2	participate.
3	Now, should we keep this on the record?
4	We don't normally do that.
5	MEMBER CORRADINI: No.
6	CHAIRMAN STETKAR: So let's close the
7	transcript record. It is still an open meeting. We
8	don't normally deliberate on the transcript record.
9	We'll reopen the transcript when we go back in Full
10	Committee session for the next presentation.
11	(Whereupon, at 9:34 a.m. off the record
12	until 10:44 a.m.)
13	CHAIRMAN STETKAR: We are back in session.
14	The next topic that we'll hear about is Diablo Canyon
15	Units 1 and 2 digital replacement project, and Mr.
16	Charles Brown will lead us through that discussion.
17	Charlie, it's yours.
18	MEMBER BROWN: Okay. This is a briefing.
19	Obviously, I'm going to use the title here. Diablo
20	Canyon process protection system is being replaced
21	from its current Eagle System with a new digital
22	protection system, and it's for the reactor trip and
23	safeguards.
24	We had a subcommittee meeting on this on,
25	I believe it was February the 18th. We had a very

(202) 234-4433

1 thorough and comprehensive subcommittee meeting where 2 all the aspects of this particular replacement were 3 covered pretty comprehensively and with a lot of 4 detail. And we've taken a little bit of that detail 5 out but not all of it. Hopefully, we've got the key pieces here. The staff did an excellent job of giving 6 7 us the presentation, and I'm sure they'll do the same 8 today. They have 9 So we've got about two hours. 10 to take less than that because there will be some questions. You've got 40-something slides, so just be 11 aware, as you're going through, get the sense, and 12 when it's ready to move on, move on, okay? And other 13 14 than that, I'll turn it over to John, if you have any 15 comments, to make to light off. 16 MEMBER POWERS: The easiest thing is just 17 ignore questions from Charlie. That's hard to do. He makes MR. THORP: 18 19 himself known. So that's fine, that's fine. We won't ignore those questions. I'm John Thorp, Chief of the 20 Instrumentation and Controls Branch in the Division of 21 Office of Nuclear 22 Engineering in the Reactor Our staff was requested to provide an 23 Regulation. 24 informational briefing to the ACRS on several topics related to the digital Canyon process protection 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

system upgrade license amendment request that Charlie has described to you.

3 So I just wanted to start off with a few 4 introductory remarks, and then we'll move on into the 5 briefing. I'm just going to briefly describe the regulatory history of the Tricon and ALS platforms, 6 7 i.e. the Tricon and ALS topical reports. You'll get more detail a little bit later in the presentation. 8 9 And the Diablo Canyon license amendment request, Rich 10 Stattel and Rossnyev Alvarado are principal technical reviewers for this evaluation, but you also see Steve 11 Wyman up here, up front with me, and he's going to 12 speak to the Tricon platform topical report. 13 Samir 14 Darbali, who I believe was here this morning, is also 15 one of my staff members. He's assigned as a reviewer for this evaluation. 16

17 So I think we have some members from 18 Pacific Gas and Electric, the utility, that are here. 19 And I'll allow them to introduce themselves, if they 20 would like.

21 MR. SCHRADER: I'm Ken Schrader. I'm 22 responsible for obtaining the license amendment for 23 this application, and I work at Pacific Gas and 24 Electric, Diablo Canyon Nuclear Plant.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

MR. PATTERSON: Scott Patterson. I work

(202) 234-4433

25

1

2

	52
1	at Pacific Gas and Electric. I'm the project lead for
2	this project.
3	MR. WILSON: Allen Wilson. I work for
4	Pacific Gas and Electric. I'm the project manager for
5	this project.
6	MR. HEFLER: John Hefler. I'm with
7	Altran, and I've been supporting the PG&E project for
8	some years now.
9	MR. THORP: Okay, thank you. In October
10	of 2011, Pacific Gas and Electric submitted a license
11	amendment request to replace the Eagle 21 digital
12	process protection control system at Diablo Canyon
13	Nuclear Plant's 1 and 2 with an improved digital plant
14	protection system. The new plant protection system
15	will be comprised of two plant protection subsystems,
16	one of which is based on the Invensys Tricon platform
17	and the other is based on the Westinghouse Advanced
18	Logic System, or ALS as it's known.
19	Now, the Tricon system is a computer-based
20	PLC or programmable logic controller type system. The
21	NRC issued a safety evaluation report for the Tricon
22	V10, which means Version 10, platform topical report
23	in May of 2012.
24	For the Advanced Logic System, the ALS,
25	it's a field-programmable gate array, an FPGA-based

(202) 234-4433

	53
1	system that includes diverse features that you'll hear
2	a little bit more about later to address the NRC
3	guidance for diversity in digital protection systems.
4	MEMBER BROWN: One comment on that for
5	those who don't know what FPGAs are relative to
6	computer-based systems. That's the fundamental
7	difference. Tricon is a software-based system, PGA is
8	a, literally, burned-in gate logic. That's a
9	simplified version, but it's not software based. It
10	does have timers with a clock that runs it and all
11	that kind of stuff, but it is not software controlled.
12	So once you've set it in, it's there. The software is
13	there. The design stage is where the software comes
14	in.
15	MR. THORP: Right, right. Software is
16	used in the design and construction of FPGAs, and
17	those instructions are then burnt in, as Charlie
18	described, to the chip. So we issued the safety
19	evaluation report for the ALS topical report in
20	October of 2013, and we accepted the LAR for
21	evaluation in January of 2011 for the overall digital
22	PPS. And we identified several issues that could
23	present challenges to approving the license amendment
24	request, and they were deterministic performance of
25	software, software planning documentation, equipment
l	I

(202) 234-4433

(202) 234-4433

1 qualification testing plans, and set point 2 methodologies. Since we raised those particular concerns 3 4 or issues, Pacific Gas and Electric Company has 5 provided several license amendment request supplements. And they've responded to all of our RAI 6 7 questions to date. Now, we've sent out another set 8 that Rich can speak to, and they're working on that. 9 We've had two audits at the vendor 10 facilities of Westinghouse and Invensys. Those have been conducted, and the results are publically 11 available. 12 will be 13 So next just а verv brief 14 discussion on the process protection system overview. This figure shows the Diablo Canyon, it's a very 15 16 simplified diagram obviously, process protection 17 system architecture, how it fits in with the plant design. 18 You'll see the red box on the screen. 19 20 That, essentially, is the scope of the digital process protection system or plant protection system being 21 The white boxes that you see all around it, 22 modified. the various other systems and components, are existing 23 24 plant components and systems that are not being modified. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	55
1	The digital plant protection system
2	consists of four protection sets to support reactor
3	protection system and the engineered safety features
4	actuation functions with either two of four or two of
5	three coincidence actuation logic. Now, the
6	integration of RPS and ESFAS, as you may have heard it
7	called before, reactor protection system and engineer
8	safety features actuation system, combines two of the
9	four echelons of defense layers that are described in
10	the NUREG report 6303 for protection against software
11	common-cause failures, or CCF. We'll discuss that
12	aspect in a little bit more detail in our discussion
13	of diversity.
14	At this point, I'd like to turn over the
15	presentation to Rich Stattel for a more in-depth look
16	at the replacement process protection system.
17	MR. STATTEL: Thank you, John, and good
18	morning, everyone. I'm the lead reviewer, and,
19	actually, I'm just going to punt it right over to
20	Steve. He's going to discuss the platform reviews.
21	So what we try to do, the vendors of the platforms
22	that develop and design these platforms, they provide
23	us with information and topical reports. We try to
24	evaluate them at a generic level with the
25	understanding that many of the applications, many of
	•

(202) 234-4433

	56
1	the regulations that we're evaluating against are
2	really dependent, we really have to know what the
3	application is, what the specific application is.
4	Here's a case where we know what the
5	application is. However, we do reference back to the
6	platform evaluations, and there are many
7	characteristics of the system that were previously
8	evaluated. Now, Steve was the lead reviewer for the
9	Tricon platform evaluation. And Bernie Dittman who's
10	in the back of the room here, he was the lead reviewer
11	for the ALS system evaluation. So there are some
12	important characteristics that were reviewed during
13	those applications, and Steve will talk about those
14	first. Go ahead, Steve.
15	MR. WYMAN: Slide, please. Okay. First,
16	the ALS platform. ALS stands for Advanced Logic
17	System. This is a depiction of a typical ALS
18	platform. It uses a standard form factor rack. It's
19	configurable. Each rack can host a variety of input
20	and output boards, and any combination of boards can
21	be placed in any given rack.
22	There's a single configuration constraint
23	in that a single logic board must be used to
24	coordinate the processing of signals from all the
25	other boards that are connected in the rack. So we'll
	I

(202) 234-4433

	57
1	show a block diagram in the next slide, and you can
2	see that a little bit better. Back up because I'm not
3	finished talking about the chassis. Thanks.
4	The system is capable of using multiple
5	racks, and this gives them greater opportunity to use
6	more field signals. What's unique about this platform
7	is that the processing engine of each board is a
8	single FPGA device. Although each board contains
9	unique programming, a common model FPGA device is used
10	on every board. Furthermore, the platform provides
11	two design variants of FPGA programming for each board
12	as a means to increase built-in diversity within an
13	application. Rich is going to talk about diversity a
14	little bit later in the presentation.
15	MEMBER BROWN: Can I ask one question that
16	I forgot to ask during the subcommittee meeting? The
17	back plane for this, I presume there's a back plane
18	that these all plug in to.
19	MR. WYMAN: Yes.
20	MEMBER BROWN: Is that a wired back plane
21	or a printed wiring board style back plane?
22	MR. WYMAN: I'll let Bernie answer that.
23	MR. DITTMAN: Bernie Dittman, Office of
24	Nuclear Reactor Regulatory Research. It's a PC copper
25	back plane
I	I Contraction of the second seco

(202) 234-4433

	58
1	MEMBER BROWN: Printed circuit. It's a
2	printed
3	MR. DITTMAN: It's vertical. It's a
4	printed circuit board.
5	MEMBER BROWN: Okay.
6	MR. DITTMAN: The cards mount to the
7	front, and the field signals mount on the back.
8	MEMBER BROWN: Okay. That's all I wanted
9	to know. Thank you. I appreciate that.
10	MR. WYMAN: Okay. Slide, please. It's
11	a block diagram of the ALS platform. If you notice
12	the parenthetical values, we didn't have a chance to
13	label them, represent number of inputs or outputs on
14	each one of these. I just wanted to point that out.
15	These signals enter and exit the
16	instrumentation via connectors at the rear of the
17	chassis. As the block diagram is shown here, we have
18	inputs on the left and outputs on the right. Each
19	input and output board requires configuration
20	parameters but does not require changes to its FPGA
21	programming. The board shown on the bottom is a
22	communication board, which may be used to implement
23	interdivisional communications for voting purposes.
24	The board also requires configuration parameters
25	without requiring any changes to its FPGA programming.

(202) 234-4433

	59
1	Once configured, a communications board
2	acts only as a unit directional receiver or unit
3	directional transmitter. In either case, the serial
4	data communication does not require handshaking.
5	MEMBER BROWN: This is one division,
6	right? It's one protection set? It's not, when you
7	say interdivisional communication, or, no, you said
8	for voting purposes, and that's a comment we didn't
9	make in the subcommittee meeting. Is that internal to
10	the division?
11	MS. ALVARADO: He's presenting the generic
12	platform.
13	MEMBER BROWN: Okay, got it. Okay, fine.
14	Thank you very much. I appreciate that.
15	MR. STATTEL: In actuality, the Diablo
16	Canyon application does not use any ALS 601 boards.
17	MEMBER BROWN: Thank you.
18	MR. WYMAN: My next line, yes.
19	MEMBER BROWN: I apologize for being ahead
20	of the game here.
21	MR. WYMAN: The board shown on the top is
22	the logic board and the brains of the ALS platform.
23	The board controls the safety signal bus. As part of
24	the safety signal path, communication between the
25	logic board and the remaining boards occurs through
	I contraction of the second seco

(202) 234-4433

60 1 the motherboard over redundant serial bus, shown here as RAB 1 and RAB 2. RAB stands for reliable ALS bus. 2 3 The use of multiple racks extends this bus. 4 The logic board acquires conditioned 5 inputs, performs logic functions, and commands the control of outputs. The logic board is the only board 6 7 that requires application-specific programming. Part application-specific programming 8 of its is the 9 knowledge of the required configuration of all boards The logic board also provides 10 connected to its bus. limited amount of onboard 11 а input and output capability. The signals shown TxB1 and TxB2 12 as provide unit directional outbound-only serial data 13 14 communications without handshaking. 15 platform The has connection for an 16 auxiliary service unit, shown here the ASU as 17 connector. The connection supports communication between the maintenance workstation and each board. 18 19 These communications occur over another serial bus shown here as TAB for test ALS bus. The test bus 20 21 operates similar to the safety signal bus but The maintenance workstation itself 22 independent of it.

24 MEMBER SKILLMAN: If I could, you didn't 25 present slide four. May I ask you to show that one,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

is not part of the ALS platform.

(202) 234-4433

23

	61
1	please? No, back to slide four, please.
2	MR. STATTEL: Oh, that was just an
3	introductory slide.
4	MEMBER SKILLMAN: Let me ask my question.
5	MR. STATTEL: Oh, four was just, that's
6	just like a partition
7	MEMBER SKILLMAN: It's a cartoon. But let
8	me ask my question. How are the four channels
9	powered? When they did the upgrade at Diablo, did
10	they use the same foundation with the same power
11	supplies? I'm assuming this is DC vital or AC vital.
12	Was there a change to that while you were going
13	through the change to the digital equipment?
14	MR. STATTEL: I can answer that. They're
15	installing the new digital protection system in the
16	same cabinets as the old protection system, the Eagle
17	21 system. It is AC vital power, and it's basically
18	the same power that powered the divisions of the Eagle
19	21 are powering the new digital equipment.
20	MEMBER SKILLMAN: Understand. So the
21	configuration control for the power supplies is
22	unchanged. You're really changing the brain.
23	MR. STATTEL: That is correct.
24	MEMBER SKILLMAN: Got it. Thank you.
25	MR. WYMAN: The approved ALS platform. So

(202) 234-4433

1 the approved platform from the review defines the 2 architecture and internal communications approach upon which to build an I&C system. 3 The approved platform 4 specifies seven boards, and all board functionality 5 and functional allocations programming, with the exception of the allocation application-specific logic 6 7 of the core logic board, ALS 102.

8 The approved platform uses diversity attributes to create two design variants of each board 9 10 and establishes the development process for the their programming, and verification 11 boards, and The approved platform also establishes validation. 12 qualification boundaries for the platform and design 13 14 features support implementation of safety function for 15 a plant's application-specific system.

16 MR. STATTEL: Okay. We're going to move17 on to the Tricon system now.

MR. WYMAN: Okay. This is a Tricon V10
chassis. I've actually got a nice real picture. So
if I stand up and point --

21 MEMBER BROWN: As long as you can talk 22 loud enough.

23 MR. WYMAN: I can talk loud enough. Thank 24 you. I just kind of wanted to go over, since we've 25 only had block diagrams before, the key switch that we

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

talked so much about last time for positions, run/stop program, and remote. Each unit has redundant power supplies built in. So for two separate independent power inputs that power both of the independent power modules, up here we have extension bus connectors. If we want to extend the IO bus further, we can do this with regular plain copper cables for local expansion.

Down 8 here, we have the in-processor 9 boards. So a little bit different than ALS where they 10 have single processors doing all the thinking, the Tricon uses three boards running in parallel, all 11 making the same decision at the same time and then 12 It's a redundancy to 13 they vote on the outputs. 14 improve reliability and availability.

15 In a normal system, you would see this here filled with a communications module. 16 I even this. 17 asked Tricon about This was just an opportunity, so they actually have two communications 18 19 modules stuck in this slot over here. So you can see where they have four, one, two, three, the top four 20 are serial bus connections. This is a diagnostics 21 connector down here, and these two connections here 22 are for diagnostics. 23

Now, on the V10, we do not have -- I'm sorry. These are not for diagnostics. These are for,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

	64
1	these are the ethernet connections right here, two
2	channels of ethernet, four channels of serial, and one
3	diagnostics connector. The lights up on the top would
4	indicate status realtime, and the remainder of the
5	rack here is filled with IO parts.
6	Here they have, I believe, an input card,
7	a 32 point input card. And I'm not familiar with
8	these, but all their cards use LED lights on the
9	surface to indicate status.
10	The box up here contains two redundant
11	batteries that would support saving information, data
12	and the control program, on the loss of power. So
13	there's redundant batteries. Each battery is capable
14	of holding up the information for a six-month period.
15	Over here, all these blue connectors are
16	simply just extensions of the IO points so you can put
17	terminations on. That's the D10 chassis and all the
18	components described.
19	Slide, please. Okay. The block diagram
20	for the V10. This diagram is shown left to right,
21	input to output. So this would be a standard
22	termination panel. The V10 uses a set of standard
23	panels that were part of the approval process that go
24	in the back of the chassis. When we bring a signal in
25	on termination panel, internally it goes to three

(202) 234-4433

1 different legs. So for each input module, it actually has three identical circuits that are independent of 2 3 each other. Each one has its own processor, its own clock. It processes the input signal, which then 4 5 communicates on the IO bus -- I'm sorry, I can't see over here. It communicates on the IO bus to the three 6 7 independent main processor boards. The IOC processor 8 on the main processor module controls all the 9 communications on this serial clearance IO bus, and 10 all the safety communications are on just the IO bus. The also 11 same processor controls communications on the comm bus, which speaks to the 12 communications module that I pointed out earlier. 13 The 14 communications module has single outputs for the 15 communications outside the unit and then internally 16 splits them to three separate channels separately to each of these three cards. 17 MEMBER BLEY: And that's just a redundancy 18 19 issue? 20 MR. WYMAN: Yes. MEMBER BLEY: And then some kind of 21 selection to make sure you're picking the good signal 22 coming out? 23 24 MR. WYMAN: That's right. And the Tricon 25 product, Ι think, originally developed was

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

commercially to support applications where availability was an issue. We couldn't get to the unit, and we wanted to live a long time, so high reliability and redundancy give them a longstanding availability.

So information comes in. We have a dual 6 7 port RAM between the communications processor and the 8 application processor where we make our decision. 9 Each individual branch makes its own determination. And if you're familiar with the TriBus, they vote the 10 information among the three independent channels. 11 Each one takes the input information in. 12 It assesses the information, decides if it's good. 13 It votes They determine whether or not 14 between the three. 15 anybody is out of sync and has bad information and, if 16 they do, they throw that information away and that 17 individual channel is given a good answer from one of And then they all run the the other two cards. 18 19 algorithm based on the good information that they have, and then they write the output back to the IOC 20 Down here on the IO bus again, it will write 21 comm. them out to the output modules. And where we voted 22 inputs over here in the processor, outputs are voted 23 24 in the output card. I know that was a point that we discussed --25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

(202) 234-4433

67 1 MEMBER BROWN: We vote on the voting and then we vote on the voting and on and on and on. 2 3 MR. WYMAN: And then back to our 4 termination panel on the output. And that's the basic 5 operation of a V10. Next slide, please. Go back to that one for 6 MEMBER BROWN: 7 just one second --8 MR. WYMAN: Sure, absolutely. 9 MEMBER BROWN: -- because it's the first 10 time we've really seen, you've modified the slide to be a little bit more --11 I like it. This is the MR. WYMAN: 12 drawing that I learned --13 14 MEMBER BROWN: Yes, that's fine. I guess 15 one of the questions was where is the output to the 16 SSPS? 17 MR. STATTEL: Well, the answer to that is 18 19 MEMBER BROWN: The primary RXM module, according to one of them. 20 There's an output forward 21 MR. STATTEL: that pluqs into all three of the IO bus -- this is 22 actually triplicated, right, this bus here? 23 So 24 there's an output board that plugs into this. Now, it receives the decision, so, basically, the actuation 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	68
1	decision, it receives that from all three processors.
2	Then it does the voting takes place on the output
3	board. There's only one contact output here, so,
4	basically, it's a solid state, so the trip decision,
5	the on/off decision of whether to actuate the trip
6	circuit are not, is made on that output board and that
7	is fed, basically, by a copper wire down to the
8	existing solid-state protection system.
9	MEMBER BROWN: Okay. That's an important
10	point that we had great discussions on because it was
11	not clear. So you had clarified that very well, and
12	this is a good picture to illustrate that. Thank you,
13	Rich.
14	MR. WYMAN: Okay. Let's go for the Tricon
15	platform review. Obviously, this was an update from
16	V9. A significant number of the components changed.
17	Most of the changes were in the MP3008 main processor
18	boards and the communications module. The V9 unit
19	used three different individual communications modules
20	that were optional, and, in this one, they have an
21	altogether new different TCM, Tricon communications
22	module. A major part of our review focused on these
23	two modules.
24	The Tricon platform review establishes
25	guidance for communications and compliance with ISG-

(202) 234-4433

1 04. I believe we only approved two of the individual
 2 points, generically, for the system. Everything else
 3 is application specific, but we do offer up some
 4 guidance in the SE that would help on the application 5 specific reviews.

The platform report also 6 establishes their 7 development process for the boards and programming and verification and validation. 8 And 9 similar to the ALS, it establishes qualification boundaries of the platform, the design features to 10 support implementation of safety functions for the 11 plant's application-specific system. 12

MR. STATTEL: Well, thank you, 13 Okay. 14 What we're going to do now is we're going to Steve. 15 step back a little bit, and I'm going to give you an 16 overview of how these two platforms have been 17 incorporated into the Diablo Canyon applicationspecific project here. 18

19 So this diagram here, this is an expanded view of the existing Eagle 21 process protection 20 There's a couple points I'd like to emphasize 21 system. on this slide. As we mentioned before, 22 as John mentioned, both the trip system, reactor trip system, 23 24 and ESFAS systems share this sensor input, but the sensors are isolated between divisions, as you can see 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

here.

1

2

3

4

5

6

7

8

9

10

11

The voting logic for the ESFAS and the reactor trip function is performed by the solid state protection system, which is shown as the gray box below the blue box there. And that's not being modified as part of this license amendment.

The actuation signals to the SSPS voters are hardwired connections. They do not use digital communications technology at all. There are no interdivision communications being implemented in this design.

This is a view of the replacement 12 Okay. process protection system. And like the previous 13 14 drawing, both the RTS and ESFAS systems will share the There's no changes there. 15 same sensor inputs. The voting logic will continue to be performed by the SSPS 16 system, which is not being modified. 17 The actuation signal to the SSPS voters will remain hardwired 18 there 19 connections, and interdivision are no communications being implemented. 20

The maintenance workstation boxes that are shown on this diagram, these are these gray boxes that are within the Tricon and ALS subsystems here, those are maintenance workstation computers. Those are nonsafety related, and they will be installed within the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	71
1	PPS cabinets.
2	MEMBER BROWN: One comment just to
3	amplify, there's no connection between the Tricons and
4	the ALS's? Those are two separate connected
5	processing systems for the data?
6	MR. STATTEL: Yes. Later on in the
7	presentation, we'll be talking about communications
8	aspects.
9	MEMBER BROWN: Yes, there's one exception
10	to that, but it's not a, it's more feeding data that
11	is not processed I apologize for that confusion.
12	There's a temperature signal that's fed out of the ALS
13	that that's where you've computed, and then it's sent
14	to the Tricon within the division? So there's no
15	interdivisional, but that's the only connection
16	between them, roughly.
17	MEMBER SKILLMAN: Rich, what is the KVM,
18	the
19	MR. STATTEL: Okay. KVM just stands for
20	keyboard, video, and mouse. So, basically, this is
21	the operator interface. Both the ALS and the Tricon
22	chassis that you saw pictures of earlier are going to
23	be mounted in the same cabinets as the existing Eagle
24	21. They have, each has an individual maintenance
25	workstation, basically a PC that's installed in that

(202) 234-4433
	72
1	cabinet. But there really wasn't room in the cabinet
2	for the licensee to put two separate monitors, two
3	separate keyboards. So what they do is they put one
4	switch in, and that just switches those peripherals
5	between the ALS maintenance workstation and the Tricon
6	maintenance workstation.
7	MEMBER SKILLMAN: Thank you.
8	MR. STATTEL: Okay. One other thing I'd
9	like to point out on this figure, at the top of the
10	figure you'll notice between the sensors and the
11	process protection system are a series of isolators.
12	And these are basically qualified analog devices,
13	analog isolators, that send signals over to non-safety
14	related systems, such as the AMSAC system which is
15	being used for ATWS protection.
16	Okay. The figures in this and the next
17	set of slides represent varying levels of detail how
18	the safety functions are accomplished by the process
19	protection system. All of these slides are going to
20	be laid out in the same format. On the left side are
21	the inputs to the system, in the center are the
22	processes being performed by the process protection
23	system, and on the right are the outputs from the
24	system.
25	So as an example, on the left side of this
	I

(202) 234-4433

1 figure are the monitored plant parameters. The blue 2 boxes represent parameters that are used to perform 3 reactor trip functions. The pink boxes are parameters 4 that are performing engineered safety features 5 functions, such as safety injection actuation. And the purple boxes are parameters that are used for both 6 7 reactor trip and ESFAS functions.

8 On the right side are the functions 9 supported by the PPS system. The top box is a red 10 box. That's the reactor trip. And all of the other 11 ones are ESFAS functions.

12 Okay. here, the As you can see replacement system basically splits from what was 13 14 previous just a single Eagle 21 processor. Now we're going to have two subsystems, one is Tricon and one is 15 16 ALS.

This figure basically shows you which functions are being performed by the Tricon system. The determination of functions, function allocation for the PPS systems were made based on the results of a D3 analysis that had previously been performed. All functions for which automatic --

23 MR. THORP: By D3, we mean diversity and 24 defense in depth analysis.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

MEMBER CORRADINI: He was talking to

(202) 234-4433

25

	74
1	Charlie.
2	MEMBER BROWN: You just answered his
3	question.
4	MR. THORP: Yes, I have a little bit of
5	ESP. I got the memo from the Chairman of the
6	Commission that said we should not try to speak in
7	acronyms, so I'm trying to do the best we can to
8	explain any acronyms that pop up without having
9	further
10	MR. STATTEL: So the basis for the
11	function allocation was all functions for which
12	automatic diverse backup actuation signal could
13	already be credited in the analysis were assigned to
14	the Tricon subsystem. I'll point out and we'll
15	mention it later on, as well, there was an original D3
16	analysis performed in 1993 for the Eagle 21 system.
17	That was updated in, I believe it was 2010.
18	There were three signals for which no
19	existing automatic diverse actuation function was
20	available in the Eagle 21 design. Those are reactor
21	coolant flow, pressurizer pressure, and containment
22	pressure, and you can see those three signals on this
23	diagram have inputs to the ALS system. So those were
24	allocated, those functions were allocated to ALS. As
25	the next few slides will show, all the remaining

(202) 234-4433

	75
1	signals are allocated to ALS.
2	Okay. So this is the opposite slide,
3	which shows the ALS functions. Now you can see which
4	process signals are provided and which functions are
5	being performed by the ALS subsystem. For functions
6	associated with these signals, manual operator actions
7	needed to be credited for the original Eagle 21
8	design. The D3 analysis, the original D3 analysis
9	postulated a loss of all safety functions for the
10	entire PPS on a common-cause failure.
11	For these three functions, there basically
12	was not automatic diverse coping means for those.
13	And, therefore, they relied on manual operator
14	actions.
15	So, essentially, if you think about it,
16	this figure also represents what the PPS functionality
17	becomes when a CCF failure of the Tricon system
18	occurs. So, basically, these are the functions that
19	are retained on the postulated common-cause failure.
20	And as the figure shows, there are only
21	two functions that are, that become unavailable on the
22	CCF of the Tricon. And those are the turbine trip
23	feedwater isolation and ultra feedwater initiation.
24	However, both of those functions, the D3 analysis, had
25	identified coping means for them.
	•

(202) 234-4433

	76
1	CHAIRMAN STETKAR: Rich, before we leave
2	that, we had some discussion at the subcommittee
3	meeting about function allocation between Tricon and
4	ALS. And I just want to make sure that I left the
5	subcommittee meeting understanding that correctly. We
6	talked about auxiliary feedwater initiation, which is
7	one of the functions you just mentioned that is not
8	allocated to ALS, and I believe that the conclusion
9	was that the AMSAC logic would provide a diverse
10	signal for auxiliary feedwater actuation. At least
11	that's what my notes say here.
12	MR. STATTEL: That's correct.
13	CHAIRMAN STETKAR: Mean steamline
14	isolation for steamline breaks outside containment,
15	not steamline breaks inside containment but steamline
16	breaks outside containment, I believe we were left
17	with the impression that that function is only
18	performed through the Tricon platform.
19	MR. STATTEL: That's correct. The D3
20	analysis covers all of the accidents that are covered
21	in the safety evaluation for the plant. It's not just
22	these two. I really just pulled these two up as
23	examples.
24	CHAIRMAN STETKAR: I understand. Let me
25	finish, let me finish my observations, just for the

(202) 234-4433

	77
1	record and
2	MR. STATTEL: Okay.
3	CHAIRMAN STETKAR: edification of the
4	other members who weren't present. And that all of
5	the safeguards actuation signals for a LOCA are now
6	processed only through the ALS platform. We were told
7	that, well, for the steamline isolation for steamline
8	breaks outside containment, that still could be
9	mitigated by manual operator actions to isolate the
10	steamlines. And for safeguards actuation for a LOCA,
11	if the ALS platform were to become unavailable, the
12	operators could manually initiate safeguards
13	actuation. Is that
14	MR. STATTEL: That is true. That is true
15	and correct.
16	CHAIRMAN STETKAR: I just wanted to make
17	members aware of the fact that we've, this change has
18	provided diversity for common-cause software failures
19	in the Tricon platform. It has not necessarily
20	provided diversity for all conceivable common-cause
21	failures.
22	MEMBER CORRADINI: But it's better than
23	what was there?
24	CHAIRMAN STETKAR: It's different from
25	what was there.

	78
1	MEMBER BROWN: Well, I would call that, I
2	would expand that a little bit. I mean, they do
3	provide some automatic operation for stuff that was
4	only manual before.
5	CHAIRMAN STETKAR: They provide automatic
6	actuation for stuff that was only manual before for a
7	software failure in that particular platform.
8	MEMBER BROWN: Yes, in that Eagle 21
9	platform. Yes.
10	CHAIRMAN STETKAR: There are still manual
11	requirements for software failures in the Tricon
12	platform, and there are still manual requirements for
13	what, at the moment, I'll call unspecified common-
14	cause failures in the ALS platform.
15	MR. STATTEL: Right. And these are all
16	considerations that we're taking into account in our
17	safety evaluation. We recognize that the Eagle 21 is
18	an approved platform. The plant is operating today
19	with that. This modification does reduce the reliance
20	on manual operator action.
21	CHAIRMAN STETKAR: And that I absolutely
22	agree with. It's reduced the reliance, it hasn't
23	I want to make the there's still a need for manual
24	operator action under certain conditions.
25	MR. THORP: Mr. Corradini's observation
	1

(202) 234-4433

	79
1	that it's better than the Eagle 21 is in that sense,
2	is in that respect.
3	MEMBER CORRADINI: Yes, but it's hard to
4	extract a better than out of
5	MR. THORP: Right, right.
6	CHAIRMAN STETKAR: My experience is new,
7	this is different. Better than requires a pretty
8	thorough reliability assessment, and I don't think
9	that's been done.
10	MR. THORP: Right. And as Rich pointed
11	out, I don't know that I mentioned that in the
12	beginning, but we are still in the process of
13	conducting our safety evaluation. This is not a
14	completed evaluation yet, so it's an informational,
15	this is where we are right now, presentation.
16	MR. STATTEL: Now, of course, in
17	performing our review, we're using our guidance,
18	right? So we have Chapter 7 guidance from the
19	standard review plan. Part of that guidance is BTP 7-
20	19, which is the diversity defense in depth. And in
21	that guidance, there is a preference for automatic
22	diverse actuation instead of manual actuation. And
23	we've had discussions with the licensee, and this was
24	the basic premise that they were pursuing
25	CHAIRMAN STETKAR: And I'm not, you know,
	1

(202) 234-4433

Í	80
1	I'm not trying to, I'm just trying to make sure that
2	the members here who didn't have the benefit of the
3	subcommittee discussions aren't led to necessarily
4	believe that this change has eliminated completely the
5	need for any manual operator actions, that,
6	essentially, it's not, they aren't left with that
7	impression.
8	MR. STATTEL: That's correct.
9	CHAIRMAN STETKAR: Those operator actions
10	is true, are approved under the existing design, given
11	the time available and the indications and, you know,
12	that approval, in a licensing perspective, would be
13	carried through, you know, your current guidance, I
14	presume.
15	MR. STATTEL: Yes, that's correct. So at
16	this point, this completes the system overview. So if
17	any of the members have questions about the general
18	layout of this system, now would be a good time for
19	that.
20	The next session, we'll be talking about
21	communications, so we'll talk about the communication
22	interfaces and we'll talk about the review criteria
23	that we're using for that.
24	MEMBER SKILLMAN: Let me ask this
25	question: with the change to these two different
1	

(202) 234-4433

(202) 234-4433

81 1 subsystems, are the response times that are modeled or 2 that are assumed in the analyses for the various 3 accidents and conditions unchanged? 4 MR. STATTEL: The specifications for response time are basically being carried from the 5 Eagle 21 system response time numbers to the new 6 7 system. We are evaluating, there's a specific section 8 in our safety evaluation for both deterministic 9 performance performance and for response time 10 characteristics of the systems. That is, there is an application-specific aspect that 11 of that we're evaluating, and I will talk in more detail about that 12 later in the presentation. 13 14 MEMBER SKILLMAN: Thank you. MR. STATTEL: So what I'd like to do now 15 16 is turn it over to Rossnyev Alvarado, who is also a 17 lead reviewer for this license amendment review, and she'll be talking about communication aspects of the 18 19 system. MS. ALVARADO: Hi. I'm Rossnyev Alvarado 20 with the Office of Reactor Regulation, Division of 21 Engineering, Instrumentation and Controls Branch. 22 Ι am responsible for the review of the Diablo Canyon PPS 23 24 system communication. This slide that we have here list the 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 quidance that we have available for communication. 2 provides criteria for independence 603 between 3 redundant portions of a safety system and between 4 safety systems and other known safety-related system. 7-4.3.2, 5 Then in addition to the requirements described in 603, 6 states that data communication 7 between safety channels or between safety and non-8 safety systems should not inhibit the performance of 9 the safety function.

To clarify these two guidance, the Digital 10 Instrumentation and Control Steering Committee formed 11 the task working group. This task working group 12 prepared ISG 4, which provides adherence points for 13 14 evaluating a digital safety system compliance with NRC 15 communications guidance. We're using ISG 4 to 16 evaluate the Diablo Canyon PPS replacement system.

17 Next slide. I know Rich presented this slide, but I just want to emphasize the description 18 19 provided regarding communication. The first thing is that the PPS system consists of four independent 20 protection systems. You can see it here identified as 21 PS-I, II, III, and IV. The PPS system does not use 22 any means of interdivisional data communication. 23 The 24 licensees maintain interdivisional independence by not including any cross-divisional communication. 25 This

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

83 1 means that there's no communication between the vertical wall, so nothing goes between one protection 2 system to another one. 3 4 In addition, data communication doesn't 5 occur between the Tricon and the ALS system within a As Member Brown points out, even though 6 division. 7 this looks like they're together, they're not 8 communicating. So no communication link, in this 9 case, again, crosses the horizontal walls that you see in this slide. 10 Rich points this out, but I just want to 11 emphasize that there are no communications between the 12 PPS and the SSPS. The lines shown in the figure only 13 14 represent the signal trip decision sent from the PPS 15 to the SSPS. And last but not least, the same level of communication separation is provided for all four 16 17 protection sets. CHAIRMAN STETKAR: Rossnyev, just for 18 19 clarity again, you said there's no communications between ALS and Tricon. There is --20 21 MS. ALVARADO: I qo --CHAIRMAN STETKAR: You'll have slides on 22 those? 23 Okay. 24 MS. ALVARADO: What I mean, communication means data communication. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	84
1	CHAIRMAN STETKAR: Okay.
2	MS. ALVARADO: But I will show that in
3	detail because there is a transfer of signal, yes.
4	This is a slide that shows the replacement
5	communication architecture. This slide was provided
6	by the licensee in the license amendment request.
7	This slide shows the links and pathways supported by
8	the Diablo Canyon PPS design. Again, these are just
9	data communication I'm talking about.
10	Each protection set has the same
11	communication pathway. The PPS communication
12	architecture is designed to ensure communication
13	between safety and non-safety equipment within the
14	protection set adhered to the guidance described in
15	ISG 4.
16	Like I said, again, this slide shows the
17	ALS and the Tricon together. But as I mentioned
18	before, they do not communicate with each other.
19	Within each protection set, the PPS
20	incorporates safety-to-non-safety communication. The
21	non-safety components are towards my right, to your
22	right, sorry, the other right, the non-safety
23	components that they communicate.
24	I will talk about the Tricon and ALS in
25	subsequent slides, but I want to use this slide to

(202) 234-4433

85 1 introduce and describe the components that are nonsafety related. In this case, we're talking about the 2 3 plant computer system, which is down to your right; 4 the maintenance workstation; the KVM switch; and the 5 Tricon remote RXM non-safety chassis, which is not shown here but I will show later in the Tricon. 6 7 So Rich point out that we have the 8 maintenance workstation. This is on the right of the 9 slide. We have a maintenance workstation for each one In other words, one for the Tricon 10 of the systems. and one for the ALS. 11 This maintenance workstation support 12 maintenance calibration and surveillance functions. 13 14 The maintenance workstation are stand-alone computers 15 that cannot connect to the internet, nor with the 16 plant computer system or network. 17 These workstations are in a division set, and they cannot communicate with other workstations in 18 19 a different division. In addition, the workstations communicate with workstations 20 cannot in other 21 redundant protection sets or communication with safety-related equipment, like ALS or Tricon, in other 22 protection sets. 23 24 Then we're going to move into the KVM The KVM switch, it's a switch that provides 25 switch.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

86 1 access to peripheral devices, such as keyboard, video 2 displays, and mouse, for authorized personnel to perform maintenance and calibration activities. 3 One 4 KVM switch is provided for each protection set. So 5 authorized personnel would select with a KVM switch what safety system they want to perform the activity. 6 7 The maintenance workstation and the KVM switch will be located inside a locked cabinet in the 8 9 cable spreading room, minimizing the possibility of Use of the maintenance 10 the inadvertent action. workstation and KVM switch is subject to site-specific 11 12 procedures and physical access control. And last but not least is the plant 13 14 computer system, which is the one at the bottom to the 15 Both the Tricon and the ALS communicate data right. 16 to the plant computer system. The plant computer 17 system is part of the existing system and is not part

Communication with the plant computer system is one way. The Tricon transfer this data to the port aggregator tap and the ALS does it through the transmit TxB communication ports. I will talk about them when I talk about each one of the systems. Next slide.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

MEMBER SKILLMAN: Before you go, I've got

(202) 234-4433

of our review.

18

25

	87
1	a question. Rossnyev, you say the KVM switch and that
2	gear is in the cable spreading room. One would assume
3	that's highly protected through plant security.
4	MS. ALVARADO: Right.
5	MEMBER SKILLMAN: But if somebody were to
6	find access to the cable spreading room and into that
7	locked cabinet, is there any way use of that equipment
8	in that locked cabinet could take control of any of
9	the channels?
10	MS. ALVARADO: First of all, there is,
11	like, password-protected access to the maintenance
12	workstation. So besides getting access and getting
13	the key to access to that, you need to have the right
14	password to access that. And Samir will talk about
15	that.
16	And second is you have to select which
17	protection set you want to do, you want access to.
18	But access is, if, for example, you were to alter the
19	ALS, it's not so simple, and I will describe that,
20	because it's not just logging into the maintenance
21	workstation. You also need to connect a cable to do
22	such a thing because the communication from the ALS to
23	the maintenance workstation through normal operation
24	is just to monitor. You cannot do anything. To do
25	any of your maintenance activities, you need to

(202) 234-4433

	88
1	connect what is identified as a TAB, a test ALS bus,
2	to be able to communicate two-way with them.
3	With the Tricon, it's slightly different
4	because with the Tricon the port aggregator tap
5	permits two-way communication. However, there are
6	means inside the Tricon that you need to tamper with
7	to be able to do such a thing. For example, there are
8	different access level and they have a key switch that
9	you need to modify, to do something like that.
10	So it's not as simple as I break in and I
11	go into the KVM switch and I can go on and alter that.
12	I mean, it's a complicated series of steps.
13	MR. STATTEL: I'd also like to add,
14	clearly, it's feasible that someone could, a
15	knowledgeable insider could get access to the
16	equipment and they could break through all of these
17	measures if they know the password and they can
18	connect the ALS bus, they can turn the key switches on
19	the Tricon. However, all of those activities would
20	alert the operator because any of those activities
21	would cause an alarm in the control room.
22	So the answer is it is feasible for an
23	insider to get access and take control of the system
24	in the cable spreading room. However, it's really not
25	conceivable that he could do that without the operator
	1

(202) 234-4433

	89
1	being aware of that.
2	MEMBER BROWN: Could they access that's
3	only one protection set, though.
4	MR. STATTEL: That's correct.
5	MEMBER BROWN: You still can't get through
6	the if you're accessing one, can you access another
7	one? I don't remember that from the previous
8	MR. STATTEL: They're in different
9	cabinets. If you had more than one person accessing
10	them, I guess it's theoretically possible.
11	MEMBER BROWN: Okay, all right.
12	MR. STATTEL: But there would be multiple
13	alarms in the control room, as well.
14	MEMBER BROWN: Yes, thank you very much.
15	MS. ALVARADO: Actually, whenever you're
16	doing modifications in the ALS, an alarm will be
17	enunciated and then a second alarm will be enunciated
18	for the Tricon.
19	MEMBER BROWN: Before you leave this
20	slide, from the previous meetings we've had and the
21	discussions relative to control of access to external
22	internet type functions, that would be through the
23	plant computer if anybody was going to do that. So
24	there's three lines: the ethernet line and the TxB1
25	from ALS A and the TxB1 from ALS B. Those are the
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

90 1 three lines that somebody, if they made access to the plant computer, could come back. 2 3 Now, you're going to discuss why those are 4 hardware type one-way, as opposed to software based, 5 correct? So those are the key lines from a control of access and external tampering via particularly the 6 7 software in the Tricon. 8 MS. ALVARADO: Right. Okay. What I did 9 was a cartoon to try to identify better the different 10 components that we have. And this slide shows the communication architecture for the ALS system. 11 There are no communication paths between redundant safety 12 divisions or protection sets in the ALS portion of the 13 14 replacement. It means that ALS and other PPS15 communicate with protection sets this cannot 16 protection set in particular. I'm using protection 17 set four for these description, but all of them are exactly the same. 18 19 In previous slide, we mentioned that there is no communication between the Tricon and the ALS. 20 However, you can see that this figure shows these 21 I want to clarify that these lines 22 green lines here. represent analog temperature signals processed in the 23 24 ALS system that are used by the Tricon system to

perform the over power differential temperature and

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

	91
1	over temperature differential temperature reactor trip
2	safety functions. So these are not communication
3	links. These are just analog signals that are sent
4	from the ALS to the Tricon.
5	Regarding communication with the
6	workstation, the ALS used the transmit TxB ports.
7	MEMBER BROWN: Rossnyev, can I make, I
8	want to make sure I understand one thing. The ALS A
9	and B are the same
10	MS. ALVARADO: Yes.
11	MEMBER BROWN: but independent, and
12	they are both sending the same signal over the, you
13	still have that system? So you can move one of those.
14	That's my memory anyway.
15	MS. ALVARADO: Yes, I apologize I didn't
16	explain that. I guess I forgot.
17	MEMBER BROWN: That's okay. No, you're
18	fine, you're fine.
19	MS. ALVARADO: No, because in the
20	presentation that we did before, we went into this.
21	ALS has two cores. It's core A and core B, and this
22	is part of the redundancy that they have. Both cores
23	perform the same functions, so that's what I'm talking
24	about.
25	MR. STATTEL: One minor correction,
	I contraction of the second

(202) 234-4433

	92
1	Charlie, I'd like to make. They're not the same
2	temperature signal being processed by ALS A and ALS B.
3	There are actually two elements in each RTD, and one
4	of the elements goes to A and one of the elements goes
5	to B.
6	MEMBER BROWN: It's the same temperature
7	signal to
8	MR. STATTEL: Same signal, yes.
9	MEMBER BROWN: I'm very familiar with that
10	process. Yes, okay, thank you. It's a good
11	clarification.
12	MS. ALVARADO: Okay. So we're talking
13	about the transmit TxB port. As you can see, ALS A
14	and ALS B, each one of them has two transmit ports,
15	one goes to the maintenance workstation and the other
16	one goes to the plant computer system. These
17	communication ports are customized so they can only
18	transmit data to these connections, and this is done
19	in hardware.
20	Communication for the TxB port is only
21	directional and does not require the use of
22	handshaking signal. These ports are physically and
23	electrically incapable of receiving information from
24	external sources, in this case from the maintenance
25	workstation and the plant computer system.
1	1

(202) 234-4433

	93
1	MEMBER BROWN: The TxB1 and each one of
2	them, is that the one where you've got the open
3	circuit, so it's a physical open line, whereas the
4	transmit line is closed, obviously?
5	MR. STATTEL: That's correct.
6	MEMBER BROWN: Thank you.
7	CHAIRMAN STETKAR: You have a very
8	resonate voice.
9	MEMBER BROWN: I pushed my microphone as
10	far away as I can.
11	MEMBER CORRADINI: Everybody else is not
12	as forceful. Stop using your command voice.
13	MS. ALVARADO: These ports provide a
14	barrier between class 1E and non-class IE. The use of
15	the transmit TxB ports was reviewed and approved for
16	the ALS platform.
17	Then regarding testing and maintenance of
18	the ALS, the test ALS bus, which you can see at the
19	top there, it says disconnect, needs to be connected
20	to the maintenance workstation and to the ALS core
21	that you want to perform activities to to provide
22	direct two-way communication. Normally, this tab is
23	disconnected and all you have is information that is
24	coming to the TxB.
25	MEMBER BROWN: Can I ask one other
1	I contract of the second se

(202) 234-4433

	94
1	question to make sure I still remember what you told
2	us in the subcommittee meeting? The ability to
3	communicate back to either one of the cores does not
4	allow changing the fundamental program, that it only
5	allows you to change set points, calibration data,
6	that type of information; is that correct?
7	MS. ALVARADO: Correct. Because as you
8	mentioned before about the FPGA, that's one of the
9	benefit of using FPGA. You need to burn the core in
10	the device itself. If you want to change it, you need
11	to remove the board to do that.
12	MEMBER BROWN: Put a new piece in?
13	MS. ALVARADO: Right.
14	MEMBER BROWN: Yes, thank you. That's a
15	good clarification. Thank you.
16	MS. ALVARADO: Maintenance and calibration
17	activities for one of the ALS core, it's required the
18	TAB is physically connecting, allowing two-way
19	communication between that core and the maintenance
20	workstation. Only one core can be connected to the
21	TAB, and this is restricted by process procedures.
22	There is no associated with disconnecting
23	or connecting this communication link. A TAB
24	connection is provided for each core.
25	If a diverse ALS subsystem or the core
1	I Contraction of the second

(202) 234-4433

1 that is not connected to the TAB will be performing the regular functions, the one that has the 2 TAB 3 connected to it will be taken out of service, with the exception of the RTD signal, the temperature 4 5 processing functions that are needed to be sent to the Tricon. An ALS trouble alarm will be initiated in the 6 7 main annunciator system when the TAB is physically 8 connected so the operators will know that someone is 9 performing activities in the ALS. The Tricon communication 10 Next slide. This is presented in this slide. 11 architecture. So what I did was just try to focus in the different 12 components for the Tricon. 13 14 There are no communications again between 15 the Tricon in one protection set to the Tricon in 16 another protection set. All Tricon communication with external devices for the Diablo Canyon PPS is via the 17 Tricon communication modules and their remote RXM. 18 19 The remote RXM is a new component that was not shown before but still a slide pointed out. 20 These remote RXMs are used to acquire and 21 non-safety related signals 22 transfer to support functions that are not safety-related PPS functions. 23 24 In other words, what they represent is an expansion

chassis that is located several miles away from the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

(202) 234-4433

95

main chassis. There is no data exchanged between the RXM chassis in other protection sets. In addition, one remote RXM can just communicate with the primary RXM.

5 The use of the RXM communication was described in the Tricon platform topical report and 6 7 was evaluated by the NRC in the associated safety 8 evaluation. As a result, we have one of these plant-9 specific application items in which it is required 10 that we confirm that data received from a non-safety remote RXM is not used to perform required safety 11 So as a part of our review, we need to functions. 12 confirm that, for Diablo Canyon, signals acquired by 13 14 these RXMs are not used to support mitigation 15 functions for a common-cause failure of the Tricon. We did that and the last slide from my presentation 16 17 identifies this. I just wanted to point out.

back the Tricon 18 Then let's qo to 19 communication module. Inside the Tricon, there is this Tricon communication modules that allows the 20 Tricon communicate with the maintenance 21 to To do such a thing, communication has to 22 workstation. occur through the dedicated one-way port aggregator 23 24 network tap. I will talk about the port tap in the next slide just to show how it works, but the TCM uses 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

psychic redundancy checks, handshaking, and other protocol-based functions to ensure data communication integrity.

4 In addition, the Tricon uses dedicated 5 memory location for communication. In this model, there's communication 6 no direct between the 7 application processor and the TCM interface with the 8 maintenance workstation. So if I were to lose the 9 TCM, the main processor will continue to function. 10 The TCM was qualified under the Invensys Appendix B program, and our evaluation is described in the safety 11 evaluation report. 12

The next slide. So in this slide, what 13 14 I'm trying to show is what we're talking about, this 15 port aggregator tap. We have three ports. If you can 16 see, there is port A, B, and 1. I tried to put arrows 17 so you can see to what configuration, how they're used in the Diablo Canyon. And what I want to point out is 18 19 that port 1 is one-way communications. Ports A and B are two-way communication. This tap appregator is a 20 hardware device that provides this communication TABs 21 and it does not rely on computer software. 22

The port tap was previously evaluated and has been approved as an acceptable mean for isolating safety system. The NRC performed a safety analyses to

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

(202) 234-4433

97

ĺ	98
1	confirm such a thing. This analyses, what they did
2	was that for data signals to flow from the TCM, the
3	Tricon TCM, towards the plant computer system, which
4	means for port A to port I, electrical signals pass to
5	a buffer amplifier integrated circuit component.
6	The NRC staff evaluated this proper
7	amplifier where the potential of electrical signals to
8	flow in the opposite direction, meaning coming from
9	the plant computer system to the Tricon TCM. And what
10	the staff found is that the amplifiers were not
11	capable of passing electrical signals in the reverse
12	direction under any conditions, which means that they
13	reckon a flow for port 1 to port A.
14	Regarding port B, which is the
15	communications with the maintenance workstation as a
16	set, there are different measures of protection to
17	allow this access to the Tricon, and these are like
18	the Tricon K switch that Steve was mentioning about.
19	They have different operation modes that you need to
20	change if you were to change the program inside the
21	Tricon. And for calibration and maintenance, you also
22	have to go to different layers of access in the
23	maintenance workstation to change the set points.
24	And last but not least, next slide, this
25	is the IO signals that are processed by the remote RXM
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	99
1	chassis. The reason we decided to list that is just
2	to show that, as a part of the application specific
3	item that we had, we needed to confirm that these
4	signals are not associated with systems required to be
5	diverse from the PPS system.
6	This concludes my presentation of all the
7	system communication, and now Rich Stattel will
8	describe his evaluation of the diversity and defense
9	in depth.
10	CHAIRMAN STETKAR: Rossnyev, I don't
11	remember whether we asked at the subcommittee meeting.
12	It is possible for personnel to use the Tricon
13	maintenance workstation to update the programming
14	software in the Tricon platform during power
15	operation, right?
16	MS. ALVARADO: Well, yes. But you will
17	want to have the specifics to do so, which is the
18	Invensys TS 1311. And then you need to modify, with
19	the key switch you need to modify to be in remote or
20	program to do that.
21	CHAIRMAN STETKAR: Yes, I know about the
22	things that people need to do that. But, indeed, the
23	difference, you can't, because of the programmable
24	gate arrays, you can't change the burned-in logic.
25	You can change the set points. You can change the set
1	

(202) 234-4433

1 points anywhere. But the question I had is are there any restrictions for Diablo Canyon to not change the 2 3 programming during power operation to update the 4 software? There have been events where people have Obviously, if you're going to 5 updated software. 6 operate software in one protection --7 MR. STATTEL: We actually have not made 8 that decision for Diablo Canyon. CHAIRMAN STETKAR: Okay, okay. 9 MR. STATTEL: That will be, that will be 10 documented in the safety evaluation. 11 12 CHAIRMAN STETKAR: Okay, thanks. MR. STATTEL: I will mention, though, for 13 14 the Oconee application, we had that discussion and 15 they committed to never changing software while So they basically have to shut down in 16 operating. order to load a new version. 17 CHAIRMAN STETKAR: To update the software. 18 19 MR. STATTEL: It becomes very complicated because if you allow that, so if you think about it, 20 you have four changes. You basically have to do an 21 operability determination for each configuration you 22 go through in the process of --23 CHAIRMAN STETKAR: 24 Oh, because, in the interim, you're going to have different versions of 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

100

	101
1	the software
2	MR. STATTEL: And we've began those
3	discussions with the licensees, and they're like, yes,
4	we're just going to shut down any time we load
5	software.
6	CHAIRMAN STETKAR: I just didn't remember
7	in the subcommittee meeting whether they talked much
8	about that.
9	MS. ALVARADO: Now, I just want to add
10	that if, for example, there was something to happen
11	with your program and you just want to reload the
12	program, you could do that. But then you will have
13	to, like, check between all three processors to be,
14	you know, like, are we all having the same
15	configuration. And like Rich said, we're still in the
16	decision part of it.
17	So Rich?
18	MEMBER BROWN: It would be a good idea to
19	highlight that and document it. I presume you will do
20	that in the SE, correct?
21	MR. STATTEL: Yes, we will. Typically,
22	the way we document that is we'll write, either we'll
23	have the licensee make a commitment, a documented
24	commitment, or we'll write inspection items. So we
25	basically list items to be inspected during the start-

(202) 234-4433

	102
1	up, so the region would go out and do inspections
2	during the site acceptance testing, and they would
3	follow through with documenting that.
4	MEMBER BROWN: Yes. But once you finish
5	that, now you're in operation. Somebody could try, so
6	there's still a downstream effect if somebody wanted
7	to go change the
8	MS. ALVARADO: Well
9	MEMBER BROWN: Now, but once you've
10	finished the initial startup and all the initial
11	testing and everything else, now you're back
12	generating electricity for everybody. So the same
13	concept would apply. You have to shut down before you
14	go modify something. If the vendor, Invensys, comes
15	up with an, uh-oh, we've got a little thing over here
16	we need to fix, then you have to go through the
17	shutdown process in order to do that to be consistent
18	on all four channels, I would think.
19	That's why I'm suggesting that that
20	thought process be carried clear through the
21	operational phase, as well, in the SE so we understand
22	what the final decisions are.
23	MR. STATTEL: Understood.
24	MS. ALVARADO: Okay.
25	MR. STATTEL: Okay. Thank you, Rossnyev.
I	1

(202) 234-4433

I'm going to switch over, and we're going to talk about the diversity defense in depth characteristics of the system. In the first slide here, I talk about the guidance documents that we used for our diversity review. There are three primary documents that cover diversity. They're based on the direction provided by the Commission in the SRM, or staff requirements memorandum, for SECY-93-087.

9 The first one is a NUREG document, 6303, 10 which describes a method for analyzing a common-cause failure, software failure 11 а common-cause of а safety system computer-based it's 12 nuclear and 13 potential effects on the overall plant safety 14 analysis. The second document is BTP, I mentioned 15 before, Branch Technical Position, 7-19, which is part 16 of the standard review plan. It provides guidance for 17 evaluating an applicant's or a licensee's D3 analysis and the design of automatic and manual controls and 18 19 displays for use as a diverse actuation system.

The ACRS has reviewed that latest version. I believe it was a couple of years ago. And, finally, there's an Interim Staff Guide 02 document that was developed as a result of direction we received from the Digital I&C Steering Committee to provide clarity for the established expectations for D3 analysis.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

I mentioned the ISG-02 document. It's criteria have been incorporated into BTP-19. However, the D3 analysis for this project was evaluated prior to that, so it is a relevant document. We're actually using the Revision 6 BTP-19 for our application evaluation.

7 Okay, next slide. Okay. So what BTP-19, what the criteria states is that there should be a 8 9 coping strategy to be developed for digital safety systems to address the effects of a software common-10 cause failure when the potential for a common-cause 11 failure cannot be eliminated. 12 So, basically, they have two options. They either make a case that there 13 14 is no potential for a common-cause failure, or they do 15 the analysis and play it through and apply that to every accident situation that's in the FSAR 16 and 17 determine how the plant responds and what coping mechanisms are available. 18

19 A D3 analysis was initially performed for the existing Eagle 21 system back in 1993. 20 That analysis postulated an entire failure of the PPS 21 system, the Eagle 21 system. So if you think back to 22 the first diagram I showed you, that entire green box 23 24 fails and all of the safety functions on the right side of that basically fail to perform. 25 So the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

105 1 reactor doesn't trip, the ESFAS doesn't actuate. That's what was postulated. 2 3 The result of that, there were several 4 accident scenarios where manual operator actions were 5 required to be performed in a given time frame. And there were also other scenarios where there were 6 7 existing diverse system, such as the AMSAC system, 8 that were available and could be credited for 9 mitigating the accident. 10 Prior to this license amendment or receiving this license amendment, the 11 licensee performed an update to the D3 analysis to address the 12 changes being made for this license amendment. 13 The 14 NRC staff completed an evaluation of that updated 15 It was basically an update to the analysis in 2011. 16 previous tables that were done in 1993. It involved 17 the postulation of the software common-cause failures for all plant accidents and AOOs described in the 18 19 FSAR. The safety functions associated with these 20 that were relying on manual operator 21 parameters actions were allocated to the ALS. We talked about 22 how the functions were allocated on the earlier slide. 23 24 The D3 analysis does not make a case for that software common-cause failure of either Tricon or 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

106 is not possible. Instead, for the ALS, it determined that the effect of the postulated commoncause failure does not cause a loss of the safety functions, and that's because they have a means of basically adding diversity into the system. And I'll discuss that in the next slide. So for the Tricon, basically, they just postulated loss of all the functions, so there's really nothing to discuss there. It's no different than what was analyzed for the Eagle 21 system. But for the functions performed by the they've designed important redundancy two features that are being considered in the evaluation They are core diversity. Diablo Canyon application, logic implementations

14 we're performing. As 15 they implemented in generate two redundant 16 for 17 placement within each FPGA for each standard circuit board. So the two redundant logic implementations are 18 19 represented in this figure as the relation between core A1 and core A2 and between B1 and B2 in this 20 slide. 21

So both of these implementations use the 22 same hardware descriptive language, so the same set of 23 24 instructions to program the FPGA are used. However, the logic implementation is produced using different 25

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

ALS,

ALS

1 synthesis directives. What that means is the tool that they're using to actually program the FPGA, they 2 3 set the, they change the settings on that tool and 4 they force the implementation to be different. And that's something we call core diversity. This means 5 was previously used in Wolf Creek application as a 6 7 means of establishing some form of diversity. 8 Now, during the Wolf Creek application, it 9 was recognized for more complicated functions, such as 10 what we're dealing with with the Diablo Canyon application, additional means of diversity would be 11 required. 12 CHAIRMAN STETKAR: Rich, to help the other 13 14 subcommittee members, Wolf Creek was a digital 15 feedwater control system. 16 MR. STATTEL: No --CHAIRMAN STETKAR: I mean feedwater and 17 steam isolation. 18 19 MR. STATTEL: It was a very simple system. It basically took digital input, and it actuated main 20 feed isolation and main steam isolation. 21 22 CHAIRMAN STETKAR: Thank you. That's all it did. 23 MR. STATTEL: Okav. 24 The second form of diversity I'll talk about is called design provides 25 embedded diversity. This an

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

107
additional level of diversity that's provided to that 1 that's provided by the core diversity. 2 Embedded 3 design diversity requires the production of two 4 versions of ACL files. So there's two different 5 diverse sets of instructions that are used to program cards. This 6 the FPGA is represented as the 7 relationship between the A cores and the B cores in 8 this figure. 9 The Diablo Canyon application defines the 10 configuration and arrangements of the PPS system and creates two different sets of FPGA design variants. 11 And you can see there are two sets of code, there are 12 two sets of requirements that are used to generate 13 14 that code. Is there any question about the embedded

15 diversity?

Okay. The next slide. Just also mention the A and B design variants are housed in separate and different chassis in this system.

19 I'll mention -- thanks, John. Somehow I missed that in the notes, but another difference 20 between the A and B design variants is they use 21 completely design development teams. They're both the 22 same vendor, but they have different teams using 23 24 different instructions and different program directives to develop different sets of instructions. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 MR. THORP: And just to add to that a little bit, part of our audit process was to kind of 2 3 examine how well they did that, how independently 4 they, how did they assure independence between those 5 two teams and to look for any potential cross pollenation. 6

7 MR. STATTEL: Okay. So, now, this figure, it basically shows the functional architecture for the 8 9 portion of the PPS. The postulated logic ALS 10 implementation for CCF failure of the ALS would only affect one of the cores within each protection set. 11 So only the As would lose functionality. 12 The Bs would successfully perform 13 still perform, the safety 14 function.

Okay. Each of the core logic blocks shown 15 16 on the figure includes two diverse cores. This was 17 also shown on the previous slide. You can see the or gate there. You might ask the question, well, isn't 18 19 that a software implementation, and the answer to that is no. I couldn't think of any other way to represent 20 this or function. The way it's actually performed is 21 on the next slide. 22

23 MEMBER BROWN: In the old days, if you 24 wanted to develop a combinational logic digital 25 circuit, that or gate was the symbol you used

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

and/or/nor/neither and all that kind of stuff. And that was when you didn't use software. You were just building the FPGA with discrete components, so an or gate was an or gate.

5 MR. STATTEL: That's correct. So even though it's performing an or function, there's no 6 7 software involved with that. And the next slide shows that. This is a de-energized trip function. This is 8 9 a diagram that's right out of the license amendment 10 request. So you can see here there's 120-volt AC source on the right side, and it's used to energize 11 The SSPS train A and train B figures the relays. 12 there are relays within SSPS system. 13

14 So when it's going through the ALS A and 15 ALS B digital output cards, so think of those as 16 contacts, so it's de-energized to trip. So, normally, 17 those contacts are closed during plant operation. So to actuate the signal, basically, you'd need to drop 18 19 out those two relays, and that's performed either by the A or the B. If either one of those contacts 20 opens, those relays will clearly drop out. 21

And you can also see the manual trip switch simply opens the circuit, and it's in series with the other contacts. So it's obvious that that, that the manual trip function is retained and that

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

it's not dependent on any of the software that's being performed in the PPS system. So no matter what happens with the software that goes into isolations, the output fails open, fails closed, if the operator wants to drop out those relays, he opens that switch, and they're going to drop out. And then you can also see how the bypass functions are affected there, as well.

9 Next slide. Okay. I'll talk a minute 10 about the ATWS system because part of our evaluation is verifying that the new system doesn't create any 11 dependencies or violate any of the independence that 12 was established with the AMSAC system. This figures 13 14 shows the functional relationship between the PPS and 15 the AMSAC. As you can see, the steam generator level 16 and turbine impulse pressure signals are shared 17 signals. However, that's really the only interface between those systems. 18

The steam generator level and turbine impulse pressure signals used for the AMSAC actuation are derived from the same sensors. However, those sensors are not digital devices, so they would not be subject to common-cause failure.

24 MEMBER SKILLMAN: Rich, what is turbine 25 impulse?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

	112
1	MR. STATTEL: It's an indication of
2	loading of the turbine.
3	MEMBER SKILLMAN: Okay, thanks.
4	MR. STATTEL: Okay. So the staff is
5	confirming through review of the interface requirement
6	specification that the input signals used for the
7	AMSAC actuation are independent and isolated from the
8	PPS system.
9	Okay. Next slide. Okay. PG&E has shown
10	the existing ATWS system remains diverse from the
11	replacement system. And these are some of the
12	characteristics listed on this slide that we're
13	looking at.
14	The staff performed the evaluation of
15	these differences or is performing evaluation of these
16	differences. This is the list. I will note both the
17	ALS and the AMSAC system are currently supplied by the
18	same vendor, Westinghouse. However, the ALS was not,
19	when it was developed, it was not developed by
20	Westinghouse Corporation. It was an independent
21	vendor that was later purchased by Westinghouse, so we
22	consider it to be an independent vendor.
23	Okay. Any questions on this? Okay. A
24	couple of words on manual operator actions. The new
25	system will reduce, as I mentioned before, will reduce
1	I contract of the second se

(202) 234-4433

113
operator reliance on manual operator actions as a
means of coping with software common-cause failure.
The modification does not affect the ability of
operators to perform manual operator actions of safety
functions. So the existing component and division
level actuation capability is being retained, and
these capabilities are not changed at all as a result
of this PPS upgrade.
The manual initiation signals are provided
directly to SSPS system, which is not being modified.
Previously credited manual operator actions will still
be available to the operators and existing component
and division-level actuation from the main control
boards will be retained.
Okay. Are there any questions with regard
to the diversity of the system? All right. With
that, I'm going to turn the presentation over to Samir
Darbali, who is also one of our technical reviewers,
and he's evaluating the secure development
environment.
MR. DARBALI: Thank you, Rich. So I'll be
talking about SDOE, or secure development and
operational environment, which we already talked a
little bit about in the communications section.

The staff is reviewing the secure

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

114 development and operational environment to ensure reliable system functionality. Applicable guidance is Reg Guide 1.152, Revision 3, criteria for using computers in safety systems of nuclear power plants, which endorses 7432 2003. This reg guide is not intended to address

6 7 the ability of protective features to thwart malicious 8 cyber attacks. Secure development environment is 9 condition of having appropriate defined as the 10 physical, logical, and programmatic controls during the system development phases to ensure that unwanted, 11 and undocumented functionality is unneeded, 12 not introduced into the digital safety system. 13

Secure operational environment is defined as the condition of having appropriate physical, logical, and administrative controls within a facility to ensure that the reliable of operation of digital systems are not degraded by undesirable behavior of connected systems and events initiated by a access to the system.

Next slide. As part of the Tricon and ALS
topical report reviews, the staff evaluated the secure
development environments used by Invensys and
Westinghouse to develop the respective generic digital
platforms. The staff is currently evaluating that

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

	115
1	these secure development environments are maintained
2	for the development of the Diablo Canyon application.
3	The vendors control access to the
4	development environments by performing vulnerability
5	assessments, which identify both physical and life
6	cycle vulnerabilities. Control of access to the
7	development environment is accomplished by the use of
8	access security cards and by controlling development
9	areas, including computers, workstations, network
10	service, and portable medium.
11	The vendors have established procedures
12	for controlling access to signed documents and
13	materials, as well as for software development,
14	configuration management, testing, and non-conformance
15	reporting. PG&E will not be developing or modifying
16	the software at the plant. And once the PPS
17	replacement
18	MEMBER BROWN: Excuse me, Samir. Thank
19	you. I've just forgotten something. On the code
20	reviews, to detect and prevent the use of unintended
21	code or code functions, I mean, by that I think
22	friends, inheritance, things of that nature. I'm
23	thinking C or C plus or whatever it is. Is that the
24	vendors doing that, or does NRC, does the staff
25	actually do a code review to determine whether they've
I	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	116
1	used unintended code or code functions?
2	MR. DARBALI: The staff audits the
3	vendors' procedures for
4	MEMBER BROWN: Just the process reviews.
5	MR. DARBALI: Yes, yes.
6	MEMBER BROWN: So if their process misses
7	it, then that's the way it goes?
8	MR. STATTEL: Well, let me talk about that
9	a little bit. Here's how it goes. So we perform
10	threat audits, so we pick one of the aspects that
11	we cover during our audits is configuration
12	management. And configuration management, we'll
13	typically go to the vendor and we'll ask them this
14	question: how do you make sure that no unintended
15	functions or unintended software is introduced in this
16	system? And it's very closely related to
17	configuration management because it has a lot to do
18	with who has access and who has the capability of
19	modifying the code and how that's managed and how you
20	make sure two people aren't modifying the same code at
21	the same time, things like that.
22	And so we haven't completed our audits
23	yet, so let me state that. We have performed audits
24	at the vendor facilities, but that was prior to them
25	having developed the software. So we plan on doing
1	I contraction of the second seco

(202) 234-4433

audits at the vendor facilities this summer and continuing on with these.

So the way the conversations go is, when 3 4 we ask those questions, they walk us through, well, 5 here's how a software engineer is going to modify the 6 code, here's the steps he has to go through. And 7 they'll show us the procedures, and they'll describe the controls that are in place to make sure that the 8 9 software isn't inappropriately checked out or, if it's 10 checked out, it doesn't get to be checked out by another software engineer. 11

Then the other thing is the check-in 12 So once the code is modified, what approval 13 process. 14 processes and what protections are in place to make 15 sure that that change in the code doesn't introduce a function that's not called for, it's unintended, or 16 it's not documented. And this ties back in with the 17 traceability process because that's another aspect of 18 19 the audit that we pay very close attention to.

So, in other words, if there's a function in there that's not described by a requirement, an approved system requirement, and an engineer goes to check that function in, the requirements traceability process, and they perform audits on this, we review those audits reports, as well, would catch that.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

(202) 234-4433

117

	118
1	That's our expectation.
2	So we review that process. We have them
3	walk us through the process for developing the code.
4	In addition, we review their problem reporting
5	documentation, as well. So if anyone attempts to
6	check in software inappropriately or that hasn't been,
7	hasn't been tied to an official approved requirement,
8	that should show up in their corrective action
9	program, right? So we look for that, as well.
10	So that's kind of the process we go
11	through. We're talking, you know, many thousands of
12	pages of code to go through. We expect the vendors
13	V&V process to do those code reviews.
14	MR. DARBALI: Okay. Thank you, Rich. For
15	secure operational environment, once the PPS
16	replacement project is completed and the PPS system is
17	in the operations and maintenance phases, several
18	modifications to the Tricon and ALS platforms will be
19	controlled by the PPS replacement software
20	configuration management plan. Modification to the
21	PPS replacement components produced by the vendors
22	will be performed by the vendors, not the licensee.
23	Like we mentioned in the communications
24	portion of the presentation, the PPS replacement
25	system will be located in the cable spreading room,
1	•

(202) 234-4433

	119
1	which is a plant vital area. The PPS will be housed
2	in the same cabinet as currently houses the Eagle 21
3	system. These cabinets are locked, and the keys are
4	administratively controlled by operations personnel.
5	Also, access to the maintenance
6	workstation
7	MEMBER BROWN: Excuse me, Samir. By
8	operations, you mean in the main control room?
9	MR. DARBALI: In the control room. That's
10	correct, yes. And access to maintenance workstations
11	is password protected. An annunciator will inform the
12	control room if a maintenance workstation is accessed.
13	And during a visit we had last August at Diablo
14	Canyon, we did have operations personnel guide us
15	through the process.
16	MEMBER SKILLMAN: Let me ask this. Rich
17	raised the point that, if there are issues, one would
18	think that they would show up in the corrective action
19	program. If there is an error that the licensee in
20	software modification and there is a violation, is
21	that a violation of criterion 3 design control?
22	That's an absolute ignorant question. It's just
23	curious to me. I understand how the SSCs are
24	MR. STATTEL: We're not able to do, you
25	know, a 100-percent code review, so we're really, we

(202) 234-4433

1 really consider the V&V personnel and the processes the vendor has in place to be as kind of our agents. 2 So we want to test those processes. So when we go to 3 4 perform these audits, we run these hypothetical situations. We say, okay, now that I've checked -- if 5 possible, we actually run through, let's check this 6 7 piece of software out, let's modify it, let's add a 8 function block in there that doesn't, that's not 9 called for by a requirement, and let's go try to check 10 it back in. What's going to catch that? And, if possible, they should be able to demonstrate, you 11 know, this is the thing, this is the measure that we 12 have put in place to prevent that from occurring. 13

14 And we have them kind of walk us through 15 We interview the personnel that are that process. 16 involved in all of those processes: the engineers, the 17 software librarian, the V&V engineers, because there's always a V&V step in the process of checking that back 18 19 So there's a signature that goes in. in. So we ask, well, what does that signature mean? 20 What's behind that signature? And what we're looking for is some 21 procedural step in some procedure they have that we 22 can read that will tell me, oh, this guy isn't going 23 24 siqn this unless he knows that there's to а requirement associated with every function that's 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

120

	121
1	being added to that piece of software.
2	MR. THORP: Now, you had mentioned if the
3	licensee changed the software, just to be clear, the
4	licensee itself is not going to change the software
5	on-site. They're not going to do that.
6	MR. STATTEL: Well, they're not completely
7	off the hook either, let me tell you.
8	MR. THORP: Well, they're responsible,
9	they're responsible. But I think they're going to use
10	the vendor for software changes; is that right?
11	CHAIRMAN STETKAR: Just if you answer
12	things, make sure we get you on the record who you
13	are.
14	MR. THORP: Right. So that's Ken. Go
15	ahead and speak in the mike.
16	MR. SCHRADER: This is Ken Schrader, PG&E.
17	And the answer to that question is ask the question
18	again.
19	MR. THORP: Well, the question was if the
20	licensee had caused a change to the software that
21	created some inadvertent condition that wasn't
22	appropriate, would that be a violation of criterion 3
23	design control? Certainly, if the licensee did that
24	somehow, I would think, yes, we'd be looking at the 10
25	CFR 50 Appendix B criterion. The folks in the
	I contract of the second se

(202) 234-4433

	122
1	inspections area, the resident inspectors and whoever
2	else would get involved would be examining whether
3	that criterion would be what they would apply in terms
4	of a violation. But in terms of process itself
5	MR. SCHRADER: Well, the last statement I
6	heard was is that PG&E would not be modifying the
7	software, and that is a true statement.
8	MR. THORP: So your point is well taken.
9	Yes, that would be
10	MEMBER SKILLMAN: Let me explain why I
11	asked the question. It's because this is from a world
12	I really don't understand. I understand the old
13	analog and how we handled 10 CFR 50 Appendix B with
14	old equipment, but it seems like this is a new, a new
15	atmosphere that we've moved into where the vendor is
16	actually the adopted leader for the portion of the
17	licensee's control system and the licensee is
18	depending on that vendor. And so there is a, at least
19	as I see it, a different relationship than the old
20	environment in which we operated where the licensee
21	really owned everything.
22	In this case, the licensee certainly owns
23	it but is fully dependent on this vendor to give the
24	licensee
25	MR. THORP: And, nonetheless, we would

(202) 234-4433

	123
1	still, as an agency, hold the licensee accountable for
2	any issues or impacts on their systems and equipment.
3	And so as we'll find, Rich has been talking about the
4	audits that we do, we also are looking at the licensee
5	and looking at what kind of audits do they do.
6	They've got their vendor quality assurance program
7	that they have to follow, and they're, I would think,
8	perhaps even more intensely interested in what's going
9	on in terms of the vendor's controls for the software
10	design and configuration management even than we are.
11	But if you would like for them to speak to that, I'd
12	be happy to
13	MR. PATTERSON: And this is Scott
14	Patterson, Pacific Gas and Electric. We do review
15	every piece of software that the vendor produces. I
16	mean, we've gone through all their software design
17	descriptions, and we validate that there's no code
18	that's not supposed to be there. We also do a site
19	acceptance test once we get the code and validate that
20	everything works as expected
21	MEMBER BLEY: Could you say the end of
22	that again? I couldn't quite hear you.
23	MR. PATTERSON: When we get the equipment
24	on site, we do a site acceptance test and validate
25	that the equipment works as desired for our
1	1

(202) 234-4433

1 requirement specifications. So that's kind of a back-2 up to the factory acceptance test that the vendor 3 does. Do you want to talk about the audit that we're 4 going to perform --

5 MR. STATTEL: Well, it is a different paradiqm. I recognize that. 6 When I was on the 7 licensee side myself, when I was a system engineer, believe me, I wasn't comfortable with this either. I 8 9 didn't like passing this responsibility to the vendor. So like Scott mentioned, we did perform some very 10 comprehensive site acceptance testing before we would 11 declare system operable. And that's 12 а our expectation, as well. 13

14 Now, going back to the original point with 15 regard to the corrective action program and whether 16 into that is а Category 3 event, entry not 17 necessarily. You might think that we review the corrective action and we never find any violations in 18 19 terms of unintentional code. But, in actuality, we find many instances, but it's usually not intentional. 20 It's usually, inadvertently, there's some piece of 21 code that wasn't properly documented. 22 So it might just be an administrative thing to correct that and 23 24 update the requirements in order to make sure that the code is appropriately documented and it belongs there. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	125
1	It's not actually unintended.
2	And that's really part of a process
3	working, and that's what we're really looking for when
4	we perform these audits. We want the process to be
5	adaptive, and we want it to be, you know, to provide
6	high assurance and they're achieving the correct
7	software. And if there is something that goes wrong
8	or some code that gets inadvertently introduced, they
9	have a way of recognizing that and correcting that.
10	And that's why we review the corrective action
11	documentation.
12	MEMBER SKILLMAN: Thank you. Thanks.
13	MS. ALVARADO: Just for further
14	clarification, also we review the plans and process
15	that both the vendor and the licensee have in place to
16	catch this kind of, you know, software that is not
17	working right or doesn't meet our requirements. So we
18	do evaluate in this part of our safety evaluation.
19	And the last thing I wanted to add was
20	that the vendors usually have different layers of
21	corrective action programs. So it just depends of
22	what phase you are. But before they release it to the
23	licensee, they have different ways to document this
24	before reaching their corrective action program. And
25	we do look at those records to see how, you know, they
	I contract of the second s

(202) 234-4433

found it and how they address it. And usually it requires not just the design engineers to fix it, but it requires, you know, like a group of people or a team to approve those changes. So it's not as simple as just like I'm going to fix this.

MR. STATTEL: Final topic for today is 6 7 going to be deterministic performance of the PPS. And we'll be talking about the attributes of both of the 8 9 subsystems. So both the Tricon and the ALS platforms 10 are designed to process every piece of plant input and every plant protection and safequards 11 data including process of all system outputs function, 12 during each program cycle. 13

14 Each of the platform evaluations 15 determined application-specific that there are parameters which could influence the systems ability 16 17 to perform in a deterministic manner. The staff is, therefore, evaluating the deterministic behavior 18 19 characteristics for each subsystem within the context of the Diablo Canyon application, and I'll go into a 20 little bit more detail on what that entails. 21

Okay. Our guidance, the standard review plan guidance advises that an evaluation should confirm the system's realtime performance as deterministic and known. What does that mean exactly?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

	127
1	So BTP 21 discusses design practices to be
2	avoided for computer-based systems. And those
3	practices include non-deterministic data
4	communications, non-deterministic computations, use of
5	interrupt multi-tasking, dynamic scheduling, and
6	event-driven design.
7	So we're reviewing these design processes
8	and looking to see that these are not incorporated.
9	So it's kind of like a reverse criteria that we're
10	applying here.
11	However, during the platform evaluation,
12	that's exactly what we did. So we followed this
13	guidance. So each of the platform evaluations
14	concluded that there are application-specific
15	parameters that I mentioned. The staff, therefore is
16	reevaluating deterministic behavior characteristics
17	for each subsystem for Diablo Canyon.
18	Let's go to the next slide. So first I'll
19	talk about the ALS subsystem. It's an FPGA design.
20	It does not embed microprocessor cores, which is
21	something that's used in some other FPGA designs. And
22	it does not use interrupts.
23	The staff is in the process of confirming
24	the Diablo Canyon application operates on fixed, it
25	does operate on fixed cycles, which are deterministic
	1

(202) 234-4433

sequence of acquire inputs, perform logic operations, and generate outputs. That has to be followed without the use of microprocessor core or interrupts, and we're confirming that now. This is consistent with the ALS platform's approved topical report.

The staff is evaluating deterministic 6 7 performance of ALS. There are parameters which are 8 application specific and require separate evaluation. 9 In this case, only the ALS 102 core logic boards are 10 subject to application-specific response time. So as you can imagine, the more functions and the more 11 complicated the logic is, the longer that process is 12 So that's why there's an application 13 going to take. 14 component of this.

15 So part of our evaluation is we look at 16 the safety analysis. We understand what the expected 17 performance characteristics are for maintaining plant safety. We look at the specifications for the system 18 19 that PG&E has developed and provided to the vendors, and we look at the actual application in terms of the 20 logic that's performed and the time that it takes to 21 perform that logic. 22

23 With Diablo Canyon, we know exactly the 24 number of inputs, we know what the processes are, and 25 we know the exact number of outputs. So with that in

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

1 mind, we can calculate, the applicant calculates what the expected response time is. And what we've seen so 2 3 far is that it's much shorter than what the required 4 response times are provided by the licensee. 5 Okav. The Tricon system is a little bit different. 6 Its performance characteristics are 7 dependent on the specific application design. As part

8 of the application development process, a timing 9 calculation performed analysis is after the 10 application program is written. So we don't get to see this until pretty late in the design process. 11 However, that calculation takes into account the 12 complexity and the extent of the application that's 13 14 being developed. So the more functions that are being 15 performed, the longer this calculation that time will 16 end up being.

17 Actually, go to the next slide. This kind of represents our approach to this. So the variables, 18 19 the things that affect the time response are the number of input and output parameters, the number and 20 function blocks utilized, the 21 types of and architecture of the design system. 22

The result of this calculation is used as a baseline, which is kind of shown as the pink bar on this graph here. That's the results of the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 calculation. And it's used as а baseline for cycle time for 2 establishing the program the 3 application, and that's the next bar up, which is the 4 blue time. So they will basically add on a degree of 5 margin to the calculated time, and they will set the processor to re-execute in the program scan time. 6 So 7 that gives us a level of assurance that at least the 8 calculated, at least all functions will be performed 9 in that scan time.

The program's scan time is always longer than the calculated execution time for the application. The scan time is also shorter than the required response time allocated to the Tricon system.

14 Another thing I'll mention is we talked 15 about the temperature processing signals. And you 16 notice that the temperature signals might are 17 processed by the ALS system, and then they're fed as analog signals over to the Tricon system. So in that 18 19 we consider the response time for those case, functions that are supported by that, we consider the 20 response time of both systems in series, right? 21 So there's an allocation for the Tricon and allocation 22 for the ALS that are relied upon for performance of 23 24 those functions, right? So we're evaluating that, as well. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

131
Okay. And, finally, the purple bar on the
top of this diagram represents the response time
established by the plant accident analysis. And we're
looking at that, as well.
And that's pretty much all I had planned
on talking about with regard to deterministic
performance. Do you have any questions on this topic?
MEMBER BROWN: Anybody?
CHAIRMAN STETKAR: The only question I
had, before you get asked for comments, Rich, do you
have the SE is still in progress. Do you have any
estimate of when you might be finished?
MR. STATTEL: Well, when it was originally
submitted, we were supposed to be completed in, I
believe, October of 2013. That was our two-year
metric. So we didn't meet that, but it was not a
result of any, of the licensing reviews. The licensee
has been very responsive to our questions. What, in
fact, happened is the licensee made some schedule
changes. They had some delays from the vendors in
terms of vendors going through the design process. So
those delays were factored in, and the licensee made
a decision to push the implementation back by one
refueling cycle. They informed us of that last year,
and we adjusted our schedule.

(202) 234-4433

Currently, we plan on completing our The factory tests are scheduled for this 2 audits. spring, very soon actually. We plan on performing the final audits in, I think, like, June - July time frame. And once we receive the final test result reports, the final summary reports, we hope to complete our draft SE and have that to the licensing 8 folks by, I believe, September of this year.

9 The only reason I ask CHAIRMAN STETKAR: 10 is this is really the first fairly-detailed overview of reactor protection safeguards actuation replacement 11 the Committee has been exposed to. We had kind of a 12 briefing on the Oconee upgrade, but it was fairly high 13 14 level and fairly short. And I think there might be an 15 interest in following up, you know, as you get closer to finishing the SE, whether it's at the draft form or 16 17 more finality among the Committee, have another briefing, especially to see how you've closed out some 18 19 of these things.

MR. STATTEL: Sure.

CHAIRMAN STETKAR: Because it is kind of 21 an innovative design. It's a little different than 22 what the Committee has seen in the context of some of 23 24 the new reactors that have used different ways of assuring diversity and things like that, and this may 25

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

3

4

5

6

7

20

6 7 It's a pilot with 8 respect to the Interim Staff Guidance number 6, which 9 is the quidance that lays out sort of the expectations for what kind of information that should be submitted 10 and in what phases it should be submitted so that the 11 licensing process can go more smoothly. So we're 12 learning things as we move through that process, and 13 I think what other folks who are looking at possible 14 15 protection system replacements and similar digital 16 upgrades are trying to determine for themselves is 17 whether this is going to be worthwhile for them to do in terms of the efficiency of the time it takes them 18 19 to get it done, the predictability of when they can see a safety evaluation. So there are some folks on 20 the sideline who are watching to see how this all 21 22 comes out.

24 MEMBER BROWN: Okay. Is there any one on 25 the phone line that would like to make some comments?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

Thank you.

CHAIRMAN STETKAR:

(202) 234-4433

23

1

2

3

4

5

Í	134
1	Is the phone line open?
2	CHAIRMAN STETKAR: The answer to that is
3	no.
4	MEMBER BROWN: Is there anybody
5	MR. LEWIS: Is the phone line open?
6	MEMBER BROWN: It is.
7	MR. LEWIS: Can you hear me?
8	CHAIRMAN STETKAR: Yes, thank you.
9	MR. LEWIS: My name is Marvin Lewis. I
10	have been trying to get through every time you've
11	opened the phone line supposedly. May I ask a
12	question, please?
13	CHAIRMAN STETKAR: Go ahead.
14	MR. LEWIS: Okay. Actually, I did just
15	ask a question, but that's all right. Answer it in
16	the positive. Here's my problem. You seem to be
17	doing various types of paperwork exercise. Let me
18	explain
19	CHAIRMAN STETKAR: Mr. Lewis, could you
20	kind of keep a uniform distance from the microphone or
21	something? You're kind of fading in and out.
22	MR. LEWIS: Is this a little better?
23	CHAIRMAN STETKAR: That is much better,
24	much better.
25	MR. LEWIS: All right. I had my speaker
	I contract of the second se

```
(202) 234-4433
```

	135
1	on. I'm sorry. Look, I know what's going on in labs,
2	in scrap yards, nuclear power plants. It's one thing
3	that the paperwork says, it's another thing that's put
4	on the computer, and things go on like that. Let's
5	say, let's say people are human, okay?
6	For instance, let me give you a couple of
7	little for instances. One, a repair tag blocks the
8	view of a warning light and Three Mile Island Number
9	2 goes down and is still down and will still be down.
10	There's a place out in New Mexico, I think it's called
11	Carlsbad. There's a waste site there, transuranic
12	waste. Oh, the paperwork was beautiful. I looked at
13	all the paperwork. I was sure that site would never
14	give anybody problems. Two days ago, that site leaked
15	radioactive big, and somebody put out an order, I
16	don't know who, and every reporting field meter in the
17	United States went down for maintenance. So I don't
18	know much about that episode, but I do know it
19	contradicts the paperwork.
20	That's my question. Is this paperwork
21	that's going to get contradicted, like a Fukushima,
22	like at Three Mile Island, like at Chalk River, like

at a thousand other places, or is this going to be for real on the site, on the ground? I hope I'm making myself clear.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	136
1	CHAIRMAN STETKAR: I think you have.
2	Thank you very much for your comments. I'm sure the
3	staff, I see them taking notes, so thank you very much
4	for your comments, sir.
5	MR. LEWIS: Oh, look, if they're taking
6	notes, let me give my email address.
7	CHAIRMAN STETKAR: Well, you're on the
8	record, actually, and all of this is public
9	information so
10	MR. LEWIS: All right.
11	CHAIRMAN STETKAR: We're good. Thank you.
12	MR. LEWIS: Thank you. Bye.
13	MEMBER BROWN: Is there anyone else on the
14	phone line that would like to make a comment? Hearing
15	none, Christina, would you close the phone lines? I
16	went to the audience, and nobody stood up. Is there
17	anybody out in the audience would like to stand up and
18	make a comment? Hearing no one, we will then proceed,
19	and now we'll number one, I would like to thank the
20	staff before I hang out here for a very thorough,
21	comprehensive, again, discussion. There was a lot of
22	meat you presented during this briefing. And based on
23	response of the members, I think a lot of head
24	shaking, up and down, by the way, not side to side.
25	So I wanted to thank you all for a good presentation,

(202) 234-4433

	137
1	and I will now turn this back over to the Chairman.
2	CHAIRMAN STETKAR: Thank you very much.
3	And, again, I'd like to echo Charlie. Thanks a lot.
4	You covered an awful lot of material. I didn't think
5	you had a prayer, and you did it pretty well. So
6	thank you.
7	With that, we will recess until 1:45. We
8	have another presentation scheduled at that time. I
9	will remind the PRA Subcommittee members that we have
10	a noontime meeting in the conference room. Anyone who
11	wants to attend, please do.
12	(Whereupon, the foregoing matter went off
13	the record at 12:47 p.m. and went back on
14	the record at 1:46 p.m.)
15	CHAIRMAN STETKAR: We're back in session,
16	and this afternoon the first item on the agenda is
17	we're going to hear from the Staff on pellet cladding
18	interaction, and Dr. Armijo has one of his final
19	MEMBER ARMIJO: My parting shot on this
20	one.
21	CHAIRMAN STETKAR: He will lead us through
22	that. So, Sam, it's all your's.
23	MEMBER ARMIJO: Thank you, Mr. Chairman.
24	I'll just off with a little bit of history, and I'll
25	refer to something I got into the PCI problem in

(202) 234-4433

the early '70s. Okay? Actually, what was really driving it was something that the NRC put out, and that was related to TCI-related cladding failures during off-normal events. And this is the report that was used to pretty much strong arm the BWR fuel manufacturers into trying to solve this problem, this PCI, pellet cladding interaction problem.

8 During normal operation we figured out how 9 by very careful to take care of that power 10 maneuvering, but NRC was concerned that if you had a transient that took you above your normal peak 11 operating power you could fail a lot of fuel because 12 this would be a whole core transient and a lot of fuel 13 14 would be going up in power very fast. That was one of 15 the big drivers in the GE program to develop barrier 16 fuel, and that's a program that I led. So, the way we 17 tested, we tested the fuel to be PCI-resistant by taking it up to very high powers, much higher than our 18 19 normal peak linear heat generation rate. Typically, we would test it 16 kilowatts per foot, sometimes as high 20 as 18 kilowatts per foot before we were satisfied we 21 had something that would work in transients, as well 22 as during normal operation without any restrictions. 23 24 That turned out to work very well, and that fuel was commercialized, licensed, and has been in BWRs around 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

	139
1	the world for 30 years.
2	In PWRs they didn't have such a serious
3	problem because they've got a more favorable
4	environment, higher pressure, higher temperature. They
5	don't change power that quickly, but the materials are
6	still susceptible to this stress corrosion cracking
7	problem, so the PWR guys never had to implement any
8	kind of a PCI remedy, although they talked about it
9	and they fooled around with it in limited number of
10	tests.
11	You had in 2007, I think, somewhere around
12	2009, we had several meetings. Paul was in, and we
13	were worried that some of the BWR operators had
14	forgotten why they were using PCI-resistant fuel, were
15	starting to talk about just going back to convention
16	cladding. And that was at the Susquehanna review. So,
17	we put out a White Paper, we met and we wrote some
18	letters. Dana, and I, and Sanjoy wrote some things
19	recommending that the Staff should come up with an
20	analytical tool, a regulatory tool to assess whether
21	this was a real problem, and to do something about it.
22	It turned out so many the world using
23	PCI-resistant cladding wasn't a problem for BWRs. More
24	recently, the PWR question came up in a review of the
25	MHI, the MHI certification, and we asked a lot of
1	1

(202) 234-4433

(202) 234-4433

	140
1	questions, but it wasn't really fair to them because
2	it's really a generic issue. So, we asked the Staff,
3	and we've been pressing the Staff to work on this some
4	more. And the fundamental issue is if you have how
5	much time do you have to correct the problem if you
6	don't have an automatic system that will terminate a
7	power transient very quickly, how much time do you
8	have for manual action? And the other part of it is,
9	can your fuel actually get to the powers that are
10	necessary for this problem to occur? So, that's really
11	the heart of the matter, you know, time, and power,
12	and the system characteristics because if you'll ever
13	go to very high powers in the times we're talking
14	about, and is the system capable of terminating the
15	event?
16	The other part of the problem is for years
17	people in the industry have been relying on a
18	cladding, pellet cladding mechanical interaction
19	criterion to protect the fuel from this over-
20	straining, and it works very well, you know. There's
21	1 percent you're allowed to have up to 1 percent
22	cladding strain during a power transient, and that's

23 a mechanical thing. And everybody designs their fuel so that they stay below that during all the transients 24 25 for their system.

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

The trouble with that is that the PCI is not PCMI, has some parts of it but it's a stress 2 corrosion problem, and all of the data say stress corrosion happens well below 1 percent. And that's in that little White Paper I sent around, and it happens for BWRs, and it happens for PWR fuel.

7 So, the Staff has been working on how to assess it for PWRs, and they've written a White Paper 8 9 titled, "PWR Susceptibility to PCI Cladding Failure." 10 And we had a June 17 subcommittee meeting on that, and I think there's been a lot more work done since that, 11 12 maybe not. I see a lot more charts. But, anyway, Paul is going to give us an update on where they stand, 13 14 what they've done. And we're fortunate that we have a 15 very large database on this subject of ramp testing, 16 which is the key tool that you use to assess PCI 17 susceptibility. So, Paul, with that introduction.

CHAIRMAN STETKAR: Before we get started, 18 19 let me just remind that Sam and Paul, we're in open session right now, so we're open, so if you get 20 questions during this period that start to tread on 21 proprietary information either alert us and we'll 22 close it, or deflect those until we close the meeting 23 24 for the proprietary part. Make sure that we're alerted 25 to that.

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

3

4

5

6

142 1 MEMBER BALLINGER: Part of this presentation has sensitive material label 2 on the bottom. 3 4 CHAIRMAN STETKAR: That's correct. We will 5 close the meeting, but I just wanted to make sure 6 everybody was sensitized that if we start treading in 7 the open session into anything that's proprietary to be sensitive to that. 8 MR. CLIFFORD: Okay, thanks. Dr. Armijo did 9 10 a great job with the background material, and he's correct. The real purpose here is to kind of address 11 this in a generic fashion because during several NRO 12 reviews and NRR APUs the question kept coming up 13 14 generically, what have you done with respect to PCI on 15 these PWR reviews? So, we agreed to kind of take a 16 step back and look at this at a generic level. The agenda is as follows. We'll just talk 17 about the Studsvik Cladding Integrity Program, talk 18 19 about what we've done to validate the FRAPCON code, and how we've used the FRAPCON code to come up with a 20 draft failure threshold. Then we'll talk about PWR 21 operating characteristics, and identify AOO overpower 22 scenarios that may be susceptible to PCI. Then we'll 23 24 get into some FRAPCON calculations we did to calculate whether or not we would predict PCI cladding failure. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	143
1	And then we'll have conclusions.
2	As I mentioned earlier, I'm not sure
3	everyone was here, but my counterpart in research,
4	Patrick Raynaud, he won't be joining us today. His
5	wife is pregnant and she's due any second so he's at
6	home waiting to drive to the hospital.
7	MEMBER CORRADINI: More important things.
8	MR. CLIFFORD: Exactly. But I'm prepared to
9	answer any questions you have on the research portion,
10	and we have Harold Scott from the Office of Research,
11	too.
12	This is just general background.
13	Obviously, pellet cladding interaction can lead to a
14	variety of stresses and strains on the cladding, and
15	there are three pronounced types of cladding failure
16	mechanisms. That's classical strain-based hydrogen
17	embrittlement, stress corrosion cracking which we're
18	here to talk about today, and delayed hydride
19	cracking. Each one of them would occur at a different
20	time and different loading conditions.
21	MEMBER CORRADINI: Sam did this orally, but
22	you have a cartoon, so can I ask you a question?
23	MR. CLIFFORD: Sure thing.
24	MEMBER CORRADINI: Is this a steady state
25	issue, more of a ramp issue, or depending upon the

(202) 234-4433
	144
1	ramp rate a little bit of both? That's what I didn't
2	understand in the description.
3	MR. CLIFFORD: It's a ramp issue.
4	(Off the record comment.)
5	MR. CLIFFORD: But it's a change in power
6	and the duration of the change in power which
7	increases the stress loading. If you're at normal
8	steady state for a period of time you get stress
9	relaxation, so if you were operating at say 12
10	kilowatts a foot and you moved your way up to 14
11	kilowatts a foot, that's extreme condition, but after
12	a period of time you get stress relaxation
13	MEMBER CORRADINI: It's not X to Y,
14	whatever X to Y is. It's the rate at which you go from
15	X to Y, or is it the absolute X and Y?
16	MR. CLIFFORD: It's both.
17	MEMBER CORRADINI: Okay.
18	MR. CLIFFORD: It's both, but it's not
19	necessarily a peak, it's the delta. In my view it's
20	always the delta because that's the maximum
21	MEMBER CORRADINI: So, it's the ramp rate
22	and the magnitude that you end up at.
23	MR. CLIFFORD: Correct.
24	MEMBER CORRADINI: Okay.
25	MEMBER ARMIJO: It's all three. It's the
	I

(202) 234-4433

	145
1	peak power, it's the higher the delta power is, and
2	then the ramp rate. Just for perspective, the BWRs
3	used to have to increase from 8 kilowatts per foot
4	LHGR, and if they wanted to go to 13 kilowatts per
5	foot, they had to cross that 8 kilowatts per foot line
6	at a rate of .1 kilowatts per foot per hour. That's a
7	long, long time, huge capacity factor loss. If they
8	went a little bit faster, it would fail by PCI. If
9	they went very fast it would still fail by PCI, so
10	it's a very sensitive rate of change, and relaxation
11	of the cladding is a key thing. That's how barrier
12	works, it relaxes very fast.
13	(Simultaneous speech.)
14	MEMBER BANERJEE: Paul, so on that
15	duration, so take a typical turbine trip event, where
16	would that put us?
17	MR. CLIFFORD: We're getting there's
18	specific slides on that.
19	MEMBER BANERJEE: Okay.
20	MEMBER CORRADINI: So, back to my original
21	question.
22	MEMBER BANERJEE: It's SEC. Correct?
23	MR. CLIFFORD: Yes.
24	MEMBER BANERJEE: In that case. Okay,
25	that's really what I wanted.
	I contract of the second se

	146
1	MEMBER CORRADINI: So, all of these that
2	you talk about are chemical effects, not mechanical
3	effects.
4	MR. CLIFFORD: No, the classical PCMI
5	MEMBER CORRADINI: Is mechanical.
6	MR. CLIFFORD: is a mechanical loading
7	strain-based capabilities that's affected by hydrogen
8	embrittlement. PCI stress corrosion cracking is a
9	combination mechanical and chemical interaction.
10	Delayed hydride cracking a little more complex because
11	you have reorientation of hydrides.
12	MEMBER CORRADINI: In the green boundaries.
13	MEMBER ARMIJO: No, not necessarily.
14	Radiation hardening hardens the cladding. The fission
15	build up during operation creates iodine or possibly
16	cadmium that are the embrittlement chemicals, and the
17	change in power creates stress, so you need three
18	things, stress, susceptible material, and aggressive
19	environment.
20	MEMBER BALLINGER: You have to maintain a
21	certain crack tip strain rate. I don't want to get too
22	technical, for a long enough period of time, and the
23	ramp rate, and the condition of the fuel, and how fast
24	you can relax stresses at a crack and all that kind of
25	stuff contributes to this. You have to maintain a
I	

(202) 234-4433

	147
1	certain strain rate at the tip of a crack and then it
2	will just
3	MEMBER CORRADINI: Go ahead, Paul.
4	MR. CLIFFORD: Okay. So, GDC 10 requires
5	that the fuel vendors define SAFDLs, Specified
6	Acceptable Fuel Design when it's which encompass
7	all known degradation mechanisms and define
8	performance metrics of failure, where it fails, where
9	it doesn't fail. And then demonstrate that during
10	normal operation and all AOOs that they do not fail
11	cladding.
12	There's many SAFDLs. The top three are
13	what we would use to delineate failure from non-
14	failure during an AOO.
15	I put this slide in here because there has
16	been a lot of discussion about what the existing
17	cladding experience SAFDL is versus a PCI, whether
18	it's PCMI, or PCI. And the 1 percent as it's commonly
19	referred to is strictly PCMI, mechanical loading. And
20	the SRP clearly acknowledges that this 1 percent limit
21	will not protect against corrosion-assisted PCI
22	failure.
23	As you can see in this plot, this
24	withdrawal event, low power, you can have a rapid
25	power excursion. You're at low power so you have

(202) 234-4433

148
plenty of DNB margin so you're not going to fail by
DNB. You're at relatively low fuel temperatures,
you're not going to fail by melt, but you may fail by
just cladding strain. So, it's an important
MEMBER CORRADINI: And just walk me
through, I'm sorry, but since we're so that means
the fission gases don't get out, so I do some initial
from a high ramp rate I'd have some sort of
immediate swelling and contact, and then associated
chemistry.
MR. CLIFFORD: No, in this particular case
the chemistry aspect is irrelevant because of the time
frame.
MEMBER CORRADINI: So, it's strictly a
strain
MR. CLIFFORD: It's strictly mechanical
strain.
MEMBER CORRADINI: And the inability to
absorb the rapid change.
MR. CLIFFORD: Correct.
MEMBER CORRADINI: Okay.
MR. CLIFFORD: So, the SAFDL is based upon
separate effects testing on irradiated cladding
segments. It specifically accounts for hydrogen
embrittlement since it's done as a function of

(202) 234-4433

hydrogen, a function of burnup. It's generally chosen as a lower bound of the uniform elongation data, and the empirical strain limit would then be compared against a predicted strain using conservative analytical models. So, this cladding strain SAFDL serves a purpose.

MEMBER ARMIJO: Oh, I agree.

8 MR. CLIFFORD: Okay. Now, how do we insure 9 that we prevent AOO, prevent failures during AOO? 10 Well, the power plants rely on many aspects including fuel design features, operating procedures, initial 11 margin as preserved by their tech spec LCOs, automatic 12 system actuations, manual responses to insure that 13 14 they do not have fuel failure. The Chapter 15-type 15 safety analysis is based on very conservative models, limiting initial conditions to the most unfavorable 16 17 allowable, system responses, alonq with hiqh confidence limits. So, if you're at 100 percent power 18 19 and you increase power due to excess steaming or whatever is driving power up, in general, you're going 20 to approach your DNB SAFDL first. And then second 21 amount you would approach your fuel swelling, and then 22 finally you'd approach fuel temperature, so that's 23 24 kind of the order of things.

So, the question is in blue here, if you

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

6

7

	150
1	need to specifically model PCI failure would that
2	require a change to the tech specs, or the operating
3	limits, or the fuel design relative to the existing
4	criteria for which they specifically evaluate?
5	MEMBER BANERJEE: So, they would sort of
6	replace an OLM CTR or something, or what? What's the
7	top there?
8	MR. CLIFFORD: That's BWR talk.
9	(Simultaneous speech.)
10	MEMBER ARMIJO: It would be another way of
11	you'd have to find another way of handling it.
12	CHAIRMAN STETKAR: Paul, I'm sorry. You
13	were careful to say if you were at 100 percent power.
14	Suppose you were at 30 percent power, does PCI become
15	in terms of your hierarchical color boxes there,
16	does PCI ever overtake, for example, DNBR?
17	MR. CLIFFORD: At lower powers there's a
18	significant amount of initial DNB margin, so it's
19	never really the limiting factor.
20	MEMBER CORRADINI: So, what you're saying
21	is the green box gets so big that the other boxes get
22	within it.
23	MR. CLIFFORD: Right.
24	MEMBER CORRADINI: Simply because of where
25	I'm sitting in pressure, and temperature, and flow.

(202) 234-4433

	151
1	MR. CLIFFORD: Correct.
2	MEMBER CORRADINI: Okay.
3	MEMBER ARMIJO: But no matter whether it's
4	PCI or DNB, low power is a good thing. If you're at
5	low power and go up a little bit, let's say 10 percent
6	over your 30, big deal, from a PCI standpoint it's not
7	a problem. It's when you
8	CHAIRMAN STETKAR: I just think about the
9	ramp you know, if you had a 50 percent power
10	increase from 30 percent power.
11	MEMBER ARMIJO: That's going to hurt you.
12	CHAIRMAN STETKAR: Okay.
13	MEMBER CORRADINI: But, I'm sorry, this one
14	I'm trying to learn, so I'm going to slow you down.
15	So, if I'm at high power this graphic of what comes
16	first, second, third makes sense, but as I shrink
17	power the green box in terms of its allowable space
18	gets bigger, so I could have other effects that will
19	essentially become limiting, one being this the
20	example you had of mechanical strain.
21	MR. CLIFFORD: Right. I mean, it's not that
22	simple in the sense that as you go down in power your
23	tech specs change, so your allowable operating ranges
24	get wider.
25	MEMBER CORRADINI: Right.
	I

(202) 234-4433

	152
1	MR. CLIFFORD: You can put rods in deeper,
2	you're allowed to have more severe peaking factors and
3	actually power shapes, so where they are in that, the
4	box is bigger so where they maneuver the plant to can
5	actually then bring DNBR back into the picture.
6	MEMBER BANERJEE: Can you explain what
7	those colors mean again?
8	MR. CLIFFORD: It's more of a cartoon. I
9	wouldn't take too much out of the colors. It just
10	shows that as power is increasing you're approaching
11	three different existing SAFDLs. Each one of them
12	could be more limiting depending on what your initial
13	conditions are. And it's really the question that's
14	the real take-away, if you needed to consider PCI
15	explicitly. Would that change tech specs, would it
16	change set points, would it change fuel design? It
17	would require something change.
18	MEMBER RICCARDELLO: So, each of those
19	colors is a different SAFDL?
20	MR. CLIFFORD: That was the idea.
21	(Laughter.)
22	MEMBER ARMIJO: I think it's important,
23	it's a very good drawing. And each of those axises
24	represents a SAFDL.
25	MR. CLIFFORD: That's correct.
l	1

(202) 234-4433

	153
1	MEMBER ARMIJO: So, in the case of let's
2	take the fuel swelling strain SAFDL, the horizontal
3	one there. If you if the only two you had to handle
4	PCI was a strain criteria, and PCI failures occur at
5	lower strains than 1, you'd have to reduce that and
6	have a new SAFDL for PCI.
7	MR. CLIFFORD: Right.
8	MEMBER ARMIJO: Assuming you got into that
9	power range, but you have other tools. So, the
10	question is how do you define the region where you're
11	vulnerable, if any, and what's the right criterion to
12	do it. That's a good drawing.
13	MR. CLIFFORD: That's really where we're
14	going with this presentation. Is there an area where
15	we're vulnerable considering that you've already had
16	these systems that are tuned to protect against these
17	other failure mechanisms. Is there a vulnerable part
18	of operating space?
19	MEMBER BALLINGER: There's a second time
20	variable, though. There's not only a time variable
21	where they fix the strain rate, but there's a time
22	variable that affects the conditioning of the fuel.
23	So, if you operate the fuel at I don't know, 7 or 8
24	kilowatts per foot for a long period of time it gets
25	conditioned, and then if you have a transient your
	I contract of the second se

(202) 234-4433

	154
1	cladding in relation to the fuel is set in a certain
2	way and you get can this transient. So, the fuel can
3	condition, if you will, at the beginning of the
4	transient also makes a difference.
5	MR. CLIFFORD: Right.
6	MEMBER BALLINGER: Especially with BWRs.
7	You know, this is a little bit you can't change
8	power that fast during normal operation. Right?
9	MR. CLIFFORD: Yes, I think what you'll see
10	
11	(Simultaneous speech.)
12	MR. CLIFFORD: The conclusion is for PWRs
13	operating most all rods out have full power, you're
14	not seeing that sort of issue. But let's move on with
15	slides.
16	MEMBER CORRADINI: Yes, keep on going,
17	don't look back.
18	MR. CLIFFORD: Okay, I've got two slides.
19	Okay, so the NRC has been participating in the
20	Studsvik Cladding Integrity Program which is a large
21	multinational research program to evaluate various
22	cladding failure mechanisms, and PCI stress corrosion
23	cracking is one of the focal points of this large
24	research effort. And I have a summary here.
25	The SCIP program has performed in depth
l	1

(202) 234-4433

	155
1	investigations to better understand stress corrosion
2	cracking including hundreds, close to 1,100 power ramp
3	tests on irradiated fuel. They've done separate
4	effects testing and extensive characterization.
5	The PWR database exhibits a large scatter
6	with respect to many variables, and as such there's no
7	clear failure threshold. Generating a PCI criteria is
8	very complex and at least two large international
9	programs have failed to produce a unified criterion.
10	And we expect that the level of effort and funding
11	required to complete the work would be significant.
12	We continue to participate in the SCIP
13	program and there are explicit research plans to
14	further investigate PCI on the hopes of coming to some
15	consensus on how what's the best way to model it,
16	how do you develop a failure threshold?
17	The next slides are going to be going to
18	be sensitive.
19	MEMBER ARMIJO: Okay. Let me ask you, just
20	ask you a quick question. As I look through the
21	database which is really very user-friendly to analyze
22	that data, I recognized a lot of the BWR data seemed
23	to be the data that you did, and was published. So,
24	you know but I understand why people want to keep
25	it proprietary because they pay money to be in the
	1

(202) 234-4433

	156
1	SCIP program and they don't want other guys to be
2	using the data.
3	MR. CLIFFORD: Well, the database that you
4	looked at was made available to only the SCIP
5	participants.
6	MEMBER ARMIJO: Right.
7	MR. CLIFFORD: That's why it's not
8	MEMBER ARMIJO: There's a lot of data in
9	the DOE public domain, the BWR data.
10	MR. CLIFFORD: Correct.
11	MEMBER BANERJEE: So, the BWR talking about
12	this barrier fuel are subject to the same sort of
13	behavior?
14	MEMBER ARMIJO: More subject, more
15	sensitive.
16	MR. CLIFFORD: And we'll get to that.
17	MEMBER BANERJEE: So, you're going to tell
18	us about that.
19	CHAIRMAN STETKAR: What we need to do now
20	administratively, if it's okay, is we need to close
21	the transcript, and we need to make sure that the
22	bridge line is closed, and we need to make sure that
23	there is nobody in the room who should not be here. I
24	should not be here, not who doesn't want to be here.
25	(Laughter.)

(202) 234-4433

	157
1	CHAIRMAN STETKAR: When I say close the
2	transcript it's proprietary. We're not off the record,
3	we're just they mark the transcript that we're in
4	closed session.
5	MEMBER ARMIJO: I think we're okay.
6	CHAIRMAN STETKAR: As long as we've got
7	confirmation that the bridge line is closed. It is?
8	(Closed session begins at 2:10 p.m.)
9	CHAIRMAN STETKAR: I think we are back
10	reoriented, so again we're in open session. And
11	continue, Paul.
12	MR. CLIFFORD: Okay. The next
13	(Phone dialing.)
14	CHAIRMAN STETKAR: That's just me.
15	MEMBER ARMIJO: We'll plunge ahead.
16	MR. CLIFFORD: Okay. So, this portion of
17	the presentation we will talk about the Staff's
18	efforts to develop a draft stress corrosion cracking
19	cladding failure threshold based upon the data we had
20	available.
21	With using the code FRAPCON, which is a
22	well validated and well calibrated code and NUREG/CR-
23	7022 Volume 2 documents the validation on this code
24	which consists for ramp tests of a relatively large
25	database where the code is tuned, the fuel swelling
	I contract of the second se

(202) 234-4433

models are tuned to provide a best fit to the measured strains from the ramp testing.

We can run through these slides here. It's just predicted minus measured and it just shows you the best fit of the fuel swelling data. It was a function of burnup. Here's a function of ramp turn on level. And we went through these in more detail during the Subcommittee meeting. So, on to the efforts to 9 develop a stress threshold.

10 There's a lot of scatter, as we have seen, on failure strain and time to failure as a function of 11 power increases which make it difficult to develop a 12 purely strain-based criterion. And more importantly, 13 14 since this isn't really a macroscopic strain driven 15 mechanical failure as shown by a lot of the tests that failed below .1 percent strain, it was difficult to 16 17 develop a strain-based criteria, so in place we developed stress-based criteria. And this is 18 а 19 consistent with some of the approaches that have been started in the SCIP program. And that's where these 20 cases that were run by the Office of Research as part 21 of one of these investigations in the SCIP program. 22 They ran 16 Studsvik ramp tests including 23

24 six failures. The predicted cladding hoop stress on 25 the failed rods ranged from 229 to 297 megapascals

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

(202) 234-4433

158

with an average of 265.

1

MEMBER ARMIJO: Paul, you know, here's 2 where I have a hangup. You could calculate stress all 3 4 sorts of ways but you can measure strain after the --5 see, so when they calculated these kinds of stresses did they also say okay, for that stress, you know, we 6 7 have a stress strain curve, what was the failure strain? And I -- and the problem it's going to be, 8 9 it's very localized. Everything is so localized, as 10 you said, that it may be that you just -- you don't know what the stress is unless you have a really 11 detailed stress concentration at the tip of a crack in 12 the pellet pressing on the cladding. And that's well 13 14 known to be where the problem starts, or it nucleates. 15 You know, we've got great pictures showing exactly what's going on, so a global strain or a global stress 16 is doomed to failure because it's all localized. 17 MR. CLIFFORD: I agree it's localized but, 18 see, that's the problem, there are so many unknowns

19 see, that's the problem, there are so many unknowns 20 we're trying to predict whether there was a chip or a 21 fine that was pressed up against the pellet wall, a 22 gap between the pellet and the cladding. Whether that 23 stress riser caused the nucleation. There's too many 24 unknowns.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

MEMBER ARMIJO: Well, don't -- just use a

(202) 234-4433

25

	160
1	regular pellet with a crack in it, you know, as radial
2	cracks and that geometry, at least, as other people
3	have analyzed it.
4	MR. CLIFFORD: Right.
5	MEMBER ARMIJO: And I think FRAPCON could
6	do it, too, but I don't know if you're that's what
7	I'm pushing to
8	MEMBER CORRADINI: I don't understand your
9	comment, Sam. I apologize. Are you saying that you
10	would rather have them measure strain, or have the
11	threshold limit on strain?
12	MEMBER ARMIJO: I don't think
13	MEMBER CORRADINI: I'm not understanding.
14	MEMBER ARMIJO: I don't think there's a
15	strain limit that will work.
16	MEMBER CORRADINI: Oh.
17	MEMBER ARMIJO: I think it will be so low
18	that it's impractical so you have to find some other
19	criteria that says it's power and time, or delta power
20	and time. And if you stay out of that regime you're
21	going to be okay.
22	MEMBER BALLINGER: Yes, but that's what
23	EPRI did 20 years ago, that power shock. What did they
24	call it? What did they call you must know what the
25	data talks about.
	I Construction of the second se

(202) 234-4433

	161
1	MEMBER ARMIJO: That was notably
2	unsuccessful, but the concept is right. The principle
3	is right, you know.
4	MEMBER CORRADINI: Well, they stopped
5	MEMBER ARMIJO: There's a map of power and
6	time and
7	MEMBER RICCARDELLA: Sam, are you saying
8	that a nonlinear stress analysis is not sufficiently
9	accurate
10	MEMBER ARMIJO: No, I think you can do it
11	but you're going to wind up with some numbers that
12	reflect you know, the measured strain on the
13	cladding typically in these PCI failures is way below
14	1 percent, sometimes .1 percent, sometimes not even
15	measurable. And it's real, it's not an error. It's
16	real.
17	MEMBER RICCARDELLA: Running the analysis
18	gives you stress.
19	MEMBER ARMIJO: Yes, but you do a localized
20	stress analysis at the tip of a crack which you're
21	capable of doing like a you get Joe Rashid does
22	this. He did it on his code, and FALCON code. So, it
23	can be done, and that gives you what the real stress
24	is where the crack is going to nucleate. So, these
25	generalized stresses, they're interesting but they

(202) 234-4433

	162
1	won't save your bacon.
2	MR. CLIFFORD: No, I don't disagree. I
3	think there needs to be more work that goes into this
4	to develop more complex analytical tools with which to
5	evaluate. But this was just our first attempt.
6	MEMBER ARMIJO: No. I appreciate you've got
7	to start somewhere.
8	MR. CLIFFORD: Right, we've got to start
9	somewhere. We used the tools we have.
10	MEMBER SCHULTZ: Paul, do you have a
11	picture where you've shown the data associated? You
12	talk about making predictions, but are you predicting
13	successes as well as the failures?
14	MR. CLIFFORD: Yes, it's in the backup
15	slides.
16	MEMBER SCHULTZ: Oh, okay.
17	MR. CLIFFORD: It's back here. I'm going to
18	get to it.
19	MEMBER SCHULTZ: We don't have the backup
20	slides. You have them.
21	MR. CLIFFORD: This is it right now. So,
22	these 16 cases here you have predicted versus
23	measured. The ones that are kind of shown, difficult
24	to see but just look for the ones that have failure
25	time.
	1

(202) 234-4433

	163
1	MEMBER SCHULTZ: We can see them from here.
2	MR. CLIFFORD: Okay. You must be less color
3	blind than I am.
4	(Laughter.)
5	MEMBER ARMIJO: Measured failure time and
6	
7	MR. CLIFFORD: FRAPCON doesn't have a
8	failure model, so we're just predicting stress.
9	MEMBER ARMIJO: Right.
10	MR. CLIFFORD: And we're just getting
11	stress distributions for the ones that failed and the
12	ones that didn't fail.
13	MEMBER RICCARDELLA: Are they predicting
14	local stress or just global hoop stress?
15	MR. CLIFFORD: Global hoop stress at a
16	particular node.
17	MEMBER RICCARDELLA: Yes, I understand, but
18	it doesn't see the concentrating effect.
19	MR. CLIFFORD: No, it does not. That's
20	correct.
21	MEMBER BANERJEE: So, this is the RZ code.
22	Right? It's not
23	MEMBER BALLINGER: FRAPCON is not three
24	dimensional. It's two dimensional.
25	MEMBER ARMIJO: Well, two dimensional will
	I

```
(202) 234-4433
```

	164
1	do a good job.
2	MEMBER BANERJEE: Well, that was Graham
3	Wallis' question, actually.
4	MEMBER SCHULTZ: I'm trying to grab this.
5	It looks like the code is predicting very high
6	stresses for rods that did not fail.
7	MR. CLIFFORD: Well, it's almost
8	representative of the database we saw earlier. I mean,
9	there's blue and red up and down.
10	MEMBER SCHULTZ: Yes. I just wanted to know
11	whether we've got something that's working. We're
12	really don't, we're modeling. That's fine.
13	MEMBER RICCARDELLA: Has this also got
14	creep effects in it, relaxation, or is it linear,
15	these stress calcs?
16	MR. CLIFFORD: Harold, would this have
17	creep?
18	MEMBER ARMIJO: Not for such short times.
19	What's max we're talking minutes.
20	MR. CLIFFORD: Minutes.
21	MEMBER ARMIJO: Yes.
22	MEMBER RICCARDELLA: So you're saying the
23	creep effects aren't important.
24	MEMBER ARMIJO: I mean, they could be but
25	
	1

(202) 234-4433

	165
1	MEMBER SCHULTZ: They're not modeled. I
2	mean, the model is not going to predict anything over
3	a short time.
4	MEMBER ARMIJO: Yes, it's not a time
5	dependent stress.
6	MEMBER BANERJEE: So, this is a if we
7	remember it's a finite difference code. Right?
8	MR. CLIFFORD: Harold, that's true. Right?
9	MEMBER BANERJEE: And what is the state-of-
10	the-art right now? Are there other quotes finite
11	element right now? For example, the French.
12	MEMBER ARMIJO: The EPRI code, FALCON.
13	MEMBER BALLINGER: I think the MOOSE BISON
14	thing is finite element. Right?
15	MEMBER REMPE: It is, but it's they're
16	doing comparison calculations with FRAPCON for
17	verification, so it's not validated is the bottom
18	line. Okay?
19	MEMBER BANERJEE: So, the finite element
20	codes are 3D, or
21	MEMBER ARMIJO: 2D.
22	MEMBER BANERJEE: They're still 2D?
23	MEMBER CORRADINI: Well, they're all 3D in
24	theory, but 3D calculations are quite expensive to do,
25	so most of the simulations are 2D, the ones that I've
1	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

166
seen presented.
MEMBER BANERJEE: Is this potential 3D
then? It's just that you don't run it 3D.
MEMBER ARMIJO: No, this is a 1-1/2D I
think. At least that's what Raynaud Patrick did,
but I don't know what a 1-1/2D thing is anyway, so 2D,
you guys have.
MEMBER BANERJEE: Yes, okay.
(Off the record comment.)
MR. PORTER: This is Ian Porter from
Research. FRAPCON is a 1D one-half solution so it's a
stacked 1D problem, so it solves only radial heat
transfer recalculated at every axial node so the
coolant conditions change axially, but the heat
transfer is only radial.
MEMBER CORRADINI: But I thought the our
question was on FALCON.
MR. PORTER: Oh, on FALCON?
MEMBER BALLINGER: FALCON is the EPRI code.
MEMBER CORRADINI: I know. That's what I
MEMBER BANERJEE: A more general question
I was asking, what is
MEMBER CORRADINI: But in the simulations
that have been presented at least in other venues

(202) 234-4433

	167
1	they've only been two dimensional comparisons.
2	MEMBER BANERJEE: OCTATA?
3	MEMBER RICCARDELLA: RZ.
4	MEMBER BANERJEE: RZ.
5	MEMBER CORRADINI: And the ones that I've
6	seen between FALCON and the animal guys are RZ.
7	CHAIRMAN STETKAR: Can I interject here? I
8	said earlier we're not really constrained on time but
9	I think
10	(Laughter.)
11	CHAIRMAN STETKAR: I'd like to sleep
12	tonight, and although I know you guys like to talk
13	about codes, but Paul does have he's a little more
14	than halfway through.
15	MEMBER BANERJEE: We have codes but don't
16	delete them.
17	MEMBER ARMIJO: What are we doing after
18	this? Working on letters?
19	CHAIRMAN STETKAR: It's all our's, so we're
20	not constrained to a 3:15 time, but it's just
21	MEMBER ARMIJO: Give Paul a chance to
22	finish his
23	CHAIRMAN STETKAR: No, no, no, that's I
24	just wanted to give him a chance to finish.
25	MR. CLIFFORD: So, using the codes we have
	1

(202) 234-4433

Í	168
1	in place and comparisons to the Studsvik ramp we came
2	up with a lower bound and a best estimate stress
3	threshold to PCI failure.
4	Now, the next part of this presentation we
5	will talk about PWR operating characteristics and AOO
6	overpower, and that will then lead into the
7	calculations that we chose to run to show whether or
8	not we are susceptible to PCI failure.
9	As we touched upon earlier, BWRs have
10	shown to be susceptible to PCI and that's really due
11	to plant maneuvering with high worth control blades.
12	Operating experience has now shown that PWRs are
13	susceptible. The exception was a limited number of
14	failures due to missing pellet surface and that
15	problem has since been identified and resolved with
16	improvements in manufacturing specifications and
17	inspection.
18	Okay. So, there are 65 PWRs operating.
19	Because there are 65 there is always exceptions to
20	every rule, differences as they came up in the
21	generations, so we'll talk about them in more general
22	terms, just remembering that there are unique
23	situations like Palisades that it's a PWR but it had
24	control blades.
25	So, reactivity control in a PW well,
1	I

(202) 234-4433

1 let me start off by saying there are obviously differences in operating characteristics between Ps 2 and Bs. Sam alluded to this earlier, PWRs operate at 3 4 higher temperatures and higher pressures, but there 5 are other unique characteristics, specifically reactivity control. BWRs use deep insertions of the 6 7 control blades to hold down excess reactivity to 8 achieve long cycle lengths. PWRs employ boric acid 9 dissolved in the RCS, so one is kind of a gentle global redistribution of our hold down of reactivity, 10 and the other one is a little more severe with respect 11 to local power densities. 12

blades 13 BWRs can operate control 14 individually which increases their worth and their 15 impact on local power density; whereas, PWRs which 16 normally operate all rods out move their control rods 17 in assigned banks, and they are significantly restricted based upon their tech spec allowable PDIL, 18 19 Power Dependent Insertion Limits. And the next page will show an example of a PWR PDIL. 20

As you can see, at 100 percent power they're limited to, I thought I remembered this but it's something like 20 inches or maybe less of insertion of Bank 5, and Bank 5 is, I believe, four locations in the core so it's overall bank worth is

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	170
1	very, very low when you're at full power. And they
2	normally wouldn't even insert them at all.
3	We talk about reactor kinetics. In
4	addition to negative fuel temperature coefficients,
5	BWRs operate with a negative moderator temperature
6	coefficient due to high concentrations of soluble
7	boron to hold down excess reactivity. They may have a
8	slightly positive MTC at the very beginning of cycle
9	at very low power, but by the time they get to full
10	power on day one they have a negative MTC.
11	Due to negative temperature feedbacks
12	controls, PWRs are very stable with respect to
13	increasing and decreasing power scenarios. In other
14	words, they always fight to stay where they are. So,
15	any increase in reactor power without a proportional
16	increase in secondary demand will promote increasing
17	reactor coolant temperature, which in turn would
18	result in the additional negative reactivity. And the
19	opposite would be true, also. So, in general terms,
20	reactor power follows secondary heat removal.
21	Here is a typical tech spec limit on MTC,
22	Moderator Temperature Coefficient. You know, the take-
23	away here is it's negative, and it gets more negative
24	as cycle goes, so at basically hot full power you
25	could have the most positive would be a minus .2,

(202) 234-4433

	171
1	and it could go all the way to minus 4 percent delta
2	rho, 10 the minus 4 th percent delta rho 3 degrees
3	Fahrenheit.
4	So, the reactor protection system. For any
5	of the overpower scenarios, which is really what we're
6	talking about here, the PWRs rely on a high neutron
7	flux or a variable high-power trip safety grade
8	reactor trip to provide a timely trip in order to
9	protect the SAFDLs.
10	Additionally, PWRs have trip functions
11	such as here is the overpower delta T, which is
12	applicable to Westinghouse and MHI, and low DNBR which
13	is CE and AREVA PPR.
14	MEMBER ARMIJO: Paul, are you saying that
15	all of the AOOs are protected by some sort of
16	automatic system, that there's no known AOOs where you
17	have to rely on an operator to
18	MR. CLIFFORD: Any power-based AOOs, that's
19	true. There may be
20	MEMBER ARMIJO: Power increase, that's all
21	I'm worried about, power increase.
22	MR. CLIFFORD: Right. There may be an AOO
23	like inadvertent charging where someone turns on a
24	third charging pump and you start filling the
25	pressurizer. You'll get an alarm but it's up to the
	I Contraction of the second

(202) 234-4433

	172
1	operator to then secure that. That's not a power
2	transient. Power transients are all protected against
3	automatic response.
4	MEMBER ARMIJO: And in the control rod
5	withdrawal error do they have such a thing?
6	MR. CLIFFORD: Control rod withdrawal?
7	MEMBER ARMIJO: Yes.
8	MEMBER SKILLMAN: That would be a rate
9	limit.
10	MEMBER ARMIJO: A rate limit that trips it?
11	MEMBER SKILLMAN: Probably trip the reactor
12	on rate.
13	MR. CLIFFORD: In general, when we analyze
14	Chapter 15 events, Chapter 15 is part of the FSAR. I
15	always refer to it as Chapter 15. We don't allow
16	operator action, so they have to show that the system
17	is in place with their response times, and their
18	instrumentation, and their set points will provide a
19	trip when needed to insure that you don't have fuel
20	failure. We don't allow them to credit operator action
21	for our pure Chapter 15-type analysis. That doesn't
22	mean that during our actual event the operators
23	wouldn't respond. It just means that they have to be
24	failsafe.
25	MR. JACKSON: Right. For AOOs, the reactor
1	I contract of the second se

(202) 234-4433

	173
1	trip saves you under all circumstances with very few
2	exceptions, and that would be like the you know,
3	inadvertent SI signal is an AOO, and they calculate 20
4	minutes before the operator terminates that. That
5	would be one that would be terminated by operator
6	action.
7	MEMBER ARMIJO: Okay.
8	MR. JACKSON: Safety valves protect you.
9	The other one
10	(Simultaneous speech.)
11	MEMBER ARMIJO: Is it different for the
12	BWR? It's a different philosophy? You know, for
13	example, loss of feedwater heater is the big one I
14	worry about in a B in that you've got the whole core
15	going up, and there have been instances where manual
16	operator action was required to terminate it because
17	the trip systems either didn't exist or were set too
18	high. And I don't remember how high they went in power
19	but I think Susquehanna had such a thing.
20	MR. CLIFFORD: I don't remember, but you
21	always have to remember when a transient analyst
22	chooses to show that the system can respond or ride
23	through a transient, sometimes they ignore trips. And
24	they say look, it can go up to a higher power and it
25	can stay there for a period of time, and I don't

(202) 234-4433

	174
1	violate my
2	MEMBER ARMIJO: You don't shut
3	MR. CLIFFORD: You know, CPR limits. So,
4	they can it's the easiest way to get it through NRC
5	review is to say look, I know there are trips that
6	would help me here, but I'm just going to ignore them
7	and show you that I don't fail my fuel.
8	MR. JACKSON: Right. And, typically, many
9	plants don't credit the positive rate trip so that
10	would be there to determine
11	MEMBER ARMIJO: Okay.
12	MR. CLIFFORD: So, on this slide we just
13	show you the set points, the allowable set points that
14	are in the tech specs for these plants just to give
15	you a feel that they're very similar. There's a high-
16	power trip that occurs somewhere between 105 and 111
17	percent for the plants.
18	MEMBER ARMIJO: Paul before you leave that
19	slide, just to get calibrated, they compare 110
20	percent. Let's pick the Westinghouse number. What is
21	that in kilowatts per meter for the peak rod in an AOO
22	that would generate the kind of a delta? Is it what
23	I want to do is say where on your Figure 13 where
24	would a transient that would take you to 110 percent
25	put you on this ramp terminal power versus burnup
	1

(202) 234-4433

	175
1	failure plot?
2	MR. CLIFFORD: These are power as measured
3	by their explore detector channels, so this these
4	are continuously calibrated so it would be a 10
5	percent increase in neutron flux as seen by the
6	explore detectors.
7	MEMBER ARMIJO: Right, but
8	MR. CLIFFORD: That's not related to what
9	local power can be.
10	MEMBER ARMIJO: But that's
11	MR. CLIFFORD: Especially if you have an
12	event that's not symmetric or global.
13	MEMBER ARMIJO: Well, that's what I'm
14	looking for the rods that represent peak rods in the
15	bundle, what's the nodal power that they achieve? Is
16	it 30 kilowatts per meter, is it 40, is it more than
17	that?
18	MEMBER SCHULTZ: Not for the delta, no.
19	MEMBER ARMIJO: No, no, for the actual, not
20	the delta, the peak.
21	MEMBER SCHULTZ: Oh, for the terminal?
22	MEMBER ARMIJO: Yes, the terminal because
23	that's where the action is as far as PCI. So, this
24	number I'm just trying to say where does that put
25	you on this on Figure 13 roughly?
1	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	176
1	MR. CLIFFORD: Well, I mean, it's an
2	impossible question to answer only because core
3	loading patterns are such that, you know, as they
4	design the core what's the peak rod? But on average,
5	the average liner heat generation rate is roughly
6	between 5.6 and 6 in the PWRs.
7	MEMBER ARMIJO: And they're very flat.
8	(Simultaneous speech.)
9	MR. CLIFFORD: Bring it up to the maximum
10	rod would generally be about 9, 9-1/2 kilowatts a foot
11	at the peak node.
12	MEMBER ARMIJO: Okay.
13	MR. CLIFFORD: I mean, they have higher
14	limits, LOCA limits that they use to set their initial
15	conditions and their stored energy for the LOCA
16	analysis that could be as high as 13.1 I've seen.
17	MEMBER ARMIJO: But you see what I'm
18	getting at. If your peak nodal power in whatever
19	transient it is that's protected by a trip is below
20	threshold on this kind of a plot, you kind of made the
21	case.
22	MR. CLIFFORD: It really depends on the
23	type of transient. If it's an asymmetric transient, in
24	other words, if it involves control rods, either a
25	drop of a control rod or withdrawal of a control rod,
	1

(202) 234-4433

ĺ	177
1	you're going to get very high local power distribution
2	changes, so the
3	(Simultaneous speech.)
4	MR. CLIFFORD: So, whereas, if you have
5	excess steam demand it's not really local power
6	driven. It's a global power event, so you're going to
7	increase power uniformly across the core.
8	MEMBER ARMIJO: Small.
9	MR. CLIFFORD: No, I mean, you can go very
10	high in power but it's still going to be a uniform
11	increase in power because it's driven by cold water
12	coming into the core. It depends on the type of
13	events. When we talk about the AOOs, I talk about
14	whether it's a local phenomenon or a global
15	phenomenon.
16	MR. JACKSON: The AOOs throughout the cycle
17	they calculate, they stay within all the limits for
18	all the AOOs, so the kilowatt per foot limit, the
19	peaking limits. So, if it's a global event the 110
20	percent trip will get them. If it's a local event,
21	either that, or one of the other trips will get them.
22	But they have to calculate for all three acceptance
23	criteria that he described before throughout the cycle
24	for all AOOs.
25	MEMBER ARMIJO: Right.
	1

(202) 234-4433

	178
1	MR. CLIFFORD: So, if you kind of go back
2	to Chapter 15 philosophy, you're defining your
3	limiting initial conditions to maximize the
4	consequences, in this case maximize say temperature
5	increase or DNBR margin degradation. And often you
6	choose to either try to avoid a reactor trip or to
7	overshoot a reactor trip to get the maximum power you
8	can before you scram the reactor. So, this strategy
9	yields conservative analysis results with respect to
10	margin of DNBR and melt, and your cladding strain, or
11	it would maximize the predicted fuel failure.
12	It's important to note, as we mentioned
13	earlier, stress corrosion cracking really requires
14	both stress and time, so is there an AOO overpower
15	scenario that exists which exhibits a prolonged power
16	excursion of a significant magnitude to where your
17	fuel rods would be susceptible to stress corrosion
18	cracking? And that's what we'll talk about.
19	If you look at this slide, there's a
20	survey of all the AOOs. I think this is a Westinghouse
21	or a CE plant, but they're all pretty similar. And you
22	just kind of identify which ones are a global power
23	increase and which ones are a local power increase.
24	And really when we started talking about this issue it
25	was the concern was is there an event on a global
l	I

(202) 234-4433

	179
1	scale that would result in a lot of fuel failures
2	across the core, so we're really sticking to global
3	changes.
4	MEMBER ARMIJO: Global ZED because, you
5	know, what fuel rods from a local area is not a
6	problem. And, actually, it started out with the issue
7	of power uprate, now we're uprating the core, so that
8	now we're going to be able to go to even higher
9	power than we normally used to be able to do. That was
10	at Susquehanna when it started.
11	MR. CLIFFORD: Right.
12	MEMBER ARMIJO: So, a global power increase
13	is a threat in time and power, maximum power are the
14	parameters.
15	MR. CLIFFORD: The PWRs, there's been a lot
16	of power uprates of PWRs but they really have they
17	achieved that power uprate by increasing local rod
18	power? Done it by putting a higher feed number of
19	feed batches so what happens is they flatten the
20	power. We've seen peaking factors when I was doing
21	fuel management, you know, we had peaking factors of
22	one seven, now we're down to peaking factors of one
23	five, so we're really things have changed. They
24	really haven't gotten worse from a local perspective.
25	MEMBER BANERJEE: So the limiting case will
1	I

(202) 234-4433
	180
1	be the rod withdrawal, I take it. Right?
2	MR. CLIFFORD: Right. There's two types of
3	events here that we're going to go into, and that's
4	the first one is the bank withdrawal, and the second
5	is really the whole class of increased secondary heat
6	removal. And all of the first five are from Chapter
7	15.1, increase in secondary heat removal. So, we'll
8	start with the bank withdrawal.
9	CHAIRMAN STETKAR: Paul, just go back for
10	a second. I love alphabet soup as much as anybody, and
11	I understand all of it. What's ASGT? That's the only
12	one I couldn't figure out.
13	MR. CLIFFORD: It's Asymmetric Steam
14	Generator Transient, so you're operating at full power
15	
16	CHAIRMAN STETKAR: Oh, go on. Okay.
17	MR. CLIFFORD: You want to hear about it or
18	not?
19	CHAIRMAN STETKAR: You can.
20	MR. CLIFFORD: You're operating at full
21	power and say one of your main steam isolation valves
22	inadvertently closes, so one steam generator output
23	would go to zero, the other one would pick up the load
24	and go from 50 percent to 75 percent, so you have the
25	inlet flow distribution changes and the temperature in
	I

(202) 234-4433

	181
1	the
2	CHAIRMAN STETKAR: I understand the
3	concept. I've just never seen that acronym.
4	MR. CLIFFORD: Okay.
5	CHAIRMAN STETKAR: Or that kind of
6	connotation. Thanks.
7	MR. CLIFFORD: Okay. So, we'll start with
8	the bank withdrawal. The limiting CEA withdrawal
9	scenario in the FSAR would be to maximize the power
10	excursion, in other words, the overshoot of your trip
11	set point by selecting the maximum bank worth, least
12	negative MTC, least negative FTC, and minimum delayed
13	neutron fraction.
14	It is possible to identify a CEA
15	withdrawal event, say one that has a partially
16	inserted bank, or a very low worth bank which could
17	avoid the rapid trip. However, with no increase in
18	secondary steam demand reactor power will eventually
19	trend back down to match secondary removal, so power
20	will go up, temperatures will go up, negative
21	feedbacks will then just beat it back down. So, if the
22	operators aren't doing anything on the secondary side
23	this is an event that could challenge fuel failure,
24	but it's not a prolonged event. It's a short-lived
25	event.

(202) 234-4433

MEMBER BANERJEE: So, what's the typical power pulse you could get in the -- in that scenario typically? MR. CLIFFORD: Because the tech specs limit insertion at power it's a very benign transient. Here

is a power trace at full power, because you're limited 6 7 to Bank 5 and you only can insert it 22-1/2 inches or 8 something like that. The worth is very low so it's 9 really not even a significant event. But at low power 10 where you're allowed to have say not just Bank 5, but Bank 4 and Bank 3 in, now you have a lot more worth 11 delta rho per inch. So you can get a significant power 12 increase. The previous -- previously I showed a trend 13 14 of a rapid power excursion that went from zero to 70 15 percent rated power in two or three seconds. That was 16 a hot zero where you're allowed to have a lot more 17 deep insertion.

MR. JACKSON: Right. So, this is 18 а 19 situation where if a plant wanted to load follow and they wanted to keep their rods in, they would have to 20 change their tech specs to allow bigger rod insertions 21 and then they would have to redo this analysis with 22 acceptable results. So, the way they choose to operate 23 24 their plants and their tech specs is a --

MEMBER ARMIJO: But that 18 seconds that

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

	183
1	puts my mind at ease, so this one I'm saying
2	MR. JACKSON: You're done.
3	MR. CLIFFORD: So, if it's a primary driven
4	power excursion it's going to turn itself around. I
5	mean, that's kind of the take-away, the rule of thumb,
6	and it's based on how much time it takes for the water
7	to circulate around and to heat up a full bank,
8	whatever is driving it. So, this is a benign event for
9	two reasons. One, it turns itself around, which isn't
10	shown here because it hasn't reached that point yet.
11	And really it's just the tech spec's limit the worth
12	of the rod.
13	So, this event is really susceptible to
14	stress corrosion cracking because of the time
15	duration. And you can argue that since you don't
16	operate with rods in the core you really can't even
17	have this event. The probability of that event is so
18	low because they don't operate with rods in the core.
19	The delta rho is very low, such peaking factors are
20	minimized by tech specs. You've got your negative
21	feedbacks, you've got your available trips, and the
22	operators would take action.
23	So, the excess demand events are really
24	the ones that of all of the AOOs would be more
25	vulnerable. And it's really driven by how much excess
	1

(202) 234-4433

steaming or how much excess heat removal is there, and what point of the cycle they're in, what's the MTC? So, if you had like an inadvertent opening of a steam generator atmospheric dump valve, that's roughly 10 percent steaming, full power steaming, so power is going to want to work its way up to 110 percent in the reactor. How quickly it moves up there depends on what the MTC is.

9 So, there's a wide variety of how this 10 event -- what the scenario would look like, what the accident progression would look like based on the 11 amount of steam releases, the MTC, et cetera. But 12 there is a combination which will give you a prolonged 13 14 power excursion. The question is, is the magnitude of 15 the excursion such that you would have to worry about 16 stress corrosion cracking? So, the time part can be 17 achieved. The question is can the stress part be achieved? 18

Here is just a plot of OSGADV and it shows
you that it can be at power for a long period of time.
Here is a steam bypass.
MEMBER ARMIJO: These are seconds, huh?
MR. CLIFFORD: Yes, 360 seconds.

24 MEMBER ARMIJO: Three minutes, so that's 25 long enough.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

1

2

3

4

5

6

7

8

	185
1	MR. CLIFFORD: So, this is the type of
2	event where you could pick the right conditions where
3	you could go up in power but you could avoid the ex
4	core-driven high-power trip. Now, you're going to trip
5	on something. In this case, you're probably going to
6	trip on low steam generator pressures because once you
7	open your atmospheric dump valve pressure starts
8	dropping, and that's a safety grade trip.
9	MEMBER ARMIJO: Have these things ever
10	happened an OSGADV?
11	MR. CLIFFORD: I'm sure they have.
12	MEMBER ARMIJO: Inadvertent what is it?
13	CHAIRMAN STETKAR: Somebody blew a safety
14	valve off them
15	MR. JACKSON: I'm mean they're not common.
16	CHAIRMAN STETKAR: These are not common,
17	but I know somebody blew open a safety valve.
18	MEMBER ARMIJO: Would a steam break action
19	do this, too?
20	CHAIRMAN STETKAR: Steamline breaks are not
21	AOOs.
22	MEMBER RICCARDELLA: No, that's not an AOO.
23	That's an emergency or fault
24	MR. CLIFFORD: That scenario wouldn't
25	that would be a very rapid power excursion, a very
1	

(202) 234-4433

	186
1	quick trip. And then you and what you're really
2	worried about is the return if there's going to be
3	return to criticality and return to power if you keep
4	blowing down your steam generator if you can't isolate
5	it.
6	MEMBER ARMIJO: Paul, now let's just stick
7	with this thing so I can myself clear. If you were at
8	100 percent power and this happened, that means some
9	rods, and I don't know PWR assembly, lots of rods will
10	increase power. But the only thing I care about is
11	does it from what LHGR in kilowatts per meter does
12	it go, does it get your peak rods get up to 40
13	kilowatts per meter locally?
14	MR. CLIFFORD: During this event, it's a
15	global increase. The only redistribution of power you
16	really see is the colder water will tend to drive the
17	actual power shift, will drive it down towards the
18	bottom of the core, which is very benign from a DNBR
19	perspective so we don't even allow them to credit
20	that. But there's not a redistribution that you would
21	see in a rod motion
22	MEMBER ARMIJO: Let's just assume that the
23	whole core goes up uniformly just if your peak rods
24	are at 8 kilowatts a foot and they go up to 8.8,
25	that's pretty benign. And if you look at your data of
1	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

PCI failures below a threshold, at least there's no data there. But if it was -- if you were operating at 10 and you went up to 11, you're getting into this borderline, if you were at 12 and went up to 13 or 14 kilowatts per foot, then you're in the problem range. But I don't know if you can get those powers in this event in a PWR.

MR. CLIFFORD: When we do EPU reviews we 8 9 generally repeat -- and I've presented these results 10 here before. We repeat the fuel mechanical design analysis where they'll identify the limiting rods, 11 three or four of the limiting rod power histories, and 12 we'll run our transient analysis, I mean our FRAPCON 13 14 analysis to show that the rods meet all their fuel 15 requirements. generally design And those are 16 relatively benign because they're getting pretty flat 17 with these power distributions. They're getting really good. You don't want to have them in a peaky core 18 19 because you're not properly utilizing your uranium if you're discharging --20

21 MEMBER ARMIJO: What's the number, what's 22 the LHGR that --23 MR. CLIFFORD: The only regulatory limit

they have is the LOCA linear heat generation limit in their code ware. That's the only limit, regulatory

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

188 1 limit they have. Where they actually fuel manage to is a different story. 2 MEMBER ARMIJO: What are they allowed to go 3 4 to? 5 MR. CLIFFORD: That would be at 13.1 kilowatts a foot. I've seen that number. 6 7 MEMBER ARMIJO: Yes. 8 MR. CLIFFORD: Are they ever challenging 9 that? I don't think so. Are they within three or four 10 kilowatts a foot, probably not even, but they're allowed to be there. 11 MEMBER ARMIJO: That's the key. 12 MR. CLIFFORD: They're allowed to be there. 13 14 MEMBER ARMIJO: Okay. 15 MEMBER BANERJEE: I think you have to count 16 on them being there. 17 MR. CLIFFORD: Absolutely. MEMBER BANERJEE: You can't do anything 18 19 else. In fact, this issue came up earlier, this was a BWR. That's enough. 20 MEMBER ARMIJO: Okay. Thanks, Paul. 21 MR. JACKSON: For our current limits, and 22 the three criteria that he -- we look at all the times 23 24 and cycle through all -- I mean, you look at it all, 25 so we don't --

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	189
1	MEMBER ARMIJO: Yes.
2	MR. JACKSON: I mean, here's where he's
3	speculating or he's working this if we apply new
4	criteria to
5	MR. CLIFFORD: Right. So, there are events
6	that could you give you the time element you need for
7	stress corrosion cracking. Here's another type event,
8	this is a steam bypass control system malfunction.
9	This would give you significant over-steaming, so
10	you're going to get a rapid trip, so this particular
11	scenario would show that's not an issue. So, if an
12	event has a very high power and hence, a very high
13	stress, it's going to be of short duration. So you
14	really have to find the scenario that has a
15	combination of time, which means it has to be a
16	relatively low power, otherwise it would have gotten
17	a trip.
18	So, here's just a summary here. Due to the
19	high-power trip and the low steam generator pressure
20	trip that's going to limit the magnitude and duration
21	of the power excursion, and there's additional trips
22	that also can be credited. And there's obviously going
23	to be control room alarms that would alert the
24	operators to take action. And then there's a whole

class of non-safety alarms and trips that we don't

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

24

25

	190
1	credit but are there
2	(Simultaneous speech.)
3	MR. CLIFFORD: So this event is something
4	that needs to be looked at for stress corrosion
5	cracking because, as I mentioned, you can have the
6	time duration. The magnitude of the power, hence the
7	magnitude of stress is going to be limited by the
8	existing reactor protection functions.
9	MEMBER ARMIJO: Paul, is this the worst one
10	that you found? Is this the transient that does
11	MR. CLIFFORD: There's an infinite
12	possibility of excess type events that could if
13	your trip was 118 you could find an event that would
14	get you to 118. If your trip was 104, you could find
15	an event that would get you to 104. You know, there is
16	really an infinite possibility, but they're from
17	the traditional Chapter 15 they're never limiting. You
18	want something that overshoots because that's one
19	that's going to challenge your fuel design limits.
20	MEMBER ARMIJO: Yes.
21	MR. CLIFFORD: So, we ran some FRAPCON
22	calculations, two different types of calculations. The
23	first one we're answering the question do the existing
24	reactor protection system trip functions provide
25	adequate protection against stress corrosion cracking?

(202) 234-4433

And the second set was how much margin exists between where we would expect them to be and when they would be expected to have stress corrosion cracking.

4 So, the inputs, as I mentioned, a rapid power excursion which overshoots the trip set point 5 won't have significant time duration so they were 6 7 scratched. So, as a result we're really looking at a 8 prolonged power excursion event that stays below the 9 existing trip set points. And as you saw earlier, 10 they're all somewhere between 105 and 110 percent. We chose 112 percent for this exercise, so we chose three 11 different power histories, and on each of those power 12 histories we ramped power by 112 percent at different 13 14 burnup points, and then we calculated what the change 15 in stress was. And then we compared them against the thresholds that we had previously estimated, the lower 16 bound and the best estimate. 17

So, at least from our calculations one 18 19 thing we can take away from this is that at low burnups you have an existing gap. In an ideal world, 20 you have an existing gap, so if you just do 112 21 percent ramp based on where they are, 112 percent 22 higher than where they were, it's insignificant. 23 24 Sometimes you won't even close the gap, so it's strongly dependent on power history, fuel design, et 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

1 cetera. But for these three rod designs or power histories, we calculated the stresses. Let's see, what 2 else can I say about this? The maximum stress stayed 3 4 well below a threshold, below a threshold of 200 5 megapascals based upon our FRAPCON analysis of the SCIP data, and the maximum hoop stress here is 164. 6 7 And this 164 is actually pretty aggressive in the 8 sense that a fuel rod with a local burnup of 67 9 qiqawatt days was still operating at 7.75. This radio falloff curve, as I mentioned, is not a power history. 10 It's actually the worst composite power history that 11 you could have. In other words, it's a line drawn 12 above all the fuel rod power histories, so it's a very 13 14 bounding case.

15 So, for that case where you already had a 16 significant stress, pre-ramp you have a significant 17 stress, and then you've increased that stress by 90 megapascals, you're nowhere near the stress threshold. 18 19 But in this simple exercise we ran, we were just trying to answer the question, if you ramped up in 20 power, stayed below your trip set point, what sort of 21 stresses could you expect in your cladding? And would 22 those stresses be of sufficient magnitude to cause 23 24 this nucleation crack propagation stress corrosion cracking? And our conclusion is that because of the 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

192

existing -- our conclusion is that the existing trip functions and set points are adequate to protect against this scenario, so we wouldn't expect there to be stress corrosion cracking because the power excursion is so minimal.

In the next set of calculations we used 6 7 the same power histories, and instead of going up to 8 112 percent we iterated on power, so we changed the 9 power increase until we hit either the 200 megapascal 10 or the 250 megapascals thresholds. So, this shows what the maximum ramp could possibly be to get to that 11 point where you may predict stress corrosion cracking. 12 So, as with the previous analysis, at low burnups if 13 14 there's a preexisting gap, you can have a relatively 15 large power increase. But as burnup increases and the 16 qap closes and initial stress is higher what you're 17 seeing is the allowable power increase decreases.

18 MEMBER ARMIJO: And you're getting strains 19 that are in the range of the very low strains, much 20 less than 1 percent, if I'm reading this right.

MR. CLIFFORD: Correct.
 MEMBER ARMIJO: Well, this one you actually
 worked backwards. Right?

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

MR. CLIFFORD: Right.

MEMBER ARMIJO: Okay.

24

25

1

2

3

4

5

MR. CLIFFORD: So, calculations show that you need a prolonged power excursion greater than 118 percent to achieve the lower bound, and 125 percent to achieve the best estimate threshold. And these calculations suggest that there is some safety margin to stress corrosion cracking based upon how these plants are operated, and what the existing trip functions are. So, another way of looking at it is you set these trip -- you create these engineered safety features, these trip functions and you set the set protect against other failure to you mechanisms. And by doing that, you're inadvertently protecting yourself against stress corrosion cracking.

15 MEMBER ARMIJO: But not the 1 percent SAFDL doesn't do it. Your other --16

MR. CLIFFORD: Not for this class, right. 17 MEMBER ARMIJO: Not for this kind of 18 19 mechanism, this failure mechanism. But what it says, if your threshold is 200 megapascals for failure and 20 you go above it, you're taking from the SCIP data you 21 estimate that that's -- you would be getting failures, 22 but that calculates strains. 23

24 MR. CLIFFORD: Yes, 265 is the average. This is just a very lower bound. 25

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

points

	195
1	MEMBER ARMIJO: Yes, at some point I
2	really don't understand how you got your 265 but I'm
3	going to let that sit and think about it a bit. But
4	based on calculated strains and comparing that to the
5	measured strains to failure from the SCIP data, you're
6	in the failure regime.
7	MR. CLIFFORD: I mean, as we mentioned, I
8	mean, you can it's not really a macroscopic strain-
9	based failure, so it's you can have strains of
10	close to 1 percent and not fail. That's what we expect
11	on the data. You can get
12	MEMBER ARMIJO: No, that's not correct,
13	Paul.
14	MR. CLIFFORD: Not by stress corrosion
15	cracking, but by so you're right. I mean, we don't
16	have an SEC failure model in FRAPCON, but we're not
17	predicting the actual propagation and failure, through
18	wall propagation and failure. What we're predicting is
19	just stress. We're kind of taking that leap of faith
20	that the stress needed as a function of burnup is X as
21	we calculate it, and we're just trying to show that
22	MEMBER SCHULTZ: But you apply FRAPCON to
23	the test data, and that's where the numbers came from.
24	MR. CLIFFORD: Correct.
25	MEMBER ARMIJO: Okay. So, your bottom line

(202) 234-4433

	196
1	is you're not going to get to the powers for a long
2	enough time without tripping.
3	MR. CLIFFORD: Yes.
4	MEMBER ARMIJO: And it isn't the strain
5	safe that's protecting you, it's just
6	MR. CLIFFORD: Correct.
7	MEMBER ARMIJO: the engineering
8	MR. CLIFFORD: It's a combination of the
9	systems you have in place and the characteristics of
10	operating hot full power all rods out. You don't
11	you're not moving blades. I mean, what we're seen in
12	the past is you got PCI failures because you were
13	moving blades, high worth blades and exposing fuel
14	which is causing an increase in local power density
15	for a prolonged period of time. There's none of that
16	in the PWR.
17	MEMBER SCHULTZ: The interesting thing is
18	if you were operating if one was operating in a
19	load follow mode you'd have to look at this all over
20	again.
21	MEMBER ARMIJO: You might. You might have
22	to do that, yes.
23	MEMBER RICCARDELLA: But the French
24	experience indicates that that's not a problem, for
25	whatever reason that doesn't seem to be a problem.
1	I contract of the second s

(202) 234-4433

	197
1	MR. CLIFFORD: They've evaluated that and
2	they've set preconditioning guidelines, they've set
3	maneuvering guidelines to avoid it.
4	MEMBER ARMIJO: As long as we stay out of
5	there, as long as we stay out of that business in the
6	U.S.
7	CHAIRMAN STETKAR: Maybe not.
8	MEMBER ARMIJO: It may not, we may
9	MR. CLIFFORD: I can send you my
10	presentation. It doesn't look good.
11	(Laughter.)
12	MEMBER SKILLMAN: Well, there was a time in
13	the `70s where we did load follow with the Ps. I know
14	B&W was 150, 100 in 10 minutes and it would do it. It
15	wouldn't trip. ICS would keep it on line. And we did
16	not have failures, so I know there was a time when the
17	Ps in the United States were actually load following.
18	And as time went on into the `80s and `90s we went to
19	baseload and we did all shim with boron. We were
20	trimming with actual power shaping rods or power
21	length rods but we did load follow in the early days.
22	MR. CLIFFORD: I guess the conclusion is
23	it's really a combination of the existing engineered
24	safety features and operating restrictions that insure
25	that PWRs are not susceptible to stress corrosion
	1

(202) 234-4433

cracking during normal operation, and that's certainly backed by the operating experience we've had in this country.

4 With respect to the vulnerability during 5 A00s, the calculations show that there's margin to get 6 to a stress regime or a magnitude of stress where you 7 might become susceptible to stress corrosion cracking. 8 As we mentioned, it's a difficult phenomenon to model 9 and I agree with some of the recommendations in the 10 White Paper that we should improve our analytical methods so that we can be ahead of the curve because 11 change is upon us. And if, in fact, we start seeing 12 plants coming in for load follow license amendment 13 14 requests we want to have the tools available to 15 evaluate stress corrosion cracking.

16 We will continue to participate in the 17 SCIP program. And as I mentioned, there are ongoing tests as we speak, and then there's an additional set 18 19 of tests in the SCIP-3 program which are upcoming, which are specifically designed to help us further 20 understand stress corrosion cracking so that we can 21 work with our international counterparts and kind of 22 come up with a uniformed approach, you know, what's 23 24 the stress intensity factor? How do I model it? What's the duration? I mean, we need to identify -- we need 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

	199
1	to increase our knowledge so that we can develop a
2	regulatory framework around this failure phenomenon.
3	MEMBER ARMIJO: Okay. Well, look, first of
4	all I go around the table and see if there's comments
5	or questions, and then I'll wrap up with some
6	comments. Mike?
7	MEMBER CORRADINI: Oh, you're going to
8	start with me?
9	MEMBER ARMIJO: Yes.
10	MEMBER CORRADINI: I appreciate the time
11	you took to explain it to those that aren't expert in
12	it, but I don't have any comments. I guess my only
13	observation is that I guess your final conclusion was
14	the thing that I'll take away, which is by I won't say
15	happenstance but let's just say by good fortune things
16	apparently are covered. But your recommendation is
17	given the fact where there'll be new activities,
18	better modeling of this and maybe better coordinated
19	analysis of it is necessary.
20	MR. CLIFFORD: Yes. We should spend the
21	time and complete what research is necessary to
22	validate future codes.
23	MEMBER REMPE: Well, I was part of the APWR
24	Subcommittee when this was mentioned and I really
25	think it was good to back it out of that and come and
	I contraction of the second

(202) 234-4433

	200
1	do this in a generic fashion and have a better
2	perspective. And I appreciate your willingness to
3	participate and educate us on it.
4	Listening to what's being done in other
5	countries, I think it is a good place having a
6	research plan to bring up the need for better tools
7	perhaps, and to be anticipating what might happen in
8	the U.S. I think that's a really good forum for us to
9	provide comments, in my opinion.
10	I know that before this meeting started we
11	talked about some emerging other issues that they're
12	seeing in France with corrosion on the rods, so
13	there's a lot of other benefits I think from the
14	international perspective, so I hope we get to learn
15	more about that, too.
16	MEMBER ARMIJO: Charlie.
17	MEMBER BROWN: Pass. I have nothing else.
18	MEMBER ARMIJO: Dr. Ballinger.
19	MEMBER BALLINGER: Well, it's a very good
20	presentation. I'd like to get the other presentations,
21	but I think we do need to be I'm sort of heretic
22	when it comes to this stuff. I think it's a
23	probabilistic problem. I think we have a problem with
24	fidelity of the models versus the fidelity of the
25	measurements that we can actually use on irradiated
	I contraction of the second seco

(202) 234-4433

	201
1	rods. And it's very expensive to do these as kind of
2	experiments, so we had to make a pretty good
3	somehow strike a balance between spending a ton of
4	money looking at rods that have been ramped and things
5	like that, and what kind of how accurate the
6	information we get is compared to what we can actually
7	model. I mean, you could see some of the trends in the
8	data. It's not a black and white failure/no failure.
9	MEMBER ARMIJO: There's various levels of
10	quality in that
11	(Simultaneous speech.)
12	MEMBER BALLINGER: Increase in probability
13	of failure with certain types of and that sort of
14	lends that sort of screams to me that we've got
15	some uncontrolled variables. Either that, or variables
16	that we think we know that we don't, so but this
17	has been going on since like you know, the first
18	time Main Yankee had a massive amount of failures,
19	everybody went up the imaginary axis and wanted to
20	model fuel performance.
21	MEMBER ARMIJO: Well, I think more analysis
22	of the SCIP data, critical analysis, because some of
23	the data are not so good. In fact, I pointed out in
24	the White Paper a lot of testing was done on rods were
25	just cut out of full length PWR rods commercial stuff.
	1

(202) 234-4433

	202
1	Well, when you cut a rod out all the fission gases go
2	away, you mechanically change it, and we started to
3	see some differences in earlier failures with
4	refabricated rods. And that's the first time I'd ever
5	seen that effect. I never liked that approach, but
6	there's different qualities of test data that are
7	suitable for validating your calibrating models.
8	MEMBER BALLINGER: We don't operate PWRs
9	like the transients that they run.
10	MEMBER ARMIJO: Well, that's clear.
11	MEMBER BALLINGER: Okay.
12	MEMBER ARMIJO: Anyway, Mike.
13	MEMBER RYAN: Nothing else, Sam. Thanks.
14	MEMBER ARMIJO: Dennis.
15	MEMBER BLEY: I really appreciated this. I
16	learned a lot from this and, you know, one can't with
17	good conscience say don't follow the data. You know,
18	of course, we want to follow that. The modeling side
19	of it I kind of agree with Ron, I'm not it would be
20	nice to have a good model for this, but that's a long-
21	term research effort I think.
22	On the other hand, if we're worried about
23	anticipated operational occurrences, we've got not
24	really envelope couple of the 3,000 years of operating
25	experience and we aren't getting them. So, if they're
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	203
1	working there in some unusual transients they're
2	postulated accidents under the design. And there are
3	postulated accidents that do a hell of a lot worse
4	than this, so I'm not in a panic here.
5	MEMBER BALLINGER: I think understanding
6	that what appears to be a sudden drop in failure
7	probability at 50,000 megawatts
8	MEMBER BLEY: That would be pretty neat to
9	understand.
10	MEMBER BALLINGER: That's a different story
11	there.
12	MEMBER BLEY: We might learn something from
13	that that would be very helpful. Yes.
14	MEMBER ARMIJO: Okay.
15	CHAIRMAN STETKAR: I don't have anything
16	more.
17	MEMBER ARMIJO: Harold.
18	MEMBER RAY: AP1000 advertises a low
19	cooling capability uniquely. Is there anything about
20	that that you want to comment on? Is this just some
21	expectation they have?
22	MR. CLIFFORD: In the latest version of the
23	DCD they did change out and they put in these gray
24	rods to support load following. Not my understanding
25	that the Staff has approved the load because it was
	I Contraction of the second

(202) 234-4433

	204
1	never a load there was never a envelope, a power
2	time envelope presented to the Staff that says this is
3	the type of load follow we want you to do. Is this
4	okay? They just all of the if you one of the
5	things the IAEA was concerned about is that all of the
6	advanced reactors are just making these blanket
7	statements. We're good for load follow, we're good for
8	load follow. And some of them have physical changes,
9	but most don't.
10	MEMBER RAY: Well, Vogtle will find out one
11	of these days, I guess. That's all I have.
12	MEMBER ARMIJO: Dr. Powers.
13	MEMBER POWERS: I was intrigued by your
14	discussion of changes in the way plants are operated
15	in response to moves toward wind and solar sources
16	that are forced upon the utilities. I didn't hear
17	anything that suggested there was a risk to the public
18	health and safety. It strikes me as that's an issue to
19	stay alert to as you indicate this becomes more
20	pandemic, and we're spending resources to the point
21	that we do have to operate nuclear units in an
22	unfamiliar way.
23	MR. CLIFFORD: It's no longer load follow,
24	it's supply follow.
25	MEMBER SCHULTZ: I agree with Dana. I
	1

(202) 234-4433

1 really appreciate both the presentation and I -- I see that you -- and agree that you've drawn the right 2 3 conclusions from the evaluation that you have done. I 4 don't think it's just fortunate that this is not a problem for PWRs. There's been a lot of thinking 5 6 that's gone into PCI as a result of what's happened at 7 BWR, and even the -- what was, in fact, a very small issue associated with missing pellet surface. A lot of 8 9 thought went into what that meant in terms of overall 10 fuel performance for PWRs. And the problem was resolved, but it's an interesting problem to bring to 11 bear on this because very small deviation associated 12 with pellet surface caused fuel failure. 13 14 MR. CLIFFORD: Yes, and I would just like 15 to add something. I mean, this may have been more of an issue with PWRS except they've been very aggressive 16 17 to try to get ahead of the curve. And, for instance, if you look at the manufacturing of the pellets they 18 19 chamfer and have dishes in the pellets which reduces the amount of ridging, which reduces the local stress 20 concentrations at the pellet-pellet interface. You 21 don't see that in all BWRs, so the PWRs have design 22 features just in the pellet stamping phase. 23 24 MEMBER SCHULTZ: Which goes back to as Dick 25 was saying the experience that was gained in the '70s.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

205

	206
1	MEMBER ARMIJO: Dick.
2	MEMBER SKILLMAN: Yes, sir. On page 52,
3	what it takes to actually drive the failure, the newer
4	reactor protection systems are so dependable, they are
5	so precise. The new instrumentation is so good it'll
6	be a long time before we let a P go up into that range
7	without some preemptive action to bring the power back
8	whether it's automatic rod insertion through an
9	integrated control system or a trip.
10	The second thing has just been mentioned.
11	It's on slides your 13, 14, and 15. I think there
12	ought to be some explanation of why that fuel did not
13	fail above 50 megawatts days per kilogram. I still
14	hold out that there may be fabrication of the pin,
15	fabrication of the pellet, or just that these are the
16	strongest soldiers that statistically were able to
17	survive. But there's something in that group that
18	seems to me to be compelling for more information.
19	Those blue circles, why did that fuel not fail when
20	the fuel that was exposed to lower burnups did?
21	MR. CLIFFORD: I'll take an action item to
22	talk to Research, and as part of the SCIP program to
23	really try to drive that home and find out what's
24	causing that. I can't imagine, you know, after years,
25	and years, and years of evaluating this they haven't
	1

(202) 234-4433

	207
1	identified that and questioned it. I just don't know
2	the answer.
3	MEMBER ARMIJO: You'll have a little bit of
4	a debate but there's lots of good explanations.
5	(Simultaneous speech.)
6	MEMBER SKILLMAN: Paul, great presentation.
7	Thank you.
8	MEMBER ARMIJO: Pete.
9	MEMBER RICCARDELLA: Yes, I, too, think it
10	was a great presentation. I appreciate it, and I agree
11	with your conclusion that in the current operating
12	mode of PWRs that it's not a problem. I think we need
13	to try to better understand the French experience into
14	why they haven't had failures in that load following
15	mode because I believe it's coming. I think that, you
16	know, the nuclear plants are going to have to operate
17	in a more flexible load following mode or they're not
18	going to operate, they're going to shut down.
19	MEMBER ARMIJO: Sanjoy.
20	MEMBER BANERJEE: At last. Last but not
21	least, whatever. But it's a great presentation. I was
22	puzzled by a lot of the data because you've got a lot
23	of red dots where there were blue dots, as well. And
24	whether this is just random sort of behavior because
25	small problems can lead to problems, or there was
1	

(202) 234-4433

1 something more deep in that in terms of some history effect or whatever that lead to those red dots, or 2 3 most of them, where the blue ones were operated in 4 other way. That would be interesting to some understand. Is there some cumulative effect which is 5 6 there? That's just a question. 7 Also, I noticed that at the high burnups 8 you had a lot of these blue dots and very few red 9 dots, actually, so I don't know if that was just an 10 optical illusion, or it was for real, you know. And then what that was due to. Maybe you explained it, but 11 I missed it. 12 MR. CLIFFORD: Maybe we have to look at it 13 14 some more, but just fundamentally it's tougher to push a high burnup fuel to higher kilowatts a foot. 15 16 MEMBER BANERJEE: Right. But you knew the ramp rate there sort of, you see, so I was assuming 17 those are sort of like equivalent ramp rates 18 or 19 whatever. MR. CLIFFORD: I can't go back to it right 20 21 now. 22 MEMBER BANERJEE: No, no, but it's -- you don't have to -- but if you look at it, you'll see 23 24 that many of the indicators are somewhat similar, at 25 least the indicators you were looking at. Maybe

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 they're a little bit lower, but they're not actually materially lower, so it's sort of interesting to 2 3 understand that. 4 And the third thing, I echo what Pete 5 said. You know, it's interesting to try to understand what the French have done and where their data falls 6 7 on those curves that you showed because we can plot it 8 and see. And they would be blue dots. Right? Because 9 they're not getting failures. So that would be very

10 interesting to know where they come in that failure data. 11

12 And, finally, I think we should try to follow this as closely as possible because I agree 13 14 with Pete that we are going to go to load following. 15 I mean, if you're going to make money out of these nukes probably in 10 years, yes, we'll be doing load 16 17 following. Because whatever you say the political reality is they're going to be renewables, and they're 18 19 going to have to be found.

MEMBER BLEY: Sam, could I sneak in a last 20 thing? I forgot to ask. And when we look at all those 21 curves it seems kind of clear we aren't looking for 22 the right parameter. Now, you guys have mostly talked, 23 24 you think it's rate, you think it's extent of power increase and the time at power. Is it possible from 25

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	210
1	the data from those tests to plot these against some
2	combination of ramp rate and time at power to see if
3	if you get the right parameter we ought to see the
4	good ones here and the bad ones over here. And we
5	haven't found the right parameter yet.
6	MEMBER RICCARDELLA: Has anyone tried to do
7	a statistical analysis, generate Y-able curves or some
8	kind of curves to see
9	MEMBER BANERJEE: That's more
10	MEMBER ARMIJO: In that little White Paper
11	I turned out, the BWR one, that's exactly what we did
12	back in the '70s. And you have curves at 1 percent
13	probability, 50 percent probability failure, 99
14	percent. But that was BWR.
15	MEMBER BANERJEE: You had 800 data points?
16	MEMBER ARMIJO: We had a lot of data
17	points. And we were very consistent in how we
18	fabricated it, but was still probabilistic. It wasn't
19	it has to be.
20	MEMBER BLEY: That's just the way material
21	failure is.
22	MEMBER ARMIJO: Yes, and see similar things
23	with this. You know, there was a lot of different sets
24	of data. When you have one big set of data all made
25	the same way it's much easier to analyze. But I'd like
	I

(202) 234-4433

1 to, first of all, I can't help but to point out that that high burnup effect thing, it's been also seen in 2 3 BWRs. And I'll tell you an experiment we did many 4 years ago as a remedy for PCI was to change the oxygen 5 to uranium ratio. We made fresh pellets with a very high ODU, irradiate them in the reactor, then in ramp 6 7 testing they worked pretty damned well. They didn't 8 all survive but they were much better than the 9 standard, so it has something to do with chemistry. We 10 never really could understand it. It had negatives for manufacturing and thermal connectivity, had all sorts 11 of other problems, so there's lot of ponies out there, 12 and there may be better explanations on that, but the 13 14 trouble is you don't have those properties at 20,000 15 megawatts per ton in 30, you have to -- that's where 16 the power -- you have ability to get to high power, if 17 at all. But I'd like to, first of all -- first, I 18 was laboring under burden that we -- at some point

19 was laboring under burden that we -- at some point 20 we'd have to rely on an operator putting off one of 21 these very fast PCI events, and what I've learned here 22 is that you really are -- that you're really covered 23 by the reactor protection systems. They're fast enough 24 and they're covering all of them, and if the worst one 25 is that one that lasts what, what was it, six minutes,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

211

	212
1	or three
2	MR. CLIFFORD: It was three minutes.
3	MEMBER ARMIJO: Three minutes, something
4	like that, and if that's the worst one and you have an
5	RP that's protecting you and you're not relying on
6	operator action, I'm very, very happy.
7	The other thing that I felt was that
8	the Staff was taking comfort with the 1 percent PCMI
9	SAFDL. And, obviously, that's not what that
10	wouldn't protect you because if that was the only
11	thing was protecting you, you would have a lot of
12	failures because the system if the system wasn't
13	tripping or protecting you. So, anyway, that but
14	all in all I think a lot of progress has been made,
15	and a good presentation. There's a I think the
16	Staff would benefit by really getting FRAPCON up to
17	better capabilities in this area of analyzing the fuel
18	and the pellet for these kind of things, whether it's
19	a load following problem or something else that comes
20	up. I think the code is capable, but it's going to
21	take some effort. There's no crisis, but to improve
22	it.
23	MR. CLIFFORD: I mean, this is an area
24	where you guys need to help us to do that, too,
25	because you review the research plan.

(202) 234-4433

(202) 234-4433

	213
1	MEMBER ARMIJO: Yes. Well, that's very
2	timely.
3	MEMBER BALLINGER: Does FRAPTRAN have
4	anything what about FRAPTRAN? Doesn't that do
5	strain calculations?
6	MR. CLIFFORD: Yes, we let me see if I
7	remember this. Maybe, Harold, you remember. I remember
8	they used both FRAPTRAN and FRAPCON to evaluate the
9	subject ramp tests and I don't remember off the top of
10	my head why they felt that FRAPCON did a better job.
11	MEMBER BALLINGER: Because FRAPTRAN, they
12	were using that for the reactivity insertion stuff.
13	Right?
13 14	Right? MR. CLIFFORD: Right, right.
13 14 15	Right? MR. CLIFFORD: Right, right. MEMBER CORRADINI: What are they using for
13 14 15 16	Right? MR. CLIFFORD: Right, right. MEMBER CORRADINI: What are they using for
13 14 15 16 17	Right? MR. CLIFFORD: Right, right. MEMBER CORRADINI: What are they using for MEMBER BALLINGER: FRAPTRAN. Transient
13 14 15 16 17 18	Right? MR. CLIFFORD: Right, right. MEMBER CORRADINI: What are they using for MEMBER BALLINGER: FRAPTRAN. Transient means transient.
13 14 15 16 17 18 19	Right? MR. CLIFFORD: Right, right. MEMBER CORRADINI: What are they using for MEMBER BALLINGER: FRAPTRAN. Transient means transient. MEMBER CORRADINI: But can I turn this
13 14 15 16 17 18 19 20	Right? MR. CLIFFORD: Right, right. MEMBER CORRADINI: What are they using for MEMBER BALLINGER: FRAPTRAN. Transient means transient. MEMBER CORRADINI: But can I turn this around since you brought up research. So, are you
13 14 15 16 17 18 19 20 21	Right? MR. CLIFFORD: Right, right. MEMBER CORRADINI: What are they using for MEMBER BALLINGER: FRAPTRAN. Transient means transient. MEMBER CORRADINI: But can I turn this around since you brought up research. So, are you telling me that there's no user need for an improved
13 14 15 16 17 18 19 20 21 22	Right? MR. CLIFFORD: Right, right. MEMBER CORRADINI: What are they using for MEMBER BALLINGER: FRAPTRAN. Transient means transient. MEMBER CORRADINI: But can I turn this around since you brought up research. So, are you telling me that there's no user need for an improved FRAPCON?
13 14 15 16 17 18 19 20 21 22 23	Right? MR. CLIFFORD: Right, right. MEMBER CORRADINI: What are they using for MEMBER BALLINGER: FRAPTRAN. Transient means transient. MEMBER CORRADINI: But can I turn this around since you brought up research. So, are you telling me that there's no user need for an improved FRAPCON? MR. CLIFFORD: Every year
13 14 15 16 17 18 19 20 21 22 23 23 24	Right? MR. CLIFFORD: Right, right. MEMBER CORRADINI: What are they using for MEMBER BALLINGER: FRAPTRAN. Transient means transient. MEMBER CORRADINI: But can I turn this around since you brought up research. So, are you telling me that there's no user need for an improved FRAPCON? MR. CLIFFORD: Every year MEMBER CORRADINI: Put you on the spot a
13 14 15 16 17 18 19 20 21 22 23 24 25	Right? MR. CLIFFORD: Right, right. MEMBER CORRADINI: What are they using for MEMBER BALLINGER: FRAPTRAN. Transient means transient. MEMBER CORRADINI: But can I turn this around since you brought up research. So, are you telling me that there's no user need for an improved FRAPCON? MR. CLIFFORD: Every year MEMBER CORRADINI: Put you on the spot a bit.

(202) 234-4433

	214
1	MR. CLIFFORD: Office of Research well,
2	I'll let the Office of Research
3	MR. SCOTT: This is Harold Scott from
4	Research. Patrick does have a plan for FRAPCON and
5	FRAPTRAN for the next few years, but right now there's
6	not a particular PCI effort in there. But let me bring
7	up another point that hadn't come up yet. This CASL
8	program that Department of Energy is sponsoring, a
9	consortium for advanced simulation light water
10	reactors, they have a big effort on PCI modeling. And
11	they're going to probably spend \$5 million, and
12	Patrick might spend \$500,000, so and they have a
13	schedule for 14 asymmetric worldwide stress
14	calculations, local stress calculations, integrated
15	methodology by the end of this calendar year, so I
16	would suggest to Patrick that we wait and see what
17	happens in the DOE CASL program and then move forward
18	with something with FRAPCON. We'll also have another
19	the SCIP-3 program is going to do improv tests,
20	manual tests, slow ramp rates. There'll be workshops.
21	As mentioned, the French have these more sophisticated
22	3D codes, that may not be applicable since they run
23	for hours, but there might I'm just saying I think
24	if we wait a little bit, enough other people are
25	moving ahead rather quickly that we can piggyback off
	1

(202) 234-4433

	215
1	of their efforts and maybe not have to spend a lot of
2	our time doing the same things.
3	MEMBER CORRADINI: So, can I just make sure
4	I understand what you're saying? So, you're saying
5	because the just be real careful because whatever
6	they call the animal that they're using in CASL, I
7	think it's Peregrine.
8	MR. SCOTT: Yes.
9	MEMBER CORRADINI: Right? The only
10	calculation I've seen so far have been to 2D
11	asymmetric calculations. They have nothing to validate
12	it with as far as I can tell. They have integral tests
13	which you're using yourselves, so for all intents and
14	purposes they're basically comparing Peregrine to
15	FRAPCON.
16	MR. SCOTT: Yes, that's what they started
17	with but eventually they could use the SCIP data and
18	PCI data itself that we have available that's been
19	mentioned.
20	MEMBER CORRADINI: So, let me just okay.
21	So, I agree with you there, but let me ask you a
22	different question. So, this is a question maybe you
23	guys don't want to answer it. So, is NRC going to
24	default and essentially use the DOE product as their
25	base tool?

(202) 234-4433
	216
1	MR. SCOTT: Oh, I'm not saying that.
2	MEMBER CORRADINI: Okay.
3	MR. SCOTT: I'm saying
4	MEMBER CORRADINI: Okay, so because what
5	I guess I'm also asking is from the standpoint of a
6	user need, it strikes me that I'm sure Sam is going
7	to show some version of a research report
8	recommendation that will say something like thou shalt
9	go forth and do good things in this area. But my only
10	thought is we have historically gotten the response
11	back that unless there's a user need from NRR that's
12	a potentially less than optimal way to do things. So,
13	I see Dr. Lee is up.
14	MR. LEE: Well, there are certain so called
15	infrastructure code that don't need to have the user
16	need from the other offices to do development or
17	maintaining. FRAP codes is one of it, MELCOR and the
18	TRACE code, for example, these are absolute we need to
19	have for the Agency, so we don't need to have the user
20	office keep writing us user need on specific things.
21	MEMBER BANERJEE: Could I ask a question?
22	Sorry, go ahead.
23	MEMBER POWERS: The fundamental trouble is
24	I suppose suppose you break fuels, so what?
25	MEMBER ARMIJO: Well, it's your first
	I contract of the second se

(202) 234-4433

	217
1	barrier, and we're not supposed to break a lot of
2	fuel. Fundamentally, that's a poor way to run a
3	reactor. It never happens
4	MEMBER POWERS: That's kind of the
5	licensee's business, if he wants to run crappy run
6	his reactor crappy, as he long as he doesn't threaten
7	the public health and safety, so what?
8	MEMBER ARMIJO: But, Dana, why do we spend
9	so much time on DNB?
10	MEMBER POWERS: Good question.
11	MEMBER ARMIJO: How much have we failed as
12	a result of DNB?
13	MEMBER CORRADINI: But that's different.
14	That's the
15	(Simultaneous speech.)
16	MEMBER CORRADINI: If you want to wait for
17	that answer, I can give you the answer.
18	MEMBER ARMIJO: I think the purpose of this
19	knowledge or these codes is to keep things from
20	happening that we can prevent, to spot where there's
21	a problem.
22	MEMBER POWERS: I mean, we're getting into
23	the licensee's how he wants to run his plant. He
24	can do it any way he wants to as long as it doesn't
25	threaten the public health and safety. I mean, you've
	I

(202) 234-4433

1 to be able to tie this back in a fairly qot transparent fashion to the mandate of the Agency 2 3 before you spend huge resources trying to -- I mean, 4 making a finite element three-dimension fuel response code that covers the entire core strikes me as a 5 pretty ambitious undertaking. 6

7 MEMBER CORRADINI: But I wasn't -- I quess, 8 Dana, just to kind of join on Sam's side on this one. 9 I'm not saying that this is what the Agency should do, 10 but I'm asking given the fact that I sense DOE is supporting the industry which is going this way, 11 eventually NRC is going to have to have some tool to 12 say yes, we have done our evaluation model, whatever 13 14 the right word is, calculation. We agree or we don't 15 agree, and we have the database to do it. And my sense 16 of it is, at least with this one, unless Paul was 17 sending me the wrong path, it seems a bit muddled as to if you started going down to -- if you started 18 19 ramping up and down the reactor and you start having fuel failures, I don't think NRC is going to stand for 20 that, whether or not it's dealing with the health and 21 safety or not. So, that then they will get involved, 22 and they will have to make some decision on if the 23 24 licensee is allowed to go on some percent change of power per unit time. And it's got to be some model 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

ĺ	219
1	that you guys have to have confidence in. And I sense
2	that at least in this area you don't have confidence.
3	MR. CLIFFORD: Correct. But, I mean, we
4	haven't done a load follow license amendment request,
5	but I would hope that one would include maneuvering
6	requirements or restrictions, and that we would
7	approve those.
8	MEMBER BALLINGER: But don't current fuel
9	have warranty there are warranty limits?
10	MEMBER ARMIJO: Those are commercial.
11	MEMBER BANERJEE: Can I ask about CASL?
12	Because it is DOE
13	MEMBER ARMIJO: Who is doing CASL?
14	(Simultaneous speech.)
15	MEMBER BANERJEE: Can I ask you about CASL?
16	Is the information generated in CASL available to NRC,
17	because by and large it is proprietary. You know, we
18	have to sign NDAs and all sorts of things.
19	MEMBER BALLINGER: There's a lot of
20	universities involved.
21	MEMBER BANERJEE: But not all have signed
22	NDAs. And who is doing this? Is it Westinghouse?
23	(Simultaneous speech.)
24	MEMBER POWERS: and their advisory
25	board.
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

	220
1	MEMBER BANERJEE: Who is doing it, and is
2	it available? Can you answer that?
3	MEMBER POWERS: Who is doing it?
4	MEMBER BANERJEE: Like who in the CASL
5	group? Is it Westinghouse doing the modeling?
6	MEMBER POWERS: Westinghouse, GE, AREVA all
7	have representatives on their applications board. The
8	center of it is at Oak Ridge. Let's see. University of
9	North Carolina, or North Carolina State.
10	MEMBER CORRADINI: But I think his question
11	is for Peregrine that is very limited distribution
12	because there specific proprietary correlations that
13	are horn swaggled, or that are fit into it that EPRI
14	controls, as far as I understand. The base tool which
15	is the as Dana was saying, is the finite element
16	tool which has a different name. I can't remember what
17	that name is. It is essentially open literature
18	correlations that FRAPCON uses and others use. But the
19	one that they're using for their calculations for any
20	customer, such as Westinghouse, has proprietary
21	correlations in it for a lot of these details.
22	MEMBER BANERJEE: So
23	MEMBER CORRADINI: Fission gas
24	MEMBER BANERJEE: But what you're saying
25	well, we should have the Staff answer this, but what

(202) 234-4433

	221
1	you're saying is really that it's partly available the
2	developments on the CASL.
3	MEMBER CORRADINI: Yes, on the last review
4	Steve Bajorek was the NRC representative at the
5	review.
6	MEMBER BANERJEE: They have access to some
7	of this.
8	MR. CLIFFORD: There was a presentation
9	last week on the status of CASL, and there's two days
10	worth of slide presentations that are in ADAMS right
11	now.
12	MR. JACKSON: Right. I was at the briefing.
13	It was led by Steve Bajorek. DOE led the briefing to
14	us, but they had all the members. So, you know, at the
15	moment they're focused on things that the industry is
16	concerned with, things that they can make a lot of
17	money on or save money, so CRUD. They want to have
18	very cool predictive tools on things that affect
19	operation, and PCI has a huge impact on their
20	finances, so this is one of the things they're looking
21	at. There's no regulatory submittal to us at this
22	point, not to say that there couldn't be in the
23	future, but there's nothing now. If they wanted to
24	push the envelope farther and operate the plants much
25	different, I guess hypothetically you could

(202) 234-4433

222 1 MEMBER BANERJEE: So, could do we confirmatory analysis? Just take their results? 2 MEMBER CORRADINI: This kind of goes back 3 4 my original question. I think now I'll take Dana's side, is that if we think FRAPCON is enough for the 5 6 regulatory agency, then there's got to be a set amount 7 of experimentation that both sides have got to be 8 pointed to and validate against SO that we're 9 comfortable with the tool that the Agency has versus 10 DOE or whoever EPRI is providing. MEMBER BANERJEE: Yes, but I think if you 11 look at thermal hydraulics as an example, the industry 12 is pushing the boundaries because they want to get 13 14 closer to the limits. Right? Now, obviously, they're 15 trying to do that. And we have to be able to at least mean, 16 follow them. Right? Ι they have more 17 sophisticated models already than TRACE, and they're putting that forward. And if we have no way to confirm 18 19 it, what do we do? MEMBER BALLINGER: The CASL -- you can have 20 the mesh size of a nanometer in CASL and make great 3D 21 pictures which is exactly what they do, but you don't 22 have fidelity on the data for the ramp test. 23 24 MEMBER BANERJEE: But imagine 10 years, 5 years from now they come in with submissions which say 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	223
1	you know we can do this now, and our codes do it, and
2	we don't have a confirmatory tool.
3	MR. JACKSON: I think that's why Paul
4	recommended that we continue to improve the FRAP code,
5	that there's an opportunity for
6	MEMBER BANERJEE: I mean, to me that
7	answers your question.
8	MEMBER ARMIJO: Mr. Chairman, sorry for
9	CHAIRMAN STETKAR: No, that's fine. I was
10	going to give you two more minutes because my role
11	here is on average to keep everything average. I was
12	an hour under, Charlie was right on time. You're an
13	hour over, so I figured, you know, you've got two
14	minutes.
15	MEMBER ARMIJO: I think a lot of progress
16	has been made even though particularly in this
17	area, on the PWRs, so, I'm much more relaxed about
18	this thing than I used to be. I don't think you're
19	going to have a PWR AOO that gets you up to the high
20	powers for enough length of time, assuming that these
21	trip systems actually work, that you have to ever
22	worry about some operator having to say oops, or
23	failing a lot of fuel. And unlike Dana, I have an
24	aversion to failing a lot of fuel in a transient. It's
25	a licensee's problem and the fuel supplier's problem
	I contract of the second se

(202) 234-4433

224
if they fail a lot of fuel during normal operation,
that's the big commercial mess. But in a transient I
think it's a regulatory issue. So, anyway, Paul, good
presentation. Thanks to the Staff for doing a lot of
work, appreciate it. And, Mr. Chairman, the meeting is
your's.
CHAIRMAN STETKAR: Thank you.
MEMBER ARMIJO: Right on schedule.
CHAIRMAN STETKAR: Fine. We will take a
break and we are going to be off the record when we
return. Come back at 4:30, please, and we can talk
about the Research report.
(Whereupon, the proceedings went off the
record at 4:13 p.m.)



Luminant





LUMINANT GENERATION COMPANY

Comanche Peak Nuclear Power Plant, Units 3 and 4

612th ACRS Meeting



FSAR Chapters 3 (less 3.7, 3.8), 9, and 14

March 6, 2014







Agenda

Introduction

D Topics of Discussion with ACRS Subcommittee

- Chapter 3 (less 3.7 and 3.8)
- Chapter 9
- Chapter 14







Introduction

- □ COLA uses "Incorporated by Reference" methodology
- FSAR Chapters 3, 9, and 14 take no departures from US-APWR DCD
- □ No contentions pending before ASLB
- All confirmatory items were incorporated in FSAR Rev 4 (Nov 2013)
- □ Luminant has responded to all Open Items
- No outstanding issues identified in SERs







Topics of Discussion with ACRS Subcommittee

- □ Chapter 3
 - Military air crash probability
 - Turbine missile probability calculation
- Chapter 9
 - Wet bulb temperature; calcs for UHS evaporative losses
 - Duct heaters in electrical HVAC equipment rooms
 - Sharing Fire Brigade between Units 3 and 4
 - Incident Commander
 - Fire Brigade Leader
 - Flooding in the ESW Pipe Tunnel







Topics of Discussion with Subcommittee (cont'd)

□ Chapter 14







Acronyms

- ASLB Atomic Safety and Licensing Board
- COLA Combined License Application
- DCD Design Control Document
- □ FSAR Final Safety Analysis Report
- □ HVAC Heating, air conditioning, and ventilation
- SER Safety Evaluation Report
- □ UHS Ultimate heat sink
- □ US-APWR United States Advanced Pressurized Water Reactor



US-APWR Design Certification Application

Chapter 3 (except 3.7 and 3.8) and Chapter 14 (except 14.3.2 and 14.3.9)

ACRS Full Committee Presentation March 6, 2014 Mitsubishi Heavy Industries, Ltd.

MITSUBISHI HEAVY INDUSTRIES, LTD.

UAP-HF-14014 ACRS Full Committee Meeting, March 6, 2014

Presenters



> Ryan Sprengel

✓ DCD Licensing Manager

> Masatoshi Nagai

- ✓ DCD Licensing Engineer, Ch 3
- > Rebecca Steinman
 - ✓ DCD Licensing Engineer, Ch 14

MITSUBISHI HEAVY INDUSTRIES, LTD.

UAP-HF-14014-1 ACRS Full Committee Meeting, March 6, 2014

Introduction



> Previous ACRS Full Committee meetings

- September 9, 2011 Chapters covered: 2, 5, 8, 10, 11, 12, 13, 16
- ✓ September 6, 2012 Chapter 9 covered
- ✓ April 11, 2013 Chapters 4, 15, 17, 19; Topical Reports supporting Chapters 4 and 15, respectively
- December 5, 2013 Chapters 6 and 7; Topical Reports supporting Chapters 6 and 7, respectively
- Significant upcoming submittals

UBISHI HEAVY INDUSTRIES, LTD.

- ✓ Chapter Status Reports 3/31/2014
- > Adjustment of ongoing US-APWR DC Activities
 - ✓ Letter (UAP-HF-13256) submitted to NRC 11/5/2013
 - Coordinated slowdown of DCD Licensing Activities, while maintaining a commitment to US-APWR

UAP-HF-14014-2 ACRS Full Committee Meeting, March 6, 2014

Chapter 3 – Design of Structures, Systems, Components, and Equipment



- ACRS Subcommittee meeting held November 20 and 21, 2013
 - ✓ All sections except 3.7 and 3.8 presented

> Remaining Review Areas

- Areas that require further review and interactions include:
 - 3.9.2 Dynamic Testing and Analysis of Systems, Components, and Equipment
 - 3.9.4 Control Rod Drive Systems
 - 3.10 Seismic and Dynamic Qualification of Mechanical and Electrical Equipment
 - 3.11 Environmental Qualification
- ✓ NRC audit of Design and Procurement Specifications conducted February 2014

Written responses to ACRS SC questions to be submitted, March 2014

MITSUBISHI HEAVY INDUSTRIES, LTD.

UAP-HF-14014-3 ACRS Full Committee Meeting, March 6, 2014

Chapter 14 – Verification Programs



ACRS Subcommittee meeting held March 4, 2014
 ✓ All sections except 14.3.2 and 14.3.9 presented

Remaining Review Areas

- ✓ MHI response to RAI 1076-7368 Q 07-09-27 (follow-up to RAI 992-6999 Q 07.09-26) was submitted on February 25, 2014 to address the only SE Open Item
- ✓ No additional Ch 14 RAIs requiring MHI response
- Written responses to ACRS SC questions to be submitted, March 2014



United States Nuclear Regulatory Commission

Protecting People and the Environment

Presentation to the ACRS Full Committee – 612th Meeting

Comanche Peak Nuclear Power Plant, Units 3 and 4 COL Application Review

Safety Evaluation Report with Open Items

Chapter 3: Design of Structures, Systems, Components, and Equipment Chapter 9: Auxiliary Systems Chapter 14: Verification Programs

> Perry Buckberg US-APWR Design Certification Lead Project Manager

> > March 6, 2014

CPNPP COLA Review Schedule



	COMPLETION DATE
Phase 1 – Preliminary Safety Evaluation Report (SER)	10/09/2009
Phase 2 – SER with Open Items	TBD
Phase 3 – ACRS Review of SER with OIs	TBD
Phase 4 – Advanced SER with No OIs	TBD
Phase 5 – ACRS Review Adv. SER with No OIs	TBD
Phase 6 – Final SER with No OIs	TBD
Rulemaking	TBD

Summary of the CPNPP COLA Safety Evaluation Reports



- The staff has issued Safety Evaluation Reports (SERs) with Open Items for Chapters 2, 3 (partial), 4, 5, 6, 7, 8, 9, 10, 11, 12, 13, 14, 15, 16, 17 and 19 (partial).
- Of the issued chapters, by CoB today all will have been presented to the ACRS Full Committee.

CPNPP Chapter 3 Design of Structures, Systems, Components and Equipment



- The following Chapter 3 Open Items were discussed during the November 2013 SC Meeting:
 - **RAI 244-6222, Question 03.09.06-21**: Audit of a sample of applicable design and procurement specifications for functional design, qualification, and inservice testing programs
 - Status: Open Audit conducted February of 2014, will remain open pending the issuance of the audit report
 - **RAI 239-6159, Question 03.11-18**: Audit of a sample of applicable design and procurement specifications for the environmental qualification of mechanical equipment..
 - Status: Open Audit conducted February of 2014, will remain open pending the issuance of the audit report
 - RAI 239-6159, Question 03.11-19: COL environment qualification operational program review is dependent on the completion of the review of MHI's MUAP-08015, "US-APWR Equipment Environmental Qualification Program"
 - Status: Open Review after shutdown

CPNPP Chapter 9 Auxiliary Systems



- The SE for Chapter 9 addresses:
 - Fuel storage and handling
 - Water systems
 - Process auxiliaries
 - HVAC
 - Other auxiliary systems.
- The following Chapter 9 Open Item was discussed during the November 2013 SC Meeting
 - Open Item 09.02.05-01: The "governing" heat load for UHS basin cooling capacity.
 Status: Now a CI

CPNPP Chapter 14 Verification Programs



- The SE for Chapter 14 addresses:
 - Specific Information to Be Included in Preliminary/Final Safety Analysis Reports
 - Initial Plant Test Program
 - ITAAC
- There were no technical Open Items discussed during the March 4, 2014 SC Meeting



United States Nuclear Regulatory Commission

Protecting People and the Environment

Presentation to the ACRS Full Committee – 612th Meeting

United States – Advanced Pressurized Water Reactor (US-APWR) Design Certification

Safety Evaluation Report with Open Items

Chapter 3: Design of Structures, Systems, Components, and Equipment Chapter 14: Verification Programs

> Perry Buckberg US-APWR Design Certification Lead Project Manager

> > March 6, 2014

US-APWR DC Review Schedule



	COMPLETION DATE
Phase 1 – Preliminary Safety Evaluation Report (SER)	June 2009
Phase 2 – SER with Open Items	TBD
Phase 3 – ACRS Review of SER with OIs	TBD
Phase 4 – Advanced SER with No OIs	TBD
Phase 5 – ACRS Review Adv. SER with No OIs	TBD
Phase 6 – Final SER with No OIs	TBD
Rulemaking	TBD

Summary of the US-APWR Safety Evaluation Reports



- The staff has issued Safety Evaluation Reports (SERs) with Open Items for Chapters 2, 3 (partial), 4, 5, 6, 7, 8, 9, 10, 11, 12, 13, 14, 15, 16, 17 and 19 (partial).
- Of the issued chapters, by CoB today all will have been presented to the ACRS Full Committee.

US-APWR Chapter 3 Design of Structures, Systems, Components and Equipment



- The following Chapter 3 Open Items were discussed during the November 2013 SC Meeting
 - RAI 1015-7054, Question 03.09.03-31: Design/procurement specification audit
 - Status: Open Audit conducted February of 2014, will remain open pending the issuance of the audit report
 - RAI 841-6055, Question 03.04.01-29: Flooding analysis audit .
 - Status: Resolved
 - RAI 841-6055, Question 03.04.01-30: Changes to the building layout, flood barriers, and water-tight doors resulting from seismic design changes.
 - Status: Resolved
 - **RAI 546-4345, Question 03.04.02-6**: The use of 0.7 as the coefficient of friction at the soil-concrete interface.
 - Status: Resolved
 - RAI 782-5910, Question 14.03.07-58: MHI modified the ITAAC for turbine generator arrangement and turbine missile probability
 - **Štatus**: Resolved
 - RAI 758-5680, Question 03.05.03-10: Automobile missile on all seismic Category I structures not covered by RG 1.76.
 - Status: Resolved
 - **RAI 1013-7031, Question 03.09.02-103**: Postulated steam generator failure mechanisms associated with the San Onofre.
 - Status: Open Under review.

US-APWR Chapter 3 Design of Structures, Systems, Components and Equipment



- Chapter 3 Open Items cont.
 - RAI 1013-7031, Question 03.09.02-104: Preliminary design of the steam generator tube bundle and the design criteria for the steam generator tubes and retainer bars against flowinduced excitations, including random turbulence, fluid elastic instability (out-of-plane and inplane), and vortex shedding.
 - Status: Open Under review.
 - RAI 209-1803, Question 03.09.03-21: Seismic analysis changes.
 - Status: Resolved
 - RAI 107-1293, Question 03.09.04-1, Subquestions 1293-01, 1293-06, and 1293-07, and RAI 848-6093, Question 03.09.04-14: Margin between the calculated maximum control rod drive mechanism deflection and the design limit prior to seismic analysis changes.
 - Status: Open Review after slowdown
 - RAI 288-2274, Question 03.09.06-1: Design/procurement specification audit
 - Status: Open Under Review
 - **RAI 486-3861, Question 03.10**-17: Gas turbine generator system qualification and methods, criteria, and procedures. TeR MUAP-10023.
 - **Status**: Open Review after slowdown
 - RAI 650-5093, Question 03.11-39: Addressing all environmental qual.n requirements in 10 CFR 50.49 and ASME QME-1-2007, App QR-B
 - Status: Open Review after slowdown

US-APWR Chapter 3 Design of Structures, Systems, Components and Equipment



- Chapter 3 Open Items cont.
 - RAI 589-4536, Question 03.11-36: Calculational methods/results for total integrated dose to equipment in containment following a LOCA.
 - Status: Open Review after slowdown
 - **RAI 589-4536, Question 03.11-37**: Calculational methods/results for the beta ray source term for equipment inside containment following a LOCA.
 - Status: Open Review after slowdown
 - **RAI 589-4536, Question 03.11-38**: Inconsistencies in the operability times of post accident equipment inside containment.
 - **Status**: Open Review after slowdown
 - **RAI 880-6142, Question 03.11-42**: MHI to provide a equipment qualification data package template.
 - **Status**: Open Review after slowdown
 - RAI 805-5915, Question 03.11-41 and RAI 880-6142, Question 03.11-43: MHI demonstrate US-APWR satisfying the environmental qual for electrical equipment (10 CFR 50.49) (1)
 - **Status**: Open Review after slowdown
 - **RAI 901-6257, Question 03.11-55**: The ITAAC do not include demonstration of environmental qualification of nonmetallic parts of mechanical equipment.
 - **Status**: Open Review after slowdown (supplemental RAI response needs to be reviewed)
 - **RAI 804-5938, Question 03.12-26**: The design loads for piping were updated and the seismic analysis methods of steam generator supports unclear.
 - Status: Resolved

US-APWR Chapter 14 Verification Programs



- The SE for Chapter 14 addresses:
 - Specific Information to Be Included in Preliminary/Final Safety Analysis Reports
 - Initial Plant Test Program
 - ITAAC
- The following Chapter 14 Open Item was discussed during the March 4, 2014 SC Meeting
 - RAI 1076-7368, Question 07.09-27 (Follow-up to RAI 992-6999, Question 07.09-26): Provide ITAAC to verify that the as-built protection and control systems are separate such that failure of any control system or component would not impact the performance of safety functions to satisfy the GDC 24 requirements. The Open Item applies to Section 14.3.5.

Status: Still and Open Item



United States Nuclear Regulatory Commission

Protecting People and the Environment

Presentation to the ACRS Full Committee – 612th Meeting

Comanche Peak Nuclear Power Plant, Units 3 and 4 COL Application Review

Safety Evaluation Report with Open Items

Chapter 3: Design of Structures, Systems, Components, and Equipment Chapter 9: Auxiliary Systems Chapter 14: Verification Programs

> Perry Buckberg US-APWR Design Certification Lead Project Manager

> > March 6, 2014

CPNPP COLA Review Schedule



	COMPLETION DATE
Phase 1 – Preliminary Safety Evaluation Report (SER)	10/09/2009
Phase 2 – SER with Open Items	TBD
Phase 3 – ACRS Review of SER with Ols	TBD
Phase 4 – Advanced SER with No OIs	TBD
Phase 5 – ACRS Review Adv. SER with No Ols	TBD
Phase 6 – Final SER with No Ols	TBD
Rulemaking	TBD

Summary of the CPNPP COLA Safety Evaluation Reports



- The staff has issued Safety Evaluation Reports (SERs) with Open Items for Chapters 2, 3 (partial), 4, 5, 6, 7, 8, 9, 10, 11, 12, 13, 14, 15, 16, 17 and 19 (partial).
- Of the issued chapters, by CoB today all will have been presented to the ACRS Full Committee.
CPNPP Chapter 3 Design of Structures, Systems, Components and Equipment



- The following Chapter 3 Open Items were discussed during the November 2013 SC Meeting:
 - RAI 244-6222, Question 03.09.06-21: Audit of a sample of applicable design and procurement specifications for functional design, qualification, and inservice testing programs
 - Status: Open Audit conducted February of 2014, will remain open pending the issuance of the audit report
 - **RAI 239-6159, Question 03.11-18**: Audit of a sample of applicable design and procurement specifications for the environmental qualification of mechanical equipment..
 - Status: Open Audit conducted February of 2014, will remain open pending the issuance of the audit report
 - RAI 239-6159, Question 03.11-19: COL environment qualification operational program review is dependent on the completion of the review of MHI's MUAP-08015, "US-APWR Equipment Environmental Qualification Program"
 - Status: Open Review after shutdown

CPNPP Chapter 9 Auxiliary Systems



- The SE for Chapter 9 addresses:
 - Fuel storage and handling
 - Water systems
 - Process auxiliaries
 - HVAC
 - Other auxiliary systems.
- The following Chapter 9 Open Item was discussed during the November 2013 SC Meeting
 - Open Item 09.02.05-01: The "governing" heat load for UHS basin cooling capacity.
 Status: Now a CI

CPNPP Chapter 14 Verification Programs



- The SE for Chapter 14 addresses:
 - Specific Information to Be Included in Preliminary/Final Safety Analysis Reports
 - Initial Plant Test Program
 - ITAAC
- There were no technical Open Items discussed during the March 4, 2014 SC Meeting



United States Nuclear Regulatory Commission

Protecting People and the Environment

Presentation to the ACRS Full Committee – 612th Meeting

United States – Advanced Pressurized Water Reactor (US-APWR) Design Certification

Safety Evaluation Report with Open Items

Chapter 3: Design of Structures, Systems, Components, and Equipment Chapter 14: Verification Programs

> Perry Buckberg US-APWR Design Certification Lead Project Manager

> > March 6, 2014

US-APWR DC Review Schedule



	COMPLETION DATE
Phase 1 – Preliminary Safety Evaluation Report (SER)	June 2009
Phase 2 – SER with Open Items	TBD
Phase 3 – ACRS Review of SER with Ols	TBD
Phase 4 – Advanced SER with No OIs	TBD
Phase 5 – ACRS Review Adv. SER with No OIs	TBD
Phase 6 – Final SER with No Ols	TBD
Rulemaking	TBD

Summary of the US-APWR Safety Evaluation Reports



- The staff has issued Safety Evaluation Reports (SERs) with Open Items for Chapters 2, 3 (partial), 4, 5, 6, 7, 8, 9, 10, 11, 12, 13, 14, 15, 16, 17 and 19 (partial).
- Of the issued chapters, by CoB today all will have been presented to the ACRS Full Committee.

US-APWR Chapter 3 Design of Structures, Systems, **Components and Equipment**



- The following Chapter 3 Open Items were discussed during the November 2013 SC Meeting
 - RAI 1015-7054, Question 03.09.03-31: Design/procurement specification audit
 - Status: Open Audit conducted February of 2014, will remain open pending the issuance of the audit report
 - RAI 841-6055, Question 03.04.01-29: Flooding analysis audit . ٠
 - Status: Resolved
 - RAI 841-6055, Question 03.04.01-30: Changes to the building layout, flood barriers, and ٠ water-tight doors resulting from seismic design changes.
 - Status: Resolved
 - RAI 546-4345, Question 03.04.02-6: The use of 0.7 as the coefficient of friction at the soil-• concrete interface.
 - Status: Resolved
 - RAI 782-5910, Question 14.03.07-58: MHI modified the ITAAC for turbine generator ٠ arrangement and turbine missile probabilityStatus: Resolved
 - RAI 758-5680, Question 03.05.03-10: Automobile missile on all seismic Category I ٠ structures not covered by RG 1.76.
 - Status: Resolved
 - **RAI 1013-7031, Question 03.09.02-103**: Postulated steam generator failure mechanisms ٠ associated with the San Onofre.
 - Status: Open Under review.

US-APWR Chapter 3 Design of Structures, Systems, Components and Equipment



- Chapter 3 Open Items cont.
 - RAI 1013-7031, Question 03.09.02-104: Preliminary design of the steam generator tube bundle and the design criteria for the steam generator tubes and retainer bars against flow-induced excitations, including random turbulence, fluid elastic instability (out-of-plane and in-plane), and vortex shedding.
 - Status: Open Under review.
 - RAI 209-1803, Question 03.09.03-21: Seismic analysis changes.
 - Status: Resolved
 - RAI 107-1293, Question 03.09.04-1, Subquestions 1293-01, 1293-06, and 1293-07, and RAI 848-6093, Question 03.09.04-14: Margin between the calculated maximum control rod drive mechanism deflection and the design limit prior to seismic analysis changes.
 - Status: Open Review after slowdown
 - RAI 288-2274, Question 03.09.06-1: Design/procurement specification audit
 - Status: Open Under Review
 - **RAI 486-3861, Question 03.10**-17: Gas turbine generator system qualification and methods, criteria, and procedures. TeR MUAP-10023.
 - Status: Open Review after slowdown
 - RAI 650-5093, Question 03.11-39: Addressing all environmental qual.n requirements in 10 CFR 50.49 and ASME QME-1-2007, App QR-B
 - Status: Open Review after slowdown

US-APWR Chapter 3 Design of Structures, Systems, Components and Equipment



- Chapter 3 Open Items cont.
 - **RAI 589-4536, Question 03.11-36**: Calculational methods/results for total integrated dose to equipment in containment following a LOCA.
 - Status: Open Review after slowdown
 - **RAI 589-4536, Question 03.11-37**: Calculational methods/results for the beta ray source term for equipment inside containment following a LOCA.
 - Status: Open Review after slowdown
 - **RAI 589-4536, Question 03.11-38**: Inconsistencies in the operability times of post accident equipment inside containment.
 - Status: Open Review after slowdown
 - RAI 880-6142, Question 03.11-42: MHI to provide a equipment qualification data package template.
 - **Status**: Open Review after slowdown
 - RAI 805-5915, Question 03.11-41 and RAI 880-6142, Question 03.11-43: MHI demonstrate US-APWR satisfying the environmental qual for electrical equipment (10 CFR 50.49) (1)
 - Status: Open Review after slowdown
 - **RAI 901-6257, Question 03.11-55**: The ITAAC do not include demonstration of environmental qualification of nonmetallic parts of mechanical equipment.
 - Status: Open Review after slowdown (supplemental RAI response needs to be reviewed)
 - **RAI 804-5938, Question 03.12-26**: The design loads for piping were updated and the seismic analysis methods of steam generator supports unclear.
 - Status: Resolved

US-APWR Chapter 14 Verification Programs



- The SE for Chapter 14 addresses:
 - Specific Information to Be Included in Preliminary/Final Safety Analysis Reports
 - Initial Plant Test Program
 - ITAAC
- The following Chapter 14 Open Item was discussed during the March 4, 2014 SC Meeting
 - RAI 1076-7368, Question 07.09-27 (Follow-up to RAI 992-6999, Question 07.09-26): Provide ITAAC to verify that the as-built protection and control systems are separate such that failure of any control system or component would not impact the performance of safety functions to satisfy the GDC 24 requirements. The Open Item applies to Section 14.3.5.

Status: Still and Open Item

Diablo Canyon Process Protection System LAR



Presented by: NRR / EICB

John Thorp Branch Chief EICB Rich Stattel Technical Reviewer EICB Rossnyev Alvarado EICB Samir Darbali EICB

Thursday March 6, 2014

ACRS Diablo Canyon LAR



Presentation Outline / Agenda

- Introduction
- Platform Evaluation Background
 - Tricon
 - ALS
- Overview of Diablo Canyon License Amendment Request
- Safety Evaluation Topics
 - Communication
 - Diversity and Defense in Depth
 - Secure Development and Operations Environment (SDOE)
 - Deterministic Performance



Introduction Diablo Canyon PPS Replacement LAR

- Diablo Canyon License Amendment Request Submitted on October 26, 2011
 - LAR is to replace the existing Eagle 21 Process Protection System with a new more modern digital system.
 - The Diablo Canyon Digital Process Protection System (PPS) is based on both the Microprocessor based Invensys Tricon and the FPGA based Westinghouse ALS Platforms.
- The NRC accepted the LAR (January 13 2012) for review and documented several review areas which would require particular attention prior to approving the LAR. These are:
 - Deterministic Performance of Software
 - Equipment Qualification Testing Plans
 - Software Planning Documentation
 - Setpoint Methodologies



Process Protection System Overview







Overview of Diablo Canyon Application PPS System Architecture





ALS Platform – Physical Representation





ALS Platform – Block Diagram





- The Approved ALS Platform
 - Defines the architecture and internal communications approach upon which to build an I&C system
 - Specifies seven boards
 - Specifies all board functionality and functional allocation to programming (with the exception of the application-specific logic of the "Core Logic Board," ALS-102)
 - Uses diversity attributes to create two-design variants of each board
 - Establishes the development process for the boards, their programming, and verification and validation
 - Establishes qualification boundaries for the platform and design features to support implementation of safety functions for a plant's application-specific system



Populated Tricon V10 Chassis





TRICON V10 Block Diagram





- The Approved Tricon V10 Platform
 - Reviewed against the SRP with emphasis on areas of change
 - New MP3008 main processor and TCM communications module
 - Establishes guidance on communications and compliance with ISG 4
 - Establishes the development process for the boards, their programming, and verification and validation
 - Establishes qualification boundaries for the platform and design features to support implementation of safety functions for a plant's application-specific system



Overview of Diablo Canyon Application PPS System Architecture





Overview of Diablo Canyon Application PPS System Architecture





Overview of Diablo Canyon Application Current PPS System Functions





Overview of Diablo Canyon Application New PPS System Functions





Overview of Diablo Canyon Application PPS System Tricon Function Allocation





Overview of Diablo Canyon Application PPS System ALS Function Allocation





Communications





Communication Guidance

- Guidance for Communication
 - IEEE 603, "IEEE Standard Criteria for Safety Systems for Nuclear Power Generating Stations"
 - IEEE 7-4.3.2, "Standard Criteria for Digital Computer in Safety Systems of Nuclear Power Generating Station"
 - DI&C-ISG-04, "Highly Integrated Control Roomscommunication Issues"



Overview of Diablo Canyon Application PPS System Architecture





Communications Architecture





Overview of Diablo Canyon PPS Application ALS Communication Architecture





Overview of Diablo Canyon PPS Application Tricon Communication Architecture





Port Aggregator Tap





10/100 Port Aggregator Tap









Overview of Diablo Canyon PPS Application Tricon Input/Output Signals

Remote RXM Chassis I/O Signals

INPUT:

- OTDT / OPDT Interlock Manual Trip Switches
- Power Supply Failure Relays

OUTPUT:

- Delta T Indicator
- Over Power Setpoint Indicator
- Over Temperature Setpoint Indicator
- T average Indicator
- OTDT and OPDT Interlock Signals
- Various System Alarms to Main Annunciator System (MAS)



Diversity & Defense-In-Depth




Diversity and Defense in Depth (D3) Guidance

- Guidance for Diversity Assessment
 - SRM to SECY-93-087 Item II.Q

Establishes NRC policy for Diversity and Defense in Depth

• NUREG/CR-6303

Method for Performing Diversity and Defense-in-Depth Analyses of Reactor Protection Systems

• Branch Technical Position (BTP) 7-19

Guidance for Evaluation of Diversity and Defense-in-Depth in Digital Computer-Based Instrumentation and Control Systems

Interim Staff Guide (DI&C-ISG-02)

Diversity and Defense-in-Depth Issues



Diversity and Defense in Depth (D3) Analysis Preformed by Licensee

- Diversity and Defense-In-Depth Analysis Performed
 - Eagle 21 (1993)

Assumed CCF of PPS resulting in loss of all PPS safety functions

– Replacement PPS System (2011)

Assumed loss of all Functions performed by the Tricon Subsystem.

- Update to Previous Analysis Tables
- All plant Accidents and AOO's are included in the analysis
- Three Parameters identified for which there is no existing Automatic Diverse Backup function.
 - Pressurizer Pressure
 - Containment Pressure
 - RCS Flow
- Describes ALS Diversity and postulates CCF of ALS. This CCF does not result in loss of ALS assigned Safety functions









* OR function is accomplished by DO contacts in series for De-energize To Trip (DTT) or in parallel for Energize To Trip (ETT) function.







Diversity and Defense in Depth Anticipated Transient Without Scram (ATWS)





Diversity and Defense in Depth Anticipated Transient Without Scram (ATWS)

- Diverse Attributes
 - Different architectures
 - Different vendors
 - Different microprocessors produced by different manufacturers
 - Different Electrical Power source
 - Initiation path is separate and independent from the PPS
- Interface Features of AMSAC and PPS
 - Shared Sensors are not digital devices and are not subject to the effects of a software CCF.
 - Input signals are isolated using qualified isolation devices
 - The AMSAC output actuation signals are transmitted through relays that provide isolation between the safety-related control circuits actuated by AMSAC and the non-safety related AMSAC system.



Diversity and Defense in Depth Manual Operator Action

- The new Diablo Canyon Digital Process Protection System reduces reliance on Manual Operator Actions as a means of coping with a software CCF within the PPS.
- The modification does not however affect the ability of operators to perform manual actuations of safety functions.
 - Manual Initiation signals are provided directly to the SSPS system which is not being modified.
 - Previously credited MOA's will still be available to the operators.
 - Existing component and division level actuation capability at the main control boards will be retained



Secure Development and Operational Environment





Secure Development and Operational Environment (SDOE)

- Guidance for SDOE
 - RG 1.152, Rev. 3, "Criteria for Use of Computers in Safety Systems of Nuclear Power Plants"
- A secure development environment must be established to ensure unwanted, unneeded, and undocumented functionality is not introduced into a digital safety system
- A secure operational environment must be established to ensure predictable, non-malicious events will not degrade the reliable performance of the safety system



- The secure development environments for the ALS and Tricon platforms were reviewed as part of their respective Topical Report reviews and were found to be acceptable
- The same development environments are being maintained for the DCPP PPS replacement application
- These development environments include:
 - Vulnerability assessments
 - Physical and logical access control of the development infrastructure
 - Control of portable media
 - Configuration Management of documentation and source code files
- Code reviews to detect and prevent the use of unintended code or functions
- The licensee will not develop or modify the software



Secure Operational Environment (Control of Access)

- Once the PPS replacement project is completed and the PPS is in the Operations and Maintenance phases, software modifications to the Tricon and ALS platforms will be controlled by the PPS Replacement Software Configuration Management Plan
- Modifications to the PPS replacement components produced by the vendors will be performed by the vendors, not the licensee
- The PPS replacement system will be located in a plant vital area
 - In the cable spreading room
 - In the same cabinets that currently house the Eagle-21 PPS
 - These cabinets are locked and the keys are administratively controlled by operations personnel
 - Access to the MWSs is password protected







- Deterministic performance characteristics for each platform were evaluated and accepted by the NRC as part of the associated platform safety evaluation.
 - Each SE considered the following system characteristics;
 - Input and Output Signal Processing
 - Data Transfer Methods / Techniques
 - Software or Logic Implementation Structure
 - System Diagnostic functions
 - The NRC is also evaluating Application Specific Characteristics of the PPS such as;
 - System loading
 - Application architecture



ALS Deterministic Performance Characteristics

- No Embedded Microprocessor Cores
- FPGA Design Does not use Interrupts
- Deterministic sequence of performing logic operations:
 - 1. Acquire Inputs
 - 2. Perform Logic Operations
 - 3. Generate Outputs



Tricon Deterministic Performance Characteristics

- The Tricon application program (calculational cycle) cannot be interrupted by any of the lower priority tasks during the program execution cycle.
- Actual processing time is established during program development.
- Once application program development is complete, the cycle time does not vary as a function of calculational loading of the system.



Tricon Deterministic Performance Characteristics

			Accident Analysis Time Response
	Program Scan Time	Specified PPS Re Time Allocation	esponse
Time	Calculated Response Time		



Summary









Tricon Deterministic Performance Characteristics



















Overview of Diablo Canyon PPS Application PPS Communication Architecture





Overview of Diablo Canyon PPS Application OPDT and OTDT Functions













ETSX & IOC Scan Loops





Scan Level	Scan Level	
------------	------------	--

IOC

ETSX

Boa	ard tus	NSB	ETSX Msgs	Get Inputs	Send Outputs	Get Inputs	Board Status	NSB	ETSX Msgs	Get Inputs	Send Outputs	Get Inputs

Legend







END

