

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title:                   Advisory Committee on Reactor Safeguards  
                              AP 1000 Subcommittee: Open Session

Docket Number:     (n/a)

Location:             Rockville, Maryland

Date:                  Wednesday, April 9, 2014

Work Order No.:     NRC-701

Pages 1-41

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION  
+ + + + +  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS  
(ACRS)  
+ + + + +  
AP1000 SUBCOMMITTEE  
OPEN SESSION  
+ + + + +  
WEDNESDAY  
APRIL 9, 2014  
+ + + + +  
ROCKVILLE, MARYLAND  
+ + + + +

The Subcommittee met at the Nuclear  
Regulatory Commission, Two White Flint North, Room  
T2B1, 11545 Rockville Pike, at 1:00 P.m., Harold B. Ray,  
Chairman, presiding.

COMMITTEE MEMBERS:

HAROLD B. RAY, Chairman  
SANJOY BANERJEE, Member  
DENNIS C. BLEY, Member  
CHARLES H. BROWN, JR. Member  
MICHAEL L. CORRADINI, Member  
JOY REMPE, Member

1 PETER RICCARDELLA, Member

2 MICHAEL T. RYAN, Member

3 GORDON R. SKILLMAN, Member

4 JOHN W. STETKAR, Member

5

6 DESIGNATED FEDERAL OFFICIAL:

7 PETER WEN

8 NRC STAFF:

9 DAN HABIB, NRO

10

11 ALSO PRESENT:

12 RICK AUSTIN, Westinghouse

13 MICHAEL CORLETTI, Westinghouse

14 TERRY SCHULZ, Westinghouse

15 SYLENA SMITH, Westinghouse

16 RICHARD WRIGHT, Westinghouse

17

18 \*Present via telephone

19

20

21

22

23

24

A G E N D A

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

Page

Welcome and Introduction.....	4
Staff Opening Remarks.....	6
Westinghouse Opening Remarks.....	9
Public Comments.....	

## P R O C E E D I N G S

1:04 p.m.

Welcome and Introduction

CHAIRMAN RAY: The meeting will now come to order. This is a meeting of the ACRS AP1000 Subcommittee. I'm Harold Ray, chairman of the Subcommittee. With us this afternoon are members Pete Riccardella, Dennis Bley, Gordon Skillman, John Stetkar, Ron Ballinger, Charles Brown and Joy Rempe. Peter Wen of the ACRS staff is the Designated Federal Official for this meeting.

This is an informational meeting, to review AP1000 condensate return design changes and supporting analyses. We'll hear presentations from Westinghouse. I understand the staff's SE is not available at this time, and that Westinghouse has not yet been able to reply to the staff's RAIs.

At present, we do not have any further actions scheduled on this matter. This meeting was requested based on the numbers of parties potentially affected by the agency's actions on these design changes, and the desire for the ACRS to be informed at this point in time, concerning the bases for them.

As shown on the agenda, some presentations will be closed. In fact, the majority of them will be,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 in order to discuss information that is proprietary to  
2 Westinghouse, pursuant to 5 U.S. Code 552-B(c) (3) and  
3 (4). Attendance at this portion of a meeting dealing  
4 with such information will be limited to the NRC staff,  
5 Westinghouse, and those individuals and organizations  
6 who have entered into an appropriate confidentiality  
7 agreement with Westinghouse.

8 Consequently, we will need to confirm that  
9 we have only eligible observers and participants in the  
10 room, and closure of the public phone line will occur  
11 for that portion of the meeting. The phone line is open  
12 now, and I, in a little unusual measure, I will invite  
13 any comments before we close the line, and before we  
14 enter the proprietary session, because the duration of  
15 that session is hard to predict, if anyone on the bridge  
16 line at all.

17 So I invite any comments from members of  
18 the public who are here. I can't predict how long it  
19 will then be suspended, due to the proprietary  
20 information. So I want to make it possible for any  
21 comments to be provided to the Committee prior to the  
22 line being closed.

23 The rules for participation in today's  
24 meeting have been announced, as part of the notice of  
25 this meeting previously published in the *Federal*

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Register. The detailed procedures for the conduct of  
2 and participation in ACRS meetings were published in  
3 the *Federal Register* on November 8, 2013. We have  
4 received no written comments or requests for time to  
5 make oral statements from members of the public  
6 regarding today's meeting. Nevertheless, as I say, I  
7 will invite such comments shortly.

8 The transcript of the meeting is being  
9 kept, and will be made available as stated in the  
10 *Federal Register* notice. Therefore, we request the  
11 participants in the meeting use the microphones located  
12 throughout the meeting room when addressing the  
13 Subcommittee. Participants should first identify  
14 themselves and speak with sufficient clarity and  
15 volume, so that they can heard.

16 Westinghouse, members of the Westinghouse  
17 team are listening in on a non-public phone line, and  
18 we will be able to refer any necessary questions or  
19 requests for information to them if needed.

20 All that now having been said, we will  
21 proceed with the meeting, and I call on Don Habib of  
22 the NRC staff to make some initial comments.

23 Staff Opening Remarks

24 MR. HABIB: Good afternoon. My name is  
25 Don Habib. I'm a project manager in the Office of New

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Reactors. I'm responsible for managing the AP1000  
2 condensate return design change, the staff review.  
3 I'm providing a little bit of background and the current  
4 status of the staff review.

5 The staff became aware of the design change  
6 in discussions with Progress Energy Florida and  
7 Westinghouse about early 2013. Since that time,  
8 Progress Energy has merged with Duke Energy. This is  
9 part of the Levy COL review. Duke provided the first  
10 submittal related to the design change in April 2013,  
11 as part of the Levy COL application.

12 The staff began the initial submittal at  
13 the time, but the review was limited in 2013 because  
14 some of the key calculations and analyses underlying  
15 the submittal were not completed or available. In  
16 completing the analyses, Westinghouse had made further  
17 modifications to the design change.

18 These key analyses and calculations became  
19 available to the staff in January of this year, and in  
20 February we received an updated submittal under the  
21 Levy COL docket. In March, the staff issued an initial  
22 set of RAIs, and the staff's currently waiting for the  
23 response. A second set of RAIs we expect to issue this  
24 week.

25 While the Levy COL is the only application

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 to have submitted a design change, the staff expects  
2 this same design change to be made to all the other  
3 active AP1000 plants, including both the applicants and  
4 the licensees. For Vogtle and Summer licensees, we  
5 expect those license amendment requests very soon.

6 Currently, our schedule provides that the  
7 staff review is going to be completed in September of  
8 this year.

9 CHAIRMAN RAY: And the SE issued then Don?

10 MR. HABIB: We'll have an advance SE, no  
11 open items, in September. That's the current  
12 schedule.

13 CHAIRMAN RAY: All right, and you -- we'll  
14 request the second set of RAIs be made available to our  
15 staff when they're issued, if you will, so we can keep  
16 current.

17 MR. HABIB: Okay, will do.

18 CHAIRMAN RAY: That's what we're trying to  
19 do. That's the reason for this meeting, is to avoid  
20 any unnecessary or avoidable delay in the review.  
21 Anything else?

22 MR. HABIB: That's it. Thank you.

23 CHAIRMAN RAY: Okay. With that, as I  
24 said, before we -- well, does Westinghouse have  
25 comments? You do have, according to my agenda anyway,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 comments to make prior to our closing the meeting. So  
2 please proceed with that portion of your presentation.

3 MR. CORLETTI: Good afternoon.

4 CHAIRMAN RAY: Good afternoon.

5 Westinghouse Opening Remarks

6 MR. CORLETTI: My name is Mike Corletti,  
7 AP1000 Plant Design Division, Engineering Director at  
8 Westinghouse.

9 On behalf of Westinghouse, I want to say  
10 thank you for providing us the opportunity to speak to  
11 the ACRS today. I'll just introduce some of the  
12 members we brought with us. We have Mr. Schulz, who's  
13 our consulting engineer, responsible for the passive  
14 safety systems design. He'll be doing the majority of  
15 the presentation today.

16 We also have Dr. Rick Wright, representing  
17 -- who will be presenting some of the testing and  
18 analysis that we've done associated with this change.  
19 We also have Mr. Tom Gear, Vice President of New Plant  
20 Engineering and Licensing, and Mr. Paul Rust, Director  
21 of U.S. Licensing and Regulatory Support. They'll be  
22 the primary speakers for today's discussion.

23 In this regard, we've provided -- I know  
24 we have an agenda. We provided one to maybe help you,  
25 if you want to keep us -- to keep us on track with our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 presentations, and when you may want to break.

2 CHAIRMAN RAY: All right.

3 MR. CORLETTI: It follows yours, but it  
4 just provides -- subdivides it a little bit. So I can  
5 hand that to you.

6 CHAIRMAN RAY: There we go. I've got it  
7 in hand now. Thank you.

8 MR. CORLETTI: Right, in the interest of  
9 keeping us all on track. So next slide please, and this  
10 is what I just handed out to you. So we can adjust as  
11 necessary. Okay. So for the purpose of this meeting,  
12 this is a really an opportunity for us to explain an  
13 issue with the containment condensate return that we've  
14 been working on really for several years, in resolving  
15 an issue that we've identified.

16 It really deals with the design of how  
17 condensate returns to the IRWST during long term  
18 operation of the passive RHR heat exchanger, and I'll  
19 talk a little, to get us all oriented on the role of  
20 the passive RHR heat exchanger in some of the next few  
21 slides.

22 We're going to talk about the issue.  
23 We'll review design changes that we're making to  
24 improve the performance of the system, and we're going  
25 to review the calculations and analysis that we've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 done, and the testing that we've done that forms the  
2 basis for those calculations analysis, that are part  
3 of the submittal that has been provided as part of the  
4 COL application for Levy, as well as the future plan  
5 submittals for license amendment requests for V.C.  
6 Summer and Vogtle.

7 Again, the agenda. The initial portion is  
8 what I'm speaking to now. The overview on the passive  
9 RHR heat exchanger operation, and then the more  
10 detailed presentations, the plant safety -- the systems  
11 operation, the design changes that we've made in  
12 detail, detailed review of the analysis and then the  
13 condensate return testing that we've performed in  
14 support of this new design.

15 Okay. But just -- since it's been maybe  
16 two years since we've had the opportunity to be here,  
17 we thought we'd just go over again the fundamentals of  
18 the passive RHR heat exchanger operation. Really, the  
19 heat exchanger is a -- is designed for decay heat  
20 removal in non-LOCA events, events such as a loss of  
21 normal feed or a station blackout.

22 It's a heat exchanger that's located in a  
23 large pool of water called the in-containment refueling  
24 water storage tank. That's located above the core, and  
25 so it allows for natural circulation, decay heat

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 removal for -- on indications of loss of decay heat,  
2 such as low steam generator water level.

3 It takes -- during operation, it will take  
4 roughly four hours for the IRWST to heat up the  
5 saturation. Beyond that, steam will be produced in the  
6 IRWST and is discharged into the containment, and  
7 through operation of the passive containment cooling  
8 system, steam would be condensed on the containment  
9 shell and returned to the IRWST through a series of  
10 gutters and down spouts, that are designed to collect  
11 that condensate and really maintain that passive heat  
12 sink for a long period of time.

13 Again, this was -- keep going back. Most  
14 steam is condensed on the containment shell. However,  
15 the steam also goes into heating up the heat sinks,  
16 heating up the metal throughout the structure, and some  
17 that does not return to the IRWST would collect in the  
18 lower portions of the containment, eventually the  
19 containment sump and eventually contribute to our  
20 flood-up level for events such as a LOCA-type event.

21 Okay, next slide. This is another picture  
22 that really shows how the steam that is produced in the  
23 passive RHR or by the passive RHR operation condenses  
24 on the containment shell. As you recall, passive  
25 containment only has three days of heat removal.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           Beyond three days, we have onsite  
2 ancillary water storage tank, passive containment  
3 cooling refueling water storage tank that would  
4 replenish that tank, to provide at least seven days of  
5 cooling with onsite. Beyond that, we have hookup  
6 connections for temporary equipment to provide  
7 continued long term operation of the passive core  
8 cooling system or the passive RHR in such a non-LOCA  
9 type scenario.

10           So it is important that the condensate  
11 return, while it influences maybe the shorter term  
12 behavior, really comes into account in the longer term,  
13 the three days, ten days, 14 days, that that the rate,  
14 the rate of condensate return, would affect how long  
15 that you may have the IRWST as a heat sink for passive  
16 RHR.

17           Most of this -- as I said, most of the steam  
18 condenses on the containment vessel, and is captured  
19 by a gutter system that we've designed to collect that  
20 condensate and return it to the IRWST.

21           MEMBER BANNERJEE:    The gutter system  
22 moves around the whole wall, right?

23           MR. CORLETTI:    Yes it does.    It goes  
24 around the containment vessel completely.

25           MEMBER BANNERJEE:    Completely, correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And how wide is the gutter?

2 MR. SCHULZ: It's about four inches.

3 MEMBER BANNERJEE: Four inches.

4 MR. SCHULZ: Four inches. It's located  
5 right at the operating deck, and then the IRWST is just  
6 below that.

7 MEMBER BANNERJEE: Okay, thanks. You're  
8 going to show us diagrams?

9 MR. SCHULZ: We'll show you some more  
10 detail later on.

11 MEMBER BANNERJEE: Yes, right.

12 MR. CORLETTI: If you go to the next slide.  
13 With regards to -- we're going to get into a lot of the  
14 details on the gutter system, and all the contributions  
15 for the losses.

16 MEMBER BANNERJEE: So Terry's going to do  
17 that?

18 MR. CORLETTI: Yes. With regards to, you  
19 know, what would be the acceptance criteria with  
20 regards to the operation of the passive RHR heat  
21 exchanger long term, our licensing commitment is that  
22 the RHR can cool a reactor coolant system down to a  
23 temperature of 420 degrees in 36 hours.

24 Now this is -- now we would say this is a  
25 licensing commitment. It really doesn't represent a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 safety state, the current safety limit. But it is our  
2 licensing commitment. If the temperature would be  
3 somewhat higher, there's not a cliff effect. It  
4 doesn't -- it's not really a safety issue, but it is  
5 a licensing commitment.

6 MEMBER CORRADINI: Is that just a  
7 saturation temperature at some pressure?

8 MR. CORLETTI: That represents  
9 essentially the RCS pressure or RCS temperature. It's  
10 not going to be saturated though; it will be somewhat  
11 --

12 MR. SCHULZ: Well, it eventually it  
13 becomes saturated. I'll show later on some specific  
14 --

15 MEMBER CORRADINI: Because at 36 hours,  
16 that's a saturation temperature of some pressure,  
17 right?

18 MR. SCHULZ: Yeah. It's about 310  
19 degrees absolutely pressure, psiA at 420 (ph). It's  
20 a saturated temperature.

21 CHAIRMAN RAY: Mike, we're in -- you came  
22 in late. We're in a public session now briefing.  
23 We'll transition to proprietary.

24 MEMBER CORRADINI: Okay, but the steam  
25 tables is public. I can look up the saturation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 pressure --

2 (Simultaneous speaking.)

3 CHAIRMAN RAY: Absolutely. Mike, that  
4 wasn't my point at all.

5 (Laughter.)

6 CHAIRMAN RAY: I'd like to know if you want  
7 to ask more questions --

8 MEMBER CORRADINI: No, no, no. One is  
9 enough.

10 CHAIRMAN RAY: The time will come. Good.  
11 Go ahead.

12 MR. CORLETTI: And --

13 MEMBER BANNERJEE: You carry the steam  
14 tables?

15 MEMBER CORRADINI: Yeah.

16 CHAIRMAN RAY: An engineer does that.  
17 Where's yours?

18 MEMBER BANNERJEE: On my computer.

19 (Simultaneous speaking.)

20 CHAIRMAN RAY: Sorry.

21 MR. CORLETTI: Very good. Just to remind  
22 us, that in loss of coolant accidents, passive safety  
23 injection with ADS, while automatic to pressurization,  
24 will achieve and maintain safe shutdown. Again, that  
25 requires in -- all these events for longer than 72

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hours, we require replenishment of the passive  
2 containment cooling water storage tank with water,  
3 either with our onsite sources or with our offsite  
4 sources.

5 It's noted that the PRH, that these  
6 features are also diverse to the passive RHR heat  
7 exchanger, which is important in PRA and in  
8 probabilistic risk assessment.

9 So just a little bit of the background of  
10 the issue. We really recognized a couple -- two major  
11 things in detailed design implementation, that really  
12 caused us to revisit this. Number one, the analysis  
13 that was done for the certified design assumed a  
14 constant condensate return rate. As we really  
15 recognized as we did more work, that really is a  
16 simplification, and as you can imagine, initially steam  
17 is produced in the RWC.

18 It's not going to condense. It's going  
19 into heating up the heat sinks and it takes a period  
20 of time before the condensate actually starts coming  
21 back to the IRWST. So it's not a constant rate, that  
22 you'll have very low condensate return initially, and  
23 then as the transient goes on, you'll get a higher  
24 condensate return rate.

25 So that was one thing that we needed -- that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we felt needed to be corrected in the analysis. The  
2 other is --

3 MEMBER BANNERJEE: Does it make any  
4 difference when it comes?

5 MR. CORLETTI: So in the short term, it  
6 doesn't make a difference. In our Chapter 15 accident  
7 analysis, it did not really impact the safety limits  
8 for those events. It does -- the transient changes,  
9 the behavior changes, and it could have an impact on  
10 the long term. So the transient might look different.

11 MEMBER BANNERJEE: So you're going to tell  
12 us how this varies with time?

13 MR. CORLETTI: Yes, we are. Okay, and the  
14 other -- the other is that we recognize through detailed  
15 design, design implementation, as we make especially  
16 things like piping supports and HVAC supports and  
17 electrical supports, that we've used the containment  
18 shell as a convenient way to support these commodities  
19 inside containment, that those supports can cause a  
20 loss, can cause an interruption in the flow of  
21 condensate that perhaps wasn't envisioned when we did  
22 the certified design.

23 So now that we have -- we're building these  
24 plants, the design is essentially complete. We're  
25 able to characterize that and characterize those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 losses, and ensure that we can still meet the certified  
2 requirements of our licensing basis.

3 So when we recognized that, we initiated  
4 a study to fully characterize and quantify the  
5 condensate return rate, and through that we did  
6 calculations and analysis, and then we have done  
7 testing to better characterize those losses, losses  
8 over the attachment plates or other things that may be  
9 attached to the containment.

10 Then we provided detailed analysis of  
11 thermodynamic behavior during steam on the  
12 condensation, to get that variable rate return. I  
13 think -- and really we've done that probably through  
14 a longer time period than perhaps we did before.

15 So with that, the studies that we completed  
16 really showed that while the Chapter 15 limiting  
17 accident, the conclusions weren't impacted, the  
18 shutdown evaluation that is provided in DCD Chapter 19E  
19 shutdown, was impacted, and although the plant would  
20 still be safe, we weren't meeting those licensing  
21 requirements as required, the core bound of 420 in the  
22 36-hour time frame.

23 MEMBER CORRADINI: Can you say that again  
24 please? I'm sorry.

25 MR. CORLETTI: So what I said is what we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 said when we incorporated this -- the new, the variable  
2 return rate, and also taking into account the various  
3 attachments and the higher losses, while our Chapter  
4 15, the conclusions of our design basis accident in  
5 Chapter 15, the limiting conclusions weren't affected.  
6 The analysis in Chapter 19E, which is our evaluation  
7 of long-term cooling using the passive RHR heat  
8 exchanger, was impacted.

9 So the analysis at 19E was no longer,  
10 without the exchanges was no longer. So the decision  
11 was made to improve the condensate return, and we're  
12 going to go into details.

13 MEMBER BANNERJEE: So was this primarily  
14 due to the holdup or in various components or places  
15 or --

16 MR. CORLETTI: I think primarily it was  
17 the holdup. I think the variable rate probably is more  
18 transient.

19 MEMBER BANNERJEE: It doesn't matter,  
20 yes.

21 MR. CORLETTI: You get to the same point  
22 eventually. I think the higher loss is due to the  
23 additional attachments, is probably more of an effect.

24 MEMBER BANNERJEE: Uh-huh.

25 MR. CORLETTI: So one -- and we're going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to show details of changes that we evaluated on the  
2 polar crane. The polar crane is a place where  
3 condensate would collect, and it's designed to collect  
4 there and return to the containment shell. I think  
5 we've made improvements to actually put a gutter  
6 collection system on there to return that to the RWC  
7 directly.

8 Now with the changes that we're proposing,  
9 that we are incorporating, the plant performance is now  
10 consistent with our Chapter 19E shutdown temperature  
11 evaluation. Essentially, we're restoring the plant to  
12 the conditions in the certified design.

13 MEMBER BANNERJEE: How much water are we  
14 talking about?

15 MEMBER CORRADINI: I don't think they can  
16 say.

17 MR. WRIGHT: We'll, in the more detailed  
18 presentation --

19 MEMBER BANNERJEE: Oh, sorry. I didn't  
20 realize we are in open session.

21 MR. WRIGHT: Okay.

22 MEMBER BANNERJEE: Why can't we just go  
23 into closed session?

24 CHAIRMAN RAY: Give me a chance here,  
25 please. Go ahead, gentlemen.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CORLETTI: Okay. So this -- I think  
2 this was summarized pretty well by the NRC staff. But  
3 here is a summary of the licensing actions, that we  
4 confirmed the need to modify the design in January of  
5 2013, and we performed what we call an ISG-11  
6 screening, which really decides whether we need to  
7 include this in an applicant's COL or not, and we  
8 concluded that we did, and there we informed the NRC  
9 that it was going to be included in the Levy COL  
10 application.

11 We completed the calculations and testing  
12 and analysis, and we're going to be presenting those  
13 today, and we have submitted the update to the COL in  
14 February. We are also going to be making these same  
15 changes for the plants under construction, Vogtle and  
16 V.C. Summer. We've had an initial meeting on the  
17 Vogtle LAR. Those will take the form of a license  
18 amendment request for both of those.

19 Just to give you an idea of the scope of  
20 what's changed, this really just -- but this lists the  
21 various portions of the FSARs that will be updated by  
22 this change. I think that's the end of that section.  
23 That really concludes my -- the open portion of the  
24 Westinghouse presentation.

25 CHAIRMAN RAY: Let me ask this question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 On that list, how much of the information that is on  
2 this tabular form is Tier 1?

3 MR. CORLETTI: None of it. None of that  
4 is Tier 1. Is any Tier 1 information impacted?  
5 Sylena?

6 MS. SMITH: Yes.

7 CHAIRMAN RAY: Wait. You have to  
8 identify yourself please.

9 MR. CORLETTI: Step to the microphone  
10 there Sylena, and identify yourself.

11 MS. SMITH: Yes. This is Sylena Smith.  
12 I'm with Westinghouse. The PXS pipelines table, the  
13 pipelines that have to be qualified, there's some  
14 additional pipelines added to that table. In  
15 addition, there are eight great screens that are added  
16 to the safety-related components table in the -- so that  
17 would be the Tier 1, 3, 2. Yeah, the passive core  
18 cooling system.

19 MR. CORLETTI: Okay. So just to be clear,  
20 this is the Tier 2 information that's impacted, Sylena.  
21 This is not Tier 1 information.

22 MS. SMITH: That is the Tier 2  
23 information, that's right.

24 MR. CORLETTI: Right. But I think what  
25 we're explaining is there are -- because of the changes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 to the gutter system, we've added some pipelines that  
2 are now will be included in the Tier 1 information.

3 MEMBER SKILLMAN: Will we talk about that  
4 in a closed session?

5 MR. CORLETTI: Yeah, and we can talk about  
6 here in the open session as well. It will be public.  
7 But there will be a certain set of pipelines that are  
8 associated with the down spouts, that we're adding.  
9 It's adding into Tier 1. So we're adding additional  
10 Tier 1 information, and they meet the criteria for Tier  
11 1 that we're adding, to identify these are important  
12 safety pipelines.

13 MEMBER SKILLMAN: They will be important  
14 to safety pipelines?

15 MR. CORLETTI: Well, I think that's our  
16 criteria for having something in Tier 1. Tier 1 it's  
17 a graded approach, how much should be in Tier 1, and  
18 we at least propose putting them in Tier 1.

19 MEMBER SKILLMAN: Well, if you didn't put  
20 them in Tier 2 star, you put them Tier 1. It sounds  
21 safety stuff.

22 MR. CORLETTI: Yeah. Well so there's --  
23 not everything safety is in Tier 1. Tier 1 is the  
24 ITAAC. So this one will be something that will have  
25 to be confirmed that it's built correctly, in order to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 -- and it would be one of the ITAACs that we would  
2 propose.

3 MEMBER SKILLMAN: Thank you.

4 CHAIRMAN RAY: Anything else from  
5 members?

6 (No response.)

7 CHAIRMAN RAY: Okay. With that, as I  
8 said, because I can't forecast how long we'll be  
9 offline, as far as the phone line is concerned, let me  
10 inquire -- and our phone line is open, even though it  
11 hasn't been popping and cracking, which is usually the  
12 indication that it's open. Is there anyone on the  
13 phone line who would like to make a comment at this time?

14 (No response.)

15 CHAIRMAN RAY: I hope they're not out  
16 there hollering at us, like yes --

17 MEMBER STETKAR: It was popping and  
18 cracking earlier, and then it became silent, which is  
19 curious.

20 CHAIRMAN RAY: Better go see why, ask if  
21 there's anyone in the audience. Just confirm that the  
22 phone line's open. Is there anyone here in the  
23 audience who would like to make comments at this time,  
24 before we close the meeting?

25 (No response.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER BANNERJEE:   Maybe Terrell (ph) did  
2                   some magic.

3                   CHAIRMAN RAY:    Magic happens for some  
4                   things, but not the phone line I'm afraid.   Okay.   As  
5                   soon as we confirm that all is well with the phone line,  
6                   we will close the meeting here and proceed.   Let's  
7                   assume that the phone line is --

8                   (Phone sound.)

9                   MALE    PARTICIPANT:       Oh,   that's   an  
10                  indication.

11                  Public Comments

12                  CHAIRMAN RAY:    It is indeed.    Again, is  
13                  there anyone on the phone line who wishes to make a  
14                  comment before we close the line?

15                  (No response.)

16                  CHAIRMAN RAY:    Hearing nothing from the  
17                  phone line then, we will now close it, and we will also  
18                  ask that those who can do so, verify that the audience  
19                  here in the meeting room is limited to those who met  
20                  the criteria I said before.

21                  (Whereupon, at 1:33 p.m., the meeting was  
22                  adjourned to closed session.)  
23

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 O P E N S E S S I O N (resumed)

2 4:52 p.m.

3 CHAIRMAN RAY: As I said at the outset, we  
4 have no further deliberation presently scheduled. But  
5 I do believe we will have benefitted a great deal from  
6 this session, and I hope it benefits the project overall  
7 at the end of the day.

8 With that then, I'm going to ask, because  
9 we need to do this very deliberately, that we go back  
10 into open session, which I guess is going to force us  
11 to close the Westinghouse line, and I don't think there  
12 will be anybody on the public line that was noticed.  
13 But we'll give it a choice anyway.

14 MEMBER BANNERJEE: So out of this one  
15 point, could we at some point, I don't know exactly how,  
16 get at least some feedback on the results of this  
17 experimental program, whether -- you don't have to come  
18 to the committee, but I think it would be nice to get  
19 the results?

20 CHAIRMAN RAY: Yes. We'll take note of  
21 that, Sanjoy. I believe that as things go forward  
22 here, we'll find that there's going to be an opportunity  
23 to review the SE from the staff, regardless, and at that  
24 point, the test data I presume would be part of that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 review and presentation by whichever ICC it is that  
2 we're talking to.

3 MEMBER BANNERJEE: Oh, I see. Which way  
4 is it going to come to us?

5 MR. SCHULZ: It's not our current plan.

6 CHAIRMAN RAY: What was that?

7 MR. SCHULZ: It's not our current plan.  
8 What we're saying is that we don't need test data.

9 CHAIRMAN RAY: Oh, I see, okay. All  
10 right, that's a good point.

11 MR. SCHULZ: For future margin recovery,  
12 not current.

13 CHAIRMAN RAY: I understand your point.  
14 All right then. We'll take that as an action, Sanjoy.  
15 I don't want to try and complete that transaction here.

16 But Sanjoy's asked if the tests that were  
17 described at the end of the presentation, with the  
18 tanks, with the windows and all that, if we could come  
19 to understand how those test data might be available  
20 for review later on. I don't want to try and ask you  
21 to respond to that now.

22 MEMBER BANNERJEE: It doesn't even have to  
23 be reviewed. It's just informational.

24 CHAIRMAN RAY: Review for our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information.

2 MR. CORLETTI: We'll find a way to do that.

3 CHAIRMAN RAY: Okay, that's fine.

4 MEMBER REMPE: In addition, Sanjoy asked  
5 during the meeting about nodalization diagrams, the  
6 initial analysis and the final, and if he could follow  
7 up on that.

8 CHAIRMAN RAY: Yes. That is pertinent to  
9 the present discussion, because we're relying on the  
10 new analysis. He asked a question about comparing the  
11 nodalization of before and after. So we'd want to do  
12 that.

13 Again, I'm kind of in an odd position here  
14 of not being able to foresee exactly when we're going  
15 to take the next step here. But I think whenever it  
16 is, we'll have benefitted from this meeting. The  
17 line's open? Huh?

18 MR. WEN: The open line is gone.

19 CHAIRMAN RAY: Okay. There's nobody on  
20 the line? Okay. We'll put that in the record then,  
21 that we opened the line and there was no one there. I  
22 didn't expect that there would be, so I'm not surprised  
23 by that. Don, you have anything more you want to say?

24 MR. HABIB: I just wanted to thank the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Committee for taking the time to give us this  
2 opportunity to have this meeting. It certainly is  
3 beneficial for the process that we're in right now.

4 CHAIRMAN RAY: Okay, and we will have to  
5 work out, so I can share with the Committee what to  
6 expect to happen going forward. I know the existing  
7 COLAs will just be processing amendments, and that it  
8 isn't on our agenda, and anything beyond that we don't  
9 really know about yet.

10 But I think this is unique enough, that  
11 maybe that is something that will be decided on, in  
12 terms of being able to take this to the full committee  
13 and bring it to closure. Anything more? If not, we're  
14 five minutes ahead of the schedule I was given, and so  
15 we'll consider ourselves adjourned.

16 (Whereupon, at 4:54 p.m., the meeting was  
17 adjourned.)

18

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

# Westinghouse ACRS UPDATE 04-09-14



*“Changes to Passive Core Cooling  
System Condensate Return”*



# Purpose

- Explain issue with containment condensate return to In-containment Refueling Water Storage Tank (IRWST) for long-term Passive Residual Heat Removal (PRHR) operation after station blackout event
- Review design changes to improve the containment condensate return to the IRWST
- Review calculations/analysis status that support the long-term PRHR HX decay heat removal operation
  - Each calculations purpose, methodology, and results


# AGENDA\*

- Overview of long-term PRHR HX operation\*
  - Includes summary of issue, plant changes, licensing actions
- **AP1000** plant safe shutdown systems / operation
- Design changes to improve containment condensate return to IRWST
- Analyses performed to support long-term PXS operation:
  - Each calculations purpose, methodology, and results
- WEC condensate return testing

\* Open portion of meeting only includes first item


# PXS Safety Design Description: non-LOCA Operation

- During non-LOCA events
  - PRHR HX transfers heat from RCS to IRWST
    - Takes ~4 hours for IRWST to heat up to saturation and start steaming
    - Steam is discharged from IRWST to containment through vents in IRWST roof
    - Most steam condenses on containment vessel (CV) and returns to IRWST via gutter



# PXS Safety Design Description: non-LOCA Operation

- Steam from IRWST increases containment pressure causing actuation of passive containment cooling
- Most of the steam condenses in containment vessel (CV)
- Condensate flows down containment walls and back to IRWST via gutter
- Some steam lost to
  - Pressurizing containment
  - Condensation on walls/floor
  - Condensate dripping / splash from CV



# AP1000 Plant Safe Shutdown

- In non-loss of coolant accident events, the PRHR HX will bring the plant to safe shutdown and maintain this condition
  - **AP1000** plant safe shutdown defined as reactor coolant system (RCS) temperature  $\leq 420^{\circ}\text{F}$  in 36 hour
  - This temperature does not represent a plant safety limit
    - If the RCS temperature is somewhat higher it would have no consequences
- In loss of coolant accidents, passive safety injection and ADS will achieve and maintain safe shutdown for an unlimited time
  - With support required for PCS after 72 hours
  - These features also provide diverse safety-related backup to PRHR HX operation

# Technical Issue: Identification

- During detailed design implementation Westinghouse identified the need to revisit the technical basis for the condensate return rate
  - Condensate return rate varies with time
  - Additional mechanisms for condensate loss were identified or better quantified
- Westinghouse initiated a study to fully characterize and quantify condensate return rate
  - Testing performed to quantify losses due to physical features on CV
  - Analysis of thermodynamic behavior during steaming and condensation undertaken

# Technical Issue: Quantification

- Westinghouse test / analysis results:
  - Condensate return rate was lower than assumed in the DCD Chapter 19E shutdown temperature evaluation using the PRHR HX
  - Plant would still be safe, however the Chapter 19E shutdown temperature evaluation would not be bounding
- Decision made to improve gutter system condensate return
  - Use polar crane girder (PCG) and stiffener as intermediate level gutters and add downspouts to transfer directly to IRWST
  - Modify operating deck gutter to reduce losses
  - Allows plant to meet safe shutdown temperature / time (Chapter 19E)

# Summary of Licensing Actions

- January 2013
  - Westinghouse confirmed need to change standard design
  - Duke Energy and Westinghouse ISG-011 evaluation confirmed need to inform NRC prior to Levy COL
- January 15, 2014
  - Westinghouse calculations for license submittal complete
    - Containment response analysis for long term PRHR operation
    - Condensate return to IRWST for long term PRHR operation
    - PRHR sizing / performance
    - **AP1000** plant safe shutdown temperature evaluation
- February 7, 2014
  - Levy exemption request update submitted
- March 20, 2014
  - Vogtle pre-submittal meeting held



# COL Applicant/Holder Licensing Basis Impacts

- Part 2 – Final Safety Analysis Report (FSAR)
  - Chapter 1, Table 1.8-201, Summary of FSAR Departures from the DCD
  - Section 3.2, Classification of Structures, Components and Systems
  - Section 3.8, Design of Category 1 Structures
  - Section 5.4, Component and Subsystem Design
  - Section 6.3, Passive Core Cooling System
  - Section 14.3, Certified Design Material
  - Chapter 19E, Shutdown Evaluation
- Part 4 – Technical Specifications
  - Change to Tech Spec bases only