Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title:	Advi	sory Committee on Reactor Safeguards Plant License Renewal Subcommittee Callaway Plant, Unit 1
Docket Numbe	er:	(n/a)
Location:		Rockville, Maryland
Date:		Thursday, May 22, 2014

Work Order No.: NRC-802

Pages 1-208

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1323 Rhode Island Avenue, N.W. Washington, D.C. 20005 (202) 234-4433

	1
1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + +
4	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
5	(ACRS)
6	+ + + +
7	PLANT LICENSE RENEWAL SUBCOMMITTEE
8	+ + + +
9	CALLAWAY PLANT, UNIT 1
10	+ + + +
11	THURSDAY
12	MAY 22, 2014
13	+ + + +
14	ROCKVILLE, MARYLAND
15	+ + + +
16	The Subcommittee met at the Nuclear
17	Regulatory Commission, Two White Flint North, Room
18	T2B1, 11545 Rockville Pike, at 1:30 p.m., Gordon
19	Skillman, Chairman, presiding.
20	COMMITTEE MEMBERS:
21	GORDON SKILLMAN, Chairman
22	RONALD BALLINGER, Member
23	STEPHEN P. SCHULTZ, Member
24	JOHN W. STETKAR, Member
25	

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

			2
1	ACRS CONSULTANT:		
2	JOHN J. BARTON		
3	DESIGNATED FEDERAL OFFIC	CIAL:	
4	KENT HOWARD		
5			
6			
7			
8			
9			
10			
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			

	3
1	T-A-B-L-E O-F C-O-N-T-E-N-T-S
2	Opening Remarks by Chairman Skillman4
3	Callaway Plant, Unit 1, License Renewal
4	Opening Remarks by John Lubinski5
5	Plant History and Background
6	by Dave Neterer8
7	Major Modifications and Near Term
8	Plant Improvements by Roger Wink16
9	License Renewal Application and Safety
10	Evaluation Report Open Items
11	by Sarah Kovaleski and Mike Hoehn
12	Concluding Remarks
13	NRC Staff Presentation
14	Introduction by John Lubinski
15	Onsite Inspection Results by Greg Pick102
16	Scoping and Screening Review
17	by John Daily110
18	Aging Management Review by John Daily117
19	Subcommittee Discussion148
20	
21	
22	
23	
24	
25	
I	

	4
1	P-R-O-C-E-E-D-I-N-G-S
2	(1:27 p.m.)
3	CHAIRMAN SKILLMAN: This meeting will now
4	come to order. Good afternoon. I'm Gordon Skillman,
5	Chairman of the Plant License Renewal Subcommittee.
6	The subcommittee will review the license renewal
7	application for the Callaway Plant, Unit 1.
8	ACRS members in attendance are John
9	Stetkar, Ron Ballinger and Steve Schultz. Our ACRS
10	consultant, John Barton, is also in attendance. Kent
11	Howard of the ACRS staff is the designated federal
12	official for this meeting.
13	This afternoon we will hear presentations
14	from the Division of License Renewal and Ameren Missouri
15	regarding this matter. This subcommittee will gather
16	information, analyze relevant issues and facts and
17	formulate proposed positions and actions as appropriate
18	for deliberation by the committee.
19	The rules for participation in today's
20	meeting have been announced as part of the notice of this
21	meeting previously published in the Federal Register.
22	We have not received written comments or
23	requests for time to make oral statements for members
24	of the public regarding today's meeting. This entire
25	meeting will be open to public attendance.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	5
1	There will be a phone bridge line and to
2	preclude interruption of the meeting the phone will be
3	placed in a listen-in mode during the presentations and
4	committee discussion.
5	A transcript of this meeting is being kept
6	and will be made available as stated in the Federal
7	Register notice, therefore I request that participants
8	in this meeting use the microphones located throughout
9	the meeting room when addressing the subcommittee.
10	Participants are requested to please
11	identify themselves and speak with sufficient clarity
12	and volume so that they can be readily heard.
13	I request that attendees please silence
14	your electronic devices for the duration of the meeting.
15	We will now proceed and I call upon John
16	Lubinski to begin the presentation. John.
17	MR. LUBINSKI: Thank you, Chairman
18	Skillman, and welcome. Thank you, members of the ACRS.
19	I appreciate the opportunity to be here today.
20	With me I have Yoira Diaz sitting at the
21	table with me today as well as other members of the
22	Division of License Renewal, our management team,
23	technical staff project management team who are here to
24	support our presentations and answer questions.
25	As I said during our informational briefing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 this morning, our last meeting with the ACRS was a full 2 committee meeting in February of 2013. We're looking forward to a very productive discussion today about the 3 4 Safety Evaluation Report that was issued with open items 5 for Callaway Plant, Unit 1. 6 The staff issued the Safety Evaluation 7 Report with open items in April of 2013 and we had five open items at that time. The reason we issued the 8 9 Safety Evaluation Report at that time is we were scheduled at that time to have this meeting, the ACRS 10 11 Subcommittee Meeting, in May of 2013. 12 After we issued the Safety Evaluation Report, Callaway had requested a postponement of the 13 meeting to deal with issues that they have from an 14 15 operational standpoint at the plant and requested 16 delaying the meeting. 17 We continued to work issuing RAIs and 18 getting responses with Callaway to address those 19 technical issues as we've continued to move forward 20 towards today's meeting. 21 believe this point We at we have 22 information from Callaway that they believe adequately 23 addresses all of the issues that they had as far as open 24 items and we're in the process of reviewing those 25 responses.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	7
1	We expect prior to coming back for a full
2	committee meeting that we will address all of those
3	satisfactorily and if not we'll get more information
4	from Callaway to do so before coming back for a full
5	committee meeting.
6	The five open items that are summarized in
7	the SER with open items will be presented today. They
8	have to do with the scope of the fire protection SSCs,
9	the reactor head closure studs, the pressure vessel
10	internals program, ASME code requirements for
11	small-bore socket welds and then environmentally
12	assisted fatigue on the reactor coolant pressure
13	boundary.
14	A few other issues also arose after issuing
15	the SER with open items as part of the review. We
16	outlined these additional items in addition to the first
17	five in a letter we issued to the ACRS on May 12th of
18	this year.
19	The staff is prepared to discuss these and
20	any other areas that the ACRS has questions or would like
21	to explore this afternoon.
22	What we'd like to do is start with having
23	Callaway have their presentation. So what I'd like to
24	do is turn it over to the site vice president, David
25	Neterer, so he can introduce his team and start the
I	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 presentation. 2 MR. NETERER: Thank you. My name is Dave I'm the site vice president, Callaway Plant. 3 Neterer. 4 We really appreciate the opportunity to be here to talk 5 with you today on our license renewal application. 6 It's been a long journey. This is just one milestone 7 in the journey to extend the plant life. I'd like to introduce our main team, front 8 9 team today, have them introduce themselves. Sarah. 10 MS. KOVALESKI: My name is Sarah 11 Kovaleski. I'm the director of design engineering. 12 MR. WINK: Wink, supervising Roger engineer of our license renewal project. 13 MR. BLOCHER: Eric Blocher, STARS license 14 15 renewal. 16 MR. HOEHN: Mike Hoehn, supervising 17 engineer, engineering program within Ameren. 18 MR. BURGESS: And I'm Andrew Burgess, 19 license renewal project engineer. MR. NETERER: Okay, with us today we have 20 21 many subject matter experts. I'd like our team to stand 22 up so those in the room can see who our team consists 23 So these are our subject matter experts that will of. 24 help us with this discussion today. Thanks, you guys. Anybody left behind at the 25 MR. BARTON:

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	9
1	site?
2	(Laughter)
3	MR. NETERER: We have three times as many
4	at the site waiting on us.
5	MR. BARTON: You had me nervous there for
6	a minute.
7	MEMBER STETKAR: It's on auto.
8	MALE PARTICIPANT: Okay, go ahead.
9	MR. NETERER: So we're going to go through
10	today a little bit on plant history and background.
11	Roger Wink will talk about major modifications and Sarah
12	Kovaleski will talk about the license renewal
13	application and safety evaluation open items. Then
14	we'll have a few closing comments from our end.
15	The Callaway Plant received our initial
16	construction permit in April 1976, we received our
17	operating license in October 1984 and we went online,
18	commercial in December 1984.
19	We're licensed to 3,565 megawatts thermal.
20	Our rated output is 3,579 and the difference there is
21	reactor coolant pump thermal heat. We start our 20th
22	refueling in October this year.
23	We sit on about a 7,000-acre plateau. It's
24	about 300 feet above the Missouri River. We're a single
25	Westinghouse 4-loop PWR. We were part of the original
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	10
1	SNUPPS project back in the '70s, you know, late '60s,
2	early '70s.
3	We were going to be a two-unit site. Unit
4	2 was canceled in 1981 as a result of economic conditions
5	and Three Mile Island outfall and only two plants were
6	built, us and Wolf Creek in Kansas, so we're sister
7	plants.
8	We're the only two SNUPPS plants with the
9	exception of over in England one plant was built that's
10	similar to SNUPPS but they have four trains of
11	protection instead of two. Go ahead.
12	So give you an idea how we sit. You can see
13	the power block there right in the center of the photo.
14	In the lower right quadrant is our ultimate heat sink
15	pond. That's the pond that supports 30-day safe
16	shutdown.
17	In the foreground on the lower right
18	quadrant is our switchyard. We generated 25,000 volts.
19	We transmitted 345 volts. And we own and operate and
20	maintain the switchyard with our Ameren people and
21	procedures.
22	MR. BARTON: That's not the plant people?
23	This is your T&D people?
24	MR. NETERER: We, Ameren, maintain
25	everything in the switchyard with the exception of
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

1 Relay services from St. Louis corporate relays. 2 maintains that using our procedures and some transformer work is done by our transformer group out 3 4 of our corporate in St. Louis using our procedures. 5 MR. BARTON: What role does the plant play 6 when they do maintenance in the switchyard? Does the 7 plant know what's going on? Does the plant have to 8 approve it, --9 MR. NETERER: Yes, yes. the 10 MR. BARTON: _ _ let people into 11 switchyard or can those people just come in and start 12 working? 13 MR. NETERER: No, we have very strict 14 switchyard access controls. A senior reactor operator 15 has to allow permission and do a face-to-face brief before any work is allowed. 16 17 Also operations does a walkdown of the work 18 area and, you know, make sure they have no vehicles, 19 nothing in the switchyard they don't need to have in 20 there. 21 They do work to our procedures under our 22 oversight and I'll give you an example. The relay work, 23 our planners plan that work and our electrical 24 department oversees that work. 25 MR. BARTON: Okay, thank you.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	12
1	MR. NETERER: You're welcome.
2	CHAIRMAN SKILLMAN: Dave, a follow on to
3	John's question. What role does your QA program and
4	specifically your corrective action program have for
5	activities in the switchyard?
6	MR. NETERER: That falls entirely under
7	our QA and corrective action program. We call them
8	CARs. Most plants call them CRs. Any activity that
9	does not meet standards or conditions goes in our
10	corrective action program in switchyard. It's
11	entirely under the CAR system, corrective action
12	program.
13	CHAIRMAN SKILLMAN: So for the transient
14	workers that come in from corporate to work on relays
15	and other gear, how do they know how to utilize your
16	corrective action program?
17	MR. NETERER: They are under direct
18	supervision of people that are qualified to use our
19	corrective action program. The relay services
20	supervisors have access and are qualified to use our
21	corrective action program.
22	CHAIRMAN SKILLMAN: Do they do it?
23	MR. NETERER: And they're trained. All
24	workers are trained, the general employee training, 10
25	CFR 50 Appendix B training, corrective action program.
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

1	All employees that enter the plant are trained on that
2	also.
3	CHAIRMAN SKILLMAN: Do they do it?
4	MR.NETERER: Oh yes, sir. They may not do
5	it themselves, put their hands to the keyboard to put
6	in the document, but they report to a supervisor and
7	generally a supervisor will put that in the program.
8	CHAIRMAN SKILLMAN: Okay, thank you.
9	Thank you.
10	MR.NETERER: Let's move to the next slide.
11	Just to give you a perspective on where we are from where
12	we take our water from Missouri River. In the
13	foreground is the Missouri River and the river flow is
14	from left to right.
15	Right in the middle is our intake
16	structure. We have three intake pumps that pump water.
17	You see the cooling tower in the background and then the
18	power block. That's five miles as the crow flies. So
19	we pump water up the hill. That provides our essential
20	service water, emergency cooling, our normal service
21	water and our circ water.
22	MR. BARTON: Now is that a pipe, a conduit,
23	aqueduct? What travels the five miles across country
24	to get the
25	MR. NETERER: It's underground piping.
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

	14
1	MR. BARTON: Underground piping?
2	MR. NETERER: Underground piping.
3	MR. BARTON: Have you ever had any problems
4	with leakage on that piping?
5	MR. NETERER: Up coming the hill? No.
6	MR. BARTON: Okay.
7	MR. NETERER: To the left there you'll see
8	another concrete road it looks like. That's our
9	unloading dock for when we do major component
10	replacement such as steam generators, transformers,
11	reactor vessel head. Things that we have to barge up
12	the Missouri River are unloaded there and then hauled
13	up to the plant.
14	MR. BARTON: Have you ever had any fouling
15	issues in that piping, the five-mile pipe on the intake?
16	MR. NETERER: What's that pipe made of?
17	It's not steel. It's
18	MR. WINK: Supply piping from the intake
19	structure. I'm not exactly certain the material.
20	MR. NETERER: It's not a metal pipe. It's
21	a
22	MR. BARTON: You got nothing that attacks
23	it, no growth, no
24	MR. NETERER: No.
25	MR. BARTON: sands or anything like
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	15
1	that? You've had no problems with that piping?
2	MR. NETERER: No and it's a high-flow
3	piping so you don't get any microbiologically induced
4	corrosion or anything like that.
5	MR. BARTON: Okay, thank you.
6	MR. NETERER: You're welcome.
7	CHAIRMAN SKILLMAN: Speak to us please
8	about flooding on that intake structure.
9	MR. NETERER: Okay, flooding. 1993 was
10	what we called the 500-year flood in Missouri and the
11	river was the highest it's ever been. I've got that
12	number here. Let me find it. Thank you. In 1993 the
13	river was at 535.8 feet above sea level and the site sits
14	about 840 feet above sea level so we had lots of margin.
15	CHAIRMAN SKILLMAN: Well, to the site I'm
16	sure because you're 300 feet above the river, but the
17	question is that intake structure.
18	MR. NETERER: Yes. Yes, we had no
19	problems. It never threatened the intake structure at
20	all, that high water level and that's the highest we've
21	ever seen in Missouri since the plant's been in
22	operation.
23	CHAIRMAN SKILLMAN: Thank you.
24	MR. NETERER: You're welcome. Go on.
25	This is a map of the state of Missouri. The red dot is
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	16
1	Callaway Plant. So our nearest population center from
2	Callaway is Fulton, Missouri. That's about 12 miles
3	away from the plant.
4	The nearest large centers are St. Louis to
5	the east and that's about 80 miles and Kansas City to
6	the west, about 175 miles just to give a perspective
7	where we sit in the state of Missouri. And the capital
8	of Missouri is Jefferson City. It's about 30 miles
9	away.
10	Okay, I'm going to turn it over to Sarah
11	Kovaleski or, excuse me, Roger Wink to talk about some
12	major modifications we've done. You don't want to skip
13	you, do you?
14	MR.WINK: No, I'm ready. Good afternoon.
15	Andrew, take the next slide please.
16	On this slide we have a number of bullets
17	demonstrating didn't intend to go through each one
18	of these bullets. I certainly can. Just an indication
19	of the investment Ameren Missouri has made into the
20	plant and our commitment to hardening the plant as well
21	as, you know, being here for the long run.
22	I do want to talk about a couple of these
23	items. The very first bullet, replacing the main
24	condenser tube bundles.
25	MR. BARTON: Why? What did you have
ļ	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	17
1	before and what did you change it to?
2	MR. WINK: We had copper-nickel tubes
3	before and we changed to a SEA-CURE material, stainless
4	steel material.
5	MR. BARTON: Reason being? Fouling?
6	MR. WINK: Steam generator performance
7	primarily, the copper carryover and what that
8	modification allowed us to do is raise our pH following
9	replacement of the condenser tubes which also lowered
10	our flow-accelerated corrosion issues in the secondary
11	so that provided a number of beneficial items for the
12	plant.
13	MR. NETERER: And, Roger, if I may, that
14	was a strategic replacement because the next refuel we
15	put new steam generators in and we didn't want to have
16	that copper carryover to the new steam generators when
17	we replaced them.
18	MR. BARTON: Okay, thank you.
19	MR.WINK: Another modification I'll bring
20	to your attention, midway in the screen there you'll
21	notice that we've replaced the majority of our essential
22	service water piping with high-density polyethylene
23	piping.
24	MR. BARTON: What's the difference between
25	that piping and the five-mile cooling tower blowdown
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	18
1	piping?
2	MR. WINK: The essential service water
3	piping is an ASME Safety Class 3 piping system, whereas
4	our blowdown piping from the circulating and service
5	water system is non
6	MR. BARTON: I just wondering why one was
7	Safety related because the system is safety related?
8	What's the difference between your regular
9	MR.WINK: The material's the same. One's
10	safety grade, one's not.
11	MR. BARTON: Okay. The difference being
12	the spec requirement or something? One's from Home
13	Depot and one has got a spec that you actually had to
14	meet?
15	MR. WINK: The essential service water
16	piping went through some stringent quality assurance
17	qualification requirements, NDT methods, et cetera,
18	whereas the piping
19	MR. NETERER: And the fusion process was
20	validated.
21	MR. WINK: Correct.
22	MR. BARTON: Okay, thank you.
23	MEMBER STETKAR: Roger, I haven't looked
24	forward in your slides so just tell me to be quiet and
25	we'll get to it but will you be able to give us an idea
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

```
(202) 234-4433
```

	19
1	of what fraction of all of your essential I know you
2	replaced the underground piping and the essential
3	service water system. Have you replaced any of the
4	other essential service water piping?
5	MR. WINK: Yes, sir. Of the buried piping
6	that's approximately 1,700 feet of HDPE piping. Inside
7	the power block itself we replaced approximately 3,500
8	feet of mostly four-inch carbon steel piping.
9	MEMBER STETKAR: Okay. I read those
10	numbers. Can you give me an idea of what fraction of
11	all of the essential service water piping is, I mean,
12	is it ten percent, is it It's hard to, you know
13	MR. WINK: I do not have that percent
14	committed to memory.
15	MEMBER STETKAR: linear feet of
16	small-bore pipe is difficult.
17	MR. WINK: It's significant and the reason
18	It's a significant percentage. The reason those
19	four-inch lines were a challenge was we found
20	historically that our piping in the smaller piping
21	didn't receive the chemical treatment we necessarily
22	needed to keep the nodules from growing and pitting and
23	that sort of thing. The areas that get a lot of flow
24	are in very good shape.
25	MEMBER STETKAR: Inside the building is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	20
1	stainless or what did you replace it with inside the
2	building?
3	(Crosstalk)
4	MEMBER SCHULTZ: Roger, you've got those
5	couple of items identified as not in the license renewal
6	scope. Can you describe the difference between the
7	listings that you have, the other bullets, and those two
8	items as to why you designated those?
9	MR. WINK: The other items are in scope of
10	license renewal. I wanted to bring out the main
11	condenser tube bundle modification because it did have
12	a subsequent impact on other components that are in
13	scope.
14	MEMBER SCHULTZ: Okay. But they're all
15	part of the aging management program, GALL?
16	MR. WINK: Main condenser is not. The
17	other items are.
18	MEMBER SCHULTZ: Okay, thank you.
19	CHAIRMAN SKILLMAN: Why did you change the
20	heat exchangers on the emergency diesel generator?
21	MR. WINK: Performance testing showing
22	there's some pitting going on and having to tube some
23	plugs, plug some tubes, excuse me. It was a proactive
24	replacement with a corrosion-resistant material.
25	CHAIRMAN SKILLMAN: And the containment
ļ	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

13	coming up in October we are replacing our reactor vessel
15	head.
16	MR. BARTON: Is that a Davis-Besse follow
17	on or did you have some boric acid issues yourself?
18	MR. WINK: We had no issues. This is a
19	proactive replacement.
20	MR. NETERER: We're replacing it because
20	it does have suggestible material for strong correction
21	it does have susceptible material for stress corrosion
22	cracking.
23	CHAIRMAN SKILLMAN: Why aren't you
24	replacing your stud in that outage?
25	MS. KOVALESKI: The reactor head
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	22
1	replacement has been treated separately from removal of
2	the stud. That stud is still tensionable and it still
3	fully performs its function.
4	So we will, as we'll discuss later in the
5	presentation, we do have a commitment to remove that
6	stud fully before we enter the period of extended
7	operation.
8	CHAIRMAN SKILLMAN: So do you use it as a
9	guide stud?
10	MS. KOVALESKI: No, it is a functional
11	stud.
12	CHAIRMAN SKILLMAN: Oh, I understand that.
13	It's a functional stud that isn't supposed to be there
14	when all the other studs are removed.
15	MS. KOVALESKI: It is not removed, that's
16	true, with the other studs, yes.
17	CHAIRMAN SKILLMAN: I got that. Because
18	normally what you do is you remove your studs and you
19	put in guide studs and you put your head on those guide
20	studs.
21	MR. NETERER: We still have the three guide
22	pins to put, that ride down on the head, just not using
23	the guide stud.
24	CHAIRMAN SKILLMAN: Not using. It just
25	seems odd that you're going to do a head replacement and
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	23
1	with all of the work that will occur in and around that
2	area that this wouldn't have been a most convenient time
3	to address that stud. I understand that you can justify
4	its use and it's fully tensionable and it's within ASME
5	code. I understand that.
6	MR. NETERER: Yes, and we'll follow up
7	about it little more later but really was a learning for
8	us on aging management. That's an uninspectable area,
9	area of thread engagement, and that's why we chose to
10	replace it at a future date. We're not geared up to do
11	it this refuel. We don't have everything set up to do
12	it and do it right.
13	MR. BARTON: But you're doing it prior to
14	license approval, right?
15	MR. NETERER: Yes, sir. We tentatively
16	have it scheduled about four and a half years out.
17	CHAIRMAN SKILLMAN: Okay, thank you.
18	Okay.
19	MR. WINK: Also note that on this slide we
20	do have two of our motor-driven auxiliary feedwater pump
21	coolers. Those are scheduled for replacement in
22	upcoming outages and that's part of our long-term
23	process for maintaining maximum operability of our room
24	coolers.
25	CHAIRMAN SKILLMAN: At the next set of

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	24
1	bullets there, cathodic protection system
2	modification. I read the inspection report and the
3	other data about your cathodic protection system. What
4	is protecting your underground tanks and buried piping
5	right now?
6	MR. WINK: We have a cathodic protection
7	system installed right now. It
8	CHAIRMAN SKILLMAN: But is it fully
9	functional or is it doing what it's supposed to be doing?
10	MR. WINK: The current NACE criteria
11	requires a current of negative 850 millivolts. And the
12	NACE criteria also acknowledges other acceptable means
13	of protection. We do meet those other means of NACE
14	protection. Going forward we do plan to upgrade our
15	system so we get the full 850 millivolts.
16	MR. BARTON: Is it in service at least 95
17	percent of the time?
18	MR. WINK: I'd like to ask Neil Fisher to
19	help.
20	MR. FISHER: Any particular system?
21	MALE PARTICIPANT: Yes.
22	MALE PARTICIPANT: Name, Neil.
23	MR. BARTON: Your cathodic protection
24	system.
25	MR. FISHER: I'm sorry.
·	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	25
1	MR. BARTON: Overall, do you do a
2	MALE PARTICIPANT: He has to identify
3	himself.
4	MR. FISHER: I'm sorry. Neil Fisher.
5	MALE PARTICIPANT: That's all right.
6	MR. FISHER: System engineer, Callaway,
7	cathodic protection.
8	MR. BARTON: Cathodic protection system,
9	what's its availability number? Is it greater than 90
10	percent or is it up and down, a lot of maintenance
11	required or what?
12	MR. FISHER: Overall, all of the in-scope
13	piping, we're about 88 percent availability over the
14	past ten years.
15	MEMBER BALLINGER: Is it active or is it
16	passive?
17	MR. FISHER: It's active.
18	MEMBER BALLINGER: It's active?
19	MALE PARTICIPANT: Okay, thank you.
20	MALE PARTICIPANT: Thank you, Neil.
21	MALE PARTICIPANT: Thanks, Neil.
22	MR. WINK: Andrew, next slide.
23	MEMBER BALLINGER: Oh, wait. I have a
24	question.
25	MR. WINK: I'm sorry. Go ahead.
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

	26
1	MEMBER BALLINGER: Can we back up one?
2	MR. WINK: Absolutely.
3	MEMBER BALLINGER: You say PWSCC
4	mitigation of reactor nozzle and bottom mounted
5	instrumentation tubes. What's happening with the
6	bottom mounted instrumentation tubes?
7	MR. WINK: In refuel 21 we're planning on
8	mitigation of the bottom mounted instrumentation tubes
9	as well as our eight
10	MEMBER BALLINGER: Which is what
11	technique?
12	MR.WINK: We're looking at doing the water
13	jet peening process.
14	MEMBER BALLINGER: Okay, so peening from
15	the inside?
16	MR. WINK: Correct.
17	MEMBER BALLINGER: Okay.
18	MR. HOEHN: Well, and this is Mike Hoehn,
19	supervising engineer, we're also pursuing water jet
20	peening of the actual J-welds outside of the actual
21	tubes as well. They're both Inconel base material.
22	MR. BARTON: I want to go back an item.
23	You put a manhole sump in to keep your area where your
24	cables are running dry, right? You had a flood in 2007
25	that the cables were submerged. Did you have any of
I	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	27
1	those cables fail upon testing or just fail during
2	normal operation?
3	MR. WINK: Ken Sandstedt, could you please
4	help with this? We had no failures and Ken can explain
5	the modifications we performed.
6	MR. SANDSTEDT: I'm Ken Sandstedt, cable
7	engineer. Can you restate the question please?
8	MR. BARTON: Yes, you had a flood in your
9	manholes in 2007. You committed to do something about
10	putting in dewatering, keep them dry or whatever. You
11	finally in 2013 installed a pump, a sump pump in the
12	manhole to keep it from collecting water, drain water
13	or whatever.
14	MR. SANDSTEDT: Yes.
15	MR. BARTON: Did you have any cables that
16	failed from the submergence issue?
17	MR. SANDSTEDT: No, we've not had any
18	cables fail.
19	MR. BARTON: You haven't had any of those
20	cables that failed?
21	MR. SANDSTEDT: No.
22	MR. BARTON: Okay. All right, thank you.
23	MR. WINK: This is a correction. In 2007
24	when you say flood, we did not have a flood at the site.
25	We did have maybe a lot of rain but
Į	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

```
(202) 234-4433
```

	28
1	MR. BARTON: It said all the cables in the
2	manholes were submerged. That's what I read. Okay.
3	CHAIRMAN SKILLMAN: Talk to us a little bit
4	about the independent spent fuel storage installation.
5	This is a new build or a new construct? Will it be built
6	and then entered into service or built and waiting for
7	service later with a fuel offload? Tell us a little
8	more about this please.
9	MR. WINK: The modification is underway
10	right now. We plan on 2015 starting to move some of the
11	spent fuel assembly canisters into that ISFSI in the
12	year 2015. We lose full core offload capability in the
13	year 2020 so we're doing that modification to make some
14	room in our spent fuel pool.
15	MEMBER SCHULTZ: That's after outage 21
16	that you'll be moving the fuel?
17	MR. WINK: Next year. It'll be before.
18	MEMBER SCHULTZ: Before outage 20?
19	MR. WINK: Correct.
20	MEMBER STETKAR: You're on an 18-month
21	cycle?
22	MR. WINK: Yes, sir.
23	MEMBER STETKAR: Thanks.
24	CHAIRMAN SKILLMAN: And if we look at the
25	image from, looks like maybe 900 feet. That is your
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	29
1	opening image that shows your site. Where will the
2	ISFSI be please?
3	MR. NETERER: Let's go back to the slide so
4	I can explain that to you.
5	(Off microphone discussion)
6	MR. NETERER: Okay, see the power block and
7	up to the upper left quadrant it looks green. That's
8	actually the Unit 2 excavation. At the time this
9	picture was taken, there was water in the bottom of it.
10	We kept that water pumped out to a low level. We are
11	filling that hole.
12	And the ISFSI project, the spent fuel
13	storage project, will go in the plant, the north end of
14	that to the right. And then our Fukushima FLEX storage
15	building will be in the southern end of that pond area.
16	CHAIRMAN SKILLMAN: Thank you. Thank
17	you.
18	MALE PARTICIPANT: We're back to 13.
19	MALE PARTICIPANT: Thank you.
20	FEMALE PARTICIPANT: Thank you.
21	MR. WINK: Andrew, go ahead and next slide
22	please. Turn this over to Sarah Kovaleski to continue
23	discussion about the license renewal application.
24	MS. KOVALESKI: Thank you. Callaway's
25	license renewal team has been working on this since
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	30
1	2007. We are the fifth of the STARS license renewal
2	applications, that's Strategic Teaming and Resource
3	Sharing alliance.
4	One of the things that we have made a
5	priority throughout this project is maintaining
6	involvement with the industry as well as our STARS
7	peers.
8	And we've utilized the NEI working groups,
9	industry peer review process and we've made a
10	significant effort to incorporate these lessons learned
11	into our application.
12	CHAIRMAN SKILLMAN: Sarah, who are the
13	other, not participants. What are the other plants
14	that are involved here please?
15	MS. KOVALESKI: The other plants in the
16	STARS alliance?
17	CHAIRMAN SKILLMAN: Yes, of these five.
18	MS. KOVALESKI: Of these five Wolf Creek
19	was the first to submit, followed by Palo Verde. The
20	next two were Diablo Canyon and South Texas and Callaway
21	is the fifth.
22	CHAIRMAN SKILLMAN: Thank you.
23	MS. KOVALESKI: You're welcome. Next
24	slide. We submitted our application to the NRC on
25	December 15, 2011. We are a Generic Aging Lessons
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	31
1	Learned, or GALL, Rev 2 application.
2	We have 42 aging management programs in our
3	license renewal application. This involves over 3,900
4	aging management review lines and we are 98.8, so nearly
5	99 percent consistent with GALL Rev 2.
6	CHAIRMAN SKILLMAN: What does that really
7	mean? What does the percentage mean?
8	MS. KOVALESKI: It refers to the number of
9	exceptions to GALL. It means that for the recommended
10	material and environment combination we 98.8 percent of
11	the time follow the recommended aging management
12	program.
13	CHAIRMAN SKILLMAN: So for the 1.2 percent
14	where you do not, what is the remedy?
15	MS. KOVALESKI: Those exceptions are not
16	They are both positive and negative. It does not
17	necessarily imply that a remedy is required but it is
18	an exception and Eric Blocher can explain some of the
19	details for those.
20	MR. BLOCHER: Yes, if I could have backup
21	Slide 39 or 36, excuse me.
22	MR. BURGESS: 36?
23	MR. BLOCHER: 37, sorry, 37. The lines
24	that we're talking about involve Notes F through J and
25	those, as Sarah indicated, don't necessarily require a
ļ	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	32
1	remedy. Those lines simply aren't in GALL.
2	For example, the lines that are labeled as
3	Note F, they're not in for material considerations.
4	Like, for example, two of those lines are the cellulose
5	silica cement splash panels on the cooling tower. That
6	material just simply is not in GALL.
7	Another one is the fiberglass reinforced
8	plastic for the cooling tower fan stacks. Again, that
9	material simply is not in GALL so we had to come up with
10	an acceptable aging management evaluation that staff
11	evaluated and approved, both in terms of the aging
12	effect and aging management program.
13	Similarly, for the other ones, Note G is
14	environments, are not within GALL. Note H is our aging
15	effects that are not within GALL. Note I are the aging
16	effect that is not applicable in GALL, and those are used
17	primarily for electrical items to review. And Note J
18	is where the component material environment is not in
19	GALL at all.
20	CHAIRMAN SKILLMAN: Thank you, Eric.
21	Thank you. Okay.
22	MS. KOVALESKI: Slide 16 please. The
23	other aspect that I'd like to point out with our
24	application is the incorporation of the license renewal
25	interim staff guidance documents. In our application,
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	33
1	we addressed eight of these ISGs. That's seven final
2	issued ISGs and one draft.
3	The commitments in our license renewal
4	application will be included in our FSAR supplement and
5	they are found in Appendix Alpha of our license renewal
6	application.
7	These commitments will be managed by our
8	commitment tracking system at Callaway which is
9	consistent with the NEI 99-04 guidelines.
10	MEMBER SCHULTZ: Sarah, are you expecting
11	any license conditions at this point in time or are you
12	trying work those through so that they become
13	commitments?
14	MS. KOVALESKI: We have tried to work
15	everything through but through discussions with the
16	staff we understand that the removal of our stuck stud
17	and the other associated commitment to do inspections
18	of the stud holes may be a license condition.
19	MEMBER SCHULTZ: Thank you.
20	MS. KOVALESKI: Next slide please. Of the
21	42 aging management programs that I mentioned, 32 are
22	existing programs and ten are new. Of the 42 in total,
23	there are 16 enhancements and five exceptions.
24	With regards to implementation and
25	sustainability, this is something that we have learned
ļ	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

	INEAL K. GROGO COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433
25	operating experience to ensure that we're sharing that
24	management and also keeps an eye on Callaway internal
23	experience coordinator on site has been trained on aging
22	The other piece of that is our operating
21	so that we can evaluate it.
20	consistently entered into our corrective action program
19	experience or external operating experience, it is
18	are identified, whether it's internal operating
17	to our entire site so that when aging management topics
16	management issues and we now have the written guidance
15	experience program and procedures to focus on aging
14	Specifically we improved our operating
13	implementing immediately.
12	the ISGs that we thought we would benefit from by
11	and I wanted to highlight this because this is one of
10	2011-05 for the ongoing review of operating experience,
9	One of the ISGs that we incorporated was
8	working groups and benchmark others in the industry.
7	on site. We continue to participate within the various
6	program owners and maintained a license renewal staff
5	So through this we have designated specific
4	pick up later on down the road.
3	license renewal application. It isn't something to
2	focused on implementation while we're preparing the
1	throughout this process, that it's very important to be
	34

	35
1	with the industry if it's related to aging or aging
2	management issues.
3	MEMBER SCHULTZ: Sarah, the slide's
4	labeled Implementation and Sustainability.
5	MS. KOVALESKI: Yes.
6	MEMBER SCHULTZ: So you characterize then
7	the program owners as the sustainability part of the
8	program?
9	MS. KOVALESKI: That is certainly a part of
10	it but another piece is making sure that aging
11	management practices are proceduralized and that way if
12	we do experience turnover we, just like many in the
13	industry, expect that that's going to happen over the
14	future years, the next generation of employees who come
15	in have, there's no question as to what those aging
16	management practices are.
17	MR. NETERER: And it's embedded in our
18	knowledge retention and transfer and training programs.
19	MEMBER SCHULTZ: The license renewal
20	staff, is this programmatic now that you've entered into
21	this process and program? You're years before you get
22	into the implementation period but so, therefore,
23	there's going to be some continuity after you get the
24	license renewal approval?
25	MS. KOVALESKI: There will be and we
I	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433
	36
1	haven't made those transitions yet but what we found is
2	that by having a staff on site when the specific license
3	renewal application efforts draw to a close we have that
4	embedded knowledge and we can move those people on to
5	work on implementation issues.
6	MEMBER SCHULTZ: Good. Thank you.
7	MS. KOVALESKI: Next slide please. Thank
8	you. At this
9	CHAIRMAN SKILLMAN: Before we do that let
10	me ask a question. We've touched on Appendix B and
11	we've touched on corrective action couple times so far.
12	Could you please explain to us the degree
13	of senior management involvement in discussions about
14	emerging CARs, corrective action items, whatever
15	they're called at your site, and the degree to which the
16	senior leadership becomes directly involved and how
17	quickly?
18	MR. NETERER: Every day. We have a
19	meeting every morning and all the senior leaders, the
20	directors, Sarah and above and VPs attend that meeting
21	and we review every CR or corrective action document
22	that was written and screened the previous day.
23	And the purpose of that, first of all, is
24	keep us in the loop, keep us tuned in and also do we agree
25	with the significance level of the issue. And we do,
I	NEAL R. GROSS

(202) 234-4433

(202) 234-4433

	37
1	we do on occasion go back and ask that the significance
2	level be elevated if we don't feel it's getting the
3	proper attention.
4	CHAIRMAN SKILLMAN: Okay. And for those
5	items that are deemed to be more important or that
6	require a root cause, what is the extent of senior
7	leadership involvement in understanding, if you will,
8	the accuracy of the root cause, the lessons learned from
9	the root cause, the conclusion of the root cause?
10	MR. NETERER: Every CR of that level has a
11	director assigned to it as the sponsor. Also our
12	corrective action review board is made up of directors
13	and there are directors from the corrective action
14	review board assigned to monitor the progress of that
15	root cause or, you know, to determine if the causes are
16	correct.
17	Then, is the extended condition correct?
18	Do the corrective actions line up with the causes? And
19	then the effectiveness review, does it make sense and
20	does it line up with what we're trying to achieve going
21	forward? And are the effectiveness reviews extensive
22	enough to ensure what Sarah talked about before,
23	sustainability?
24	CHAIRMAN SKILLMAN: Okay, thank you.
25	Let's proceed on Slide 19. Thank you.

(202) 234-4433

(202) 234-4433

	38
1	MS. KOVALESKI: All right. At this point
2	we'd like to transition to discuss the open items in the
3	Safety Evaluation Report.
4	As John noted in his introduction, there
5	are five open items and they're listed here. There were
6	also several other open, I'm sorry, issues that arose
7	after the SER with open items was published.
8	The first open item has to do with scoping
9	of fire protection systems, structures and components.
10	This open item really consisted of two parts. The first
11	part had to do with exclusion of certain portions of the
12	turbine building from the scope of license renewal.
13	Callaway resolved this issue by returning
14	to license renewal scope the fire suppression systems
15	located in the three locations listed there, the
16	auxiliary boiler room and turbine bearings and other
17	locations.
18	We did, following that, have our NFPA 805
19	license amendment request approved. That amendment
20	request was approved in January of this year and we
21	subsequently removed the auxiliary boiler room fire
22	suppression system from scope based on the new 805
23	licensing basis.
24	MR. BARTON: But you maintained the
25	turbine building locations and turbine bearings area?
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	39
1	There were three parts to this as I remember, auxiliary
2	boiler room, the turbine building various locations and
3	then turbine bearings area.
4	And I see that you removed from the scope
5	the auxiliary boiler room suppression system. I don't
6	know anything about the other two. Are they still
7	maintained in scope?
8	MS. KOVALESKI: Understand. I'd like
9	Mike Fletcher to elaborate a bit on the scope.
10	MR.FLETCHER: My name's Mike Fletcher. I
11	was part of the NFPA 805 transition team and, yes, the
12	main turbine bearings suppression system has remained
13	in scope.
14	MR. BARTON: And were there some other
15	areas in the turbine building because there was a
16	turbine area various location description that wasn't
17	very specific and I picked it up as something other than
18	just the turbine bearings. Is it more than the turbine
19	bearings area included?
20	MR. FLETCHER: Essentially all of the
21	turbine hall main floor suppression systems stay in
22	scope.
23	MR. BARTON: Okay. That's included?
24	MR. FLETCHER: That's correct.
25	MR. BARTON: Okay. The only thing is
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

1 auxiliary boiler room taken out. I got you. 2 MALE PARTICIPANT: Got to look at hydrogen and all that kind of stuff. 3 4 MALE PARTICIPANT: Everywhere hydrogen is 5 you better have it. 6 MR. that's what I'm BARTON: Yes, 7 thinking. All right. So it's all included except the auxiliary boiler room. 8 9 MR. FLETCHER: Correct. 10 MR. BARTON: Okay, thank you. Thank you, Mike. 11 MS. KOVALESKI: 12 CHAIRMAN SKILLMAN: Quick question before 13 you change. 14 MS. KOVALESKI: Yes. 15 CHAIRMAN SKILLMAN: Excuse me, John. MEMBER STETKAR: No, you were first off the 16 17 block. 18 CHAIRMAN SKILLMAN: Okay, at the end of the 19 write-up here for this open item, staff -- I'm going to 20 read this so I will be accurate in what I say. 21 "The staff finds that the applicant should 22 not perform a gap analysis of LRA Tables 2.3.3-20 and so on based on a draft NFPA 805 LAR SER. The staff finds 23 24 that the gap analysis should be based on a final NFPA." 25 Is there a date? Is this done? What's the status?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 MS. KOVALESKI: Yes, it is done. We 2 worked with the staff. At one point during the review of our application we had discussed performing a gap 3 4 analysis on the draft that was available at that time 5 and then through future discussions we determined that 6 it was most appropriate to wait until the license 7 amendment was finalized. So with the license amendment being 8 9 finalized in January of this year, we used that as the basis to submit both the gap analysis and then amend the 10 11 LRA as appropriate. 12 CHAIRMAN SKILLMAN: Thank you. MS. KOVALESKI: You're welcome. 13 14 MEMBER STETKAR: Sarah, I've qot а 15 question. Doesn't have to do with scoping but I just 16 stumbled across something that was curious to me. 17 There's a discussion about testing frequency for fire 18 hoses. And apparently if I walk up to a fire hose 19 in the plant, that fire hose is either, knows that it's 20 21 a fire brigade hose or it knows that it's an interior 22 fire hose because if the hose is a fire brigade it's tested every year and if it's an interior fire hose it's 23 24 only tested every three years. And you've had one failure in 2011 of a fire 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	42
1	hose, I don't know what it was, it probably knew what
2	it was, when it was charged for fire brigade training.
3	So my question is if I have a fire, how do
4	the fire hoses know that they ought to be a fire brigade
5	hose and that's a really good hose and that if I run up
6	to a fire hose reel in the plant I better not use that
7	hose because it might not work? I mean, I don't
8	understand this distinction. It's the first time I've
9	ever seen it in any of the plants that we've looked at.
10	MS. KOVALESKI: I understand your question
11	is about the distinction between fire brigade hoses and
12	installed hoses.
13	MEMBER STETKAR: Right, yes and the
14	testing.
15	MS. KOVALESKI: Lee Eitel I think can
16	address that.
17	MR.EITEL: Lee Eitel, supervisor, systems
18	engineering. The fire brigade hose is specifically
19	placed on our fire trucks and in locations that only the
20	fire brigade uses. The hose stations are distinct
21	locations in the plant so they are completely separated
22	and distinct fire hoses.
23	MEMBER STETKAR: Okay. Now if I am an
24	operator or maintenance person or somebody who normally
25	lives in the power plant and a fire starts and I run up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	43
1	to some hose reel that's there and it's got a sign, it's
2	painted red and all that good kind of stuff, and I grab
3	that hose, it's most likely not going to be tested at
4	an annual frequency. It's most likely going to be one
5	of the secondary type hoses that may or may not work.
6	I just don't understand that rationale.
7	MR. EITEL: The hoses that are permanently
8	installed are for backup. The fire brigade always
9	bring their own hoses to a fire scene and use those hoses
10	via The hoses that are installed on the racks are
11	replaced new every five years and that's why we do not
12	perform as periodic of testing in compliance with code.
13	MEMBER STETKAR: Is that, because if I read
14	things it says interior fire hose, meaning the second
15	tier, is tested five years from installation and every
16	three years thereafter. But if you're saying you
17	replace them every five years, then they never get a
18	chance to be
19	MALE PARTICIPANT: Three year tested.
20	MEMBER STETKAR: tested, three-year
21	tested. In fact, they never get a chance to be tested
22	
23	MS. KOVALESKI: Five years.
24	MEMBER STETKAR: you know, after
25	installation. Is that true? You actually do replace
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	44
1	all of them every five years?
2	MR. EITEL: We do replace all of them.
3	That is in compliance with code. The manufacturer
4	tests them prior to
5	MEMBER STETKAR: Thanks. The replacing
6	them every five years solves my concern.
7	MR. EITEL: Okay.
8	MEMBER STETKAR: Thank you.
9	MS. KOVALESKI: Thank you. All right,
10	next slide please. We touched on this a little bit.
11	The second part of this open item had to do with the
12	changes to license renewal scope that occur with the
13	NFPA 805 transition.
14	To provide a bit of context, the license
15	renewal application was prepared with our previous
16	current licensing basis or previous licensing basis for
17	fire protection. That's the more traditional
18	licensing basis.
19	And it wasn't until January of this year
20	that we were approved for the NFPA 805 licensing basis.
21	The license renewal application has been amended to
22	update the license renewal scope so that it is now
23	consistent with the NFPA 805 licensing basis.
24	In addition, the gap analysis that we
25	prepared and provided to the staff helps to explain the
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	45
1	changes for components that were either removed from
2	scope of license renewal or added into the scope of
3	license renewal and the basis for that and where it can
4	be found in the NFPA 805 licensing basis.
5	MEMBER STETKAR: Just out of curiosity
6	since I'm interested, put it that way, in NFPA 805, on
7	a net basis, I mean, you mentioned that the auxiliary
8	boiler fire protection system was removed. Did you
9	wind up adding more equipment in scope as a result of
10	NFPA 805 or did you wind up removing more?
11	MS. KOVALESKI: It was more or less even.
12	MEMBER STETKAR: Was it?
13	MS. KOVALESKI: Mike Fletcher could
14	elaborate on that.
15	MR. FLETCHER: Again, it's Mike Fletcher.
16	Look, just let's say specific to suppression systems we
17	ended up pulling in eight suppression systems and there
18	were six that were moved so then that change was a plus
19	two.
20	MEMBER STETKAR: Okay. Was it? Okay,
21	okay. Yes, and that's big-picture stuff. That's all.
22	Thank you. I was just curious.
23	MS. KOVALESKI: Next item please. The
24	next open item pertain to the reactor head closure
25	studs. The question posed by the staff was that the
ļ	NEAL R. GROSS

(202) 234-4433

(202) 234-4433

	46
1	program may not be adequate to detect future wear, loss
2	of materials, or assure that allowable stresses are not
3	exceeded during the period of extended operation.
4	The specific concern related to the stuck
5	stud, Stud Number 18. And as previously mentioned, we
6	have a commitment to ensure that that stud is removed
7	prior to the period of extended operation.
8	The other concern presented to us that we
9	understand is that with that stud stuck in the position
10	that it's in, the areas of thread engagement cannot be
11	directly visually inspected and that there could be
12	degradation going on within the threads of the reactor
13	vessel flange that we're not able to detect right now.
14	So the second part of that commitment is to
15	inspect the six stud holes that have the greatest amount
16	of previous thread damage with a laser profiling
17	technique so that we can determine if there has been any
18	ongoing degradation.
19	The thread damage that previously occurred
20	was not a result of aging but rather a result of poor
21	stud handling practices and foreign material controls
22	very early in plant operation.
23	It is not indicative of our current stud
24	handling practices and we've not seen any sort of
25	recurrence of this issue.
I	NEAL R. GROSS

(202) 234-4433

(202) 234-4433

	47
1	MR. BARTON: I'm glad you're using laser
2	instead of the old thread plug we used to use in the old
3	days where you put a tap in there and clean up the
4	threads.
5	MS. KOVALESKI: Like a go gauge kind of
6	thing? Yes, yes.
7	MEMBER STETKAR: How many studs do you
8	have?
9	MS. KOVALESKI: Fifty-four.
10	MEMBER SCHULTZ: Sarah, in the various
11	reports, the SER, 2013 SER and then in the written
12	dialogue going back and forth related to request for
13	additional information and so forth and the staff's
14	inspection, there were a number of different stud
15	locations that were identified.
16	You've indicated that these are the six
17	with potentially the most damage and I was curious as
18	to how that was determined. I mean, the numbers went
19	from, I think you said six and they had a number that
20	identified perhaps 10, 12, 13 locations and it seems to
21	have been resolved to come back to six locations with
22	the most thread damage.
23	How was it determined that these are the
24	right ones to inspect, that have the most potential for
25	damage and should be inspected versus a more
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	48
1	comprehensive inspection campaign?
2	MS. KOVALESKI: I think I understand your
3	question. Andrew, Slide 49 please. We're going to
4	bring up a table that shows the stud, 49 please. Thank
5	you. This table shows the areas in the flange where we
6	did have to remove and perform a Section 11 repair of
7	the stud hole threads.
8	As you can see on this table, several of
9	these locations are missing one or fewer threads and
10	with that small number those have been excluded from the
11	future inspection.
12	But the Stud Hole Number 2 missing 13.1 and
13	Stud Hole Number 9 missing 15.12, at that point we really
14	want to be monitoring that.
15	MEMBER SCHULTZ: Okay, that helps a lot.
16	I appreciate that level of detail. Thank you.
17	CHAIRMAN SKILLMAN: Talk to us a little bit
18	about the poor work practices that are identified on
19	that slide.
20	MS. KOVALESKI: Certainly. Andrew, go to
21	Slide 23. That's the next one that we would have pulled
22	up. There were two issues that were going on
23	concurrently. The handling practices had to do with
24	the weighting of the stud and whether the weight was
25	distributed onto the stud.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	49
1	And concurrently there were four material
2	issues. At the time that Stud Number 18 was stuck,
3	there was an entry in our corrective action program
4	indicating that overhead work had been dropping debris
5	into that location.
6	And while we had inspected the stud before
7	it was installed and it was a satisfactory inspection,
8	it would appear that some sort of foreign material was
9	introduced into the stud hole or on the stud at the time
10	it was installed.
11	MR. BARTON: So you don't put covers on?
12	When you remove the studs, you don't put covers over
13	those holes?
14	MR. NETERER: Yes, we do. We do.
15	MR. BARTON: You do now?
16	MR. NETERER: Yes.
17	MR. BARTON: But when all this debris and
18	stuff got in there, was that still your practice or,
19	because I'm trying to figure out how this debris got in
20	there. Overhead work, fine. But if you took the studs
21	out and you had your covers on, how did debris get in
22	there? That's what I was struggling with right there.
23	MS. KOVALESKI: I don't know the answer to
24	that.
25	MR. NETERER: It seems to me we always used
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	50
1	stud hole covers but I can't commit to going back to
2	Refuel 1 on that.
3	MR. BARTON: That's what I'm looking at,
4	yes.
5	MR. NETERER: Yes. I can't answer when
6	we, if we did always or started using them. David, do
7	you know?
8	MR. GROSS: This is David Gross. I'm a
9	consultant with Dominion Engineering and we've been
10	working with Callaway on their reactor stud issues going
11	back to 1987 and if Walt is on the phone he may also be
12	able to address this.
13	But I believe the issues that happened in
14	the 1990 time frame were more related to poor cleaning
15	of thread lubricant in the holes and lessons learned
16	about what good thread lubricants to use and what good
17	cleaning procedures to use and just thread cleanliness
18	on the female hole wasn't what it became in subsequent
19	outages.
20	MS. KOVALESKI: Thank you, David. Let's
21	pull up Slide 50 please. You had asked about the stud
22	hole covers and I'm not in a position to elaborate on
23	it right now. We could get more information on it. But
24	there were some issues with the effectiveness of the
25	stud hole covers.
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	51
1	Really the cleanliness issue, presence of
2	foreign material, the lubrication issue and the detail,
3	the level of detail associated with the procedures that
4	were used were all not today's standards.
5	MR. BARTON: So it sounds like at the first
6	refueling your work practices weren't up to snuff or
7	what they needed to be and you messed up your threads.
8	MS. KOVALESKI: That's
9	MR. BARTON: What it sounds like to me.
10	That about it?
11	MS. KOVALESKI: That's pretty much it,
12	yes.
13	MR. NETERER: Yes, we did do a root cause
14	on that 1996 and changed our stud handling practices and
15	stud hole cleaning practices.
16	MEMBER SCHULTZ: Okay. Is that what this
17	reflects? You feel that this slide captures the
18	results of the root cause in 1996?
19	MR. NETERER: Yes, yes.
20	MEMBER SCHULTZ: Thank you.
21	CHAIRMAN SKILLMAN: Let me ask this. It's
22	easy to confuse proper cleanliness with ensuring that
23	that stud hole's been chased properly with a deburring
24	tool normally run by hand. It's where an individual
25	takes it, drives all the way to the bottom, drives all
	NEAL R. GROSS

(202) 234-4433

	52
1	the way back up and then vacuums and then might put in
2	a very light film of oil or something just to protect
3	what could be bare metal surfaces.
4	Were you able to determine it truly was
5	foreign material as opposed to a potential cross thread
6	or a potential ding in the thread that resulted from,
7	if you will, the stud insertion crew not knowing how
8	careful they need to be when they feed those first one
9	or two threads?
10	MS. KOVALESKI: When Stud 18 became stuck,
11	we actually had found a small burr on two of the threads
12	prior to that installation. We did remove the burr.
13	We fully examined the stud threads as well as the stud
14	hole threads, again prior to its installation, and did
15	not identify any damage.
16	When the stud was inserted, it did turn
17	freely past the locations where the removed burr had
18	been located and that would be our evidence that the stud
19	had been treated and inspected properly. That's for
20	Stud 18.
21	As far as the damage that occurred earlier
22	in plant life, we did after that implement stricter
23	procedural instructions and guidance for stud and stud
24	hole and nut cleaning, inspecting and lubrication.
25	CHAIRMAN SKILLMAN: Thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	53
1	MALE PARTICIPANT: Okay.
2	CHAIRMAN SKILLMAN: Thanks. Back to 23.
3	MS.KOVALESKI: All right, thank you. And
4	next slide please. At this point I'd like to ask Mike
5	Hoehn to discuss the open item related to reactor vessel
6	internals and the MRP-227-Alpha report.
7	MR. HOEHN: Thank you. The next few
8	slides we'll go over the licensee action items under
9	MRP-227-Alpha which is associated with the reactor
10	vessel internals program at Callaway.
11	This first topic, demonstrate MRP, which
12	stands for material reliability program under Electric
13	Power Research Institute, 227-Alpha bases/assumptions
14	are applicable and bounding for design of Callaway
15	reactor vessel internal components.
16	The 227 approach was intended to be a
17	generic bounding approach for the U.S. fleet and we were
18	required to ensure that we were bounding and that we were
19	consistent with the recommendations and the guidelines
20	within 227-Alpha and specifically MRP-191 which was the
21	screening categorization and ranking of reactor
22	internal components.
23	We completed that with support of our
24	nuclear steam system supplier, Westinghouse, which we
25	completed a very systematic review of our components and
I	NEAL R. GROSS

(202) 234-4433

	54
1	verified we were consistent.
2	We also incorporated considerations for
3	atypical fuel design and ensured that our procedures are
4	appropriate to ensure that that atypical fuel design
5	does not occur in the future.
6	CHAIRMAN SKILLMAN: Say that again please.
7	MR. HOEHN: We ensured, our core design
8	procedures, we have procedure requirements in there now
9	that we don't, when we do a design change that we are
10	consistent with our, specifically the, we put the new
11	fuel in the center and put the older fuel on the outside
12	which is our standard core design practices so
13	CHAIRMAN SKILLMAN: Had you been doing it
14	differently in earlier fuel cycles?
15	MR. HOEHN: We were consistent with the
16	design in/out practices as documented MRP-2013-025.
17	CHAIRMAN SKILLMAN: Thank you.
18	MEMBER SCHULTZ: Perhaps it's just the
19	phrasing here, consistent with atypical fuel design
20	parameters. Are you talking about core loading?
21	MR. HOEHN: Correct. Yes, we don't use
22	the atypical fuel design parameter. We are consistent
23	with the in/out method, new fuel in the center and the
24	previously used fuel is placed on the outside. We're
25	consistent with that approach.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	55
1	MEMBER SCHULTZ: Okay. So the procedure
2	is to ensure that you don't use atypical?
3	MR. HOEHN: Correct. There was an
4	administrative measure to ensure that we don't do it in
5	the future, that sustainability action moving forward.
6	MEMBER SCHULTZ: Okay, thank you.
7	CHAIRMAN SKILLMAN: So do your procedures
8	for your reloads preclude something different than
9	in/out?
10	MR. BLOCHER: Eric Blocher, STARS. If I
11	can supplement Mr. Hoehn's answer, the MRP that's
12	referenced up there, the 2013-025, has three fuel design
13	parameters that are essential in the fuel design for
14	limiting, if you will, potential for degradation in the
15	core internals.
16	And those three parameters are for the
17	active core plate distance. It has to be greater than
18	12.2 inches, and this is for Westinghouse plants now.
19	And the average core density has to be less than 124
20	megawatts per cubic centimeter and the heat generation
21	figure of merit has to be less than or equal to 68 watts
22	per cubic centimeter. And those parameters have all
23	been added in to the fuel design procedure.
24	And there's a timing limitation on this as
25	well. Because of the way the MRP analysis was done,
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	56
1	this has to be applicable for your final 30 years of
2	operation.
3	So those procedures were modified and as
4	you're probably aware from the timing that Mr. Neterer
5	presented in his opening remarks to the presentation,
6	we are in Year 30 of plant operations so that was done
7	just in time for the last few years
8	CHAIRMAN SKILLMAN: Okay thank you, Eric.
9	Got it. Understand. Thank you.
10	MEMBER SCHULTZ: But it doesn't mean that
11	you've been operating with atypical fuel design
12	approaches.
13	MR. BLOCHER: Correct. As Mr. Hoehn
14	indicated, we use an in/out core loading sequence.
15	MR. HOEHN: Next slide. This next
16	licensee action item associated with measurement
17	techniques for our reactor vessel internals hold-down
18	spring height.
19	This specific issue is only for Type 304
20	stainless steel hold-down springs. We have Type 403
21	stainless steel springs and, thus, this issue is not
22	applicable to Callaway. That's been resolved. Next
23	slide.
24	This Licensee Action Item Number 7 under
25	MRP-227-Alpha is for determination, inspections for
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

	57
1	loss of fracture toughness due to thermal and
2	irradiation embrittlement for reactor vessel internal
3	components, specifically CASS, cast austenitic
4	stainless steel, martensitic or precipitate-hardened
5	steel, if our inspections are adequate.
6	We looked at MRP-191 and 227-Alpha. We
7	worked with our NSSS again and found no additional
8	components for Callaway.
9	We did identify two locations with CASS
10	components, bottom mounted instrument column
11	cruciforms, a small section at the top, and one offset
12	instrument column cruciform bolted to the underside of
13	the lower core plate and those will be addressed with
14	our current 227 inspection approach. Next slide.
15	This topic is associated with our
16	cumulative usage factors, our fatigue analysis for our
17	reactor vessel. We do have a section, ASME Section III
18	NG, reactor vessel and internal set, and as a result we
19	do have cumulative usage factors for the reactor vessel
20	internals.
21	We were requested how, we needed to
22	demonstrate how we're going to address that for the
23	period of extended operation and we have committed to
24	monitor and manage those cumulative usage factors and
25	the fatigue usage on those locations into the period of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

58 1 operation under existing fatique extended our 2 management program. Explain to us what 3 CHAIRMAN SKILLMAN: 4 actions you might take to manage the fatigue. 5 MR. HOEHN: Right now the approach for 6 managing the fatigue into the period of extended 7 operation, basic fatigue monitoring, counting of transient cycle counting we believe at this point in 8 9 time based on our projections will be sufficient to demonstrate that the current internal set of fatigue 10 11 analysis is appropriate into the period of extended 12 operation. If we were to get into issues where the 13 transient accumulation or the transient severity was 14 15 outside of our original design basis, we would either 16 have to do a refined fatique analysis or we would have 17 to look at a more drastic measure of replacement or in 18 accordance with ASME Section XI, for example. 19 CHAIRMAN SKILLMAN: How do you know your 20 cycle counting process is accurate? 21 MR. HOEHN: Understand. How do I know 22 that our cycle counting process is accurate? We have 23 a fatique monitoring program, software installed at 24 Callaway, FatiquePro. We actually had that system 25 installed back in 1995 and we were one of the first

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

	59
1	plants to have that system installed.
2	To support that input, we did a systematic
3	review of our historical plant transients prior to 1995
4	in coordination with Westinghouse at the time. In
5	support of the license renewal application, we
6	rebaselined the entire fatigue transients to date and
7	revisited that pre-1995 fatigue usage projections.
8	And, again, with Westinghouse structural
9	integrity internal plant staff we went through that in
10	systematic means and ensured that our cycle counting
11	today is accurate.
12	And moving forward, it's automated from our
13	plant computer system into our FatiguePro software and
14	then if a bad day were to happen, the plant computer were
15	to go down, we obviously have operator logs, the
16	corrective action program and other entries like that
17	that we can fill in the gaps if that were to happen.
18	CHAIRMAN SKILLMAN: So as you begin what
19	would be Day 1 of your PEO, your additional 20 after
20	2024, what will your CUF be approximately at that point?
21	MR. HOEHN: What will our CUF be at
22	approximately
23	CHAIRMAN SKILLMAN: When you begin your
24	PEO.
25	MR. HOEHN: On the reactor vessel
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	60
1	internals specifically?
2	CHAIRMAN SKILLMAN: Yes. You going to be
3	at 0.8 or 0.999, 0.99999?
4	MR. BARTON: Well, that's for the boron
5	injection nozzle. They're already there.
6	CHAIRMAN SKILLMAN: Well, let's let him
7	answer the question.
8	MR.BARTON: Is that the same as one? It's
9	
10	MALE PARTICIPANT: No, no. You're going
11	to start your
12	MALE PARTICIPANT: Obviously you hope to
13	start your PEO
14	MR. HOEHN: It will be less than one.
15	CHAIRMAN SKILLMAN: And you would like to
16	start your PEO with some margin to get to the end of that
17	20 years. So where are you going to be approximately
18	on your internals when you begin Day 1 of your PEO,
19	right, and you support
20	MR. LYNCH: Hi. My name's Brett Lynch
21	with WorleyParsons. We assisted with the license
22	renewal, license amendment request as well as the
23	baseline.
24	For these internal components, we can't
25	give you a specific valuation on that specific day. We
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

	61
1	still rely on the design CUFs.
2	What we do know is that you're less than
3	your allowed number of transients so the amount of
4	margin wouldn't be on the CUF. It would be on the margin
5	to your design number of transients.
6	CHAIRMAN SKILLMAN: That translates into
7	your CUF.
8	MR. LYNCH: Yes.
9	CHAIRMAN SKILLMAN: Right. Understand.
10	So you're saying, hey, we think we got some running room
11	based on not having utilized all of our cycles.
12	MR. LYNCH: Correct.
13	CHAIRMAN SKILLMAN: Got you. All right,
14	thank you. Understand.
15	MEMBER SCHULTZ: So just let me add on a
16	question. So the analysis that has been done has not
17	taken credit for actual operation for the last 20 years?
18	MR. LYNCH: That is correct. It's based
19	only on design transients, not actual operation.
20	MEMBER SCHULTZ: Still. Okay.
21	MR. HOEHN: Correct and we have committed
22	to manage this, the internal set of cumulative usage
23	factors under a fatigue monitoring program into the
24	period of extended operation to ensure that we're
25	appropriate into future plant operations.
1	

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	62
1	MEMBER SCHULTZ: On the basis of that
2	approach versus taking credit for actual operation and
3	
4	MR. HOEHN: Agreed. Yes, correct.
5	MEMBER STETKAR: When you did your
6	transient counts, and I didn't look at all the RAIs so
7	I don't know. That's why I'm asking. I'm assuming you
8	did a linear projection out to 60 years. Is that right?
9	MR. HOEHN: Correct.
10	MEMBER STETKAR: Okay. That's what most
11	people do. Did you develop any kind of histogram to
12	show historically how those transients, I mean, does it
13	look like linear projection is accurate or did you have
14	a lot more transients early in life?
15	MR. HOEHN: Yes.
16	MEMBER STETKAR: Do you have that
17	information?
18	MR. HOEHN: We had to develop histograms as
19	part of our baseline report and justify the linear
20	projection moving forward. And as is typical with most
21	plants, most of these transients occur early in plant
22	life.
23	MEMBER STETKAR: Most. Occasionally we
24	see that things are a little more flat. That's why I
25	was just curious.
ļ	NEAL R. GROSS

(202) 234-4433

	63
1	MR. HOEHN: Correct, yes.
2	MEMBER STETKAR: But you had that
3	information?
4	MR. HOEHN: Correct.
5	MEMBER STETKAR: Did you submit it to the
6	staff? Was it requested or not? I was just curious
7	because
8	MR. HOEHN: I do not know that offhand. I
9	know it was, we did provide that during one of the
10	inspections. We discussed it.
11	MEMBER STETKAR: Okay, great. Thank you.
12	MR. HOEHN: Thanks.
13	MS. KOVALESKI: All right thank you, Mike.
14	The next open item pertains to ASME Code Class 1,
15	small-bore socket welds. This open item is frankly a
16	disappointment to us. We
17	MR. BARTON: I'd like to meet the person
18	that did the counting from 2 to 19 to 77 to 23 to some
19	other number. Did he use common core math for this or
20	what?
21	(Laughter)
22	MR. BARTON: I'm totally confused how that
23	progression grew and I don't even know what the final
24	number is.
25	MS. KOVALESKI: The final number is 80 for
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	64
1	socket welds.
2	MR. BARTON: Eighty?
3	MS. KOVALESKI: Yes.
4	MR. BARTON: Wow. A new number.
5	MEMBER STETKAR: A different number.
6	(Laughter)
7	MR. BARTON: Okay.
8	MALE PARTICIPANT: I gave up.
9	MS. KOVALESKI: Yes. This was a result of
10	miscommunication between the license renewal team and
11	our subject matter expert. We did not clearly
12	communicate that the scope of this program is piping
13	that is less than four inches and greater than or equal
14	to one inch.
15	And when the counting was first performed,
16	we used an ISI database, and due to the filtering on that
17	database, it excluded a number of one-inch welds and
18	that was the first number that we submitted, was 19.
19	During one of the on-site audits, one of our
20	staff engineers identified some welds that appeared to
21	be part of the scope and when we checked against our
22	original number we realized they weren't there. That
23	was when we first identified the program, I'm sorry, the
24	problem.
25	We communicated that to the staff who were
I	

(202) 234-4433

	65
1	on site for the audit and we told them we found four more.
2	That's how we get to 23. That was not a formally
3	communicated number. That was the point of discovery
4	on that.
5	We went back and recounted and then did an
6	independent validation of that count and ultimately we
7	ended up at our final number of 80.
8	MR. BARTON: You're going to inspect eight
9	of them?
10	MS. KOVALESKI: Correct. Correct. We
11	did take this error very seriously. It is in our
12	corrective action program. We performed an extended
13	condition review and as a result of that extended
14	condition review we did adjust the number of butt welds
15	also in this program.
16	MEMBER STETKAR: That's what I was going to
17	ask. How confident am I in, well, a number that I can
18	read on my screen here of 340 butt welds? Is that
19	MS. KOVALESKI: I am 100 percent confident
20	in that number. The reason for that
21	MEMBER STETKAR: That's good.
22	MS. KOVALESKI: The reason for that is our
23	extended condition review, we looked at the entire
24	application to determine where we had generated a sample
25	population and that narrowed it down to these two
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	66
1	categories.
2	At that point, when we revalidated the
3	number, we went back to the original design drawings and
4	performed a manual count on those. We did identify a
5	few more.
6	The reason the butt weld number was
7	adjusted is because the drawings had been updated
8	because there were plant modifications and so on and we
9	did add those into our ISI database. Although they are
10	outside of the scope for the ISI program, if ever we are
11	to reuse that database for this purpose, we want them
12	to match.
13	However, we recognize that the right thing
14	to do was to go back to the design drawings and we have
15	even gone so far as to document a formal engineering
16	evaluation so that if we ever have to develop this
17	population again there is a methodology that is written
18	there and that it has been independently validated and
19	we will not repeat this error again.
20	MEMBER STETKAR: Three hundred forty
21	versus 342 doesn't affect, for example, the 25 but it
22	could affect, you know, the information about the exact
23	locations of those welds could affect your sampling
24	criteria which is more what I'm, you know, which 25 are
25	you going to sample in terms of your estimated
I	NEAL R. GROSS

(202) 234-4433

(202) 234-4433

	67
1	susceptibility to failure?
2	MS. KOVALESKI: That's correct.
3	MEMBER STETKAR: So that's what I'm more
4	concerned with that about.
5	CHAIRMAN SKILLMAN: Sarah, let me pull
6	this string just a little bit more. You said you
7	finally went back to the design drawings. I can
8	appreciate the spirit behind that. Wouldn't you have
9	been better off going back to the as-builts?
10	MS. KOVALESKI: We did look at the full
11	population of drawings available to us to validate these
12	numbers and Jerry Doughty, our ISI engineer, I think can
13	elaborate a bit on the drawings reviewed.
14	MR. DOUGHTY: I'm Jerry Doughty, the
15	in-service inspection program owner. We did go back to
16	the construction drawings, the fabrication drawings to
17	confirm that count. Thank you.
18	CHAIRMAN SKILLMAN: Did you have images,
19	photographs that you could verify against your
20	drawings?
21	MR. DOUGHTY: No, I didn't run across any
22	photographs.
23	CHAIRMAN SKILLMAN: Thank you. Please
24	proceed. Thank you.
25	MS. KOVALESKI: All right, thank you.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	68
1	Next slide please. And Mike Hoehn will address the open
2	item related to RCS environment effect on fatigue.
3	MR. HOEHN: Thank you. This next topic is
4	associated with environmentally assisted fatigue
5	screening and how we address environmentally assisted
6	fatigue for the period of extended operation.
7	From GALL Rev 1 to GALL Rev 2, there was some
8	wording changes in the section around environmentally
9	assisted fatigue where we were required to demonstrate
10	that the NUREG/CR-6260 locations were bounding at
11	Callaway for the period of extended operation.
12	At that point in time, there was no
13	systematic means in existence to perform that
14	systematic screening of the components.
15	We, Callaway, worked with the Electric
16	Power Research Institute to develop a technical report,
17	a technical approach to screen our reactor coolant
18	system pressure boundary locations and come up with a
19	bounding set of sentinel locations that we could enter
20	into our fatigue monitoring program managed into the
21	period of extended operation. That technical report is
22	1024995.
23	This approach, some of the benefits of this
24	approach is it utilizes fatigue curves for each
25	material. It has a same level of rigor. We need to
1	NEAL R. GROSS

(202) 234-4433

(202) 234-4433

	69
1	make sure that the same level of rigor is applied
2	throughout the CUF locations, the locations being
3	managed.
4	An example of that would be making sure that
5	if you have an elastic-plastic and you have a linear
6	elastic on a component, that they're basically brought
7	down to the same level of rigor, that you compare them
8	both on a linear elastic approach.
9	Any transient lumping needs to be broken
10	down or reconciled in the screening process so, again,
11	you're consistent and you're uniform in your approach.
12	And we also wanted to evaluate each thermal
13	zone on its own merit. For example, our chemical and
14	volume control system contains multiple thermal zones.
15	You have the letdown, you have the alternate charge, you
16	have a normal charge, you have an auxiliary spray which
17	you can see unique transient sets.
18	We wanted to evaluate each of those
19	distinct thermal zones and come up with a bounding
20	sentinel location that we could manage into the period
21	of extended operation.
22	We went through the process with this
23	consideration here, which was in the original EPRI
24	report. We later backed off of this approach, but all
25	materials are evaluated on their own merit.
	NEAL R. GROSS

(202) 234-4433

(202) 234-4433

	70
1	One material in one thermal zone will not
2	bound another material in the same thermal zone and one
3	material in a thermal zone will not bound another
4	material in another thermal zone, so each of the
5	materials are evaluated on their own merit.
6	We came up with 22 locations, which is more
7	than the original NUREG/CR-6260 locations, and we will
8	be managing that into the period of extended operation.
9	In addition, when we refine our analysis,
10	when we review baseline, when changing evaluations are
11	performed, we revisit this analysis to ensure that those
12	22 locations are still bounding and we can manage those
13	into the period of extended operation.
14	CHAIRMAN SKILLMAN: Thank you for that
15	explanation. Let me ask a question. Sarah identified
16	Wolf Creek, Palo Verde, Diablo Canyon and South Texas
17	as other plants that you have been dealing with for life
18	extension. At least I believe that's
19	MS. KOVALESKI: Those are
20	CHAIRMAN SKILLMAN: It's the fifth STARS
21	plant for renewal. Would those plants have the same,
22	approximately the same number of sentinel locations?
23	Are you an outlier with those four other plants?
24	MR. HOEHN: Again, we're the first to apply
25	this methodology to evaluate the bounded nature of the
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 2005-3701 (202) 234-4433

	71
1	NUREG/CR-6260 locations so
2	CHAIRMAN SKILLMAN: So they'll probably
3	come looking to you to figure out what you did.
4	MR. HOEHN: And we had shared this
5	information with the industry in multiple fatigue
6	presentations in the industry and we're actively
7	engaged in the material liability to share the operating
8	experience.
9	Again, we're unique in the sense that we
10	were a rep to PWR and we were required to demonstrate
11	the bounding nature and we know that with our approach,
12	our 22 locations, we, per the process, we felt it was
13	appropriate to include all the NUREG/CR-6260 locations
14	so those are conservatively included. Some of those
15	could have screened out based upon the methodology but
16	we included that in that 22 count and will manage that
17	moving forward.
18	CHAIRMAN SKILLMAN: Thank you.
19	MEMBER SCHULTZ: Michael, I want to
20	appreciate the timing here. Was this work done in
21	response to a question from the staff or are you
22	providing this explanation as a result of the question
23	and
24	MR. HOEHN: This approach was we felt we
25	needed, as a result of GALL NUREG-1801, we needed to
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433
	72
----	--
1	demonstrate to ourselves and to the regulator that we
2	had a bounding set of transients we could manage into
3	the period of extended operation. So we developed this
4	approach with EPRI in a proactive fashion to address
5	GALL Rev 2.
6	MEMBER SCHULTZ: Thank you. Appreciate
7	that.
8	CHAIRMAN SKILLMAN: Please proceed.
9	Thank you.
10	MS. KOVALESKI: Next slide please. At
11	this point we're transitioning somewhat. The next four
12	slides cover issues that have come up since issuance of
13	the SER with open items.
14	The first topic has to do with operating
15	experience related to clevis bolts. The request from
16	the staff was for us to address the similarity of
17	Callaway design to reported failures at another
18	domestic Westinghouse-designed PWR in 2010.
19	This operating experience did become
20	available to us a couple years ago and we did enter in
21	our corrective action program and had evaluated it.
22	Our design is different from the plant that experienced
23	the failures although the materials used are similar.
24	We have performed numerous inspections as
25	a result of this operating experience and we've not
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	73
1	identified any degradation or damage. We did provide
2	that information to the staff for their review. Next
3	slide.
4	CHAIRMAN SKILLMAN: Do you assign the
5	geometrical difference to basis, why you have not had
6	problems and others have?
7	MS. KOVALESKI: Mike, could you address
8	that?
9	MR. HOEHN: Your question is related to do
10	we attribute our lack of degradation to the geometry?
11	CHAIRMAN SKILLMAN: That's kind of what
12	that first bullet infers, clevis insert assembly
13	geometry different from design of plant with failures.
14	MR. HOEHN: Andrew, pull up Slide
15	MALE PARTICIPANT: 116.
16	MR. HOEHN: 116 if you could.
17	MR. BURGESS: 116?
18	MR. HOEHN: Correct. Short answer, it was
19	a factor and the difference and we saw the degradation
20	if you know. This is our configuration. The clevis
21	bolts are on the interior of the clevis location.
22	The plant in question where the OE was
23	generated from, the clevis bolts are actually on the
24	outside face of the clevis. It's a completely
25	different configuration. The bolting pattern is
I	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433
25	requirements.
24	consistent in applicable portions to NFPA 25
23	aging management program will be revised to be
22	We have also recognized that the fire water
21	internal corrosion in raw water environments.
20	additional aging management is needed for recurring
19	changes that we've made is that we recognize that
18	We implemented this ISG. Some of the
17	under insulation.
16	water systems, atmospheric storage tanks and corrosion
15	covered aging management of internal surfaces, fire
14	This one has to do with an ISG-2012-02 which
13	generic questions asked of applicants.
12	next three topics cover generic questions, also cover
11	MS. KOVALESKI: Next slide please. The
10	Back to 30 please.
9	CHAIRMAN SKILLMAN: Okay, thank you.
8	degradation or damage.
7	inspections in last refueling outage, 2013, and saw no
6	MR. HOEHN: And, again, we did provide
5	CHAIRMAN SKILLMAN: Thank you.
4	result of our unique geometry.
3	that is unique so the stresses would be different as a
2	the clevis insert location where it would slide into
1	different and how the radial support key would contact
	74

	75
1	We'll be making some changes, we did make
2	some changes to our aboveground metallic tanks aging
3	management program and outdoor insulated components and
4	indoor insulated components that are exposed to
5	condensation will have that insulation removed so that
6	we can perform inspections of that external surface.
7	This ISG has been implemented and we have provided that
8	to the staff for their review.
9	CHAIRMAN SKILLMAN: Okay, and this is
10	insulation removed for inspection and then replaced to
11	maintain insulation?
12	MS. KOVALESKI: That's correct. It's for
13	inspection purposes only.
14	MR. BARTON: I have a question on your fire
15	water storage tank. I think you had some internal
16	problems with that. I can't think of that right now.
17	But the concern I have is it apparently is
18	set on a sand base. The bottom of the tank is set in
19	sand. I've had experience with tanks like that that
20	develop leakage, I mean, because there's something
21	that's in the sand eats through, whatever. Have you
22	ever done a UT inspection of the bottom of that tank?
23	MS. KOVALESKI: I think Lee Eitel could
24	address that please.
25	MR. EITEL: Lee Eitel, supervisor systems
1	

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	76
1	engineering. We have not performed a ultrasonic test
2	to date. However, later this year we will be recoating
3	the interior of those fire water tanks and as a part of
4	that work evolution we will be performing some
5	ultrasonic testing of that fire water tank.
6	MR. BARTON: Thank you.
7	MEMBER BALLINGER: That kind of leakage,
8	corrosion from the bottom is very common in the oil
9	industry.
10	MR. BARTON: Yes.
11	MEMBER BALLINGER: One of the most common
12	problems with tanks.
13	MR. BARTON: Right, because use oil-based
14	sand. It's something in the
15	MEMBER BALLINGER: Yes, yes.
16	MR. BARTON: That eats through the bottom.
17	MEMBER STETKAR: While we're on fire
18	systems, might as well get a couple of off-the-wall
19	questions out of the way and I'll try to keep them short.
20	There's some discussion of and obviously
21	there have been problems with the fire water systems.
22	It was noted that in flow tests that you did in
23	2009/2011, you initially didn't pass the flow tests but
24	you managed to be able to sharpen your pencils enough
25	and check off the box and, indeed, you passed those tests

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	77
1	which you didn't have to sharpen your pencil before that
2	so that's indication of degradation.
3	You've committed, I believe, to instead of
4	doing the testing at three-year intervals to perform the
5	tests every two years to see if there's any trend going.
6	The thing I wanted to ask about though is
7	at least the information I could read said that the next
8	flow test, again from the documentation I have, is
9	scheduled for 2013. So I'm curious. How did you do in
10	2013 with your flow test?
11	MS. KOVALESKI: Lee.
12	MR. EITEL: Yes, Lee Eitel again. We did
13	have some reduced flow in the 2013 test as well. The
14	next test for the two-year frequency will be next year
15	in 2015. We do still have margin with our flow results,
16	even with the results we received in 2013.
17	MEMBER STETKAR: I don't know how one does
18	the pencil sharpening for the calculations so did you
19	have to sharpen the pencil more than you did in 2011 to
20	show that you passed or in other words, apparently
21	in 2009/2011 you had to get a bit creative in terms of
22	defining what success was. Did you keep the same
23	definition of success and still meet the criteria or did
24	you have to get more creative in 2013?
25	MR. EITEL: We kept the same definition in

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	78
1	2013. The original change
2	MEMBER STETKAR: But showed reduced margin
3	compared to 2011?
4	MR. EITEL: Correct. Correct.
5	MEMBER STETKAR: Okay, okay. That's not
6	necessarily okay but at least I understand.
7	MS. KOVALESKI: The next issue that we'd
8	like to cover is issuance of draft ISG-2013-01. This
9	covered loss of coating integrity for Service Level III
10	and other coatings.
11	Through RAIs the majority I'm sorry.
12	This draft ISG has been implemented into our license
13	renewal application. We will be visually inspecting
14	in-scope coatings that are installed in accessible
15	interior surfaces and have criteria established for
16	modifying that inspection frequency based on the
17	results of those inspections.
18	The inspection of coatings will be
19	performed by trained and qualified personnel in
20	accordance with ASTM standards that are endorsed in Reg
21	Guide 1.54.
22	MR. BARTON: Service Level III, does that
23	include the containment liner or not?
24	MS. KOVALESKI: Containment coatings are
25	Service Level I.
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	79
1	MR. BARTON: All right. Okay. Question
2	on that is you have experienced during outages
3	inspection of that liner some coating failures. Now,
4	I don't know whether that's in certain areas or whether
5	it's random around the surface of the containment.
6	Which is it?
7	The reason I'm asking, it appears that you
8	haven't done anything with it except scrape off the
9	loose paint or something so I'm trying to figure out
10	what's your program on maintaining the integrity of the
11	containment liner, the painting?
12	MS. KOVALESKI: Justin Stollhans is our
13	coatings engineer. He can elaborate a bit on our
14	containment coatings inspections.
15	MR. STOLLHANS: This is Justin Stollhans.
16	I'm the coating engineer. We do perform a coatings
17	inspection of the containment liner every refueling
18	outage. We do identify locations in which the coating
19	has been degraded. We remove those coatings and we do
20	not repair them. We remove the coatings and
21	MR. BARTON: Well, what do you find?
22	Bubbles or paint flaking off, peeling or what's the
23	nature of the deficiency?
24	MR. STOLLHANS: They're normally, the
25	indications are long striations approximately the width
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	80
1	of a pencil or your pinky finger, very linear.
2	MR. BARTON: How long?
3	MR. STOLLHANS: They depend. Some are
4	couple inches. Some may be few feet.
5	MR. BARTON: May be what?
6	MR. STOLLHANS: May be a few feet.
7	MR. BARTON: Few feet. Now, do you have a
8	program for repairing these at some point or what's the
9	program? You look at these things and do what? You put
10	them down in a log someplace and say I found some more
11	during this outage?
12	MR. STOLLHANS: Yes, we
13	MR. BARTON: What's your program for
14	maintaining the proper painting integrity of the liner?
15	MR. STOLLHANS: We would track them and
16	then reinspect them on our inspection every refuel and
17	then we have yet to see any degradation in these
18	locations.
19	MR. BARTON: You do what?
20	MR. STOLLHANS: We have yet to see any
21	degradation on these locations of the liner.
22	MR. BARTON: So you don't have any paint
23	flaking off?
24	MR. STOLLHANS: The paint, yes, the paint.
25	MR. BARTON: But the liner still is a nice
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	81
1	shiny carbon steel or whatever?
2	MR. STOLLHANS: In most cases
3	MR. BARTON: Or is it all rusted? What's
4	the condition of the liner now?
5	MR. STOLLHANS: It is not rusted. In most
6	cases the primer is still intact.
7	MR. BARTON: The primer is intact?
8	MR. STOLLHANS: Yes.
9	CHAIRMAN SKILLMAN: Have you found where
10	the primer is not intact?
11	MR. STOLLHANS: I am not aware of any
12	indication, so.
13	CHAIRMAN SKILLMAN: Are those indications
14	in your corrective action program?
15	MR. STOLLHANS: Yes.
16	CHAIRMAN SKILLMAN: Each one has a serial
17	number or has a name tag?
18	MR. STOLLHANS: We do not track them
19	individually, no.
20	CHAIRMAN SKILLMAN: So how do you know that
21	one from one outage to the next hasn't grown or changed?
22	MS. KOVALESKI: The results of the
23	inspections are we don't log each individual occurrence
24	but we'll enter one corrective action program entry for
25	those inspection results and then during the subsequent
ļ	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	82
1	inspections those previous images are printed out.
2	I have observed our coating engineers
3	preparing for those inspections and they go print out
4	the previous pictures of the indication so that they can
5	have them with them during those inspections.
6	CHAIRMAN SKILLMAN: So they do have a
7	unique ID so that an individual can go back to that same
8	place and understand what has changed?
9	MS. KOVALESKI: Yes, they are logged. I
10	couldn't speak to exactly how they are ID'd and logged
11	but, yes, we have a way of tracking based on the
12	position, the azimuthal position within the containment
13	and height as to which indication is which.
14	CHAIRMAN SKILLMAN: My expectation is
15	driven by having been at a number of plants where each
16	and every spot of boric acid or each and every coating
17	deficiency has its own unique ID.
18	And then an engineer, the program engineer
19	is then accountable to keep track of each and every one
20	of those until the boric acid is no longer there or until
21	the holiday in the coating has been repaired. So I'm
22	assuming you must have something similar to that.
23	MS. KOVALESKI: We'll have to get back to
24	you with our exact tracking of it.
25	CHAIRMAN SKILLMAN: I'd like to know. I
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	83
1	think John Barton's question's a very good question.
2	MS. KOVALESKI: Yes, we'll get back to you
3	with that.
4	CHAIRMAN SKILLMAN: Thank you. Okay.
5	MEMBER STETKAR: As long as we're on the
6	liner, your good news is you don't have to inspect the
7	moisture barrier seal at the liner penetration of the
8	concrete in the containment floor because you don't have
9	a moisture barrier seal. Do you have any pictures in
10	your backup slides of that gap or that configuration?
11	The basic question is if you don't have a
12	moisture barrier seal, how do you know you don't have
13	corrosion occurring in that area below the concrete
14	floor in the liner?
15	MR. BARTON: They said they have a fill
16	plug or something which I don't understand.
17	MEMBER STETKAR: Oh, I didn't see a fill
18	plug.
19	MR. BARTON: Where did I see that?
20	MEMBER STETKAR: Where did you find that?
21	MR. NETERER: We do have a photo we're
22	going to pull up for you.
23	MS. KOVALESKI: Yes we do. Yes we do.
24	(Off microphone discussion)
25	MALE PARTICIPANT: Okay, there we go.
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	84
1	MR. JOHNSON: Hi, I'm Jim Johnson. I'm
2	the lead engineer and I can speak to this. This is a
3	picture of the interface between the liner and the
4	concrete slab.
5	MEMBER STETKAR: Good.
6	MR. JOHNSON: You can see there, there
7	isn't a moisture barrier but there is no gap.
8	MEMBER STETKAR: That's what I was looking
9	for. Is that inspected every refueling outage to make
10	sure that there hasn't been, you know, swell type
11	openings of a gap?
12	MR. JOHNSON: There are actually three
13	different aging management programs that look at that
14	interface. Monitoring looks at the concrete, IDBE
15	looks at the liner and the coatings inspection every
16	outage looks at the coatings.
17	MEMBER STETKAR: Fine. Thank you.
18	(Crosstalk)
19	MALE PARTICIPANT: Yes, you don't want me
20	to take up more time anyway, so.
21	CHAIRMAN SKILLMAN: Is that a fire line?
22	MALE PARTICIPANT: Pardon me?
23	CHAIRMAN SKILLMAN: Is that a fire line?
24	MS. KOVALESKI: In the photo it is conduit.
25	We don't have identification of that available for this
I	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	85
1	picture.
2	CHAIRMAN SKILLMAN: Okay, thanks.
3	MR. JOHNSON: This was during an outage.
4	We think that red one is some kind of a temporary water
5	area or something for an outage. It looks like
6	electrical conduit as best we can determine.
7	CHAIRMAN SKILLMAN: Okay, thank you. All
8	right.
9	MS. KOVALESKI: All right. Thank you,
10	Andrew. Moving on to the next slide.
11	CHAIRMAN SKILLMAN: 33, okay.
12	MS. KOVALESKI: Slide 33, yes. This topic
13	has to do with submerged bolting and the request from
14	the staff was for us to identify our method of detecting
15	loss of material and loss of preload in submerged
16	bolting.
17	For Callaway this affected five systems,
18	essential service water where we will be inspecting our
19	stainless steel bolts on a six-year sample basis and
20	testing quarterly for pump performance, our emergency
21	diesel generators where the fuel oil transfer pump bolts
22	will be inspected on a ten-year sample basis and also
23	tested periodically, the service water pump bolting
24	which is replaced entirely during pump refurbishment on
25	a six-year basis and waste water pump bolting. There
I	

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	86
1	are two systems in there, oily waste system and our floor
2	and equipment drain systems and that bolting will be
3	inspected on a six-year sample basis.
4	MR. BARTON: Is this bolting underwater,
5	it needs a diver to work on it? Or is it all above water,
6	or what? DSW and service water pump bolting?
7	MS. KOVALESKI: Eric, could you please
8	elaborate on the details?
9	MR. BLOCHER: Yes, the ESW bolting are on
10	the ESW pumps, which are submerged pumps in the intake
11	bay. The diesel generator fuel oil are pumps that are
12	submerged in the fuel storage tanks.
13	And service water pump is similar to the ESW
14	pump, only it's on the non-safety service water system.
15	And the waste water pumps, for the most part they're
16	submerged. That varies with the sump level and the
17	waste water.
18	CHAIRMAN SKILLMAN: For the bolting that
19	is in the intake bay, I assume that the surrounding water
20	is the Missouri River? That accurate?
21	MR. WINK: For our central service water
22	system, it sits in our ultimate heat sink water, which
23	ultimately is clarified Missouri River water.
24	MALE PARTICIPANT: He asked about the
25	intake, though.
I	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	87
1	CHAIRMAN SKILLMAN: Eric said it's at the
2	intake structure.
3	MR. BLOCHER: The ESW is as Mr. Wink has
4	described.
5	CHAIRMAN SKILLMAN: Okay. What I was
6	going to ask is is the chemistry of the Missouri River
7	adverse to that bolting?
8	MR. BLOCHER: It's not in scope.
9	MS. KOVALESKI: The bolting that is in the
10	scope of this program is not at our intake structure at
11	the river. Mr. Blocher, I think, was referring to where
12	our central service water pumps are installed, the
13	bolting at the intake of those pumps.
14	CHAIRMAN SKILLMAN: I see, so it's up at
15	the site at the pond
16	MR. NETERER: The ultimate heat sink pond.
17	CHAIRMAN SKILLMAN: at the heat sink
18	pond?
19	MR. NETERER: Correct.
20	CHAIRMAN SKILLMAN: Okay.
21	MR. BLOCHER: Eric Blocher, that's one
22	clarification we want to make. Early on there may have
23	been some confusion where we're talking about the river
24	intake structure. That structure is not within scope
25	of license renewal.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

```
(202) 234-4433
```

	88
1	MR. BARTON: So that means what, you don't
2	look at it or you don't care, or what? You have to have
3	some kind of thought about it. What's in the intake
4	structure that you got to worry about? What
5	equipment's in there?
6	MR. BLOCHER: It would probably be good to
7	go back to the site picture and explain the ESW intake
8	structure and the 30 day water supply that is used.
9	MALE PARTICIPANT: Slide 8 I think.
10	MR. NETERER: Okay, let me explain this.
11	The river picture that we showed you, that is not in
12	scope. That draws water up to the plant. It goes
13	through a water treatment system.
14	And that water goes to the cooling tower,
15	and it also can be used for make up to the alternate heat
16	sink pond. The intake that he, that Mr. Blocher was
17	talking about is a pump house on the ultimate heat sink
18	pond. Those are in scope. And that's the bolting we're
19	talking about here.
20	MR. BARTON: Okay.
21	MR. NETERER: Okay? And we did change
22	those out from carbon steel to stainless steel several
23	years ago for AG management purposes.
24	CHAIRMAN SKILLMAN: We worked at a plant
25	where the intake structure problem was the spiders.
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	89
1	The spiders could eat the bolts. The spiders needed
2	name tags. They were visiting on the Susquehanna
3	River. So we've got some real understanding about risk
4	phenomenon. Okay, next slide, please?
5	MS. KOVALESKI: All right. Next slide,
6	please. At this point, I would like to turn it over to
7	Mr. Neterer for closing remarks.
8	MEMBER SCHULTZ: Before we do that, I did
9	want to go back to one question associated with the
10	bolts, the stud work. And then we heard that it would
11	most likely be planned, or is planned to be done in
12	refueling out as 23, is that what it says? Four and a
13	half years you mentioned, Dave.
14	MS. KOVALESKI: Excuse me, you're talking
15	about the reactor height closure studs, stud 18?
16	MEMBER SCHULTZ: Stud 18, stud 18.
17	MS. KOVALESKI: Okay, okay. Okay, not
18	submerged bolting.
19	MEMBER SCHULTZ: Back to that issue.
20	MS. KOVALESKI: I understand.
21	MEMBER SCHULTZ: That's correct. And I
22	was wondering whether the stud holes were going to be
23	inspected at that same time?
24	MS. KOVALESKI: The stud holes are
25	inspected every outage.
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

1 MEMBER SCHULTZ: The six that we were 2 talking about --MS. KOVALESKI: They are all inspected --3 4 MEMBER SCHULTZ: the detailed 5 inspection. 6 MS. KOVALESKI: They visually are 7 inspected --MEMBER SCHULTZ: 8 Right. 9 MS. KOVALESKI: -- every outage. And they 10 are also in the scope of our RSI program. The laser 11 mapping will be performed at the same time that we remove 12 the stud so that we can also inspect the stud that's being removed. 13 MEMBER SCHULTZ: Have the equipment there 14 15 to do the work --16 MS. KOVALESKI: That's right. 17 MEMBER SCHULTZ: -- at that time. 18 MS. KOVALESKI: That's right. 19 MEMBER SCHULTZ: I appreciate that. And I 20 also recall hearing earlier in the presentation that 21 this was not considered to be an aging problem because 22 it happened early in the life of the plant. 23 think in the spirit of aging But I 24 management license renewal, that it's good to get this taken care of, moving forward. So I appreciate that, 25 **NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 thank you. 2 MS. KOVALESKI: Thank you, we agree. That was an important learning for us during this process. 3 4 CHAIRMAN SKILLMAN: Dave, back to you. 5 MR. NETERER: Thank you, Mr. Chairman. 6 Callaway plant is a learning organization. One of the 7 key learnings in the last seven years going through this is we must learn to operate the plant 8 process 9 differently for the next 30 years than we have the previous 30 years, particularly in the area of aging 10 11 management. 12 We have institutionalized and internalized 13 the aging management concept and principles through 14 several things like training, corrective action 15 program, operating experience, and our strong program 16 They've really grown into this owners. aging 17 management concept. 18 You can see our subject matter experts, a 19 lot of these folks here are really new to Callaway in 20 that last seven year period. So we've got a lot of 21 younger people coming in. 22 And for them, aging management's not a new It's a way of life for them to help carry that 23 program. on in the next 30 years of operation. 24 So it's really good to see these young folks getting involved in this. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	92
1	So I would just like to thank the committee,
2	thank you Mr. Chairman for listening to our
3	presentation. And thanks for the challenges. You
4	gave us a couple things to go back and prove our programs
5	on aging management to think about today.
6	CHAIRMAN SKILLMAN: Thank you.
7	Colleagues, any other questions?
8	MR. BARTON: I've got a question.
9	CHAIRMAN SKILLMAN: Yes sir, John?
10	MR. BARTON: Fuel oil chemistry program,
11	in your response to an RAI regarding inability to drain
12	and clean the diesel generator, fire pump, oil day tank,
13	and the security diesel generator, fuel oil day tank due
14	to limited access, do you propose to periodically
15	sample, you didn't say what frequency, the tanks to
16	ensure there's no evidence of corrosion.
17	Question I got, if you can't drain and clean
18	these tanks, how do you change the oil in them? Or don't
19	you?
20	MR. BLOCHER: I just want to clarify, to
21	clean the tanks requires physical access into the tanks.
22	And the biggest opening, I believe, on the security tank
23	is the order of magnitude of, like, a one inch or two
24	inch connection. The piping would have to be removed
25	from it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	93
1	MR. BARTON: Right. Okay.
2	MR. BLOCHER: So we physically cannot get
3	in there. Many of the tanks do have connections that
4	would allow draining down to the bottom of the tank. But
5	again, that physical access for physical cleaning of the
6	tank is not possible.
7	MR. BARTON: So you have the ability to
8	drain and put oil in, but you can't get access to inspect
9	it or clean it?
10	MR. BLOCHER: Correct.
11	MR. BARTON: Okay. That's about it.
12	CHAIRMAN SKILLMAN: John? Ron?
13	MEMBER BALLINGER: Good
14	CHAIRMAN SKILLMAN: Steve?
15	MEMBER SCHULTZ: No, thank you.
16	CHAIRMAN SKILLMAN: Ladies and gentlemen,
17	we will take a 15 minute break. We will resume at 3:30,
18	15:30 on that clock.
19	(Whereupon, the foregoing matter went off
20	the record at 3:12 p.m. and went back on the record at
21	3:29 p.m.)
22	CHAIRMAN SKILLMAN: We are back in
23	session. Ladies and gentlemen, Ameren has a response
24	from some questions that we asked, and I would like to
25	give them an opportunity please to respond, to take one
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	94
1	or two minutes here, please.
2	MR. WINK: Yes, my name is Roger Wink,
3	supervising engineer of the license renewal project. We
4	had a question earlier about our containment coatings
5	and how we track those individual items.
6	We do not assign specific location IDs to
7	the defects that we may find in our containment liner.
8	They are entered in our corrective action system. They
9	are identified by location and height off the floor as
10	met the around containment such as that.
11	And they are also tracked in the specific
12	job that we would write against those location and also
13	the program notebook for our coatings program.
14	CHAIRMAN SKILLMAN: Thank you.
15	MR. WINK: Yes.
16	CHAIRMAN SKILLMAN: Thank you very much.
17	That ends that portion of our business. I now call upon
18	John Lubinski to lead the NRC portion, please.
19	MR. LUBINSKI: Thank you, Chairman. What
20	we hope to cover this afternoon is our portion of the
21	review. As I said earlier, the SER with open items was
22	issued in April of 2013. We did have a May 12th memo
23	this year that discussed the status of the open items,
24	as well as some additional issues that we were
25	addressing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	95
1	Let me introduce the NRC staff that will
2	address these this afternoon. John Daily is the
3	Project Manager for Callaway. He will be doing our
4	presentation this afternoon.
5	He is assisted at the front table by Dr.
6	Allen Hiser, our Senior Level Adviser and Daneira
7	Melendez who is our Project Manager within our division.
8	And we have other folks in the audience who will help
9	participate.
10	We do have on the phone line, and I'm going
11	to do a check here, Greg Pick at Region IV. Greg, did
12	you join us on the phone line? Okay, we still have a
13	problem locating Greg. What we'll do is when we get to
14	that
15	MR. PICK: John.
16	MR. LUBINSKI: Greg, you're there.
17	MR. PICK: I have been here.
18	MR. LUBINSKI: Great, okay. Welcome.
19	You've been here already. So when we get to your part,
20	you'll hear John Daily introduce you. Thank you. With
21	that, I would like to turn it to John Daily and have him
22	do the presentation.
23	MR. DAILY: Thank you, John. Good
24	afternoon Chairman Skillman and members of the ACRS
25	License Renewal Subcommittee. My name's John Daily,
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	96
1	I'm the License Renewal Project Manager for Callaway
2	Plant Unit 1 license renewal safety review.
3	We're here today to discuss the review of
4	the Callaway license renewal application as documented
5	in the Safety Evaluation report with open items issued
6	in April of 2013.
7	And John Lubinski already introduced
8	everyone so we can skip with that part. And of course,
9	we have other staff members and reviewers in the
10	audience which might be able to shed some light on things
11	as we progress. Next slide.
12	Today we will present a general overview of
13	the staff's review and then we'll discuss the main
14	sections and the issues presented in the staff's SER as
15	shown here. Greg Pick, in a few minutes, will present
16	the results from the Region 4 on site inspection. Next
17	slide.
18	This slide's provided for information
19	only. The applicant has covered all the points that are
20	presented here. And we also discussed what led us up
21	to a May 2014 Subcommittee date.
22	I know there were several schedule changes.
23	During those schedule changes however, the staff has
24	continued to work on the open items and the other issues
25	as they have arisen.
I	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 have been issuing requests for We 2 additional information, holding conference calls with the applicant, and receiving supplemental information 3 4 from them on these issues in order to make sure that we 5 have resolution paths for each one of them. Next slide. 6 The staff conducted several on site audits 7 and inspections for the application as shown here on the During the scoping and screening methodology 8 slide. 9 audit, the audit team reviewed the applicant's 10 administrative controls governing the scoping and 11 screening methodology and the technical basis for 12 selected scoping and screening results. The staff also reviewed selected examples 13 of component material and environment combinations, 14 15 reviewed information contained in the applicant's 16 corrective action program that was relevant to plant 17 specific age related degradation, reviewed quality 18 practices that were applied during the development of 19 the application, and reviewed the training of personnel 20 who participated in the development of the LRA. 21 During the aging management program audit, 22 a team of over 35 reviewers examined Ameren Missouri's 23 aging management programs and related documentation to 24 verify applicant claims of consistency with the 25 corresponding AMPs in the GALL report.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	98
1	The staff reviewed 42 AMPs and documented
2	the results in an audit report that was dated August 9th,
3	2012. And I believe you have a copy of that, Mr.
4	Chairman, that we provided earlier.
5	Finally, Region IV conducted its regional
6	inspection from September 10th, 2012 through November
7	7th, 2012. And as we said, we'll present those results
8	here shortly. Next slide.
9	In addition to the audits and inspections
10	already mentioned, the staff conducted in depth
11	technical reviews and issued requests for additional
12	information, or RAIs. Staff completed its initial
13	review of the Callaway license renewal application with
14	the exception of five open items and issued the Safety
15	Evaluation report with open items on April 23rd, 2013.
16	Subsequent to issuing the SER with open
17	items, some other items did arise, and we'll deal with
18	those towards the end of the slide presentation.
19	CHAIRMAN SKILLMAN: John, let me just
20	exercise a little bit of prickliness here. Would it be
21	accurate to say that those several items that came on
22	to our agenda were really known before the SERI was
23	issued? Our belief is that they probably were.
24	MR. DAILY: Well I can't speak directly to
25	that, Mr. Chairman, because I wasn't project manager at
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	99
1	the time. But I do know that within our division,
2	generally speaking, issues like this arise as an issue
3	at one or two plants first, then we notice that it's
4	something that needs to be developed generally.
5	And then at some point we decide to develop,
6	for example interim staff guidelines. During that
7	process, which was happening at the same time the SER
8	with open items was prepared, there are times when
9	information comes in after a cutoff date.
10	And I believe that was the case in at least
11	two of these items. Now the third one actually resulted
12	because of components that were added in August of 2013,
13	which about four months after the SER with open items
14	was issued.
15	So as things are going through the process,
16	there is a cutoff date that we have to do in order to
17	present information in the SER. So I'm pretty sure that
18	those particular ones with the two ISGs probably evolved
19	in that fashion.
20	CHAIRMAN SKILLMAN: Thank you.
21	MR. DAILY: Thank you. So as we
22	mentioned, two of the items that were the other ones that
23	arose, they came about as the result of this interim
24	staff guidelines.
25	And then the third item which we'll talk
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

	100
1	about, the submerged bolting which the applicant had
2	already initially covered, that actually came up as new
3	components that were added to the scope of license
4	renewal after the SER was issued. So that's one of the
5	reasons why it comes up the way it did.
6	Pending resolution now of these open items
7	and the outstanding RAIs, our plan as a staff is to issue
8	Callaway's final SER in September of this year, and in
9	order to support, you know, the remaining parts of the
10	schedule.
11	Let's now turn the presentation over to
12	Greg Pick, the Region IV Inspection Team Leader on the
13	phone. And Greg will discuss the license renewal
14	inspection. Greg?
15	MR. PICK: Thank you, John. Can everyone
16	hear me?
17	MR. LUBINSKI: Yes, we can hear you loud
18	and clear.
19	MR. PICK: Good afternoon members of the
20	subcommittee. As an overview of the inspection, we had
21	five
22	MR. LUBINSKI: Hey Greg? Greg?
23	MR. PICK: Yes?
24	CHAIRMAN SKILLMAN: Greg, this is Nick
25	Skillman. We can hear you loudly and clearly. Would
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

	101
1	you please back away from your microphone or from
2	whatever instrument you're using because we're getting
3	a double take and you're cutting out.
4	MR. PICK: Is this any better?
5	CHAIRMAN SKILLMAN: It is.
6	MR. PICK: I'll just talk normal then.
7	CHAIRMAN SKILLMAN: Thank you.
8	MR. PICK: Five inspectors had experience
9	and expertise related mechanical systems and
10	components electrical systems and components
11	CHAIRMAN SKILLMAN: Greg, you're still
12	breaking up. Are you on a speaker phone?
13	MR. PICK: Not anymore.
14	CHAIRMAN SKILLMAN: That's better.
15	MALE PARTICIPANT: That's much better.
16	CHAIRMAN SKILLMAN: Just speak in normal
17	tone, I think you'll be all right.
18	MR. PICK: The scoping inspection was
19	concerned with reviewing for proper disposition of
20	components included in scope, and review of the excluded
21	items to verify appropriate determination of non-safety
22	related components affecting safety related
23	components.
24	The aging management programs inspected,
25	we reviewed seven new programs and 16 existing programs.
ļ	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

1 Next slide, please. The team identified several issues, and 2 these are all discussed in our inspection report. 3 Some 4 of the more significant ones are presented here to 5 illustrate. For the condensate storage tank, the team 6 identified that two of ten installed inaccessible 7 anchor bolts did not have minimum thread engagement in accordance with ANCB 11 and the Callaway bolting manual. 8 9 The applicant demonstrated that the 10 condensate storage tank could perform its design 11 function with only 37 of the 56 bolts installed, and this 12 lack of thread engagement did not render the tank 13 inoperable. 14 The applicant planned to upgrade the 15 cathodic protection sections for the buried piping in 16 2015 as they've already discussed. They would complete 17 this modification nine years prior to entering the 18 period of extended operation. 19 Their coatings and backfill were in good 20 condition and consistent with the GALL report 21 This reduces the number of buried recommendations. 22 piping excavations to a single inspection each ten year 23 period. 24 For the emergency fuel oil storage tank, 25 plan operating experience described coating blisters in

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	103
1	the Train A tank. However, from review of the
2	inspection records, the team determined that the
3	applicant did not know the exact number or location, and
4	had not tracked or trended whether these blisters had
5	grown.
6	Following questions from the team, the
7	applicant committed to repair and evaluate the blisters
8	in the Train A tank during their next ten year
9	inspection, which will occur prior to entering the
10	period of extended operation, and the licensee
11	submitted a revision to their license renewal
12	application.
13	CHAIRMAN SKILLMAN: Greg, let me ask you a
14	question. I'm on your inspection report, your Page 24.
15	To what extent, when you found this item relative to the
16	blisters in the fuel oil storage tank, did you chase the
17	licensee's actions relative to the fuel oil filters, and
18	what did they find?
19	MR. PICK: We did not address the fuel oil
20	filters. So I cannot answer the question. But nothing
21	in their corrective action program indicated they had
22	any problems with their fuel oil filters. We did look
23	through their corrective action program documents.
24	CHAIRMAN SKILLMAN: I'm thinking blisters
25	is probably material wastage? And the consequence of

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	104
1	the wastage is some form of buildup on the filters,
2	unless of course the filters are changed out once a year
3	or once every six months or on some frequency that
4	precludes any buildup from effecting operability of the
5	diesel engines.
6	MR. PICK: Along those lines, and they
7	would better be able to address this, but during our
8	discussion on site, they believed the blisters were due
9	to original application of the coating and poor
10	adhesion. But they couldn't prove that to the
11	inspection team.
12	So when they go in and inspect it, they're
13	going to remove the blisters to see if it was an adhesion
14	problem, and then do a repair.
15	CHAIRMAN SKILLMAN: Thank you, Greg.
16	MR. PICK: Related to the buried piping,
17	there were several, I'm going to use the phrase
18	deficiencies as an inspector. But there were
19	enhancements required for their procedures.
20	Their buried and piping program engineers
21	collected a soil sample as required. They did not keep
22	it cool, so the bacteria would not remain alive for
23	testing. That was a recommendation, to cool the
24	samples when you take them.
25	Some other identified recommendations, the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 low voltage holiday testing on newly applied coatings. 2 There were inconsistencies on the environmental conditions, when to apply a primer related to the 3 4 temperatures when you did the inspection. 5 One part of the procedure said below 6 freezing, one part of the procedure said ten degrees 7 Fahrenheit. They got with the vendor and corrected that in their procedure. It's any temperature below 40 8 9 degrees. And at that time, the coatings engineer was 10 11 not always called out to do an inspection. Now the 12 coatings engineer will be called out to do a visual inspection versus sent photographs a couple days later. 13 Because of the long delay, I've already reviewed the 14 15 and they've already implemented procedure these 16 enhancements. Next slide, please. 17 MR. BARTON: Hey Greq. Well hold up, hey 18 Greq? John Barton here. 19 MR. PICK: Yes, sir. 20 On piping, buried piping MR. BARTON: 21 procedure, in your inspection report it was noted, 22 "Photographs of buried piping showed that pipe 23 wrappings were not adhered to some piping. The 24 applicant stated that had it been safety related piping, 25 they would have replaced the wrapping."

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	106
1	Now I don't know if you are familiar with
2	that, what the piping was. My concern is I don't care
3	whether it's safety related or not, but I'm going for
4	another 20 more years and I've got buried piping that's
5	not protected, I would probably worry about that and do
6	something about it.
7	But I don't know what the system is. Do
8	you? Is that familiar with you? It was in your
9	inspection report.
10	MR. PICK: If I recall, it was a fire water
11	piping. And it was fire water piping going to a
12	building outside the protected area fence.
13	MR. BARTON: So I don't care about that,
14	right?
15	MR. PICK: That's correct.
16	MR. BARTON: Okay.
17	MR. PICK: That is in fact clear in the
18	report, but that's the point being made.
19	MR. BARTON: So if that piping develops a
20	leak, it doesn't affect the rest of the fire protection
21	system? That piping can burst open and there's no
22	problem?
23	MR. PICK: If it had burst open and they had
24	a fire and needed to fight the fire, the furthest away
25	sprinkler they have sufficient capacity.
I	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	107
1	MR. BARTON: Okay. All right, that
2	answers my concern. Thank you.
3	MR. PICK: You're welcome. So for my
4	final slide, Slide 8 please. The inspection concluded,
5	the team concluded they would properly scope a
6	non-safety structure system and components in the
7	application of the aging management programs to those
8	structure system and components were acceptable. So in
9	all locations, non-safety would not affect safety.
10	And the team concluded that reasonable
11	assurance existed that aging effects will be managed and
12	attended functions maintained for the period of
13	extended operation. This concludes my formal
14	presentation. Any additional questions?
15	MR. BARTON: Yes, this is John Barton
16	again. Your team did inspect certain areas of the site
17	and certain buildings. I always ask this question and
18	you guys don't like it. But what's your assessment of
19	material condition of the site?
20	MR. PICK: John, we love hearing that
21	question.
22	MR. BARTON: Thank you. Some guys, you
23	know, have a problem with that question.
24	MR. PICK: For the period of time that we
25	were on the site for this inspection, knowing that you
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433
	108
----	---
1	do ask this question, we made sure we covered every
2	square inch of the site we could to be able to give you
3	the most reasonable answer.
4	The condition of the concrete, the piping,
5	the coatings that we could see, that site is in very good
6	condition, in the team's opinion.
7	MR. BARTON: I appreciate that, thank you.
8	MR. PICK: You're welcome. I'm going to
9	turn it back over to you, John Daily.
10	CHAIRMAN SKILLMAN: Thank you, Greg.
11	MR. DAILY: Thank you, Greg. Next slide.
12	Let's now move on to Section 2 which describes the
13	scoping and screening of structures and components that
14	are subject to aging management review.
15	The staff reviewed the applicant's scoping
16	and screening methodology procedures and quality
17	controls applicable to the license renewal application
18	development, as well as the training of project
19	personnel. We mentioned this a little earlier.
20	Staff also reviewed the various summaries
21	of the safety related systems, structures, and
22	components, or SSCs, non-safety SSCs effecting safety
23	related components and SSCs relied upon to perform
24	functions in compliance with the Commission's
25	regulations for fire protection, environmental

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	109
1	qualifications, station blackout, pressurized thermal
2	shock, and anticipated transience without scram.
3	Based on these reviews on the results from
4	the scoping and screening audit, and on additional
5	information provided by the applicant, the staff
6	concludes with the exception of one open item that the
7	applicant's scoping and screening methodology was
8	consistent with the standard review plan and the
9	requirements of 10 CFR Part 54.
10	If there are no real questions on this
11	slide, we'll turn to the next one which will discuss the
12	open item associated with scoping and screening.
13	CHAIRMAN SKILLMAN: John, let me ask this
14	question on that slide.
15	MR. DAILY: Yes, sir.
16	CHAIRMAN SKILLMAN: The processes that are
17	employed for scoping and screening really constitute
18	the IPA under 54, NCFR 54. Is that accurate?
19	MR. DAILY: Well, Bill Rogers may want to
20	step up to the mic.
21	DR. HISER: Yes, scoping and screening are
22	part of the IPA. The IPA includes how are you going to
23	manage aging effects. So that's the part, scoping and
24	screening is the
25	CHAIRMAN SKILLMAN: Front end.
ļ	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	110
1	DR. HISER: the part where you identify
2	components that are within the scope and are screened
3	in because they're long lived and passive, then you need
4	to do the aging management review.
5	And then the aging management
6	determination, how will you manage the aging effects
7	that require management. So just to express that
8	equivalence, that scoping and screening equals IPA is
9	not correct. So the screening is a portion.
10	CHAIRMAN SKILLMAN: It's a portion, it's
11	the front end.
12	MR. DAILY: Right. In essence it is the
13	front end. And the first thing that we look at under
14	this section is the actual methodology that is used to
15	establish the scoping and the screening. And then we
16	also do samples of the actual results. And that's done
17	during the audit, which you know, our audit team leader
18	leads and then writes a report on.
19	But yes, that's the front end. Aging
20	management review and the final determination of the
21	3,900 line items, you know, the 42 programs and so forth,
22	this then becomes the integrated plan assessment, the
23	entire book or the license renewal application on the
24	safety side.
25	CHAIRMAN SKILLMAN: Thank you.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	111
1	MR. DAILY: Okay, you're welcome. Let's
2	see, where were we here? So we're going to go to the
3	next slide and we'll talk about the open item associated
4	with scoping and screening.
5	Open item 2.3.3.20-1 is related to the
6	scoping of fire protection structure systems and
7	components. The staff's initial review of the
8	applicant's compliance with the fire protection rule
9	included reviewing the documents as listed in the
10	Callaway license and the then current final safety
11	analysis report, which represents Callaway's licensing
12	basis at that time.
13	This open item involved two aspects of the
14	scoping and screening of these fire protection SSCs. For
15	the first aspect that was based on its review, it was
16	not clear to the staff whether the fire suppression SSCs
17	in the auxiliary boiler room, the turban building,
18	hydrogen seal oil unit, and condenser pit were within
19	the scope of license renewal.
20	The applicant's initial response was that
21	these fire suppression components were not within the
22	scope because they were not required for safe shutdown.
23	Staff found that this was contrary to the applicant's
24	current licensing basis which did include these SSCs as
25	necessary for compliance with the fire protection rule.
I	

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 The staff noted that without additional 2 justification, these SSCs should not be excluded from the scope. And by letter late in April, basically at 3 4 the end of April 2013, Ameren Missouri added these areas 5 and SSCs back into the scope of license renewal and 6 resolved the staff's concerns. 7 And of course, as mentioned earlier, and we'll go on into the second aspect, that was under the 8 9 traditional, what I would call a more traditional fire protection program based upon the deterministic fire 10 11 protection programs at 50.48. 12 However, the second aspect which involved conversion over to the NFPA standard, NFPA 805, 13 14 regarding this aspect now backtracking just a little 15 bit. In August of 2011, so just shortly before 16 17 the license renewal application was submitted, the 18 applicant had submitted a license amendment request to 19 transition its existing program to a risk informed 20 performance based program based upon NFPA standard 805. 21 Therefore, these two amendment request 22 reviews were essentially running in parallel with each other during this period of time. It was unclear to the 23 staff then during the safety review for license renewal 24 as to which fire protection program modifications were 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

	113
1	going to be planned for the transition to NFPA 805, which
2	might in turn effect the existing fire protection
3	program SSCs within the scope of license renewal.
4	The staff requested Ameren Missouri to
5	identify and discuss any of the changes associated with
6	this NFPA 805 transition. The applicant ultimately
7	committed to provide a gap analysis upon issuance of the
8	final license amendment for the NFPA transition.
9	So the NRC staff issued this then as a
10	license amendment to Ameren Missouri in January of this
11	year, January 2014. And that granted the approval and
12	the authorization to change over to the NFPA 805 based
13	program.
14	The applicant then submitted a gap analysis
15	to the staff for this open item in February, so shortly
16	after that of this year. The staff's initial review
17	found that this February submittal lacked some
18	sufficient details in order to be able to reach
19	conclusions to the adequacy of the analysis and the
20	changes.
21	Through some follow up requests for
22	information and conference calls, the applicant agreed
23	and has subsequently submitted a supplement to this gap
24	analysis, which now provides the staff with the desired
25	level of detail.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	114
1	The staff expects to close this open item
2	pending completion of its review. Final resolution
3	will be documented in the final SER and presented to the
4	ACRS full committee.
5	One thing I might add on this, I know there
6	was some discussion during the applicant's presentation
7	of why not submit that while the review was ongoing.
8	And of course, our license renewal review is based upon
9	what we call the current licensing basis.
10	At that time, before the amendment was
11	granted, it was the traditional basis. And so
12	therefore, there was some time lapse involved in order
13	to get this settled so that the new licensing basis could
14	then be addressed. And that's what they addressed in
15	their gap analysis. And the staff therefore expects to
16	be able to close this open item.
17	CHAIRMAN SKILLMAN: Thank you.
18	MEMBER SCHULTZ: John, then at this point
19	in time you're not anticipating the need for further
20	interaction with the applicant? You feel that the
21	responses that you have received recently have
22	addressed your issues. But you need to finalize your
23	review of what you now have?
24	MR. DAILY: Yes sir, that's our caveat.
25	We don't expect to see any other details. But obviously
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	115
1	when you're writing your final input and you're crossing
2	your t's and dotting your i's, something might come up.
3	MEMBER SCHULTZ: But you're not waiting
4	for anything.
5	MR. DAILY: We're not waiting for anything
6	right now. We have that information in hand and
7	therefore we can say we expect to close this. We're
8	pretty confident.
9	MEMBER SCHULTZ: Thank you.
10	MR. DAILY: Next slide. Let's now move on
11	to Section 3, Aging Management Review Results. Section
12	3.0 of this section covers the staff's review of the
13	applicant's aging management programs, or AMPs.
14	Sections 3.1 through 3.6 cover the aging
15	management review items for each of the general system
16	areas within the scope of license renewal. For a given
17	aging management review, the staff reviews the item to
18	determine whether it's consistent with the GALL report.
19	If an aging management review is not
20	consistent with the GALL report, then the staff conducts
21	a technical review in depth in order to ensure adequacy
22	of managing the effects of aging for that particular
23	component material and environment condition.
24	Three of the five open items in the SER do
25	relate to the AMPs in Section 3.0. And so we'll go on
ļ	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	116
1	and discuss those here in the next slides. Next slide.
2	As Ameren had presented, 42 aging
3	management programs are presented in the license
4	renewal application. Thirty two of them are existing,
5	ten are brand new. There was some back and forth
6	related to how many would wind up being fully consistent
7	with the GALL report and how many might have exceptions
8	or enhancements.
9	Bottom line following the review and the
10	adjustments that the applicant has made to them, the
11	staff concluded that 23 AMPs are consistent with the
12	GALL report and 19 are consistent with enhancements
13	and/or exceptions. And there were no plant specific
14	aging management programs for this review. Next slide.
15	The first of the three open items
16	associated with the AMPs, open item B2.1.3-1 is related
17	to the reactor head closure studs and associated reactor
18	vessel flange threads.
19	On multiple occasions starting with
20	Callaway's first refueling outage in 1986, the
21	applicant has experienced difficulties either
22	inserting or removing its reactor vessel head closure
23	studs. In addition, multiple closure studs have been
24	stuck at one time or another.
25	Because of these evolutions, some of the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 corresponding reactor pressure vessel flange hole 2 threads have been damaged in a total of ten out of the 54 locations. 3 4 MEMBER STETKAR: John, just for the 5 record, at one time or another was before 1992, right? 6 MR. DAILY: Yes. 7 MEMBER STETKAR: 1996 was number --MR. DAILY: The single one, number 18. 8 9 MEMBER STETKAR: Eighteen. Nothing since '96. 10 11 MR. DAILY: And nothing as far as we can 12 tell in the record that we have, right. 13 MEMBER STETKAR: Thank you. 14 MR. DAILY: Nothing beyond 1996. Ι 15 believe 1992, we have some backup information, but I think 1992 was the last time that five of them were 16 17 stuck. And they were subsequently able to free and, you 18 know, do their repairs and examinations. 19 MEMBER STETKAR: Okay, thank you. The damaged stud hole threads 20 MR. DAILY: 21 were not repaired by means of thread inserts, but 22 instead were either machined down or ground off. 23 Therefore, several of these flange locations have less 24 than a full complement of threads. The majority of the flange holes with 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 multiple missing threads are located basically in one 2 quadrant if you were to look at the circumference from above. Most of the thread hole damage is located with 3 4 flange holes down in one quadrant. Not all of them, 5 there's a few that are in the other peripheries. 6 Have you explored why CHAIRMAN SKILLMAN: 7 that pattern exists? We did actually, I believe. 8 MR. DAILY: 9 During the AMP audit there was some dialogue back and 10 forth. We've got Roger Kalikian who is the reviewer for 11 that. And I believe he may be able to shed some light 12 on this for us. Yes hi, my name is Roger 13 MR. KALIKIAN: I'm the primary reviewer. 14 Kalikian. And when we 15 looked into it we were interested in why they were in 16 that quadrant. 17 Apparently when they were testing it before 18 initial fuel up, there were some issues with a tight fit. 19 So they were go gauging the holes and the gauger got 20 So they had difficulty removing the gauger out stuck. 21 of number 12. 22 And they decided not to gauge the rest of 23 They just happened to be in that area. So out them. 24 of the five that got stuck, four of them were not gauged. 25 CHAIRMAN SKILLMAN: Thank you.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	119
1	MR. DAILY: The staff noted that the
2	applicant's aging management program as proposed, which
3	is basically it was based upon the GALL report AMP, may
4	not be adequate for monitoring and managing degradation
5	of the reactor vessel flange hole threads and based upon
6	the applicant's plant specific conditions.
7	Now one of the reasons behind that is
8	because the GALL report AMP more or less assumes rather
9	normal studs, threads, and holes, and operating
10	experience. This is, I guess in my experience this is
11	a unique situation, this particular plant, you know, and
12	the experiences that they've had. So the staff had some
13	real concerns in that area as to whether this is really
14	going to have enough adequate controls for them.
15	Furthermore, one stud, number 18 as had
16	been mentioned before, became stuck during its
17	installation in the 1996 refueling outage at 2.625
18	inches withdrawn. This stuck stud has not been removed
19	since during any subsequent inspections our outages.
20	The applicant stated that it performed an
21	engineering evaluation and determined that the stuck
22	stud has sufficient thread engagement to be fully
23	tensioned. And they reported that they've been able to
24	fully tension and de-tension that stud from 1996 on up
25	to present.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	120
1	The staff was concerned that the existing
2	reactor head closure stud bolting program here in this
3	instance may not be adequate to detect future wear or
4	loss of material to ensure that the appropriate
5	acceptance of this criteria would continue to be met,
6	and that the allowable stresses under the ASME code are
7	not exceeded during the period of extended operation.
8	And so this became the two portions
9	involved in this particular open item, the multiple
10	stuck studs and then aging management, you know, in the
11	future for stud number 18.
12	In order to address the staff's concerns,
13	the applicant proposed two commitments. The first
14	commitment would perform a one time inspection no later
15	than six months prior to PEO for the six flange stud hole
16	locations with the highest amounts of missing threads.
17	Each of these locations has more than one
18	thread circumference missing, basically from four to 15
19	missing equivalent 360 degree threads. The proposed
20	inspection method would use a laser inspection to
21	provide accurate determination of whether wear or loss
22	of material for the existing threads has occurred.
23	This inspection would be similar to, as
24	reported by the applicant, would be similar to the
25	original inspections that the applicant performed in

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	121
1	1989 and '92 in order to determine the number of fully
2	engaged threads for each location with these damaged
3	threads.
4	Staff believes that this inspection method
5	should be able to provide an accurate evaluation such
6	that if wear or loss of material in these locations is
7	present, it could be detected and measured.
8	In addition, the results from prior
9	inspections, if they are used as a baseline, a wear or
10	a loss rate could potentially be calculated and
11	projected then to the end of the period of extended
12	operation. The staff believes that this inspection is
13	necessary to verify that for these locations,
14	appropriate acceptance criteria will be met.
15	The second commitment that the applicant
16	has proposed would remove stud number 18 and inspect or
17	replace it no later than six months prior to the period
18	of extended operation.
19	Since the stud has been stuck since 1996 and
20	the number of engaged threads are close to the
21	applicant's minimum acceptance criteria, the staff
22	believes that this action for stud number 18 is
23	essential in order to establish that the appropriate
24	acceptance criteria will be met and that the allowable
25	stresses under the SME code for stud number 18 are not

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	122
1	exceeded throughout the period of extended operation.
2	The staff's conclusion is that with these
3	changes added to the applicant's program as noted above,
4	there's reasonable assurance that the aging effects
5	that are associated with the reactor head and closure
6	studs will be adequately managed. The staff will,
7	however, consider whether to use a licensed condition
8	in this regard.
9	The staff does expect to close this open
10	item in the final SER, and the details of that closure
11	and the results will be presented to the ACRS full
12	committee.
13	CHAIRMAN SKILLMAN: John, you're wording
14	was remove stud 18, Commitment number 2, remove stud 18
15	and inspect or replace it. Did you mean remove the
16	remnant of 18 if it needs to be cut off, and replace 18
17	with a brand new 18 with good threads, is that what you
18	meant to say?
19	MR. DAILY: I would love for that to be the
20	case.
21	CHAIRMAN SKILLMAN: Is that what you
22	intend the applicant to do?
23	MR. DAILY: I think maybe, you know, as far
24	as the staff intent, our basic thing while Roger's
25	coming up to the phone, we just don't think it's
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	123
1	appropriate to continue to operate with a questionable
2	stud and we're concerned about PEO.
3	MR. KALIKIAN: Yes, the stud most likely,
4	we don't know what the condition is. They never tried
5	to remove it, so it may end up coming out. When it went
6	in, it had just a few burrs on it. It buffed it out.
7	I think most likely it's going to be
8	destructively removed, so it would be a new stud. And
9	they have plenty of new studs, I think, from a unit that
10	never got constructed.
11	CHAIRMAN SKILLMAN: Thank you.
12	MR. DAILY: Yes, I'm sure that the actual
13	language, as we look at any licensing decision, that
14	language is going to be important. But that's kind of
15	the staff's position is we think that there needs to be
16	a new stud there.
17	CHAIRMAN SKILLMAN: Do you feel like the
18	commitment that the applicant has made is a sufficient
19	commitment to solve the concern that you have?
20	MR. DAILY: Well, there is a discussion on
21	that. I mean, commitment, the language of a
22	commitment, a license condition which would become an
23	obligation. And I think that's still something that
24	we're talking about as a division internally.
25	MR. LUBINSKI: And if I could add to that,

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	124
1	I think your question is do we believe that the
2	commitment that they've provided at this point is
3	adequate. And what we've looked at is the commitment
4	itself of what they plan to do, I'll say what their plans
5	are for addressing the issue is adequate.
6	To be able to say they have to put a new stud
7	in, that would be, you know, beyond what the current
8	commitment is because if the stud is appropriate, if
9	they're able to inspect the threads and the threads are
10	fine and they're able to implement the aging management
11	program, we're good.
12	The second part of the question of whether
13	it becomes a license condition, as John said, that's
14	something we may want to consider and we are considering
15	with the idea being that if they want to vary from that,
16	it would require an amendment to the program, and that's
17	the reason we would want to require it as a license
18	condition, if they wanted to vary in any way.
19	CHAIRMAN SKILLMAN: Well I guess what I'm
20	trying to communicate is I listen to the licensee say
21	we're going to fix this. We'll fix it in the future.
22	We've got reasons we don't want to do it right now.
23	We've already got our outage for 2014 set, so this is
24	not a good time, but we will take care of it before six
25	months before the PEO.
1	

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	125
1	And I think it is appropriate that we take
2	them at their word. My question is is their word good
3	enough for you? They said they're going to fix it.
4	MR. LUBINSKI: I think when you say their
5	word, as part of the application is, when we talk about
6	the license condition, the license condition is if they
7	decide to vary from that at all. And this would be if
8	they were going to vary because again, it's not that they
9	would just blow off the commitment and that's not what
10	we're saying.
11	It's they might want to do it by an
12	alternate method than what they're doing because again,
13	between now and the time they enter PEO, there's a period
14	of time. If they want to vary and do something
15	different, we want to make sure that we have a chance
16	to review what that difference is, and that would be the
17	reason for the license condition.
18	Not that we don't think they'll do it, it's
19	just the manner in which they do it may change and we
20	would want to review that new manner.
21	MR. DAILY: Right. And the reason that I
22	pause, I'm not a lawyer. So you know, I think there are
23	some things when you get into talking about obligation
24	and trusting their word and things, I do take them at
25	their word, I think this is a serious business.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	126
1	But on the other hand, again since I'm not
2	a stud engineer and since we're not necessarily there
3	when it happens, we might have to allow the possibility
4	that stud removal is successful, you know, however large
5	or small that probability might be. And therefore, it
6	think we need to leave a certain amount of decision into
7	the applicant's hands in that regard.
8	MR. BARTON: I mean, this is just big
9	enough, why wouldn't you want to be there when it
10	happens?
11	MR. DAILY: Well, that's a very good point.
12	And I think probably at least one of the inspectors of
13	the region probably will be there.
14	MR. BARTON: Will be there.
15	MR. DAILY: Because, you know, we're
16	talking about the reactor vessel. That's the heart of
17	the plant.
18	CHAIRMAN SKILLMAN: We're talking about
19	reactor coolant system pressure boundary protection.
20	DR. HISER: And this would be an atypical
21	evolution, unusual activity.
22	CHAIRMAN SKILLMAN: Well, there have been
23	other utilities in other reactor plants, smaller, that
24	have found a way to cut them out, skin them out, shine
25	them up and put in a new stud and be as good as you can
I	

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	127
1	be, although not as new. And it works, it works very
2	well. People know how to do that.
3	MR. DAILY: And I do believe that, and I
4	would have to defer to Callaway on this, but I do believe
5	that they did have some destructive removals of some of
6	the other studs and were successful in reusing those
7	holes.
8	MR. DAILY: Sure.
9	CHAIRMAN SKILLMAN: So, you know, we have
10	to allow all of those possibilities. We just don't want
11	the status quo to continue. I guess, I think we would
12	be safe in saying that.
13	MR. DAILY: I'm certainly not
14	communicating any thought on my part that the applicant
15	should destroy the lower flange heads, threads in order
16	to do this. There is a way to get the stud out that will
17	not hurt those threads, I understand that.
18	MR. KALIKIAN: Yes, in the past they
19	haven't reused any of these stock studs. So they have
20	always been replaced
21	CHAIRMAN SKILLMAN: Oh yes, I would think
22	the stock stud's got to go.
23	MR. DAILY: Right.
24	MR. KALIKIAN: And their practice has been
25	if they have a flange hole that has some damaged threads,
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	128
1	they make sure the stud has zero damage on it.
2	MR. DAILY: This has been a pretty
3	complicated issue. But I have faith in what the staff
4	is doing and our conclusions. And I think that the
5	applicant is serious about what they are doing. So I'm
6	pretty confident that we are going to be able to come
7	to a successful resolution for this particular stud just
8	like, you know, the others have been.
9	CHAIRMAN SKILLMAN: Okay.
10	MEMBER SCHULTZ: John, the applicant
11	presented earlier the detailed information that they
12	that they had associated with the stud holes, and as a
13	way to justify their choice of the worst conditions, the
14	six worst that they were going to inspect.
15	And I presume that the staff's had an
16	opportunity to review all of that material and conclude
17	that their program for inspection is appropriate. Is
18	that true?
19	MR. KALIKIAN: This is Roger Kalikian
20	again. Yes, those six locations are the worst one.
21	All the other ones have minor damage.
22	MEMBER SCHULTZ: So you're good with the
23	program as it's proposed?
24	MR. KALIKIAN: Yes.
25	MR. DAILY: And I believe that diagram
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	129
1	showing the stud alignment is a diagram that was
2	supplied as one of the responses to our RAIs. Is that
3	
4	MR. KALIKIAN: No, actually that was
5	earlier response. Back when they got stuck, they
6	provided some evaluations to us back in '87.
7	MR. DAILY: '87?
8	MEMBER SCHULTZ: Thank you.
9	CHAIRMAN SKILLMAN: The duration of this
10	small discussion indicates that the concern that the
11	subcommittee has. And so the transcript will show that
12	we are concerned. But I will also offer, I heard the
13	licensee speak the same type of concern. Thank you.
14	Okay.
15	MR. DAILY: Yes sir, you're welcome. Next
16	slide. Open item B2.1.6-1 is related to the
17	applicant's reactor vessel internal's program for
18	pressurized water reactors, or PWRs. This AMP is based
19	upon conformance with both the GALL report AMP and the
20	EPRI report MRP-227A, which again Ameren Missouri had
21	referred to in their presentation.
22	This MRP report provides the PWR industry's
23	recommended inspection and evaluation guidelines for
24	PWR design, reactor vessel internal components, and was
25	endorsed for use by the NRC and the safety evaluation

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	130
1	that the staff produced dated in December of 2011.
2	The scope of the AMP includes the
3	applicant's bases for resolving what are called the
4	applicant/licensee action items that were identified in
5	the NRC safety evaluation and any applicable generic or
6	plant specific operating experience.
7	The safety evaluation contains eight of
8	these action items, one through eight, with action item
9	eight being subdivided further into five separate
10	sub-parts. The applicant's program as originally
11	proposed did not address all of the applicable action
12	items, therefore the staff sought further information.
13	Ameren Missouri's initial action item
14	responses resolved most of the action items with the
15	exception of items 1, 5, 7 and 8 sub-part 5. So four
16	things were left open.
17	The applicant also needed to address the
18	generic clevis insert bolt cracking experience that was
19	identified in another PWR which had occurred in 2010,
20	and to assess whether that operating experience should
21	result in a change to the frequency of it performing its
22	own ASME in-service inspections for the clevis insert
23	bolts at Callaway.
24	We included this clevis insert bolt
25	basically under the umbrella in our reviews of the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	131
1	review for the reactor vessel internals. I noticed the
2	applicant had split it out. It's the same issue, we're
3	just kind of grouping it a little differently.
4	The applicant has resolved the action items
5	that remained open and the clevis insert bolt experience
6	by submitting various RAI responses provided to the
7	staff over the period of May 2013 until the present. So
8	the staff expects to close this particular open item in
9	the final SER and will present it to the ACRS full
10	committee.
11	CHAIRMAN SKILLMAN: Okay, thank you.
12	MR. DAILY: Next slide. Open item
13	B2.1.20-1 is related to Callaway's ASME code Class 1
14	small-bore socket welds. The original application
15	states that Callaway has 19 ASME code Class 1 small-bore
16	piping socket welds less than 4 inches and greater than
17	or equal to one inch nominal pipe size.
18	Based on its experience with previous LRA
19	reviews of similar PWRs, staff noted that this
20	population seemed considerably smaller than the typical
21	quantity of in scope socket welds. Therefore, during
22	the AMP audit, the staff requested the applicant to
23	explain the reason for this low count.
24	The applicant stated that it had recounted
25	the number of socket welds subsequent to submitting the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 application, and now finds 23 Class 1 small-bore socket 2 welds within the scope of the particular AMP. That AMP title is one time inspection of ASME code Class 1 3 4 small-bore piping program. 5 The staff noted that even this new number 6 of 23 still was considerably low based on prior audit 7 experience. Staff continued to pursue the issue of ascertaining a correct number of small-bore socket 8 9 welds at Callaway and issued an RAI requesting a 10 recount. 11 In response to the staff's RAI, the 12 applicant did another recount and revised the number of 13 socket welds this time to 77. In light of these events, population basically going from 19 to 23 to 77, the staff 14 15 also requested a confirmation that similar errors had 16 occurred elsewhere in the not license renewal 17 application. So the staff also noted that at that time 18

the issue had not been entered into the applicant's corrective action program. So the staff issued an RAI to address those items.

In an August 2013 response, the applicant explained that the erroneous counts occurred essentially due to incorrect queries or filters as was described of its database, that it had entered this

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

19

20

21

	133
1	issue into its corrective action program and that as a
2	result of the extent of condition reviews, it had
3	identified one other occurrence of this miscount, and
4	that was with the small-bore butt weld population.
5	The applicant stated that in conducting
6	these thorough re-verifications, it also supplemented
7	the searches with drawing reviews to arrive at final
8	within scope counts of 80 for the small-bore socket
9	welds and 343 for the small-bore butt welds.
10	The staff's concerns therefore were
11	resolved. Staff expects to close this open item in the
12	final SER and will present the item again to the ACRS
13	full committee. Next slide.
14	Moving on now to SER Section 4. This
15	particular section covers the time limited aging
16	analyses or TLAAs. Section 4.1 documents the staff's
17	evaluation of the applicant's identifying of all the
18	applicable TLAAs for its facility.
19	The staff evaluated the applicant's basis
20	for identifying those plan specific or generic analyses
21	that need to be identified and determined that Ameren
22	Missouri has provided an accurate list of TLAAs as
23	required by 10 CFR 54.21 C1.
24	Sections 4.2 through 4.7 document the
25	staff's review of applicable Callaway TLAAs as shown.
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	134
1	Based on its review and the information provided by the
2	applicant, the staff concludes with the exception of one
3	open item that the TLAAs will satisfy one of the three
4	requirements in 10 CFR 54.21C, that is they'll either
5	remain valid for the period of extended operation or
6	they have been successfully projected to the end of the
7	period of extended operation, or as in III, the effects
8	of aging for those intended functions will be adequately
9	managed for the period of extended operation.
10	And so that corresponds to the I, II, and
11	III criteria for TLAAs in the rule. Section 4.3
12	contains the TLAA open item which is 4.3.4-1. And so
13	we'll go to that now here in the next slide. Next slide.
14	Open item 4.3.4-1 is related to the effects
15	of environmentally assisted fatigue on reactor coolant
16	pressure boundary components. This open item is
17	similar to previous open items that the ACRS has seen
18	in past meetings related to environmentally assisted
19	fatigue or EAF.
20	As part of its evaluation of the effects of
21	this on the fatigue life of reactor coolant pressure
22	boundary piping and components, Ameren Missouri
23	performed a review of all the applicable reactor coolant
24	pressure boundary components with a class one fatigue
25	analysis to show that the locations identified in staff

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	135
1	guidance are bounding. And that staff guidance
2	primarily begins with a document called new reg/CR6260.
3	In addition, the applicant stated that it
4	reviewed its components to also identify whether there
5	were also other more limiting plant specific components
6	to be evaluated for EAF.
7	However, the staff identified additional
8	information that was needed on the applicant's approach
9	that it took in its screening of EAF for these reactor
10	coolant pressure boundary components.
11	The applicant stated that it performed a
12	systematic review to determine the locations to be
13	monitored by the fatigue monitoring program. This
14	review involved identifying appropriate locations
15	which need management for environmentally assisted
16	fatigue.
17	However, in justifying its review, Ameren
18	Missouri did not demonstrate that its methodology for
19	identifying these EAF locations was appropriate and
20	conservative for Callaway Unit 1.
21	The staff identified the following types of
22	issues. A, questions in the applicant's underlying
23	assumptions which required additional information
24	about the consistency in the level of rigor for these
25	fatigue calculations, B, questions on how EAF

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

cumulative usage fatigue factors were compared, and C, questions on the validity of comparing EAF across multiple systems and components.

Ameren Missouri's responses in April and August of 2013 provided additional information regarding particular assumptions these and demonstrated that its evaluations for EAF were sufficiently rigorous and appropriate for Callaway.

In addition, it enhanced its fatigue monitoring program to ensure that EAF susceptible locations are updated appropriately and remain bounded consistent with any updated or refined analysis.

Therefore, the staff concludes that the applicant has justified its approach and the locations that require monitoring for environmentally assisted fatigue during the period of extended operation. The staff expects to close this open item in the final SER and will present it to the ACRS full committee. Next slide.

Since the issuance of the SER with open items in April of 2013, several other issues have also arisen in the meantime. And of course we have discussed these in some part, but we'll just kind of go through them here. In these particular cases, the staff issued RAIs to address them for the applicable license renewal

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

	137
1	application reviews and received the following
2	responses.
3	Now we plan on presenting today three of the
4	items in discussion here because they are a little more
5	significant in terms of impact in the scope. The staff
6	is also prepared to discuss any of the other items during
7	the question and answer session if the subcommittee so
8	desires.
9	Two of them, as we had mentioned earlier,
10	are related to new staff, interim staff guidelines that
11	were produced after the SER with open items was issued.
12	One is related to new components which the applicant
13	added to the scope of license renewal in an amendment
14	submitted in August of 2013, which is about four months
15	after the SER was published.
16	These issues and resolutions will be
17	documented in the final SER and presented to the full
18	committee. Next slide.
19	Loss of coating integrity of internal
20	coatings. Based on recent industry operating
21	experience, the staff identified issues related to
22	managing the loss of coating integrity due to
23	blistering, cracking, flaking, peeling, or physical
24	damage of service level three or augmented coatings.
25	In addition to causing obvious degradation
I	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

problems for the components which are internally coated, coating fragments which break free can foul or damage downstream components as well. And that's where the primary concern here is internally, internal coatings.

6 Ameren Missouri responded to the original 7 RAIs and the follow ups providing responses that included such things as the following, revising 8 9 multiple AMPs to include all the internally coated in 10 scope components, incorporating periodic visual 11 inspections for these coatings, incorporating coating 12 acceptance criteria into the relevant programs, establishing personnel qualifications and testing 13 methods consistent with regulatory guide 1.54 which is 14 15 titled the service level 1, 2, and 3 protective coatings 16 applied to nuclear plants.

The staff is reviewing supplemental information in these regard, and expects to close this issue in the final SER. We will be presenting the resolution of course to the ACRS full committee.

21 CHAIRMAN SKILLMAN: John, this new 22 information was communicated in a letter to Dr. Hackett 23 on May 12th.

MR. DAILY: Yes, sir.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

CHAIRMAN SKILLMAN: That doesn't give the

(202) 234-4433

1

2

3

4

5

17

18

19

20

24

25

	139
1	ACRS a whole lot of review time, but I think we're an
2	able crew, and we reviewed this information and we
3	understand what you're saying. But if you're going to
4	have real information for the full committee, we request
5	that we have ample review time, please.
6	MR. DAILY: We do, and we apologize for the
7	late breaking of these informations. We actually were
8	working all the way up until late April in order to even
9	make a decision as to whether everything was sufficient
10	to go forward with the subcommittee.
11	And as project manager, I was trying to push
12	folks along towards that but understanding the safety,
13	you know, we still need it. But we know that this was
14	a short turnaround. And we do apologize for that.
15	CHAIRMAN SKILLMAN: Thank you.
16	MR. LUBINSKI: Excuse me, Mr. Chairman.
17	If I could just ask
18	CHAIRMAN SKILLMAN: Sure.
19	MR. LUBINSKI: To make sure that we meet
20	the needs for the ACRS moving forward. These will all
21	be addressed in the final SERs, as John said, that will
22	be provided. Normally we provide that a month in
23	advance of the meeting.
24	MR. DAILY: Thirty days.
25	MR. LUBINSKI: Would you be requesting
ļ	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	140
1	additional time?
2	CHAIRMAN SKILLMAN: No.
3	MR. LUBINSKI: Or is 30 days sufficient?
4	There you go, thank you.
5	CHAIRMAN SKILLMAN: Yes, yes. Let's keep
6	it 30 days or more.
7	MR. LUBINSKI: Thank you.
8	CHAIRMAN SKILLMAN: Thank you. Okay.
9	MR. DAILY: Next slide. Internal
10	surfaces corrosion and corrosion under insulation.
11	Based on recent operating experience and staff reviews,
12	the staff identified several issues which existing
13	guidance at the time did not cover related to aging
14	management of internal surfaces of components and
15	atmospheric storage tanks.
16	Some examples include things like the
17	following, recurring internal corrosion, flow
18	blockages whether from corrosion, silt buildup, or
19	other mechanisms in fire water system piping, corrosion
20	underneath insulation, and degradation of tanks and
21	coatings near atmospheric pressure tanks.
22	This was all covered then in license
23	renewal interim staff guideline 2012-02, and this was
24	issued in November of 2013 to containing the updated
25	staff guidance and details. So the staff issued RAIs
I	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	141
1	to all of our current applicants as applicable,
2	including Ameren Missouri in order to address these
3	issues from the ISG.
4	Callaway responded to the original and the
5	follow up RAIs in addressing the staff concerns, and
6	included such items or examples as the following, which
7	we see up here on the slide.
8	They added several tests and inspections
9	for detecting internal corrosion and flow blockages,
10	they augmented tests and inspections for wetted but
11	normally dry piping which cannot be easily drained.
12	And of course this is one, kind of the fire water system
13	that can be particularly problematic, especially as
14	you've eluded to, when you've got river water as your
15	source of water supply.
16	In addition to, they're also going to be
17	incorporating periodic inspections of the fire water
18	system tank coatings and the base material of that tank
19	if that tank based material has been exposed.
20	Its added and revised periodic inspections
21	of outdoor insulated and indoor insulated components
22	that are operated below the dew point, and having
23	sampling locations based upon the likelihood of
24	corrosion underneath insulation occurring.
25	Also, several AMPs were modified or
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

	142
1	enhanced to incorporate items resolving staff concerns.
2	This actually touched several aging management
3	programs, and I think was a pretty extensive review, you
4	know, based on our experience that we've had from
5	applicants in responding to these RAIs.
6	The staff is reviewing all the applicant's
7	responses and we expect to close this issue in the final
8	SER. We will also be presenting this to the full
9	committee in the fall.
10	MR. BARTON: John, a question that this
11	brings up. The water that's in the fire water storage
12	tank, is that river water? Is that water that's been
13	treated once it came in before it's pumped into the fire
14	water storage tank?
15	MR. DAILY: It might be best to let Ameren
16	speak to that.
17	MR. BARTON: I'm not asking, I'm asking
18	just for whoever knows the answer.
19	MR. DAILY: Okay.
20	MR. EITEL: Lee Eitel, Supervising
21	Engineer, Systems Engineering. The water comes from a
22	well, it does not come from the river. It's in the fire
23	water system.
24	MR. BARTON: All right, thank you.
25	MR. DAILY: So from a deep well, okay. Any
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	143
1	other questions then on this issue?
2	CHAIRMAN SKILLMAN: Yes. May I ask you to
3	please come back to the microphone? What do we know of
4	the chemistry of the water from that well, please.
5	MR.EITEL: The water does have some levels
6	of mineral deposits. If I can refer to my colleague
7	here, Joe Howard.
8	MR. HOWARD: Joe Howard, Chemistry
9	Supervising Engineer. It is typical well water for
10	mid-Missouri. It has some iron content, which is the
11	predominant issue that we've had. It's got about one
12	ppm iron content. It also has some minimal content for
13	calcium carbonate and magnesium.
14	CHAIRMAN SKILLMAN: Thank you. Okay,
15	please proceed. Thank you, John.
16	MR. DAILY: Thank you. Next slide.
17	Inspection of submerged bolting. The applicant's
18	license amendment number 26, which was submitted to the
19	staff in August of 2013, added AMR line items for
20	submerged carbon steel and stainless steel closure
21	bolting associated with pumps in the central service
22	water, service water, emergency diesel engine fuel oil
23	storage and transfer pumps, the oily waste, and the
24	floor and equipment drain systems.
25	The applicant stated that the bolting is

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433
	144
1 managed for loss of material and loss of	pre-load.
2 Given the inaccessibility of the normally	submerged
3 bolted connections, it was not clear to the	staff what
4 parameters would be monitored, what	inspection
5 techniques would be used, and/or the freque	ency of the
6 inspections that would be used to detect agi	.ng effects
7 on these bolts.	
8 So we issued some RAIs in order	to clarify
9 these concerns. Ameren Missouri respond	ed to the
10 staff's RAIs most recently in April of this	year. The
11 RAI responses include adding in the inspectio	ons of bolt
12 heads during dewatering of the environment,	inspection
13 of the bolt threads during disassembly and ma	intenance,
14 and monitoring of pump performance.	
15 Pending completion of the revie	ws of this
16 information, the staff expects to resolve the	is issue in
17 the final SER and will be presenting it to the	e ACRS full
18 committee.	
19 The staff's conclusion will be p	provided in
20 the final safety evaluation report at the con	clusion of
21 staff evaluations, which as we had mention	ned we are
22 targeting for September of this year. Pe	ending the
23 satisfactory resolution of the open items,	the staff
24 will be able to determine whether the requi	rements of
25 10 CFR 54.29A have been acceptably met for t	the renewal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	145				
1	of Callaway plant Unit 1.				
2	This concludes now the written portion of				
3	our staff presentation. So now we'll be available for				
4	any further questions from the subcommittee.				
5	CHAIRMAN SKILLMAN: John, let me ask this				
6	key question relative to schedule. What confidence do				
7	you have that you will have your SER completed timely?				
8	MR. DAILY: I'm pretty confident right				
9	now, Mr. Skillman because we already have a lot of our				
10	SER input written. Now there's other reviews, you				
11	know, there's an assembly that takes place.				
12	But one of the reasons why we've set it up				
13	the way we have is in order to give us, you know, to give				
14	me some assurance basically as the schedule developer				
15	that we can get there. And I believe we can.				
16	CHAIRMAN SKILLMAN: Thank you.				
17	Appreciate your input. To my colleagues around the				
18	table, gentlemen, does any of you have a comment or				
19	question, please?				
20	MEMBER SCHULTZ: Yes, I have a comment both				
21	of the staff and for the applicant. Appreciate the				
22	presentations by the staff. And I particularly wanted				
23	to remark on the information that we heard but is also				
24	provided to us related to the inspections and audits.				
25	I think the report we've heard was very				
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433				

helpful today, but also the overall program review clearly has gained a high degree of credibility associated with the audits and the inspections that the staff has done, that the region has done, associated with this program.

That, in combination with the comprehensive technical review by the staff has really brought this overall program together. You know, a lot of good information was gained by both parts of that process, the comprehensive review of the technical review, in combination with the audit inspection. So I think that speaks well to the thoroughness of the overall review.

And then I just wanted to come back and 14 15 comment to the applicant that Dave Neterer's remarks and 16 his conclusions, really did appreciate his remarks that 17 this overall program for license renewal and what they 18 have done associated with aging management as a learning 19 organization, that that has really helped them to bring 20 together programmatically in a way to integrate the 21 overall programs that the site already has ongoing, that 22 that's been an opportunity for you to really provide a 23 learning experience for the site, to think about the site not only as a 40 year plant, but a 60 year program, 24 25 and that involving the management, training the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

(202) 234-4433

	147					
1	personnel.					
2	And we've seen today a very comprehensive					
3	and thorough presentation by the applicant about their					
4	lessons learned associated with this program. So I					
5	appreciated that overview, as well as the details that					
6	we've learned today. Thank you.					
7	CHAIRMAN SKILLMAN: Thank you, Steve.					
8	John?					
9	MEMBER STETKAR: I would like to echo some					
10	things that Steve said. And I apologize, I had to duck					
11	out for another meeting, so I missed the first part of					
12	the staff's presentation.					
13	But as I read through the SER and the					
14	inspection audit reports, I think the staff did a really					
15	good job on this one. It seemed to be one that was a					
16	bit more challenging in the sense of interactions					
17	compared to several others that I've seen over the last					
18	six, seven years.					
19	And I think you did a really, really good					
20	job on tracking down issues and making sure that they					
21	were closed out to your satisfaction. So I would just					
22	like to add that.					
23	MR. DAILY: This truly is a big team					
24	effort. And on behalf of the staff team, I'm sure John					
25	would echo, they all appreciate that. We do appreciate					
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433					

	148					
1	that. But it is a team effort. There's so much that					
2	goes into it.					
3	CHAIRMAN SKILLMAN: Thank you. John					
4	Barton?					
5	MR. BARTON: For all the information that					
6	I received, including all the stuff from our last					
7	meeting which we didn't have, and all the material that					
8	Kent's been sending me over the past year window, and					
9	the presentations that I heard today, I have no concerns					
10	about proceeding with license extension at this point					
11	from what I heard, from where I am.					
12	CHAIRMAN SKILLMAN: Thank you, John.					
13	Ron?					
14	MEMBER BALLINGER: Great presentation.					
15	I'm going to try to follow with interest the corrosion					
16	issues related to the service water piping systems and					
17	things.					
18	CHAIRMAN SKILLMAN: I thank you very much,					
19	both to the staff and to the licensee for a couple of					
20	things, the comprehensiveness of the review, the					
21	thoroughness of the presentation. It is clear that the					
22	applicant spent a lot of dry run time preparing for this.					
23	Thank you.					
24	And I particularly appreciate the					
25	precision of the answers. I also appreciate the					
I	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433					

1 thoroughness of Mr. Pick's review, that's the 71001 and 2 the 71003 review. That I found very enlightening the degree to which his team detailed every piece of that 3 4 review, so I give them a commendation. It was really 5 good. 6 So thank you to each of you. Let me now 7 communicate that the bridge line is open. And is there anyone on the bridge line that would like to make a 8 9 comment, please? If anyone is on the bridge line, would you please identify yourself? 10 11 Thank you. If any members of the public or 12 anyone in the audience, would you like to make a 13 statement or a comment, please? 14 MR. LUBINSKI: Mr. Chairman, if I may. 15 CHAIRMAN SKILLMAN: Yes sir, John. 16 MR. LUBINSKI: I just want to thank the 17 subcommittee for the comments that you made in closing 18 Appreciate it. And I will echo what John Daily here. 19 said is from the NRC standpoint, it's definitely been 20 a team effort. 21 And as you mentioned, the region is also 22 part of that team. And we appreciate their inspections 23 and the coordination as well. And the team is not just 24 in the division of license renewal, it's across the 25 entire NRC. So I echo John's comment. My compliments

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	150
1	to them and my thanks to them, and thank you for your
2	recognition.
3	CHAIRMAN SKILLMAN: Okay. To all, thank
4	you very much. Safe travels and safe holiday. We're
5	adjourned.
6	(Whereupon, the meeting in the
7	above-entitled matter was concluded at 4:40 p.m.)
8	
9	
10	
11	
12	
13	
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

Callaway Plant Unit 1 ACRS Subcommittee Meeting – License Renewal



05/22/2014



Dave Neterer Site Vice President

05/22/2014

Plant History and Background



REPRESENTING CALLAWAY PLANT

- Dave Neterer Site Vice President
- Sarah Kovaleski Director, Design Engineering
- Roger Wink Supervising Engineer, Plant Life Extension
- Andrew Burgess Project Engineer, Plant Life Extension
- Michael Hoehn II Supervising Engineer, Engineering Programs
- Eric Blocher Project Manager, STARS Alliance



PERSONNEL IN ATTENDANCE

Operations Fred Bianco

Steam Generators & RVI Kenneth W. Blair Jr.

NFPA 805/Fire Protection/PRA

Mike Fletcher Lee Eitel Justin Hiller

Reactor Head Studs

David Gross

Buried Piping and Coatings Justin Stollhans Engineering Programs Greg Kremer

Electric Cable & Cathodic Protection Ken Sandstedt Neil Fisher

> STARS Alliance Tony Harris Jim Johnson Ken Bryant

Chemistry Joe Howard

Civil/Structural

Landon Bodenschatz

LR Team Sharon Merciel Dave Shafer

Inservice Inspection

Jerry Doughty

Open Cycle Cooling Systems Tarang Parashar Metal Fatigue/TLAA

Dave Gerber

Flow Accelerated Corrosion Jeremy Claunch



AGENDA

- Plant History and Background
- Major Modifications and Near Term Plant Improvements
- License Renewal Application
- Safety Evaluation Report Open Items
- Concluding Remarks



PLANT HISTORY AND BACKGROUND

- Initial Construction Permit April 16, 1976
- Operating License October 18,1984
- Generation output:
 - Licensed output is 3,565 MWth
 - Rated output is 3,579 MWth
- Refueling Outage 20 begins October 2014



PLANT OVERVIEW – BASIC DESCRIPTION

- Callaway Unit 1 is situated on a 7,354 acre site, with the power plant site area containing approximately 2,765 rural acres on a plateau ~300 feet above the Missouri River (located 5 miles south)
- Callaway is a single unit Westinghouse 4-loop PWR
- Bechtel was the Primary A/E
- Daniel International was the constructor
- SNUPPS design (sister plant to Wolf Creek)



CALLAWAY PLANT UNIT 1- PLANT SITE





CALLAWAY PLANT UNIT 1- RIVER INTAKE STRUCTURE





LOCATION OF PLANT SITE



MISSOUR



Roger Wink Supervising Engineer, License Renewal

05/22/2014

Major Modifications and Near Term Plant Improvements



MAJOR MODIFICATIONS COMPLETED

- Replaced Main Condenser tube bundles (2004) *
- Replaced Steam Generators (2005)
- Pressurizer PWSCC-Resistant Full Structural Weld Overlays (2007)
- Replaced ~5 miles of Cooling Tower Blowdown Piping with High Density Polyethylene (HDPE) (2008)*
- Majority of buried Essential Service Water (ESW) piping was replaced with safety related HDPE piping (2008 to 2009)
- Replaced all Emergency Diesel Generator heat exchangers (2010 to 2011)
- Installed electrical cable manhole sump pumps (2013)
- Replaced ~3400 feet of small bore ESW system carbon steel piping with corrosion resistant material
- Replaced all containment coolers and 5 of 11 safety related room coolers



*not in LR scope

NEAR TERM PLANT IMPROVEMENTS

Refueling Outage 20 (October 2014)

- Reactor Vessel Head Replacement
- Replacing 'A' Train Motor Driven Auxiliary Feedwater Pump room cooler

<u>2015 & 2016</u>

- Cathodic Protection System Modification
- PWSCC mitigation of reactor vessel nozzle and bottom mounted instrumentation tubes
- Replacing 'B' Train Motor Driven Auxiliary Feedwater Pump room cooler
- Independent Spent Fuel Storage Installation



Sarah Kovaleski Director, Design Engineering

05/22/2014

License Renewal Application



LICENSE RENEWAL APPLICATION – PROJECT

- Application Development
 - Callaway License Renewal Team active since 2007
 - Callaway Program Owners and Subject Matter Expert ownership
 - Fifth STARS License Renewal Application prepared as part of STARS Alliance
- Industry Interaction
 - NEI Working Group Involvement
 - Industry Peer Review Process
 - Incorporated Industry Lessons Learned



LICENSE RENEWAL APPLICATION - DETAILS

- Application Details
 - Application submitted on December 15, 2011
 - Developed using NUREG-1801 (GALL) Revision 2
 - Incorporated 8 License Renewal Interim Staff Guidance documents
 - 42 Aging Management Programs
 - 3919 Aging Management Review (AMR) lines
 - 98.8% consistent with GALL
- License Renewal Commitments
 - Included in FSAR Supplement (Appendix A of LRA)
 - Will be managed by Callaway Commitment Tracking System consistent with NEI 99-04 Guidelines
 - Total of 46 commitments
 - 34 associated with aging management programs (AMPs)
 - 11 commitments completed/closed



AGING MANAGEMENT PROGRAM (AMP) SUMMARY

42 AMPs Evaluated

	Plant	Consistent	With	With	With
	Specific	with GALL	Exception	Enhancement	Exception &
					Enhancement
Existing					
32	0	15	1	14	2
New					
10	0	8	2	0	0

Total of 16 enhancements and 5 exceptions.



IMPLEMENTATION & SUSTAINABILITY

- Designated Program Owners and License Renewal Staff
- Participation in NEI License Renewal Implementation Working Group
- Benchmarking others in the Industry
- Leveraging STARS Alliance knowledge and experience
 - Self-assessments
 - Audits
 - Share Operating Experience
- Implementation of LR-ISG-2011-05 for ongoing review of operating experience



SAFETY EVALUATION REPORT (SER) – OPEN ITEMS

- Callaway SER contains 5 Open Items
 - Scoping of Fire Protection SSCs/NFPA 805
 - Reactor Head Closure Studs
 - Materials Reliability Program (MRP)-227-A Report Applicant/Licensee Action Items (A/LAIs)
 - ASME Code Class 1 Small-Bore Socket Welds
 - Effects of the Reactor Coolant System Environment on Fatigue Life of Piping and Components
- Other issues that arose after the SER with Open Items
 - LR-ISG-2012-02, Aging Management of Internal Surfaces, Fire Water Systems, Atmospheric Storage Tanks, and Corrosion Under Insulation
 - Draft LR-ISG-2013-01, Aging Management of Loss of Coating Integrity for Internal Service Level III (Augmented) Coatings
 - Submerged Bolting



SER– OPEN ITEM 2.3.3.20-1 Scoping of Fire Protection SSCs

- Topic (Part 1)
 - Provide justification for excluding portions of the Turbine Building from the scope of LR
- Resolution
 - Fire suppression systems added to LR scope:
 - Auxiliary Boiler Room
 - Turbine Building Various Locations
 - Turbine Bearings
- Considerations
 - Auxiliary Boiler Room suppression system was subsequently removed from scope by NFPA 805
- Status
 - Submitted



SER– OPEN ITEM 2.3.3.20-1 Scoping of Fire Protection SSCs

Topic (Part 2)

 Discuss the changes associated to the LR scope that will occur with the NFPA 805 transition and provide a gap analysis

Resolution

- LRA Amendment updated the LR scope to be consistent with NFPA 805
- A Gap Analysis was provided which described the changes to the LRA based on components added/removed from Fire Protection Program scope as a result of the transition to NFPA 805

Considerations

 The NRC approved the NFPA 805 amendment for Callaway on January 13, 2014

Status

- Submitted



SER- OPEN ITEM B2.1.3-1 REACTOR HEAD CLOSURE STUDS

Topic

 Program may not be adequate to detect future wear, loss of materials, or assure that allowable stresses are not exceeded during the PEO

Resolution

- Commitments made to:
 - Remove Stud #18 prior to PEO
 - Inspect stud holes (6) with previous thread damage prior to PEO
- Considerations
 - There have been no RPV stud issues since 1996
 - Stud #18 is fully tensioned & proof tested each cycle in the tensioning process

Status



CALLAWAY REACTOR VESSEL STUD #18

- Fall, 1996 (Refuel 8) Stud #18 became stuck 2.625" withdrawn during installation.
- The cause for Stud #18 becoming stuck is debris in the stud hole.
- Current thread engagement: 6.505".
- Minimum required thread engagement based on ASME Section III, Division 1 – Subsection NB is 5.54".
- Stud #18 is fully tensioned and proof tested each cycle.
- We have committed to remove and inspect stud hole prior to PEO (LRA Commitment 41).





Topic

 A/LAI No. 1, Demonstrate that the MRP-227-A bases and assumptions are applicable and bounding for the design of Callaway Reactor Vessel Internal components

Resolution

- MRP-191 & MRP-227-A are directly applicable to Callaway
- NSSS supplier verified all RVI components, as applicable for the design, are included directly in the MRP-191 component lists

Considerations

- Callaway is consistent with MRP-2013-025 atypical fuel design parameters
- Core design procedures revised to include MRP-2013-025 parameters
- Plant Specific material fabrication and design are consistent with MRP-191 for cold-worked materials.

Status:



Topic

 A/LAI No. 5, Define physical measurement techniques that will be used to determine Reactor Vessel Internals hold-down spring height

Resolution

- Callaway Reactor Vessel Internals hold-down spring is fabricated with type 403 stainless steel that is not subject to stress relaxation
- Considerations
 - MRP-227-A physical measurements specifically apply to type 304 stainless steel hold-down springs

Status



Topic

 A/LAI No. 7, Determine if inspections for loss of fracture toughness due to thermal & irradiation embrittlement apply to Reactor Vessel Internals components fabricated from cast austenitic stainless steel (CASS), martensitic stainless steel, or precipitation hardened, martensitic stainless steel

Resolution

- MRP-191 & MRP-227-A are directly applicable to Callaway.
- No additional components were identified for Callaway

Considerations

- Callaway has two Reactor Vessel Internals CASS component groups:
 - Bottom mounted instrument column cruciforms
 - One offset instrument column cruciform bolted to the underside of the lower core plate

Status





Topic

 A/LAI No. 8, Item (5), Address those Cumulative Usage Factor (CUF) analyses for RVI components that are TLAAs for the impact of reactor coolant on metal fatigue

Resolution

 The fatigue monitoring program will evaluate the effects of the reactor coolant system water environment on the RVI components with existing fatigue CUF analyses

Status



SER– OPEN ITEM B2.1.20-1 ASME CODE CLASS 1 SMALL-BORE SOCKET WELDS

Topic

– Number of ASME Code Class 1 Small-Bore Socket Welds in LR scope

Resolution

- Original count did not include welds on 1" piping
 - 1" weld exams not required for ISI Program
- Detailed recount performed with independent verification of results by ISI Program Owner to confirm final population of in scope socket welds
- ISI database updated to identify small bore socket welds in the scope of this AMP

Considerations

- Extent of Condition review performed
 - Confirmed ASME Code Class 1 Small-Bore Butt Weld population
- Status
 - Resolved



SER- OPEN ITEM 4.3.4-1 EFFECTS OF THE RCS ENVIRONMENT ON FATIGUE LIFE OF PIPING AND COMPONENTS

Topic

 Justify the ranking and comparison used to determine that "sentinel" locations were appropriate for Callaway.

Resolution

- Same fatigue curve for each material was used for the analyses
- The analyses have been performed using the same level of rigor
- Any transient lumping used in the various analyses have not skewed the screening and ranking results
- The comparison of Cumulative Usage Factors across multiple zones is valid

Considerations

 Revised CUF and F_{en} screening process to not allow: One material in a Thermal Zone to bound other materials in the same Thermal Zone and one material in a Thermal Zone to bound other materials in another Thermal Zone

Status

- Resolved


Topic

 Address similarity of Callaway design to reported failures at one domestic Westinghouse-designed PWR in 2010

Resolution

- Clevis insert assembly geometry differs from design of plant with failures
- Materials used are similar
- Multiple inspections showed no degradation or damage
- Existing ASME Section XI Inservice Inspection program is capable of detecting cracking

Status

Submitted



- Topic
 - Aging Management of Internal Surfaces, Fire Water Systems, Atmospheric Storage Tanks, and Corrosion Under Insulation

Resolution

- Plant specific operating experience was reviewed & confirmed the need for additional aging management of recurring internal corrosion in raw water environments
- Fire Water AMP will be consistent with NFPA 25 requirements
- Aboveground Metallic Tanks AMP revised to be consistent with ISG criteria
 - Fire Water Storage Tanks now managed by Fire Water AMP
- Outdoor insulated components & indoor insulated components exposed to condensation will have insulation removed to inspect for external surface degradation

Status



– Submitted

ISSUES SINCE SER W/ OPEN ITEMS – DRAFT LR-ISG-2013-01

Topic

Loss of Coating Integrity for Service Level III and Other Coatings

Resolution

- Visually inspect in-scope coatings installed on accessible interior surfaces
- Coatings with no degradation or with cracking/flaking evaluated as acceptable, will have inspections performed every six years
- Coatings with blisters, peeling, delaminations or rusting determined not to require remediation, will have inspections performed every four years
- Training & qualification in accordance with ASTM Standards endorsed in RG 1.54 including supplemental staff guidance

Considerations

 Scope: 6 heat exchangers, 5 strainers, 2 tanks, Circulating & Service Water pipe

Status



– Submitted

ISSUES SINCE SER W/ OPEN ITEMS – SUBMERGED BOLTING

Topic

 Method of detecting loss of material & loss of preload in submerged bolting

Resolution

- ESW pumps stainless steel bolts inspected on a 6 year sample basis & tested quarterly for pump pressure/flow/vibration
- Emergency Diesel Generator fuel oil transfer pump bolts inspected on a 10 year sample basis and tested periodically for pump pressure/flow
- Service water pump bolting is replaced during pump refurbishment (6 year basis)
- Waste water pump bolting inspected on a 6 year sample basis, visually inspected opportunistically during maintenance, & functionality verified each shift during operator rounds

Status

- Submitted



CONCLUDING REMARKS

In anticipation of extended operation, Ameren Missouri has:

- Improved our Operating Experience program to identify, learn from, and share information on plant aging
- Invested in plant hardening initiatives
- Selected plant modifications for safe, extended operations



COMMENTS AND QUESTIONS?







United States Nuclear Regulatory Commission

Protecting People and the Environment

Advisory Committee on Reactor Safeguards License Renewal Subcommittee Callaway Plant, Unit 1 Safety Evaluation Report (SER) with Open Items May 22, 2014

> John Daily, Sr. Project Manager Office of Nuclear Reactor Regulation



Presentation Outline

- Overview of Callaway license renewal review
- Region IV License Renewal Onsite Inspection
- SER Section 2, Scoping and Screening Review
- SER Section 3, Aging Management Review
- SER Section 4, Time-Limited Aging Analyses
- Issues that arose after the SER with Open Items





- License Renewal Application (LRA) submitted December 15, 2011
 - Applicant: Union Electric Company (Ameren Missouri)
 - Facility Operating License Nos. NPF-30
 - Current License Expiration Date: October 18, 2024
- Approximately 25 miles east-northeast of Jefferson City, Missouri
- PWR (Westinghouse) with a carbon steel-lined, concrete structure containment



Audits and Inspections

- Scoping and Screening Methodology Audit
 - April 16-19, 2012
- Aging Management Program (AMP) Audit
 - April 30-May 10, 2012
- Environmental Audit
 - May 22-24, 2012
- Region IV Inspection (Scoping and Screening & AMPs)
 - September 10-November 7, 2012



Overview (SER)

- Safety Evaluation Report (SER) with Open Items issued April 23, 2013
- Callaway SER contains 5 Open Items (OIs):
 - Scoping of Fire Protection SSCs
 - Reactor Head Closure Studs
 - PWR Vessel Internals Program Applicant/Licensee Action Items (A/LAIs)
 - ASME Code Class 1 Small-Bore Socket Welds
 - Environmentally Assisted Fatigue on the Reactor Coolant Pressure Boundary
- Other issues arose after the SEROI was issued
 - Related to recently-issued LR-ISGs and some recently-added SSCs
- The final SER is scheduled for September 2014



Regional Inspections

Overview

Five inspectors for 2 weeks

Scoping inspection

> Aging management programs inspection



Regional Inspections

Inspection Results

- Condensate Storage Tank: Lack of thread engagement for some accessible CST anchor bolts
- Cathodic protection for buried piping: Needs upgrade to be consistent with GALL Report recommendations
- Emergency fuel oil storage tank: Coating blisters not adequately tracked/managed
- Buried piping procedures: Improper exams, insufficient guidance in several cases
- The applicant initiated plans and corrective actions to address these items



Regional Inspections

Inspection Conclusions

- Scoping of non-safety SSCs and application of the AMPs to those SSCs were acceptable
- Reasonable assurance exists that aging effects will be managed and intended functions maintained



SER Section 2 Summary

Structures and Components Subject to Aging Management Review

• Section 2.1, Scoping and Screening Methodology

• Section 2.2, Plant-Level Scoping Results

• Sections 2.3, 2.4, 2.5 Scoping and Screening Results



SER Section 2 Open Item

Open Item 2.3.3.20-1: Scoping of Fire Protection SSCs

- Issue:
 - Some SSCs incorrectly omitted from Scope
 - Changes to LRA due to NFPA 805 Amendment request unclear
- Applicant added SSCs back into scope
- Applicant provided gap analysis details for NFPA 805 impacts
 - Responses were over the period April 2013 April 2014
- Staff expects to close this OI in final SER and will present to the ACRS full committee



Section 3: Aging Management Review

- Section 3.0 Aging Management Programs
- Section 3.1 Reactor Vessel & Internals
- Section 3.2 Engineered Safety Features
- Section 3.3 Auxiliary Systems
- Section 3.4 Steam and Power Conversion System
- Section 3.5 Containments, Structures and Component Supports
- Section 3.6 Electrical and Instrumentation and Controls System



SER Section 3

3.0.3 – Aging Management Programs

- 42 Aging Management Programs (AMPs) presented by applicant and evaluated in the SER
 - 32 existing AMPs, 10 new AMPs
 - 23 AMPs consistent with the GALL Report (i.e., without enhancements and/or exceptions)
 - 19 AMPs consistent with enhancements and/or exceptions
 - No plant-specific AMPs



C SER Section 3 Open Items

Open Item B2.1.3-1: Reactor Head Closure Studs

- Issue:
 - Thread damage in 10 RV flange hole locations out of 54
 - One closure stud stuck partially inserted since 1996
- Applicant proposed 2 commitments to resolve:
 - to inspect flange holes with worst thread damage
 - to remove stuck stud
- Staff finds the changes to the program acceptable
 - Staff will consider whether to use a license condition
- Staff expects to close this OI in the final SER and will present to the ACRS full committee



RC SER Section 3 Open Items

Open Item B2.1.6-1: Reactor Vessel Internals (PWR)

- Issue: Complete responses to MRP 227-A needed
 - Applicant/Licensee Action Items not complete
 - Address clevis insert bolts Operating Experience
- Applicant initially proposed to address before PEO:
 - Applicant has agreed to address in LRA and has provided additional information
- Staff expects to close this OI in the final SER and will present to the ACRS full committee



RC SER Section 3 Open Items

Open Item B2.1.20-1: ASME Code Class 1 Small-Bore Socket Welds

- Issue: Large discrepancy among successive population counts of small-bore socket welds
 - Also confirmation that counting errors not encountered elsewhere
- Applicant conducted several counts, eventually confirming
 - 80 small-bore socket welds
 - 343 small-bore butt welds
- Staff expects to close this OI in the final SER and will present to the ACRS full committee



SER Section 4: TLAA

- 4.1 Identification of TLAAs
- 4.2 Reactor Vessel Neutron Embrittlement Analysis
- 4.3 Metal Fatigue
- 4.4 Environmental Qualification of Electric Equipment
- 4.5 Concrete Containment Tendon Prestress
 Analyses
- 4.6 Containment Liner Plate, Metal Containments, and Penetration Fatigue Analyses
- 4.7 Other Plant-Specific TLAAs



RC SER Section 4 Open Item

Open Item 4.3.4-1: Environmentally Assisted Fatigue (EAF) in Reactor Coolant Pressure Boundary components

- Issue: Staff identified questions on methodology
 - Underlying assumptions
 - How various EAFs were compared
 - Validity of comparing EAF for multiple systems/components
- Applicant supplied additional information in April 2013 and August 2013 responses
- Staff expects to close this OI in the final SER and will present to the ACRS full committee



Issues Identified Since SER with Open Items

Several issues arose between issuance of the SER with Open Items and this ACRS Subcommittee meeting.

Staff issued RAIs to address these and received responses.

The issues and resolutions will be documented in the final SER and presented to the ACRS full committee.



Loss of Coating Integrity – Internal Coatings

Loss of coating integrity of internal coatings

- Can expose the base material and foul downstream components
- Applicant Response
 - Revised multiple AMPs
 - Incorporated periodic inspections of internal coatings
 - Added acceptance criteria for coatings
 - Clarified personnel training
- Staff is reviewing supplemental information from the applicant and expects to close this in the final SER.
- Resolution will be presented to the ACRS full committee



Internal Surfaces Corrosion and Corrosion under Insulation

Recurring internal corrosion, flow blockages in fire water systems, corrosion under insulation...

- Issues arising in recent OE, not addressed by (then) existing staff guidance
- Response included (examples):
 - Additional/augmented tests/inspections for fire water systems
 - Tests/inspections for flow blockages of wetted piping
 - Periodic inspections of outdoor insulated and indoor insulated components
- Staff is reviewing applicant submittals and expects to close the issue in the final SER
- Resolution will be presented to the ACRS full committee



Inspection of Submerged Bolting

Bolting associated with submerged pumps and normally inaccessible for inspection

- LRA amendment added bolting on submerged pumps in several systems
 - Staff concerns regarding parameters monitored, inspection methods, and inspection frequencies
- Applicant response
 - Condition monitoring of bolt heads when accessible during dewatering, and of threads during disassembly
 - Performance monitoring of associated pumps
- Staff is reviewing applicant submittals and expects to close the issue in the final SER
- Resolution will be presented to the ACRS full committee



Conclusion

Pending satisfactory resolution of the open items, the staff will render its decision in the final SER on meeting the requirements of 10 CFR 54.29(a) for the license renewal of Callaway Plant Unit 1