

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: 616th Meeting of the Advisory Committee on
Reactor Safeguards (ACRS)

Docket Number: (n/a)

Location: Rockville, Maryland

Date: July 10, 2014

Work Order No.: NRC-899

Pages 1-194

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
616TH MEETING
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
(ACRS)
+ + + + +
THURSDAY
JULY 10, 2014
+ + + + +
ROCKVILLE, MARYLAND
+ + + + +

The Advisory Committee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B1, 11545 Rockville Pike, at 8:30 a.m., John W.
Stetkar, Chairman, presiding.

COMMITTEE MEMBERS:

JOHN W. STETKAR, Chairman
HAROLD B. RAY, Vice Chairman
DENNIS C. BLEY, Member-at-Large
RONALD BALLINGER, Member
SANJOY BANERJEE, Member
CHARLES H. BROWN, JR., Member
MICHAEL L. CORRADINI, Member
DANA A. POWERS, Member

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

JOY REMPE, Member
PETER RICCARDELLA, Member
MICHAEL T. RYAN, Member
STEPHEN P. SCHULTZ, Member
GORDON R. SKILLMAN, Member

DESIGNATED FEDERAL OFFICIALS:

KENT HOWARD
JOHN LAI
MIKE SNODDERLY

P R O C E E D I N G S

8:31 a.m.

CHAIRMAN STETKAR: The meeting will now come to order. This is the second day of the 616th meeting of the Advisory Committee on Reactor Safeguards.

During today's meeting the Committee will consider the following; revisions to Chapter 19 and Section 17.4 of the Standard Review Plan; Lessons Learned from the San Onofre steam generator tube degradation event; NRC Staff activities regarding consolidation of rulemakings associated with Near Term Task Force Recommendations 4, 7, 8, 9.1, 9.2, and 9.3; and preparation of ACRS reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. John Lai is the Designated Federal Official for the initial portion of the meeting.

Portions of the session on Revisions to Chapter 19 and Section 17.4 of the Standard Review Plan may be closed in order to discuss and protect unclassified safeguards information.

We have received no written comments or requests to make oral statements from members of the public regarding today's session.

1 There will be a phone bridge line. To
2 preclude interruption of the meeting the phone will be
3 placed in a listen-in mode during the presentations
4 and Committee discussion. And I would ask everyone in
5 the room to check your cell phones and so forth to
6 make sure they're off.

7 A transcript of portions of the meeting is
8 being kept and it is requested that the speakers use
9 one of the microphones, identify themselves, and speak
10 with sufficient clarity and volume so that they can be
11 readily heard.

12 The first topic on our agenda is revisions
13 to the Standard Review Plan, and I'll lead that
14 section. A couple of brief introductory remarks.

15 First of all, this section of the meeting
16 was noticed as being possibly closed. I believe that
17 the Staff's presentation is all open material. Is that
18 correct? The reason we noticed it's possibly closed,
19 we could get into areas on aircraft crash analysis and
20 loss of large areas of the plant. I don't think we're
21 going to do that, but if we should delve into that,
22 I'll ask the Staff just to let me know and we can
23 close the meeting if we sway too far away.

24 A point of introduction. The ACRS doesn't
25 typically review or have interactions with the Staff

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on the Standard Review Plan itself. We do review
2 routinely Regulatory Guides, and we review Interim
3 Staff Guidance on a case-by-case basis. We don't
4 typically get involved with the Standard Review Plan
5 itself.

6 We thought at least at the Subcommittee
7 level, we had a meeting of the Subcommittee, PRA
8 Subcommittee on March 20th on this topic, and we saw
9 that Chapter 19, which deals with risk assessment
10 work, and there's, as you'll see, a peripherally
11 related section of Chapter 17.

12 There had been several updates to these
13 sections, some new sections written, several updates
14 to the sections that had consolidated Interim Staff
15 Guidance that has been sort of percolating over the
16 last few years, and we thought that it would be
17 beneficial to the Subcommittee, and perhaps the Full
18 Committee, to get a snapshot of where the Standard
19 Review Plan is now in a holistic sense rather than
20 looking at individual ISGs, or individual regulatory
21 guides, so that's the genesis of this briefing. And
22 with that, I will turn it over to the Staff. I don't
23 know, Lynn, if you want to say anything.

24 MS. MROWCA: Sure, I do. Good morning. My
25 name is Lynn Mrowca, and I'm the PRA and Severe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Accidents Branch Chief in the Office of New Reactors.
2 And I did want to make a note, since the Subcommittee
3 meeting about the Standard Review Plan Section 19.0.
4 As you know, we have made progress towards issuance of
5 these various sections, and in SRP 19.0 we were
6 actually ready to issue it, but we decided to hold.
7 There were three important things we thought needed to
8 be included in the next revision that is issued, so we
9 decided that we would reissue it with a very focused
10 scope for public comments. So, I just wanted to let
11 the ACRS Members know what those three areas know and
12 why we decided to do it for each one.

13 The first one has to do with multi-module
14 risk. In SRP 19.0 we talk about addressing multi-
15 module risk, if necessary, but we didn't go into any
16 detail. Since then, we have had multiple internal
17 meetings and public meetings to discuss what we were
18 interested in when it came to addressing multi-module
19 risk and the small module reactor applications.

20 So, we have -- we just had a public
21 meeting June 26th. We provided the criteria to the
22 public and we need to have that out for public comment
23 in some form. We decided it would be more efficient
24 since it will reside in 19.0, ultimately, that we
25 would include it in this reissuance instead of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 creating a new document like another Interim Staff
2 Guidance document.

3 CHAIRMAN STETKAR: Okay. That's what I was
4 going to ask. That's the --

5 MS. MROWCA: So, we thought since this was
6 so close we would do that. So, it's limited scope to
7 those two criteria.

8 The second item is that we've had some
9 issues with Staff expectations when it came to
10 submittals for low-power shutdown, and the scope of
11 what we expect to see for low-power shutdown risk. And
12 due to a recent submittal from a large lightwater
13 reactor applicant that was not accepted by the Staff,
14 we decided it was important enough to include that
15 scope associated with Level 2 low-power shutdown risk
16 in this 19.0 reissuance.

17 CHAIRMAN STETKAR: Specifically Level 2, or
18 just --

19 MS. MROWCA: Specifically Level 2, but
20 we're trying to keep it to a very limited scope for
21 these public comments, so we added a small part for
22 that.

23 And then third item has to do with some
24 information that was carried over from DC/COL-ISG-3 on
25 PRA, and at that time we included regulations, and we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 summarized Statement of Consideration. And two of the
2 items actually have to do with the Design
3 Certification Rule, design changes or modifications
4 associated with the rule language. So, since this SRP
5 19.0 is really concerning DC and COL applicants,
6 that's not really appropriate, so -- and besides that,
7 that criteria is changing a little bit, so we just
8 decided to remove it.

9 So, those are the three changes. Like I
10 said, limited scope. We should be ready for the
11 issuance. It's in concurrence now, so within the next
12 month or so, and if the ACRS would like us to come
13 back and talk about those changes in more detail, we
14 can do that.

15 CHAIRMAN STETKAR: Yes, we'll discuss that.
16 We may be interested in hearing about this.

17 MS. MROWCA: Okay.

18 CHAIRMAN STETKAR: Thank you. All right,
19 Jonathan.

20 MR. DeGANGE: I'm Jonathan DeGange, and
21 I've been leading the Staff's effort to update the
22 Standard Review Plan, not just Chapters 17 and 19, but
23 the entire chapters 1-19 overall. I'm the Project
24 Manager in the Office of New Reactors in the Policy
25 and Rulemaking Branch in the Division of Advanced

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Reactors and Rulemaking.

2 Over the past three years we've revised a
3 number of SRP sections in addition to the ones we're
4 discussing today. For revised and new guidance, each
5 SRP section is first issued, as Lynn mentioned, as a
6 draft for public comments, and then it's issued as
7 final guidance after clearance with the Office of
8 Management and Budget.

9 The Staff has and will continue to
10 practice to notify the ACRS revised and new SRP
11 guidance upon issuing the guidance as draft for public
12 comment. For some of the sections, the ACRS has
13 requested a briefing, and this is one of the reasons
14 why we're here today.

15 So, we plan to Section 17.4, and the
16 Chapter 19. Section 17.4 will be presented by Suzanne
17 Schroer on design of the Reliability Assurance
18 Program. 19.0, which discusses PRA and severe
19 accidents for new reactors will be presented by Mark
20 Caruso. 19.1, which provides guidance to the Staff on
21 reviewing applicant's PRAs for risk-informed license
22 amendment requests will be presented by Hanh Phan.
23 Odunayo Ayegbusi will be presenting on Section 19.2.
24 19.3, which is new guidance, a new section on
25 regulatory treatment for non-safety systems will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presented by Mark Caruso. 19.4, which discusses loss
2 of large areas of the plant will be presented by Bob
3 Vettori, and Bob will also be presenting on the last
4 section, 19.5 on the aircraft impact assessment.

5 MEMBER CORRADINI: So, just to clarify what
6 Lynn prefaced this on. So, we're going to hear about
7 the three things she mentioned, or we're not going to
8 hear about the three?

9 MR. DeGANGE: You are not going to hear
10 about the three things.

11 MEMBER CORRADINI: That's what I -- I just
12 want to make sure.

13 MR. DeGANGE: Yes, sir. So, with that, I
14 think we can --

15 CHAIRMAN STETKAR: Jonathan, also, just for
16 clarification for the Members, as each section is teed
17 up -- we've asked the Staff to focus a little on three
18 of these sections in a little more detail just because
19 of the results of the Subcommittee discussions. The
20 Staff is going to cover all of them, but as you key up
21 each section let the Committee know what it's current
22 status is because these are anywhere from in the state
23 of flux that Lynn described for 19.0 to sections that
24 have already been issued for use. So, just so the
25 Committee knows where each of the sections is in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 state of issuance.

2 MR. DeGANGE: Thanks.

3 CHAIRMAN STETKAR: Appreciate that.

4 MR. DeGANGE: Okay. Well, the first section
5 we'll do is 17.4 on RAP. That section has been issued
6 as final guidance, and go ahead and let Suzanne begin.

7 MS. SCHROER: Good morning. As Jonathan
8 said, my name is Suzanne Schroer, and I'll be talking
9 about 17.4, the Reliability Assurance Program. It was
10 actually just issued a few weeks ago final, and this
11 is Revision 1 to SRP 17.4. Next slide, please.

12 So, 17.4 was updated to wholly incorporate
13 DC/COL-ISG-018, and that was issued almost five years
14 ago, so we didn't change any -- we didn't do any
15 additional guidance or clarification. We didn't change
16 the RAP Program, it was just more additional guidance
17 for the applicants. And we also clarified the review
18 procedures. Next slide.

19 So, the sections of the SRP that were
20 wholly replaced by the information that was in DC/COL-
21 ISG-018 were the review responsibility, the areas of
22 review, acceptance criteria, evaluation findings, and
23 references. Next slide.

24 MEMBER POWERS: You didn't change anything
25 in Interim Staff Guidance because you didn't have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enough data to suggest it needed to be changed, or you
2 had enough data to suggest that it was completely
3 adequate?

4 MS. SCHROER: So, we stayed -- basically,
5 we stayed with it in the current condition guidance,
6 the current condition policy. We used -- DC/COL-ISG-
7 018 was created from Lessons Learned receiving
8 applications, so we wanted to kind of help licensees
9 or applicants avoid pitfalls that they had already
10 fallen into, so it wasn't -- but we weren't changing
11 the Reliability Assurance Program. We were just kind
12 of trying to clarify our expectations and what we
13 expected at application submittal.

14 MEMBER POWERS: Well, I mean, you told me
15 what you did. Now I'm trying to understand, nothing --
16 - you've learned nothing between the time the Interim
17 Staff Guidance was generated and now?

18 MS. SCHROER: Correct.

19 MEMBER POWERS: Absolutely nothing.

20 MS. SCHROER: Well, we -- I mean, in that
21 time since 2009 we haven't received any new
22 applications. Right?

23 MEMBER POWERS: Okay.

24 MS. SCHROER: So, the Lessons Learned were
25 already incorporated. As I mentioned, we did update

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the review procedures to include guidance on audits
2 and inspections, so I guess that was the thing we did
3 learn, is that we didn't really have a process for
4 doing audits for SRP 17.4, so we included that. And
5 then if you go to the next slide, we also --

6 MEMBER POWERS: You conclude that nothing
7 has been learned. How did you reach that conclusion?

8 MS. SCHROER: By receiving submittals that
9 adequately meet the Staff expectations for the
10 Reliability Assurance Program.

11 MEMBER POWERS: So, you go chat with the
12 guys that review them?

13 MS. SCHROER: Oh, absolutely. And,
14 actually, this was updated by the people like myself
15 and formerly NRO, now NRR technical staff, Todd
16 Hilsmeier, which is in the audience today. So, we
17 didn't just chat with them, we were them.

18 MEMBER POWERS: You were them.

19 MS. SCHROER: That's your profound quote
20 for the day, I guess.

21 And the other thing we changed was we got
22 a comment from NEI that really they didn't use
23 essential elements in the plan to use the term
24 implementation controls, so in revision or in SECY-95-
25 132 which was the kind of basis for the Reliability

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Assurance Program, it had implementation controls. I'm
2 sorry, essential elements, so when we wrote SRP 17.4,
3 we said well, that doesn't really say a lot, let's
4 change it to quality elements. And industry said well,
5 we actually use implementation controls, so it's kind
6 of the basis for the RAP. It is really a wording
7 change, not anything else. And then the next slide.

8 As I mentioned, these are the additional
9 review procedures, so we ought to leave those there.
10 And this is the heart of the presentation for 17.4
11 today. So, we really wanted to address the comments
12 that we received in the Subcommittee, so I'll be
13 discussing my answers to these questions as I
14 interpreted them from the discussions in the
15 Subcommittee, as well as reading the transcripts, and
16 discussion with other technical staff.

17 So, the first question from the
18 Subcommittee was what do applicants do with their DRAP
19 list once they have full scope plant-specific PRA like
20 one that's expected at fuel load? And the second was
21 why is there a focus on dominant failure modes for
22 creating the DRAP list? So, those were the questions
23 from the Subcommittee. Next slide.

24 So, what do they do once they have their
25 full scope plant-specific PRA? And the answer is they

1 don't create a new RAP list, but they do use the RAP
2 list that they have created to go into operational
3 programs. And this is actually, if you'll note from
4 SRP 17.6, Maintenance Rule, is that all RAP SSCs are
5 initially categorized per the Maintenance Rule as
6 having high safety significance. So, that is really
7 the main place where RAP SSCs get pulled into
8 operational programs. They also get pulled into
9 programs such as in-service inspection, in-service
10 testing, and the like.

11 CHAIRMAN STETKAR: Suzanne, this is -- I
12 didn't know this. I guess that's why we asked the
13 question.

14 MS. SCHROER: Yes.

15 CHAIRMAN STETKAR: You mean the RAP list --
16 - I was under the impression that the RAP list was, I
17 think you used the term a living evaluation, that is
18 your understanding of the equipment performance in the
19 plant, and your understanding if the risk of the plant
20 changed, that the RAP list would change appropriately
21 because the RAP list is based on risk-importance. And
22 what I'm hearing you say, and I'm making sure, I want
23 to understand this, is that the RAP list let's say for
24 a Part 52 plant that is cast in stone at the time that
25 the COL is issued is cast in stone for all time? It is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not reevaluated?

2 MS. SCHROER: So, it's actually the DRAP
3 list, the Design of Reliability Assurance Program
4 list.

5 CHAIRMAN STETKAR: I understand the DRAP
6 list is an artificial thing that is a snapshot at the
7 time the COL is issued. What our question was, what
8 happens to that as the plant transitions into
9 operation?

10 MS. SCHROER: Right. And the plants don't
11 have to maintain that RAP list. It's not a -- I don't
12 know what the word -- license condition, or it's not
13 a thing after they start operation. It moves into the
14 operational programs.

15 Todd, did you have something to add to
16 that?

17 MR. HILSMEIER: Yes. My name is Todd
18 Hilsmeier from NRR, used to be NRO, but now a better
19 world.

20 CHAIRMAN STETKAR: You just moved up the
21 alphabet. I'm not sure it's better.

22 MR. HILSMEIER: John's right that the RAP
23 list is a live list. After the COL application phase,
24 all this terminology is coming back to my mind. I've
25 been with it for a while. After the COL application

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 phase, then it goes into the COL licensee phase. They
2 need to still update and maintain the RAP list in
3 accordance with the implementation controls.

4 Now, when it goes -- and that's during the
5 design and construction phase of the plant. Now, when
6 the licensee goes from the design and construction
7 phase into the operation phase, they integrate the RAP
8 list into the Maintenance Rule Program, Quality
9 Assurance Program, and Test Maintenance Programs. And
10 within the Maintenance Rule Program they're still
11 required to update the RAP list. Under the Maintenance
12 Rule, the Guide I believe is 1.2 -- 1.160, I think it
13 is, they're still required to update that RAP list.

14 CHAIRMAN STETKAR: Thanks, Todd. That helps
15 a lot. So, as I hear it, it's essential -- we used to
16 talk about DRAP and ORAP, and now people tend to talk
17 about RAP without the Ds and the Os.

18 MR. HILSMEIER: Right.

19 CHAIRMAN STETKAR: And this clarifies it a
20 little bit. The thing that's now called a DRAP is cast
21 in stone because it's part of the COL issuance
22 documentation.

23 MR. HILSMEIER: Right.

24 CHAIRMAN STETKAR: It then morphs into,
25 essentially, the Maintenance Rule Program.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HILSMEIER: Right.

2 CHAIRMAN STETKAR: Okay, thanks.

3 MS. SCHROER: Okay. So, the second question
4 was why is there a focus on dominant failure modes.
5 And as I mentioned earlier, SECY-95-132 is the basis
6 for the RAP, so the SRM for SECY-95-132, this was a
7 question that came up in Staff discussion, said we
8 agree Staff go forward, so the SECY is our basis. And
9 it states that an application for a design
10 certification or combined license must contain a
11 process to determine dominant failure modes, so that's
12 why we have it in the Reliability Assurance Program,
13 because it's Commission policy to have it in the
14 Reliability Assurance Program.

15 And then the next couple of slides are
16 just where we talk about dominant failure modes in SRP
17 17.4, so the first bullet you'll note that during the
18 operation these are the plant performance and
19 condition monitoring is implemented. So, prior to that
20 it says the licensee identifies the dominant failure
21 modes, but then during the operation this is kind of
22 how it's used.

23 And then the second bullet just we've said
24 you should have a process for determining dominant
25 failure modes. And then the next slide.

1 And then once they go to the operational
2 programs, they should consider dominant failure modes,
3 and the failure modes could be used to facilitate
4 identification of specific Reliability Assurance
5 Activities. So, just to kind of provide an example of
6 what this means in actuality is if per operating
7 experience you identify that failure to run is a
8 dominant failure mode for sump pump, then maybe your
9 testing frequency for failure to run is greater than
10 your testing frequency for failure to start. So,
11 that's kind of how it plays out.

12 CHAIRMAN STETKAR: We had some discussion
13 about this, and do you really think that Commission
14 policy, if you want to characterize it that way, back
15 in 1995 when people were talking about how this whole
16 process, especially for new reactors, would be put in
17 place. Do you really think that the Commission
18 understands what failure modes are now? Maybe. Let me
19 continue here.

20 Our experience with the PRAs that have
21 been produced to date for all of the design
22 certifications is that at best there's wide
23 variability in their scope, level of detail, and
24 quality, and at worst they're pretty darned
25 simplistic. And to establish in the licensing basis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for a plant a list that you've now said the DRAP list
2 is part of the licensing basis that identifies
3 dominant failure modes as part of the licensing basis.
4 You mentioned fail to start, fail to run, fail to
5 open, fail to close, when the models themselves are
6 woefully incomplete, seems ludicrous.

7 I can understand, perhaps, at the Design
8 Reliability Assurance Program stage, at the design
9 certification and COL stage identifying what that
10 snapshot of an incomplete PRA, of an incomplete plant
11 with no operating experience might think is the most
12 important pieces of equipment like that pump, but to
13 then require someone and establish that list as a
14 licensing basis to say I want to establish failure to
15 open of that particular valve as something that's
16 important seems absurd, period. Do you have any
17 comments?

18 MS. SCHROER: I will have two comments for
19 that. The first is, Commission policy is what we live
20 with. If you would like as a Committee to write a
21 letter to the Commission and request a change to the
22 Commission policy, we would certainly welcome that.

23 And the second -- I would point out the
24 second bullet here is the application should propose
25 a process for determining dominant failure modes. This

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process should incorporate industry experience,
2 analytical models, and applicable requirements such as
3 operating experience, importance analyses, root cause
4 analyses, et cetera. So, really --

5 CHAIRMAN STETKAR: Let me give you an
6 example, and I won't mention the plant. I will -- many
7 of the new plant designs employ squib valves. When we
8 took a look at the PRA for the design certification
9 for a particular plant they had the failure mode fail
10 to open for a squib valve, which is important because
11 a lot of the squib valves are supposed to open to do
12 things that you're supposed to do. We said gee, we
13 didn't look at -- we don't see where your model puts
14 spurious opening of the squib valve in there. You
15 didn't look at it. Said oh, well, that can't be
16 important. They put it in and it increased core damage
17 frequency measurably.

18 Now, tell me what the important failure
19 mode of that squib valve is for the DRAP for that
20 particular design, because they hadn't even thought
21 about the failure mode until an ACRS Subcommittee
22 looked at the PRA.

23 MS. SCHROER: I think that shows the value
24 of the --

25 CHAIRMAN STETKAR: The squib valve is

1 important. The squib -- I won't deny that the squib
2 valve is important, but the spurious opening of the
3 squib valve was more important than the fail to open.
4 So, I'll come back to why are we putting in the
5 licensing basis specific failure modes that are
6 derived from an incomplete PRA?

7 MR. PHAN: If I could say something? May I
8 have input to your comment. My name is Hanh Phan. I am
9 the Senior PRA analysis in NRO. PRA and --

10 CHAIRMAN STETKAR: That's good. Thanks,
11 Hahn.

12 MR. PHAN: The RAP list including the SSCs
13 and the failure mode not strictly based on the PRA
14 result, but from the expert panel. And we accept or we
15 acknowledge that the expert panels may not complete
16 the list like the way the ACRS or the Staff want to
17 be, because they are premature before the plant being
18 built. Everything is still on papers, but still we
19 have to rely on the expert panel to complete the list,
20 not strictly using the PRA outlet.

21 CHAIRMAN STETKAR: And we have to be a
22 little cognizant of the time because we have other
23 sections. I recognize that. That is important, those
24 expert panels are very, very important to fill in the
25 gaps in these incomplete PRAs. However, I'll submit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that expert panels may be able to evaluate the fact
2 that a piece of equipment, a particular pump, or a
3 particular valve which may not have been modeled
4 explicitly in the PRA because it's for shutdown modes,
5 or accident scenarios that weren't included in the PRA
6 model. The expert panel may be able to say that yes,
7 that piece of equipment might be important, and we'd
8 like to include it in the RAP list for the following
9 qualitative reasons based on our experience and
10 judgment.

11 I maintain that most experts who are not
12 intimately familiar with the PRA, nor intimately
13 familiar with things that could happen have a very,
14 very difficult time at identifying particular failure
15 modes. Fail to start of a pump is pretty obvious, some
16 of these other subtle failure modes are very, very
17 difficult. Fail to close of a check valve, they can
18 fail to close but most people don't think of that
19 because check valves mostly do close. But they might
20 identify that that check valve could be important. So,
21 that gets back to, you know, at this point of the
22 process with an incomplete model and no operating
23 experience is it -- is that all relevant to both force
24 people to identify dominant failure modes, and then
25 put some licensing connotation to that -- to those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 specific identified failure modes, because they
2 undoubtedly will change.

3 MEMBER BLEY: I've got a general question.
4 It's kind of spurred by something Suzanne said, and it
5 might explain some things I've bumped into in very
6 other different areas about Commission policy and
7 Staff's interpretation of it.

8 Staff generates a SECY, sends it to the
9 Commission suggesting a policy issuance. Sometimes the
10 Commission writes an SRM on that SECY and tells you
11 exactly what to do. Sometimes they're silent. When
12 they're silent, does that imply that they've accepted
13 the policy suggestion in that SECY? Is it interpreted
14 that way?

15 MS. SCHROER: I've never had a SECY that
16 wasn't responded to.

17 MEMBER BLEY: I can tell you a number of
18 them that they didn't respond.

19 MS. SCHROER: I'm sure.

20 MR. MONNINGER: This is John Monninger from
21 the Staff, Office of Nuclear -- NRO.

22 (Simultaneous speaking)

23 MEMBER CORRADINI: Something's in the
24 pipeline. Do you have to have a card that tells you
25 where you are that day?

1 MR. MONNINGER: I can't keep a job. With
2 that said, I think a lot would depend upon -- one
3 factor would be what type of paper is it? Is it an
4 information paper or if it's a policy paper. If it's
5 a -- well, they're all policy papers, but with that
6 said, is it an information policy paper, or is it a
7 notation vote paper? If it is a notation vote paper
8 and the Staff puts proposals in there, whether the
9 Commission is explicit or not, if they approve in
10 detail that paper, or at the 40,000-foot level, we
11 would interpret that as being a Commission decision
12 and a policy issue, et cetera.

13 On the other hand, if we send up an
14 information paper, which is also a policy paper, but
15 an information paper to say that the Staff is
16 proceeding in this manner on this topic, et cetera, it
17 doesn't necessarily mean it's Commission policy, but
18 it's the policy that the Staff has taken that they
19 have informed the Commission. If the Commission wants,
20 they could convert that paper into a notation vote
21 paper, et cetera. So, it's much more explicit if it is
22 a notation vote paper, and whether the Commission
23 engages at the 40,000-foot level or in the infinite
24 details. So, I'm not sure whether that helps or not.
25 And I don't know whether the 95-SECY is information

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paper or notation vote.

2 CHAIRMAN STETKAR: I do.

3 MR. MONNINGER: Okay.

4 CHAIRMAN STETKAR: It was a notation vote
5 paper, just for the record.

6 MR. MONNINGER: Okay. So, we would
7 interpret --

8 CHAIRMAN STETKAR: Yes.

9 MEMBER BLEY: That's clear there, yes.

10 MS. MROWCA: This is Lynn Mrowca. I have a
11 question for the Committee. If this is an issue, I
12 assume that we'll get your thoughts on that in a
13 letter to the Commission, or if you have some thoughts
14 today on what you think might be more appropriate in
15 this area, we'd be happy to hear them.

16 CHAIRMAN STETKAR: Yes, we don't -- you
17 know, you won't get any thoughts orally today because
18 we do speak only through our reports. Right at the
19 moment, we are planning to write a letter on the topic
20 of these sections of the SRP. What that letter says we
21 can't predict right at the moment, so come back at the
22 end of the -- sometime in the afternoon and you can
23 listen to the first draft of the letter.

24 MR. DeGANGE: Okay, are we ready to move on
25 to 19.0? All right. So, 19.0, the status on that one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think Lynn gave an overview. The Staff is currently
2 updating the guidance further from where we --
3 initially she did a draft. And, Mark, do you want to
4 take over?

5 MR. CARUSO: Yes. Thanks, Jonathan. I'm
6 Mark Caruso, Senior Risk and Reliability Engineer in
7 the Office of New Reactors. And what I wanted to do
8 was, I guess basically two objectives here, to
9 summarize the changes to SRP Chapter 19.0, and then to
10 discuss the key issues that were raised at the
11 Subcommittee meeting that we had on March 20th, 2014.
12 Next slide.

13 Before I start on this slide, the items in
14 red, and there's -- basically, what I've done is I've
15 -- in the areas where there were key issues raised by
16 the Subcommittee at the Subcommittee meeting, I
17 identified those topic areas in red just for your
18 awareness. And we'll be talking about those in some
19 detail. I may, you know, go over them kind of briefly
20 here in the summary, but I plan to talk about them
21 more when we get to the last slide.

22 So, SRP 19.0 was updated to incorporate
23 several Interim Staff Guidance documents, the
24 information in those documents. They're listed there.
25 And it was updated to include experience that we had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 gained from the new reactor reviews.

2 ISG-03 basically clarified the Staff's
3 expectations for PRA information to be included in the
4 submittal. And digital I&C ISG-03 was prepared to
5 provide information on sort of the focused specific
6 review of modeling, treatment in PRA of digital I&C
7 systems. New reactor review experience covers areas --
8 mostly we were trying to identify areas where there
9 were challenges during the review, or multiple RAIs,
10 or difficult issues so that in the future we would
11 have our expectations up front, and we could perhaps
12 not have such a challenging time in that review area.
13 Next slide.

14 We also -- based on our experience with
15 the new reactor reviews, we identified a number of
16 interfaces that were not previously in the -- were not
17 in the previous revision in the SRP. Important to
18 identify those and -- because we're having those
19 interactions with other organizations, and it was, we
20 felt, important to have that down. And those areas are
21 listed here on this slide.

22 MEMBER SKILLMAN: Mark, would you go back
23 to 15, please?

24 MR. CARUSO: Yes.

25 MEMBER SKILLMAN: Your comment leads me to

1 believe that the way you were updating is by looking
2 at the tally on your RAIs.

3 MR. CARUSO: Yes, we could, you know -- it
4 would have been good to do that, but it was a very
5 difficult and time consuming process to like go
6 through, systematically go through the RAIs. We did it
7 more through the experience of the reviewers. We
8 pulled the reviewers into those areas. We reviewed the
9 Safety Evaluation Reports that we had written, and
10 that was the source of this information.

11 You know, I mean, the open items are
12 identified during the review process when draft SEI is
13 prepared. You know, you're going to pick up the stuff
14 that was, you know, challenging and requiring perhaps
15 a protracted review, so I don't -- I think it would be
16 an interesting exercise, and obviously be a very
17 systematic and formal way to do it. And at the time we
18 don't really have the RAI system set up to do that, so
19 I think, you know, there might have been some
20 practical limitations in terms of technology. And it
21 would have been manpower intensive, too.

22 MEMBER SKILLMAN: So, what I'm interpreting
23 from what you have said is to look at the RAI
24 systematically would have been a very time consuming
25 and resource-intensive burden, so rather than doing that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what you did is you communicated with the reviewers to
2 find out what they thought were the big ticket items.
3 Would it be worthwhile to take another pass through
4 the RAIs to find out if there's some lessons to be
5 learned down there because, clearly, the RAIs express
6 the reviewer's angst for the various co-applicants, or
7 for the DC applicants. And it would seem to me that
8 there is some real meat and potatoes down there,
9 something to be learned.

10 MR. CARUSO: Well, I agree with you that,
11 you know, if you were to do that mining, you know, I
12 think you would get benefit from it. I'm not in the
13 position to commit to doing that, and I think there's
14 a large question there of, you know, as Mike Johnson
15 likes to say, "Is the juice worth the squeeze?" But I
16 hear what you're saying, and I don't disagree that
17 that exercise might yield some good stuff.

18 MEMBER SKILLMAN: But what I'm particularly
19 sensitive to is the notion that a reviewer that has
20 taken the time to develop an idea and then challenge
21 may be on the point of discovery. And when the
22 licensee or the applicant fires back and says here's
23 why we did what we did, that can be an ah-hah moment,
24 or gee whiz, you still have a gap. And having worked
25 on a fairly complicated design cert application, there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is value in some of those questions.

2 I understand the comment that you make
3 about resources, but it seems like there may be a
4 valuable well from which to draw here.

5 MR. CARUSO: I mean, there's situations
6 where, you know, there were backs and forths, like you
7 say. You know, we capture those in the SER. That's
8 part of the story we have to tell when we write our
9 SER; otherwise -- I mean, that's just the way we're
10 doing things now, is to, you know -- you can't just
11 say, you know, we issued a RAI 5 point whatever, and
12 they responded, and didn't -- we looked at it, it was
13 okay. You had to explain then what was the issue, and
14 why is it okay, and if there was some backup we issued
15 another RAI. That story has to be there, so those
16 kinds of stories are showing up in the SERs, too.

17 MEMBER SKILLMAN: Thank you.

18 MR. CARUSO: All right. Let's see. Did I
19 finish --

20 MR. DeGANGE: Did you finish that previous
21 slide, Mark?

22 MR. CARUSO: 16, yes, I think we're done
23 with 16. I wasn't going to go through the -- so, this
24 slide shows the topic areas where specific guidance
25 was incorporated in the SRP based on the new reactor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 review experience. And we talked about this with the
2 Subcommittee, and as I said before, the two areas in
3 red we had substantial discussion on.

4 The third and the fifth bullets are those
5 areas that Lynn talked about in the beginning of the
6 meeting that were to add some information, and re-
7 notice the SRP over. Can I have Slide 18?

8 So, during the Subcommittee meeting there
9 was quite a bit of discussion on several issues, and
10 I think they're all listed here, and if they're not,
11 I'm sure you will let me know. But as Lynn said, you
12 know, we scoured the transcript to make sure that we
13 got the important things.

14 So, the first one was an issue that Member
15 Stetkar raised, and I thank him very much for helping
16 us do our job. This issue, he noticed -- well, we
17 incorporated the guidance from ISG-20 into the SRP.
18 That guidance that applied to doing seismic margins
19 analysis at the DC and the COL stage. There was also
20 at the end of ISG-20 some information about what COL
21 holders should do, which was to go back and -- after
22 they loaded fuel and that sort of thing, or before
23 they loaded fuel, to verify the margins that they had
24 identified in their licensing documents. And the
25 question of why -- you know, by the time they're a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 holder they -- you know, they're required by
2 50.71(h)(1) to perform a seismic PRA because we have
3 a consensus standard on seismic PRA, so why would they
4 bother to go back and do that?

5 And in going back and looking at the words
6 that are actually in there, it almost suggests -- it
7 does suggest that you could actually meet 50.71(h)(1)
8 by doing that. So, basically, you know, if you go look
9 at Reg Guide 1.200 it specifically says, you know, we
10 don't endorse the seismic margins part of the
11 standard. And there's a specific part in there that
12 says, "The seismic margins treatment of external
13 hazards is not acceptable for characterizing them
14 inside of the PRA." So, the Staff's position is, you
15 know, when we get to that point, seismic margins is
16 over. You do a seismic PRA.

17 So, I can't -- I don't know why -- I
18 wasn't able to figure out why there was a disconnect
19 between what it says in Reg Guide 1.200, and what it
20 says in ISG-20. They were, in fact, developed at the
21 same time frame. So, you know, I mean, frankly,
22 something slipped through the crack. So, as I said,
23 thank you very much.

24 So, when we issue SRP 19.0 final, we will
25 issue an FRN, and in that FRN it will say that we --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as we -- in issuing this SRP, ISG-03 is sunset, and
2 ISG-20 is sunset. And I think we should probably -- we
3 haven't discussed this internally, but I think we
4 should probably explain in the FRN why --

5 CHAIRMAN STETKAR: At least a statement of
6 -- yes.

7 MR. CARUSO: You know, why we're, you know
8 -- because 19.0 only deals with DC and COL licensing.
9 It doesn't deal with holder stuff, so it would be
10 important to say we're also -- you know, we're not
11 leaving the holder stuff in there, and here's why.

12 CHAIRMAN STETKAR: It's both for clarity
13 going forward and not to apply any unnecessary burden
14 on those COL holders to keep, essentially, parallel
15 sets of books, both the PRA and that seismic margin
16 information.

17 MR. CARUSO: You know, in tracking some of
18 the people that were -- some of the structural people
19 that were involved in this, just one particular
20 person. His comment was, you know -- to me was,
21 basically, that he was under the impression they had
22 a choice. And before Reg Guide 200, there was -- if
23 you go look at the first revision of 1.200, you will
24 find absolutely not one word about seismic margins in
25 there. So, you know, I thought to myself oh, I know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what the answer is, you know. They did -- ISG-20 was
2 done a long time ago, and this is Reg Guide 200 -- and
3 that's not the case. They were in the same time frame,
4 so something --

5 CHAIRMAN STETKAR: Anyway, I'm glad to hear
6 you're going to address that.

7 MR. CARUSO: Okay. The next item is the
8 acceptability of Capability Category 1 for
9 standardized verification of COL PRAs. SRP 19.0 says
10 that our expectation, our minimum
11 requirement/expectation, if you will, is that these
12 PRAs are done to Capability Category 1 of the ASME/ANS
13 Standard, and members of the Subcommittee questioned
14 why we didn't go higher. I believe that was -- and our
15 feeling on this is that, you know, we considered
16 basically a couple of things.

17 One, we considered, you know, what was the
18 objective of the Commission in having DC applicants or
19 COL applicants do PRA and use PRA? And it was -- the
20 focus was really more on insights, wasn't to do one at
21 the level you do for risk-informed license amendments,
22 or operating reactor issues. So, you know, we felt
23 that you could get what you needed generally, for the
24 most part from satisfying Capability Category 1.

25 In addition, there are also a number of

1 areas of the standard that DC applicants and COL
2 applicants can't meet because of the level of
3 information that's available at the time, so we felt
4 that as a general and minimum expectation it was one.
5 Now, there are some areas in there where, you know,
6 one isn't okay. You know, certain specific supporting
7 requirements, and those are, you know, addressed
8 during the review because we ask the applicants to do
9 a self-assessment against the standard and tell us,
10 you know, what they're meeting, and what level they're
11 meeting at, and why that's okay. And if they can't
12 meet something, why that's okay or not okay, or how
13 they're resolving that.

14 So, in the end we end up with something in
15 between, some -- probably the majority of the
16 supporting requirements are meeting Capability
17 Category 1, and some are meeting Capability Category
18 2. So, that's about all I have to say on that topic.

19 CHAIRMAN STETKAR: Yes. We had, you know,
20 substantial discussion. There are varying opinions on
21 this. It has led, at least in my experience, to a
22 rather broad variability in the qualities because you
23 see some of them, some applicants, I think, taking the
24 note of Capability Category 1 to heart and saying
25 we're not required to do anything more than this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Other applicants develop more detailed PRAs. And then
2 you have applicants who say well, we did a self-
3 assessment, we meet Capability Category 2, and it's
4 clear that they don't.

5 MR. CARUSO: Right.

6 CHAIRMAN STETKAR: So, it is a source of
7 confusion, at best.

8 MR. CARUSO: Yes. There will be another
9 very, very good opportunity to -- for you to talk to
10 the Staff about the subject because we are in the
11 process of developing an ISG which, basically,
12 establishes, essentially, a standard, something that
13 looks very much like the standard for DC applicants
14 and COL applicants which walks through all the
15 supporting requirements. It talks which ones we think
16 you can meet, and which ones you can't meet.

17 CHAIRMAN STETKAR: Oh.

18 MR. CARUSO: And identifies in certain
19 cases, you know, you can't meet the letter of the
20 existing standard, but you can meet the intent, and we
21 clarify that. It's a document to help them, you know,
22 deal with the fact that the standard was created for
23 operating reactors. We have drafted that thing up.
24 It's still internal but it's getting very close to the
25 point where we'll go out for public comment. And we do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talk a lot in there, a lot more guidance in there
2 about our expectations for a Capability Category than
3 what's in SRP 19.0.

4 CHAIRMAN STETKAR: We certainly at the
5 Subcommittee level, we would be very interested in
6 seeing that whenever you get it to a point that you're
7 satisfied with it, even perhaps before you send it out
8 for public comment. So, keep in touch with John Lai
9 and we'll see what we can do to get it --

10 MEMBER BLEY: And from what you said, you
11 haven't had any participation from industry. Is that
12 right?

13 MR. CARUSO: No, we have. They have been
14 developing -- the Standards Committee has been
15 developing a revised standard. We -- I don't want to
16 get into this whole topic.

17 CHAIRMAN STETKAR: Yes.

18 MR. CARUSO: It's very hairy, but we have
19 looked at it, and we're happy with what was done. We
20 don't want to wait any more, so we're doing this.
21 We're going to be interacting with industry. Our hope
22 would be that they would come around and like this. We
23 have not had that interaction yet with them, but we
24 are --

25 MS. SCHROER: Yes.

1 MR. CARUSO: Oh.

2 MS. SCHROER: We had a public meeting with
3 the high-level goals of the ISG in April, so we have
4 interacted with the industry and the standards
5 organization, as well.

6 CHAIRMAN STETKAR: Okay, good. We have to
7 be a little bit cognizant of time here, so the message
8 is yes, we're really interested to hear about that
9 effort.

10 MR. CARUSO: Okay. The rest of this should
11 go pretty quick. Applicability and metrics for risk-
12 significance in Reg Guide 1.200 for designs with very
13 low CDF. So, the issue was when you -- if you have
14 these new designs that are coming in with CDFs that
15 are several orders of magnitude less than operating
16 reactors, but you've developed these metrics and
17 values, thresholds, importance measures, you know,
18 sort of based on the CDF levels you have for operating
19 reactors. They may not look so well, but give you --
20 if you apply them for designs with much lower CDFs,
21 you might be identifying things that are considered
22 significant in accordance with the guidance when, in
23 fact, they may not be that significant.

24 So, the issue is that we in SRP 19.0, we
25 basically say you should follow the guidance that's in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Reg Guide 1.200. Reg Guide 1.200 identifies specific
2 numerical thresholds that are basically developed for
3 plants with CDFs in the range of 10 to the minus 6, 10
4 to the minus 5.

5 We agree with the Subcommittee that the
6 CDF either on a hazard basis or total basis should be
7 considered when you are doing importance studies, when
8 you're looking at risk-significance and you're
9 applying importance measures and developing those
10 thresholds, you should -- they should consider
11 absolute CDF. And we know that the industry is already
12 doing it. We approved a version of staling for ESBWR.
13 We've discussed this topic with NuScale. They're aware
14 of it. So, I think our believe is that we should go
15 back. There's a revision to 1.200 on the horizon, and
16 that we should make sure that this topic gets
17 addressed in that revision.

18 CHAIRMAN STETKAR: For those of you who, in
19 a nutshell, for those of you who didn't attend the
20 Subcommittee meeting, the issue is that, as Mark
21 mentioned, there are specific numerical criteria in
22 the guidance. So, for example, if I have a core damage
23 frequency nominal of one times ten to the minus four,
24 something is considered as significant if it could
25 increase it by .005 of the core damage frequency, or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about by five times ten to the minus seven, which is
2 a pretty small number.

3 On the other hand, if I have a core damage
4 frequency of ten to the minus six, that same numerical
5 significance translates into something that would
6 increase it by five times ten to the minus nine, which
7 is a teeny, tiny, itsy, bitsy number. And, yet, the
8 same numerical criteria are applied regardless of what
9 the absolute value of the CDF is, so the question is
10 should we be treating five times ten to the minus nine
11 equipment the same way as we treat equipment at other
12 plants? And I appreciate your feedback, thanks.

13 MR. CARUSO: So, the last issue is an issue
14 that Member Brown brought up at the Subcommittee
15 meeting. We were talking about digital ISG-03 which is
16 the treatment of digital I&C in PRA, and he had raised
17 the suggestion about that we should maybe take a
18 fresher look at how we treat digital I&C in PRAs, and
19 that there will be a lot to gain from trying to go I
20 think to a higher level and use the functional block
21 diagrams and the four or five key principles of design
22 for digital I&C to look at risk.

23 I had hoped that I -- personally, I had
24 hoped that I would be able to come back here and
25 explain, you know, that there's a whole new way to do

1 PRA, and it was great, because I am personally very
2 interested in the subject, but I wasn't able to do
3 that.

4 So, we think this is a very important
5 topic. We are in the process of planning a meeting, a
6 collegial discussion of PRA digital I&C in the
7 September time frame, and we would --

8 MEMBER BROWN: With?

9 MR. CARUSO: With you.

10 CHAIRMAN STETKAR: Us, we have a
11 Subcommittee meeting scheduled.

12 MR. CARUSO: And Office of Research will be
13 involved for a wide range of discussion of this topic.
14 We know they have their views, so we think that this
15 should be subject of that meeting.

16 MEMBER BROWN: Okay. Bear in mind, I'm not
17 -- I don't know whether it will bear any fruit.

18 MR. CARUSO: I know.

19 MEMBER BROWN: It was just a matter of
20 here's a different way to look at it. Give it a shot
21 and see -- if it doesn't work you're not going to
22 break my heart.

23 MR. CARUSO: I wish I gave it a shot and
24 came back, but I --

25 MEMBER BROWN: Truth helps.

1 MR. CARUSO: So, that's pretty much it for
2 19, I think.

3 MR. DeGANGE: All right. On to 19.1. 19.1
4 has been issued as final guidance.

5 CHAIRMAN STETKAR: All right.

6 MR. DeGANGE: Thank you. Hahn.

7 MR. PHAN: Good morning, again. My name is
8 Hahn Phan from NRO. In my presentation today, I will
9 identify the modifications to the SRP, Section 19.1,
10 Revision 3. First, as can be seen on this slide, the
11 titles of -- can you go back?

12 MR. DeGANGE: Oh, sorry.

13 MR. PHAN: Yes. The titles of Section 19.1
14 is modified as determining the technicals of realistic
15 risk assessment for risk-informed license amendments
16 request after release of fuel load. The term risk-
17 informed license amendments request after release of
18 fuel load was added, or has been added to the titles
19 because we want to be clear the use of this section
20 only applicable for COL and DC applicants.

21 Accordingly, we remove all guidance
22 relevance to the DC and COL -- I'm sorry, all of the
23 guidance in here and for the operating plants, all of
24 the guidance for DC and COL applicants, removed them
25 to Section 19.0.

1 It should be noted that there are no new
2 sections or subsection added to the Revision 3. The
3 main purpose of this update is to incorporate the
4 regulatory requirements for new reactors, specifically
5 the requirements provided in 10 CFR 50.71(h)(1),
6 (h)(2), and (h)(3) to include the applicability of
7 NFPA 805, a risk-informed performance-based fire
8 protection applications to reflect the issuance of
9 Revision 2 to Reg Guide 1.200, the addendas to the
10 ASME/ANS PRA standard, and at least you know PRA-
11 related guidance.

12 Revision 3 also update the introductory
13 and history expressions of the ASME and ANS standards.
14 And as mentioned previously, the title is modified to
15 clearly indicate that all guidance in this section now
16 and for operating plants.

17 These are the key changes to Section 19.1.
18 With that, I would take any questions that you may
19 have on the details.

20 MR. DeGANGE: Okay. So, next would be SRP
21 Section 19.2, and I think Ayo and Bob, you guys want
22 to come on now, maybe you, Suzanne and Hahn. You guys
23 are done, if you could switch up.

24 MR. PHAN: I'm sorry. Can I say one more
25 thing?

1 CHAIRMAN STETKAR: Yes.

2 MR. PHAN: According to the Chairman, I
3 forgot to say one thing. That Section 19.1, Revision
4 3 was issued almost two years ago in September of
5 2012. Thank you.

6 CHAIRMAN STETKAR: Great. Thanks, Hahn.

7 MR. DeGANGE: All right. So, SRP Section
8 19.2. 19.2 has been issued as final guidance some time
9 ago. There's not a whole lot we have to present on
10 19.2. Are we good to go?

11 MR. AYEBBUSI: Good morning. My name is
12 Odunayo Ayegbusi. I'm a Risk Analyst in NRO. This is
13 for 19.2. Just a little more detail. This is the only
14 slide I have, that's what I mean. Let's see.

15 So, prior to 2007 there was really --
16 Chapter 19, that was it. In 2007, Chapter 19 was
17 rearranged and the information that was in Chapter 19
18 was moved to Section 19.7, I'm sorry, 19.2. And as the
19 slide says, the guidance in 19.2 was updated to extend
20 its use to Part 52 applicants, as appropriate, and
21 that was pretty much it.

22 CHAIRMAN STETKAR: This section,
23 essentially, is the SRP that points you to Reg Guide
24 1.174.

25 MR. AYEBBUSI: That's correct. So, in

1 essence, it has Reg Guide 1.174 in it and a little bit
2 more details. Again, this is it.

3 MR. DeGANGE: Are there any questions on
4 19.2? Okay.

5 CHAIRMAN STETKAR: It was worth the trip up
6 there, though, wasn't it?

7 MEMBER CORRADINI: You don't have to go.
8 Stay, enjoy the ride.

9 MR. DeGANGE: All right, so we're all good.
10 Let's move on to 19.3, which is a new section on
11 regulatory treatment of non-safety systems. That has
12 been issued as final guidance now just recently, and
13 Mark Caruso will be talking about that one.

14 MR. CARUSO: Okay.

15 CHAIRMAN STETKAR: It has been issued as
16 final?

17 MR. CARUSO: Last week.

18 MR. DeGANGE: It has, yes.

19 CHAIRMAN STETKAR: Wow.

20 MR. CARUSO: So, again, I'd like to just
21 summarize, you know, this new SRP for the Full
22 Committee, and to talk about the key issues that were
23 raised at the Subcommittee meeting on this SRP.

24 So, as Jonathan said, SRP 19.3 is a new
25 section that addresses regulatory treatment of non-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safety systems for passive designs. It's basically
2 based on the Commission policy that's described in
3 multiple SECY papers that were developed during the
4 time of the AP600/AP1000 reviews. We also applied
5 these policies to the review of the ESBWR which is a
6 passive design.

7 The SRP provides top level guidance, and
8 a fair amount of specific guidance for reviewers, but
9 because the RTNSS touches systems in many, many areas
10 it's a large -- it's a review that's done by a number
11 of people, a number of organizations. And in some
12 cases when you get to specific systems, water systems,
13 or I&C systems, there's additional guidance that
14 they're putting in their -- well, their design-
15 specific review plans for the IPWRs, which we talked
16 about yesterday a little bit. And then, eventually, in
17 the SRPs they'll include that, too, so there might be
18 some additional SSCs for guidance elsewhere. Can I
19 have the next slide?

20 So, this slide basically identifies the
21 areas of review that we identify in the SRP to be
22 looked at. The first is the selection process for
23 RTNSS SSCs. How does the applicant -- how is he
24 scoping them in? There are scoping criteria he's
25 supposed to apply. Has he done that correctly? We have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 added guidance in the SRP related to the functional
2 design of the SSCs. And this was important because
3 these are non-safety systems and components. And in
4 many cases, there isn't any, you know, guidance how we
5 should review that since, you know, we've always
6 focused on safety systems.

7 So, we looked at, you know, the four items
8 here. You know, fundamentally, what is it that we need
9 to confirm? What are the design requirements? How are
10 they complying with them? You know, is the thing going
11 to do what they're counting on it to do for an
12 accident beyond design basis? That's really the crux
13 of it.

14 MEMBER SKILLMAN: Mark, this is a curious
15 area from my background and experience. When I think
16 of non-safety systems, I think of drinking water,
17 sewerage, compressed air, not safety, okay, not I&C
18 compressed air, but plant compressed air. And there
19 are probably 20 systems like that. Why do these need
20 any treatment at all other than to the extent that
21 their behavior could trigger an event?

22 For instance, if you fail a sewerage tank
23 in the plant, you can add some not so pleasant
24 internal flooding. Okay? If you explode a compressed
25 air tank non-safety in the wrong compartment you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 create an over pressure and maybe trigger some fire
2 system, or some other event. But, by and large, this
3 population within the plant is fundamentally benign,
4 so why does it need treatment at all?

5 MR. CARUSO: Well, those systems that you
6 mentioned, that type of system doesn't -- probably
7 doesn't need treatment. And probably I didn't see
8 anything of what you mentioned scoped into it.

9 Remember what this is about. This is about
10 passive designs where, you know, a lot of the systems
11 that were relied upon in the active designs, the
12 current operating plants, things like diesel
13 generators, service water system, pumps, they're all
14 safety-related for the operating plants. The passive
15 designs use passive safety systems. They don't --

16 CHAIRMAN STETKAR: Remember, Dick, the
17 emergency diesel generators for AP1000 and ESBWR are
18 not safety-related systems.

19 MR. CARUSO: That's where this came from,
20 was to say, you know --

21 MEMBER SKILLMAN: Got it. Okay. The light
22 just went on.

23 CHAIRMAN STETKAR: Okay.

24 MEMBER SKILLMAN: I was thinking sewerage,
25 you're thinking emergency diesel generator --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: Anything that is not
2 called safety-related is non-safety related.

3 MEMBER CORRADINI: But it could be RTNSS.

4 CHAIRMAN STETKAR: But it could be RTNSS.
5 And, indeed, they are in those plants.

6 MEMBER SKILLMAN: So, thank you. I'm coming
7 up to speed pretty quickly over here, by the way.

8 MR. CARUSO: I think at the Subcommittee
9 meeting I went through the genesis of RTNSS, and a lot
10 of these things, and we felt like, you know, we'd sort
11 of scale the presentation down. So, by all means, if
12 something doesn't seem to make any sense --

13 MEMBER SKILLMAN: It does now.

14 CHAIRMAN STETKAR: Not that RTNSS makes any
15 sense, but --

16 MEMBER SKILLMAN: It makes more sense now
17 than it did five minutes ago. Thanks.

18 MR. CARUSO: We'll get to that on the last
19 slide. Okay. And then the focus PRA sensitivity
20 studies, we identified that -- I mean, the focus PRA
21 studies are actually part of the selection criteria.
22 They're factored into deciding what goes into the
23 program and what doesn't, but they're listed here
24 specifically because that work is done by a specific
25 review organization. And as I said, there are many

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 review organizations involved in this.

2 Augmented design standards for RTNSS B
3 SSCs. RTNSS B SSCs, there's -- the B comes from sort
4 of five categories of criteria of what SSCs should be
5 in the program. And B is for -- remember these -- the
6 way these passive designs are done is that they're
7 designed to basically satisfy safety functions after
8 an accident for 72 hours with their passive safety
9 systems. Operators, theoretically, don't have to do
10 anything. They just -- water flows down by gravity and
11 goes in the reactor, and steam comes out, and just
12 goes on and on for 72 hours. But the design philosophy
13 that the Utility Requirements document states that
14 they have been following is that, you know, their
15 systems will be good for 72 hours, but that after 72
16 hours, you know, if they're relying on a big tank of
17 water to be the heat sync, they need to refill that
18 tank of water to keep cool.

19 So, the NRC has said okay, you know, you
20 need to have some systems to do that, and it's okay to
21 have non-safety systems to do that. But you need to
22 make sure that those systems you're relying on are
23 available after 72 hours up until seven days.

24 And, in particular, the NRC was concerned
25 with the possibility of, you know, a natural hazard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 event, a seismic event, you know, taking these things
2 out because they're not safety-related so they're not
3 designed to all those standards, and then not being
4 able to get them fixed. And here your 72 hours is up,
5 and these things that you're relying on to refill your
6 water systems, or do whatever are not available. So,
7 they said there should be some very focused
8 requirements for these systems, which is that they can
9 handle safe shutdown earthquake, that they can handle
10 flooding, that they be designed to make it through
11 those kinds of conditions. And that you need to have,
12 if you need supplies like fuel oil or pumps, whatever,
13 water, it's got to be on site. You can't be counting
14 on going offsite and getting this stuff. So, that's
15 what we mean by augmented design requirements for
16 those SSCs, very focused requirements.

17 And then the last thing we look at, we
18 look at what level of treatment are they applying to
19 the various SSCs that are scoped in the program. Does
20 it seem to be appropriate? Should it be a tech spec
21 for availability, or could it be a simple availability
22 control which has less stringent timing required. The
23 next slide.

24 So, the Staff's review basically, you
25 know, is focused on, you know, verifying that they've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 met the selection criteria and done the scoping
2 correctly. You know, you look at their design to the
3 extent that I mentioned before.

4 We also -- one of the other issues about
5 passive designs was we wanted to make sure that, you
6 know, if you were going to have these active systems
7 come on in an accident, during an accident, and they
8 do have active systems. I mean, the ESBWR has a low-
9 pressure and ECCS injection system. It's not called
10 that, but it can do that. So, they were concerned that
11 in some cases, you know, they will actually use the
12 active systems first to -- call it investment
13 protection. So, there was a concern about well, could
14 using the active systems and the passive systems at
15 the same time, or if they came on, could there be an
16 interaction that sabotaged the ability of passive
17 systems to perform their safety function? So, part of
18 RTNSS is for them to look at the potential for system
19 interaction, and if they find something, to do a
20 systematic study. And if they find something, to
21 design it out. And if designing it out requires
22 relying on some non-safety piece of equipment, that
23 equipment should be RTNSS. So, that's another part of
24 RTNSS. And we look at their -- at the study they do
25 and the results they've come up with.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We look at the focus PRA results to see
2 that they're reasonable. As I said, we look at their
3 treatment for each of the SSCs at the proposing. Does
4 it seem to make sense in terms of the importance of
5 the SSCs? And we also check to make sure that -- the
6 Commission has stated these RTNSS B SSCs that I
7 mentioned before are very important, and they
8 specifically should have some sort of availability
9 control on them.

10 These plants have what's called an
11 Availabilities Control Manual, which is -- looks very
12 much like tech specs, but it doesn't have the -- it
13 has surveillance requirements, it has limiting
14 conditions for operation. It just doesn't have the
15 follow-up actions that tech specs have which, you
16 know, if you can't get things fixed in a certain
17 amount of time you need to shut the plant down, that
18 sort of thing. It basically says, you know, if you
19 have something that should be available and it's not
20 available, you know, make it available as soon as you
21 can. So, they're a simplified version of Availability
22 Controls.

23 And we also look to see that, you know,
24 given the results of the focus PRA and what -- how
25 these systems are being depended on, you know, is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there a case to be made for being in tech specs? And
2 I would mention that we are also working -- we're now
3 working on additional guidance very specific related
4 to technical specifications. There's a criterion in
5 50.36 that says that anything that shows up as
6 significant to public health and safety from a PRA or
7 from operating experience should be in tech specs. We
8 asked the question of all new reactors, you know, tell
9 us -- show us how you have satisfied all the criteria
10 in 50.36, how you've scoped SSCs into tech specs based
11 on this criteria.

12 For that last criteria, we haven't had
13 very much guidance as to how you do that, and what
14 criteria you use to make those decisions about how do
15 I know what a PRA is? Probably, I should put something
16 in the tech specs. So, we have developed a draft
17 Regulatory Guide which is still internal, and we hope
18 to issue it for public comment soon. And I believe we
19 will be coming to discuss it with you. And we've
20 developed very specific criteria for deciding -- so,
21 that's very germane to RTNSS, because this guidance
22 that I'm talking about applies to non-safety systems,
23 as well as safety systems. Next slide.

24 So, these are the key issues that were
25 raised in the Subcommittee meeting. The first is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 observation that RTNSS is a licensing certification
2 activity. There are no requirements on RTNSS. It's a
3 Commission policy for examining these systems and
4 assuring that you have proper backup for the passive
5 systems that's done during the licensing phase. And
6 part of it is to -- part of the process is using PRA
7 to identify what's important in certain areas. And,
8 you know, the issue was well, after -- the PRA you
9 have during licensing is not the PRA you're going to
10 have at fuel load, which will be a much more robust,
11 much more complete PRA, but that PRA is never used to
12 go back and reevaluate RTNSS. And maybe if you did
13 that, you might find that there are additional things
14 to be scoped into RTNSS. You know, very insightful
15 observation.

16 And, you know, because there are no
17 requirements, all I can say with respect to this is
18 that it's -- I think -- it's not as bad as it sounds.
19 One thing is that the RTNSS SSCs are normally scoped,
20 part of a treatment that they get, sort of a minimum
21 level of treatment any of them get is to be included
22 in the Reliability Assurance Program. And, as we said,
23 they're on the RAP list. They just -- they like
24 automatically go on the RAP list, honorary members.
25 So, they will be scoped into the Maintenance Rule

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Program, which as we discussed before will utilize the
2 fuel load PRA to look at things. So, the fact that,
3 you know, you're going to be addressing reliability
4 through the Maintenance Rule Program and using the
5 fuel load PRA to support that, if there are additional
6 non-safety systems that should somehow have been
7 scoped into the Maintenance Rule, that will happen.

8 In the longer term -- so, in the near term
9 I'm not so concerned about it, because I don't think
10 non-safety systems are going to -- that are very
11 important and should be covered with reliability
12 programs are going to get lost because they were --
13 you know, because we used a PRA that was less than
14 desirable to identify RTNSS systems.

15 In the longer term, the whole issue of
16 treatment of non-safety systems is something that's --
17 - you know, a topic that came up in the Near Term Task
18 Force Recommendation 1. You know, Recommendation 1,
19 which talked about a whole framework for dealing with
20 non-safety systems including treatment. As you know,
21 there were some recommendations made on dispositioning
22 that in SECY-13-132, and the Commission did not accept
23 them, but they said -- they kept the door open by
24 saying, you know, you need to consider this whole
25 topic as part of the work you're doing on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dispositioning of the recommendations on NUREG-2150,
2 which was Commissioner Apostolakis' Task Force. So,
3 that work is still going on.

4 MEMBER BLEY: So, is that where this gets
5 covered in the long term, or is it somewhere else, or
6 do we know yet?

7 MR. CARUSO: I don't think we know. That
8 would be a -- that possibility. If that work was to
9 come out with recommendations that over the longer
10 term, you know, we come up with a framework for
11 dealing with non-safety equipment that's -- you know,
12 have a design extension category that covers that
13 equipment. That would be a place where it would get
14 addressed.

15 And I think I pretty much have the same
16 comment for the second bullet which is, you know, a
17 policy -- the second comment was that, you know, this
18 whole RTNSS policy was developed a long time ago. You
19 know, it seems very important that important non-
20 safety systems that are important to risk should have
21 some sort of treatment. We only do it on passive
22 systems, we don't do it on -- we don't do it for
23 active designs, we don't do it for operating reactors.

24 You know, within the context of developing
25 the SRPs, this is an issue that's, you know, sort of

1 above us. And I think that --

2 VICE CHAIRMAN RAY: Well, this is not a
3 surprise. I mean, having been involved 20 years ago,
4 I can tell you that the weaknesses you're talking
5 about were well known then. Maybe we're rediscovering
6 them now, but --

7 MEMBER BLEY: Perhaps the surprise is for
8 lack of progress.

9 VICE CHAIRMAN RAY: No, I mean, I don't
10 want to get into it, but --

11 MR. CARUSO: No, I think for the passive
12 systems, I think the issues about passive system
13 designs are probably pretty adequately covered by the
14 RTNSS policy. And there is some stuff that's in there
15 for them that, you know, is a little strange to me,
16 too.

17 I think the more important thing is the
18 larger question of treatment of important non-safety
19 systems for all designs. And I think that's probably
20 the place that fixing the issues here, that would be
21 the place to do it.

22 CHAIRMAN STETKAR: I'm sure we'll have more
23 discussion about these issues.

24 MR. DeGANGE: Okay. We're going to move on
25 19.4, I believe, now. Right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. VETTORI: Okay.

2 MR. DeGANGE: So, yes, that section has
3 been issued as draft, and the Staff has gotten
4 comments back on that, and is currently formulating
5 the final guidance to be put out. So, Bob, I will let
6 you take it away.

7 MR. VETTORI: Okay, next. The new SRP
8 section incorporates almost word for word Interim
9 Staff Guidance 016, very few changes from the Interim
10 Staff Guidance.

11 Basically, the reviews conducted, usually,
12 the ones I've been involved with by two people,
13 someone from usually the Branch responsible for review
14 of mitigating strategies. For us, that's Fire
15 Protection, and also someone from the review of
16 Reactor Systems. Next slide, please.

17 Okay. The regulatory requirements are
18 there, 50.54(hh)(2) is new in the contents of the
19 applications. NRC guidance, we've had some stuff out
20 since February 25, 2002. We had temporary instructions
21 I believe they used on the existing reactors. All this
22 was rolled up into the ISG-016. Industry Guidance NEI-
23 0612 Rev 2 for the existing reactors, 0612 Rev 3 for
24 new reactors coming in is the ones we've been
25 reviewing here. Conformance with this guidance or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 satisfactory means compliance with regulatory
2 requirements. Next slide. Any questions on 19.4, loss
3 of large area of the plant?

4 MR. DeGANGE: 19.5 is on aircraft impact
5 assessment, and that section has been issued as final
6 guidance. That's also going to be done by Bob.

7 MR. VETTORI: Okay. As you say, that's been
8 issued April of 2013. It incorporates our Reg Guide
9 1.217 Rev 0. It considers conformance with NEI-0713
10 Rev 8 now as acceptable methods for use in satisfying
11 our requirements. Next slide.

12 And, again, the Impact Assessment Review
13 is usually conducted now by three people, fire
14 protection, one from structures, Division of
15 Engineering, and also, again, someone to review the
16 reactor systems.

17 The idea behind the aircraft impact
18 assessment that we do here, it's very minimal. It's
19 usually four or five pages, but then these three
20 people also go out and do an inspection on site of the
21 -- for example, Areva down in Lynchburg of the actual
22 aircraft impact assessment that was done by Areva, or
23 their contractors. So, the review in-house is four,
24 five, six pages. The review of the actual inspection
25 down there is hundreds, if not thousands of pages. Any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions?

2 MR. DeGANGE: I think that concludes our
3 presentation material. I think I can say on behalf of
4 all of the Staff we really appreciate your time, and
5 giving us the opportunity to come and discuss these
6 SRP sections with you. And I think we did pretty good
7 on time.

8 CHAIRMAN STETKAR: Miracles occasionally
9 happen. Again, I'd like to thank the Staff. You
10 covered a lot of material. I think it was useful,
11 certainly for me. I learned a lot today that didn't
12 come out during the Subcommittee meeting, and I think
13 the Committee members also benefit from it.

14 MR. DeGANGE: One comment from Suzanne.

15 CHAIRMAN STETKAR: One comment.

16 MS. SCHROER: Hello, this is Suzanne
17 Schroer, again, from NRO. And we just wanted to make
18 one comment about something that was discussed earlier
19 in 17.4, and also then discussed in 19.3 in Mark's
20 presentation. We just wanted to clarify that the RAP
21 list is the RAP at application, or at -- when the
22 license is issued. It's no longer updated. The RAP
23 SSCs do get integrated into the Maintenance Rule
24 Program, and through the Maintenance Rule if there
25 SSCs that are identified as risk-significant, then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they get pulled into the Maintenance Rule Program. But
2 there's not a living RAP list.

3 CHAIRMAN STETKAR: A RAP list per se.

4 MS. SCHROER: Right. Exactly.

5 CHAIRMAN STETKAR: It's folded into the
6 Maintenance Rule, effectively.

7 MS. SCHROER: Yes.

8 CHAIRMAN STETKAR: Thanks. That helps an
9 awful lot. A couple of last things before we go back
10 to the Full Committee. Is there any member of the
11 public or anyone else in the room who would like to
12 make a comment? If not, I think we have the bridge
13 line open. If there's anyone listening in on the
14 bridge line, could you do me a favor and just simply
15 say something so we confirm that the bridge line is
16 open. Anyone out there just say hello, or any words.

17 PARTICIPANT: Hello.

18 CHAIRMAN STETKAR: Thank you very much.
19 Now, it sounds silly but it's the only way we can
20 actually confirm it's open. It's modern technology.

21 Now, I'll ask if there is anyone on the
22 bridge line who like to make a comment, please
23 identify yourself, and do so. Hearing nothing, again,
24 I'd like to thank the Staff for a very good
25 presentation, really appreciate all of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information. And with that, we will recess until, I'll
2 be generous, 10:20.

3 (Whereupon, the above-entitled matter went
4 off the record at 10:01 a.m., and resumed at 10:19
5 a.m.)

6 CHAIRMAN STETKAR: We are back in session.
7 The next topic is Lessons Learned from San Onofre
8 steam generator tube rupture degradation event, and
9 Pete Riccardella will lead us through this process.

10 MEMBER RICCARDELLA: Thank you. We're here
11 to listen to the Staff's plan for review of the SONGS
12 steam generator event, which although it's been deemed
13 not to be of safety-significance, certainly, it was a
14 shaking event for the industry.

15 We understand that this is an initial
16 briefing on the topic, and that we're really just
17 going to be listening to a plan of attack and no real
18 results to date. The ACRS appreciates the opportunity
19 to look at this plan in advance and perhaps offer some
20 comments on it.

21 I would advise that this is an open
22 meeting and so we don't expect to delve into any
23 confidential information during the meeting. And I'd
24 welcome and call upon Craig Erlanger to begin the
25 presentation.

1 MR. ERLANGER: Thank you, Pete. Good
2 morning, everyone. My name is Craig Erlanger, and I am
3 presently on rotation to NRR, and I will be serving as
4 the SONGS Lessons Learned Project Manager.

5 You invited us to discuss the recent EDO
6 memo, Review of Lessons Learned from the San Onofre
7 steam generator tube degradation event, and that was
8 issued on March 20th in 2014. Specifically, we
9 understand that you're interested in the steam
10 generator technical review task in that memo.

11 Today, the Staff will present a plan of
12 action on milestones for this task. This is one of
13 eight tasks that are included in the memo. Each task
14 item has its own items of consideration within that
15 memo.

16 Some brief introductions before we get
17 started. Seated to the left of me, Kamal Manoly, who
18 is the Senior Level Advisor for NRR's Division of
19 Engineering; Gloria Kulesa, who's the Branch Chief in
20 the Division of Engineering and will be conducting the
21 briefing for this morning; and Jocelyn Lian from NRR's
22 Division of Engineering.

23 At the back table, Pat Hiland, the
24 Director of the Division of Engineering, and Emmett
25 Murphy is in the back, and he's a Senior Materials

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Engineer in the Division of Engineering. He's joining
2 us today. In the audience we have representatives from
3 the other task items. They are available should you
4 have any questions on those items, and they will
5 introduce themselves prior to answering any questions
6 that you may have.

7 In the package you received today you
8 received the plan of action of milestones and the
9 remaining taskings and those items. I just want to
10 just emphasize that as Pete mentioned in his
11 introduction, we are in the formative stages of this
12 project, so we're going to lay out for you today what
13 our plan of action of milestones are. We're
14 appreciative and interested in any suggestions you
15 have as we move forward. With that, I'm going to turn
16 it over to Gloria who's going to begin the
17 presentation. Thank you.

18 MS. KULESA: Thank you, Craig. Good
19 morning. As everyone has introduced me, my name again
20 is Gloria Kulesa, and I will be conducting the
21 informational brief on this event that occurred, as
22 well as the Lessons Learned tasking that has come out
23 of this.

24 I have a special request to the members
25 this morning, and my remarks are very brief, about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 five or ten minutes. And what I would ask is that you
2 allow me to complete the remarks, and then we can
3 engage in discussions. I felt this was a good approach
4 to take so that the members and the audience or the
5 public who are involved in this may not have heard
6 much of the details, and this could give you some
7 context to what we're doing today. Is that acceptable
8 to the members?

9 MEMBER RICCARDELLA: Yes.

10 MS. KULESA: Thank you. All right. So, this
11 is a steam generator event that occurred at the San
12 Onofre Nuclear Generating Station. So, before you I
13 have three notable points. So, the first would be the
14 licensee did replacements of their steam generators.
15 For Unit 2, this occurred in 2010, and for Unit 3 this
16 was in 2011. The most notable point after this is the
17 status on January 31st in 2012.

18 For Unit 2, the steam generators had
19 operated at this time for 21 months, so that was one
20 full operating cycle. The plant was in an outage, and
21 this was regularly scheduled. For Unit 2 on that day,
22 the operators received an alarm, responded
23 accordingly, shut down the plant, and went in to
24 investigate. On that they would soon discover that
25 there was extensive tube-to-tube wear in the U bend

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 region of the steam generators, and this was one tube
2 leaked. So, I want to correct an earlier statement. It
3 was not a rupture, this was one tube leaking.

4 Afterwards in some more inspections, they
5 would discover that eight tubes would not show
6 adequate tube integrity per the technical
7 specifications. So, what this means, it failed in situ
8 pressure testing.

9 The licensee had stated that the cause of
10 this was due to in plane fluid elastic instability,
11 and they believe the cause was due to an aggressive
12 thermal hydraulic environment along with lack of
13 effective anti-vibration bar support against this in
14 plane motion in the U tube region.

15 The last of the points that I'd like to
16 make is the decision made in June of 2013. That was
17 the date that the licensee declared their intent to
18 decommission both of these units. So, that leads us to
19 the Lessons Learned tasking.

20 So, our Executive Director of Operations
21 had sent a memo to the various offices, and it
22 directed the Staff. The memo contains a charter. It
23 also has in it eight topic areas. We have roles and
24 responsibilities defined, so who has the lead, and who
25 is the supporting folks. We also have items of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consideration for each and every one of the topic
2 areas. So, you expressed an interest today to talk to
3 us about Topic 3, the steam generator technical
4 review.

5 So, here before you, you see the
6 membership of my team. It's very diverse. I'm showing
7 it on a very high level, office and some of the inter-
8 division level, but it really is eight branches that
9 are working behind the scenes on this, so it's
10 diverse.

11 We have five items of consideration for us
12 to review. So, what I want to follow on with a point
13 that was already brought up, and I want to reemphasize
14 this. We are very early in this stage. The memo came
15 out in the March time period. One month later we had
16 the kickoff meeting, and the kickoff was for all eight
17 of the teams where we had our first marching order. It
18 was a deliverable at the end of May. And this was to
19 write the draft plans of actions of milestones so
20 they're in your folders. And also, by the way, is the
21 tasking memo. A copy of that is, as well, in your
22 folder.

23 The first week or so of June, I guess it
24 was, Craig, that we briefed out all our draft plans,
25 and within a few short days after that the teams

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 officially began working. So, this gets us to pretty
2 much our one-month time period so far in this
3 activity, so there is not much to talk about. But I
4 can share with you the five items of consideration we
5 have, and that's where I will go next, starting with
6 the first.

7 This would be the Staff looking at review
8 guidance, so standard review plans, regulatory guides.
9 These were last updated in the 2007 time period, and
10 it's looking at the various phases, so this could be
11 for new construction, for replacements, or for
12 modifications. So, add a footnote for this, for
13 replacements there's not a lot of activity planned.
14 There's only one licensee who has declared their
15 intent to replace and that is in 2017.

16 The next two items, two and three, are
17 somewhat related. And both of them credits the steam
18 generator program. The first one is looking at new
19 degradation mechanisms and should something be placed
20 into the program addressing that. The third one being
21 fluid elastic instability, addressing the phenomena.
22 The fourth one now engages industry with the Staff,
23 and we're looking at codes and standards. So, an
24 example of this could be the ASME code. And the last
25 being inspection procedures. So, the Staff is looking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at both in-service and vendor inspections.

2 That is really the conclusion of my
3 prepared remarks that I had, so they are very brief.
4 I hope I relayed to you the fact that we have a very
5 diverse team looking at various phases, and we're very
6 early into the process. So with that, Craig, do I turn
7 this back to you, or to the members?

8 MR. ERLANGER: We can open it up to the
9 members. I'll just offer that we are committed to
10 providing you updates as we get traction leading up to
11 the December due date, so we can discuss that at the
12 end if you prefer, but I'll open it up for questions.

13 MEMBER RICCARDELLA: I think we were
14 interested in a little more than just the level --
15 just Topic 3, the technical review. And, in
16 particular, you know, our members have expressed
17 concern, I think it's probably related to the last
18 topic which is vendor inspections. And, you know, in
19 particular, our understanding of the root cause of
20 this event was that there was, basically, inadequate
21 review in accordance with the ASME code and 10 CFR 50,
22 Appendix B, Quality Assurance Standards. And that, you
23 know, that led to the problem that caused the
24 degradation.

25 And the concern is, you know, this

1 happened to be a situation in which it was detected by
2 some leakage and didn't lead to a safety concern, but
3 are there other concerns of this type that are latent
4 that might not be so easily discovered, and might not
5 be discovered until something more serious occurs? So,
6 is there something that we should be doing to make
7 sure that these Appendix B programs are being
8 implemented by vendors -- by licensees and vendors? I
9 think that's how I can best express the concern.

10 CHAIRMAN STETKAR: Kind of as a follow-on
11 to that, Gloria, you mentioned that, in particular,
12 and I think Pete is highlighting areas broader than
13 just steam generators.

14 MS. KULESA: Yes.

15 CHAIRMAN STETKAR: But you mentioned, in
16 particular, in steam generators that the next planned
17 replacement is I think you said 2017.

18 MS. KULESA: Correct.

19 CHAIRMAN STETKAR: What's the Agency doing
20 today? This is not something that you go down to
21 Walmart and buy off the shelf. The design process for
22 those replacement steam generators and fabrication,
23 I'm sure, is well underway even as we speak despite
24 the fact that they may not be cutting the hole in the
25 containment until 2017. So, what is the Agency doing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 today?

2 MS. KULESA: May I ask Ed Roach in order to
3 respond?

4 MR. ROACH: Good morning. I'm Ed Roach. I'm
5 the Branch Chief of the Mechanical Vendor Inspection
6 Branch within the Office of NRO. Under my
7 responsibility includes individuals who will inspect
8 the various mechanical vendors who provide both
9 components for operating and new reactors.

10 Currently, our plan is described among
11 inspection procedures, inspection manual chapters, and
12 our Vendor Inspection Program plan which I discussed
13 probably about a year ago when we came in to talk
14 about large components in the vendor inspection
15 process.

16 Today, we are tracking by virtue of the
17 vendors we know of and we constantly gather
18 intelligence on those vendors who are providing and
19 preparing large components, significant safety-related
20 components for both operating and new reactors.
21 Sometimes that's a challenge to chase them down, but
22 we are aware of at least one vendor who is preparing
23 steam generators, once-through steam generators for a
24 facility, and we performed an inspection of that
25 vendor.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Typically, the basis of our inspection
2 starts with the Appendix B criteria, 10 CFR 50, and
3 the procurement specifications that are provided to
4 that vendor. And then as we perform that inspection,
5 we attempt to tie that inspection to significant
6 technical work being performed so we can at least
7 assess whether that individual is actually
8 implementing their quality assurance procedures when
9 they're performing the technical activities.

10 That's how we approach it right now. We
11 are aware of one other vendor at this time. We had a
12 conversation earlier this week who told us they are
13 preparing steam generators for another formerly
14 prepared site that's going into hibernation but
15 possibly coming out later. So, the time frame is 2016-
16 2017 is what I'm aware of right now. But we constantly
17 seek intelligence on which the vendors are preparing
18 various components.

19 MEMBER REMPE: So, you were doing that,
20 though, in this case, looking at Appendix B as part of
21 the inspection process. Right?

22 MR. ROACH: Actually, I would say from the
23 period of the late 1990s to the formation of the
24 Office of New Reactors in 2007 time frame, there
25 wasn't as much activity in the area of going out to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 large component manufacturers and looking at their
2 inspection of their fabrication.

3 MEMBER REMPE: So, you are taking increased
4 emphasis on it now as a --

5 MR. ROACH: Yes, and I would say we've kind
6 of broadened this. We don't -- it's not just steam
7 generators, it's major modification components. And
8 the one -- one of the teams that's working under this
9 San Onofre Lessons Learned is Team 8, which one of my
10 members is assigned to lead, has members from a couple
11 of the Regions' technical staff to look at how we can
12 make our process better and set the criteria for when
13 we go to inspect. That's the goal out of that one
14 right now.

15 MS. KULESA: As a matter of fact, the plans
16 are Topic 8, and that's in your book, as well.

17 MEMBER SCHULTZ: Just for clarity, it
18 sounds as if the resurgence of the program came
19 because of new reactors, not because of this
20 particular issue.

21 MR. ROACH: I'd say that's correct. The
22 Office Director for NRO, Glenn Tracy, when he was the
23 Division Director for Division of Construction
24 Inspection Programs took the Lessons Learned, NUREG-
25 1055 and encouraged the development and resurgence of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the vendor inspection and the necessity for that. So,
2 some of the challenges are getting to the
3 international vendors in the right time frame, but
4 we've managed to overcome that. And later this month
5 we have team members going to Pusan in Korea to
6 observe welding of the RCP casings onto the AP1000
7 steam generator, so that will include Appendix B, or
8 affected portions of the criteria when we get there.

9 MEMBER BLEY: I don't know all the NUREGs
10 by number. What is that?

11 MR. ROACH: NUREG-1055 was -- I've got to
12 think when it was published, but it basically was the
13 Lessons Learned from the previous construction
14 projects and build of nuclear power plants.

15 MEMBER BLEY: Okay.

16 MR. ROACH: And one of the key items in
17 there is to have, basically, a more proactive or
18 aggressive inspection of fabricators, suppliers.

19 CHAIRMAN STETKAR: You don't need to cite
20 the specific date, but could you narrow it down to a
21 decade or a half a decade?

22 MR. ROACH: Well, it was the '90s when it
23 came out.

24 CHAIRMAN STETKAR: Okay.

25 MR. ROACH: I do remember the '90s.

1 MEMBER SKILLMAN: I'd like to ask this
2 question. Your comments relate to application of
3 Appendix B to 10 CFR 50 to fabrication of components
4 pretty much. What consideration has been given to
5 inspecting the underlying capability of a
6 sophisticated replacement component? I'll give you an
7 example.

8 Supposing you change out the seals, the
9 seal package on a reactor coolant pump. It's fairly
10 sophisticated, has the capability to be a LOCA. The
11 basic designs are fairly well understood, but we've
12 learned that a slight tweak to a basic design can
13 create a very different seal package. And that new
14 design is normally tested very rigorously before it is
15 presented for use.

16 I would go so far as to say in most of the
17 sophisticated components in any of the fleet today
18 there has been a tremendous amount of testing of those
19 components before those components have been brought
20 to use. So, to what extent does your inspection
21 program inspect the test results to insure that the
22 component that you are now watching being fabricated
23 is truly fit for duty?

24 MR. ROACH: So, to restate the issue,
25 within our Vendor Inspection Program the question is

1 how well does our program inspect the testing or test
2 results of sophisticated components in the operating
3 fleet that are put into service?

4 MEMBER SKILLMAN: No, let's talk about a
5 replacement. You're going to have inspectors in Korea,
6 I think you said Pusan, looking at welding, so they're
7 looking at welding of the reactor coolant pump bowls.

8 MR. ROACH: Yes.

9 MEMBER SKILLMAN: How do you know that
10 reactor coolant pump is fit for the duty that it is
11 intended for when it is finally brought into use? Do
12 you inspect the test results, the test program to make
13 sure that even with the welds, that device will do
14 what it's supposed to do?

15 MR. ROACH: We're speaking in general right
16 now about new reactors. And within the new reactor,
17 the AP1000, around the 25th of June we had a limited
18 scope inspection at Curtiss-Wright electromotive
19 devices to look at their reactor coolant pump program
20 where they are -- currently have some parts fabricated
21 for U.S. plants, but they're working mostly on
22 international customers. So, all the risk-significant
23 -- our plan has us look at the risk-significant
24 components and inspect them. So, we did a limited
25 scope, planning to come back for a major inspection,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and also look at -- they have a test loop there that
2 tests the pumps that operating pressure and
3 temperature to do run out loss of cooling, various
4 tests, so we do look at test control, and we've looked
5 at test control on a variety of what I would call
6 risk-significant new components for the AP1000 design,
7 nozzle check valves, squib valves are examples of
8 that.

9 On the operating fleet we typically depend
10 on operating experience and communication from the
11 Office of Nuclear Reactor Regulation when there are
12 significant issues noted within the operating fleet
13 that they want to engage the Vendor Inspection Program
14 into. We track Part 21 notifications. We look at
15 operating experience. We were aware of one
16 manufacturer's limited leakage seal issues and had
17 talked with the NRR representative to see if we needed
18 to initiate a vendor inspection on that area at this
19 time; however, it's just in a watch and wait mode. But
20 we do monitor that, that's part of our system for --

21 MR. HILAND: If I could add to the
22 discussion.

23 MEMBER SKILLMAN: Sure, Pat.

24 MR. HILAND: Okay, thanks. I'm Pat Hiland,
25 and I'm the Director of the Division of Engineering in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Office of Nuclear Reactor Regulations. And I think
2 your question is a little bit broader than new
3 reactors and inspection, and the Vendor Inspection
4 Program. As I'm sure the members all know, we have,
5 you know, the 5059 process, and if a design change
6 doesn't meet that criteria, you know, that change
7 could come in under the license amendment request.

8 You know, currently and specific to the
9 seal packages under the mitigation strategies that
10 we're working on, and the Japanese Lessons Learned
11 Program, we are in the Office of NRR reviewing some
12 new designs. And those new designs in the seal
13 packages are to get credit for the mitigation of the
14 seals. So, those seal packages, members from our
15 engineering group in my office, as well as the vendor
16 and mechanical specialists have gone out and looked at
17 -- there's two manufacturers to date, and we've gone
18 out and looked at their test results. We verified
19 their criteria, and we're still looking at it.

20 So, I think to answer your question, it
21 depends. It depends, you know, is this a finished
22 product, is this a product that's been approved
23 through the licensing process? Then our vendor people
24 would get involved. If it's a new design, something
25 brand new under the 5059 process that you would go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through, we would look at it from an engineering
2 perspective, and then include at the end possibly the
3 Vendor Inspection Program.

4 I had the Vendor Inspection Program within
5 my Division prior to 2007, and then it was much
6 smaller than it is today. We relied a lot more on
7 industry, the NUPIC industry audits. We accompanied
8 those audits to verify that the industry was looking
9 at the vendor support programs. Now, with the new
10 reactors, though, over the past seven years, that
11 program has grown to what it is today to support the
12 construction of new plants, the Vendor Inspection
13 Program.

14 MEMBER SCHULTZ: Pat, what I'm hearing from
15 the two discussions we've just had is that the overall
16 quality programs for the vendors, a review of that is
17 held by organizations such as NUPIC, or individual
18 licensees holding the responsibility for performing
19 the review of the vendor quality programs. I'm talking
20 about the whole program associated with quality, or is
21 there particular NRC involvement associated with that
22 other than accompanying the programs that NUPIC, or
23 reviewing the programs that NUPIC develops?

24 MR. HILAND: Yes. I'll let Mr. Roach speak
25 to the new construction. He's more familiar than I,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but for the operating fleet and how we did business
2 prior to '07, you know, what the vendor group did at
3 that time is we would go out and look at, essentially,
4 problems that were brought to our attention. If we had
5 problems brought to our attention, we would go out and
6 do a specific inspection activity at that vendor. And
7 in parallel with that, of course, would be to
8 accompany industry. They have the overall
9 responsibility to implement the Quality Assurance
10 Programs. Our responsibility is to assure those
11 programs are being done in accordance with the
12 Appendix B and the N Stamp Program, et cetera.

13 MEMBER SCHULTZ: But from what you've said,
14 and what I've heard here is that it's incident-driven.

15 MR. HILAND: It's incident -- for the --
16 prior to '07 it was, I wouldn't say incident-driven,
17 but it was problem-driven, problems brought to our
18 attention. For the most part we would go out, although
19 we did sample from time to time, but we accompanied
20 NUPIC. That was part of the vendor program, the way it
21 was prior to '07.

22 Currently, I think, and Mr. Roach, you
23 know, they have a selection criteria they go through
24 to visit all of the various vendors that are
25 manufacturing products under the Appendix B program.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROACH: Again, typically, the first
2 time we go to a vendor we do assess their quality
3 program, whether they're an NQA-1 to meet Appendix B,
4 or they're an ASME code shop under the 3800 Quality
5 Assurance Program. So, we do look at that when we go
6 in there, and we also have representatives, as Mr.
7 Hiland said, that follow with NUPIC. We go on at least
8 two NUPIC audits a year to continue to have assurance
9 that they're performing the right oversight by the
10 licensee, or the licensee's representative. And we
11 also attend the conferences that NUPIC provides, so we
12 have an understanding of which vendors are problem
13 vendors, and we -- if we feel that there's not an
14 active approach to solving that problem we may get
15 involved in there. But our first inspections at a
16 vendor typically include the Quality Assurance Program
17 to make sure we feel that they meet all the
18 appropriate Appendix B requirements, and the
19 procurement specs that they're working on.

20 MR. HILAND: And just to be clear -- Pat
21 Hiland speaking. Just to be clear, when the Vendor
22 Inspection Program was moved over to the Office of New
23 Reactors they took it all. They have both new
24 construction, as well as the operating fleet today,
25 and we may help them, or we may assist them on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inspections they do, but the Vendor Inspection Program
2 exists in total in the Office of New Reactors.

3 MEMBER SCHULTZ: Thank you.

4 MEMBER RICCARDELLA: You know, bringing it
5 back to the SONGS steam generator issue, you know, our
6 understanding is that that was a design problem, not
7 a fabrication problem, and part of the design issue
8 was to test or not test that new design. And that was
9 in the pre-2007 time frame when that design work was
10 being done. So, you know, are there some Lessons
11 Learned there looking back at what the program was
12 back there when that design work was being done, why
13 that decision was made to not test that new large
14 steam generator design?

15 MR. HILAND: Since, I think you're looking
16 at me, this is Pat Hiland. Let me just try to give an
17 opening comment, and then have Staff respond.

18 I think the purpose of today's discussion
19 is to look at what our planned activities are, and I'm
20 not sure -- the topic that you're discussing, I'll ask
21 my Staff, do we have that covered in our planned
22 activities moving forward, or is that a suggestion
23 that we could capture?

24 MS. KULESA: I believe this would be
25 something to capture. I don't believe this is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something that we had intended to bring within this
2 topical area. It might also be an item that -- a
3 possible other topical area, so we could capture this
4 as an action item.

5 MEMBER SKILLMAN: I'd like to --

6 MR. HILAND: Let's be more succinct on what
7 the point is.

8 MEMBER SKILLMAN: Pat, I'd like to get back
9 into this because I want to kind of push the thread
10 that Dr. Riccardella just introduced.

11 You raised 5059, and my comments are not
12 intended to be pejorative, but I spent a lot of time
13 in plants making modifications. I understand 5059, and
14 for the uninitiated, 5059 is a screen as to whether or
15 not you need a license amendment. It is not the basis
16 of an engineering evaluation. The engineering
17 evaluation is a completely different piece, and the
18 rigor of that evaluation will determine the success of
19 the plant's operation with that modification, whether
20 it's a teeny modification or a huge modification.

21 So, I think when I read all of this, and
22 when I thought about what we're trying to do here
23 today, maybe one of the things that the ACRS can do is
24 to identify several other items that are valuable in
25 the consideration of the San Onofre Lessons Learned.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, back to Dr. Riccardella's point. If the pitch on
2 the tube was fundamentally different than the
3 generators that were removed, if the pitch on the
4 tubes was fundamentally different than the pitch of
5 the RSGs that were removed then I, for one, as a PE in
6 a couple of states would say that's a major change.
7 And if you don't know the thermal hydraulic conditions
8 under which that tube behavior will create some
9 phenomenon, then you probably have not fully evaluated
10 that modification.

11 So, whether it's a modification to a high-
12 pressure injection pump, a pressurizer heater, a pore,
13 a squib valve, a module in RPS, to the extent that
14 what you don't know is important needs a test, or
15 needs some treatment beyond we think it's okay because
16 it's a like-for-like comparison. I'll give you a good
17 example.

18 We changed out a bunch of relays at TMI
19 using phosphorous boron springs. We were down deep in
20 the procurement rule, and we said this is a like-for-
21 like replacement, and we learned that the difference
22 between a 5 mil thick and an 8 mil thick spring
23 avoided the wiping contact that is necessary to insure
24 connectivity on ESAS actuation; a very subtle point,
25 but it's the difference between operable and not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operable for that device which happens to be a safety
2 grade device.

3 Thinking of San Onofre, again, not trying
4 to be pejorative, the Lesson Learned might be that on
5 any component replacement, first of all, you've got to
6 know what's changed, and you need to know from what's
7 changed is there test data to confirm that what you
8 anticipate the success path to be, to be fulfilled.
9 And I will say that I learned that lesson a number of
10 times very painfully. The devil is in the details, and
11 the thick magnifying glass for the modification is
12 what carries the day. And with that, Pete, I'll turn
13 it back to you. That, to me, is the -- perhaps the
14 residual that I would take away from this very
15 significant industry event, world event.

16 MR. HILAND: Yes, I understand. And I'm not
17 sure that you've had enough time to go through the
18 plan of action under the 5059. I agree with everything
19 you said. Okay? With that, our topics under there and
20 where we are looking those, in general, would be
21 captured, or did we miss something?

22 MEMBER SKILLMAN: I did not see in the
23 reading that I did that the sophistication of the mod
24 perhaps under 5059 needs a tag. One could say under
25 5059 I'm doing a like-for-like, so I do not need a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license amendment. But I think an astute person would
2 say wait a minute, this is not like-for-like. The
3 sophistication of this device is so great that this
4 probably deserves greater consideration, not
5 necessarily from an economic perspective, but from an
6 overall plant design and safety perspective because
7 you don't know what you don't know.

8 MEMBER RICCARDELLA: My perspective is
9 whether it's a 5059 or a license amendment, it doesn't
10 matter. The engineering has to be done right.

11 MEMBER SKILLMAN: Well, I agree with that.
12 The problem is a 5059 can avoid that step if those
13 writing the 5059 say this is really not -- this
14 doesn't require a license amendment.

15 MEMBER RICCARDELLA: But it has to meet
16 ASME code -- this particular one had to meet ASME code
17 requirements. And as I read the code, it would have
18 required testing because this is a substantially new
19 design and not a simple geometry.

20 MR. KOKAJKO: Might I interject for a
21 moment? This is Lawrence Kokajko, I'm the Division
22 Director of the Division of Policy and Rulemaking. And
23 I would say that we agree, we understand your point.
24 And those are the questions that we are evaluating
25 under this plan of action.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 One of the things we are doing is to look
2 at -- evaluate the adequacy of 5059 as for such large
3 complex components and to determine whether we need
4 additional guidance in this area. And like-for-like is
5 one topic that we are addressing.

6 We are in violent agreement with your
7 comment. We understand the concern because we have it
8 internally ourselves, and we are asking those same
9 questions. We're looking at this with a fresh set of
10 eyes right now, so I understand both your points. I,
11 personally, would agree that this needs to be further
12 evaluated, and we are doing that. And that's part of
13 the process that we're going through now, and that's
14 what the -- we were tasked to do, and we have been
15 working this for some time.

16 Some of these questions were raised as
17 soon as we got wind of this problem some time ago, and
18 we've been trying to assess it ever since. And now
19 we're formalizing it under the plan of action.

20 MEMBER RICCARDELLA: Thank you. I think
21 maybe the message is that, at the ACRS, I think we
22 would like to be involved in a little bit more than
23 just Topic 3.

24 MR. ERLANGER: This is Craig Erlanger, and
25 when we come back to brief you again what we'll do is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we'll expand the scope for greater than Item 3 and
2 include that topic, as well. And we'll have to go back
3 and look at all the items, and we can work with your
4 Staff to do that, as well. If there's anything in
5 there you're interested in, we can include that in the
6 brief, as well.

7 MEMBER SKILLMAN: Thank you.

8 MEMBER BLEY: An organizational question.
9 I haven't had a chance to read everything that you
10 guys passed on and we found on the website, but is
11 there a single document that's your basic planning
12 document? Do you have something -- there's a lot of
13 parallel activities. Do you have something like a per
14 chart that lays it all out?

15 MR. ERLANGER: To understand your question,
16 for the actual milestones?

17 MEMBER BLEY: Yes, how to get there.

18 MR. ERLANGER: Can you slide up Slide 10,
19 please?

20 MEMBER BLEY: I mean, you've got all the
21 milestones but there are all sorts of parallel
22 activities that are going on there.

23 MR. ERLANGER: Absolutely. And what the
24 slide that is being presented, Slide 10, that's the
25 overall project milestones we're working towards. For

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 each actual item in the backup slides we'll walk
2 through -- we walk through by item what the project
3 plan is. What we can do is streamline that a bit to
4 keep you abreast of what our activities one. And one
5 thing we're going to talk about at the end, and we
6 could talk about it now if it's more appropriate, is
7 when to engage and come back to you all when we get a
8 little more traction. But does that answer your
9 question, sir, kind of the dates we're working
10 towards?

11 MEMBER BLEY: That's a start. It's a start.
12 Go ahead.

13 MR. ERLANGER: So, just quickly, as Gloria
14 mentioned, we're just now getting underway. The key
15 milestones that I'll pull out are really in the
16 October time frame when the actual deliverables for
17 the individual items are going to be put into the
18 project team. Obviously, it would make sense that we
19 get back to you prior to that date to understand if
20 we're capturing your concerns, so we'll look and work
21 with your Staff.

22 I would throw out a fall time frame to
23 talk to you, early part of the fall, at the end of the
24 summer to come back when we get a little bit more meat
25 on the bones and have some information to tell you

1 where we fell out on the individual items. And that
2 would be my recommendation.

3 MEMBER RICCARDELLA: John, do you think we
4 should schedule --

5 CHAIRMAN STETKAR: October Full Committee
6 meeting looks like a good target date. Work with our
7 Staff.

8 MEMBER RICCARDELLA: Should we schedule a
9 Subcommittee, do you think?

10 CHAIRMAN STETKAR: That's up to you, Pete.
11 Probably, but that -- it depends on the level of
12 depth, and that you can work with the Staff --

13 MEMBER RICCARDELLA: Okay, I will.

14 CHAIRMAN STETKAR: -- to decide whether
15 you want --

16 MEMBER RICCARDELLA: Maybe we might want to
17 have a Subcommittee meeting --

18 CHAIRMAN STETKAR: It probably would make
19 sense to delve into more detailed information than we
20 can in the time available in the format of the Full
21 Committee meeting.

22 MR. ERLANGER: Absolutely. And those other
23 items such as the 5059 task, and if there's any more
24 in there that you want us to weave into the
25 presentation, we can do that at that time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: But I think the message
2 is we'd like to engage as a Full Committee and, you
3 know, earlier rather than later.

4 MR. ERLANGER: Absolutely.

5 CHAIRMAN STETKAR: Keep abreast of what
6 you're learning and what's going on, and at the
7 Subcommittee level to delve into more detail. So, kind
8 of September-October time frame sounds, looking at
9 this schedule, like an appropriate opportunity.

10 MR. ERLANGER: And about the schedule, we
11 did factor in, it looks like there's an enormous
12 amount of time between October and December to pull
13 everything together, but we recognize the holiday
14 season, folks being out, getting a document through
15 multiple offices for concurrence and whatnot, so
16 that's why we're planning to get stuff done in late
17 October.

18 CHAIRMAN STETKAR: And, quite honestly,
19 from our perspective this, obviously, will have
20 Commission visibility, and we should not be put into
21 a position where our input is too little too late, so
22 we need, I think, collectively to remain sensitive to
23 that as you rush to finish the thing before the
24 holidays.

25 MEMBER RICCARDELLA: Do any of the Staff

1 have any -- any of the members have any additional
2 comments or questions?

3 MEMBER POWERS: Maybe it's too soon to ask
4 this question, but it would seem to me that the
5 inspection program is very much activity focused, and
6 the question that you raised was one of engineering.
7 And is that the issue that's going to be addressed by
8 this task force?

9 CHAIRMAN STETKAR: And I think that's a
10 fundamental question. I think it is the fundamental
11 question.

12 MEMBER SCHULTZ: That's one of the reasons
13 why I raised the quality program as being, if you
14 will, the general definition of what resulted in the
15 failure here. That is to say, if you wish to identify
16 how to prevent such problems from recurring, just
17 focusing on engineering, or focusing on 5059 process
18 is really not going to do it. You may demonstrate that
19 you'll address the issue for this type of component
20 replacement, but that -- I don't feel that should be
21 the objective of the investigation. I think it should
22 be broader than that.

23 MEMBER BALLINGER: It's really more a
24 process but the process didn't work with respect to
25 the overall --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: But even if the process
2 was there --

3 MEMBER BALLINGER: It was there.

4 MEMBER BANERJEE: -- would you have caught
5 the issue? To me, this is really -- I mean, what sort
6 of testing would have caught this? Imagine you did
7 testing. It's not obvious that you would have caught
8 it, you know. So, I think there are always going to be
9 issues like this, which are not going to be very easy
10 to resolve.

11 CHAIRMAN STETKAR: But if you didn't do any
12 testing you had no opportunity to catch it.

13 MEMBER BANERJEE: I think we need to look
14 into this.

15 MEMBER BALLINGER: The process that we
16 failed to point out that you really did need to do the
17 testing.

18 MEMBER RICCARDELLA: Yes. I think there was
19 an error that led to the -- an error in the
20 calculations that led to the decision not to test that
21 a proper QA program would have detected that error,
22 and that might have driven the decision to test.
23 That's my understanding, anyway.

24 MEMBER BROWN: Why would it have been --
25 since I'm not a steam generator guy, why would it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have been calculations? I mean, determining similarity
2 of the design based -- that's looking at what have
3 they done internally, and what are the differences
4 that you see internally in the replacement? That's
5 more of an engineering assessment which brings
6 judgment into play, because it can go all kinds of
7 places, not just necessarily those changes. But what
8 about a manufacturing process that changed slightly?
9 I was involved in one of those where the design was
10 great. We didn't know they shipped it off to Puerto
11 Rico to have the laminations pressed for a relay
12 contactor, supposed to go for a million operations.
13 Well, the operation down there quenched the
14 laminations after they stamped them in oil, didn't
15 clean them, assembled the relays. We got them into
16 ships. The ships were in areas where it was warm, the
17 oil oozed out and the contactors stuck, and your rods
18 keep going out. Not a good plan. I have to deal with
19 Rickover on that one. That wasn't fun, so -- and I had
20 to solve it. It took a while to figure that out. It
21 was merely a matter of how the guys in a U.S.
22 facility, you know, had all the QA stamps, they had
23 all the quality there, they had all the processing
24 paper filled out.

25 MEMBER SCHULTZ: But in the quality program

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the right questions weren't asked.

2 MEMBER BROWN: I'm not arguing about that,
3 but it took a while to figure out. There's all these
4 -- and just figuring out, you know, what does it look
5 like, what's similar and what's not, you know,
6 changing stuff out and assuming it's similar is just
7 fraught with peril if you're not very, very careful.
8 So I just think it goes more than -- a QA program,
9 that's got -- the engineering at the beginning of the
10 whole thing when you're doing the replacement is what
11 really sets the tone for getting on with it. That's
12 personal opinion.

13 CHAIRMAN STETKAR: Some of these -- I mean,
14 these are difficult questions to address, but they're
15 fundamental questions to address. If I look at the
16 schedule, this is basically a six-month effort. I know
17 you have several people working on it, but it's still
18 calendar time, it's a six-month effort. And if you
19 address simply the little issues that you've
20 identified in your items here; oh, yes, I can look at
21 procedures. I can look at additional guidance for
22 inspectors, I can look at all of that stuff in six
23 months. Six months sounds like a really short time to
24 really delve into the fundamentals, in the same way
25 that if people had been doing their job and really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 asked the right questions of the engineering, we
2 wouldn't be sitting here today. If you're not
3 challenging yourself to ask the difficult questions
4 about the process, at the end of six months we're
5 going to have a very superficial review and
6 conclusions that yes, we need to add the -- you know,
7 one line to one inspection guidance that says an
8 inspector for this type of material should look at
9 this particular element. That's not going to solve the
10 problem.

11 So, in some sense, if you're not going to
12 tackle the difficult issues, the six-month schedule
13 might be okay. If you're going to tackle the really
14 difficult issues, it's not clear you can do that in
15 six months.

16 MR. ERLANGER: And I think one possible
17 outcome is we will -- if we can identify those issues
18 and part of the report is the recommendation that a
19 particular program area needs to be a focus of effort
20 and the follow-on, that could be one outcome of it.
21 You're right, it's not a lot of time, but I think we
22 can get some good traction and at least identify what
23 the issues are and come up with a plan on how to
24 approach them in this time period.

25 CHAIRMAN STETKAR: As I said, you know, in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the sense of our engagement, that's why sort of a
2 third of the way through this timeline here that's up
3 on the screen now seems reasonable, because you'll
4 have -- by that time you'll have had two or three
5 months to actually -- or a couple of months, anyway,
6 to really think about what you're doing. Kamal, you
7 would like to say something?

8 MR. MANOLY: Yes, I would just like to add
9 that a couple of items that came up in discussion. One
10 is the compliance with ASME Appendix N. We know ASME
11 Appendix N we don't endorse the regulation, but the
12 licensee had committed to it. The fact that the
13 configuration they have for the plant is not the same
14 as the one -- the formulation in ASME describes, so
15 testing clearly would have been the obvious thing that
16 should have been done.

17 MEMBER RICCARDELLA: It should have been
18 tested.

19 MR. MANOLY: Yes, that's pretty much
20 obvious thing to me that is missing.

21 The other thing is the discussion about
22 similarity. Industry use similarity for equipment for
23 seismic, as well as for component that has low induced
24 vibration. There's a lot of work that was done in the
25 seismic area on similarity and grouping equipment in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 classes. We look at that closely in the seismic area.
2 I'm not sure how much similarity is used for steam
3 generators testing, but to me that goes to the heart
4 of the engineering deficiency that was found. A lot of
5 other things, how to capture it, I guess that's a
6 different issue. But, clearly, there was not
7 compliance with ASME in that event.

8 MEMBER BALLINGER: But, again, that was a
9 specific thing. I mean, to me there were a couple of
10 paths that we're on there that the process should have
11 identified and found. There were simple blunders, if
12 you will, in not transmitting the pitch difference
13 between the square pitch and the triangular pitch,
14 errors in calculations. The process should pick that
15 up. And then there are areas in judgment that go on
16 related to test or not test.

17 How does the -- are you looking at the way
18 the process works, and if you identify these sort of
19 incidents that happen, plus the errors in judgment and
20 things like that that happen, is it -- are you going
21 to flow all that in? I'm maybe not wording it right,
22 but to me it looks like the process didn't find, or
23 didn't see the obvious sort of high school blunders in
24 some cases, but also the more general part that Dr.
25 Riccardella is talking about, and that is the issue of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 making a judgment, should I test or should I not test?
2 The code specifically said yes, and in retrospect it's
3 obvious that that's correct, but somewhere along the
4 line they decided not to. There must have been a
5 reason why they decided not to. And that's part of the
6 process itself, and that's the QA thing that Steve is
7 talking about.

8 MR. ERLANGER: This is Craig Erlanger. I
9 think we understand the comment and suggestion. We've
10 heard it from different angles this morning. We need
11 to take that back and discuss it as a team. We have a
12 meeting this afternoon, and find a way to weave those
13 thoughts into the Lessons Learned product, and we will
14 do so. And, again, when we meet in the next setting
15 we'll have a larger group present, and we'll discuss
16 how the interdependencies between these tasks, and how
17 we have accounted for them.

18 MEMBER BLEY: Great.

19 MR. ERLANGER: It's not far enough. We need
20 to take that back and work on it.

21 MEMBER BLEY: This gets me wondering. I was
22 -- I don't want to get too far -- my nose too far into
23 the management of this thing, but your discussion with
24 John about schedule. When I look at this, this is all
25 team meetings and drafts. We've got feet on the ground

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 technically actually doing work now, or are we still
2 organizing how we're going to do this? And if we're
3 still organizing and planning, and identifying our
4 actions, it might be a while until we'll really doing
5 some technical digging.

6 MR. ERLANGER: We have folks working on the
7 actual project depending on -- and what I'd offer is
8 that in all fairness, depending on the item they're at
9 different stages of progress. Some have reached, some
10 are further along, others are just beginning, but
11 across the board we are developing drafts and working
12 on it.

13 MEMBER BLEY: Okay.

14 MEMBER RICCARDELLA: Okay. Well, thank you,
15 Craig. We appreciate the briefing, and we look forward
16 to talking further on the subject. With that, I'll
17 turn the meeting back to John with time to spare, more
18 time to work on letters, maybe.

19 CHAIRMAN STETKAR: Well, no, actually, but
20 -- first of all, before we recess for lunch is there
21 anyone in the room, a member of the public or anyone
22 else who would like to make a statement? If not, we're
23 in the process of getting the bridge line open, so
24 folks who may be listening in on the bridge line bear
25 with us if you're out there for a couple of minutes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 until we get the line open.

2 Okay. If there's someone out there could
3 you just please do me a favor and say hello or
4 something just we confirm that the line is open in
5 this direction.

6 MR. LEWIS: My name is Marvin Lewis, and
7 yes, I have a statement.

8 CHAIRMAN STETKAR: Thanks, Marvin, and we
9 can hear you, so the line is open. Please make your
10 statement.

11 MR. LEWIS: In the matter of SONGS problems
12 with their tubing, I had read many papers and email,
13 and what have you that SONGS had pretty much changed
14 their design of the tubing in order to get an
15 uprating, sneak an uprating around the NRC, sneak
16 through an uprating around anything it could. And I
17 just was wondering how accurate is that? Thanks, bye.

18 CHAIRMAN STETKAR: Thanks, Marvin. And your
19 comment is duly noted. Is there anyone else on the
20 bridge line who like to make a comment? If not, thank
21 you all, and thanks again to the Staff. We certainly
22 look forward to meeting with you sometime in the early
23 autumn and starting to delve into a little bit more of
24 the technical meat of what you're up to, and
25 appreciate the briefing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Because this is a Full Committee meeting,
2 we do have to stick to our calendar time, and we do
3 have a presentation at lunch, so we -- or after lunch,
4 so we are now recessed until 12:45.

5 (Whereupon, the above-entitled matter went
6 off the record at 11:14 a.m., and resumed at 12:47
7 p.m.)

8 CHAIRMAN STETKAR: We are back in session.
9 The next topic on our agenda is NRC Staff activities
10 regarding consolidation of rulemakings associated with
11 -- and I'm not going to read the list, several Near
12 Term Task Force Recommendations, and Dr. Steve Schultz
13 will lead us through that session. Steve.

14 MEMBER SCHULTZ: Thank you, Mr. Chairman,
15 I appreciate it. I'm not going to read the list
16 either, but I did want to provide a background to why
17 we're here today. This is an information briefing for
18 the Full Committee, as I think we're all aware, but
19 for the record the Subcommittee associated with
20 Fukushima is a Full Committee Task Force, as well. So,
21 in thinking about how we might handle this briefing,
22 we determined that rather than go into a Subcommittee
23 for a full day given the information that we want to
24 share with the Committee, that doing this at a Full
25 Committee would be most appropriate for the benefit of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the Staff, and for the Committee, as well.

2 The purpose of the briefing is to discuss
3 the consolidation of rulemaking that has been proposed
4 by the Staff this spring, thought about earlier than
5 that but proposed this spring to the Commission, and
6 it has recently been approved by the Commission to
7 proceed in combining the two most -- the two primary
8 rulemakings associated with Station Blackout
9 Mitigation Strategies along with Onsite Emergency
10 Response Capability approaches. And there are a number
11 of different features that are combined with those.

12 The Staff proposes to the Commission
13 because they recognize that there were a lot of
14 elements associated with those primary rulemakings
15 where timing was important, the materials associated
16 with the findings of the rulemaking were interacting
17 and so there were a number of good reasons to
18 consolidate these into one overall rulemaking
19 associated with them.

20 The result of this is from a practical
21 point of view that it will be better for all
22 participants, stakeholders internal to the Agency will
23 benefit because there will be one package that will
24 move forward, and the combination of the -- and
25 consolidation of the rulemaking will allow different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interacting features associated with rulemaking to be
2 both prominent and able to be considered at the same
3 time. Therefore, it will be more efficient and more
4 effective. Also, from an external stakeholder
5 viewpoint, the same -- those same features come into
6 play, and it will also be more efficient from a
7 resource point of view for external stakeholders. And
8 we think that's important, also.

9 From the prospective of the Full
10 Committee, we did write a letter associated with the
11 Station Blackout Mitigation Strategies associated with
12 the rulemaking over a year ago. We had several
13 comments associated with the rulemaking, technical
14 comments that I won't go over now, but just to point
15 that we did ask the Staff and comment that in addition
16 to those technical recommendations, we would have to
17 interact further. With the current schedule which the
18 Staff will go through today, we have scheduled a
19 Subcommittee meeting associated with this activity to
20 occur in November. We have blocked out two full days
21 for that Subcommittee meeting, and this is aimed at
22 the understanding that the proposed rulemaking
23 documentation will be completed before that time. And,
24 also, in preparation for delivery to the Commission
25 before the end of the year.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I would also like to -- and so we also
2 have a Full Committee meeting scheduled on that for
3 December for the Committee. I would also like to
4 mention, I'm sure the Staff will get into this, but
5 although the consolidation has been done, the effort
6 and the scope of each of the rulemaking activities
7 which have been combined here has not been reduced, so
8 the overall mission and intent is being retained. And,
9 also, at this time the schedules associated with
10 rulemaking have been at least maintained. That is for
11 delivery by the end of the year for the proposed
12 rulemaking, and the intent also to fit within the
13 overall Fukushima program, the intent is to assure
14 that implementation schedules are not extended as a
15 result of this particular action. So, we think that's
16 important in terms of the overall purpose and prospect
17 of the consolidation.

18 So, with that, I'd like to turn this over
19 -- the other piece that you can see here is a
20 discussion associated with the new Japan Lessons
21 Learned organization. And, also, in the SECY document
22 that was sent to the Commission, the Staff proposed
23 some modifications and changes, and the Commission has
24 also indicated that those changes are authorized, so
25 we're going to hear more about that, how the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 organization in the technical and license support
2 areas particularly with respect to the Fukushima
3 activities are changing. Since we're going forward in
4 a new mode of operation, we'd like to hear about that.

5 With that, I'd like to turn the discussion
6 over to Aby Mohseni, who is the Deputy Director for
7 the Division of Policy and Rulemaking in NRR, and
8 welcome the Staff to the discussions this afternoon.
9 Thank you for coming.

10 MR. MOHSENI: Thank you very much, Dr.
11 Schultz, for that introduction and the background. It
12 actually brings us accurately to where we are today.
13 As you mentioned, my name is Aby Mohseni, and I was
14 recently selected to be the Deputy Director for the
15 Division of Policy and Rulemaking in NRR. It is a
16 pleasure to be here. The engagement with you is always
17 very valuable, to discuss the status of the efforts,
18 Staff's efforts concerning the mitigation strategies
19 of Order EA-12-049, and the associated rulemaking
20 activities.

21 Our purpose today, as Dr. Schultz
22 mentioned, is to bring the ACRS up to speed on where
23 we are with respect to the regulatory efforts and also
24 to apprise ACRS of our plans going forward. As part of
25 that plan, we expect to brief the ACRS on these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 activities again in November.

2 Today, Stew Bailey on my left from the
3 newly formed Japan's Lessons Learned Division will
4 describe an overview of the new organization and
5 provide a status of the efforts associated with the
6 mitigation strategies. Following Stew's presentation,
7 we will have Tara Inverso on my right from the
8 Division of Policy and Rulemaking provide an update
9 status of our ongoing rulemaking efforts both for
10 mitigation strategies and for Onsite Emergency
11 Response Capabilities Rulemaking.

12 As Dr. Schultz mentioned, we propose to
13 the Commission to consolidate the two, and the
14 Commission approved as of yesterday. As this Committee
15 is also aware, we have had several previous
16 interactions on mitigation strategies, and a previous
17 interaction on the Onsite Emergency Response
18 Capabilities Rulemaking with the Committee. We remain
19 very appreciative of interactions like today's, and
20 from the feedback provided by ACRS members. We will
21 always continue to improve our package.

22 I would like to point out that as
23 mentioned, this is an information briefing and,
24 therefore, we're not seeking a letter. With that, let
25 me turn it to Stew.

1 MR. BAILEY: Thank you, Aby. So Aby
2 mentioned, I'm Stewart Bailey. I am one of the Branch
3 Chiefs in the new Japan Lessons Learned Division. My
4 branch is one of the technical branches responsible
5 for containment and balance of plant. So, I'll go to
6 the next slide here.

7 So, as you've heard, we recently stood up
8 a new organization to deal with the Near Term Task
9 Force issues associated with the post-Fukushima
10 Lessons Learned. The goal of the new organization was
11 to be able to execute the majority of the Tier 1
12 activities within the new organization, and to provide
13 the management oversight to support these high-
14 priority tasks. We also looking to promote the
15 efficient use of Staff resources since they were using
16 much more -- these activities were using much more
17 resources than previously anticipated.

18 To this end, the organization is providing
19 the integration and project management of the Tier 1
20 activities. The organization is responsible for all of
21 the orders including the technical aspects of those
22 orders, and is structured in such a way that
23 additional technical areas could be added if that
24 becomes the appropriate path.

25 This is, essentially, the merger of the

1 former JLD and the Mitigating Strategies Directorate
2 with some additional project management capabilities
3 and some additional management in order to facilitate
4 resolution of some of the more difficult issues, and
5 to facilitate communication with the range of
6 stakeholders that are involved in the Tier 1, actually
7 all the NTTF activities.

8 So, the organization is designed to be
9 flexible. We expect our focus to shift as NTTF
10 activities mature, as they are completed. Looking
11 ahead we see shifts, and we see various technical and
12 policy issues come to focus and then mature, and then
13 we move on to the next one. So, this is really the
14 plan of the organization.

15 The new organization is also designed with
16 an appreciation of the role of mitigating strategies
17 as they relate to all of the other NTTF activities,
18 and the other Tier 1 activities. What we have done in
19 mitigating strategies really factors into the
20 resolution of the other activities. Mitigating
21 Strategies has added new defense-in-depth, new
22 capabilities beyond those previously available to
23 plant operators. And the new organization is set to
24 integrate that perspective in our dealings with the
25 other Tier 1 activities going forward.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, what you see here is just a general
2 organizational chart. The new organization is part of
3 the Office of Nuclear Reactor Regulation. It is
4 divided into two directorates, one to address the
5 technical issues, and another to address the policy
6 and project management issues. At the moment, the
7 technical directorate is focused primarily on the
8 orders.

9 So, speaking of the orders, let me get
10 right to mitigating strategies. So, as an update on
11 mitigating strategies, while no sites are required to
12 be in compliance with the orders as of today, the
13 sites are making significant progress. They are doing
14 a lot of work in mitigating strategies. They have done
15 a lot of analysis and planning, and a lot of the
16 ground work as they developed the integrated plans
17 that were submitted over a year ago, and they continue
18 to do that as they work through the remaining issues
19 and provide their six-month updates.

20 In terms of modifications for equipment,
21 they're procuring equipment as we speak. They are in
22 various stages based on their compliance date, but for
23 the equipment, many of them have already procured
24 their pumps and their generators. They also have other
25 support equipment such as lighting units, fan units,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 communications units, things of that nature that could
2 be brought to bear in a beyond design basis external
3 event. They have generally purchased trucks and front-
4 end loaders to assist in clearing of debris and
5 deploying of the portable equipment. They're building
6 their storage buildings, modifying access points, as
7 needed, to be able to deploy. And many of them are
8 already prefabricating the modifications that can only
9 be done during the refueling outages, so there's a lot
10 of work that's being done to improve plant safety in
11 advance of the compliance date. And the Staff, of
12 course, is reviewing their progress.

13 The Staff issued Interim Safety -- or
14 Staff Evaluations. This is similar to a Staff Safety
15 Evaluation but we issued our Interim Staff Evaluations
16 in February of 2014 for all of the plants. These
17 evaluations included a list of open and confirmatory
18 items that still needed to be addressed. Generally,
19 these are areas that were still under development by
20 the licensee at the time.

21 We continue to audit the work that's
22 ongoing, and I'll get to that a little bit on the next
23 slide. This is an ongoing process. The plan is at the
24 end that we would be issuing a Safety Evaluation for
25 each plant. The Safety Evaluation is scheduled to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issued six months after the last unit at each site is
2 required to be in compliance. Watts Bar will be our
3 first one. As required by the order, Watts Bar is
4 required to -- Watts Bar 2 is required to be in
5 compliance before startup.

6 VICE CHAIRMAN RAY: Now, you're talking
7 about Watts Bar 1, or 2, or both?

8 MEMBER CORRADINI: Can I just -- so, I was
9 waiting for a mapping of what are orders, what are
10 rules, and the genesis of the evolution of that. Is
11 that going to come eventually?

12 MR. BAILEY: I don't have a map laid out.
13 Did you guys lay out --

14 MEMBER CORRADINI: I mean, I figured this
15 presentation would somehow make me feel better that
16 everybody understands the big picture, and here's how
17 the big picture is going to fold into codifying this
18 in rules.

19 MS. INVERSO: We did have something like
20 that --

21 MEMBER CORRADINI: So, that's my
22 expectation. Will my expectation be met?

23 MR. REED: We don't have a map on a slide.
24 I'm able to verbally construct a map, but --

25 CHAIRMAN STETKAR: That was your hope.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Well, my hope, but where
2 I'm going with this is if I were a licensee, I kind of
3 want to know where I am, and where I'm going, and is
4 the rule codifying -- in other words, how all the
5 branches fit together, because in my mind it's a bit
6 muddled. So, if it's not here, that's fine. I'm just
7 -- I'll wait for it in September.

8 MR. BAILEY: Well, it's here in bits and
9 pieces -- or it's covered in the SECY papers. But
10 you're right, part of what we're getting to here is
11 we're going through the mitigating strategies now, not
12 really covered directly is the re-analysis of the
13 hazards which may result in some changes to the
14 mitigating strategies at a later date. We are looking
15 to the rulemakings to codify some of what we're doing
16 in mitigating strategies in terms of the long-term
17 requirements, but there --

18 MR. REED: Yes. This is Tim Reed from NRR.
19 I would just say in large measure that long list of
20 NTTF recommendations, the majority of them are being
21 implemented in EA-12-049, okay, so we didn't actually
22 implement these actions the way that the NTTF sliced
23 and diced them. We're doing a little differently, so
24 the major thing that we're making generically
25 applicable is the order, EA-12-049.

1 Now, in addition to that, those are
2 already imposed requirements, they're not -- but in
3 addition to that, of course, we have the Onsite
4 Emergency Response Capabilities Rulemaking, and it has
5 eight, nine, ten, and eleven additional NTTF
6 recommendations that fall within the main -- parts of
7 those don't necessarily relate directly to any order
8 right now. Maybe a 5054(f) letter now, but we do have
9 a full mapping of it. I could try to construct some of
10 it as we move along, if you want.

11 MEMBER CORRADINI: That's all right.
12 Because my -- again, I'm just pretending to be a
13 licensee. I don't want to enter a do loop that I did
14 this, and oops, I'm going to do it again.

15 MR. REED: Yes, I 100 percent agree.

16 MEMBER CORRADINI: And I'm going to do it
17 again.

18 MR. REED: In fact, part of the reason for
19 consolidating these rulemakings into one action is to
20 insure that doesn't happen. We don't want people
21 redoing stuff.

22 MEMBER CORRADINI: Okay.

23 MEMBER SCHULTZ: Mike, as we go through the
24 presentations today, first I'll ask the Staff to be
25 thinking about Mike's question and consideration as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you make the presentations and go through the -- what
2 is on the slides, and see how far we get with that.

3 MEMBER CORRADINI: Because my next thing
4 is, if I were a licensee --

5 MEMBER SCHULTZ: We can come back --

6 MEMBER CORRADINI: I appreciate it. If I
7 were a licensee, that's one thing. The next thing is
8 if we had the four Commissioners here, do they
9 understand what you're doing? And if I were them, I'd
10 want a picture, something that I understand from soup
11 to nuts how this whole thing evolved.

12 MR. REED: They should. I mean, they should
13 between COM SECY 13-002 and the most recent SECY paper
14 14-0046 and --

15 MEMBER SCHULTZ: You know, that's what the
16 Staff had laid out to the Commission describing why
17 the consolidation made sense. They have provided a lot
18 of information that folds in what the licensees are
19 doing, how that matches up with the rulemaking
20 activities and so forth.

21 MEMBER CORRADINI: Okay.

22 MEMBER SCHULTZ: If we don't cover it
23 sufficiently today, then the Committee could consider
24 having another briefing let's say in September, if we
25 have that room. But let's see how far we can go --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Okay. All right, thank
2 you.

3 MEMBER SCHULTZ: -- with your question in
4 mind as the Staff makes the presentation.

5 MEMBER CORRADINI: Okay.

6 MR. SNODDERLY: Excuse me, Dr. Corradini.
7 This is Mike Snodderly, ACRS Staff. One example that
8 may help you is when we do our regional visit next
9 month at Palisades one of the issues that they -- one
10 of the confirmatory items they have has to do with the
11 use of charging pumps, existing charging pumps as one
12 of their external injection sources. And part of the
13 confirmatory item is they have to complete their 2.1
14 seismic analysis to determine if, indeed, those pumps
15 will be available with an additional external power
16 supply. So, it's -- in looking through the
17 confirmatory items and open items there's a lot of
18 that.

19 MEMBER CORRADINI: I mean, it's interesting
20 that you bring up that we're visiting somebody because
21 when we visit them I'm going to ask them, show me the
22 map of how you're going to do all this. I mean, you're
23 the ones that are spending all this money. I'd like to
24 know how it's going to be done so that you do it most
25 effectively and efficiently.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DAVIS: May I say something? I'm Deputy
2 Director for JLD. We have a paper that we're putting
3 together for the Commission right now that tries to
4 link up the 2.1 activity seismic and flooding with
5 mitigation strategies because we recognize what you're
6 saying, that there is a disconnect, there's a do that
7 would come back around because after you do your
8 flooding evaluations and so on, you might have to come
9 back and readjust your mitigation strategies. And if
10 those timelines don't line up then they don't actually
11 meet the back stop date of 2016. So, we have a paper
12 that we're trying to propose to show the Commission
13 this is how it would work correctly, and how we would
14 line up the time. And that's currently in development
15 right now. We've been briefing the EDO, and my
16 understanding is that EDO is going to start
17 socializing that with the Commission.

18 MEMBER CORRADINI: Okay, thank you.

19 MR. BAILEY: Sorry I didn't have the
20 roadmap here.

21 MEMBER CORRADINI: No, that's okay.

22 MR. BAILEY: That's right.

23 MEMBER CORRADINI: I'm very pictorial, I
24 like pictures.

25 MR. BAILEY: Here's another picture.

1 MEMBER CORRADINI: There you go.

2 MR. BAILEY: There you go. So, what we're
3 looking at here is this is the process that we're
4 using to review and close out the mitigating
5 strategies under Order 1204-9. And really we had to
6 develop this process based on two competing concerns.
7 The first concern was the fact that the licensee's
8 plans are still in flux. We're trying to review
9 something that is still under development, and we're
10 trying to give licensees the maximum responsibility to
11 develop an appropriate plan, so we didn't want to lock
12 them into something prematurely. We anticipated that
13 they would -- we are finding that licensees are still
14 changing their plans as they finalize results, or as
15 they do walkthroughs and find that they don't have as
16 margin as they had considered, and we had anticipated
17 that. So, part of the plan that we have put together
18 takes that into account.

19 But counter to that, industry was looking
20 for the degree of confidence that we could give them
21 that they were on the right path to actually meet the
22 order requirements. So, the plans were not completed
23 yet; however, they were looking for the level of
24 confidence, whatever they could get. This process
25 allows us to give them interim feedback as they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 develop their plans. In fact, when we did the interim
2 staff evaluation that we issued by last February, the
3 point was to come to the conclusion that they were on
4 a success path, but then also to clarify what items
5 were still open and what still needed to be confirmed
6 as they completed their plans. I'll say that to date
7 we've determined that all licensees appear to be on a
8 success path if they properly implement the plans as
9 described.

10 Going down the lefthand side really, the
11 licensee project -- the licensee has -- they submitted
12 their integrated plans and they keep submitting six-
13 month updates as required. The NRC Staff conducted
14 reviews of those mostly through the audit process,
15 electronic audits with the licensees putting things on
16 an electronic portal and having conversations with
17 them, and we developed the Interim Staff Evaluations
18 that I just discussed.

19 The audits continue as they develop their
20 plans and close out issues. And central to the Staff's
21 review and center on this picture is an onsite audit
22 that the Staff conducts roughly six months before
23 licensees are required -- the first site -- the first
24 unit at any site is required to be in compliance. At
25 this point the plan is still under development. There

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is some degree of flux still there for some licensees,
2 but it's sufficiently mature for us to go and dig down
3 into the level of detail that we're looking for. And,
4 also, if we find anything there's sufficient time for
5 a licensee to make any needed modifications to their
6 plans.

7 VICE CHAIRMAN RAY: Does that detail
8 include the -- and I'll call the durability of the
9 strategy implementation provisions that we're looking
10 at? In other words, is it looking at whether these
11 things are assured to be in place 10 years out?

12 MR. BAILEY: Well, I'll get to that. That
13 goes more to the rulemaking and the long-term
14 management that we want to put in the rule.

15 VICE CHAIRMAN RAY: Which is what I'm
16 interested in particularly, because I think everybody
17 is going to respond and do what they say they're going
18 to do, and so on. The real issue is what keeps that in
19 place over the stresses of many years.

20 MR. BAILEY: That's one of our primary
21 focal points, is to make sure that these are
22 maintained for the life of the plant.

23 VICE CHAIRMAN RAY: Yes.

24 MR. BAILEY: And that's one of the things
25 that we'll be doing in the rulemaking.

1 MEMBER SKILLMAN: Stew, may I ask you to
2 please give us an idea how large a team is needed for
3 that onsite audit, please?

4 MR. BAILEY: Okay. So, I was just getting
5 to that. So, what we do is we send a team of roughly
6 10 people. An audit takes the better part of a week.
7 This is following several phone calls with the
8 licensee to prepare for it, and us providing them with
9 a list of questions that we intend to focus on. We
10 provide that in an audit plan three weeks to a month
11 before the audit, before we arrive on site.

12 So, let me just discuss a little bit what
13 the audit consists of. So, when we get on site we,
14 essentially, walk through the entire plan with the
15 licensee sort of as a tabletop exercise. And a lot of
16 licensees have different plans for different external
17 events. They may have one for seismic, different ones
18 for flooding, or flooding of quick duration versus the
19 long duration flooding.

20 We walk down the storage plans, or the
21 storage locations, the deployment routes, how they're
22 going to clear those routes, what the access points
23 are. We walk through the critical procedures
24 especially related to the Phase 1 equipment. This
25 would include the battery load shed. The event

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 essentially starts out procedurally as a station
2 blackout, and if they do not feel that they're going
3 to get power back in a timely fashion they will
4 transition to the FLEX support guidelines. This
5 usually resolve or involve prolonging the operation of
6 the Phase 1 equipment and initiating deployment of the
7 portable equipment, so the procedures include a deeper
8 battery load shed than would typically be done for a
9 station blackout. There are other actions that may be
10 taken to prolong the operation of RICS I such as
11 venting the containment in a BWR, or actions to insure
12 the long-term operation of the turbine-driven aux
13 feedwater pump for a boiler until the portable pumps
14 arrive. So, we walk through those critical procedures.
15 While we're there we also look at the sizing
16 calculations of the portable equipment including such
17 issues as their capacity, any NPSH requirements or
18 power requirements for the generators, we look at
19 their sizing, we're looking at the electronic
20 isolation, we're looking at the overall electrical
21 equipment protection. So, we get into a lot -- we
22 actually get into the calculations although they're
23 not usually formalized at that time, but we'll sit
24 down with the licensee and go through the detailed
25 calculations that support their FLEX guidelines.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SCHULTZ: Is that information
2 available to you, Stew, in the electronic audit stage
3 as well, or is it --

4 MR. BAILEY: To varying degrees a lot of
5 them will put it on there. In all honesty, the
6 ePortals are a little bit clumsy and so it's hard to
7 get through a large calculation. Usually, we look at
8 the summaries on the ePortals and use the opportunity
9 on site to get into more detail and actually walk
10 through it with the technical specialist from the
11 licensee.

12 MEMBER SCHULTZ: That sounds logical. Thank
13 you.

14 MEMBER SKILLMAN: Stewart, is this audit
15 governed by an IMC, and Inspection Manual Chapter, or
16 some form --

17 MR. BAILEY: I forget the LIC, LIC-111, I
18 believe, governs the audit process for NRR, and we do
19 issue the formal audit report, public audit report to
20 the licensee and then go on there. I don't know if
21 that --

22 MEMBER SKILLMAN: That's fine. And how
23 would Lessons Learned from the first of these audits
24 be made available to others that are coming behind?

25 MR. BAILEY: That's a great question. We do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our own internal Lessons Learned just to become more
2 efficient and effective. I will share, though, that
3 NEI is frequently there and the industry leads for
4 Fukushima get together and share Lessons Learned
5 amongst each other.

6 MEMBER SKILLMAN: Thank you.

7 MR. BAILEY: So, we don't have a formalized
8 process for that at the moment, but industry is taking
9 their own initiative to do that.

10 MEMBER SKILLMAN: Thank you.

11 MR. BAILEY: Sure. So, just to finalize
12 here, we go through a lot of the logistics, like the
13 access to points, to the communications, habitability
14 of various areas, so when we're out on site we really
15 do a thorough scrub of the plants that the licensees
16 have.

17 Experience to date is we do end up closing
18 a lot of items that are in the audit plan, and we end
19 up opening a few other items that are either still in
20 process, or where we still have some questions about
21 how well that's going to work.

22 All of this is leading to the
23 documentation trail that you see on the right, and
24 this occurs after the last unit at a site is in
25 compliance where they submit to us their final

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 integrated plan. We review the final integrated plan.
2 This a formal submittal on the docket. We review that
3 against the audits and the Interim Staff Evaluation
4 that we've already issued, and issue a final Safety
5 Evaluation to the plant.

6 MEMBER SKILLMAN: Are these audits such
7 that a non-compliant licensee would get a finding?

8 MR. BAILEY: No, because they're not
9 required to be in compliance yet. The audit is
10 conducted six months before the compliance date. You
11 know, if something looks amiss, you know, we could do
12 an inspection shortly after the compliance date.

13 MEMBER SCHULTZ: Is that how the schedules
14 are being developed for the Interim Staff Evaluation?

15 MR. BAILEY: Let me jump to schedules. That
16 is my next slide. I hope I'm satisfying your love of
17 graphics.

18 MEMBER CORRADINI: Now there's another one.
19 I'm getting excited.

20 MR. SNODDERLY: Excuse me, Stew, before you
21 start this slide.

22 MR. BAILEY: Sure.

23 MR. SNODDERLY: Could we -- could I ask, to
24 build on Mr. Skillman's question, did -- my
25 understanding is that you recently completed the North

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Anna audit, and that was the initial audit.

2 MR. BAILEY: So, our initial audit was
3 Watts Bar, but that was a little bit different. We've
4 completed -- the first audit really was Arizona, APS.
5 We've also completed North Anna, and DC Cook. The DC
6 Cook audit report is not out yet.

7 MR. SNODDERLY: This is again Mike
8 Snodderly from the Staff. So, if you haven't issued
9 the North Anna audit, could we ask you to take an
10 action item for that for the Committee once that's
11 publicly available?

12 MR. BAILEY: Sure.

13 MR. SNODDERLY: Because I think that would
14 help given my idea of what they're --

15 MR. BAILEY: That's fine.

16 MR. SNODDERLY: Thank you.

17 MR. BAILEY: So, looking at the overall
18 schedule for closeout, and we'll have to integrate
19 this with all the other activities. As you can see,
20 the ISCs were completed the first quarter of this
21 year. Okay? We've also drafted temporary instruction
22 that will be used for the post-compliance inspections.
23 Now, the audits that we're doing are all based on the
24 compliance since we're trying to get out there six
25 months before. We've really just entered the heavy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 period of audits, so you can see that the beginning of
2 FY '15 is going to be a very busy time --

3 MEMBER BANERJEE: So, Stew, how many people
4 are involved with these 23 audits that --

5 MR. BAILEY: So, we go out there with 10-
6 member teams. I believe we have five electrical
7 engineers to divide between the different audits, and
8 we have six people in my branch, that's Balance of
9 Plant and Containment. We're looking to staff up as
10 necessary, or borrow resources as necessary to get
11 these done. The Containment and Balance of Plant,
12 they're largely interchangeable except where the
13 boilers come into play, and there's a lot more work on
14 the containment reviewer side. So in each of the
15 technical specialties we've got a cadre of people, and
16 trying not to get people too bogged down such that
17 they only do an audit every two, three weeks, you
18 know. Ideally, it would be one a month or less.

19 MEMBER BANERJEE: It's a heavy load. I
20 mean, it's a sudden peak.

21 MR. BAILEY: Yes, it's going to be a sudden
22 peak followed by sudden peaks in writing Safety
23 Evaluations, so that's one of the reasons for the
24 flexibility of the new organization. And you'll see
25 peaks and valleys in the other activities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: So, the gentleman back
2 here, I've forgotten his name.

3 MR. BAILEY: Jack Davis.

4 MEMBER CORRADINI: Noted that this has got
5 to be folded into -- thank you, with the numbers
6 remaining. So, how does this schedule -- I mean, is
7 this ahead of that? I would assume this is behind
8 that.

9 MR. BAILEY: Unfortunately, this is ahead
10 of that, and looking at the current guidance, the
11 current guidance says that the plans are to design
12 their FLEX to the current licensing basis hazard of
13 the plant. Now, plants have done their initial
14 assessments already of flooding and seismic hazard.

15 MEMBER CORRADINI: Okay.

16 MR. BAILEY: And by and large, while not
17 the requirement in the current ISG, or the current NEI
18 document, they are already planning for the higher
19 hazard level.

20 MEMBER CORRADINI: If they find it.

21 MR. BAILEY: Yes. Well, if they find it.

22 MEMBER CORRADINI: Okay.

23 MEMBER RICCARDELLA: They know it. I mean,
24 that list has been published, right, at least for --

25 MR. BAILEY: The list has been published

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 already, but if you take a look at seismic, plants
2 came in with one set of seismic curves, and the Staff
3 put out their assessment of seismic curves, and
4 they're a little bit different. The Staff is meeting
5 with licensees individually to discuss the
6 differences, and to come to resolution on what is the
7 seismic curve that that plant should be using going
8 forward. So, we're in similar processes on flooding,
9 I believe, where we're looking at the -- coming to
10 agreement on what is the appropriate levels for a
11 site.

12 MEMBER CORRADINI: So, let me ask the
13 obvious question, and then you can tell me not to ask
14 that. So, is this schedule-driven, or is this logic-
15 driven? Because the way you just answered my question,
16 it worries me that it's more schedule-driven than
17 logic-driven.

18 MR. BAILEY: Well, this is driven by the
19 schedule of the compliance date. There's a hard stop
20 on the compliance date for these plants, so to some
21 extent this is -- this initial look is being schedule-
22 driven.

23 MEMBER CORRADINI: But if you go to the
24 Commission and say Commission, it's not logical, they
25 can say oops, so that it all fits together. Yes?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BAILEY: Well, several schedules --

2 MEMBER CORRADINI: Or is there a fear of
3 the messenger being shot when you say that?

4 MEMBER SCHULTZ: So, the schedules were
5 developed to reach full compliance five years from the
6 time of the Fukushima event.

7 MEMBER CORRADINI: I know, that was
8 invented, though.

9 MEMBER SCHULTZ: It was invented and it's
10 still a hold-to point associated with the overall
11 program, including these activities.

12 MR. DAVIS: But there's a lot of sympathy
13 to go beyond the 2016 as the back stop date for the
14 orders that the Commission issued for this, so that
15 becomes part of the problem. When you look at the
16 reevaluation under 2.1, that runs out well past 2016
17 in some cases, so how do you fit those two together?
18 Again, that's the paper that I was talking about
19 earlier that we're putting together to show if you
20 actually make a few small changes, you can do what
21 you're suggesting where they fit within one another.
22 And you come up -- by the time it goes to rulemaking
23 everything is in place.

24 MR. BAILEY: That's part of the genesis of
25 the new organization is to try to pair these up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 better.

2 MEMBER CORRADINI: Okay. But I'm asking
3 more just a very simple question. If you can't make
4 the date because it's not logical, then you go back to
5 the deciders and say we can't make the date, it's not
6 logical, re-decide, or reconsider. And has that been
7 talked about?

8 MR. DAVIS: Yes. And I think what we're
9 saying is that you can, if you make a few small
10 changes, you can do it where you're not schedule-
11 driven. The schedule is tight, but you're still doing
12 it from a safety standpoint. That's what we're
13 suggesting.

14 MEMBER CORRADINI: Okay. I'll ask the
15 question again. Okay.

16 MEMBER BANERJEE: Why are you so obsessed
17 by that?

18 MEMBER CORRADINI: Because I'm not sure
19 what the residual risk I'm killing off by rushing to
20 judgment. That's what's bothering me. I understand
21 what the Staff is doing, and I appreciate it. I
22 wouldn't want to be them to do it, but on the other
23 hand, if I can't do it in 2016, but I can do it more
24 logically and completely by 2017, and then initiate a
25 rule that creates ongoing watch and maintenance of it,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's a whole lot better than rushing to it, and then
2 ripping something out, replacing something. It doesn't
3 make any sense to me. It's not -- the engineer in me
4 thinks this is kind of nuts.

5 MR. REED: I'll just follow-up on what Jack
6 said earlier, and this is an example of a 2.1 issue.
7 We're trying to find creative ways, as Jack mentioned,
8 to fold in the 2.1 into both the implementation of EA-
9 12-049 as well as the rulemaking, so we see that, too.
10 And we're trying to find a way to make everybody
11 happy, so up front trying to find a creative way to --
12 - you know, folks want to create mitigation strategies
13 for reevaluate hazard, whatever. We're trying to look
14 downstream and get to that final. So, we see that,
15 too, and we're trying to make everyone happy at the
16 same time.

17 MR. DAVIS: I think it might be helpful,
18 remember that a 2.1 was -- the 5050 Part F letter
19 requesting information to determine whether they're
20 going to modify, suspend, or revoke the license. So,
21 that now brings into question is this a beyond design
22 basis thing that you're looking at, reevaluate a flood
23 hazard or seismic, or is it within the design basis.
24 And, certainly, we probably wouldn't make a change to
25 the design basis. We might do it to a licensing basis,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so that's what was driving that particular effort. If
2 you end up saying that the licensee can always use
3 mitigation strategies for whatever that thing turns
4 out to be, and you say that that's beyond design
5 basis, then it makes sense that you can just go
6 immediately to here and say okay, well, I have a
7 capability to cope with that additional hazard that
8 you just threw at me. Instead of saying well, I need
9 to make it safety-related equipment, so I'm going to
10 bolster whatever I have on site. So, that's why
11 they're on two different separate paths, but we're
12 starting to notice as we've gone along a lot further
13 that maybe that's not the smartest thing to have it on
14 two separate paths, because if the Commission
15 ultimately is going to say well, if they have
16 mitigation strategies to cope with that, that's good
17 enough for us, if they say that, then why would you
18 have it on two separate paths? You can put them on the
19 same one and say mitigation strategy is your answer
20 for --

21 MEMBER CORRADINI: Okay.

22 MR. REED: And it does fold in on
23 reasonable protection and protecting against that
24 you're reevaluating hazard, so it directly does affect
25 the stuff. So, we're looking at it down to a pretty

1 fine level.

2 MEMBER CORRADINI: Okay.

3 MEMBER SCHULTZ: I'll add one more comment.

4 This is the mitigating strategies which is developed,
5 at least I feel appropriately. If the discussion about
6 what one has to do down the road is based upon
7 hypothetical mitigating strategy capability,
8 mitigation capability, then I think that that's a non-
9 starter. Putting all of this in place, putting the
10 mitigating strategies in place allows one to say I
11 have the equipment there. I have the strategy in place
12 and, therefore, I may have an argument to postpone
13 some other things later on. But if you don't have this
14 physically in place, then I don't think there's a
15 reasonable argument to say I want to have more time to
16 implement Part D, E, and F.

17 MR. BAILEY: It may come that some of the
18 interim actions for the other activities could be
19 modifications to the FLEX equipment such that they can
20 handle the larger strategy. Now, it also would be
21 looking -- entail, of course, looking at your safe
22 shutdown equipment and your Phase 1, which is the
23 onsite equipment that you initially require.

24 MEMBER SCHULTZ: And I don't presume that
25 -- there's a lot of thought and development that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going into the overall program, as well, that
2 certainly is not presented, or demonstrated by the
3 chart.

4 MR. BAILEY: We'll have to have other
5 charts that demonstrate the overall thought process.
6 I'll take that one.

7 MR. DAVIS: Again, I agree, it's a good
8 point you're making, and we've been reflecting upon
9 that, as well, saying okay, they don't line up
10 exactly, and why not? Is there a reason for that, or
11 not?

12 MEMBER CORRADINI: But you said something
13 in your discussion that -- let me repeat this, maybe
14 I misunderstood. You made me feel better, but maybe I
15 misunderstood. What I heard you say was that if this
16 is developed per some sort of schedule, they may come
17 back at the walkthroughs for seismic and flooding and
18 say yes, okay, this is beyond the design base, but
19 your mitigating strategy -- this is beyond the current
20 design base, excuse me, but your mitigation strategies
21 are there, so we're not going to change your design
22 base because you already have this in place. That's
23 what I thought I heard you say.

24 MR. DAVIS: Correct. That can be one of the
25 -- that can be a solution.

1 MEMBER SCHULTZ: But my point would be
2 that's a non-starter unless, in fact, you have this in
3 place.

4 MR. DAVIS: Correct. The distinguishing
5 point I was trying to make was if you go through the
6 2.1 reevaluation, say let's use flooding for an
7 example, and you they get a higher number. And the
8 Commission chooses to say well, I need -- I'm going to
9 revise your design basis to say that that's your new
10 flooding hazard that you have to protect against,
11 that's different than mitigation strategies, so you
12 could understand why they'd be on two separate paths.
13 But if you agree that that reevaluated hazard is a
14 beyond design basis flood hazard, then you say
15 mitigation strategies can be my coping capability. If
16 they agree with that type of an approach, then you
17 could line up the two schedules.

18 MEMBER CORRADINI: And that's what's going
19 to be in this paper that you develop?

20 MR. DAVIS: Correct, yes. It's actually
21 pretty far along in development already.

22 MEMBER CORRADINI: Okay. I'm looking at
23 Stephen, the Chairman, that we might want to see that
24 because that sounds interesting.

25 MEMBER SCHULTZ: Yes.

1 MEMBER CORRADINI: Okay. Because the
2 Chairman is giving funny looks at me, I'm not exactly
3 sure.

4 CHAIRMAN STETKAR: I just like looking at
5 you. That's all.

6 MR. BAILEY: So, you tell me if you want me
7 to accelerate through the rest of these based on
8 timing.

9 MEMBER CORRADINI: I think he's telling me
10 to shut up.

11 MR. BAILEY: No, no, that was a good
12 discussion so I appreciate that.

13 MEMBER SKILLMAN: Let's -- could I ask
14 another question?

15 MR. BAILEY: Sure.

16 MEMBER SKILLMAN: I see 61 sites. I see 87
17 units. I see a footnote that says 10 got a pass.
18 Please explain.

19 MR. BAILEY: I believe this already covers
20 it. The 10 BWR units have asked -- 10 of the BWR units
21 have asked for a delay such that their overall
22 compliance date lines up with Order 13-109. Right?

23 MEMBER CORRADINI: Which is the --

24 MR. BAILEY: Which is the severe accident
25 capable --

1 (Simultaneous speaking)

2 MEMBER CORRADINI: So, another one we're
3 working out there.

4 MR. BAILEY: Right. So, they're -- so,
5 these plants generally are doing all of their analysis
6 and they're procuring all of their other equipment,
7 and they're putting their procedures in place, but
8 they can't say that they're fully compliant with the
9 order until they put the severe accident capable
10 hardened vent in.

11 MEMBER CORRADINI: Okay.

12 MEMBER SKILLMAN: I've got 87, plus 10 is
13 97, so what are we thinking about here? No Oyster
14 Creek, no Vermont Yankee, and no somebody else?

15 MR. BAILEY: Certainly, no Vermont Yankee,
16 no Kewaunne, no Crystal River. Oyster Creek is still
17 on here, so I'd have to look at my --

18 MEMBER SKILLMAN: Okay. Thank you.
19 Everybody is accounted for. Thanks.

20 MR. BAILEY: The only other thing that I
21 wanted to mention down here is the inspection. So, the
22 TI, the Temporary Instruction has been developed.
23 There was a public meeting on that last week. It will
24 be piloted at Watts Bar. Watts Bar, due to their
25 schedule gets to pilot most of our new directions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Let me move on to one of the major
2 additions here, and this relies -- you know, this
3 relates to SAFER, as it's called, the Strategic
4 Alliance for FLEX Emergency Response. I'm not sure
5 whether you've had much of an update on this yet. That
6 is the industry collective activity to provide the
7 Phase 3 equipment. The contractor that they've
8 selected is AREVA, and that's why the SAFER Control
9 Center is located in Lynchburg. They, of course, work
10 quite closely with Southern, and so the backup is in
11 Birmingham, Alabama.

12 I talk about equipment storage locations.
13 These are formerly called the Regional Response
14 Centers but that sort of gives the wrong impression
15 because they are each completely redundant to each
16 other, and each one is able to supply the entire Con
17 U.S., so I believe they're in the process of changing
18 that name. Regardless, they are located in Memphis,
19 Tennessee, and Phoenix, Arizona. As I said, they're
20 completely redundant. They have two of them with the
21 thought that the postulated beyond design basis event
22 could disable one of them.

23 So, in case you have not heard much about
24 these at the RRCs, they have two sets of equipment.
25 One is considered generic equipment, and one is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consider site-specific. For the generic equipment,
2 this is -- they pooled their resources and they
3 determined what equipment would bound all units, for
4 example, what size generators, what size pumps would
5 be useful for all units, and they purchased five sets.
6 There are five sets at each of the Response Centers.
7 Four of them are loaded on trucks at all times ready
8 for delivery, ready for transport, and the fifth one
9 is taken out for maintenance, so they just rotate the
10 maintenance on the sets. Similar for the plant-
11 specific equipment, but fewer. You know, fewer, if
12 only one site needs it then they have less of it.

13 The transport is through FedEx. That is
14 their contractor, whether it's through ground, or
15 through air. Each of these is located next to a large
16 airport. In fact, Memphis is right next to the Fed Ex
17 hub. As we get to -- the design specifications for all
18 of the equipment were very interesting. They had a
19 size limitation to get it on a plane. They had a
20 weight limitation to be able to lift it by helicopter.
21 It all has built-in lifting rigs, it all has standard
22 connections so it's interchangeable or usable at any
23 facility.

24 SAFER is in the process of doing proof of
25 concept activities. They are exercising the Memphis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 RRC, and TMI this week, and most of our Staff is
2 there. Next week we go out to see the Phoenix Surrey
3 exercise.

4 MEMBER CORRADINI: So, another question
5 popped into my head, but maybe you've already done
6 this. So, what's the residual risk that is being left
7 out in case all this doesn't work for mitigating
8 strategy? In other words, there is -- you
9 intentionally have taken a special event of station
10 blackout and you've extended its capabilities
11 substantially, or the plan is to extend that
12 substantially, but there's always a residual risk. Has
13 that been evaluated?

14 MR. BAILEY: I would say if none of this
15 works, the residual risk puts you back to where you
16 are today, or actually better than where you are today
17 because you've taken a lot of -- you've done a much
18 better analysis of the extended station blackout. Each
19 licensee has done that. You've taken steps to prolong
20 Phase 1.

21 MEMBER CORRADINI: You've not made it worse
22 is what you're --

23 MR. BAILEY: We certainly have not made it
24 worse.

25 MEMBER CORRADINI: But has there been an

1 evaluation of how much better you've made it?

2 MR. BAILEY: Not to my knowledge.

3 MEMBER CORRADINI: Does the Staff feel that
4 would be a useful endeavor to know, good thing to
5 know?

6 MR. BAILEY: I need to think through that
7 a little bit and see just how site-specific that would
8 be. It is a good point, I mean, that there -- the risk
9 has been reduced, and what is the residual --

10 MEMBER CORRADINI: Yes, I can't argue with
11 that.

12 MR. DAVIS: I mean, they're certainly with
13 their Phase 2 equipment, then have N Plus 1 on site.
14 They can get any one of those pieces of equipment from
15 any one of their friends that up or down the street,
16 so to speak. And then they have 10 sets of redundant
17 equipment at the two Regional Response Centers. So,
18 you're basically saying okay, that's the strategy you
19 have. I don't think anybody has looked at sub-optimal
20 solutions to that and seeing how much residual risk
21 you have with that, but I think given the amount of
22 additional equipment and the things that they can
23 bring to bear most would say they're in a much better
24 place than they were prior to --

25 MR. BAILEY: Yes, so let me go where I was.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, in addition to the analysis and the additional
2 protection, or the additional actions on the Phase 1
3 equipment, this is essentially the portable equipment
4 that they've added. So, each reactor has stored on
5 there what's considered the Phase 2 equipment, that's
6 the number of pumps and generators needed to perform
7 the function for each unit on site simultaneously. And
8 just to be clear, most plants, I believe this will end
9 up being all plants, can last indefinitely on the
10 onsite Phase 2 equipment. Not only do they have N, the
11 number required, but they also N plus 1, that ground
12 rules that you will assume one to fail.

13 CHAIRMAN STETKAR: I always like the term
14 indefinitely. What's the current political definition
15 of that term?

16 MR. BAILEY: We've had that discussion,
17 actually, and so for a lot of our evaluations we look
18 to see that they're still in good shape after 72
19 hours, and in a condition where they're able to bring
20 extra resources to bear at that point.

21 MEMBER CORRADINI: So, say that again. I'm
22 sorry.

23 MR. BAILEY: 72 hours.

24 MEMBER CORRADINI: For?

25 MR. BAILEY: Well, he's asking what does -

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Simultaneous speaking)

2 MR. BAILEY: The decay heat lasts a long
3 time.

4 MR. DAVIS: Yes. Stew, they have -- most of
5 them will have 10-day supply of fuel and so on, so
6 it's somewhere in the --

7 MEMBER CORRADINI: So you evoke another
8 question. So, how do you treat Vogtle and Summer, the
9 new units of AP1000? Are they just lumped in with the
10 current plans, that at three days they are treated
11 like current plants, and they can access FLEX, or
12 because they're passive and they've got stuff, they're
13 different?

14 MR. BAILEY: I don't know exactly. I know
15 that they have built into the plans, they have the
16 Phase 2 equipment already considered, my
17 understanding. My expectation is, though, that they
18 would tie into SAFER and have the same connections,
19 and have the --

20 MEMBER CORRADINI: So, let me ask my
21 questions more provocatively.

22 MR. BAILEY: Okay.

23 MEMBER CORRADINI: Are they passive and
24 better enough, whatever better is, that they don't
25 need this for after three days, they might need it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 after 10 days, or is the Staff's opinion that they're
2 going to need it after three days regardless if it's
3 an AP1000 or Vogtle 1 and 2?

4 MR. BAILEY: Well, the three days is just
5 the focus in certain areas where we've set sufficient
6 -- generally speaking, the Phase 3 equipment is
7 expected to be received on site roughly 24 hours after
8 it's called for.

9 MEMBER CORRADINI: Right.

10 MR. BAILEY: It's usually called for within
11 the first --

12 MR. DAVIS: I'm a little bit concerned when
13 Stew was saying, you know, 72 hours because the real
14 limiting --

15 (Simultaneous speaking)

16 MR. DAVIS: Right, the real limiting factor
17 would be fuel. Most of these sites will tell you that
18 after three days they can get fuel into that site
19 because if's a flood event, the waters have likely
20 resided enough that you can bring a helicopter in, you
21 can get fuel into the site if you didn't have it on
22 site already. So, you can cope indefinitely at that
23 point, and indefinitely means indefinitely, for as
24 long as necessary. Most of the equipment that's coming
25 from the Regional Response Centers is really a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 restoration type of activity, that they're going to
2 start bringing more capabilities back to the site,
3 perhaps getting their emergency diesel generators
4 back, things like that. There's only 13 sites, 13
5 units that rely on the Phase 3 equipment that it's
6 critical in any time frame. And industry is looking to
7 -- what I had meant to say before, I didn't say
8 explicitly, is they're looking to add Phase 2
9 equipment so that that's not the case, so that they
10 are completely reliant, self-reliant as a site. And
11 then the RRCs become a complete backup. Or, you know,
12 it is going to be delivered, it is going to be brought
13 to the site in case the Phase 2 portable equipment
14 fails, so it is a backup to the Phase 2 equipment.
15 Also, in the darker green box at the bottom not
16 credited by anybody is they do have plans, they do
17 have contracts in place to share equipment with each
18 other coordinated by INPO. So, over all they've added
19 a lot of capability for the operators to respond to
20 the event.

21 MEMBER BLEY: Now, where does all this fit
22 within the vision of rulemaking? This is going to be
23 under regulation at some point. Right? That's the
24 thing that I've heard.

25 MR. BAILEY: Correct.

1 MEMBER BLEY: So, does it fit in something
2 that's already moving forward, or is it something that
3 has to be worked out?

4 MR. BAILEY: Well, right now this is how
5 they comply with the order, so I would say that this
6 is going -- at the time that the rulemaking is
7 completed for most of these plants, that is already
8 part of their licensing basis, if you will. Now, I'm
9 not saying that this is the only way they could comply
10 with the order. This is something that we would have
11 to address during the rulemaking process, you know,
12 when you bring in new reactors.

13 MEMBER BLEY: Yes, that does get covered.
14 Okay.

15 MEMBER SCHULTZ: And, Mike, I believe this
16 is that answer to the new plants and when this will be
17 considered. It's part of the rulemaking itself, how
18 it's going to affect Part 52, and how it will be
19 applied to plants under construction.

20 MEMBER CORRADINI: I asked about AP1000
21 because I was waiting for Harold to start twitching.

22 VICE CHAIRMAN RAY: I didn't twitch. I just
23 think the rulemaking needs to be careful that it
24 doesn't preempt what is still a matter under review in
25 the AP1000 case. The matter is, if you license the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plant, went through public hearings, did all that you
2 did on the basis of indefinite, that's the word,
3 ability to passively remove decay heat, I don't think
4 we should come along and say well, 72 hours you can
5 have this intervention you're talking about.

6 MEMBER CORRADINI: Not only can, you must.

7 VICE CHAIRMAN RAY: Unless we address it as
8 it changed that enables what was presented previously
9 to be changed. In other words it's not indefinite,
10 it's 72 hours. And that's where I think this
11 discussion is coming from. I don't think this is the
12 place to address it other than just give you the
13 feedback that you've got to be careful that you're not
14 creating a change in what is understood in the
15 licensing space to be the capability of a passive
16 plant by saying well, we really need 72 hours, not
17 indefinite.

18 MR. BAILEY: Right. I should not have
19 mentioned the 72. We keep getting caught on the 72
20 hours. That is not a hard and fast criteria.

21 VICE CHAIRMAN RAY: Yes, all right. That's
22 fine. We heard 72 hours earlier today in a different
23 context, so it's not the first time we've heard today.

24 MR. BAILEY: Okay.

25 VICE CHAIRMAN RAY: I think we've --

1 MEMBER CORRADINI: And other days.

2 CHAIRMAN STETKAR: And other days.

3 VICE CHAIRMAN RAY: I think we've said
4 enough for now. It's just a matter that you don't want
5 to treat indefinite and 72 as if they were synonymous.
6 Okay? If you're going to go from indefinite to 72,
7 then you've got to go through the steps of doing that,
8 and not just preempt it someplace else and say well,
9 that's what it means.

10 MR. BAILEY: Yes. So, for the sake of what
11 we've done after -- usually after 72 hours there's an
12 understanding that they are able to bring more
13 resources to bear. Okay? It's not that the
14 requirements are only taken out to 72 hours.

15 VICE CHAIRMAN RAY: But as soon as you say
16 rulemaking, you know, it triggers everybody to --

17 (Simultaneous speaking)

18 MEMBER SKILLMAN: Would you explain
19 exception as mobile boration, please?

20 MR. BAILEY: Okay. So, this is one or two
21 plants which have decided that they need a mobile
22 boration unit in order to borate up and achieve the
23 final cool down to shut down cooling conditions.
24 That's not, necessarily, a requirement of the order,
25 and some of those licensees are actually revisiting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it. If they decide they want to maintain that
2 capability that's probably equipment that they would
3 end up buying and storing on site as Phase 2 equipment
4 so that they are not absolutely dependent upon the
5 RRCs. That's not -- that's some of the discussions
6 that have been had. I can't say that they're actually
7 doing that. Those are things that industry is
8 considering at the moment.

9 MEMBER SKILLMAN: Okay, thank you.

10 MR. BAILEY: So, I think we've already
11 covered this quite a bit, that we are looking to
12 capture the order requirements in the regulatory
13 process. For the licensee document -- you know, we've
14 considered a lot of options considering the beyond
15 design basis of these events, or they are certainly
16 currently considered beyond design basis. What we are
17 looking for, though, the important attributes I'm sure
18 we would agree on that the strategy should always
19 reflect the current configuration of the plant. We're
20 looking to have a formalized change process, including
21 criteria for when NRC review is required.

22 At this stage for mitigating strategies,
23 our focus is to make sure that the licensee
24 documentation explains what strategies were developed,
25 and why they were developed. And in a similar vein,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the Staff's documentation explains what was
2 reviewed, and why it was found to be acceptable.

3 So, regarding oversight, the Safety
4 Evaluation and the initial inspection verify initial
5 compliance, and we're still looking at the pads that
6 -- for how addressing -- how to address compliance in
7 the long term, as we had discussed a little bit
8 earlier.

9 We're mirroring alignment internally that
10 the plants will receive direct inspection. As for the
11 RRCs or other components of SAFER, there's discussion
12 that some of that may be addressed something similar
13 to the Vendor Inspection Program. But, again, these
14 are things that are still under discussion internal to
15 the Staff.

16 Our goal, of course, is to maintain the
17 plans and equipment at the sites and at SAFER to
18 maintain these capabilities that they've added. So,
19 we're looking to the upcoming rulemaking to provide
20 that.

21 MEMBER SCHULTZ: Is the post-compliance
22 inspection, you just mentioned it again, is that
23 intended to be a special program, or is that not just
24 an extension of the onsite inspection program?

25 MR. BAILEY: It is going to be conducted

1 out of the Regions, so I'm not sure what you mean by
2 special inspection. Right now it'll be a special
3 inspection to verify initial compliance, and then
4 we're looking for long term how does that factor into
5 the overall inspection program? And then what do you
6 do with any findings? Do they go through the ROP or
7 more traditional enforcement, or how do you address
8 those? But the plan is definitely to have regular
9 inspection of the plants and SAFER long term. I don't
10 know if that answered your question.

11 VICE CHAIRMAN RAY: You mentioned Palo
12 Verde. That would have been the one I picked, too, to
13 look at first, but perhaps not because of the
14 equipment we're talking about here other than what --
15 I mean, the issue there, of course, is you don't have
16 any way to depressurize the reactor coolant system
17 other than cool down to the secondary side of the
18 steam generators, so you don't have any power operated
19 relief valve. And you're dependent upon the reactor
20 coolant pump seal integrity during that time.

21 Is that review, the viability of that, the
22 operating procedures, the demonstration that that's a
23 doable scenario part of this review, or is that simply
24 the existing licensing basis?

25 MR. BAILEY: No, that's part of this

1 review, and so I don't believe that Palo Verde has
2 answered all the Staff questions yet, but that was a
3 lot of the analysis that led up to the ISEs in the
4 first place, questions about RCP seal leakage, and
5 questions about the analysis that was done for the
6 overall sequence of events.

7 VICE CHAIRMAN RAY: Yes. The ability to
8 charge to a fully pressurized RCS, for example --

9 MR. BAILEY: Right, so they have the full
10 head charging pumps and they're adding full head
11 portable pumps.

12 VICE CHAIRMAN RAY: Okay. Those are the
13 things that would be called for as a result of not
14 being able to depressurize other than by cool down.

15 MR. BAILEY: Correct. So, each plants, or
16 certainly each class of plants has its own sequence of
17 events developed, so we've gone through a lot to make
18 sure that they -- that we are in agreement on the
19 required flow rates for secondary side, for the timing
20 and the flow rate of makeup and, of course, the seals
21 are a big part of that.

22 VICE CHAIRMAN RAY: Okay.

23 MR. BAILEY: For looking at the timing of
24 boration since you're natural circulation, and since
25 you need to maintain shutdown margin, when do you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually need to do that?

2 VICE CHAIRMAN RAY: Also, level in the --
3 because the pressurizer unit is gone, for example,
4 things like that.

5 MR. BAILEY: Certainly, so if they have
6 very low leakage seals you'll have one set of
7 responses. If you don't have that, you're liable to
8 drain your pressurizer. There are plants that
9 partially inject the safety injection tanks before
10 they get to the point of adding makeup.

11 VICE CHAIRMAN RAY: Yes. Well, it's very
12 complicated and getting a bubble in the head is
13 something I've done before, so it's not something you
14 want to do, trust me, because you can't tell where the
15 level is.

16 MEMBER SCHULTZ: Other questions for Stew
17 before we move to the next presentation?

18 MR. DAVIS: May I offer up something to the
19 Committee? If you all would like to see a walkdown
20 strategy at one of these plants, or if you'd like to
21 get out to the Response Centers either in Memphis or
22 Phoenix, we can make that happen for you. We can work
23 through Ed's staff to set that up, if you'd like to do
24 something like that.

25 MEMBER SCHULTZ: We would certainly like to

1 consider it. We'll talk about it tomorrow morning and
2 get back to you.

3 MR. BAILEY: And licensees are preparing to
4 do the V&V activities on these. That might be a good
5 time to see it, see the V&V and get to some of the
6 SAFER equipment at the same time, the same trip.

7 MEMBER SCHULTZ: It gives me an opportunity
8 right now to reemphasize that I mentioned the
9 Subcommittee meetings in November. One of the days of
10 the two days we have blocked is a focus on utility
11 involvement and engagement for that meeting, so we'll
12 have an opportunity to get full briefings from several
13 utilities as to where they are with the overall
14 program, and also their comments related to the
15 rulemaking activities, as well, at that time.

16 So, the other point in case you didn't
17 catch it is that in terms of the overall approach that
18 you described and the report that's almost done, we'd
19 like to see that sooner than later. We can also work
20 with the staff, with Mike to get with you --

21 MR. DAVIS: Will do.

22 MEMBER SCHULTZ: -- to make sure that
23 happens.

24 MR. DAVIS: Okay, sure.

25 MEMBER SCHULTZ: We feel we can make a

1 contribution.

2 MR. DAVIS: And we agree.

3 MEMBER SCHULTZ: We have a chance to read
4 it.

5 MS. INVERSO: Okay, good afternoon. My name
6 is Tara Inverso. I'm the Chief of the Rulemaking
7 Branch in the Division of Policy and Rulemaking, and
8 we also have Tim Reed, who is a Senior Project Manager
9 in the Rulemaking Branch. And he is the Lead Project
10 Manager of the consolidated rulemaking, so he will be
11 chiming in as details come up.

12 But we're here today to provide the
13 rationale for consolidating the Station Blackout
14 Mitigation Strategies rulemaking and the Onsite
15 Emergency Response Capabilities Rulemaking, and the
16 rationale for that consolidation. And, also, to
17 discuss what the working group is currently working on
18 and the path forward. So, essentially, this is
19 informing ACRS of what we have done up to date as kind
20 of touching base before the November and the December
21 Subcommittee and Full Committee meetings that Dr.
22 Schultz mentioned.

23 On Slide 3, as Dr. Schultz also mentioned,
24 there have been previous ACRS interactions on both the
25 Station Blackout Mitigation Strategies rulemaking, on

1 the Onsite Emergency Response Capabilities Rulemaking.
2 On the Station Blackout Mitigation Strategies rule,
3 the Full Committee met in June of 2013, and the
4 Subcommittee met in April and December, and there was
5 a series of letters exchanged after that Full
6 Committee in June 2013. For the Onsite Emergency
7 Response Capabilities Rulemaking, there was a
8 Subcommittee in February of 2013. There has been no
9 letter written on that rulemaking. All of those
10 meetings focused on the regulatory bases for those
11 rules.

12 There were also publications associated
13 with each individual rule. The station blackout
14 advance notice of proposed rulemaking was issue in
15 March of 2012, and then a final regulatory basis was
16 issued in July of 2013. And there was also a draft
17 regulatory basis issued for comment in between those
18 two.

19 The Onsite Emergency Response Capabilities
20 Rule was published in April of 2012, and the final
21 regulatory basis was published in October of 2013. In
22 addition to those outreaches to the public, there were
23 also a series of public meetings. We didn't list them
24 all here, but we will highlight public meetings that
25 we held in November 2013 and March of 2014.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Staff has long recognized the overlap
2 between the Station Blackout Mitigation Strategies
3 Rule and the Onsite Emergency Response Capabilities
4 Rulemakings. They were originally two distinct rules
5 with two distinct working groups, but there was a lot
6 of communication and coordination between the two. And
7 the first time we saw any amount of consolidation was
8 in COM SECY-13-0002, and that suggested that the Near
9 Term Task Force Recommendation 4 be consolidated with
10 elements of Near Term Task Force Recommendation 7 into
11 the Station Blackout Mitigation Strategies, and that
12 was because the Staff saw that industry was
13 implementing portions of that Near Term Task Force
14 Recommendation 7 as it related to spent fuel
15 instrumentation into the Mitigation Strategies Order.

16 The Staff also discovered that the
17 publication schedule for the Onsite Emergency Response
18 Capabilities Rulemaking had to be after the Station
19 Blackout Mitigation Strategies Rulemaking was issued,
20 and that's because the Onsite Emergency Response
21 Capabilities Rulemaking would integrate the Station
22 Blackout Mitigation Strategies in with the emergency
23 operating procedures, and most of the management
24 guidelines and extensive damage mitigation strategies.

25 The industry reinforced the Staff's

1 thoughts in a November 2013 public meeting where they
2 described that they were actually implementing EA-12-
3 049 into the emergency operating procedures and the
4 severe accident management guidelines.

5 In March of 2013, excuse me, 2014, the
6 Staff had a public meeting with the industry where it
7 discussed this potential for consolidation, and the
8 industry largely supported that consolidation. They
9 followed up that public meeting with a letter
10 endorsing such a consolidation, and they had several
11 suggestions, including that the Staff continue to
12 follow the Backfit Rule, that there be inspection
13 guidelines available, that the cumulative effects of
14 regulation be considered among other topics.

15 On the next slide, we do recognize that
16 consolidating the two rules together among other
17 elements that will also be in the consolidated rule
18 that we'll discuss in a couple of slides does create
19 one larger rule package that is complex from a
20 technical standpoint, and a policy standpoint. And it
21 does result in a larger internal working group, but we
22 feel the benefits largely outweigh those aspects, and
23 would result in a more coherent and understandable
24 framework. There would be no cross-referencing between
25 the two rulemaking. There would be reduced potential

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for disconnects.

2 The review both internally and externally
3 would be smoother. For instance, the public wouldn't
4 be commenting on two different proposed rule packages
5 that pointed to each other. The internal concurrence
6 would be smoother, as would future interactions with
7 ACRS. So, overall, it's more effective, more
8 efficient, and it produces a stable and predictable
9 rulemaking process because you're not writing one set
10 of ruling without knowing what the latter one is.

11 The scope and schedule, this slide may
12 touch upon the earlier question a little bit, but the
13 scope is larger than just the two individual
14 rulemakings. So, as I mentioned earlier, COM SECY-13-
15 0002 combined Recommendations 4 and 7 into the
16 previous scope of the Station Blackout Mitigation
17 Strategies Rule. The consolidated rule will also
18 incorporate all of NTF Recommendation 8, which is the
19 current scope of the Onsite Emergency Response
20 Capabilities, and also all Recommendations 9.1, 9.2,
21 9.3, 10.2, and 11.1 on emergency preparedness with the
22 exception of the emergency response data system
23 capability throughout the accident.

24 There would also be when we send the
25 proposed rule package to the Commission a very large

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 set of guidance. The cumulative effects of regulation
2 tells us when we issued proposed rules for comment and
3 when we issue final rules they should have the draft
4 guides, and the final guides with them. So, that would
5 include NEI-1306, NEI-1206, NEI-1401, NEI-1201, and
6 also the Staff has plans to develop draft inspection
7 guidance to go out there.

8 MEMBER CORRADINI: So, to say it another
9 way, this plus the hardened vent and potentially
10 filter vent, the severe -- forget all the
11 arrangements, but the hardened vent with potential
12 filter vent rule, the spent fuel, and the walkdowns
13 and potential reevaluations, and this is the universe
14 of Fukushima activity.

15 MR. REED: Yes, I think you got it. I mean,
16 basically --

17 MEMBER CORRADINI: I'm back to my map.

18 MR. REED: Yes.

19 MEMBER CORRADINI: I'm fixated on one piece
20 of paper that shows me how it all -- the puzzle fits
21 together.

22 MR. REED: I think there's a few odds and
23 ends, but in large measure I think you got it. Like
24 Tara said, we combined all of 4 and 7 in COM SECY-13-
25 0002, basically combined all the rest of these and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enclosed there are six to the recent SECY paper. And
2 then if you start to map those through, 9.1 and 9.2
3 the NTTF separated into multi-unit and long-term SBO.
4 We consider that to be -- it's never really one thing
5 for the site, so you think of those as one thing. 9.3
6 was the orders, so basically getting all of that stuff
7 for the long-term ERDS is the only thing left on that.
8 Everything else we've captured. Some of that was Tier
9 1, 5054(f) letter, some of it's Tier 2, some of it's
10 Tier 3. 10.2 and 11.1 are actually redundant with what
11 we're doing in Mitigation Strategies, so much of it's
12 coming under Mitigation Strategies order and the way
13 it was implemented is implemented very broadly, but
14 there's also other guidance, as Tara mentioned. The
15 confusion comes really, the complexity comes down in
16 the guidance as it goes much further in 12.06, it goes
17 to some new ones, 13.06, 14.01, 12.01, by the way,
18 staff and communications, those all fold into now
19 additional inspection guides beyond the inspection
20 guides that Stew was talking about. For example,
21 inspection guides that would go to SAMGs, for example,
22 so that's basically all of it.

23 Now, the one thing that's really sticking
24 out, that I see sticking out there right now is EA-13-
25 0109. Okay? That's the Filtering Strategies Rulemaking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the order. Okay? Just for you all to know, industry
2 commented that they wanted that in this consolidated
3 rulemaking. We're considering that because it makes a
4 lot of sense in terms of EOPs and SAMGs for those
5 design Mark I and Mark II BWRs, obviously, so
6 technically it makes sense. Scheduling may not be able
7 to do it, so there's one where we are considering. I'm
8 on both those working groups, too, so I'm familiar
9 with those. Hopefully, that helps a little bit. I
10 think there's a few odds and ends, though --

11 MEMBER CORRADINI: I just wanted to make
12 sure because you're going through a litany of how all
13 this fits together.

14 MR. REED: Yes.

15 MEMBER CORRADINI: And I was trying to
16 think what wasn't in the litany.

17 MR. REED: The one thing that often gets
18 provided, and it's been talked about quite a bit today
19 is 2.1. You don't see 2.1 on there, you know, but you
20 have said the walkdowns which I think had a lot of
21 benefit. But 2.1 reevaluated hazards. Okay? Do affect
22 us. Okay? If somebody wants to credit the mitigation
23 strategies that would fold into his implementation of
24 the order, and also we have to make it generically
25 applicable. But so far I see it down in the guidance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and implementation level. I don't see it changing our
2 requirements level, but it's something we're mindful
3 of, and something that we're currently working on in
4 a paper right now. And, by the way, it's an issue that
5 came up at least a year ago when we were developing
6 the regulatory basis, so we've known about that for a
7 long time and we've been working that issue, too. So,
8 we're familiar with that linkage, too.

9 Essentially, we're kind of right in the
10 middle of the hub and everything is coming at us,
11 essentially, so try to maintain all that. So, it's
12 probably a really good idea, I think it's a great
13 suggestion to try to have a map of all these things.

14 MEMBER CORRADINI: I do think two or three
15 meetings we asked about that, too, if memory serves
16 me, but --

17 MR. REED: Not only for the requirements of
18 the NTTF, but also for the guidance is where it really
19 gets --

20 CHAIRMAN STETKAR: Before -- Ed Fuller has
21 been standing back here patiently.

22 MR. FULLER: This is Ed Fuller from the
23 Staff. Tim left a few words unsaid. I want to call
24 particular attention to a couple of the Tier 3 items
25 that don't -- we should not forget about, 5.2

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Recommendation and Recommendation 6. And 5.2 would be,
2 essentially, an extension of what we're doing now in
3 5.1 on the -- that's right now under the fold of the
4 Filtering Strategies Rulemaking for Mark Is and Mark
5 IIs. And it would be in -- the Tier 3 items are to
6 look at the additional containment designs. And
7 Recommendation 6 is on hydrogen generated in the
8 severe accident, and what we're going to do about
9 that. People would like to forget about those things,
10 but some of us don't want to forget about them.

11 CHAIRMAN STETKAR: Thanks very much.

12 MEMBER SKILLMAN: I'm reminded when I was
13 getting out of college a wise person once told me
14 anything that's big enough to give you everything you
15 want is big enough to take everything you've got. It
16 seems like you're making, I shouldn't say you, it
17 seems like this activity is going to make something
18 that's very large and very grand. And this is borne
19 out of a great deal of frustration, fear,
20 sophisticated learning. And here you are saying hey,
21 we've got the plan. We're going to pull all this stuff
22 together, and it's going to be one big integrated
23 rulemaking. And I just wonder if in the colossal size
24 of this if important elements will be missed, and
25 ground up and pulverized so they're no longer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recognizable. If something will be lost because of the
2 zeal to integrate and combine, so a question is what
3 caution is being exercised to make sure that important
4 detail doesn't get lost?

5 MR. REED: That's a good question. I mean,
6 basically, we're doing our level best to --

7 (Simultaneous speaking)

8 MR. REED: Absolutely. We're trying to
9 insure we don't do that. And, actually, I think that's
10 a definite challenge for us to do that and not miss
11 something. But I also remind people of the other side
12 of the coin here, and the other side of the coin is
13 the next slide that Tara will talk about. While we're
14 combining all these things that may, in fact, not pass
15 Backfit. Okay? Obviously, everything under the order
16 has already been backfitted, and it's not a new
17 imposition. All these new requirements, SAMGs, for
18 example, always been voluntary, and they've been
19 carefully considered for the last 30 years and
20 considered to be voluntary. So, I'm mindful of that
21 entire 30 years of policy. I'm going back through it,
22 and I'm making sure my work group is aware of it. So,
23 I'm worried also the policy issues that we need to be
24 aware of, and all the decisions and thoughts from a
25 lot of people over many years that went into that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when the Commission said verily it can be a voluntary
2 thing. Now we want to make it a Backfit, new
3 requirement SAMGs, for example, so there's definitely
4 complexity, potential missing issues. There's no
5 question we're doing an awful lot very, very fast as
6 was mentioned earlier. You know, I agree with that,
7 but I think you've got to look at it from both sides,
8 so us trying to do our job completely, as well as
9 making sure we follow our processes. Howard, go ahead.

10 MR. BENOWITZ: Howard Benowitz with OGC.
11 I'm on the working group with Tim, and just wanted to
12 address your question possibly, Tim, and Tara, you
13 might want to mention the size of the working group,
14 all the people that are involved that bring the
15 different perspectives. If you want to talk about
16 that.

17 MS. INVERSO: Right. Yes, from a higher
18 level perspective, as these pieces folded into each
19 other, the working group essentially remained the same
20 size and joined, so I think last we checked we have
21 upwards of 30 to 40 people that are in the working
22 group, and there's still a Steering Committee that we
23 report to to maintain the higher level vision. And
24 there are still public meetings planned as we develop
25 the rule package, so I think all of those elements

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 introduce a lot of checks and balances on the Staff.
2 So, the risk of leaving something out in the end, the
3 consolidation provides a greater benefit it not
4 predetermining the outcome of one versus the other.

5 MEMBER BLEY: There is another side to that
6 commonly, Dick, and we've seen it in existing
7 regulation, and that is if you do the pieces
8 singularly even more stuff can fall through the
9 cracks. There are gaps that aren't picked up until you
10 look at it in an integrated fashion, so I know you
11 guys have a tough job, but you've got to play both
12 sides of it. But integration is pretty important --

13 MR. REED: I was going to both
14 Recommendation 8 and the Station Blackout Mitigation
15 Strategies Rulemaking, I was trying to coordinate
16 communicate. And I'll tell you unless -- until we
17 combined those, those people actually heard the nuts
18 and bolts of Mitigation Strategies until they really
19 understand Recommendation 8 side. So, we understood
20 what they were doing, we actually were, I think,
21 missing and disconnecting, and I was like we must
22 combine. So, we saw that issue, so our -- we have a
23 very large group. We have people from NRO, Research,
24 NRR, we have myself, Eric Bowman, you know, folks that
25 are experts in the different areas all in this group,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and we're certainly -- go ahead, Lawrence.

2 MR. KOKAJKO: Yes, thank you. My name is
3 Lawrence Kokajko, Director of Division of Policy and
4 Rulemaking, and this rule is under my domain in that
5 Division.

6 I want to say that I'm a believer in this
7 rule because I believe for that reason, so many things
8 when we do singularly, things fall through the cracks.
9 We miss things. And, in fact, you get a smaller group
10 of people looking at it, you tend to look at just your
11 area, and you don't see some of the interconnections.

12 When we ultimately decided to propose this
13 to the Commission that we needed to look at this more
14 globally and try to integrate everything, it was with
15 the idea that we thought we could come up with a
16 better way of doing this to avoid some of the pitfalls
17 we know we've had with rulemaking. And I believe we do
18 have, as Tara said, checks and balances that exist
19 there today when we go out with a proposed rule, when
20 we go out for comments, we publish guidance with the
21 proposed rule and comments. Those are the things that
22 all provide a more meaningful rulemaking approach and
23 get a more meaningful product at the end.

24 We have had clearly a lot of folks
25 involved in this. I think you said 40 people, Tara.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That's a huge group, and I'm engaged on the Steering
2 Committee on this, and I can tell you they are very
3 comprehensive in scope. We look at a lot of detail in
4 trying to direct the working group to get everything.
5 And, in fact, we coordinated this across all our
6 offices, some of the stuff that Tim mentioned
7 regarding 9.1, 9.2, 9.3, I think 10. We're discussing
8 this with NSIR. And, of course, they bring up a
9 different perspective because of their unique role in
10 the Agency. So, I believe this is a very sound
11 approach. I'm a big believer in it, and I'm looking
12 forward to see this thing go work through the process.

13 I also would say that we work with the new
14 JLD organization very well, so that any insights that
15 are gained from their work, that come out of their
16 evaluation, we will factor into this rulemaking, so we
17 have, I think, a very comprehensive approach. I would
18 argue that we're approaching this in an extremely
19 thoughtful manner. And I look forward to seeing it in
20 completion. And, as I said, as Tim pointed out, we
21 still have the same date in mind, which is I think
22 December 16th?

23 MR. REED: That's correct.

24 MR. KOKAJKO: So, I just wanted to add that
25 thought.

1 MEMBER CORRADINI: But in line with what
2 you've said, so you've mentioned a few characteristics
3 or attributes, comprehensive, all encompassing, try to
4 be complete. Are there any other tools that the Agency
5 has and it's clear that naturally go that route, like
6 a Level 3 PRA that would look at all of this in a
7 combined logical fashion? It strikes me if you're
8 claiming all this, if I were an applicant, if I was a
9 licensee and I was thinking out of the box, I'd say I
10 have a Level 3 PRA. I've done it. I don't need this,
11 I need that, I don't need this, I need that, and
12 here's my complete comprehensive look at the problem.
13 Would the rule consider that as a possible solution to
14 the beast?

15 MR. KOKAJKO: Lawrence Kokajko, Division of
16 Policy and Rulemaking. I would say that that's covered
17 under some other topics, and --

18 MEMBER CORRADINI: But it's -- I challenge
19 that that it's not. If all the we've just discussed or
20 talking about, attributes of comprehensiveness,
21 completeness, that you've got a big problem you've got
22 to get your hands around. It takes a large team.
23 You've got to understand that system. It strikes me
24 the Level 3 PRA is a way to essentially decide how all
25 these things fit together in some manner, and which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things actually have risk-significance, and have a
2 risk -- a safety effect and which ones don't.

3 MR. KOKAJKO: By the way, I'm also engaged
4 with the Division of Risk Assessment, Joe Giiter's
5 group, and many of the people, in fact, two people up
6 there right now are also engaged with them on the risk
7 prioritization initiative. We're also engaged on the
8 Risk Management Task Force, the Regulatory Framework
9 Working Group. And Joe and I, as well as Tim McGinty
10 in DSS all have looked at this, and we are viewing
11 this in a little more comprehensive fashion. And it is
12 not lost -- your comment is not lost on us.

13 MEMBER CORRADINI: So, maybe my question
14 very pointedly, would the rule allow for a risk-
15 informed attack at this so that you would be able to
16 decide some things make sense, and some things don't
17 make sense because I have a complete risk profile of
18 the plant, or the site. Forget about the plant, the
19 site.

20 MR. REED: I think right -- I mean, I --
21 this is Tim Reed, and this is just a snapshot
22 realtime right now, and only my opinion. How is that
23 for a lot of caveats? But, I mean, right now the --

24 MEMBER CORRADINI: Do you have another
25 caveat you want to list?

1 MR. REED: We're standing at a very high
2 level in terms of performance-based, functionally-
3 based requirements. And, of course, the current
4 guidance has been developed largely to meet what the
5 folks in JLD have been doing. And they haven't risk-
6 informed that to any great, really great extent, but
7 they do consider all the applicable hazards at their
8 site, so when I think about what you're saying outside
9 what a risk-informed, for example, what really are the
10 hazards for my site? What really are the
11 vulnerabilities? Where should I make the adjustments?
12 What should I do for my site that makes the most
13 sense, kind of risk-informing the strategy. I think
14 that's a possibility for people to do. I haven't seen
15 it so far, but if they did that it would be -- I think
16 fall under the same set of requirements as an
17 alternative way to meet it, you know. So, I haven't
18 seen anybody try to go to a Level -- or even much PRA
19 really on this, to be honest with you, I mean. But I
20 do understand what you're saying. I think -- I
21 personally think it would be a great tool to use it,
22 but to date we've been going pretty fast. They haven't
23 done that. It's been more about additional defense-in-
24 depth capability for uncertainties, and it hasn't been
25 really looking at trying to understand what is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 risk? What have we done to it, what have we changed?
2 You know, I kind of, you know, have the same sort of
3 feeling as you, but so far I haven't seen that done
4 too much. I don't know. Maybe, Stew, if you guys have
5 seen folks on the industry side? I don't know, have
6 they brought any risk into what they've done?

7 MR. REED: No, we really have not seen that
8 in the Mitigation Strategies realm. There have been
9 efforts to introduce that into 2.1.

10 MR. FULLER: This is Ed Fuller, again. I'm
11 on this working group, and I'm also on the technical
12 advisory group for the Site Level 3 PRA. My impression
13 from all of this is, this rule is really based in
14 defense-in-depth. And as far as any relationship with
15 the PRA goes, you'd have to look at it in terms of the
16 systems analysis, human reliability, and what you do
17 when you get into a core damage situation.

18 In this particular rule, we are looking
19 very carefully at the whole issue of severe accident
20 management guidelines which are, basically, symptom-
21 based as the industry has developed them to date. So,
22 this is a round about way of saying a lot of insights
23 that come about from doing PRAs and severe accident
24 evaluations are finding their way into this rulemaking
25 process, but not explicitly. It comes to, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some collective knowledge among the various members of
2 the working group. For example, we have one guy who's
3 a real expert on instrumentation and he's really been
4 working hard with us to make sure we properly account
5 for instrument availability in severe accident
6 environments. So, it's a collective effort not
7 necessarily grounded in PRA formal approaches.

8 CHAIRMAN STETKAR: So, I think the answer
9 to your question is no.

10 MR. REED: Yes, I was actually going to
11 bring it back to what Ed just said. It's really
12 defense-in-depth for uncertainties associated with
13 beyond design basis external events, at least the
14 Station Blackout Mitigation Strategies portion of
15 that. And I think that's the part that hasn't been
16 really risk-informed, if you will, because obviously
17 everybody's external events at each site are not the
18 same. There's not the same level of uncertainty, so I
19 think there could be room for some folks to do that in
20 the future. I'm not ruling it out, so that's what I'm
21 saying.

22 MEMBER CORRADINI: Well, I've been tutored
23 by the older members of the Committee who seem to tell
24 me that defense-in-depth and risk-informed or a risk
25 perspective on a problem are fairly much intertwined,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so it seems to me that I'd want to know what risk I've
2 eliminated by doing this. And if I haven't, why am I
3 spending all this effort? I won't use the other term,
4 but effort.

5 MEMBER SCHULTZ: Well, the next slide that
6 Tara has the focus on the Backfit Rule, as well, and
7 Level 3 PRA, and this application could lend
8 information --

9 MS. INVERSO: Okay. So, the only other
10 thing I would mention on Slide 6, we don't need to go
11 back. I can just mention it, is that the final rule is
12 due to the Commission in December of 2016, so that
13 final end date did not change in the proposal to
14 consolidate. But what did change was the proposed rule
15 package due date which is currently due in December of
16 2014, which is the rationale for the November and
17 December ACRS meetings.

18 So, on Slide 7, I think Tim touched upon
19 this a little bit, but the Staff recognized that the
20 supporting justifications for each of the elements in
21 the draft rule language would have different
22 supporting Backfit bases, so for the requirements that
23 are being implemented under the Order EA-12-0409, they
24 would not be new requirements, so they would not need
25 a Backfit justification. But for all of the other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requirements, those that are brought in by the Onsite
2 Emergency Response Capabilities Rulemaking, they would
3 need to be justified for operating reactors under the
4 Backfit Rule, 10 CFR 51.09. And for the new reactors,
5 the issue finality provisions. So, with that in mind
6 and recognizing the complexity and the scope of this
7 rulemaking, the objective is to draft the rule
8 language so that there are independent subparagraphs
9 for each of these different justifications. So, in the
10 end, if the Staff concludes and the Commission agrees
11 that certain elements aren't justified, they can just
12 be lifted out without having too much of an impact on
13 the rest of the rule language.

14 And then on Slide 8 we begin to get into
15 a very high level outline of the draft proposed rule
16 language, so what I stress here is this is just draft.
17 It's at a working level. There aren't any
18 concurrences, subject to change. So, I'll be like Tim
19 and add on just a couple of more caveats before we
20 continue. But the applicability will start there. It
21 would apply to operating reactors and new reactors,
22 not research and test reactors, and not independent
23 spent fuel storage installations.

24 The working group is looking into for the
25 reactors that are transitioning to decommissioning,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are there any elements that could not apply to those,
2 and that's a relatively ripe topic right now within
3 the working group.

4 We then get into the integrated response
5 capability, and I'll point out here that the intent of
6 this integration is not to take these different
7 procedures and guidelines and make them identical,
8 because they'll still have their own purposes. Like,
9 for instance, for the emergency operating procedures,
10 they start out step by step, and then as you
11 transition through the accident and to the severe
12 accident management guidelines you start getting into
13 higher level, providing the decision maker with tools
14 to help inform his or her decision. So, that would
15 integrate the Station Blackout Mitigation Strategies
16 that are being acquired per EA-12-049, so that was the
17 element where you wouldn't need to do a Backfit
18 justification, it wouldn't be a backfit.

19 The emergency operating procedures are
20 already required by the technical specifications. The
21 extensive damage mitigation guidelines would be -- are
22 already required in 50.54(hh)(2), so that may just be
23 a simple point, the working group may decide to
24 carryover some actual language.

25 Right now the working group is considering

1 extensively the severe accident management guidelines
2 as a concept, requirements to have them review
3 requirements, et cetera.

4 The last piece may seem a little bit
5 strange as an integration, but for something this
6 complex, command and control for the multi-unit events
7 will be key. And that includes things like getting
8 equipment from other sites, or from the new Response
9 Centers that Stew was talking about.

10 Moving on to Slide 9, the equipment
11 requirements, the regulatory treatment for the
12 equipment that's required under the order. And I think
13 this came up as a question during Stew's presentation,
14 and how does this long term treatment of the equipment
15 get rolled into the rule?

16 The training requirements that would
17 mostly focus on the communication, again, the multi-
18 unit events. The drills and exercises, what the
19 working group is currently looking into is how all of
20 these different procedures and guidelines would
21 integrate together during the accident. And then for
22 change control, the working group is recognizing the
23 limitations of 50.59 for the beyond design basis
24 events. So, I'm not sure if Tim wants to provide any
25 more detail, or are there any questions on the outline

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the rule language right now?

2 MR. REED: That's a very high level
3 snapshot. You know, we're also -- equipment
4 requirements, for example, what you see there, the EA-
5 12-049 equipment. Of course, we have reasonable
6 protection requirements, but we have a maintenance,
7 some sort of maintenance and testing over time
8 requirement. We have to maintain that at some level,
9 maybe vendor recommendation, what have you. Some of
10 this is already in NEI-1206 if you've all looked at
11 that. That would probably be an acceptable means to
12 continue doing it. But there could be more equipment
13 requirements there. For example, we could decide that
14 we want to have communications or equipment facilities
15 requirements up from the EP folks. Right now they're
16 implementing that in NEI-1201, which is referenced
17 through 12-06. We may decide to put that up to a
18 requirement. It would be technically a backfit with no
19 impact, if you will. There could be other -- I mean,
20 we're actually considering, for example, high level
21 performance-based requirement for spent fuel pool
22 level -- a means to know level. In other words, more
23 performance-based on that level than the EA-12-051,
24 for example, to make that generically applicable. So,
25 I'm just trying to give you a full scope of everything

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just in the equipment part that we're considering. But
2 right now, clearly, we have to make EA-12-049
3 requirements generically applicable, so that's what
4 you see there.

5 In drills and exercises, a lot of this is
6 being done right now for EA-12-049. In fact, we're
7 talking about the V&V exercise and other drills. We
8 would see that as being a little bit more broad. In
9 other words, now instead of just being, for example,
10 a mitigation strategy for beyond design -- it could
11 extend into a core damage sequence, so we'd go into
12 the SAMGs and we'd test the SAMGs. For example, are we
13 testing into the SAMGs with mitigation strategies
14 equipment, some alternative way, so you can see it's
15 al little more broad than perhaps just simply EA-12-
16 049. That gets to a new requirement, a new backfit.
17 That's part of that SAMG requirements, and all the
18 functional regulatory assurances that support that
19 SAMG requirement. So, right now as Tara mentioned,
20 that's our principal focus, trying to justify that new
21 imposition, okay, and reflecting back over since 1985
22 that it's not been a requirement, saying that we think
23 it should be a requirement in defense-in-depth. Okay?
24 And then having the other assurance requirements come
25 in under that backfit. That's kind of the centerpiece,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if you will, for that consolidated portion, that real
2 integrated piece. So, that's our main focus, and if we
3 are successful in that, I think this thing comes
4 together pretty nicely. And the complexity really now
5 is done in the implementation guidance, and there's
6 where also the feedback comes from the folks right now
7 in JLD. And alternatives they allow, anything that
8 people have a better way to skin the cat, that could
9 fold back into revised updated 12-06 guidance which
10 falls into the rule. So, we're staying with connected
11 with those folks as Eric is on both, Eric Bowman is on
12 our working group. So, I just want to give you a
13 little more flavor. There's a lot more than what you
14 see here. I can probably talk for a long time on each
15 of these headings, but I just want to give you some
16 idea.

17 MEMBER SCHULTZ: Well, as you talked for a
18 very short time you recently raised a number of issues
19 and questions associated with cumulative effects of
20 regulation and backfit, as well --

21 MR. REED: Yes.

22 MEMBER SCHULTZ: -- with the many things
23 that you added to the list. So, I think it's certainly
24 going to be a challenge to work through that --

25 MR. REED: Yes, I think it's very -- I'm I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guess the lead again on CER. Always getting back to
2 me, again, and certainly I think, for example, one
3 critical area, just one example, the people that do
4 Mitigation Strategies are highly likely to be the
5 people to do the SAMGs. I mean, they've got the same
6 skill sets, and they're being driven pretty hard to
7 make that tough schedule that we just talked about
8 earlier today. And I see that that's going to be one
9 area where we need to potentially adjust the
10 implementation of SAMGs on the plant-specific basis.

11 Remember that -- industry has done an
12 enormous amount, I mean, kudos to the industry doing
13 a lot of recent work. I don't know if you folks know,
14 EPRI updated their Technical Basis docket, 20 years
15 knowledge, far more high level actions in there, a lot
16 of good work. Both Owners Groups have done great work
17 putting together new SAMGs. Okay? They're still
18 working that problem. We're looking at all that
19 information. But even with all that, on a plant-
20 specific basis we'd have to take that and adopt it.
21 Okay? And that's still a lot of work, and that's --
22 we're recognizing that, so that's a big CER impact.
23 I think you've heard a little bit, some earlier about
24 2.1 being maybe a little bit out of adjustment. I
25 think another area is EA-13-109. Okay? So, I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certainly aware of that as those -- as being kind of
2 the lead of this rulemaking process, so it turns out
3 the lead for CER, also. But, yes, I'm very mindful of
4 that issue.

5 MS. INVERSO: On Slide 10, Tim already
6 covered the CER issues and the resource constraints
7 that we may anticipate. The only other thing I'd
8 mention on this slide is that we're mindful of
9 submittal requirements, particularly with the new
10 reactors. For the currently operating reactors, we
11 would leverage the submittals that have already been
12 provided under EA-12-049.

13 MR. REED: Yes, just to follow-on a little
14 bit, here's a simple idea. Almost everything that
15 we're doing for EA-12-049 in my view kind of brings
16 that up to T equals zero, so that when these guys do
17 their inspection report say verily you're good, you
18 meet EA-12-049. Okay, you're at T equals zero. You're
19 good to go on mitigation strategies right now.

20 Now I need to carry that forward and keep
21 it going periodically over time. So, that's what --
22 this is an issue that's come up several times today,
23 and that's the way we kind of see it working together.
24 So, that's just one example, but most of that work
25 will be directly applicable to that part. And, of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 course, we have some new stuff, like SAMGs I mentioned
2 that we'll have to make some adjustments. But in
3 addition, you should understand that the new
4 requirements are really for new reactor applications
5 under Part 50 or Part 52. A brand new reactor, unless
6 somebody wants to come in, you know, I don't know what
7 the chances of this are to be honest with you, but we
8 want to -- we need to put into Part 50 both for OL and
9 CP portions of that application, as well as Part 52
10 what kind of information would you need to provide as
11 part of your application in terms of meeting all this
12 new set of requirements? So, that's what we're trying
13 to do there, too. It's part of our rulemaking process
14 and we have to build that into the regulations, also.

15 MS. INVERSO: Okay. And then on our slide,
16 we've already mentioned current focus. The working
17 group continues to develop the draft proposed rule
18 language and to focus on the SAMGs from a conceptual
19 standpoint. We are planning to have a public meeting
20 in August, probably mid towards end of August, and the
21 purpose of that public meeting will be to seek
22 external stakeholder feedback on the draft proposed
23 rule language itself. So, we'll release that ahead of
24 time so that the attendees can think it over and
25 prepare their remarks. So, that's something that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can provide to Mike to perhaps distribute to all of
2 the members, or even the members if they're interested
3 could attend. We'll have remote attendance capability
4 if that's something that is of interest.

5 MR. REED: Our intent there is to kind of
6 go right to the heart of the matter, which I was just
7 talking about. Focus in on SAMGs, what our SAMG
8 requirements would be, what we see as the conceptual
9 elements of the defense-in-depth right now, backfit
10 analysis, put it out there and see what people think
11 because we're developing those two in tandem. They go
12 together. You know, how much in terms you want to
13 impose the requirement of the functional that can
14 support and backfit, so we're working those two
15 together. We want to put that out there and let people
16 see that and see what kind of feedback we get. And,
17 hopefully, it helps us going forward, we produce a
18 much better proposed rule.

19 MS. INVERSO: And then we'll return to the
20 ACRS on November 20th and 21st for the Subcommittee,
21 and then in December, I don't remember the specific
22 date, for the Full Committee, which will be a review
23 of the proposed rule package.

24 MEMBER SCHULTZ: Somewhere between the 2nd
25 and the 4th.

1 MS. INVERSO: Okay.

2 MR. SNODDERLY: Excuse me, John. Mike
3 Snodderly, ACRS Staff. While we have all the major
4 players here, I just want -- and so we meet the
5 Committee's expectation, I just want to give a little
6 more detail on what we have scheduled for November
7 20th and 21st to make sure that we're on board with
8 the Staff.

9 We've been working with Jeremy Bowen of
10 the newly formed JLD group. Unfortunately, he couldn't
11 be here today because he's at one of the Regional
12 Centers, Regional Response Center openings. But we
13 have commitments from four plants, two BWRS, and two
14 PWRs at four different sites. So, what we envisioned
15 was on November 20th, it would be -- we would discuss
16 with each one of those four sites for about two hours,
17 we would discuss their thermal hydraulic analyses that
18 they've done to support what actions they've
19 developed. And then we would also discuss their
20 current confirmatory and open items, because I think
21 that will give the Committee -- the idea was it would
22 give the Committee a good idea of what guidance, what
23 methodologies are being used, and how -- and if
24 there's problems or not problems.

25 Then that would lead in then to the next

1 day which would be more the Staff presentations and
2 discussions of the draft proposed rule language as it
3 exists at that time. And we'll work with the Staff to
4 figure out what's an appropriate date to freeze it and
5 submit it to support the 21st. And then as Tara said,
6 then we would follow-up with -- perhaps another
7 Subcommittee meeting right before the December Full.
8 But, hopefully, we can get that all accomplished on
9 November 20th and 21st, and then, hopefully, the
10 Committee will feel comfortable enough to address it
11 during the December Full Committee meeting. But that
12 would allow us to meet the current schedule that was
13 proposed to the Commission. It's aggressive, it's
14 going to be a big package, but I'm not sure how else
15 to do it. But if you could give us some feedback,
16 maybe fewer plants, more time with the Staff, but
17 that's -- currently right now that's the plan.

18 The other opportunity we'll have, as I
19 said, is when we go to Palisades the third week of
20 July, they have their Interim Staff Evaluation, and
21 that's another opportunity where we can look and hear
22 from them about how things are going, and get another
23 data point there. But that's pretty much how we plan
24 to attack this review, which is going to be a
25 challenge for us and the Staff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: You know, my initial
2 reaction is that sounds -- it's challenging. It's
3 certainly going to be a full couple of days, but in
4 terms of number of plants, I think we would benefit
5 from that broader cross section. I think the danger of
6 having only one or two, as you -- you see their
7 specific issues, so --

8 MEMBER SCHULTZ: Before we get there, we
9 can work on the content of each plant's presentation
10 and make sure we're not -- we don't result in an
11 overlap of information.

12 CHAIRMAN STETKAR: Yes, I think that's
13 important because having them spend a quarter of their
14 time covering the same programmatic issues doesn't
15 make sense.

16 MR. SNODDERLY: One thing I was surprised
17 about because I have spent a good bit of time with
18 different interim staff evaluations is how different,
19 how sites -- you really do get a feel for this really
20 as a plant-specific issue, because the issues are --
21 they have a lot in common, but they're very different
22 about how they approach them, and what equipment
23 they're going to use, and the response time. So, yes,
24 I think we got it right. Thanks.

25 MR. MOHSENI: And just to react to some of

1 the good comments we heard, I think we're learning a
2 lot about the complexity of what's before us. By no
3 means are we oversimplifying the challenge before us.
4 Having one consolidated rule has its cons, as well.
5 While it has its pros, it does have its unintended
6 consequences, and it's very difficult to be precise in
7 projecting exactly what implications it might have on
8 the unintended consequences.

9 The concept about assessing the value-
10 added in terms of risk reduction going through the up
11 front cost of looking into this, the already sunk
12 costs and what is yet to come, it's a great idea, but
13 I think from a policy standpoint the momentum that has
14 been created, it's going forward. While it is good to
15 know so that in the future we can better adjust where
16 the value is when we are committed to risk-informing
17 our processes along the way, but as you can see, this
18 is very much uncharted waters we're entering beyond
19 design basis. And as much as we're learning from the
20 orders and the implementation of the orders, we will
21 continue to live within a lot of uncertainty. And the
22 defense-in-depth concept is really our last protection
23 against the tough questions that we get. When we
24 cannot quantify adequately the uncertainties or the
25 benefits, we will rely on defense-in-depth as a basis,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but recognizing the complexity I think your
2 questioning and your attitude helped us a lot in
3 better focusing our attention on what needs to be
4 done, and we appreciate tough questions that you
5 provide us.

6 MEMBER SCHULTZ: Thank you. Are there other
7 comments or questions from the Committee Members
8 before we go to public comment? Hearing none, Mike,
9 I'd like to open up the telephone line, and while
10 we're doing that are there any members of the public
11 or others in the room who would like to make a
12 statement to the Committee at this time?

13 MR. LEWIS: Yes, this is Marvin Lewis, a
14 member of the public.

15 MEMBER SCHULTZ: Marvin, we don't have any
16 members in the room who are -- of the public in the
17 room who have come to the microphone, so thank you for
18 your offer of comment, and we're ready to listen.
19 Thank you.

20 MR. LEWIS: All right. Well, at first I
21 thought this was going to be the usual stuff, and I'm
22 taken back that I see some real effort here trying to
23 meet a standard of greater safety. All right. I admit
24 the technical stuff went pretty fast and hard, but I
25 am an engineer and I was able to follow it. I think I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really did see an effort to make -- to provide greater
2 health and safety to the public. And I wish that a lot
3 more meetings show that kind of effort. Thank you.

4 MEMBER SCHULTZ: Thank you for your
5 comment. Are there members of the public on the line
6 who would like to make a comment? Please state your
7 name and make your comment, please. Hearing none,
8 we'll go ahead and close the public comment period.
9 And, John, I'll turn the meeting back over to you.

10 CHAIRMAN STETKAR: Thanks very much, Steve.
11 And, again, I'd like to offer my thanks to the Staff.
12 You covered a lot of material. The exchange was very
13 good, and we appreciate the time and effort you put
14 into this. And we certainly look forward to our future
15 interactions.

16 With that, we are now off the public
17 record as far as our meeting is concerned, and we will
18 reconvene at 3:00, please.

19 (Whereupon, the above-entitled matter went
20 off the record at 2:28 p.m.)

21

22

23

24

25



**Revisions to *Standard Review Plan for the Review of Safety Analysis Reports for Nuclear Power Plants (NUREG-0800)* :
BACKUP SLIDES**

Staff: Suzanne Schroer, Mark Caruso, Hanh Phan,
Odunayo Ayegbusi, Robert Vettori, Jonathan DeGange

Office of New Reactors

Presented to ACRS

July 10, 2014

Re-Noticing SRP 19.0

Description of Proposed Changes

- Staff's expectations for addressing risk of accidents that could affect multiple modules to be reflected.
 - Applicant will systematically search for multi-module risk contributors.
 - Applicant will explain why such contributors are small compared to single module contributors in light of design features and operational strategies for prevention or mitigation of multi-module accidents.
- More explicit description of review procedures for Low Power & Shutdown PRA review to be added to ensure that Chapter 19 of the submitted FSAR is complete.
 - APR1400 readiness review indicated guidance in current draft SRP 19.0 not sufficient to convey expectations

SRP 19.1 Rev. 3

Section II. “ACCEPTANCE CRITERIA”

- No new sections or subsections added to the SRP Section 19.1 Revision 3
- Updated to include:
 - Regulatory requirements in 10 CFR 50.71(h)(1), (h)(2), and (h)(3) for new reactors
 - “If the applicant shows that its PRA model meets the regulatory positions set forth in RG 1.200, the technical reviewer should be able to conclude that the PRA is technically adequate. If exceptions to RG 1.200 have been identified and the staff has determined that the exceptions would not affect the risk results sufficiently to affect the regulatory decision, the staff should also be able to conclude that the PRA is technically adequate.”

- Section III.1.2, “Scope of the PRA Model” updated to include:

“For reactors licensed under Part 52, CFR 50.71(h)(1) requires that each COL holder shall develop a Level 1 and a Level 2 PRA no later than the scheduled date for initial loading of fuel. The PRA must cover those initiating events and modes for which NRC-endorsed consensus standards on PRA exist 1 year prior to the scheduled date for initial fuel load. In addition, 10 CFR 50.71(h)(3) requires that each COL holder shall upgrade the PRA required by 10 CFR 50.71(h)(1) to cover all modes and all initiating events no later than the date on which the licensee submits an application for a renewed license.”

Section III. “REVIEW PROCEDURES” (Continued)

- Section III.2.2, “Assessment of the Technical Adequacy” updated to include:

“The capability category needed for each PRA supporting requirement of the applicable PRA standard technical element is dependent on the application. In general, the staff anticipates that current good practice, i.e., Capability Category II of the ASME/ANS Standard, is the level of detail that is adequate for the majority of applications. However, for some applications, Capability Category I may be sufficient for some PRA supporting requirements, whereas for other applications it may be necessary to achieve Capability Category III for specific PRA supporting requirements.”

- Section IV. “EVALUATION FINDINGS”
 - No major changes
- Section V. “IMPLEMENTATION”
 - No major changes
- Section VI. “REFERENCES” added
 - NEI 05-04, “Process for Performing Follow-On PRA Peer Reviews Using the ASME PRA Standard”
 - NEI 07-12, “Fire Probabilistic Risk Assessment Peer Review Process Guidelines”
 - NUREG-1855, “Guidance on the Treatment of Uncertainties Associated with PRAs in Risk-Informed Decision Making”



Revisions to Standard Review Plan for the Review of Safety Analysis Reports for Nuclear Power Plants (NUREG-0800)

Staff: Suzanne Schroer, Mark Caruso, Hanh Phan,
Odunayo Ayegbusi, Robert Vettori, Jonathan DeGange

Office of New Reactors

Presented to ACRS

July 10, 2014

Agenda

Section

- SRP Section 17.4
- SRP Section 19.0
- SRP Section 19.1
- SRP Section 19.2
- SRP Section 19.3
- SRP Section 19.4
- SRP Section 19.5

Staff Presenting

Suzanne Schroer
Mark Caruso
Hanh Phan
Odunayo Ayegbusi
Mark Caruso
Robert Vettori
Robert Vettori



Revision 1 to SRP 17.4

“Reliability Assurance Program”

Presented to ACRS

July 10, 2014

- SRP 17.4 updated to incorporate DC/COL-ISG-18: “Reliability Assurance Program”
 - Sections of 17.4 were wholly replaced by DC/COL-ISG-018
- Also clarified “Review Procedures”

- Sections replaced by DC/COL-ISG-018
 - Review Responsibilities
 - Areas of Review
 - Acceptance Criteria
 - Evaluation Findings
 - References

- Replaced the term “quality elements” in SRP Section 17.4, Revision 0 and “essential elements” in SECY-95-132 with the term “implementation controls” in SRP Section 17.4, Revision 1

- **Additional Review Procedures**
 - Documentation of NRC audits and inspections.
 - Regulatory guides that provide information on categorizing risk significance of systems, structures, and components (SSCs) which can facilitate the review of the methodology for identifying SSCs within the scope of the RAP.
 - Participation of other technical organizations in the review of the list of RAP SSCs and the evaluation methodology.
 - Interfacing with other organizations to review the process for integrating RAP into operational programs.
 - Procedure for reviewing the proposed Tier 1 inspections, tests, analyses, and acceptance criteria for RAP.

- **Sub-Committee Comments**
 - What do applicants need to do with their D-RAP list once they have their full-scope, plant-specific PRA?
 - Why is there a focus on dominant failure modes for creating the D-RAP list?

Conversion into operational programs

- SRP 17.6 “Maintenance Rule” Draft Revision 2

- “The NRC has determined that the reliability assurance program may be implemented in the operations phase by (a) the MR program consistent with RG 1.160, **with all RAP SSCs being categorized as having HSS**, (b) the quality assurance (QA) program for safety-related SSCs established through Appendix B to 10 CFR Part 50 requirements, (c) QA controls for nonsafety-related RAP SSCs established in accordance with Part V of SRP Section 17.5, and (d) inservice inspection, inservice testing, surveillance testing, and maintenance programs.”

Dominant Failure Modes

- **SECY-95-132**

- “An application for advanced reactor design certification or a combined license must contain....for those structures, systems, and components designated as risk-significant: (i) a process to determine dominant failure modes that considered industry experience, analytical models, and applicable requirements...”

Dominant Failure Modes

- SRP 17.4

- “Prior to initial fuel load, the COL licensee identifies dominant failure modes and integrates RAP into operational programs. During the operations phase of the plant, **performance and condition monitoring is implemented** to provide reasonable assurance that these RAP SSCs do not degrade to an unacceptable level of reliability, availability, or condition.”
- “Process for Determining Dominant Failure Modes: The application should propose a process for determining dominant failure modes of RAP SSCs. This process should incorporate industry experience, analytical models, and applicable requirements (e.g., operating experience, PRA importance analyses, root cause analyses, failure modes and effects analyses).”

Dominant Failure Modes

•SRP 17.4

- “A COL applicant referencing a certified design should propose a process for integrating the RAP into operational programs...**consideration** of dominant failure modes of RAP SSCs in meeting the objectives of the RAP **during plant operation.**”
- “Integrations of Reliability Assurance Program into Operational Programs...Consideration of dominant failure modes of RAP SSCs, which are determined in accordance with the process established under the referenced DC, as it relates to maintaining the reliability and availability of RAP SSCs commensurate with their risk significance. For example, dominant failure modes **could be used to facilitate** the identification of specific reliability assurance activities or strategies (e.g., inservice inspection, inservice testing, surveillance testing, monitoring, and maintenance) to maintain equipment performance consistent with the risk insights and key assumptions for the RAP SSCs.”



Revision 3 to SRP 19.0
“Probabilistic Risk Assessment and
Severe Accident Evaluation for New
Reactors”

Presented to ACRS

July 10, 2014

Agenda for Presentation

- Summary of Changes to SRP Chapter 19.0
- Key issues raised at PRA Subcommittee meeting (March 20, 2014)

SRP 19.0 Update PRA & Severe Accident Evaluation for New Reactors

- SRP 19.0 Updated to incorporate:
 - DC/COL-ISG-03 PRA Info for DC/COL Applications
 - DC/COL-ISG-20 PRA Based Seismic Margins Analysis
 - DI&C-ISG-03 Risk-Informed Digital I&C Review
 - New Reactor Review Experience
 - ESBWR
 - AP1000
 - EPR
 - APWR

- Additional review interfaces identified
 - Structural Engineering
 - Human Factors Engineering
 - External Hazards Review (Chap 2)
 - Digital I&C review
 - Regulatory Treatment of Non-safety Systems
 - Severe Accident Management Alternatives (Environmental Report)

SRP 19.0 Update

New Guidance Based on New Reactor Review Experience

- **Review Procedures for PRA Technical Adequacy**
- Review Procedures Specific to Passive Designs
- Review Procedures Specific to iPWRs
- Level II PRA Results
- PRA for Non-Power Modes of Operation
- Treatment of Internal Fire Initiators
- Treatment of High Wind Initiators
- **Procedures for Specific PRA Audit Topics**
- Severe Accident Evaluation

SRP 19.0 Update

Key Issues Raised at PRA Subcommittee Meeting

-
- Need for COL holders to verify seismic margin when a seismic PRA is required by regulation
 - Acceptability of the Capability Category I Standard for design certification and COL PRAs
 - Applicability of metrics for risk significance in RG 1.200 to designs with very low CDF
 - Use of functional block diagrams provided by applicant to develop a PRA model of digital I&C systems which provides risk insights that help assure the design meets fundamental principles



Revision 3 to SRP Section 19.1
“Determining the Technical Adequacy Of
Probabilistic Risk Assessment for Risk-
informed License Amendment Requests After
Initial Fuel Load”

Presented to ACRS

July 10, 2014

Revision 3 to SRP Section 19.1

-
- The main purpose of this update is to:
 - incorporate regulatory requirements for new reactors
 - include the applicability of NFPA 805
 - reflect the issuance of Revision 2 to RG 1.200, addenda to the ASME/ANS PRA Standard, and additional PRA-related guidance
 - update the introductory/history discussion of the ASME and ANS Standards
 - Changed the title to clarify its intent for risk-informed LARs after initial fuel load



SRP Section 19.2
“Review of Risk Information Used to
Support Permanent Plant-Specific
Changes to the Licensing Basis:
General Guidance”

Presented to ACRS
July 10, 2014

SRP 19.2

Review of Risk Information Used to Support Permanent Plant-Specific Changes to the Licensing Basis: General Guidance

- SRP 19.2 is a new section created during the Chapter 19 rearrangement in 2007
- The section contains guidance previously available in SRP 19, revision 1
- The guidance was updated to extend its use to 10 CFR part 52 applicants, as appropriate



SRP Section 19.3 (NEW)
**“Regulatory Treatment of Non-Safety
Systems for Passive Advanced Light
Water Reactors”**

Presented to ACRS

July 10, 2014

Agenda for Presentation

- Overview of SRP Section 19.3
- Key issues raised at PRA Subcommittee meeting (March 20, 2014)

SRP 19.3

Regulatory Treatment of Non-Safety Systems (RTNSS)

- **Overview**

- SRP 19.3 is a new section that addresses Regulatory Treatment of Non-Safety Systems for passive designs
- SRP 19.3 is based on Commission policy described in SECY papers and SRMs for AP600/1000 reviews
- SRP 19.3 provides top level guidance; SRPs that address specific SSCs provide additional detailed guidance
- Review responsibility is spread widely over the technical staff

SRP 19.3

Regulatory Treatment of Non-Safety Systems

- Areas of Review
 - Selection of RTNSS SSCs using the five RTNSS scoping criteria
 - Functional design of RTNSS SSCs
 - Adequacy of functional design requirements
 - Compliance with functional design requirements
 - Design improvements to minimize adverse interaction between passive safety systems and non-safety active systems
 - Focused PRA sensitivity studies
 - Augmented design standards for RTNSS “B” SSCs
 - Regulatory treatment of RTNSS SSCs

SRP 19.3

Regulatory Treatment of Non-Safety Systems

- Staff's review assures that:
 - RTNSS SSC selection criteria have been met
 - Functional design requirements adequate
 - RTNSS SSCs meet their functional design requirements
 - Adverse interaction between passive safety systems and active non-safety back-up systems identified and removed through design
 - Results of Focused PRA are reasonable
 - Proposed regulatory treatment of each SSC is commensurate with its reliability/availability mission
 - Controls for RTNSS "B" SSCs are provided in the Availability Controls Manual.
 - Tech Spec established for highly risk-significant RTNSS SSCs

Key Issues Raised in PRA Subcommittee Meeting

- Those parts of RTNSS that depend on the PRA are not revisited by COL holders with the “fuel load” PRA.
 - fuel load PRA more complete than the design PRA
 - such action might identify needed changes
- Policy on RTNSS was developed 20 years ago. Weaknesses have been identified and perhaps the policy and process should be re-considered
 - RTNSS “B” SSCs appear to get more treatment than other RTNSS SSCs.



SRP Section 19.4 (NEW)
Strategies and Guidance to Address Loss
of Large Areas of the Plant Due to
Explosions and Fires

Presented to ACRS

July 10, 2014

-
- New SRP Section
 - Incorporates DC/COL-ISG-016: “Compliance with 10 CFR 50.54(hh)(2) and 10 CFR 52.80(d)”
 - Review conducted by
 - Branch responsible for the review of mitigating strategies
 - Branch responsible for the review of reactor systems

-
- **Regulatory Requirements**
 - 10 CFR 50.54(hh)(2) (LOLA)
 - 10 CFR 50.34(i), 10 CFR 52.80(d) (contents of applications)
 - **NRC Guidance**
 - Interim Safeguards and Security Compensatory Measures Order (February 25, 2002)
 - Temporary Instruction (TI) 2515/168 (SGI)
 - DC/COL-ISG-016
 - **Industry Guidance**
 - NEI 06-12 “B.5.b Phase 2 & 3 Submittal Guideline,” Revision 2 (CPs and OLs issued before May 26, 2009)
 - NEI 06-12, Revision 3
 - **Conformance with guidance are satisfactory means of compliance with regulatory requirements.**



SRP Section 19.5 (NEW)
**Adequacy of Design Features and Functional
Capabilities Identified and Described for
Withstanding Aircraft Impacts**

Presented to ACRS

July 10, 2014

-
- New SRP Section – Issued April 2013
 - Incorporates RG 1.217, Rev 0, “Guidance for the Assessment of Beyond-Design-Basis Aircraft Impacts”
 - Considers conformance with Nuclear Energy Institute (NEI) 07-13, Revision 8, “Methodology for Performing Aircraft Impact Assessments for New Plant Designs,” an acceptable method for use in satisfying the NRC requirements in 10 CFR 50.150(a).

-
- Primary aircraft impact assessment review is conducted by three different branches
 - Branch responsible for the review of fire protection
 - Branch responsible for the review of structures
 - Branch responsible for the review of reactor systems

-
- ANS - American Nuclear Society
 - ASME - American Society of Mechanical Engineers
 - CFR - Code of Federal Regulations
 - COL - Combined License
 - CP- Construction Permit
 - DC - Design Certification
 - I&C - Instrumentation and Control
 - ISG - Interim Staff Guidance
 - LAR - License Amendment Request
 - LOLA – Loss of Large Areas (of the plant)
 - NEI - Nuclear Energy Institute
 - NFPA - National Fire Protection Association
 - OL- Operating License
 - PRA - Probabilistic Risk Assessment
 - RAP - Reliability Assurance Program
 - RG - Regulatory Guide
 - RTNSS - Regulatory Treatment of Non-Safety Systems
 - SAMDA - Severe Accident Management Design Alternatives
 - SRP - Standard Review Plan
 - SSC - Structures, Systems and Components

Lessons Learned from the San Onofre Steam Generator Tube Degradation Event

Plan of Action and Milestones Steam Generator Technical Review



Presented by:
Craig Erlanger, NRR/DIRS
Gloria Kulesa, NRR/DE/ESGB

July 10, 2014



Background

- **Replacements for San Onofre**
 - Unit 2: 2010
 - Unit 3: 2011
- **Status on January 31, 2012**
 - Unit 2 outage
 - Unit 3 tube leak
- **Decision on June 7, 2013**



Lessons Learned Tasking

- **Memo from EDO on 3/20/14**
 - 8 Topic Areas
- **Topic 3 – Steam Generator Technical Review**
 - NRR: DE (lead) and DSS
 - NRO: DE and DCIP
 - RES
 - Region IV
- **Five areas of consideration**



Items of Consideration

- **Item 1 – Review Guidance**
 - Staff to evaluate need for additional guidance in steam generator:
 - designs for new reactors
 - replacements
 - modifications



Items of Consideration

- **Item 2 – SG Program: New degradation**
 - **Staff to evaluate if the existing SG program effectively handles new degradation methods**



Items of Consideration

- **Item 3 – SG Program: Fluid Elastic Instability**
 - Staff to evaluate if the existing SG program effectively accounts for the phenomenon



Items of Consideration

- **Item 4 – New standards/criteria for new SG**
 - Staff to engage industry for evaluating the adequacy of industry standards



Items of Consideration

- **Item 5 – Enhancements to the NRC's SG inspection procedures**
 - Staff to evaluate if new guidance is needed in Inspection Procedures
 - Inservice inspections
 - Vendor inspections



Backup Slides

Plans of Actions and Milestones for Other Topics



Overall Milestones

- Region IV Visit: July 1, 2014
- ACRS Meeting: July 10, 2014
- Team Meeting: July 10, 2014
- First Draft of Responses: August 29, 2014
- Team Meeting – Discussion of Draft Responses: September 3, 2014
- Second Draft of Responses: October 2, 2014
- Team Meeting: October 7, 2014
- Final Team Input: October 29, 2014
- Team Meeting: November 4, 2014
- Report Development Complete: November 10, 2014
- Report Out for Concurrence: November 12, 2014
- Final Report Preparation: December 3, 2014
- Report Due to OEDO: December 22, 2014
- OEDO Status Brief: TBD
- TA Brief: TBD



10 CFR 50.59 Process

Plan

- Evaluate adequacy of the 10 CFR 50.59 rule for major or complex component replacements.
- Assess need for additional 10 CFR 50.59 guidance for large or complex component replacements.
- Assess need for clarification for the commonly used phrase “like-for-like replacement” with respect to 10 CFR 50.59.
- Engage appropriate stakeholders with the preliminary conclusions.

Internal Milestones

- Begin review: June 2, 2014
- ACRS meeting: July 10, 2014
- Meetings with internal stakeholders: July/August 2014
- Meetings with external stakeholders (ROP working group): July 16, 2014 & September 11, 2014
- First draft: August 29, 2014
- Second draft: October 2, 2014
- Final input: October 29, 2014



Confirmatory Action Letter as a Regulatory Tool

Plan

- Seek input from various stakeholders.
- Reviewed documentation related to this issue.
- Determine the appropriateness of the use of CAL as a regulatory tool.
- Determine if changes to CAL guidance or implantation are needed.
- Determine if additional formal communications to licensees are needed regarding future use of CALs.

Internal Milestones

- Begin review: June 2, 2014
- ACRS meeting: July 10, 2014
- Meetings with internal stakeholders: July/August 2014
- Meetings with external stakeholders (ROP working group): July 16, 2014 & September 11, 2014
- First draft: August 29, 2014
- Second draft: October 2, 2014
- Final input: October 29, 2014



Organization/Roles and Responsibilities

Plan

- Seek input from various stakeholders.
- Review applicable documentation.
- Determine if existing process helped staff respond with the appropriate priority to the event.
- For technical issues, determine:
 - if the agency has appropriate guidance of the roles/responsibilities of each office.
 - if guidance for Technical Evaluation Reviews is needed.
 - If current internal communications are appropriate/effective.
 - any lessons learned on internal communications and coordination among offices for this event.

Internal Milestones

- Review Start: June 1, 2014
- First Draft: August 29, 2014
- Second Draft: October 2, 2014
- Final Draft: October 29, 2014
- Route for Concurrence: November 12, 2014



Communication and External Interactions

Plan

- Conduct data gathering:
 - Interviews and discussion groups with NRC staff.
 - Feedback form for external stakeholders and interested parties.
 - Review documents and records.
- Identify themes and develop recommendations:
 - Public meetings.
 - Use of internal communications plan and external Webpage.
 - Calls with licensees.
 - Coordination on communications within agency.
 - Use of Blog.
 - Small group meetings.
 - External correspondence.

Internal Milestones

- Visit to Region IV: July 1-2, 2014
- Discussions with HQ staff: July and August 2014
- Distribute external feedback form and hold discussions with stakeholders: August to early Sept 2014
- Attend SONGS Community Engagement Panel meeting to distribute forms: August 14, 2014
- Analyze and synthesize data: September 2014
- Develop and submit report: October 2014



Commission Separation of Function Communication Challenges

Plan

- Conduct data gathering:
 - Interviews and discussion groups with NRC staff.
 - Review documents and records.
- Develop recommendations.

Internal Milestones

- Information and Data Gathering: July and August, 2014
- Analyze Data and Develop Recommendations: August and September, 2014
- Initial Draft for OGC Review: September 2, 2014
- Inter-Office Review: October 1, 2014
- Final Input to EDO: October 29, 2014



Inspection Manual Chapter (IMC) 0351, “Implementation of the ROP at Reactor Facilities in an Extended Shutdown Condition for Reasons Other Than Significant Performance Problems”

Plan

- Seek input from various stakeholders.
- Reviewed applicable documentation.
- Identify differences among IMC 0350 and IMC 0351.
- Review decision to implement IMC 0351.
- Evaluate implementation of IMC 0351 guidance:
 - Inspection program modification.
 - Performance indicator program modification.
 - Communication plan, including ROP Web page.
- Develop Recommendations to revise IMC 0351.

Internal Milestones

- Begin review: June 2, 2014
- ACRS meeting: July 10, 2014
- Meeting with stakeholders: August 15, 2014
- First draft: August 29, 2014
- Second draft: October 2, 2014
- Final draft: October 29, 2014
- Concurrence: November 12, 2014



Vendor Inspection

Plan

- Review existing policy and practices for continued vendor oversight and identify areas where enhancements are needed, as applicable.
- Determine if SONGS event exposed any new or unique vendor lessons that NRC's Vendor Inspection Program should take into account.
- Determine if the NRC's Vendor Inspection Program be more focused on the design aspects of major plant modifications.

Internal Milestones

- Kick-Off Meeting: April 24, 2014
- Bi-Weekly Teleconferences: May 8&22, June 19, and July 9, 2014
- WG Meeting to Discuss Preliminary Recommendations: July 28-29, 2014
- Preliminary Recommendations to DCIP Senior Management: Week of July 28, 2014
- Develop Final Report: Week of August 11, 2014
- Final Report out for Concurrence: Week of August 18, 2014

New Japan Lessons Learned Organization and Mitigating Strategies

Advisory Committee on Reactor Safeguards
Full Committee
July 10, 2014



Purpose of New Organization

- Post-Fukushima activities were expending more resources than originally planned
- Provides capability to execute the majority of Tier 1 activities within the new division
- Effective June 15, 2014
- Organization was developed with flexibility in mind
- New Organization recognizes importance of Mitigating Strategies to other Tier 1 activities

Organization Structure

Office of Nuclear Reactor Regulation

Japan Lessons Learned Division

Program Management,
Policy, & Support
Directorate

Technical Support
Directorate

Orders
Management
Branch

Hazards
Management
Branch

Policy &
Support
Branch


Electric &
Reactor
Systems
Branch

Containment
& Balance of
Plant Branch

Update on Mitigating Strategies

- Sites are Implementing Safety Improvements
 - Procuring Equipment
 - Making Modifications
- Staff is Reviewing Licensee Progress
 - Issued Interim Staff Evaluations (February 2014)
 - Electronic and Onsite Audits
- Safety Evaluations
 - Issued after all units at a site reach compliance
 - Watts Bar will be first compliant site (Fall 2014)

MS Closeout Process



MS Closeout Timeline


	FY14					FY15					FY16					FY17					FY18
	Sep-13	Dec-13	Mar-14	Jun-14	Sep-14	Dec-14	Mar-15	Jun-15	Sep-15	Dec-15	Mar-16	Jun-16	Sep-16	Dec-16	Mar-17	Jun-17	Sep-17	Dec-17			
Interim Staff Evaluations	ISEs																				
Audits			8		23	18		6		6											
Unit Compliance					7		26*		30*		22*						14				
Site Compliance Issue SE					1 Site			9* Sites		19* Sites		18* Sites					14 Sites				
Inspections	Draft TI		Finalize TI			Training		Post- Compliance Inspections													

* Ten BWR units have requested relaxation to a third outage (past 2016) to align with EA-13-109

Strategic Alliance for FLEX Emergency Response

- SAFER Control Center: Lynchburg VA, Birmingham AL
- Equipment Storage: Memphis TN, Phoenix AZ
- Proof of Concept Activities
 - Memphis/TMI week of July 7, 2014
 - Phoenix/Surry week of July 14, 2014
- Staff Evaluation Activities
 - Witness development of individual plant response plans
 - Witness Proof of Concept
 - Staff report September, 2014

FLEX Portable Equipment



Long-Term Regulatory Strategies for Orders

- Long-term regulatory treatment
 - Licensee documentation
 - Change process
 - Regulatory review documentation
 - Rulemaking
- Long-term oversight
 - Mechanism for oversight
 - How to disposition issues

Consolidation of Post-Fukushima Rulemaking Efforts

Advisory Committee on Reactor Safeguards

Full Committee

July 10, 2014



Purpose

- Discuss efforts to consolidate post-Fukushima rulemakings
- Discuss rationale for pursuing consolidation (supported with conceptual version of a consolidated rule)
- Discuss current status, focus, and path forward

Background

- Previous ACRS interactions on Station Blackout Mitigation Strategies:
 - ACRS full committee – June 5, 2013
 - ACRS Regulatory Policies and Practices S/C – April 23, 2013
 - ACRS Regulatory Policies and Practices S/C – December 5, 2013
- Previous ACRS interaction on the Onsite Emergency Response Capabilities Rulemaking:
 - ACRS Plant Operations and Fire Protection S/C – February 6, 2013
- Regulatory bases and public interactions:
 - Station Blackout ANPR Issued – March 20, 2012
 - Station Blackout Mitigation Strategies Final Regulatory Basis issued – July 23, 2013
 - Onsite Emergency Response Capabilities ANPR- April 18, 2012
 - Onsite Emergency Response Capabilities Final Regulatory Basis- October 15, 2013

Background Cont'

- NRC Staff has recognized the overlap between the station blackout mitigation strategies (SBOMS) rulemaking and the onsite emergency response capability rulemakings
- Current concept for onsite emergency response capability rulemaking would prevent it being issued in final form before SBOMS rulemaking completion (i.e., currently onsite emergency capabilities rulemaking would explicitly reference SBOMS rule)
- Industry implementation efforts are tending to align with this approach - reflect mitigation strategies and additional capability in both the emergency operating procedures (EOPs) and Severe Accident Management Guidelines (SAMGs)
 - November 2013 public meeting revealed/confirmed that the ongoing implementation of EA-12-049 mitigation strategies into EOPs and SAMGs was effectively merging these efforts

Background Cont'

- Staff has concluded that consolidating the rulemakings (and various supporting actions identified later) would align the regulatory framework with implementation and have many benefits
 - More coherent and understandable framework
 - Reduced potential for disconnects
 - Reduced review and comment burden both internally and externally
 - More effective/efficient approach

Scope/Schedule

- Consolidating SBOMS and onsite emergency response capability rulemakings includes consolidation of supporting implementation guidance
- Scope: This rulemaking would include regulatory actions stemming from the following NTTF Recommendations:
 - All of Recommendations 4 and 7 (i.e, current SBOMS scope)
 - All of Recommendation 8 (i.e., Onsite Emergency Response Capability)
 - All of Recommendations 9.1, 9.2, and 9.3 with one exception (maintenance of ERDS capability throughout the accident), 10.2, and 11.1
 - 9.4 Emergency Response Data System (ERDS) (modernization only)
- Final rule schedule would remain unchanged:
 - Final rule package to the Commission: 12/2016

Consolidated Rule

- Different portions of the consolidated rule would have different supporting backfit bases:
 - Portions that make EA-12-049 requirements (or equivalent license condition for new reactors) generically-applicable would not be new imposed requirements (i.e., not backfits)
 - All other requirements would require justification under the Backfit Rule (10 CFR 50.109) and the Issue Finality Provisions of 10 CFR part 52
 - With this in mind the intent would be to construct the rule with sub-paragraphs that can (if not supportable) be removed from the rulemaking
- The consolidated rule would address these actions within a single rulemaking but will be designed recognizing the different regulatory bases/justifications

Consolidated Rule Cont'

- **Applicability**
 - Power reactors only (both current and new): Not applicable to RTRs and ISFSIs
 - Intent to incorporate decommissioning provisions
- **Integrated Response Capability:**
 - **Station Blackout Mitigation Strategies (SBOMS)**
 - Functional/performance-based beyond-design-basis external event mitigation strategies requirements (from EA-12-049)
 - **Emergency Operating Procedures (EOPs)**
 - Symptom- based procedures already required by Technical Specifications
 - **Extensive Damage Mitigation Guidelines (EDMGs)**
 - Either move 10 CFR 50.54(hh)(2) into the rule or simply link
 - **Severe Accident Management Guidelines (SAMGs)**
 - Functional/performance-based SAMG requirements
 - **Command/Control**
 - For multi-unit events

Consolidated Rule Cont'

- Equipment requirements
 - Station blackout mitigation strategies equipment: Regulatory treatment for equipment relied upon in the mitigation strategies (i.e., from EA-12-049)
- Training Requirements
- Drills and Exercises
 - Conceptual requirements for integrated drills, exercises, or both for emergency operating procedures/severe accident management guidelines/extensive damage mitigation guidelines/station blackout mitigation strategies
 - Intent would be to allow licensee flexibility
- Change Control
 - Conceptual “beyond-design-basis” change control recognizing the limited applicability of 10 CFR 50.59 and 10 CFR 50.54(q)

Consolidated Rule Cont'

- Submittal requirements: Amendments to part 50 and part 52
 - There would need to be new reactor applications/licensing submittal information in applicable portions of Part 50 and Part 52
 - The actions performed by the current fleet (per EA-12-049) would satisfy mitigation strategies requirements
- Implementation challenges
 - Numerous post-Fukushima regulatory actions
 - Significant potential for Cumulative Effects of Regulation (CER)
 - Implementation adjustments to address any CER issues

Status and Path Forward

- Current focus:
 - Development of proposed rule language
 - SAMG conceptual treatment
- Future planned interactions
 - Public meeting in August
- Future ACRS interactions
 - Late 2014 – November/December on proposed rule package