

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: 10 CFR 2.206 Petition Review Board
RE Palisades Nuclear Plant

Docket Number: 50-255

Location: teleconference

Date: Wednesday, September 3, 2014

Work Order No.: NRC-1044

Pages 1-25

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

10 CFR 2.206 PETITION REVIEW BOARD (PRB)

CONFERENCE CALL

RE

PALISADES NUCLEAR PLANT

+ + + + +

WEDNESDAY

SEPTEMBER 3, 2014

+ + + + +

The conference call was held, Louise Lund,
Chairperson of the Petition Review Board, presiding.

PETITIONER: MICHAEL MULLIGAN

PETITION REVIEW BOARD MEMBERS

- LOUISE LUND, Chair, Deputy Division Director
Division of Reactor Licensing, NRR
- DAVID ALLEY, Branch Chief, Component
Performance, NDE, and Testing Branch, Division
of Engineering, NRR
- REED ANZALONE, General Engineer, Nuclear
Performance & Code Review Branch
- MERRILEE BANIC, Petition Coordinator, NRR

1 MAHESH CHAWLA, Project Manager, NRR
2 JOSHUA KAIZER, Reactor Systems Engineer, NRR
3 WARREN LYON, Senior Reactor Systems Engineer,
4 Reactor Systems Branch, NRR
5 DAVID PELTON, Chief of Licensing, Branch 3-1, NRR
6 JENNIE RANKIN, Project Manager, NRR
7 ROBERT WOLFGANG, Senior Mechanical Engineer,
8 Division of Engineering, NRR

9

10 REGION III STAFF

11 ALEX GARMOE, Senior Resident Inspector
12 CHRISTOPHER HUNT, Reactor Engineer
13 JAY LENNARTZ, Project Engineer, Palisades Site
14 APRIL SCARBEARY, Resident Inspector

15

16 LICENSEE STAFF

17 BARBARA DOTSON

18

19

20

21

22

P R O C E E D I N G S

10:02 a.m.

1
2
3 MS. RANKIN: So I'd like to thank
4 everybody for attending this meeting. My name is
5 Jennie Rankin, and I am the NRC Project Manager for the
6 Palisades Nuclear Plant.

7 We are here today to allow the petitioner,
8 Mr. Michael Mulligan, to address the Petition Review
9 Board regarding the 2.206 petition dated March 5th,
10 2014. I am also the petition manager for this
11 petition. The Petition Review Board Chairman is
12 Louise Lund.

13 As part of the Petition Review Board or
14 PRB's review of this petition, Mr. Mulligan has
15 requested this opportunity to address the PRB. This
16 meeting is scheduled from 10 a.m. to 11 a.m. The
17 meeting is being recorded by the NRC Operations Center
18 and will be transcribed by a court reporter. The
19 transcript will become a supplement to this petition.
20 The transcript will also be made publicly available.

21 I'd like to open this meeting with
22 introductions. As we go around the room, please be
23 sure to clearly state your name, your position, and the
24 office that you work for within the NRC for the record.

25 I'll start. My name is Jennie Rankin,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Project Manager in the Office of Nuclear Reactor
2 Regulation.

3 MS. LUND: Louise Lund. I'm the Acting
4 Division Director for the Division of Operating Reactor
5 Licensing and NRR, and I'm also the PRB Chair.

6 MR. ALLEY: Dave Alley. I'm the Branch
7 Chief for the Component Performance, NDE, and Testing
8 Branch, Division of Engineering, Office of NRR.

9 MR. WOLFGANG: Bob Wolfgang, Senior
10 Mechanical Engineer, Component Performance, NDE, and
11 Testing Branch, Division of Engineering and NRR.

12 MS. BANIC: Lee Banic, Petition
13 Coordinator, NRR.

14 MR. KAISER: Joshua Kaiser, Nuclear
15 Performance and Code Review, NRR.

16 MR. ANZALONE: Reed Anzalone, Nuclear
17 Performance and Code Review, Division of Safety
18 Systems, NRR.

19 MR. PELTON: David Pelton, Chief of
20 Licensing Branch III-1 in NRR.

21 MR. CHAWLA: Mac Chawla. I'm the Project
22 Manager in Division of Licensing, NRR.

23 MS. RANKIN: Okay. We've completed
24 introductions here at headquarters. We'll go to the
25 bridge line for the NRC participants from headquarters

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on the phone.

2 MR. LYON: Warren Lyon, Reactor Systems,
3 NRR.

4 MS. RANKIN: And then the participants
5 from the NRC from the regional office on the phone,
6 please introduce yourself.

7 MR. LENNARTZ: Jay Lennartz. I'm the
8 Project Engineer for Palisades site, Region III.

9 MR. HUNT: Christopher Hunt. I'm the
10 Reactor Engineer for Palisades site, Region III.

11 MR. GARMOE: Alex Garmoe and April
12 Scarbeary, NRC Resident Inspectors at Palisades.

13 MS. RANKIN: Okay. And then are there any
14 representatives for the licensee on the phone?

15 MS. DOTSON: Barb Dotson, Palisades,
16 Licensing.

17 MS. RANKIN: Mr. Mulligan, would you
18 please introduce yourself for the record?

19 MR. MULLIGAN: I'm Mike Mulligan. I live
20 in Hinsdale, New Hampshire. I have been interested in
21 Palisades for a number of years, and I've had a number
22 of failed 2.206's. I'm a whistleblower, and I was in
23 the nuclear industry for a while. Thank you.

24 MS. RANKIN: Thank you, Mr. Mulligan. It
25 is not required for members of the public to introduce

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 themselves for the call. However, if there are any
2 members of the public on the phone that wish to do so
3 at this time, please state your name for the record.

4 Okay. Moving on, hearing none, I'd like
5 to emphasize that we each need to speak clearly and
6 loudly to make sure that the court reporter can
7 accurately transcribe this meeting. If you do have
8 something that you would like to say, please state your
9 name for the record.

10 Court reporter, did you hear everybody
11 okay so far?

12 COURT REPORTER: Yes, I have.

13 MS. RANKIN: Okay. Thank you. For those
14 dialing into the meeting, please remember to mute your
15 phones to minimize any background noise or
16 distractions. If you do not have a mute button, this
17 can be done by pressing the keys *6. To unmute, press
18 the *6 key again. Thank you.

19 At this time, I'd like to turn it over to
20 the PRB Chairman, Louise Lund.

21 MS. LUND: Okay. Thank you. Good
22 morning. Welcome to this meeting regarding the 2.206
23 petition submitted by Mr. Mulligan. I'd like to first
24 share some background on our progress, our process.

25 Section 2.206 of Title 10 of the Code of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Federal Regulations describes the petition process,
2 the primary mechanism for the public to request
3 enforcement action by the NRC in a public process.
4 This process permits anyone to petition NRC to take
5 enforcement-type action related to NRC licensees or
6 licensed activities.

7 Depending on the result of its evaluation,
8 NRC could modify, suspend, or revoke an NRC-issued
9 license or take any other appropriate enforcement
10 action to resolve a problem. The NRC staff guidance
11 for the disposition of 2.206 petition requests is in
12 Management Directive 8.11 and is publicly available.

13 The purpose of today's meeting is to give
14 the petitioner an opportunity to provide any additional
15 explanation or support for the petition following the
16 Petition Review Board's initial consideration and
17 recommendation. This meeting is not a hearing, nor is
18 it an opportunity for the petitioner to question or
19 examine the PRB on the merits or the issues presented
20 in the petition request. No decisions regarding the
21 merits of this petition will be made at this meeting.

22 Following this meeting, the Petition
23 Review Board will conduct its internal deliberations.
24 The outcome of this internal meeting will be discussed
25 with the petitioner.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The Petition Review Board typically
2 consists of a chairman, usually a manager at the Senior
3 Executive Service level at the NRC. It has a petition
4 manager and a PRB coordinator. Other members of the
5 board are determined by the NRC staff based on the
6 content of the information in the petition request.
7 The members have already introduced themselves.

8 As described in our process, the NRC staff
9 may ask clarifying questions in order to better
10 understand the petitioner's presentation and to reach
11 a reasoned decision whether to accept or reject the
12 petitioner's request for review under the 2.206
13 process.

14 I would like to summarize the scope of the
15 petition under consideration and the NRC activities to
16 date. On March 5th, you submitted to the NRC a petition
17 under 2.206 regarding Palisades Nuclear Plant in which
18 you requested a number of actions. The major ones
19 concern operating with a broken impeller and flawed
20 control rod drive mechanism housing.

21 Allow me to discuss the NRC activities to
22 date. On March 14th, 2014, the PRB reviewed your
23 request for immediate action to prevent Palisades'
24 restart and determine that there were no
25 safety-significant concerns to prevent the plant from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 restarting as scheduled. The NRC has reviewed the
2 licensee's evaluation of the impeller piece fragment
3 within the reactor vessel and concluded that it does
4 not pose a threat to the reactor and other plant
5 components. Additionally, the licensee has replaced
6 all of the 45 control rod drive mechanism housings prior
7 to plant startup.

8 Based on the review of the licensee's
9 evaluation related to the stuck impeller piece and
10 replacement of all CRDM housings during the refueling
11 outage, there were no immediate safety-significant
12 concerns to prevent the plant from restarting as
13 scheduled. Your request for the immediate action of
14 shutdown of Palisades and other Entergy plants did not
15 have the adequate basis. Therefore, your request to
16 prevent Palisades from restarting was denied.

17 You were informed on March 19th, 2014 of
18 the PRB's decision to deny your request for immediate
19 action. On March 24th, the petition manager contacted
20 you to discuss the 10 CFR 2.206 process and to offer
21 you an opportunity to address the PRB. You requested
22 to address the PRB by phone prior to its internal
23 meeting to make the initial recommendation to accept
24 or reject the petition for review.

25 On April 8th, 2014, you addressed the PRB

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 by teleconference. The teleconference was recorded
2 and transcribed and has become a supplement to this
3 petition.

4 On May 19th and July 28th, 2014, the PRB
5 met to discuss your petition, as supplemented and in
6 accordance with the criteria for review and rejection
7 described in Management Directive 8.11. The PRB
8 determined that the following requests from your
9 petition meet the criteria for review in accordance
10 with MD 8.11: Number one, request for PNP to open every
11 PCP for inspection and clear up all flaws. Number two,
12 request for PNP to replace the PCPs with a design for
13 their intended duty. Number three, request an Office
14 of Inspector General inspection on why there are
15 different analysis criteria for similar PCP events
16 between the NRC regions. Four, request a \$10 million
17 fine over these events. And number five, request for
18 PNP to return to yellow or red status and intensify NRC
19 monitoring of PNP.

20 You were informed of the PRB's initial
21 recommendation to accept your petition, in part, by
22 email dated August 15th, 2014. In addition, you were
23 informed of the basis for not accepting the remaining
24 parts of the petition. The petition manager also
25 offered you an opportunity to address the PRB. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requested to address the PRB by phone following
2 notification of the PRB's initial recommendations.

3 As a reminder for the phone participants,
4 please identify yourself if you make any remarks, as
5 this will help us in the preparation of the meeting
6 transcript that will be made publicly available.

7 Mr. Mulligan, I'll turn it over to you to
8 allow you the opportunity to provide additional
9 explanation and support for your petition in light of
10 the PRB's initial recommendation. You have about 40
11 minutes for your presentation.

12 MR. MULLIGAN: Thank you. Deterrents.
13 You know, we look at deterrents as far as the NRC's
14 activities associated with a nuclear power plant, and
15 we see that the NRC doesn't have any, very little
16 deterrents on the bad behaviors of other plants.

17 As far as all of the issues with Palisades
18 over the years, a recent newspaper wrote up an
19 interesting set of articles about Palisades and all the
20 troubles they had. And what you see over this thing
21 is there is, one thing, the NRC doesn't have any
22 horsepower to, you know, put fear in the eyes of these
23 guys. And that's, basically, you know, if you go
24 one-by-one with these regulations and stuff like that,
25 you're going to consume all the NRC's resources and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stuff like that.

2 And so there's the deterrence part of the
3 NRC's activities. You know, the utilities are going
4 to exhaust the agency with all the nickel and dime stuff
5 if there's not a deterrence part of this deal, if they
6 don't fear the NRC and that type of thing.

7 We also know that -- I believe that,
8 generally, in the last five years, as shown by the
9 articles in the newspaper, that with all of our
10 troubles, Palisades had better capacity factor than
11 they had in the early years and stuff. And this is all,
12 essentially, because of risk perspectives and
13 reductions of regulations and all that sort of stuff.
14 And so in spite of all their troubles and that type of
15 thing, Palisades has been allowed to continue on in the
16 way they've always done.

17 Palisades did a relatively good job on the
18 control rod drive mechanisms of recent, but they had
19 a horrible history of CRDM problems and that type of
20 stuff. Palisades has had numerous issues of
21 falsifying documents, intimidating employees, lying to
22 inspectors over the recent years and that type of stuff.
23 And, you know, like the recent issue with the security
24 guards, they had a similar incident four or five years
25 ago, basically the same thing: lying and falsifying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 documents to the NRC. And I know the NRC basically says
2 after two or three years, we'll just make believe that
3 it never happened, you know, the history never really
4 is caught up together. And you don't have enough
5 influence and power to keep a plant like Palisades
6 straight.

7 What's happened here is really ugly.
8 What's happened with the impellers is ugly. It's
9 unprofessional. It makes our nation a laughing stock
10 to all the other nations that are desperately trying
11 to, you know, maintain their fleet safely and stuff like
12 that.

13 And I've heard from numerous professional
14 people in the industry basically saying they cannot
15 believe that we allowed the Palisades plants to operate
16 for so many years with these reactor coolant pumps and
17 all these different kind of warnings we've had over the
18 years and stuff and all these indications. And we're
19 only getting, the outsiders are only getting the bits
20 and pieces of what really went on with these impellers
21 and stuff. You know, a lot of nations think of this
22 as irresponsible and not worthy of a great nation when
23 you get down to these impellers and stuff.

24 And then you've got Salem, like I talked
25 about, the recent issues with a horrendous, all their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bolts being loose and stuff like that, prior, you know,
2 prior warnings and that type of stuff that were ignored,
3 and the NRC really hasn't stepped in there and done what
4 the public wants. They don't want to have a Salem.
5 You know, a crack starts somewhere in a reactor coolant
6 pump. They want that crack fixed. They don't want to
7 have to deal with these problems for years and years
8 and deal with the broken bolts and fallen down
9 components and the pumps and stuff. That's ugly. The
10 amount of cracked and broken impellers, it's ugly.
11 It's unprofessional. It's an essence of an indicator,
12 you know. If they can't keep these impellers, you
13 know, if they don't have to spend so much resources on
14 these broken components, impellers, the tank that
15 recently leaked, the control rod drive mechanisms, and
16 stuff like that. You know, they're just consuming
17 plant resources, and we fear that other safety problems
18 aren't being dealt with adequately.

19 A lot of these kind of components breaking
20 and stuff like that, that has a tendency to make the
21 employees disillusioned and they know that it's wrong
22 and stuff like that. And they know that the NRC doesn't
23 back them. They know that, you know, we have to make
24 -- they'll be up in the control room and they'll have
25 the indications of a big blade being thrown off the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pump, and everybody will sit back and not give what the
2 public really wants the Agency to force Palisades to
3 do, to shut down, pay a price, deterrence, deterrence,
4 and make them pay a price so that, you know, when they're
5 in their little rooms and they're making these
6 decisions about, you know, well, we've got some part
7 of the impeller cracked, we can either fix it right,
8 put in new parts so we don't have to deal with this in
9 the past, or the NRC is going to, down the road, if,
10 you know, bigger parts start falling off the pump or
11 it gets strewn about the plant, they're going to make
12 us pay a horrendous price.

13 Most of the people, you know, what is
14 safety related and all that sort of stuff, you know.
15 We think when you talk about Palisades is safe that
16 means that you are pretty sure that they won't have a,
17 you know, a type of severe core damage and off-site
18 relief where you'll have a fatality. That's what
19 you're saying when you say a plant is safe, and that's
20 just not an appropriate standard. We don't think
21 that's an appropriate -- we think this ugliness is a
22 pretty good indicator of the future and that it
23 shouldn't be tolerated. It should be nice and clean,
24 and the operation of the plant should be nice and clean,
25 and they're not all caught up with these degradations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and broken components and all that sort of stuff. It's
2 a clean plant. The staff is not excessively busy or
3 the control room employees don't have all these
4 complicated procedures in place of, you know, a
5 well-engineered plant. And, you know, everybody is
6 diligently paying attention to the plant, not paying
7 attention, not worrying about the degradations.

8 Again, these kind of questions, you know,
9 what we know about what's going on in the wider nuclear
10 industry, how many other plants have bolts breaking off
11 on all their coolant pumps and stuff like that, other
12 blades that are getting thrown off the reactor coolant
13 pumps, the blades getting caught in the reactor core,
14 and that type of stuff? We have no confidence that we
15 know really, you know, that our nation is safe.

16 We worry about Palisades, but there's a
17 risk if a lot of plants have degradation mechanisms that
18 the NRC doesn't have under control and, you know,
19 necessarily what you can prove isn't the most unsafe.
20 It's a lot of the stuff that's behind the barrier that's
21 degraded, that's degrading in an unknown fashion, and
22 that's a threat to the nation and to a plant.

23 So that's kind of what we're worried about
24 with -- rules don't carry a lot of information and
25 stuff. You know, staying within the rules doesn't have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a lot of information. Usually, human intelligence and
2 a brain can process a lot of information and that type
3 of thing, and so that's what I worry about is a lot of
4 these rules and stuff is designed to make us become more
5 stupider than we really are.

6 I think, like I said, we worry about what's
7 going on if regulations will tolerate this kind of ugly
8 behavior at Palisades, certain events in the industry
9 that are pretty concerning that are out there that kind
10 of questions whether it's a lot more uglier than what's
11 being portrayed by the NRC. The example of Cooper
12 plant, some other energy plant, and their issues with
13 training failures. And essentially, you know, I call
14 it cheating. There's a lot of cheating involved there,
15 as far as -- especially that they were simulating
16 booking hooking up the RCIC to the boron injection
17 system and they couldn't make that fire hose go through
18 the floors, the floor as, you know, as expected and
19 stuff. That's kind of cheating. That's the same kind
20 of thing that, you know, we're worried about as far as
21 at Palisades, this level of cheating.

22 You know, it almost gets to the point of,
23 you know, the NRC says, you know, well, cheating isn't
24 safety related, you know. We can't -- it doesn't, it's
25 un-safety related. It can be repaired, or it's not a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 big deal, or it's not modeled appropriately in all your
2 risk perspectives and stuff like that.

3 Another issue we have is really you don't
4 have any proof, there's no engineering proof that those
5 reactor coolant pumps are safe. You don't have any,
6 I don't see any model of, you know, actual building a
7 plant, building, more or less, a prototype type of deal
8 where you're beating the hell out of the pumps and
9 you're getting those kind of blade failures and
10 everybody, you know, you're experimenting a lot on a
11 system like the Palisades pumps and its relationship
12 to its primary coolant system and stuff like that. You
13 don't have really any actual, I don't see any actual
14 engineering that those pumps are safe. Studies,
15 actual studies. It's all kind of, more or less, you
16 know, the fallback of the NRC, it's our opinion that
17 it's safe and stuff like that. That's the privilege
18 of the NRC. They get to say that, basically, the
19 professional people, they get to say, you know, a guy
20 like me needs triplicate proof that Palisades is
21 unsafe, even when it's all there. You guys get to say,
22 "It's my opinion that it's safe," and you don't have
23 any evidence to back it up.

24 So the evidence I'm talking about is, would
25 be some engineering document showing that, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've gone through all of the, you know, not necessarily
2 intellectual kind of thing that the NRC likes to do,
3 but we really set up a system and we've repeated the
4 degradation mechanisms on Palisades with their PCP
5 pumps and stuff like that, and we actually seen the
6 results of the broken impellers and stuff like that.
7 We have a full engineering understanding of the
8 mechanisms of what potentially could go wrong in the
9 future with those pumps.

10 And, you know, and after all of this, after
11 all of these decades with this failure mechanism at
12 Palisades, if it's still not fixed, you know, they still
13 have issues with going outside their licensing as far
14 as certain pressures and stuff like that and creating,
15 you know, it's a poor design, probably poorly-designed
16 impeller that causes these, you know, cavitations and
17 all that sort of stuff. It's kind of amazing.

18 All these barriers, all these, you know,
19 proper design of the impeller, a NRC regulatory regime
20 that keeps a plant basically clean and very few
21 operational issues and stuff like that. Those are kind
22 of barriers, safety barriers, and things that the
23 public can see and stuff that gives indications that
24 a plant is safe, not these analysis that we'll never
25 have any proof until a plant gets into really deep

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 trouble. And you can figure out, you know, was the risk
2 perspective analysis, was it accurate and that type of
3 thing.

4 And, again, another issue in the industry
5 is Millstone recently with their troubles with the
6 auxiliary feed pump, turbine-driven feed pump, and the
7 inability of the NRC to make a clean plant, to make sure
8 that the NRC forces a utility to pay attention to the
9 beginning stages of failure with their turbine pump,
10 turbine-driven pump, and to figure out why that
11 happened and then to say, well, do we got these kind
12 of failures any place else, and to have the NRC become
13 intrusive and to figure out these little things that
14 are going around. And if the utility doesn't want to
15 fix it or acknowledge it, then you come down with the
16 hammer and stuff like that; or, in the case of
17 Millstone, you know, the basic themes of broken
18 components and improperly-installed new components
19 nobody really catches, and then the degradation for
20 tube special inspection, inspection reports, and then
21 nobody really catches it until a plant trips and gets
22 into a loss offsite power. And then there's a host of
23 ugly issues that happened in the same transient and
24 stuff like that.

25 I don't think a lot of you guys really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand how difficult that is being in the control
2 room and, you know -- you guys all mostly get to see
3 a lot of this stuff in hindsight. Those guys in the
4 control room get to see those events when equipment
5 fails and they have no idea why it failed and why it's
6 behaving that way. Then they get stuck with procedures
7 that don't work. It's a terrifying situation and
8 unnerving situation in the control room.

9 And we think, you know, with this Palisades
10 deal being ugly and stuff, your inability to enforce
11 integrity and truth-telling -- Palisades is not afraid
12 to lie when they need to or be deceptive to the NRC.
13 That's the history of Palisades and stuff like that,
14 and we think actually that happens a lot throughout the
15 industry.

16 And we worry that what we're seeing in
17 Palisades is similar to what we're seeing in Cooper with
18 their training program, which is terrifying in its own
19 manner. Only two passes out of nine attempted licenses
20 and all the associated problems, the ugliness of the
21 training program and stuff.

22 We think this is all kind of related to,
23 essentially, what our legislators and congressmen, you
24 know, the rules that enable the NRC, they're
25 insufficient and stuff. So Palisades, the Cooper

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plant, Millstone, and San Onofre, Fort Calhoun, and
2 stuff like that. I mean, I was looking at the Swiss
3 cheese model as far as what's it take to cause an
4 accident, and it's, you know, a set of slices of Swiss
5 cheese with holes in it and they're usually all the
6 barriers to an accident. There's no clear hole through
7 the set of slices of cheese, but when the holes line
8 up that's when an accident happens. There's a lot of
9 holey Swiss cheese. The holes and, you know, maybe a
10 slice or two of the holes line up, maybe there's one
11 last barrier left, but we're uncomfortable with
12 actually having any holes in any slice of cheese. We
13 want these guys to operate a lot better than they have.

14 So there you go. You get my opinion of
15 what's wrong with Palisades, and you really don't have
16 any engineering to prove that those pumps won't cause
17 problems. You've still got the active mechanism on
18 there. You used to allow welding of those blades.
19 Now, you say it's [beep] blades that are welded in there
20 anymore. But there's been one assertion after another
21 that that's been proved false and stuff like that.

22 And then the general stated the nuclear
23 industry as a whole and incentives nowadays for a lot
24 of these utilities with their economic troubles to cut
25 back and stuff. You know, our fear is if we seen all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that was going on there, we could foresee, and the NRC
2 could behave in a different way. But there's
3 tremendous barriers. A lot of rules are set up, you
4 know, like in this thing here. I can't see all the
5 documents and stuff like that.

6 And if we had all of the knowledge in front
7 of us of what was going on, outsiders could intervene,
8 just like if everybody seen what was going on in
9 Fukushima and the anti-nukes could have that kind of
10 ammunition, maybe that wouldn't have happened. Maybe
11 we could have captured a couple of minds and consciences
12 and not have such an ugly situation facing us in the
13 future.

14 Thank you very much. I appreciate -- by
15 the way, that response to me with this, even though the
16 2.206 failed, I appreciate that response. It was quite
17 thorough, the response to me, and I appreciate you
18 putting it all out on paper and I want to thank you for
19 doing that because at least it's -- we'll see how the
20 future plays out, if, you know, my concerns were
21 unaddressed and we have another terrible accident in
22 the United States with a reactor. Thank you.

23 MS. LUND: Okay. Thank you. At this
24 time, does the staff here at headquarters have any
25 questions for Mr. Mulligan? Okay, seeing none. What

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about the region?

2 MR. LENNARTZ: No question from Region III
3 in the office.

4 MS. LUND: Okay. Any headquarters people
5 on the phone? Warren, do you have any question?

6 COURT REPORTER: I'm sorry. Who was the
7 gentleman who just spoke?

8 MR. LYON: No, there's no questions.

9 MS. LUND: Who was the person in the region
10 that spoke?

11 MR. LENNARTZ: That was Jay Lennartz.

12 MS. LUND: Okay. Thank you. And this is
13 Louise Lund, by the way. And does the licensee have
14 any questions?

15 MS. DOTSON: The licensee has no
16 questions.

17 MS. LUND: Okay. And do we end up with any
18 members of the public on the phone that want to ask any
19 questions? Okay. Hearing none, okay.

20 So, Mr. Mulligan, thank you for taking the
21 time to provide the NRC staff with clarifying
22 information on the petition you've submitted.

23 (Whereupon, the above-entitled matter

24 went off the record at 10:39 a.m.)

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15