Official Transcript of Proceedings NUCLEAR REGULATORY COMMISSION

Title:	Advisory Committee on Reactor Safeguards
Docket Number:	(n/a)
Location:	Rockville, Maryland
Date:	September 4, 2014

Work Order No.: NRC-1047

Pages 1-219

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1323 Rhode Island Avenue, N.W. Washington, D.C. 20005 (202) 234-4433

	1
1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + +
4	617TH MEETING
5	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
6	(ACRS)
7	+ + + +
8	THURSDAY
9	SEPTEMBER 4, 2014
10	+ + + +
11	ROCKVILLE, MARYLAND
12	+ + + + +
13	The Advisory Committee met at the Nuclear
14	Regulatory Commission, Two White Flint North, Room
15	T2B1, 11545 Rockville Pike, at 8:30 a.m., John W.
16	Stetkar, Chairman, presiding.
17	
18	COMMITTEE MEMBERS:
19	JOHN W. STETKAR, Chairman
20	HAROLD B. RAY, Vice Chairman
21	DENNIS C. BLEY, Member-at-Large
22	SANJOY BANERJEE, Member
23	CHARLES H. BROWN, JR. Member
24	MICHAEL L. CORRADINI, Member
25	JOY REMPE, Member
	1

		2
1	PETER RICCARDELLA, Member	
2	MICHAEL T. RYAN, Member	
3	STEPHEN P. SCHULTZ, Member	
4		
5	DESIGNATED FEDERAL OFFICIALS:	
6	MIKE SNODDERLY	
7	CHRIS BROWN	
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		
	I contract of the second se	

	3
1	TABLE OF CONTENTS
2	Opening Remarks by ACRS Chairman Stetkar 4
3	SECY-14-0087 7
4	Break
5	Draft Final Generic Letter 20XX-XX
6	Lunch 139
7	Safety Evaluation Report 140
8	Break
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

	4
1	PROCEEDINGS
2	8:31 a.m.
3	CHAIRMAN STETKAR: The meeting will now
4	come to order. This is the first day of the 617th
5	meeting of the Advisory Committee on Reactor
6	Safeguards.
7	During today's meeting, the Committee will
8	consider the following: SECY-14 unnumbered as yet,
9	Qualitative Considerations of Factors in the
10	Development of Regulatory Analyses and Backfit
11	Analyses; Draft Final Generic Letter 20 unnumbered
12	yet, Monitoring of Neutron Absorber Materials in Spent
13	Fuel Pools; Safety Evaluation Report associated with
14	the Fermi Unit 3, Combined License Application
15	referencing the Economic Simplified Boiling Water
16	Reactor Design; and preparation of ACRS reports.
17	This meeting is being conducted in
18	accordance with the provisions of the Federal Advisory
19	Committee Act.
20	Mr. Michael Snodderly is the designated
21	federal official for the initial portion of the
22	meeting.
23	Portions of this session on the Fermi Unit
24	3 COLA may be closed in order to discuss and protect
25	information designated as proprietary.

(202) 234-4433

	5
1	We have received written comments and a
2	request to make oral statements from Mr. David
3	Schonberger, a member of the public, regarding today's
4	sessions for the Fermi combined license application
5	and we'll make some time for him during that session.
6	There will be a phone bridge line. To
7	preclude interruption of the meeting, the phone will
8	be placed in a listen-in mode during presentations and
9	Committee discussion.
10	A transcript of portions of the meeting is
11	being kept and it is requested that speakers use one
12	of the microphones, identify themselves and speak with
13	sufficient clarity and volume so that they can be
14	readily heard.
15	And I'd like to remind everyone to turn
16	off whatever little gadgets you have that tend to beep
17	and make little noises during the meeting.
18	And with that, unless there's anything
19	else from the members of the Committee, we'll proceed
20	to the first item on our agenda, which is qualitative
21	considerations of factors in the development of
22	regulatory analyses and backfit analyses. And Harold
23	Ray will lead us through that session.
24	Harold.
25	VICE CHAIRMAN RAY: Thank you, Mr.
1	

(202) 234-4433

	6
1	Chairman. I am Harold Ray, Chairman of the Regulatory
2	Policies and Practices Subcommittee.
3	Today we have members of the NRC staff to
4	discuss what is now recently a numbered SECY, SECY-14-
5	0087, which provides the Commission with the staff's
б	recommendation for qualitative reconsidering factors
7	in regulatory and backfit analyses.
8	The SECY was developed in response to
9	Commission direction in an SRM dated March 13th, 2013.
10	Although the SRM also dealt with the requirements of
11	certain BWR containment venting systems, the staff's
12	recommendations for qualitatively considering factors
13	in regulatory and backfit analyses was directed to be
14	generic and independent of containment venting.
15	The Regulatory Policies and Practices
16	Subcommittee did hold a meeting on August 19th on the
17	subject. So, today the full committee will receive a
18	summary of the discussion we had at that time.
19	I now call on Aby Mohseni, Deputy Director
20	of the Division of Policy and Rulemaking, NRR, to
21	introduce the presentation and begin.
22	MR. MOHSENI: Thank you very much, Dr. Ray.
23	Good morning. I am Aby Mohseni, the Deputy Division
24	Director of the Division of Policy and Rulemaking in
25	NRR.
	1

(202) 234-4433

	7
1	Thank you for the opportunity to brief you
2	today on the notation vote SECY paper, "Qualitative
3	Considerations of Factors in the Development of
4	Regulatory Analyses and Backfit Analyses."
5	In regulatory analysis and backfit
6	analysis to informed decision-makers, we consider many
7	factors both quantitatively and qualitative consistent
8	with Commission direction, NRC guidance, OMB Circular
9	A-4, executive orders and international practices.
10	Specifically when needed, qualitative
11	considerations of factors is used in conjunction with
12	quantitative considerations in risk-informed
13	decisions, adequate protection determinations and
14	cost-justified substantial safety enhancements.
15	While the regulatory frame is sound, we
16	recognize that specific guidance is needed on how
17	qualitative considerations are conducted.
18	In a few moments, Fred Schofer, our
19	resident expert practitioner and team leader, will
20	provide a presentation on this paper and discuss the
21	status and background, but just some initial points
22	I'd like to note as was mentioned by Dr. Ray.
23	The staff submitted this paper SECY-14-
24	0087 to SECY on August 14. The SECY paper was made
25	publicly available on September 2nd.
l	1

(202) 234-4433

1 This paper was in response to the SRM on filtering strategies, SRM SECY-12-0157, which said 2 independent of the BRW Mark I and Mark II containment 3 staff should seek 4 filtration issue, detailed 5 Commission guidance regarding the use of qualitative factors in a future notation voting paper. 6 7 Though this paper came from the direction 8 on filtering strategies, it falls under the auspices 9 of the agency-wide Cost-Benefit Working group. And 10 some of those working group members are here in the 11 audience today. 12 This paper and implementing the Commission direction on this topic are part of the NRC's overall 13 plan for updating cost-benefit guidance. 14 15 I'll note that on June 11, the staff provided a full committee ACRS briefing on this plan 16 to update cost-benefit guidance, which is found in 17 SECY-14-0002. 18 19 Thank you again for the opportunity to 20 brief you on this notation vote SECY paper. We look 21 forward to hearing from you in this discussion. 22 Thank you, and Fred. 23 MR. SCHOFER: Thank you, Aby. My name is 24 Fred Schofer and I'm in the rulemaking branch in the 25 Office of NRR. And I thank you for the opportunity to

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

8

1	brief you on this SECY	paper today titled,
2	"Qualitative Consideration	of Factors in the
3	Development of Regulatory	Analyses and Backfit
4	Analyses."	

5 I wanted to let you know that although the 6 paper was made available September 2nd, publicly 7 available, there was a glitch. The main paper itself 8 was only replicated and made available this morning. 9 So, both the paper and the slides for today's meetings 10 are publicly available. The paper is at ML14127A458. 11 The slides are ML14245A043.

The purpose of today's briefing is to go over that notation vote SECY paper and its enclosures. The outline that is shown for today's presentation will begin with an overview and a status, and then walk through the package itself concluding with the staff's proposal.

The stuff submitted the paper, as Aby 18 indicated, about three weeks ago. 19 And this is a notation vote SECY paper that the staff is seeking 20 21 Commission approval of the staff's proposal on how to 22 implement our practices better with regard to 23 qualitatively considering factors.

As noted in Aby's introductory remarks, we look forward to hearing your views on this paper in a

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

9

subsequent letter.

1

2 This slide, the overview and status slide, provides a bit of context of the paper. 3 The staff 4 requirement memorandum, SRM SECY-12-0157, regarding 5 the consideration of additional requirements of containment venting systems for boiling water reactors 6 7 with Mark I and Mark II containments, directed the 8 staff independent of the containment filtering 9 strategies issued, to seek detailed Commission 10 quidance regarding the use of qualitative factors in 11 a future notation vote paper.

As a brief reminder, the context behind that, the qualitative analysis and the regulatory analysis for this SECY paper that was for the containment vent, did not provide sufficient cost justification for installing engineered filters.

17 In that analysis, the staff based its 18 recommendation on a quantitative analysis supplemented 19 by qualitative arguments to justify the staff's 20 recommendation.

Based on the Commission direction and the context of the original SECY paper, the scope of this paper is to provide the staff's recommendation for the use of qualitative factors in regulatory analyses and backfit analyses.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

ĺ	11
1	MEMBER CORRADINI: So -
2	MR. SCHOFER: Yes.
3	MEMBER CORRADINI: I'll wait. I'm sorry.
4	MR. SCHOFER: Not a problem.
5	Okay. The work is part of the plan for
6	updating the NRC cost-benefit guidance found in SECY-
7	14-0002, as Aby briefly described.
8	The plan was submitted to the Commission
9	in January and was discussed with the ACRS in June and
10	this paper is one piece of that overall project.
11	Other pieces include SECY-13-0132, the
12	Near-Term Task Force Recommendation 1, as well as the
13	Risk Management Regulatory Framework Initiative.
14	The tie between those two are with the
15	defense-in-depth discussion as a key component of both
16	of those activities. We'll talk more about that in
17	future slides, but the point here is defense-in-depth
18	is one factor that has been considered qualitatively
19	in past regulatory analyses.
20	A public meeting was held on Qualitative
21	Consideration of Factors in May of this year. We of
22	course were still in the process of developing the
23	paper at that point.
24	We have already done quite a bit of the
25	background research and were able to communicate the
	1

(202) 234-4433

I	12
1	framework and how we qualitatively consider factors to
2	members of the public.
3	During that meeting, the staff received a
4	lot of positive feedback from members of the public,
5	especially in enhancing our guidance on this topic.
6	That really was received positively among
7	members of the public. They understood why we
8	considered factors qualitatively and think that
9	updating guidance was a good next step.
10	MEMBER CORRADINI: So, maybe this is the
11	time to ask my question. So, meaning the
12	interpretation I guess I was taking from that is that
13	you do have a method now. The method is vague. They
14	want less vague in terms of how you address the
15	qualitative factors.
16	Because I remember in the discussion for
17	venting strategies, the discussion at that time, I had
18	a hard time understanding how they were applied.
19	MR. SCHOFER: What? Qualitative
20	consideration?
21	MEMBER CORRADINI: Yes.
22	MR. SCHOFER: The current regulatory
23	guidance documents, NUREG-BR-0058 and the handbook, do
24	provide guidance with regard to consideration of
25	qualitative factors.
l	

(202) 234-4433

	13
1	The guidance is that the analyst should
2	quantify as much as possible. But if there are other
3	important aspects that aren't able to be quantified,
4	that for completeness you should identify those and
5	provide qualitative arguments for those.
6	MEMBER CORRADINI: Or against or however -
7	MR. SCHOFER: Or against, yes, providing,
8	you know.
9	MEMBER CORRADINI: I understand.
10	MR. SCHOFER: Yes.
11	MEMBER CORRADINI: Okay.
12	MR. SCHOFER: So, the guidance is there.
13	And it also indicates that there are various tools
14	that could be applied such as, you know, break-even
15	cost-effectiveness analysis to provide insights into
16	the importance of those.
17	It also provides direction that when
18	you're evaluating the results, that you first consider
19	only the quantitative elements that is that which is
20	calculated.
21	MEMBER CORRADINI: I remember that's how
22	you presented it for the -
23	MR. SCHOFER: And that's in the guidance
24	and it tells you to do a net cost-benefit and make a
25	determination on that first.
	1

(202) 234-4433

14 1 After you present that, then you do a holistic analysis that includes both the quantitative 2 and qualitative. And do that as a, you know, a 3 discussion to guide you in developing the decision 4 5 rationale and the recommendation. MEMBER CORRADINI: Okay. So, you're going 6 7 to probably get to this. So, the feeling was what was 8 missing from - that sounds fairly complete at this 9 point. So, what was missing? More guidance, or just 10 more specificity as to the tools, the qualitative 11 tools that you could use? 12 This is an area where I am not -MR. SCHOFER: And this is something that 13 14 we're going to get into -15 MEMBER CORRADINI: Okay. MR. SCHOFER: -- in more slides, but I'll 16 17 kind of give you a tidbit and then you can look for 18 it. 19 MEMBER CORRADINI: Thank you. 20 MR. SCHOFER: Some of the guidance that 21 we're talking about is, you know, how and when 22 qualitative consideration should be used, you know. 23 How much effort should be used to quantify versus not 24 and, you know, should you have a plan in place and 25 that type of thing.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	15
1	So, as we get more into the slides,
2	probably about nine or ten -
3	MEMBER CORRADINI: Okay.
4	MR. SCHOFER: we'll get to that point.
5	VICE CHAIRMAN RAY: Mike, let me suggest
6	there's some phrases to look for. I assume Fred will
7	use these, but they're certainly used in the paper.
8	Set of methods, there isn't a set of
9	methods right now. It's more ad hoc what he
10	described. And the goal is to be systematic,
11	transparent and consistent.
12	Those are the key elements that are in
13	this paper as ins of the effort.
14	MEMBER CORRADINI: Thank you.
15	CHAIRMAN STETKAR: Also, Fred, since you
16	told us what to look for, the - one thing that we did
17	discuss quite a bit and you just mentioned, and I'm
18	hoping you'll get to it in your slides here, is that
19	little phrase you use that said when you ought to
20	apply the qualitative methods, under what conditions.
21	In other words, how far do you go in the
22	quantification specifically within context of using
23	qualitative considerations as a - I don't want to use
24	the term "surrogate," but to enhance the understanding
25	of areas of uncertainty.

(202) 234-4433

	16
1	In other words, how far do you quantify
2	uncertainty? When do you start relying on
3	qualitative?
4	So, if you could address that, because we
5	did discuss that at some extent in the subcommittee
6	meeting.
7	MR. SCHOFER: Sure.
8	MEMBER CORRADINI: Can I say it
9	differently? You're saying that you don't want to
10	sacrifice trying to quantify uncertainty -
11	CHAIRMAN STETKAR: Well, that's what I'm
12	saying.
13	MEMBER CORRADINI: Okay. That's what I
14	thought you said.
15	CHAIRMAN STETKAR: I'd like to hear the
16	staff's kind of feedback on it, because that's a big
17	issue.
18	In the past, they've often said, well,
19	because the uncertainties are so large or because we
20	don't have the ability to reasonably quantify the
21	uncertainties because of lack of information or lack
22	of tools or, you know, lack of something, we need to
23	then rely on more qualitative considerations to
24	bolster a decision or to provide other insights for
25	the decision.

(202) 234-4433

So, and I think that's a big part of this process in terms of not only what tools do you use to support the qualitative decision-making, but also when, you know, when you basically say I can't - I can't use simply quantitative methods to support the decision, as I said, especially in the area of trying to quantify uncertainties.

8 VICE CHAIRMAN RAY: With this interruption, 9 let me add to John's comments. It triggered something 10 in my mind that we didn't discuss at the subcommittee 11 meeting, but which I find is quite important in the 12 overall paper. And that is, what is the scope of 13 this?

It is not just reactor regulation by any 14 15 means. There's an enclosure that lists all the areas where qualitative considerations apply and many of 16 them, most of them, almost all of them aren't the kind 17 18 of things that we typically think of that have to do 19 with when do I stop quantifying and start qualifying. 20 They're in areas of the Agency's business that have much different answers on that topic than, 21 22 say, power reactor safety regulation. And so, we've got to keep in mind here 23 24 that we're not just talking about defense-in-depth

applied to a power reactor, but everything the Agency

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

6

7

	18
1	does.
2	CHAIRMAN STETKAR: That's really important,
3	because this was introduced in the context of the, you
4	know, one specific regulatory analysis -
5	VICE CHAIRMAN RAY: Right.
6	CHAIRMAN STETKAR: that kind of
7	prompted, you know, what we're discussing today. But,
8	yeah, you're right, Harold.
9	In the SECY, the list of -
10	VICE CHAIRMAN RAY: Areas.
11	CHAIRMAN STETKAR: analyses that have
12	in the past, those are really educating. If nobody
13	has read that, it's really interesting to look at the
14	types of analyses that have been done and start to
15	think of it in the context of us, you know, thinking
16	quantitative risk assessment, for example, for nuclear
17	power reactors. The vast - actually, the majority of
18	things you can't really reasonably use those methods.
19	VICE CHAIRMAN RAY: Yes. So, if we're
20	going to focus on power reactors because we somehow
21	think that's the most important thing, we need to
22	separate it from what is the existing scope of the
23	SECY -
24	CHAIRMAN STETKAR: Yes.
25	VICE CHAIRMAN RAY: which is everything

(202) 234-4433

	19
1	the Agency does, basically.
2	CHAIRMAN STETKAR: Right.
3	MR. SCHOFER: Thank you.
4	MEMBER SCHULTZ: Fred, I didn't see it in
5	your slides and I do want to see it discussed today.
б	John talked about the plan, when does one do this and
7	the how and what and why process as well.
8	But the other feature, and you touched on
9	it, but when one does a cost-benefit value impact
10	evaluation, you look at things that are in favor, will
11	weigh in favor, there are costs in their benefits and
12	you look at those in a quantitative evaluation.
13	It seems that when one looks at
14	qualitative factors, one is prone to look at, oh, here
15	are some other favorable things that would cause us to
16	decide in favor of the decision. But a fair
17	qualitative evaluation needs to introduce positive
18	qualitative features, as well as the negative
19	qualitative features and do a completeness evaluation
20	of that as well especially if the quantitative
21	evaluation can't be done.
22	And one understands that that is done, but
23	sometimes one can be encouraged to say, well, my
24	quantitative evaluation shows me this, but there's a
25	number of other reasons I'd like to move forward. And
l	1

(202) 234-4433

20 1 so, here are all the positives that would benefit the 2 decision, but one needs to look at the negative features associated with the qualitative evaluation as 3 well. 4 5 MR. SCHOFER: And thank you for bringing Absolutely our guidance is clear that we 6 that up. look at both the costs and benefits quantitatively and 7 8 qualitatively. So, that point is not lost. 9 However, I think for this particular paper, we biased it more toward the positive simply 10 11 because that was the crux of the issue. I mean, we've been using these techniques 12 13 since the original version of the guidance which is on this slide, the SECY-77-388A. 14 15 77 means that it was published in 1977. So, I mean, we have a pretty long history in using 16 17 these techniques and it hasn't been that 18 controversial. 19 CHAIRMAN STETKAR: Well, but, I mean, that 20 being said, I think that Steve's, you know, we're not 21 in the process of discussing any proposed method. That will come out of whatever the Commission decision 22 on the SECY is. 23 24 One would hope that those methods if the 25 Commission decides to go forward in this effort, would

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 place emphasis on that type of balanced pros and cons that Steve is emphasizing because it is important. 2 As you said, in the particular instance 3 that prompted, you know, our meeting today and this 4 5 discussion, the qualitative considerations were more 6 biased toward the, you know, the pros of that 7 particular issue. 8 But one would hope that if the Agency 9 more - I don't adopts want to use the word 10 "prescriptive," but enhanced guidance, let's say, on 11 applications and methods that, you know, they would --12 equally will be decision-neutral, if you will. 13 VICE CHAIRMAN RAY: Systematic might be 14 less -CHAIRMAN STETKAR: Systematic is probably 15 16 - yeah. 17 VICE CHAIRMAN RAY: biased than ___ 18 prescriptive. 19 CHAIRMAN STETKAR: Right. 20 VICE CHAIRMAN RAY: It's a more positive-21 sounding word, anyway. 22 MR. SCHOFER: Yeah, it's not our intent to be prescriptive and we'll get to that point as well a 23 24 little bit later. 25 On this slide, it identifies the current

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

21

22
practice consistent with NRC guidance. I did
highlight already the reg analyses guidelines
NUREG/BR-0058.
I pointed to the SECY-77-388A which was
the original version of our guidelines. And I do want
to point out that they originally were called Value
and Impact versus Cost and Benefit.
And it was on this point specifically that
the original version was very sensitive to the
externalities and the intrinsic things which have to
be evaluated as part of policy and rulemaking.
And so, they used those terms, "values"
and "impacts," so that there wasn't an overarching,
you know, focus on measuring only in dollars. So, a
little bit of history.
But simply stated, the NRC guidance
directs the staff to quantify benefits and costs of a
proposed regulatory action when possible. When it's
not feasible to quantify benefits and costs, the staff
should discuss non-quantifiable elements in
qualitative terms. That's what our guidance says.
MEMBER CORRADINI: But it does it in
succession. Again, the only example recently that I
remember is the venting strategies where they
presented the quantification first and then said, and

(202) 234-4433

	23
1	there are qualitative things to consider, and went
2	through those.
3	MR. SCHOFER: Uh-huh.
4	MEMBER CORRADINI: So, it's in some sort of
5	succession. And if there is inability to do it
6	quantitatively, you immediately move to some
7	approaches for qualitative. That's what I'm trying to
8	_
9	MR. SCHOFER: Sometimes you have the, you
10	know, you're able to quantify some benefits, some
11	costs, but not all of them.
12	MEMBER CORRADINI: Right.
13	MR. SCHOFER: And then you have to address
14	the remainder and, you know, to be complete,
15	qualitatively.
16	In those cases as I outlined the first
17	look at what was calculated and make that comparison,
18	and then do the more complete evaluation.
19	MEMBER SCHULTZ: And that's reasonably
20	embedded in the value-impact guidelines. That
21	principle has noted the quantitative and qualitative
22	features, the pluses and the minuses of the decision.
23	MEMBER CORRADINI: Okay, thank you.
24	MR. SCHOFER: Okay. On Slide 6, I want to
25	talk about the various aspects within the regulatory

(202) 234-4433

framework where we do consider qualitative considerations.

And from the high level to the NRC risk-3 informed decisions, the use of qualitative factors as 4 well as staff, which was in the decision-making 5 process, the Commission Safety goals and PRA Policy 6 7 Statement both discuss importance of qualitatively 8 considering factors specifically calling out defense-9 in-depth Reg Guide 1.174 which is one of the guides 10 for PRA, notes that decisions are expected to be 11 reached in an integrated fashion considering traditional engineering and risk information and may 12 be based on qualitative information, as well as 13 quantitative analysis and information. This is really 14 15 consistent with what our guidance is as well.

However, in this reg guide, they provide more information in terms of how to apply, when to apply than we currently have in our guidance.

At the next level, you know, you have adequate protection determinations. And as discussed in SECY-12-0110, which was the economic consequences paper, the consideration of economic consequences is part of NRC's regulatory framework.

Adequate protection determinations are limited to public health and safety and common defense

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

(202) 234-4433

24

	25
1	and security matters and are determined at the
2	discretion of the Commission.
3	So, within the determination, you know,
4	qualitative consideration of factors have been used
5	before. And we have a whole enclosure that provides
6	history in the last 15 years of where they were
7	applied.
8	And we point out that, you know, the only
9	related quantitative measures, you know, for looking
10	at backfitting, for instance, is the power reactor
11	safety goal.
12	On the material side, we don't have a
13	similar criteria that can be applied and the reactor
14	safety goal is a surrogate to the QHOs.
15	When regulatory action is needed and
16	determined that it is used for beyond adequate
17	protection requirements, you know, we look to the
18	backfitting procedure and cost-justified substantial
19	safety enhancements.
20	And NUREG-1409, which is backfitting
21	guidelines, states that the backfitting rule does not
22	require a strict quantitative analysis.
23	So, again, within backfit determinations,
24	the use of qualitative consideration of factors is
25	allowed.
	I

(202) 234-4433

	26
1	MEMBER CORRADINI: So, can I just go back
2	to the first bullet? You don't have to go back if you
3	don't want to, but on the first bullet you noted - or
4	at least I got the impression that 1.174 has an
5	integrated approach.
6	Is the deficiency there that it doesn't
7	have standard methods, or that some of these methods
8	aren't applicable to the non-power reactor
9	applications?
10	MR. SCHOFER: No, the point I was making is
11	that within the PRA guidance they're using
12	fundamentally a similar approach in terms of
13	completeness. They quantify and they also use
14	qualitative information as well.
15	And they provide, you know, guidance in
16	terms of how to integrate that information as part of
17	that analysis.
18	MEMBER CORRADINI: So, is there a
19	deficiency there, or is it -
20	MR. SCHOFER: I'm not saying there - I'm
21	just saying that in comparison to the reg analysis
22	guidelines, we don't have as much in terms of the
23	descriptions of the how, why of that integrated
24	discussion.
25	MEMBER CORRADINI: So, I guess, and since

(202) 234-4433

	27
1	I was in the subcommittee, maybe I'm treading over old
2	stuff, why not adopt what's in 174 into the other
3	approach if it's, as I understand it, relatively
4	reasonable?
5	MR. SCHOFER: With that, I can go to my
6	last slide.
7	(Laughter.)
8	VICE CHAIRMAN RAY: Again, the way I find
9	it easiest to think about is just the need for a
10	methodology that will result in systematic,
11	transparent and consistent decisions that people can
12	understand.
13	And once again I want to point out I just
14	accessed it here to look at all of the examples that
15	aren't power reactors where this set of methods is
16	needed for this reason. So, we don't want to - unless
17	we deliberately do so and say, well, I only want to
18	talk about this as applied to power reactor safety,
19	but in general it's a broader - I'll acknowledge the
20	speaker here in a second - it's a broader subject
21	matter. And you'll see that in Enclosure 1 as you
22	look at it of the paper.
23	And we have someone who wants to speak.
24	MR. HARRISON: I'm Donny Harrison from the
25	new reactors, actually, staff, but just to be aware

(202) 234-4433

	28
1	there is an SRM from the Commission also asking the
2	staff to enhance the description criteria for defense-
3	in-depth within Reg Guide 1.174 as well.
4	So, within the power reactor community,
5	there's a need to enhance that guidance and there's a
6	part of risk management regulatory framework
7	development and a number of activities that are
8	associated specifically with better establishing
9	guidance for defense-in-depth.
10	MEMBER CORRADINI: Okay, thank you.
11	MR. SCHOFER: And Dr. Ray gave me a great
12	segue to Slide 7. Enclosure 1 provides a list of past
13	NRC regulatory actions that rely upon the qualitative
14	consideration of factors. And you'll see it's a
15	fairly long list.
16	Included in the enclosure were examples,
17	you know, some of the factors that were used or that
18	were considered qualitatively. So, that was provided.
19	And some of the examples are provided here, but there
20	is a complete list in the enclosure.
21	VICE CHAIRMAN RAY: Well, for example,
22	physical protection of a radiated reactor fuel in
23	transit.
24	MR. SCHOFER: Yes.
25	VICE CHAIRMAN RAY: Okay.
I	I contraction of the second seco

(202) 234-4433

VICE CHAIRMAN RAY: So, it's just we got to keep in mind in a broader sense than we often do when we're just talking about power reactor safety.

6 MR. SCHOFER: Yeah, we use this across the 7 board for anything that we're imposing a national 8 burden on the public or stakeholders. And so -

9 CHAIRMAN STETKAR: That enclosure I found 10 was really, really useful because I sort of did my own 11 little mental exercise of going down through each of 12 those items and saying, well, you know, is there any way that I could apply, you know, at least the 13 business that I'm familiar with, quantitative risk 14 15 assessment techniques? And even stretching, I could get to perhaps a little less than half of them. 16

So, Harold is right. I mean, this is much broader than quantitative risk-informing licensing decisions for the power reactor community or even if you want to extend it to, you know, other types of fuel facilities.

22 MR. SCHOFER: Okay. Today I'll talk about 23 what we do within NRC. We also look external to the 24 NRC in terms of what other federal agencies and 25 international agencies do. And we find that we're

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

(202) 234-4433

29

	30
1	very similar.
2	I have a number of documents identified
3	here; Executive Order 12866; Office of Management and
4	Budget; Circular A-4, Regulatory Guidance; Office of
5	Information and Regulatory Affairs, OIRA, which is
6	part of Office of Management and Budget, and they
7	provide a regulatory impact analysis, A Primer, and
8	all of them note the importance of consideration of
9	both quantitative and qualitative factors.
10	We also looked internationally and there
11	is a report that we note that discusses economic
12	consequences and methodologies for evaluating. And
13	although the focus is definitely toward
14	quantification, they also discuss the importance of
15	qualitative consideration of factors.
16	And there is a public version of that
17	document and it's included as one of the references.
18	VICE CHAIRMAN RAY: Recognizing that I
19	think we all readily accept what you're saying and
20	what you've found, is there anybody else who has a set
21	of methods using that terminology from the proposal
22	that is a potential example of what we're talking
23	about?
24	In other words, these other references,
25	yes, they say consider other than quantitative

(202) 234-4433

	31
1	factors, but they also say how to do that in a way
2	that's systematic, transparent and consistent.
3	MR. SCHOFER: Department of Homeland
4	Security does a lot of break-even analysis, as you
5	might imagine.
6	VICE CHAIRMAN RAY: Yes.
7	MR. SCHOFER: EPA, cost-effectiveness,
8	break-even, I mean -
9	VICE CHAIRMAN RAY: But they tell the
10	analysts how to do it in the way that we're
11	contemplating?
12	MR. SCHOFER: Yes.
13	VICE CHAIRMAN RAY: Okay. So, we're not
14	inventing the wheel, something new or different here.
15	MR. SCHOFER: No, these are pretty standard
16	techniques. I mean, we're just bringing them in so
17	that there's a handy reference.
18	CHAIRMAN STETKAR: You think Bureau of
19	Reclamation, you know, Army Corps of Engineers, you
20	know. The Corps has got to be involved in that type
21	of stuff.
22	VICE CHAIRMAN RAY: Okay. So, we're not
23	trying to advance the technology here of doing this.
24	We're just going to try and adopt it for what we do.
25	MR. SCHOFER: Uh-huh. This slide is part
	1

(202) 234-4433

	32
1	of a click or two and it just displays OMB, you know,
2	annually does a report to Congress on benefits in
3	cost-effective regulations.
4	And in the 2013 report which was looking
5	at fiscal year 2012, which was the most current at the
6	time we were doing the paper, 2014 I think is now out,
7	you know, they looked at the major roles.
8	The major roles are, you know, have impact
9	on society of annual costs of a hundred million
10	dollars or more and has some other criteria. So,
11	these are really big roles.
12	And you can see, you know, with the color
13	scheme, blue, red and green. Blue, they monetized
14	benefits and costs. Red, they monetized costs only.
15	So, all the benefits are considered qualitatively.
16	And green, they monetized benefits only, and so costs
17	were qualitatively considered.
18	You can see roughly half of these major
19	roles done by, you know, federal agencies rely heavily
20	on, you know, qualitative consideration.
21	MEMBER CORRADINI: So, going that route if
22	you made a pie chart for NRC, how would it look?
23	MR. SCHOFER: Probably about the same.
24	MEMBER CORRADINI: Oh, would it? Okay.
25	CHAIRMAN STETKAR: Look at that Enclosure
	1

(202) 234-4433

	33
1	3.
2	MEMBER CORRADINI: This is Enclosure 1.
3	CHAIRMAN STETKAR: I'm sorry. Enclosure
4	1, you're right.
5	MR. SCHOFER: You know, more on the
6	material side you have very similar to the red
7	monetized costs only. And it's more difficult to
8	quantify benefits.
9	Security, safeguards-type similar, you
10	know. Transport which was also brought up similar to
11	that. Reactor side, we tend to be more in the blue.
12	VICE CHAIRMAN RAY: Mike, if you - I'm just
13	looking here at what Mike Snodderly sent out on August
14	7th. If you happen to have it, you can easily pull up
15	Enclosure 1.
16	CHAIRMAN STETKAR: It's a really neat
17	summary. I mean, you don't have to - there are links
18	to every one of the detail things. But if you just
19	look at the titles and think about them, it's pretty
20	interesting.
21	MR. SCHOFER: All right. This slide, I
22	guess Slides 10 and 11, discuss specific scenarios
23	that helped us organize our thinking as we prepared
24	this paper, thought through the issue to come up with
25	the proposed recommendation.
	1

(202) 234-4433

34
We have four scenarios. And you can see,
you know, the first scenario, you know, benefits
cannot be quantified, presented only qualitatively,
costs are quantified, which is very similar to the
prior pie chart. And past applications are
identified.
Scenario B, you know, benefits quantified,
others qualitatively considered, costs are quantified
and the net benefit of the quantitative analysis is
positive.
I probably should address, you know, Dr.
Schultz' issue. When we went through this, I mean, we
were thinking about, you know, the scope of the SRM.
And it drove us to address, you know, the - when
quantitative benefits are positive.
If they're negative and you have, you
know, a negative cost-beneficial determination, the
decision is pretty clear.
You could potentially have the same issue
where you believe that from a quantification the net
benefit would be positive. If I could have some
negative qualitative consideration arguments, that
would be similar to this, but I don't think we've come
across that.
CHAIRMAN STETKAR: Well, but in principle,

(202) 234-4433

	35
1	you could, Fred. I mean, if you did an uncertainty
2	evaluation on the quantitative and it showed, you
3	know, marginal positive with uncertainty skewed toward
4	negative, then qualitative considerations could take
5	another direction.
6	MEMBER SCHULTZ: In principle, you always
7	do. We make decisions everyday which we don't
8	quantify and we have the qualitative yeses and the
9	qualitative nos of the cost and the - and we make the
10	decision. And when we decide not to do something,
11	then the negatives outweigh the positives.
12	So, the same thing happens in decision-
13	making in the regulatory evaluation process.
14	MR. SCHOFER: Yes, I agree. I mean, it was
15	just that this was more stylized to help us -
16	MEMBER SCHULTZ: I understand. I
17	understand how it fits into the examples.
18	MR. SCHOFER: And probably one point I want
19	to make, you know, failure to monetize some benefits
20	make it more difficult to fully understand the
21	economic tradeoffs. I mean, I think we all agree with
22	that.
23	The staff acknowledges that there are
24	challenges to completely monetizing both benefits and
25	costs for all considered regulatory actions. And I
	I

(202) 234-4433
	36
1	think that point was made by Dr. Stetkar and others in
2	looking at the enclosure.
3	MEMBER CORRADINI: So, on another note, so
4	since you're looking at qualitative - or relooking at
5	qualitative and how to provide appropriate guidelines
6	and methods, I assume - well, maybe not. You're not
7	going to look at benefit and cost analyses and how you
8	do that to include that.
9	MR. SCHOFER: No, that's not -
10	MEMBER CORRADINI: I know the -
11	MR. SCHOFER: The scope of this paper was
12	not to do that.
13	CHAIRMAN STETKAR: But there is, Fred,
14	there is still, I mean, you're updating - I forget the
15	numbers to -
16	MR. SCHOFER: EPRI update two which is DAC
17	passed.
18	CHAIRMAN STETKAR: And part of the
19	MR. SCHOFER: And this is such a small
20	piece.
21	CHAIRMAN STETKAR: Yes. Part of that is
22	updating, for example, the - oh, I've forgotten it.
23	Economic consequence evaluations.
24	MEMBER SCHULTZ: How one does the metrics.
25	CHAIRMAN STETKAR: How one does that.
	I

(202) 234-4433

	37
1	MEMBER SCHULTZ: Performs the unit costs
2	and so forth.
3	CHAIRMAN STETKAR: So, this is just part of
4	the update of the overall regulatory analysis.
5	MR. SCHOFER: This is really such a thin
6	slice of what we do.
7	(Speaking over each other.)
8	CHAIRMAN STETKAR: I was going to say
9	occasionally it gets visibility, though, doesn't it?
10	MEMBER CORRADINI: Okay, thank you.
11	MR. SCHOFER: Okay. And, you know, as I
12	was indicating that, you know, monetizing both
13	benefits and costs for all considered regulatory
14	actions is a major challenge. I mean, I think we can
15	all agree.
16	But when it's not possible to monetize all
17	impacts, qualitative analysis and then monetized
18	impacts provide the best available information to
19	communicate the impact.
20	So, it's evaluating, you know, a
21	completeness evaluation of both quantitative and
22	qualitative is very important.
23	Scenario C and D is really more toward the
24	focus of the paper. Scenario C, you know, some
25	benefits are quantified, others are qualitatively

(202) 234-4433

	38
1	considered. Costs are quantified. The net benefit is
2	negative.
3	And so, do the qualitative arguments make
4	it such that we should go forward, or flipside talking
5	about let's say the benefits are quantified, but the
6	costs are qualitatively considered. The same thing
7	could happen. And so, it's that particular one.
8	And then you have Scenario D where some
9	benefits can be quantified, others are qualitatively
10	considered. Costs are quantified and whether to do
11	only part of what we currently do, which is compare
12	the quantitative information, but only include the
13	qualitative information for information which seems to
14	be only providing part of the answer.
15	So, after you're going through all the
16	history, you know, so everyone is on the same page
17	with regard to, you know, what has been done, why we
18	did it, also looking at, you know, external to the
19	NRC, you know, other federal agencies in our national
20	community guidance provided by Office of Management
21	and Budget, you know, we came up with the following
22	conclusions.
23	The first is simply NRC guidance directs
24	the staff to quantify benefits and costs of proposed
25	regulatory action when possible.
1	I construction of the second se

(202) 234-4433

	39
1	When it's not feasible to quantify
2	benefits and costs, the staff should discuss the non-
3	quantifiable elements in qualitative terms.
4	And as I also indicated, you know, failure
5	to quantify attributes make it difficult to fully
6	understand the economic tradeoffs. And when it's not
7	possible to monetize all impacts, you know, the best
8	answer is to do the integrated evaluation, the
9	qualitative analysis of the non-monetized impacts with
10	the quantitative results and information to provide
11	the best available information to communicate the
12	impact. And that's really the key point.
13	I mean, so, this practice is aligned with
14	other federal agencies, the international community.
15	And as such, you know, by going through the background
16	and looking at how qualitative factors were
17	considered, the staff believes that, you know,
18	possibly, you know, the next step would be developing
19	additional guidance to clarify a potential tool and
20	the hows, whens and whys of the use of qualitative
21	consideration in our assessment.
22	MEMBER REMPE: Fred, before you go to the
23	next slide - are you done with that?
24	MR. SCHOFER: I'm done.
25	MEMBER REMPE: I saw you turn the page, but
	1

(202) 234-4433

1 I was looking at the slides from the subcommittee meeting and comparing them to the slides today. 2 And there's been a couple of places where you've added 3 comments about the current guidance emphasizes the 4 5 need to make efforts to quantify reasonable costs and So, that's kind of been changed from your 6 benefits. 7 earlier presentation. 8 And I quess when I see this bullet, what 9 I wonder is how do you decide what a reasonable effort is? Where is the cutoff where you say I just can't do 10 11 it, and you throw up your hands? 12 Can you maybe give your thoughts on that? 13 MR. SCHOFER: Sure. When we, you know, get involved, we get involved very early and we tend to 14 15 develop a plan in terms of how we're going to approach the req analysis and, you know, where we're going to 16 collect data from and what some of the sensitivities 17 18 might be or, you know.

And so, as we put together the plan, you know, and we start evaluating where are we going to get the information, you know, if the information is not readily available, you know, what will it take to acquire it or develop it and how it's entered into the overall plan for whatever activity we're looking at. And so, as you know, I mean, in some cases

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

40

I	41
1	things, you know, there is not data or there is not
2	sufficient data to quantify or there may not be
3	acceptable models or there could be a whole slew of
4	things that might be issues in terms of
5	quantification.
6	So, they're identified early and we start,
7	you know, communicating that with the Agency and, you
8	know, a point is made where we say this is what our
9	plan is going to do and this is what we're going to
10	quantify.
11	VICE CHAIRMAN RAY: Fred, you might -
12	MR. SCHOFER: Well, if I can just -
13	VICE CHAIRMAN RAY: Oh, I thought you were
14	done. Excuse me.
15	MR. SCHOFER: In some cases, you know,
16	we'll make that point and people say that's not, you
17	know, enough. Do more. Okay, that's fine. We'll do
18	more. In other cases, it's believed that that will be
19	sufficient and we'll go with that.
20	Now, for instance, the containment vent
21	paper, fundamentally the Commission told us that what
22	we did was not sufficient and they told us to do more.
23	So, we have another, you know, we have a
24	tasking to do containment filtration which is doing
25	the evaluation again. And personally, that was
1	I contract of the second se

(202) 234-4433

	42
1	because one option was not fully fleshed out at the -
2	in the 2012 timeline.
3	I mean, it was kind of the concept that
4	you could do, you know, water management and there's
5	a lot of mechanisms in containment that would allow
6	the removal of sufficient source term such that should
7	you have a release, you know, it would be not cost-
8	beneficial to do more of that.
9	So, we're doing it again. And as a result
10	of that, we're doing a lot more quantification and,
11	therefore, probably have less qualitative arguments
12	and those types of things.
13	We'll have some, but some of the broad
14	ones that we had in the first cycle will not be there.
15	VICE CHAIRMAN RAY: Well, I think on this
16	point that Joy raises, the paper does identify three
17	disadvantages of undertaking this effort.
18	Two of them have specifically to deal with
19	the point that I think you're illustrating in this
20	case, and they are the increased staff resources
21	needed as a result of, first, developing and,
22	secondly, implementing these methods.
23	And the point would, I think, be in
24	response to what she said and what you said, is, well,
25	it's always going to be a judgement. That's what
	I

(202) 234-4433

	43
1	management does is decide how much is enough. How
2	much resources are we going to put into this
3	particular answer that we're seeking?
4	And I don't know that - maybe as we go
5	forward and see what the methods turn out to be, we
6	can be more definitive as to how far is far enough.
7	But at this point in time, I think it's acknowledged
8	in the paper that there's going to be an impact on
9	resources because we are going to be more systematic,
10	more transparent, more consistent.
11	And that's going to have a cost and at
12	some point we're going to say that's as much as we can
13	do, but it's too big right now.
14	I mean, there's nothing more to say than
15	observe, well, that's going to have to be a decision
16	made case by case as I see it.
17	There's no way to draw a line and say,
18	well, this is how far you have to go. And when you've
19	gone that far, that's far enough.
20	MR. SCHOFER: Sure. But on the flipside of
21	that as well, I mean, the analyst has to address that
22	on an ad hoc basis now. I mean, they have to make
23	those determinations -
24	VICE CHAIRMAN RAY: Right.
25	MR. SCHOFER: you know, develop the

(202) 234-4433

	44
1	plan, you know, justify their, you know -
2	VICE CHAIRMAN RAY: But we're going to do
3	it in a consistent and transparent way -
4	MR. SCHOFER: Correct.
5	VICE CHAIRMAN RAY: as a result of this
6	effort. And that's the main point, I think, that
7	needs to be -
8	MR. SCHOFER: And so, you know, what we're
9	looking for is to provide that additional, you know,
10	touchstone so that the analyst knows, you know, how to
11	approach it more systematically as you indicated, and
12	to provide additional tools that in developing the
13	qualitative arguments, that has more structure that,
14	you know, as they go through that, the process that
15	they are, you know.
16	VICE CHAIRMAN RAY: Yeah. And the record
17	will be more -
18	MR. SCHOFER: Complete.
19	VICE CHAIRMAN RAY: complete and
20	understandable by those who are reviewing it. But the
21	answer to how much is enough, I don't think there's an
22	answer to that question because it's very dependant on
23	what the heck you're talking about.
24	MR. SCHOFER: Well, we answer that question
25	every time. It's just on a case-by-case basis.
	1

(202) 234-4433

	45
1	MEMBER BLEY: Yeah, I'd like to toss
2	something in here, Fred, and it's reiterating
3	something from the subcommittee meeting. To me, that
4	question is an almost irrelevant question.
5	The one thing I hope you do before you're
6	all done is present the product in an integrated
7	fashion. And when you do that, this question of how
8	much is enough kind of goes away, because you work
9	your way to a sensible point.
10	I've read far too many quantitative
11	analyses that don't provide the supporting qualitative
12	information to convince me that they've considered the
13	right factors, that they've considered the things
14	affecting those factors and that they've considered
15	all the sources of information to bring to the
16	problem.
17	So, the structure in my mind is always -
18	begins with qualitative analysis laying out the logic
19	of what you're doing, why you've picked the things
20	you've picked, and then looking to see do we need to
21	quantify, do we need to - how do we structure this to
22	make a decision?
23	And that either leads you into
24	quantification if there is sufficient information, or
25	it leads you to picking some qualitative/semi-

(202) 234-4433

	46
1	quantitative way to structure the results that all
2	ought to begin with that good qualitative analysis.
3	And when you say we sometimes have to go
4	quantitative, sometimes when we do that, we forget
5	what we did qualitatively and we lose that impact,
6	that importance and that gives us a whole structure.
7	So, I hope you eventually get to that point.
8	And then I think the other question kind
9	of solves itself. You see what you've got and you see
10	if it's worth doing - it's much easier to see if it's
11	worth doing more effort.
12	MR. SCHOFER: Yes, and thank you for that.
13	When I refer to that kind of consideration, you know,
14	starting qualitatively and start planning it out, I
15	call that the plan, you know, in terms of how you're
16	going to approach that.
17	MEMBER BLEY: That's fine, yeah.
18	MR. SCHOFER: And you decide which
19	attributes are most important and which ones may not
20	participate. So, that initially.
21	And then you go into the attribute and
22	say, okay, what within that attribute would be
23	affecting this out. And then you kind of build your
24	-
25	MEMBER BLEY: I think what you're doing
	1

(202) 234-4433

	47
1	will help our quantitative analyses, because it will
2	- if you present it that way including your plan,
3	because that will give us much better quantitative
4	reports in the places where we actually use that.
5	CHAIRMAN STETKAR: I think that's an
6	important point. Because as the SECY paper, you know,
7	in a kind of traditional incarnation of these things
8	and the regulatory analyses precedes, there tend to be
9	two distinct, you know, there's the quantitative
10	analysis and we know how to do that because that's
11	cost and benefits and we can quantify some sort of,
12	you know, surrogate for quantitative health objectives
13	and we do that.
14	And even in the SECY paper, it immediately
15	lists - there's a whole Enclosure 3 about, you know,
16	how to do qualitative analysis with one of the
17	methodologies that are the analogy of, you know, the
18	tools that we use for the quantification.
19	What Dennis is talking about is a much
20	more integrated presentation of how most of those
21	things are used. So, it's broader than just saying,
22	well, go forward and develop, you know, guidance for
23	the appropriate method to select from Enclosure 3 for
24	things that we're going to call qualitative
25	evaluations.
I	I

(202) 234-4433

	48
1	VICE CHAIRMAN RAY: Well, we're going to
2	look forward to the next step hopefully which is to
3	look at an example.
4	CHAIRMAN STETKAR: I think what Dennis is
5	saying, though, is it's broader -
6	VICE CHAIRMAN RAY: I'm not -
7	CHAIRMAN STETKAR: It's broader than just
8	picking off this one slice, as you mentioned, of the
9	regulatory analysis process. It's really folding
10	everything together in a whole - the whole update to
11	the regulatory analysis guidance.
12	VICE CHAIRMAN RAY: I'm still wanting to
13	see something tangible not that I disagree with
14	Dennis, it's been said I don't, but it's going to be
15	interesting to apply it.
16	It's going to be probably an important
17	task to pick the right few applications so that we
18	don't waste time on things that aren't good examples
19	of the application we're talking about and take a look
20	at are we satisfying what Dennis has said or not.
21	MEMBER REMPE: So, earlier you mentioned
22	there were examples, the Department of Homeland
23	Security, Army Corps of Engineers, et cetera.
24	Are any of those examples something that
25	would reflect what Dennis is suggesting, an integrated

(202) 234-4433

	49
1	qualitative/quantitative approach?
2	MEMBER CORRADINI: Yes, in other words,
3	pick something that's not close to home so that if we
4	didn't like it, we could still look at it and both
5	criticize it and compliment it.
6	MR. SCHOFER: Okay.
7	MEMBER SCHULTZ: Those are better examples
8	of where qualitative factors are considered. The
9	types of qualitative evaluation processes are, if you
10	will, somewhat scattered in terms of application.
11	MEMBER BROWN: Real examples weren't
12	readily available to show -
13	MEMBER SCHULTZ: That's right.
14	MEMBER BROWN: the details of how they
15	walked through that.
16	MEMBER SCHULTZ: But this is something that
17	I agree with Dennis that if we look at it from a real
18	top-down approach in the first place and use it in a
19	way to enhance the entire process, the quantitative
20	and the qualitative and the merger of the two, then we
21	will have accomplished something.
22	MR. BROWN: Well, my major concern, and we
23	talked about it in the subcommittee meeting, was your
24	bullet one, two, three, four, five in that my
25	perception of that discussion we had was that the

(202) 234-4433

ĺ	50
1	qualitative consideration of factors can be
2	arbitrarily weighted and, in other words, too much
3	emphasis has been applied to qualitative.
4	And I worry about that, that we're going
5	to dump the qualitative and now everybody is going to
6	get into their little monetized menu and they're going
7	to - the qualitative factors are always going to have
8	this arbitrary downside.
9	In my mind, there's some circumstances
10	where, quite frankly, I hate to refer to my old
11	program, where the qualitative aspects were so
12	overwhelmingly obvious that, yeah, it was going to
13	cost us some money, but we went ahead and did it
14	anyway.
15	So, it was a negative cost thing, but yet
16	just the perception of what we were dealing with drove
17	us to make those decisions and go back and do
18	something.
19	And I'm worried about that getting
20	downplayed in this whole thing about how do we - how
21	do we weigh the qualitative parts and then all of the
22	sudden we start - these little factors get thrown in
23	and they're on the low end instead of on, you know,
24	where they ought to be considered.
25	And I like Dennis' comment. It was very,
	1

(202) 234-4433

	51
1	very good in terms of how you start from the top
2	qualitative and look at how you want to do stuff, and
3	then figure out where quantitative is going to provide
4	value added in the decision process, not quantitative
5	is the thing and then figure out where qualitative is
6	going to provide it.
7	VICE CHAIRMAN RAY: The paper, I think,
8	recognizes this explicitly. It says, as another
9	disadvantage of even doing this, which is what you're
10	talking about -
11	MR. BROWN: Yes, exactly.
12	VICE CHAIRMAN RAY: is the qualitative
13	consideration of factors remains subjective. Doing
14	this may imply objectivity by formalizing the process.
15	MR. BROWN: Exactly.
16	VICE CHAIRMAN RAY: And the implication of
17	objectivity would be the downsizing that you're
18	talking about.
19	So, but this is so ethereal at this point
20	in time that to me we'll really need some applications
21	to look at before we know have we - are we on the
22	right track or not.
23	MR. SCHOFER: Well, you mentioned
24	previously about, you know, are there other examples
25	external to the NRC that could be discussed and I'll

(202) 234-4433

	52
1	throw one out.
2	Department of Transportation did a rule
3	for backup cameras for your cars. And the item was,
4	you know, how can backup accidents be decreased?
5	So, they considered, you know, status quo,
6	you know, the standard mirror system that you have on
7	your car, they considered an alternative which was
8	require backup cameras on all new cars, and they also
9	considered, you know, requiring sensors and additional
10	mirrors on the cars or bigger mirrors or whatever to,
11	you know, address that problem.
12	Backup cameras were not cost beneficial.
13	However, the rule was promulgated. And it was
14	promulgated based upon qualitative arguments.
15	And some of those qualitative arguments
16	included, you know, there was statutory compliance,
17	there was an act, the Cameron Gulbransen Kids
18	Transportation Safety Act.
19	VICE CHAIRMAN RAY: Congress said so, in
20	other words.
21	MR. SCHOFER: There was the value of a
22	child's life, you know, children have a higher value
23	of statistical life than adults.
24	They used dread, the psychological impact
25	of an adult or a parent guarding over their child.

(202) 234-4433

	53
1	They recognized distributed impacts which was that the
2	people that were most adversely affected by backup
3	accidents were children and the elderly. And they
4	also addressed simplified parking and convenience.
5	VICE CHAIRMAN RAY: Okay.
6	MR. SCHOFER: As an example.
7	VICE CHAIRMAN RAY: Yeah. But, again,
8	we're talking about a set of methods and we don't - I
9	don't think we can say much until we see something
10	that there's more change.
11	(Simultaneous speaking.)
12	MR. SCHOFER: So, our proposal is that, you
13	know, given that there are instances where it's not
14	possible to monetize all impacts, the history of use
15	of qualitative factors and their importance, we, the
16	staff has proposed, you know, updating cost-benefit
17	guidance to include a set of methods with the overall
18	goal of, you know how can we do it better, how can we
19	be more systematic, how can we make our practice more
20	transparent, how can we be, you know, more consistent
21	across business lines.
22	And based upon the research, the staff
23	recommends updating the cost-benefit guidance to
24	include information on how and when qualitative
25	factors should be used, how the results will be
	1

(202) 234-4433

(202) 234-4433

	54
1	incorporated into an integrated analysis that brings
2	an argument in support of a particular alternative.
3	VICE CHAIRMAN RAY: There's no schedule
4	presented.
5	MR. SCHOFER: This would be part of the 14-
6	002 update.
7	VICE CHAIRMAN RAY: Yes.
8	MR. SCHOFER: We will be looking for
9	Commission approval to go forward with this plan and
10	then we would incorporate into that activity.
11	We're looking for 14-002 or the NUREG-0058
12	which will be the home -
13	VICE CHAIRMAN RAY: Right.
14	MR. SCHOFER: that will be draft, you
15	know, draft available in the, you know, fiscal year
16	2015. So, that will be something that will be coming
17	up this year.
18	I would anticipate that would be coming in
19	front of you, as well as we would be issuing that for
20	public comment as a new NUREG or revised NUREG. So,
21	there would be, you know, that cycle that we would be
22	going through.
23	CHAIRMAN STETKAR: And we already have a
24	subcommittee meeting scheduled and I can't remember
25	whether it's November or December on the -
	I

(202) 234-4433

	55
1	MR. SCHOFER: We have a subcommittee
2	October for -
3	CHAIRMAN STETKAR: Is that -
4	MR. SCHOFER: - analysis.
5	CHAIRMAN STETKAR: Yes.
6	MR. SCHOFER: That is looking at how we
7	perform regulatory analysis backfit - or cost-benefit,
8	you know, in regulatory analysis backfit, NEPA
9	analysis across the Agency.
10	Also, looking externally to see what other
11	lessons can be learned that might be potential policy
12	issues and identifying those gaps and that will feed
13	into Phase 2 of the 14-002 product.
14	VICE CHAIRMAN RAY: That was part of the
15	cost-benefit, yes.
16	CHAIRMAN STETKAR: Yes.
17	MR. SCHOFER: That concludes my
18	presentation. The next few slides are pretty much
19	references.
20	VICE CHAIRMAN RAY: Pretty much.
21	MR. SCHOFER: Pretty much. And I am
22	willing to take any additional comments or questions.
23	VICE CHAIRMAN RAY: Anything for the
24	presenters?
25	(No response.)
	I

(202) 234-4433

	56
1	VICE CHAIRMAN RAY: All right. Well,
2	thank you, Fred - oh, you have one. Sorry. You're
3	not raising your hand high enough for me to see it.
4	(Comments off record.)
5	VICE CHAIRMAN RAY: We do want to make sure
6	that we ask both anyone here in the room and then
7	anyone online.
8	Is there anyone attending the meeting
9	today that would like to ask a question - or make a
10	comment. Excuse me. Like to make a comment.
11	(No response.)
12	VICE CHAIRMAN RAY: Seeing none, and we'll
13	ask then if the line is open.
14	MEMBER CORRADINI: If anybody is out there,
15	say something.
16	VICE CHAIRMAN RAY: If there's anyone on
17	the line, we'd appreciate your acknowledging that you
18	can hear us.
19	MR. LEWIS: Marvin Lewis.
20	VICE CHAIRMAN RAY: Thank you, Marvin.
21	Appreciate it. Good morning to you. Is there anyone
22	_
23	MR. LEWIS: Good morning.
24	VICE CHAIRMAN RAY: Is there anyone who
25	would wish to make a comment on the presentation we've

(202) 234-4433

	57
1	just received?
2	MR. LEWIS: Yes, I would, really, but it's
3	kind of negative.
4	VICE CHAIRMAN RAY: Go ahead. We're just
5	taking comments. So, whatever comments you'd like to
6	make.
7	MR. LEWIS: Yeah, the point is that here's
8	a staffer coming in for guidance, but the guidance is
9	about how much effort is put on something.
10	So, the point is, you do have deciding
11	factors to look at. Namely, your charter, which
12	states specifically nine times, protect the health and
13	safety of the public.
14	I do not believe you have a right to give
15	something up just because it is difficult in any way,
16	shape or form in terms of safety of the public. Thank
17	you.
18	VICE CHAIRMAN RAY: Okay. All right. We
19	have received that comment. Thank you for that. If
20	there's any other comments, we'd be glad to receive
21	them now, too.
22	(No response.)
23	VICE CHAIRMAN RAY: Hearing none, then I'll
24	turn it back over to our chairman and thank you for
25	your presentation.
	I contract of the second se

	58
1	CHAIRMAN STETKAR: Thank you. And thanks,
2	Fred and Aby. Good presentation. Good discussion.
3	Because this is a full committee meeting,
4	we need to hit our marks on the schedule quite well.
5	And I know folks are still working on versions of
6	draft letters so that I think what we'll do in the
7	interest of giving people time to do a little bit of
8	work, is we will recess until 10:45 and reconvene
9	then.
10	(Whereupon, the above-titled matter went
11	off the record at 9:38 a.m. and went back on the
12	record at 10:44 a.m.)
13	CHAIRMAN STETKAR: We are back in session.
14	Our next topic on our agenda is a draft generic
15	letter. And because I was surprised about having
16	numbers for the SECY paper, I will not say the
17	unnumbered draft generic letter on Monitoring of
18	Neutron Absorber Materials in Spent Fuel Pool.
19	And Ron Ballinger will lead us through
20	this session. Ron.
21	MR. BALLINGER: Good morning. Good
22	morning. On August 21st, 2014, the Metallurgy and
23	Reactor Fuel Subcommittee was briefed by the NRC staff
24	and NEI on neutron absorber degradation in the draft
25	generic letters - proposed draft generic letter.
	1

(202) 234-4433

	59
1	The topics discussed on that day were
2	nuclear criticality analysis, technical perspective on
3	spent fuel pool neutron absorbing material
4	degradation, background on the generic letter, generic
5	letter information request and NRC's response to
6	public comments on the draft generic letter. We also
7	heard industry's views on the generic letter and
8	ongoing industry efforts. NEI was also kind enough to
9	bring some samples for us to observe and play with, I
10	guess.
11	Degradation of neutron-absorbing materials
12	used in the spent fuel pool is a potential safety
13	issue that nuclear power reactor licensees have been
14	dealing with since the 1980s. In particular,
15	Boraflex.
16	Recent events have raised concern among
17	the staff that some licensees may not have adequate
18	methodologies and surveillance programs to monitor and
19	assess the degradation and deformation of neutron-
20	absorbing materials in the spent fuel pool.
21	The draft generic letter is asking
22	licensees to provide information regarding their
23	neutron-absorbing materials monitoring programs and
24	the basis for them.
25	The NRC staff believes that licensees

	60
1	should have this information available under 10 CFR 50
2	Appendix B record-keeping requirements.
3	The generic letter is not requesting any
4	new analysis programs or research. Today we'll get
5	the condensed form of the presentations that were
б	given to us on August the 21st.
7	We will now proceed with the meeting and
8	call Tim McGinty, director of NRR, to give a brief
9	introduction and introduce the presenters.
10	MR. McGINTY: Thank you, Dr. Ballinger. I
11	am Tim McGinty. I'm the Director of the Division of
12	Safety Systems in NRR. I and my staff really
13	appreciate this opportunity to brief the Committee.
14	My remarks are actually - align fairly well with Dr.
15	Ballinger.
16	The degradation of neutron-absorbing
17	materials used in the spent fuel pool is a safety
18	issue that nuclear power reactor licensees have been
19	dealing with since the 1980s. For example, Boraflex.
20	Recent events have raised concerns among
21	the NRC staff that some licensees may not have
22	adequate methodologies and surveillance programs to
23	monitor and assess the degradation and deformation of
24	neutron-absorbing materials in spent fuel pools.
25	Licensees submit criticality analyses to
	1

(202) 234-4433

	61
1	the NRC as part of the license approval process to
2	demonstrate that they meet NRC subcriticality
3	requirements. Many licensees credit neutron-absorbing
4	materials for this purpose.
5	The NRC has recently seen situations where
6	licensees found previously unidentified degradation of
7	neutron-absorbing materials or have ineffective
8	monitoring programs for their neutron-absorbing
9	materials.
10	In several cases, the neutron-absorbing
11	materials were found to be outside the bounds
12	established by the assumptions of the criticality
13	analysis of record.
14	This is not an immediate safety concern.
15	However, it is a safety concern. Unidentified and
16	unmitigated neutron-absorbing material degradation
17	constitutes an unchecked reduction in the
18	subcriticality margin which has the potential to lead
19	to local criticality in the spent fuel pool.
20	As Dr. Ballinger mentioned, this generic
21	letter is asking licensees to provide information
22	regarding their neutron-absorbing material monitoring
23	programs and the basis for them.
24	The staff believes the licensee should
25	have this information available under 10 CFR 50

(202) 234-4433

Í	62
1	Appendix B record-keeping requirements. This generic
2	letter is not requesting any new analysis, programs or
3	research.
4	Thank you for that opportunity. At this
5	stage, I will be willing to turn it over to Scott
6	Krepel and Matt Yoder.
7	MR. KREPEL: Thank you, Tim.
8	My name is Scott Krepel and I work in the
9	Spent Fuel Team that's located in the Reactor Systems
10	Branch, Division of Safety Systems in the Office of
11	Nuclear Reactor Regulation.
12	I'm the technical lead for this. I'll be
13	also presenting with Matt Yoder. He is a chemical
14	engineer in the same Office of Nuclear Reactor
15	Regulation.
16	We're going to be providing an overview of
17	our presentation to the subcommittee that was on
18	August 21st.
19	We have some - four different sections
20	that we'll be presenting. First, I'll be providing
21	some background information on the criticality
22	analyses for neutron-absorbing material and the
23	criticality criteria.
24	And after that, we'll get some background.
25	Then Matt is going to present regarding specific

(202) 234-4433

	63
1	neutron-absorbing material concerns that the staff
2	have noticed. We will be passing out some samples of
3	material at the same time for you to look at.
4	After that, we'll also focus on providing
5	some operating experience events that NRC has seen up
6	to this point, and then approaches that we can have
7	that we've identified to - I'll go back a bit here.
8	Past efforts by NRC staff in order to address some
9	concerns that we've identified.
10	Finally, then we'll focus on getting to
11	the key point of this presentation today, discussing
12	the generic letter and how that is a means to address
13	these concerns.
14	All right. First of all, the regulation
15	criteria for the criticality analyses is found in 10
16	CFR 50.68. And also in the General Design Criteria
17	62.
18	The program is - its intent is to prevent
19	any inadvertent criticality events in spent fuel
20	pools.
21	General Design Criteria 62 provides some
22	general guidelines on how the spent fuel pool should
23	be designed to prevent any kind of criticality events,
24	but the important criteria that we're focusing on
25	usually is in 10 CFR 50.68, which provides specific

(202) 234-4433

Í	64
1	limits on decay effective for the spent fuel pools.
2	So, we'll get into some in summary,
3	we'll see what the licensees are - for decay effective
4	decay effective is less than 0.95 for the 0.95
5	assurance and confidence. And there's more research
6	on that, but we'll go into detail on the specifics of
7	that.
8	Some plants, however, licensees are under
9	the same regulations of - are exempt. They're exempt,
10	however. But in general, the regulation's limits are
11	the same.
12	MEMBER BLEY: I'm sorry. I missed the
13	chart on that. They're exempt from what?
14	MR. KREPEL: Okay. Let me go back a bit.
15	Previously, the past licensees were under 10 CFR
16	70.24. And a lot of licensees requested exemption
17	from that by submitting the criticality analysis to
18	prove that they could be subcriticality. There's a
19	lot of margin left.
20	So, then later on when they set up the 10
21	CFR 50.68, that was regulated, but there was one or
22	two licensees in the area that still have exemptions
23	in that area, but they're still under the same
24	regulation.
25	MEMBER BLEY: Thank you.
	1

(202) 234-4433

	65
1	MR. KREPEL: All right. I'm going to go
2	back one more slide. I'm almost done with it. Don't
3	worry.
4	Okay. The important key point is that the
5	licensees submit the criticality analysis which shows
6	that with the spent fuel pool calculation, the
7	geometry, all of the material components to make sure
8	that the guidelines are met, the licensees are using
9	their neutron-absorbing materials in the spent fuel
10	pools to show - and help them to show that they are
11	meeting the limits.
12	The key point, though, is that if the
13	neutron-absorbing material credits are in the
14	criticality analyses, it needs to be also for the
15	neutron-absorbing functions as explained in the
16	criticality analysis.
17	Now, we're here today because there are
18	two concerns about some potential regulation
19	compliance issues and safety issues regulating to the
20	neutron-absorbing materials that tend to be in the
21	spent fuel pool.
22	The criticality analyses have about half
23	of a percent delta K in the margin to the regulatory
24	limit, but the most important measurement to the
25	neutron-absorbing materials possible to do - is it
	1

(202) 234-4433

	66
1	possible for them to do their function is the Boron 10
2	areal density, because Boron 10 is a primary means by
3	which the material-absorbing neutron, they can have
4	that safety function.
5	Normally, in a criticality analysis is
б	modeled by Boron 10, the areal density is a minimum
7	value that also incorporates - it's incorporated into
8	the acceptance criteria for the neutron-absorbing
9	material.
10	We have a chart here that shows this curve
11	that shows the reactivity impact. Also the areal
12	density as it decreases for the boiling water plants
13	in the spent fuel pool.
14	MEMBER CORRADINI: Can I ask a
15	clarification just so I understand? So, this is the
16	delta K infinity as a function of -
17	MR. KREPEL: Areal density.
18	MEMBER CORRADINI: Decreasing areal
19	density, right? I'm decreasing going to the right.
20	MEMBER BLEY: It's hard to read the scale.
21	MR. KREPEL: Yes, you're right. If you
22	move to the right, the areal density is decreasing.
23	MEMBER CORRADINI: Okay. So, my question
24	is, and I don't know any of the regulations. So,
25	we'll just put that aside, but my question is just
	II

(202) 234-4433

ĺ	67
1	technically, so the delta K infinity is going up as
2	you go to the right, but am I still substantially
3	subcritical, or is there a concern of going critical?
4	That's what I'm asking.
5	I can understand how the uncertainty would
6	go up, but am I starting to cross some sort of - am I
7	approaching anywhere close to K infinity 1? Is there
8	another way to - do you understand my question?
9	MR. KREPEL: Yeah, I think I understand
10	your question. I think that here you ask how this
11	fits in with the subcriticality margin -
12	MEMBER CORRADINI: Correct.
13	MR. KREPEL: in the pool.
14	MEMBER CORRADINI: Thank you, yes.
15	So, you don't have to answer now, but
16	that's what I - what popped up when I saw your curve.
17	MR. JACKSON: My name is Chris Jackson if
18	I can just jump in with my perspective. I'm acting in
19	another capacity, but I was the branch chief of
20	Reactor Systems before and I will be again. I'm a
21	once and future branch chief.
22	So, as you move to the right on this
23	chart, the point of this chart is to show that it's a
24	nonlinear as it degrades, you know, the initial
25	impact is small. But as you degrade it more, the
	I contraction of the second seco

(202) 234-4433

	68
1	impact is larger. So, each pool has its own inherent
2	margin.
3	There's margin required by the regulation.
4	So, as you move to the right, you could be challenging
5	the regulation first, and then the actual
6	subcriticality.
7	So, at some point it creates a problem.
8	We're not within the requirement.
9	MEMBER CORRADINI: But - okay. So, last
10	question.
11	MR. JACKSON: We don't expect or we're not
12	suggesting that we would have it if somebody is
13	crediting, you know, 0.22 grams per square centimeter
14	that will go down to zero.
15	What we wanted to do is this a no, never
16	mind from a safety standpoint, or at some point does
17	this become a safety issue?
18	This tells us that at some point it does
19	become a safety -
20	CHAIRMAN STETKAR: But on the other hand on
21	this plot, the right-hand margin is zero. So, the
22	question is at zero, where are you in terms of
23	criticality margin?
24	MEMBER CORRADINI: Yeah, so my follow-on
25	question was for bounding, would it just be vanished?
1	I Contraction of the second

(202) 234-4433

	69
1	Am I still having a problem?
2	CHAIRMAN STETKAR: Right. Well, the right-
3	hand end of this plot is zero.
4	MR. JACKSON: Because it's a delta K, it's
5	zero.
6	MEMBER CORRADINI: No, but I'm asking -
7	(Speaking over each other.)
8	CHAIRMAN STETKAR: The boron areal density
9	is zero on the bottom on the right-hand side.
10	MEMBER CORRADINI: So, my question would go
11	something like this: If I'm far to the right and my
12	delta K infinity is 0.3, I'm sure somebody has done a
13	calculation for various pools that if it just
14	magically disappeared tomorrow, I'm still subcritical.
15	I may not meet the regulation -
16	MR. YODER: It depends on the specific pool
17	geometry and the spacing of the fuel, okay. So, some
18	pools may have no credit for any neutron-absorbing
19	material, no B-10 areal density, and they're still
20	maintaining subcriticality because of the amount of
21	spacing and the pattern of their fuel in their
22	specific pool.
23	MEMBER CORRADINI: Okay. So, on a case by
24	case basis, this could be a problem?
25	MR. YODER: Or they could have soluble
1	

(202) 234-4433

	70
1	boron in the pool, would be another means to control
2	the criticality.
3	CHAIRMAN STETKAR: But there could be pools
4	without soluble boron, if I understand what you're
5	saying, where -
6	MR. YODER: Sure. On the other end of that
7	coin you could have pools that don't have their fuel
8	spaced out adequately enough. And then you would
9	challenge your criticality margins as you move to the
10	right on this diagram.
11	CHAIRMAN STETKAR: Okay.
12	MR. BALLINGER: The units on the right
13	axis, that's absolute 0.1, 0.5, 0.2, 0.25, not
14	percent?
15	THE INTERPRETER: I'm sorry. Could you
16	repeat the numbers, sir?
17	MR. BALLINGER: The units on the K
18	infinity, delta K infinity axis, are those absolute
19	units?
20	MEMBER BLEY: The delta K infinity. Ron is
21	asking if it's a percent, or if it's actually 0.2,
22	0.3.
23	MR. KREPEL: It's absolute number.
24	MR. BALLINGER: That's an absolute number.
25	MR. KREPEL: Actual numbers.
1	

(202) 234-4433

	71
1	(Comments off record.)
2	MEMBER SCHULTZ: So, the general margin
3	would be 0.05. In other words, 0.95 is what you need
4	to maintain.
5	MR. KREPEL: Right.
6	MEMBER CORRADINI: Is that the -
7	MEMBER SCHULTZ: At least. At least.
8	MR. JACKSON: For a boron pool, you would
9	need to maintain K effect at less than 0.95 at a 95 95
10	confidence level -
11	MEMBER SCHULTZ: That's right.
12	MR. JACKSON: when crediting boron.
13	And it would have to be less than one, K effect of
14	less than one at a 95 95 confidence without crediting
15	boron even if the pool has boron.
16	MEMBER SCHULTZ: So, if the degradation is
17	a factor of two, you're approaching where you
18	shouldn't be, the 0.05.
19	MEMBER CORRADINI: Okay, thank you.
20	MR. JACKSON: And remember these
21	calculations were done for a specific geometry.
22	MEMBER SCHULTZ: Exactly. Particular
23	spacing.
24	MR. JACKSON: Typical fuel for -
25	MEMBER CORRADINI: That helps. Thank you

(202) 234-4433
	72
1	very much.
2	MR. KREPEL: Okay, thank you.
3	So, the point of this really is to
4	demonstrate how that the reactivity behavior is not
5	really representing all plants. It might be a
6	specific plant. It might be - others can be worse,
7	and some will be better, okay.
8	The point is that initially at the start,
9	the initial degradation was a compliance issue. But
10	as the degradation increases, then it starts to have
11	more and more safety issues especially related to -
12	you see the curve is going up faster on the right.
13	Other concerns are with the design basis
14	effect, for example, an earthquake or a loss of spent
15	fuel pool cooling. So, we want to make sure that the
16	materials will be able to function after this event
17	happens.
18	The NRC staff believe that the key to
19	understanding this is knowing the conditions of the
20	neutron-absorbing material.
21	Before this presentation, we had discussed
22	how important it was to measure the neutron-absorbing
23	materials and the B-10 areal density that was in a
24	normal model as a minimum effect.
25	We realize that it was because of the
1	

(202) 234-4433

73
criticality is a local phenomenon as we have a chart
here to show that emphasizes the point.
This happens in Shika, Japan, their
boiling water reactor plant. What happened is that
they were adjusting the hydraulic full drive and three
of the rods lifted out.
So, we see the two rods didn't actually
withdrawal out more than half. None of the rods were
more than half. One rod was less than 20 percent
withdrawn, but the plant still became critical and
there was a power surge, power spike.
Now, I want to build on this point and
emphasize that in the spent fuel pool, we need to know
the local condition of the neutron-absorbing material.
We don't believe that we can depend on an average
areal density or what conditions are typical in the
storage cell.
So, in summary, from the criticality
viewpoint, it's important to manage the degradation
for neutron-absorbing materials and it's a safety
concern in that if it's unchecked, subcriticality
margins have the potential to lead to inadvertent
criticality events.
So, now, this is the end of discussion of
criticality analysis. We'd like to turn it over now

(202) 234-4433

	74
1	to Matt to discuss some specific examples of the
2	neutron-absorbing material.
3	MEMBER BROWN: All right. But before you
4	do that, you shifted from the spent fuel pool in the
5	discussion and then talked about the Shika reactor
6	pulling rods.
7	That's not a spent fuel pool. That's a
8	core, right?
9	MR. KREPEL: Yes.
10	MEMBER BROWN: Is there a connection
11	between talking about the core and the spent fuel
12	pool? Sorry to be ignorant, I just -
13	MR. YODER: The intent was to show that you
14	can have a localized degradation in a spent fuel pool
15	and it would have a similar effect to pulling just a
16	small number of rods in a -
17	MEMBER BROWN: Okay. So, you were just
18	trying to make an analogous -
19	MR. YODER: That's correct.
20	MEMBER BROWN: condition in a core as
21	opposed to what you - okay, I got it.
22	MR. YODER: It doesn't need to be pool-wide
23	degradation.
24	MEMBER BROWN: Yes, I got it.
25	MR. YODER: It could just be a localized

	75
1	effect.
2	MEMBER BROWN: Gotcha. Thank you.
3	MR. YODER: Okay. So, now that we've
4	talked about criticality a little bit, we'll talk
5	about the specific materials that are in the pools and
6	I'll try to quickly highlight some of the degradation
7	mechanisms that we've seen.
8	On the screen now starting in the upper
9	left, this is the Boraflex material. This is the bad
10	actor that's out there.
11	And what you see in this picture is - the
12	light gray area is what's called a "scallop" where the
13	materials actually washed out all the boron carbides
14	contained in the black area. And that gray area there
15	is there's no material left anymore. And we'll
16	talk specifics about each of the materials in future
17	slides.
18	MEMBER CORRADINI: So, just to make sure,
19	so, the stuff washes out, stays in the pool and just
20	settles as a precipitate?
21	MR. YODER: The boron carbide settles out
22	in the bottom of the pool and the silica - and we'll
23	talk about this in -
24	MEMBER CORRADINI: Okay. Okay.
25	MR. YODER: a few slides - dissolves
	1

(202) 234-4433

	76
1	into the pool.
2	MEMBER CORRADINI: Okay.
3	MR. YODER: The next picture is
4	Carborundum. We've also seen significant degradation
5	of this material.
6	Bottom left, this is Boral material. This
7	is the most prevalent in spent fuel pools in the US
8	today. You can see on this picture there's some
9	blistering, and we'll talk more about that.
10	The last picture is a mixed metal
11	composite where the boron carbide is actually an
12	integral part with the aluminum matrix.
13	MEMBER BLEY: Didn't see any degradation
14	there.
15	MR. YODER: That's the newest material.
16	We've not seen degradation other than surface
17	corrosion or -
18	MEMBER BLEY: That's the longest service
19	time that -
20	MR. YODER: I'm sorry?
21	MEMBER BLEY: You said it's the newest
22	material.
23	MR. YODER: This is the newest material.
24	The shortest service time in the pool. I believe
25	about a decade now.
	1

```
(202) 234-4433
```

	77
1	MEMBER BLEY: Okay, it's ten years. We've
2	seen it about ten years.
3	MEMBER BROWN: Is the MMC material clad, or
4	is it just -
5	MR. YODER: No, it's just the aluminum with
6	the boron carbide right on whether mixed with it -
7	MEMBER BROWN: Mixed in it, okay.
8	MEMBER CORRADINI: So, in terms of service
9	lifes, approximately can you kind of give an idea to
10	kind of follow up Dennis' question? I mean, which is
11	the longest? Which is the -
12	MR. YODER: Carborundum and Boraflex have
13	been in the pools the longest, I'd say.
14	MEMBER BLEY: But when do we first start
15	seeing blisters?
16	MEMBER BALLINGER: That's in the boron.
17	MR. YODER: Boron material exhibits
18	blisters.
19	MEMBER BLEY: Is it ten years of service?
20	20? 40?
21	MR. YODER: We'll discuss - I've got a
22	slide on boron.
23	MEMBER BLEY: Okay.
24	MEMBER REMPE: So, Matt, I read the
25	RACKLIFE code report and it claimed Boral had been in
	•

```
(202) 234-4433
```

	78
1	the pool before Boraflex and Carborundum.
2	Do you know for sure on that?
3	MR. YODER: No, I don't. I don't know for
4	sure. I mean, we know - I don't as personally talking
5	to you today.
б	MEMBER REMPE: Yes.
7	MR. YODER: All of the Boraflex,
8	Carborundum and Boral have been in the pool a long
9	time.
10	MEMBER REMPE: Okay.
11	MR. YODER: Okay?
12	MEMBER REMPE: Yes.
13	MR. YODER: Whether one was in five years
14	before the other, I mean, would the peanut gallery
15	like to chime in?
16	MEMBER REMPE: I think Boraflex and
17	Carborundum came in because they were trying to save
18	because of the metal.
19	MR. CUMMINGS: I can try to address that.
20	Boraflex was used - I'll let the NRC -
21	MS. WONG: Okay. This is Emma Wong. I'm
22	from staff.
23	Yes, Boral actually was inserted in the
24	pools first. And then came along Boraflex and
25	Carborundum that marketed themselves as cheaper and
	1

```
(202) 234-4433
```

79 1 better solutions. Limited testing, of course. Then they installed those. Some still install Boral. 2 Once the degradation came online, then 3 they started putting Boral back in more prevalently. 4 5 And then now, we're to the MMCs. MR. JACKSON: And the other thing that's 6 7 worth noting is that each of these, there's different manufacturing processes. 8 9 It's all similar-type material, but how you make it and, you know, depending on what company 10 11 makes it, there are differences in how it's 12 fabricated. 13 And then once it gets to the pool, you know, the conditions that it sees in the pool are 14 15 different as well and that would impact. The temperature, the flow, the radiation also impact the 16 degradation. 17 18 MR. YODER: There is another point worth 19 making while we're talking about the age of the 20 materials. And that is that as Emma said, there's 21 very old Boral, then there's newer Boral and we see different affects with the different materials, the 22 manufacturing process and the materials that went into 23 We'll talk a little bit more about that. 24 it. 25 Okay. So, phenolic resins. This is your

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	80
1	Carborundum material. You've got the B4C encased in
2	a phenolic resin.
3	Obviously, when you irradiate that, the
4	backbone breaks down and you start to release the
5	boron carbide material into the pool.
6	There's not a good predictive tool to
7	determine how rapidly this stuff is degrading. When
8	we talk about Boraflex, we'll explain a little
9	further, but there is a predictive pool for that.
10	So, this is a similar material, but the
11	boron carbide is encased in a silicone matrix. So,
12	when this backbone breaks down, you get silicone
13	particles that are dissolving into the pool.
14	And by monitoring the chemistry of the
15	water in the pool, you can predict the rate of
16	degradation of this material to determine how much B4C
17	you've got left in your panels. And we'll talk more
18	about that predictive tool, it's called RACKLIFE, on
19	a future slide.
20	MEMBER CORRADINI: So, this is not an
21	irradiation issue. This is just a sitting in a
22	solution issue.
23	MR. YODER: It is irradiation. It's a
24	combination of irradiation, as well as exposure to the
25	pool environment -
	I

(202) 234-4433

	81
1	MEMBER CORRADINI: Okay.
2	MR. YODER: and flow across the
3	material.
4	MEMBER CORRADINI: Okay. All right. Thank
5	you.
6	MR. YODER: So, this is Boral. Boral is
7	clad with aluminum. The middle is an aluminum and
8	boron carbide powder cermet.
9	In the older material, the Boral panel
10	goes into a sheathing, stainless sheathing, and that
11	sheathing was sealed on all sides. And they found
12	that this thing would off gas when it was first put in
13	and it was putting these large bulges in the stainless
14	sheathing and that would bind fuel assemblies in
15	place. So, they started to vent that sheathing
16	material to alleviate that problem.
17	On newer Boral or on Boral panels that
18	have gone in and been drilled subsequent to
19	installation, you don't see the large bulging of the
20	sheathing, but you still have blistering of the
21	cladding material in the Boral itself.
22	As I alluded to, there's different
23	vintages of this material. It's been in the pool for
24	different periods of time, seen different service
25	lifes, different pool chemistry, and you see a large
1	

(202) 234-4433

82
variance in the presence of blisters, the severity of
blisters, the size of the blisters and the location of
the blisters whether they're in the center of a panel
or coupon or on the perimeter, on the edge of a panel
or coupon.
And that's one of the reasons that the
staff feels that plant-specific surveillance of this
material should be in place just because there is such
a variance in pool environments and in the material
itself.
So, the last two bullets on this slide,
there has been some testing, in situ testing of Boral
material that showed a relative decrease in its
ability to attenuate neutrons, okay.
The belief is that that is not due to the
Boron carbide material leaving. Rather, it's due to
formation of one of these blisters that is displacing
moderator and, therefore, impact your criticality
analysis, or what has been more likely and more
postulated by the industry is that it's a result of
inaccuracies or uncertainties in the surveillance
equipment itself.
So, those blisters that we talked about,
the staff feels that those are potentially

contributing to impacting criticality analysis, but at

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

this point we don't believe that the actual Boron
carbide material is leaving the panel itself.
So, for plants that don't have coupons in
place to go in and perform surveillance where you can
yank a coupon and send it to a lab and get a detailed
test report on the neutron attenuation capability of
that material, you've got to perform an in situ test.
And the tool that's commonly used by
industry is the BADGER tool. It's the Boron Areal
Density Gauge for Evaluating Racks. And this was
developed for evaluating Boraflex material in
conjunction with the RACKLIFE predictive code that I
discussed earlier.
And the idea is that by measuring your
silica levels, you can determine how degraded your
panels are in certain regions and you can focus your
inspections, your in situ inspections on those areas.
For the other materials like the
Carborundum, we said is not a good predictive tool.
So, you're taking a random sampling of 30 to 60
locations out of three or 4,000 panels in the pool.
Now, I'll talk more specifically about
some of the uncertainties with the tool itself. The
intent here was just to show you that statistically
taking a small sample of a large population when you

(202) 234-4433

(202) 234-4433

	84
1	go in and perform these in situ tests.
2	MEMBER BALLINGER: Can you clarify for the
3	rest of the Committee that - you said you've got a
4	view of uncertainties.
5	MR. YODER: I will talk about some of the
6	uncertainties associated with the BADGER pool itself.
7	MEMBER BALLINGER: The uncertainties are
8	extremely large when you combine both the BADGER and
9	the RACKLIFE system. Very large.
10	MEMBER BLEY: Well, when you go in and look
11	at these things, do you tend to find kind of uniform
12	degradation, or is it one spot here is really degraded
13	and the rest of it looks pretty good?
14	MR. YODER: For the Boraflex material, it
15	tends to be the panels that have seen the highest
16	gamma dose.
17	MEMBER BLEY: Okay. So, that helps you
18	focus whether you -
19	MR. YODER: Right. And also within a panel
20	like we showed the scalloping, there will be localized
21	effects and there will be actual gaps formed in the
22	panel where the material will shrink and you'll
23	actually have no neutrons or material.
24	One of the concerns is that if you were to
25	have that scenario where you have large gaps on a
	I

(202) 234-4433

	85
1	number of adjacent panels, then you could have a
2	localized criticality effect.
3	MEMBER SCHULTZ: Matt, could you describe
4	in a little more detail what BADGER is doing? I
5	didn't see it particularly in your slides and -
б	MR. YODER: Sure.
7	MEMBER SCHULTZ: all of the Committee
8	was not here at the subcommittee.
9	MR. YODER: Understood. So, what is
10	physically going on is you are sending a source on one
11	side of a panel in a spent fuel pool rack, and a
12	detector on the other side of the panel, and you are
13	measuring how much of that - how many of those
14	neutrons are being attenuated by the neutron-absorber
15	and the moderator in between your source and your
16	detector. You're running a scan up the full length of
17	the panel.
18	MEMBER CORRADINI: So, they have to move
19	the fuel assembly, do the measurement, put the fuel
20	assembly back.
21	MR. YODER: That's right. And that's one
22	of the reasons why you're only testing 30 to 60 panels
23	in a campaign, because it's labor intensive to move
24	all of the fuel out of the area to perform tests.
25	MEMBER SCHULTZ: And the reason it would
	1

(202) 234-4433

	86
1	not work for other neutron absorbers?
2	MR. YODER: It does. It was developed for
3	Boraflex.
4	MEMBER SCHULTZ: Oh, I'm sorry. It says no
5	predictive method exists.
6	MR. YODER: That's right. So, you're
7	essentially, you know, you still try to focus your
8	inspections on the highest dose areas or the highest
9	temperature areas that normally coincide, but there's
10	no break of software like the RACKLIFE to point you
11	where to go.
12	It is used, the BADGER tool is used for
13	other neutron-absorbing materials. It's used for the
14	Carborundum and used for the Boral material for
15	licensees who don't have coupons in place.
16	But the ideal scenario is a licensee put
17	in enough coupons and put them in areas that are
18	representative of what the actual panels are seeing
19	and that you can pull those out without having to go
20	in and move fuel around and test in situ, but many
21	licensees don't have a sufficient number of coupons
22	left in their pool to do that.
23	The newer materials, the X metal
24	composites, all have substantial number of coupons in
25	the pool such that they can pull coupons for the next
	I

(202) 234-4433

	87
1	80 to a hundred years and not have to go in and do an
2	in situ test.
3	I will pass it back over to Mr. Krepel for
4	a few slides.
5	MR. KREPEL: Before we go on, are there any
6	questions related to the materials for Matt?
7	MEMBER CORRADINI: So, just to summarize by
8	what you said and one of the staff back here, Boral is
9	probably the most prevalent at this point because of
10	the other two being used and now not as - not behaving
11	as promised so that you've got Boral in a majority of
12	the current cases?
13	MR. YODER: Boral is the most - the more
14	prevalent material in the pool today. And I think
15	when Mr. Cummings from NEI presents, he has a couple
16	pie charts that show -
17	MEMBER CORRADINI: Okay.
18	MR. YODER: the relative amounts of
19	each of the materials.
20	MEMBER CORRADINI: And is it the staff's
21	view that this BADGER - I like the name - that this
22	BADGER method is good, but just too time-intensive to
23	be used on an ongoing basis? Is that what -
24	MR. YODER: We might as well get into this
25	at this point rather than wait until later. We had

(202) 234-4433

	88
1	our Office of Research provide some support on this
2	area and they provided several technical letter
3	reports and I believe we provided this to the
4	Subcommittee.
5	I don't know what level the full committee
6	received those documents, but one of the areas that we
7	looked at was this specific BADGER tool and trying to
8	determine some of the uncertainties associated with
9	it.
10	One of the big problems is that you have
11	
12	MEMBER CORRADINI: If you're going to get
13	into it later, we can -
14	MR. YODER: No, we might as well hit it
15	now, because we've really chopped these slides down to
16	try to shorten the presentation.
17	CHAIRMAN STETKAR: We had quite a bit of
18	discussion on these issues during the Subcommittee.
19	So, we're fine for time.
20	MR. YODER: If you have the head that goes,
21	the source or the detector head misaligned when you're
22	running them down the panel, you're going to get an
23	off result.
24	If you perform your calibration, let's say
25	you're going in to test Boral material and you perform

(202) 234-4433

89 1 your calibration on a reference panel that is of a 2 higher areal density than your actual material in the pool or a lower areal density in your current pool, 3 you're introducing uncertainty. 4 5 There's a large number of uncertainties associated with this tool. Probably too many to get 6 into in detail at this meeting today, but that is one 7 of the - the licensees who utilize this surveillance 8 9 methodology, we have a large number of questions in the appendix of the generic letter specifically trying 10 11 to address those uncertainties. So, we can go through them if you'd like, 12 or that's the reference to look at in -13 14 MEMBER CORRADINI: No, that's fine. Т 15 haven't done my homework. So, I should go back to my homework. 16 So, let me ask a final - so, is there at 17 least an estimate of what that uncertainty is under 18 19 normal operational procedures? 20 You know, are we talking plus or minus 10 percent? Plus or minus 15 percent? Plus or minus a 21 hundred percent? What are we talking about? 22 MEMBER BALLINGER: It's not a hundred. 23 24 MEMBER REMPE: Matt, we pushed you at the 25 Subcommittee meeting on this question. You mentioned

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	90
1	30 percent.
2	MR. YODER: I mean, we're hesitant to put
3	a number on it because the work that our Office of
4	Research did was really without having, you know,
5	physical test data to really look at.
6	But when staff from NRR went on a campaign
7	to observe, we were seeing around 30 percent -
8	MEMBER CORRADINI: Okay, fine.
9	MR. YODER: difference from the nominal
10	_
11	MEMBER CORRADINI: So, that's anecdotal.
12	MR. YODER: That is one specific pool, and
13	one specific test campaign, yes.
14	MEMBER CORRADINI: Okay.
15	MR. YODER: That is not inconsistent with
16	the relative numbers that were in that generic BADGER
17	technical letter report.
18	MEMBER CORRADINI: Okay, thank you.
19	MEMBER BALLINGER: But the key difference
20	is not when you use this for Boral. It's when you use
21	it for Boraflex and Carborundum, what the uncertainty
22	means for the kind of degradation that you see in the
23	- or can see in the older stuff, the stuff that does
24	degrade.
25	MEMBER RICCARDELLA: But I recall from the
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

Subcommittee meeting there's a BADGER 2 or Super 1 2 BADGER that they're coming out with now. MR. YODER: They are attempting to make 3 modifications to the original BADGER tool and what has 4 5 been termed the Super BADGER tool is - has actually been used on several campaigns now to attempt to 6 7 reduce those uncertainties, yes. 8 MEMBER SCHULTZ: So, Matt, there's two 9 pieces here that you mentioned. One of course is the 10 BADGER measurement, and the other is RACKLIFE uses to 11 inform to identify the area of the pool that might be the best to evaluate or the worst, if you will, to 12 examine, but then RACKLIFE is given the number of 13 14 panels that you can explore, there's quite an 15 extrapolation to the rest of the pool and what do we know about the capability of RACKLIFE to do that. 16 You mentioned that the input has to do 17 with some measurements associated with what is found 18 19 related to the silica in the pool. 20 MR. YODER: Right. MEMBER RICCARDELLA: That doesn't sound 21 like a very distinct input parameter that would tell 22 23 you what's happening in the rest of the pool, 24 necessarily. 25 MR. YODER: Correct. We also had a

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

91

technical letter report created by our Office of 2 Research on the RACKLIFE pool. And the bottom line for the purposes of this full committee meeting are 3 that that tool was never designed to get to these 4 levels of 40, 50, 60 percent degradation. It becomes much less accurate when you've degraded your material to that point.

8 It was meant to be a course tool when 9 plants were starting to see 10, 15, 20 percent degradation to make sure you didn't have a large step 10 11 increase between outages or you saw all of a sudden a lot of silica. 12

Now that we've hit this point, as I said, 13 there's a whole technical letter report describing the 14 15 uncertainties associated with this, but, yes, the bottom line is if you have Boraflex in your pool, 16 17 you're in a bad place and you need to be working 18 towards a physical remedy, not relying on these tools 19 that were developed 15 or 20 years ago to manage this 20 material.

MEMBER RICCARDELLA: If you're counting on 21 I thought most of the plants with 22 the Boraflex. Boraflex weren't counting it in their criticality -23 24 MR. YODER: So, we still have, I believe, 25 around ten plants that credit Boraflex, okay. So, as

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

5

6

7

93 1 you'll hear a little bit later from NEI, many of those 2 licensees have moved towards making the critical modifications to their pool or to just doing away with 3 credit. 4 5 And in order to do that, you've got to have enough space in your pool to space the assemblies 6 7 out and create empty channels. 8 MEMBER CORRADINI: Or soluble Boron, or is 9 that not an option? MR. YODER: Some plants have credit for 10 11 soluble Boron and they're out of space. 12 MEMBER CORRADINI: Okay. MR. JACKSON: You got to remember that 13 14 there is a twofold requirement. One is that you be 15 sure that you're subcritical without crediting the Boron, the soluble boron. So, the 50.68 -16 MEMBER CORRADINI: And with soluble boron 17 18 - or with any sort of mitigation you're below 0.95. MR. JACKSON: The soluble boron below 0.95, 19 20 that's correct. 21 MEMBER CORRADINI: Soluble boron, or 22 soluble boron or boraflex or something? MR. JACKSON: No, soluble boron. 23 24 MEMBER CORRADINI: Oh, okay. And the 25 Boraflex and all this stuff just as margin? That's

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	94
1	why I'm trying to figure out why you even use it if -
2	if I've shown on below 0.95 with the soluble boron,
3	I'm showing without the soluble boron that below one,
4	why would I expend the money to put any of this in?
5	MEMBER BALLINGER: A BWR can't use soluble
6	boron.
7	MR. JACKSON: The BWR don't have soluble
8	boron in the pool.
9	MEMBER CORRADINI: Oh.
10	MR. JACKSON: And then the second one is
11	BWRs require the neutron-absorbing material to stay
12	below the one for the un-borated case.
13	MR. CUMMINGS: My short answer is that the
14	neutron absorber is credited in the analysis.
15	MEMBER CORRADINI: Okay. Thank you.
16	MR. JACKSON: So, you can see this becomes
17	a challenge when a license amendment request comes in
18	that credits the BADGER uncertainties and we have to
19	then include those uncertainties in the K effective
20	calculation which requires a confidence interval.
21	MR. YODER: Are we ready to move on?
22	MR. KREPEL: Okay. Now, we'd like to
23	discuss some of the operating experiences that the NRC
24	staff have observed and actually the staff trying to
25	take action to address these issues that are

(202) 234-4433

	95
1	identified.
2	For example, in the generic letter there
3	are also other references. There's INS, information
4	notices, that give explanation and detail.
5	Information notices that give specific transient
6	events especially with plants that has been - that if
7	it had been issued information notices in order to
8	make notice to all the licensees that the plants they
9	maybe need to kind of look into applying the systems
10	to the facilities.
11	In the Subcommittee meeting, Dr. Rempe had
12	requested - I'm sorry. The interpreter mispronounced
13	your name.
14	MEMBER REMPE: No, he's alright.
15	(Laughter.)
16	(Comments off record.)
17	MR. KREPEL: Okay. You had requested
18	information about some other operating events and how
19	that the prevalent that the issues were in the
20	industry.
21	The NRC staff have identified some issues
22	related to that and some other regulatory procedures
23	have been identified the licensing amendment requests
24	that have been gone through, some additional licensee
25	commitments and also some enforcement activities and

(202) 234-4433

	96
1	processes that may be prevalent to use under 10 CFR
2	50.59. Non-cited violations.
3	Also, in some situations, some issues were
4	identified by the licensee or by inspectors that were
5	placed into the corrective action program for
6	resolution at a later time.
7	One of the key points to be made is that
8	Dr. Rempe challenged the NRC staff to identify how
9	much margin that was available before and after these
10	limits were in place.
11	All that we have identified or we tend to
12	be identified issues have been resolved before the NRC
13	staff really had enough information to make that
14	determination for the reactivity margin. So, we
15	really can't answer that question, per se.
16	MEMBER REMPE: I appreciated the
17	information you did provide. It helped me understand
18	how many events had occurred.
19	MR. KREPEL: Excellent. Okay. So, I'm
20	happy to help.
21	Okay, Matt. Did you want to proceed?
22	Before the NRC took action to include with
23	this issuing the generic letter 96-04, sets this
24	expectation that the requesting evaluation of the
25	Boraflex degradation. So, it would be monitored to
	1

(202) 234-4433

	97
1	see whether or not the degradation was approaching the
2	point where it became an issue.
3	Unfortunately, some of our recent
4	operating experiences suggest that some monitoring
5	activity program results in the generic letter haven't
6	been as effective in making sure the goals are met.
7	And Matt's discussed the Research Office
8	and the technical evaluations. And some of the
9	neutron-absorbing material in the program - observing
10	that in the programs and have identified some
11	uncertainties that may not be addressed by the
12	licensee.
13	With that information, the NRC has
14	developed through research and evaluation, we've also
15	included - incorporated that today is in guidance to
16	show - to help the updated - to help update the GALL
17	report for the aging management and covering specific
18	monitoring programs appropriate to monitor Boraflex
19	and the unbound Boraflex material.
20	So, the staff has taken lead in the
21	criticality analyses and included statements to
22	include how the degradation or the uncertainties of
23	possible degradation will affect the criticality
24	analysis. So, that would be appropriate for the
25	application.

(202) 234-4433

	98
1	CHAIRMAN STETKAR: Scott, you mentioned the
2	update to the guidance in the GALL report. I'm
3	assuming that's GALL Rev 2 includes this?
4	MR. KREPEL: Yes.
5	CHAIRMAN STETKAR: The GALL is for plants
6	that have had their - already had their licenses
7	renewed or plants that are in the renewal process now
8	who are committed to the aging management programs in
9	GALL Rev 2.
10	Does staff consider that an appropriate
11	aging management program that nothing else would be
12	needed?
13	MR. KREPEL: In general, yes.
14	CHAIRMAN STETKAR: Okay. How does the
15	staff determination - because a large number of the
16	units that have had their licenses renewed committed
17	only to GALL Rev 1.
18	Are there substantial differences in the
19	aging management guidance in GALL Rev 2 in this area
20	that the plants that have only committed to GALL Rev
21	1 do not meet?
22	If you understand the question, because
23	what I'm trying to get a handle on is I think we now
24	have something like 75 - I think it's 73 units that
25	have been approved for a license renewal.
	1

(202) 234-4433

	99
1	I think the majority of those, and I don't
2	have the count, have committed to GALL Rev 1. Some of
3	them have committed to GALL Rev 2. I'm trying to get
4	a handle where we are in a current snapshot.
5	Maybe the industry has these statistics,
6	but I'm trying to get a current idea of where we are
7	in terms of plants that have already had their
8	licenses renewed that would essentially meet the
9	staff's guidance.
10	MEMBER RICCARDELLA: What's the
11	significance of Rev 1 versus Rev 2 on this?
12	CHAIRMAN STETKAR: Well, that's what I'm
13	asking Scott. I'm not familiar with the change. I'm
14	familiar with the changes between Rev 1 and Rev 2 in
15	some other areas like cables and buried piping. I'm
16	not familiar with the changes in the area of
17	monitoring spent fuel pools. That's basically what
18	I'm asking.
19	MR. YODER: I'll address the specific
20	changes between Rev 1 and Rev 2. Okay. Rev 1 there
21	was an aging management program for Boraflex.
22	CHAIRMAN STETKAR: Only Boraflex.
23	MR. YODER: Correct.
24	CHAIRMAN STETKAR: Okay.
25	MR. YODER: In Rev 2, we added in an aging

(202) 234-4433

	100
1	management program for neutron-absorbing materials
2	other than Boraflex.
3	CHAIRMAN STETKAR: Okay. So, plants that,
4	if I understand it then, plants that have Boraflex and
5	have had their licenses extended and committed to GALL
6	Rev 1 are okay in terms of their monitoring program?
7	MR. YODER: They have a program in place
8	that relies on these tools that we've described that
9	has significant uncertainty. And that's one of the
10	aspects that we'd like to -
11	CHAIRMAN STETKAR: Okay.
12	MR. YODER: obtain with the generic
13	letter is have you accounted for that uncertainty in
14	your specific pool.
15	So, yes, they've got programs in place for
16	GALL Rev 1 aging management program.
17	CHAIRMAN STETKAR: And for their renewed
18	license.
19	MR. YODER: Correct. At the time that they
20	renewed their license, a lot of these, you know, it
21	was a given that, you know, these tools that were in
22	place, the predictive tools and the in situ
23	measurement tools were accurate and they were telling
24	you exactly where you needed to be.
25	Since then, we're not so sure. So, those
	I contraction of the second

(202) 234-4433

	101
1	are areas that will need to be revisited with those,
2	that subset of plants.
3	CHAIRMAN STETKAR: Okay, that helps. I had
4	either forgotten or didn't know that GALL Rev 1 only
5	addressed Boraflex specifically.
6	MEMBER BALLINGER: So, the gap, if there
7	is one, is between Boraflex and Boral.
8	CHAIRMAN STETKAR: Well, Boraflex and
9	Boral and now the staff is saying additionally even
10	with Boraflex they are not - if I'm understanding what
11	you're saying, Matt, that the staff now has raised
12	additional concerns about whether the tools that the
13	licensees now, the extended licensees are crediting
14	are adequate; is that -
15	MR. YODER: Because of uncertainty.
16	MEMBER BALLINGER: In spite of the fact
17	that they comply with Rev 1.
18	CHAIRMAN STETKAR: In spite of the fact
19	that they have a license, well, an approved license
20	extension based on an aging management program that
21	complies with Rev 1 using the tools that they -
22	MR. YODER: That's correct. The other
23	subset of plants that comes into play here is the
24	Carborundum plants.
25	CHAIRMAN STETKAR: Yeah, but anything non-
	1

(202) 234-4433

	102
1	Boraflex obviously is the -
2	MR. YODER: Right. So, there you -
3	CHAIRMAN STETKAR: gap between 1 and 2.
4	MR. YODER: There you've got a concern
5	because you have a material that we've seen active
6	degradation in. And anyone who renewed their license
7	by Rev 2 may not have a program in place.
8	CHAIRMAN STETKAR: I understand that.
9	Thanks.
10	MR. CUMMINGS: I'm sorry, but I don't
11	think that's an accurate assessment.
12	CHAIRMAN STETKAR: Okay.
13	MR. CUMMINGS: I have to jump in. If they
14	had monitoring programs before they went through
15	license renewal, they would have continued to maintain
16	them. So, sorry.
17	CHAIRMAN STETKAR: I'm just trying to get
18	a sense of a regulatory footprint in the sense of -
19	MR. CUMMINGS: I understand.
20	CHAIRMAN STETKAR: where we are, you
21	know, in terms of inventory of plants.
22	MR. CUMMINGS: Right.
23	CHAIRMAN STETKAR: You can certainly
24	address that when you come up.
25	MR. CUMMINGS: I will.
	I

(202) 234-4433

MEMBER REMPE: I have a question about the plants that have been licensed under 10 CFR 52. Your generic letter exempts those plants because you have enough information, is what I'm reading here, right? The draft that I have of your generic letter says that they do not have to respond to this because you have enough information from them.

8 MR. KREPEL: If I could answer that 9 question, I can tell you that in the past few years 10 the NRC staff have been asking a lot of those kind of 11 questions we've been asking in the generic letter and we've also included that in our generic letter that if 12 13 the plant has been approved with the license appendix that has all its information that we've been asking 14 15 for in the generic letter, if that's okay for them to reference that in the license amendment request. 16

And all that information that they would need would be in there already. That's already included in the generic letter. That's one option to respond with.

CHAIRMAN STETKAR: But Joy's asking about
new licensees, COLAs under either design
certifications or COLAs under 52.

24 MEMBER REMPE: Yeah, it says that Vogtle, 25 basically, and Summer are exempted. But the reason

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

	104
1	I'm asking this question is; one, to confirm that.
2	And then; two, I mean, I assume they're using one of
3	the newer materials because they're a new plant, but
4	you aren't so sure about these new materials.
5	And so, why is it you have decided to
6	exempt them? Have they committed to so many coupons
7	or what is it that they do that makes you feel that
8	they don't have to do anything?
9	MR. JACKSON: Well, the term - that's a
10	good question and we went and talked to Office of New
11	Reactors to see if we should include them in the
12	generic letter request and so forth.
13	So, there's a couple things that apply.
14	First, when we licensed the, you know, under Part 52
15	the design certifications, just the design and the
16	programmatic requirements come into the COL, these
17	issues were in play.
18	Matter of fact, the, you know, we talked
19	about the generic letter and the generic letter 96-04
20	had already been issued. So, when we talked to them,
21	they felt that they were already covered, that those
22	issues were addressed in the license and just didn't
23	need to be - we didn't need to revisit.
24	So, I mean, the first thing is the
25	degradation obviously hasn't occurred, but then
	1

(202) 234-4433

	105
1	secondly is that that was informed or they were aware
2	of these issues and addressed them up front.
3	MEMBER REMPE: How did they address them?
4	MR. JACKSON: That, I don't know. I
5	didn't bring that New Reactor person here.
6	MEMBER REMPE: Okay, thank you. I'm
7	sorry.
8	MS. WONG: This is Emma Wong from staff
9	again. Actually, they haven't submitted what their
10	spent fuel pool plan will look like, what the racks
11	are going to look like. They're starting to submit
12	those now.
13	And they also - the staff of NRO when they
14	approve like the COLs, they put in a condition saying
15	that you must submit what you're going to do for the
16	future.
17	So, if we were to ask them, they would say
18	we have nothing.
19	MEMBER REMPE: So, it's sort of like an
20	ITAAC that they'll have to deal with.
21	MS. WONG: Yes, they have to do it. They
22	have to submit something to the staff and then it will
23	get approved by the staff.
24	MEMBER REMPE: Okay.
25	MS. WONG: So, there's already a plan in
l	I

(202) 234-4433

106 place for those new reactors and there's no reason to 1 2 ask them for something that they haven't planned for 3 yet. 4 MEMBER REMPE: Okay, thanks for 5 clarifying. 6 MR. CUMMINGS: Can Ι provide а 7 clarification on that? They do have a design for the 8 AP-1000 plants. When I was at Holtec, I did the 9 criticality analysis for it. They have a monitoring 10 program. 11 I then went to Westinghouse and there was some review by NRO for that. There was some back and 12 13 forth. So, there is a design of the racks that, 14 15 to my knowledge, that's what's expected to be put into the pools. So, I guess I disagree that there is 16 17 nothing on the Part 52 side. 18 The racks have been designed and analyzed 19 and there is a monitoring program, to my knowledge. 20 MEMBER BALLINGER: I need to butt in here. 21 For time purposes, we have discriminated against the industry by giving the staff an hour and them 15 22 23 minutes, and we need to be sure that we have adequate 24 time. So, I'd like to finish up as quickly as we can 25 here so that we've got enough time.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	107
1	MR. JACKSON: We'll have to collect an
2	action item and get back to you, but when you say
3	"exempted," they're not exempted from the
4	requirements. They're exempted from the information
5	collection.
6	So, in our discussions with new reactors,
7	we felt that we weren't going to get anything. So,
8	you know, it's been several years since I was in New
9	Reactors. But at the time, there was -
10	MEMBER REMPE: I understand the situation,
11	okay.
12	MR. KREPEL: So, are there any more
13	slides? We can move on this with more slides, Matt.
14	So, we've collected all of the technical
15	information and also the Research Office has developed
16	a database in order to really find out what we know
17	about each licensee and how they're meeting the
18	requirements of what the neutron-absorbing materials
19	are doing.
20	The references, the documentation, the
21	licensing documentation that we have available and it
22	asks the question about how - Dr. Rempe asked the
23	question about how - what kind of - what list of pool
24	meets subcriticality requirements and they're listed
25	here with the Carborundum and Tetrabor that's in four

(202) 234-4433
	108
1	spent fuel pools. Boraflex is between 10 to 14 spent
2	fuel pools. Boral is in 53. And other materials
3	which also include borated stainless steel, Bolcan,
4	Metamic, some newer ones, there are about about 13 to
5	16 spent fuel pools.
6	Now, the reason why we have that average,
7	this is the information here, we have several
8	licensees that just recently have license amendments
9	approved that have removed the Boraflex credits. And
10	some have replaced that with wrong inserts. Made them
11	- made of Metamic.
12	And so, those license approvals - those
13	license events have been approved by have been
14	implemented in full so that as soon as possible they
15	can continue the credits for the Boraflex or be
16	already set up and implemented as a license amendment
17	without having to go through that in which case
18	there's no longer credit for the Boraflex be given.
19	It would be credited for something else instead. So,
20	there's a reason for that average and why those
21	numbers are a range there.
22	Okay. So, that's really all that I have
23	for today, but all this information for the operating
24	experiences and the NRC staff activities, we have been
25	learning and finding that we have some gaps, major
l	I contract of the second se

(202) 234-4433

	109
1	gaps in our knowledge that has - it makes it difficult
2	for us to really give answers to specific questions
3	that you may have.
4	So, that's the reason why the staff has
5	decided to issue this generic letter in order to
6	gather information that we actually need.
7	To describe the generic letter more in
8	detail, we will turn to Matt now.
9	MR. YODER: All right. I should be able
10	to wrap up the staff's presentation fairly quickly
11	here.
12	The purpose of the generic letter is to
13	request information that demonstrates that licensees
14	are within their licensing and design basis for the
15	neutron-absorbing material.
16	Based on the responses to that generic
17	letter, we will determine if additional regulatory
18	action is necessary.
19	I would like to talk quickly about the
20	specific information that we request in the generic
21	letter. And for the Subcommittee, we provided
22	multiple slides on each of these topical areas.
23	So, if anyone would like to dub into any,
24	I'd be glad to do that, but I'll just for the purpose
25	of getting us back on time, I'll go through this
	1

(202) 234-4433

	110
quic	ckly.
	First major area is the material
prop	perties and configurations. What is the actual
mate	erial type? What is the age of the material? What
is t	the as-built areal density? What is the current
area	al density? Those type of things.
	Second area is your surveillance program
meth	nodology. What are you doing? Do you have coupons
in p	place? Are you performing the in situ test with
the	BADGER tool? Are you just performing visual
surv	veillance? What kind of sample size are you taking
when	n you do perform surveillance? What are your
acce	eptance criteria? How are you trending the data?
That	type of information.
	Third area is the surveillance program
freq	quency. How often are you going in and performing
surv	veillance of the material?
	It should be acknowledged that this can be
perf	formance-based based on your specific material.
For	the new materials, the materials that we haven't
seen	n degradation, we've got a larger interval between
surv	veillances. The materials that are actively
degr	rading, we specify that there should be a shorter

surveillance interval.

How is your material condition being

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	111
1	accounted for in your criticality analysis? Are you
2	feeding that degradation back into your criticality
3	analysis? How are you trending that? How are you
4	accounting for it?
5	And in the final area that we requested
6	is, have you considered design basis events? Have you
7	considered a seismic event on your pool?
8	So, if you have this riddled material that
9	has been irradiated and now scalloped and cracking
10	apart, what confidence do you have it's going to
11	survive a seismic event?
12	One slide quickly addressing the staff's
13	response to some of the public comments we received.
14	And we just touched on two big areas here.
15	The first is that licensees had margin
16	built into their analysis. And that margin was used
17	to account for various uncertainties.
18	What we don't want is licensees coming in
19	now that we've identified new uncertainties and using
20	that same margin to address those uncertainties.
21	In other words, we don't want to have a
22	double counting of margin to address the new
23	uncertainties that we discovered.
24	MEMBER CORRADINI: Can I make sure I
25	understand?
	1 A State of the second s

(202) 234-4433

	112
1	MR. YODER: Yes.
2	MEMBER CORRADINI: So, another way of
3	saying that is in your mind, uncertainties have grown.
4	And so, margin must - might have increase? That's
5	another way of saying it. Am I misunderstanding you?
6	MR. JACKSON: This is Chris Jackson again.
7	Emma is going to correct me if I'm wrong or Scott, but
8	when the license was issued when the analyses were
9	done, they analyzed certain things and they
10	disregarded things as being - there were conservatives
11	built in into the analysis and they were used to
12	offset other things, other unknowns, you know.
13	So, like if you credit burn-up or
14	depletion or the, you know, there are uncertainties in
15	there and they are considered.
16	So, when we identify new mechanisms ten
17	years later, going in and picking some of those non-
18	conservatisms or conservatisms and say I'm going to
19	offset these new non-conservatisms with them, that's
20	dangerous because we don't want to double count.
21	So, I guess what he's saying is double
22	counting conservatisms isn't appropriate. It's not
23	something that we should do.
24	Additionally, some of the margin - quite
25	a bit of the margin that we have in the pool is

(202) 234-4433

	113
1	required by regulation, you know.
2	We have a regulatory construct. There's
3	- this is a pool without a containment, without
4	control rods, without monitoring. There's no defense-
5	in-depth or last defense-in-depth in this industry.
6	So, you know, many of the requirements are required by
7	regulations.
8	MEMBER CORRADINI: So, can I say it back
9	another way just to make sure I'm clear? So, your
10	point would be that - so, let me push it in a
11	provocative way.
12	So, if the licensee has a better way to
13	analyze things that they took conservative
14	calculations for in the past although they might be
15	able to show it, you may not consider it?
16	In other words, if I'm computing
17	something, the effective burn-up, and somehow my
18	uncertainty was ten percent then, but I can show it by
19	calculation as five percent now, I can't take that and
20	apply it somewhere else, is what you're telling me.
21	MR. JACKSON: No, no. What I'm saying is
22	we'll always consider it. We'll give them any
23	conservatism, any credit that they have, you know,
24	we'll entertain anything if they can justify it.
25	MEMBER CORRADINI: Okay.

(202) 234-4433

	114
1	MR. JACKSON: Okay. But numerous public
2	comments came in - or several public comments came in
3	saying, don't issue the generic letter, because
4	there's inherent margin in here and there's no issues
5	-
6	MEMBER CORRADINI: And your point is
7	unless you can show it -
8	MR. JACKSON: Yes.
9	MEMBER CORRADINI: by calculation,
10	technical - and technically justify it, you just can't
11	_
12	MR. JACKSON: By calculation or any -
13	MEMBER CORRADINI: Okay. Okay.
14	MR. JACKSON: But we have a requirement
15	that requires substantial margin and -
16	MEMBER CORRADINI: Okay, thank you.
17	MEMBER SCHULTZ: And it ought to have been
18	reviewed and approved in a submittal if -
19	MEMBER CORRADINI: Sure.
20	MEMBER SCHULTZ: the margin has been
21	changed because of new calculational techniques, for
22	example, that would have been an issue that required
23	a license amendment request and approval by the staff.
24	MEMBER CORRADINI: Okay, thank you.
25	MR. JACKSON: So, if somebody comes in

(202) 234-4433

	115
1	with a license amendment request and says, I don't
2	know the power distribution or the power shape on all
3	these assemblies, I'm going to use a conservative one,
4	okay, that is a conscious decision there.
5	Now, crediting that conservatism in
6	another area is very difficult or very dangerous,
7	because I don't know how much it is. So, if it is an
8	unknown, bounded by a conservatism and there's several
9	of these areas that, you know, I changed T-HOD or you
10	got a power uprate somewhere in the middle, you know,
11	somewhere during plant life. I'm going to use the
12	hotter T-HOD calculating burnoff.
13	That's not a conservatism in the sense
14	that many of the assemblies in that pool will have
15	been burned at the limit rather than many of them were
16	not.
17	So, conservative decisions were made in
18	the criticality analysis. And, you know, when you've
19	got 4,000 spaces in the pool, you're going to make
20	assumptions, but -
21	MEMBER CORRADINI: I'm with you now. I'm
22	with you. Thank you very much.
23	MR. YODER: The other point I'd like to
24	make here, there was a margin of our comments that
25	stated, you know, we haven't seen degradation of our
	1

(202) 234-4433

116 1 material. Why do we have to go in and perform a 2 surveillance? And the staff's point on that is, you 3 hadn't seen degradation of Carborundum 4 know, we 5 material until somebody actually went in and looked and found that it was 60 percent degraded from its 6 original condition. 7 8 We don't want to end up in that situation 9 with any of the other materials. We haven't seen what we believe to be significant degradation with the 10 11 boron material or the Metamic or the other mixed metal composite materials, but we feel that a surveillance 12 program should be in place on a pretty specific basis 13 degradation occur, it 14 so that should will be 15 identified and mitigated. So, to sum up the staff's presentation, we 16 17 feel this is a compliance and a safety issue we feel 18 that needs to be managed appropriately. Recent events have raised concerns that 19 20 the monitoring programs may not be adequate and that's, you know, the situations where I described 21 people hadn't looked, and then all of a sudden you 22 look and you have problems, but I also described 23 24 situations where people were relying on the predictive 25 tools and thought they were okay. And then when they

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	117
1	went in and performed the in situ test, they realized
2	that because of the uncertainties associated with both
3	the predictive tool and the in situ measurement, they
4	weren't okay.
5	Final point here is that the staff feels
6	that this is all information that a licensee should
7	have readily available. We don't feel that we're
8	asking for any new analysis or new research by
9	licensees to answer this generic letter.
10	I'll take questions for the staff and then
11	we'll pass it over to NEI for their presentation.
12	MEMBER BALLINGER: Any questions from the
13	Committee?
14	(No response.)
15	MEMBER BALLINGER: Alright, the floor is
16	yours.
17	MR. CUMMINGS: Great. Thank you very
18	much. My name is Kristopher Cummings. I'm a senior
19	project manager for used fuel programs at NEI.
20	My background is I had ten years at
21	Holtec, a rack manufacturer. And then four years at
22	Westinghouse. So, I'm very familiar with all these
23	issues. This is basically one of the areas that I
24	focused on in my career.
25	Next slide. So, these are the topics that
	1

(202) 234-4433

	118
1	I'll cover. I won't go through these, because we'll
2	get to them and I'm short on time.
3	Next slide. I'm not going to reiterate.
4	I think Matt did a really good job of describing the
5	materials.
6	I did bring the samples again. So, I
7	think it's very illustrative to see the differences.
8	I'll pass them around again for those committee
9	members that weren't at the subcommittee.
10	The one that flops around and is obviously
11	a polymer is Boraflex. This is non-irradiated for
12	steam Boraflex. So, understand that. Please be
13	careful with it. I'd like it back in the state that
14	I've provide it.
15	MEMBER CORRADINI: I guess it gets a tad
16	more fragile as you -
17	MR. CUMMINGS: It does get more fragile.
18	It irradiates. It becomes brittle. It becomes a hard
19	material. And then as you actually look at it, it
20	almost becomes a powder.
21	So, the next one, the very small metallic
22	sample is Boral. Here you can see the aluminum
23	cladding on the sides if you look very closely at it.
24	And then the last one if Boralcan, but
25	it's representative of all the metal-matrix whether

(202) 234-4433

	119
1	it's Metamic, Boralcan or some of the other types.
2	And again, you can see no aluminum cladding. And
3	again, these are very nice, hard materials.
4	(Comments off record.)
5	SPEAKER: You say this does not have - it
6	seems to have something on the -
7	MR. CUMMINGS: No, it does not have an
8	aluminum cladding on it. It appears that way, but I
9	does not.
10	MEMBER CORRADINI: So, that's the
11	dispersion.
12	MR. CUMMINGS: Yes.
13	MEMBER CORRADINI: Don't look at it
14	directly.
15	MR. CUMMINGS: Right. So, the metal-
16	matrix are more of mixed powders put together.
17	They're put into a billet and then they're extruded
18	through a press. At least Metamic is. And then it's
19	rolled to the appropriate thicknesses and sizes.
20	MEMBER RICCARDELLA: So, he rolling
21	process produces the -
22	MR. CUMMINGS: Exactly. Exactly.
23	MR. YODER: And the shearing of the edges
24	of the coupon also creates a little bit of that
25	effect.
	1

(202) 234-4433

	120
1	MR. CUMMINGS: Exactly. All right. The
2	thing that I want to point out, of course, is that
3	there are significant differences in the types of
4	materials whether it's the nonmetallic versus the
5	metallic.
6	And we see that evidenced by both the
7	phenomenological effects that cause the degradation
8	and also the service life. We talked about that a
9	little bit earlier.
10	Next slide. So, here I've got a little
11	bit of information about the types of neutron
12	absorbers in use and the types of monitoring programs
13	that have been in place.
14	For Carborundum and Tetrabor and Boraflex,
15	it was their knowledge that they all had monitoring
16	programs at some point. With Boraflex if it was
17	coupons, then those coupons have disappeared. We've
18	seen that degradation of the coupons. However, a lot
19	of the plants have moved away from the credit.
20	And if you look at the graphs here, you
21	can see on the top graph I've got the installed
22	neutron absorber. So, you see Boraflex was a fairly
23	large percentage.
24	Now, you go down to the bottom one,
25	credited neutron absorber. A lot of the plants have

(202) 234-4433

	121
1	moved away. Not quite all of them, and several of
2	them have license amendment requests in to either
3	install inserts or do new analysis to take away the
4	credit, but that's continuing to go forward.
5	In terms of Boral, about 50 percent of the
6	plants have a coupon testing program. Those that do
7	not have coupon testing programs were actually because
8	of two letters that I'm aware of that the NRC wrote to
9	the industry.
10	The industry requested the NRC to take a
11	position on surveillance programs associated with
12	Boral. In both 1995 and 2003 the industry wrote back
13	to the industry saying that surveillance programs are
14	not required of Boral.
15	The specific wording was that it would be
16	superfluous. That was in 2003 and I can provide those
17	letters to the Committee if they'd like to see them.
18	MEMBER RICCARDELLA: Would you say the
19	extent of the problem are those two green slices in
20	the bottom chart?
21	MR. CUMMINGS: The extent of the issues
22	where we see degradation, loss of material that would
23	affect the criticality and have something more than
24	cosmetic, would be limited to Carborundum, Tetrabor
25	and Boraflex.
1	

(202) 234-4433

	122
1	MEMBER RICCARDELLA: And how many plans
2	are in those two slices?
3	MR. CUMMINGS: Carborundum would be four.
4	The NRC had that. Our own survey, we had seven with
5	Boraflex, but the ten to 14 is not out of the - that
6	seems like -
7	MEMBER CORRADINI: As a total number.
8	MEMBER RICCARDELLA: As a total.
9	MR. CUMMINGS: As a total.
10	MEMBER RICCARDELLA: But seven that are
11	taking - I'm looking at the difference between
12	credited versus non-credited.
13	MR. CUMMINGS: So, in that bottom graph,
14	Boraflex would be seven.
15	MEMBER RICCARDELLA: Seven.
16	MR. CUMMINGS: Right. Now, that was a
17	year ago and I know of at least one of those whose
18	gotten a license amendment request to no take credit
19	for it anymore through inserts.
20	MEMBER REMPE: So, I'm sorry. I was
21	distracted, but you're saying seven versus the staff
22	saying 10 to 14.
23	MR. CUMMINGS: Yeah, but I don't think the
24	10 to 14 is unreasonable because our survey was not
25	comprehensive.

(202) 234-4433

	123
1	MEMBER REMPE: Okay. So, this was with
2	the 70 percent and -
3	MR. CUMMINGS: Yes.
4	MEMBER REMPE: the other insert, right.
5	MR. CUMMINGS: Yes, that's correct.
6	MEMBER REMPE: Okay.
7	MEMBER BALLINGER: But the trend is down.
8	MR. CUMMINGS: It is down. But like we
9	discussed at the Subcommittee, it's not to zero.
10	There is one plant that just got approval with partial
11	credit for Boraflex.
12	Next slide. So, is this a safety issue?
13	That's - I've answered this question several times.
14	The way that I've set this up is differentiating
15	between the metallic and the non-metallic absorbers.
16	For the non-metallic absorbers, we feel
17	like that it has been largely addressed through new
18	analysis, adding an Nc2 monitoring program, but
19	obviously it's very important to have a robust
20	monitoring program if you have the non-metallic
21	absorbers in place.
22	For metallic absorbers, we know that the
23	aging effects are very slow. Decades. We have 30
24	years of experience of Boral, if not more.
25	The EPRI database is 25 years and we would
1	I contract of the second se

(202) 234-4433

	124
1	see advance indication through the various monitoring
2	programs or pool chemistry observations.
3	The aging effects that we've seen on the
4	metallic-based absorbers are relatively cosmetic
5	whether it's pitting, general corrosion or some of the
6	very small, localized loss of material that would have
7	a negligible effect on criticality.
8	And finally the Boral blistering which
9	could potentially displace moderator, that's really
10	only an issue for Region I flux-trap racks that have
11	a small water gap between the storage cells. For
12	Region II where it's one sheet, it doesn't have a
13	significant effect on reactivity.
14	But if you try to actually model it and
15	you go in and model accuracy based on what you've
16	seen, it has a relatively minor reactivity effect.
17	And all of those types of things when a
18	plant's gone in and pulled the coupon, looked at it,
19	seen blistering, they put that into their corrective
20	action program.
21	They may go in and do some sort of
22	analysis to show that it's not a compliance or a
23	safety issue, but that's all been done within the
24	corrective action and quality assurance program of the
25	plants.

(202) 234-4433

	125
1	And now, the bottom box is applicable to
2	all of the issues and all of the absorbers is that per
3	the NRC's own presentation, you would need a large
4	loss of material to overcome the administrative
5	margin. And here, I'm talking about the 0.95 to 1.0.
6	You would need a 50 to 60 percent loss of
7	material in all absorbers or a significant number of
8	absorbers in one area of the pool. And then there are
9	significant amounts of independent reactivity hold
10	down in the pools for PWRS.
11	We've talked about the soluble boron.
12	That's 20 percent in K for BWR pools. The analysis
13	itself has significant conservatism. They take a
14	maximum reactivity of each plane or of the worst plane
15	in the fuel assembly. That's about 10 percent in
16	reactivity. And then you do have the regulatory
17	administrative margin there.
18	MEMBER REMPE: Kris, on your slide there
19	it has aging effect. And it's under the metallic
20	absorbers. And it has localized loss of material.
21	Are you aware of there ever being any
22	localized loss of materials with something like Boral?
23	MR. CUMMINGS: Yes, in the terms of
24	pitting. So, you may have like some small pitting.
25	Now, you're talking about smaller than a - or about a
	I contraction of the second seco

(202) 234-4433

	126
1	millimeter in diameter, if that. So, very, very small
2	and localized.
3	And there's been some very localized
4	corrosion on the edges where maybe a small chunk of
5	the material might have fallen out.
6	And, again, we're talking about smaller
7	than a millimeter in diameter. So, very, very
8	localized.
9	Much more localized than what we're
10	talking about and what the NRC talked about in their
11	presentation. A small pit or something like that,
12	that's not going to have any impact on reactivity.
13	And I'll get to what the industry is trying to do to
14	address that. How much of that is acceptable.
15	Okay. Next slide. So, that feeds right
16	into that. So, we have a couple different programs
17	ongoing in the industry.
18	The first is an accelerated Boral
19	corrosion testing program. It's basically a five-year
20	program to look at how does Boral degrade? It's got
21	several different types of Boral in terms of the
22	manufacturing process. It's an accelerated corrosion
23	test.
24	To be clear, it came up at the
25	subcommittee meeting, it doesn't not have irradiation
1	

(202) 234-4433

	127
1	effects in it and it's not a flowing water type of
2	test. So, those are some limitations of the test.
3	We're just - EPRI is just getting started
4	on a project at Zion where they're going to pull the
5	coupons, some in-service material. They'll actually
б	cut the racks and pull some panels that are in the
7	sheathing, out of the racks. And then do some BADGER
8	testing to try to create a correlation between
9	coupons, in-service material and BADGER results and
10	look to see what is the comparison between those three
11	techniques.
12	MEMBER RICCARDELLA: BADGER or Super
13	BADGER?
14	MR. CUMMINGS: It will be Super BADGER.
15	I'm sorry. That's correct.
16	(Laughter.)
17	MEMBER RICCARDELLA: When you say
18	"accelerated," it's accelerated with the aggressive
19	environment?
20	MR. CUMMINGS: It's accelerated in terms of
21	temperature. So, it's 195 degrees Fahrenheit,
22	correct. So, it's trying to simulate advanced
23	corrosion through temperature.
24	MEMBER BALLINGER: My understanding is that
25	of the uncertainty sources for the BADGER-RACKLIFE
	1

(202) 234-4433

	128
1	combination, if you will, one of them is temperature.
2	MR. CUMMINGS: I believe there is a
3	component of temperature in that. Now, RACKLIFE isn't
4	applicable here because we're talking about Boral, but
5	correct.
6	MEMBER REMPE: Some of the emails after the
7	subcommittee meeting, we discussed through staff
8	members about the flow effects. And there were some
9	reports or something that you were going to, I mean,
10	I had the handbook already.
11	MR. CUMMINGS: Right.
12	MEMBER REMPE: But there were some backup
13	reports talking about the flow effects and how much
14	degradation was observed with it.
15	MR. CUMMINGS: I'm not sure that the flow
16	effects were included in those backup reports. I'm
17	having EPRI still work on getting those backup
18	reports.
19	Now, flow is important in, say, for
20	instance, Boral where you've now got the material come
21	to - I don't want to - it's not a powder, but the
22	silicon matrix that holds it together is -
23	SPEAKER: It's not Boral.
24	MR. CUMMINGS: Yes, Boraflex.
25	MEMBER REMPE: And how much effect it is on

(202) 234-4433

	129
1	Boral would be of interest to -
2	MR. CUMMINGS: I'm not sure that that
3	exists, but I can certainly take that to -
4	MEMBER REMPE: Because the test doesn't
5	consider flow.
6	MR. CUMMINGS: You're right. It doesn't.
7	The one thing that I can say about flow with Boral is
8	that some of the racks were designed with an
9	observation hole in the sheathing.
10	So, a little hole in the sheathing so that
11	you could say, hey, is my neutron absorber still
12	there? Quick and simple.
13	And so, when they've gone in and looked at
14	those or even an observation hole in the coupons, the
15	sheathing encapsulating the coupons, you can see some
16	evidence of flow going in through that observation
17	hole and you can see that kind of a rainbow effect on
18	the surface of the Boral.
19	So, there are some instance of that, but
20	my response back to the question from the Subcommittee
21	was because it's the actual materials encapsulated in
22	the sheathing, that's going - you're not going to get
23	a huge amount of significant flow through it. The
24	major flow is going to be up through the storage cells
25	and cells in the fuel assemblies.
	1

(202) 234-4433

	130
1	Now, you might have some localized
2	heating, gamma heating of the water and the sheathing.
3	I don't know that we've gone to that level of detail
4	to investigate it, but until you get - my opinion is
5	- or thought is that until you get to a level of
6	degradation where you might actually be having B4C
7	particles come out, flow is probably not going to be
8	a huge effect, but I don't know that I have any
9	technical data to back that up.
10	MR. YODER: I don't think I would dispute
11	the impact of low on Boral, but I would say that
12	Boraflex is in sheathing, too, and flow is absolutely
13	a dominant factor there.
14	MR. CUMMINGS: Right.
15	MR. YODER: So, the sheathing by itself
16	doesn't preclude flow on Boral material.
17	MR. CUMMINGS: Correct. Right.
18	All right. And then finally we have NEI
19	12-16, which is a guidance document for performing
20	criticality analysis.
21	We do have a section in there on
22	inappropriate monitoring program, which we're looking
23	for NRC endorsement on.
24	The industry shares information through
25	the EPRI NAUG, the Neutron Absorber Users Group. And
	I contraction of the second seco

(202) 234-4433

	131
1	like I was talking about, we're now exploring with
2	EPRI a possibility to do some sensitivity studies on
3	what is the reactivity effect of pitting, holes,
4	generalized corrosion, blistering?
5	And I'd like to do that not in terms of
6	what have we seen operationally and what will the
7	effect be, but how big of a pit, you know, would a
8	one-inch pit, you know, be enough or a one-inch hole
9	in the neutron absorber, you know, at a periodic basis
10	be enough to cause a reactivity effect to try and
11	quantify what is or isn't an issue in terms of
12	blistering, pitting, corrosion, things like that.
13	MEMBER SCHULTZ: This is the bulk of NEI
14	12-16. Is that focused on the methodology? The
15	criticality analysis methodology?
16	MR. CUMMINGS: It is. The bulk of it is
17	based on -
18	MEMBER SCHULTZ: What degree has that been
19	now adopted by industry?
20	MR. CUMMINGS: Well, it would not be
21	adopted by industry until NRC endorses it. And that's
22	the goal is to get NRC endorsement of that product.
23	Now, there have been some licensees who
24	have used the non-endorsed version -
25	MEMBER SCHULTZ: Going forward.
	1

(202) 234-4433

	132
1	MR. CUMMINGS: moving forward. But the
2	idea with the endorsement of the NEI guidance document
3	is that, in essence, we have a recipe to help reduce
4	the regulatory uncertainty associated with submitting
5	a criticality analysis and a methodology for doing
6	that criticality analysis.
7	MEMBER RICCARDELLA: That's independent of
8	the type of absorber material?
9	MR. CUMMINGS: That's independent of the
10	type of absorber material, correct.
11	MEMBER SCHULTZ: And has that been
12	submitted for review?
13	MR. CUMMINGS: Yes, it has. The Revision
14	1 was submitted in March of 2014.
15	MEMBER SCHULTZ: Okay.
16	MR. CUMMINGS: And that was after a series
17	of four day-long meetings with the NRC to go through
18	the technical aspects of what do you put into a
19	criticality analysis and what is the methodology. And
20	we started to get RAIs from the NRC on some of the
21	underlying EPRI reports.
22	MEMBER RICCARDELLA: Is there something on
23	the treatment of uncertainties?
24	MR. CUMMINGS: There is.
25	MEMBER RICCARDELLA: How do you treat
	1

(202) 234-4433

uncertainties? MR. CUMMINGS: There is in terms of the uncertainties treatment of in your criticality However, we don't have anything in there analysis. about the treatment of uncertainties in BADGER or RACKLIFE. Because in that guidance document, we chose

1

2

3

4

5

6

20

not to try to address the issue of how do you model 7 8 degraded Boraflex.

9 So, if somebody wanted to try to model 10 degraded Boraflex, they could use the guidance 11 document. But anything associated with how they 12 modeled degraded Boraflex would have to be under would have to have that specific aspect reviewed by 13 the NRC in conjunction with everything else that's in 14 15 that application.

CHAIRMAN STETKAR: But, Kris, just to make 16 17 sure I understand to follow up on what Pete asked, if 18 they're using BADGER to monitor the status of Boral or some of the other -19

MR. CUMMINGS: Right.

CHAIRMAN STETKAR: The guidance is silent 21 22 on uncertainties in the measurements; is that correct? 23 MR. CUMMINGS: Well, that's not correct. 24 CHAIRMAN STETKAR: Okay. 25 CUMMINGS: It's silent on - in the

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

MR.

(202) 234-4433

(202) 234-4433

133

	134
1	neutron-absorber monitoring and specifically in situ
2	testing, which is BADGER, we do have a proposal in
3	there on how to use the uncertainties.
4	So, if you're actually trying to credit a
5	degraded form of a neutron absorber, you know it's
6	actually degraded, then we said you need to
7	incorporate the uncertainties into your analysis. We
8	haven't said how you do that, but we've just
9	acknowledged that you need to incorporate that.
10	If you've got something like Boral or
11	Metamic, we've said it doesn't make much sense to try
12	to take a very large uncertainty test, apply those
13	uncertainties when we don't have any operational
14	experience that shows there's actually any degradation
15	of that material.
16	SPEAKER: We should try to push on here, I
17	think.
18	MR. CUMMINGS: Okay. Next slide. So, I'm
19	here pretty much on my conclusions. We provided an
20	alternative proposal to the NRC right before the
21	subcommittee meeting.
22	Basically, we'd like to work with the NRC
23	on coming up with an acceptable neutron monitoring
24	program.
25	We think the generic letter should be
	1

(202) 234-4433

135 focused on those materials that are most susceptible. 1 2 Specifically the Boraflex, Carborundum, Tetrabor materials. 3 And there's various licensees that we 4 5 think could be excluded or provide a very simple 6 response and that should be acknowledged explicitly in 7 the generic letter and those subsets of licensees are 8 included here. And then for the remainder of those plants 9 10 that don't fit those three, let them have the 11 flexibility to answer the five bullet points that Matt talked about without the detailed information in 12 13 Appendix A. slide. 14 Next So, in terms of my 15 conclusions, we feel like the industry has responded relatively proactive to the operating experience and 16 NRC notifications. 17 18 As you've seen from the licensees that are 19 submitting new analyses or inserts to remove credit of 20 Boraflex, Boral with 35 years of experience still continues to provide the same level of neutron 21 absorber capability as when it was installed. 22 The newer metal matrix materials are 23 24 They don't have the decades of inrelatively new. 25 service material to start to see the degradation yet.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	136
1	And we're going to continue to work on existing
2	monitoring programs and industry research which we'll
3	provide more information and inform both the industry
4	and the NRC going forward. And we propose a risk-
5	informed approach to the generic letter.
6	So, thank you very much. I'm more than
7	happy to entertain any other questions. I apologize
8	for going a little long.
9	MEMBER BALLINGER: Any comments from the
10	Committee - questions?
11	MEMBER RICCARDELLA: If you were to go with
12	a risk-informed approach, is there something like an
13	acceptable probability of a criticality event like we
14	have for reactor events? I mean, 10 to the minus
15	sixth, 10 to the minus fifth?
16	MR. CUMMINGS: No. The approach that we
17	take is that we will not have a criticality event.
18	MEMBER RICCARDELLA: Well -
19	MEMBER BALLINGER: So, that's zero risk.
20	MEMBER RICCARDELLA: Yeah, but no such
21	thing as zero risk, is there, John?
22	CHAIRMAN STETKAR: Zero is a really small
23	number.
24	MEMBER BALLINGER: Any questions from
25	people in the - out in the room?
1	

	137
1	(No response.)
2	MEMBER BALLINGER: Is the - the bridge is
3	open or can we get it open?
4	MEMBER SCHULTZ: While that's happening,
5	Kris, do you agree with the discussion that we had on
6	GALL 1 with the GALL 2 that GALL 2 boosted based on
7	the NRC's input, boosted the expectations associated
8	with the monitoring program and that those licensees
9	that committed to GALL 1 may need to focus on
10	something like GALL 2 for -
11	MR. CUMMINGS: I agree that there was a
12	difference in GALL 2. Obviously they added the Boral
13	- or the other neutron-absorber materials.
14	What I would need to do is go back and
15	look at the survey that we did. Because one of the
16	questions we did ask is, have you gone through license
17	renewal and what did you commit to?
18	And my recollection from that is that the
19	majority of the people whether they were GALL 1 or 2,
20	they didn't specify, but the majority of the
21	respondees who had gone through license renewal
22	indicated they had adopted especially for Boral doing
23	a BADGER test. So, one of the concerns we have going
24	forward is, well, how do you take this highly
25	uncertain test, apply it to Boral when you don't have
	1

(202) 234-4433

	138
1	any evidence of degradation of this material across
2	the industry.
3	So, that's going to be something I know
4	we're going to be going forward and discussing with
5	the NRC. That's something we're trying to address in
6	the NEI 12-16, but short answer is I don't think it's
7	that clear that just because they were GALL Rev 1 that
8	they didn't adopt an aging management program for
9	their neutron absorbers, but I'd have to look at the
10	details of the responses we got.
11	MEMBER SCHULTZ: Thank you.
12	MR. YODER: Well, it's agreed that you
13	can't just draw a line and say people before this time
14	did this or that. I think it's a mixed bag.
15	MEMBER SCHULTZ: Yeah, understood.
16	MEMBER BALLINGER: Okay. Any questions
17	from the public? If there are, please identify
18	yourself.
19	MR. SCHONBERGER: Yes.
20	MEMBER BALLINGER: Okay. Who is yes?
21	MR. SCHONBERGER: My name is David
22	Schonberger.
23	MEMBER BALLINGER: Okay.
24	MR. SCHONBERGER: D-A-V-I-D. S-C-H-O-N-B-
25	E-R-G-E-R. Member of the public. Some people suggest
1	I Contraction of the second

(202) 234-4433

	139
1	that Boraflex is a fiasco, and other people suggest
2	that the problem was detected and it is being
3	addressed. And, therefore, the regulation has worked
4	as intended to ensure safety. On the other hand, I
5	suggest that the ACRS is focused on the wrong risk
6	mitigation issue.
7	The proper question should be how to
8	expeditiously transfer spent fuel to open-frame, low-
9	density configurations in dry casks. Thank you.
10	MEMBER BALLINGER: Thank you for that
11	comment.
12	Any other comments from the public?
13	(No response.)
14	MEMBER BALLINGER: Thank you, and I guess
15	we'll turn the meeting back over to Chairman Stetkar.
16	CHAIRMAN STETKAR: Thank you very much.
17	Thanks to the staff for a good overview and
18	discussing. And NEI, you condensed the material quite
19	well for the full committee meeting.
20	We will recess. Because I was so generous
21	this morning, we will recess and reconvene at our
22	scheduled time of 1:45.
23	(Whereupon, the above-titled matter went
24	off the record at 12:21 p.m. for a recess and went
25	back on the record at 1:14 p.m.)
	I contract of the second se

(202) 234-4433

	140
1	AFTERNOON SESSION
2	1:14 p.m.
3	CHAIRMAN STETKAR: We are back in session.
4	And the next topic on our agenda is the Safety
5	Evaluation Report for Fermi Unit 3 Combined License
6	AppOlication. And the esteemed Dr. Michael Corradini
7	will lead us through this session masterfully.
8	MEMBER CORRADINI: Thank you, Member
9	Stetkar – Chair Stetkar.
10	Okay. Let me just give a short
11	introduction. We've been looking at over the course
12	of five subcommittee meetings, the Fermi application
13	for a production operating license. And we have now
14	essentially all the SER in with all open items closed.
15	We also have access to a number of - access to all
16	their documents.
17	What I have asked the licensee, the
18	applicant to do is to mainly focus on what they
19	presented to us in the last two meetings primarily,
20	which is site characteristics and applicability, and
21	the Fukushima near-term task force recommendations.
22	I won't see anymore. We have a limited
23	time and there's a lot to go over. So, let me turn to
24	Frank Akstulewicz, the staff. And, Frank, are you
25	going to introduce the whole event?

(202) 234-4433

	141
1	MR. AKSTULEWICZ: Thank you, Dr. Corradini.
2	I'm not going to introduce the whole
3	event, but I just want to make two comments. One is
4	I want to extend our appreciation to the Committee for
5	the quality work that was done in the review and
6	oversight of the staff's review as it relates to the
7	Fermi application. And we hope that at the end of the
8	day, the Committee will find that the staff review was
9	thorough and will support a recommendation to the
10	Commission in terms of our ability to recommend
11	issuing a license for the Fermi 3 plant.
12	With that, I'll defer back to you.
13	MEMBER CORRADINI: Okay. Thank you, Frank.
14	And so, Peter, will you be the one that
15	will lead discussion for the applicant?
16	MR. SMITH: Yes.
17	MEMBER CORRADINI: Okay. Why don't you go
18	ahead?
19	MR. SMITH: Okay. So, I'm Peter Smith,
20	Director of Nuclear Development from DTE Energy. And
21	I had the privilege of leading our combined license
22	application project since its inception in late 2006.
23	And with me at the table I have licensing
24	engineer from our organization, Nick Latzy, Steve
25	Thomas, who has been the engineering manager for the

(202) 234-4433

142 1 entire project from Black & Veatch, and David Hines, 2 an engineering manager from General Electric-Hitachi. I also have others here as well that we'll call upon 3 if needed. 4 5 So, we were asked basically to - next 6 slide, please - to give a short overview of our 7 implementation of the ESBWR design and our - talk 8 about our one departure. 9 Talk about site characteristics, principally flooding and seismic evaluations. 10 And 11 then later on in the agenda there's a separate item to talk about the Fukushima near-term task 12 force recommendation implementation. 13 Next slide, please. 14 So, Fermi 3 is a -15 implements the GE, General Electric-Hitachi ESBWR standard design at the Fermi site. And we incorporate 16 by reference design - the DCD Rev - Revision 10. 17 And overall our FSAR and the evaluations that have been 18 done by the staff have reached the conclusion that 19 20 ESBWR is well-suited for the Fermi site. We've supplemented the DCD where necessary 21 where the DCD requires additional information to 22 address site-specific considerations. 23

And as I had mentioned earlier, we have one departure from the DCD and that was related to a

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	143
1	reconfiguration of the internal arrangements of the
2	radwaste building to accommodate increased low-level
3	radwaste storage capability.
4	Next slide, please. So, I'll move on to
5	site characteristics. Flooding. So, this actually is
6	a depiction of the site. Fermi 3 will be co-located
7	on the existing Fermi 2 site.
8	The Fermi 3 structures are in red. Fermi
9	2 is kind of the gray structure to the north and its
10	cooling towers are to the north of Fermi 3.
11	The site is located on the western shore
12	of Lake Erie. It's about 20 miles north of Toledo,
13	Ohio. To the south it's about 25 miles to the city of
14	Detroit. Partly in between, about 10 miles across the
15	lake, line of sight to Canada.
16	To the north is Swan Creek, which is the
17	local river that drains about 106 square miles of the
18	area. And like I mentioned, we're on the western
19	basin of Lake Erie, which is very shallow.
20	And we have used all of the current
21	regulatory guidance to evaluate all of the flooding
22	potentials and reached the conclusion that the flood
23	levels are all below the requirements of plant Grade
24	for safety-related and regulatory treatment non-safety
25	system structures at the site.
	1

(202) 234-4433
1 Moving on to the other area where we had considerable site-specific effort was related 2 to seismic. So, in our application we have in the last 3 two years redefined our ground motion response spectra 4 5 using the central and eastern United States seismic source characterization, using the EPRI 2004/2006 6 7 ground motion models and we followed NUREG-2117 8 quidance to incorporate new information into the 9 seismic hazard model up through 2012.

And so, that information then we made the decision in 2012 that we would redo all of our sitespecific structure interaction analyses. And so, we executed those over the last year, 2013. And they've been reviewed by the staff during 2013 and the first part of this year.

And the conclusion is, is that our ground motion response spectra, the foundation input response spectra and resulting site-specific in-structure responses are well-enveloped by the ESBWR standard plant design at the Fermi site.

21 So, if we'll move on to the next slide 22 just for comparison, these are the Fermi 3 ground 23 motion response spectra based on central and eastern 24 United States seismic source characterization. That's 25 the blue lines on the two figures. One is horizontal,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	145
1	one is vertical.
2	And the certified seismic design response
3	spectra is in red above the site-specific GMRS, well-
4	enveloping the GMRS.
5	MEMBER RICCARDELLA: About a factor of two.
6	MR. SMITH: Similarly, we constructed the
7	Foundation Input Response Spectra for use in our site-
8	specific structure interaction analysis. And you can
9	see the - again the comparison.
10	The black line is the enhanced foundation
11	input response spectra that were enhanced in
12	accordance with the staff guidance. And it as well is
13	bounded by the Certified Seismic Design Response
14	Spectra.
15	And then finally through our SSI analysis
16	we propagated this is an example of in-structure
17	responses. In fact, these are the limiting in-
18	structure responses for the reactor building, fuel
19	building. And, again, there's considerable margin to
20	the corresponded DCD in-structure response spectra
21	which are in black. Ours are in red. So, we have
22	substantial margin on both the inputs and the outputs
23	of our seismic evaluations.
24	That's all I was planning to say about
25	this. Now, I think the agenda we were going to break

(202) 234-4433

	146
1	and then come back and later do the Fukushima.
2	MEMBER CORRADINI: Oh, you mean between you
3	and the staff.
4	MR. SMITH: Yeah.
5	MEMBER CORRADINI: I don't know how the
6	staff has this arranged. I think that's correct.
7	MR. SMITH: I think that's the way it was
8	on the -
9	MEMBER CORRADINI: Okay. So, Tekia, your
10	group is up next.
11	MS. GOVAN: Yes.
12	MEMBER CORRADINI: Okay. Questions before
13	we let Peter and the folks in front of us go? Any
14	questions by the members?
15	(No response.)
16	MEMBER CORRADINI: Okay. All right. So,
17	we'll have NRR come up - NRO. Excuse me.
18	(Pause.)
19	(Comments off record.)
20	MS. GOVAN: Good afternoon, everyone. My
21	name is Tekia Govan. I'm one of the project managers
22	for the review of the Fermi Unit 3 COL application.
23	And today the staff is here to present an overview of
24	their findings in the area of flood and seismic
25	evaluation that has resulted in an advance Safety
	1

```
(202) 234-4433
```

	147
1	Evaluation Report with no open items.
2	The detailed review of these two areas are
3	documented in chapters 2, 3 and 20 of the staff's
4	advance Safety Evaluation Report.
5	The technical team consists of branch
6	chiefs Aida Rivera, Diane Jackson, Rebecca Karas and
7	Jim Xu. And the technical reviewers are Henry Jones,
8	Joseph Giacinto, Sarah Tabatabai and Manas
9	Chakravorty.
10	And with that, we will begin the
11	presentation on Section 2.4, Hydrology, with Dr. Henry
12	Jones.
13	MR. JONES: I'm Dr. Henry Jones. I was the
14	lead hydrologist for this review. And so, hydrology,
15	we looked at the sections on flooding, of probable
16	maximum flood on streams, surge and seiche flooding,
17	tsunami, channel diversions and the ice flooding in
18	groundwater and accidental release of effluents into
19	the groundwater.
20	There was no ice flooding or were there
21	channel diversions. So, what you see before you are
22	the items that we specifically brought up that had
23	some values.
24	The first one is flood. We looked at the
25	historical flooding, the individual types of flooding
	1

(202) 234-4433

Í	148
1	and the combinations of flooding phenomena. And we
2	looked at runoff and also local intense precipitation.
3	And we verified that the runoff from the
4	local intense precipitation which was at a value of
5	584.8 feet NAVD88, would not exceed the plan grade
6	which was actually a 589.3.
7	Then we went on to look at the probable
8	maximum flood on streams and rivers and the staff
9	verified that the flooding from streams and rivers was
10	approximately 579.4 and would not exceed the plant
11	grade parameter of 589.3.
12	For surge and seiche flooding, the staff
13	calculated a water level of 585.4 which agreed with
14	the applicant. The maximum elevation that waves would
15	break would be at 587. And runoff was a maximum
16	elevation of 588.4. And these are below the elevation
17	of 589.3.
18	And then for seiche, we looked at the
19	natural period of the Lake Erie. Lake Erie has a
20	natural period that runs from 29 to 124 seconds. And
21	we also agreed with the applicant in that the period
22	which you can get most with the meteorological
23	phenomenon would be about 11 seconds. So, you would
24	not create any seiche from resonance. And there's no
25	seismic phenomena or anything that would actually
	I

(202) 234-4433

induce seiche either.

1

2 As for a tsunami there based on the of the 3 history area and the qeological 4 characteristics, there is no sloping of a slope or a There's no faults that would 5 landslide potential. cause any updrafts to cause a tsunami. And there's no 6 7 historical record of tsunami on the Great - Lake Erie 8 or the Great Lake. So, we concluded no tsunami has been recorded and there is no threat from that hazard. 9

For groundwater, there is not going to be any dewatering used for this site. And the DCD requires that the groundwater level be at least two feet below the site grade.

The historical high groundwater level is 12.7 feet below. And the PMF elevation that we determined was 584.4, which may allow for perhaps maybe 4.4 feet below site grade. So, that wasn't an issue.

accidental 19 releases of liquid For 20 effluents into the ground, we verified that the 21 radionuclide release simulations were adequately And we confirmed that none of the 22 conservative. levels that would be required to reach those levels 23 24 would reach any type of receptor nearby.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

Any questions?

25

	150
1	MEMBER CORRADINI: Questions form the staff
2	- our staff members. Excuse me. John?
3	CHAIRMAN STETKAR: We're all your staff.
4	(Laughter.)
5	CHAIRMAN STETKAR: I'll wait until the end.
6	MEMBER CORRADINI: You'll wait until the
7	end, okay. I knew you had a question.
8	CHAIRMAN STETKAR: I do. I actually have
9	two.
10	MEMBER CORRADINI: So, we'll keep on going.
11	MS. TABATABAI: Good afternoon. My name is
12	Sarah Tabatabai. I was the technical reviewer for
13	FSAR Section 2.5.2. And our review focused on COL
14	information item 2.0-27A which includes all of the
15	seismic information that is used to develop the site-
16	specific GMRS.
17	And our review also included the
18	applicant's response to RAI 01.05-1 which addressed
19	the Fukushima recommendation 2.1 seismic hazard
20	reevaluation.
21	So that the GMRS presented in FSAR Section
22	2.5.2 was originally based on an updated EPRI-SOG 1986
23	seismic source model and the EPRI 2004, 2006 ground
24	motion model.
25	In May of 2012, however, the NRC issued

(202) 234-4433

1 RAI 01.05-1 which addressed recommendation 2.1 of the 2 Fukushima near-term task force. And this RAI requested the applicant to evaluate the potential 3 impacts of the CEUS-SSC model on the seismic hazard at 4 5 the Fermi site and to modify the site-specific GMRS 6 and Foundation Input Response Spectra if it's 7 necessary.

8 The next slide. This slide just talks 9 about some background related to the 2.1 seismic 10 hazard reevaluation.

In response to this RAI, the applicant made major revisions to FSAR Section 2.5.2 which included an updated earthquake catalog, probabilistic seismic hazard analysis, site response analysis and GMRS reflecting the use of the CEUS-SSC model.

The staff's review of the applicant's RAI response is detailed in SER Section 2.5.2. And the next slide summarizes some of the highlights from the staff's evaluation of the RAI response, as well as FSAR Section 2.5.2.

21 So, as part of our evaluation, we developed a supplementary earthquake catalog which 22 confirmed that the applicant's updated earthquake 23 24 catalog adequately categorized the local and regional 25 seismicity through 2012.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	152
1	We performed confirmatory PSHA and the
2	results are almost identical to the applicant's PSHA
3	results for the distributed seismicity sources.
4	I just wanted to mention that at the time,
5	we only had a partial CEUS-SSC model built into our
6	in-house software.
7	So, in the next slide I'll just present
8	the results using the full PSHA model to confirm our
9	conclusion.
10	And we also performed some confirmatory
11	site response calculations which were very similar to
12	the applicant's results.
13	And as I mentioned before, we performed an
14	additional staff confirmation after the SER was
15	completed. And that involved developing a GMRS using
16	our confirmatory PSHA results using the complete CEUS-
17	SSC model, as well as the new EPRI 2013 ground motion
18	model which came out next year.
19	Next slide. So, the figure on the next
20	slide compares the staff's additional confirmation.
21	And those are shown in the green curves. The light
22	green curve is our GMRS using the EPRI 2004, 2006
23	ground motion model where the dark green curve, which
24	is lower, is the staff's GMRS using the 2013 EPRI
25	ground motion model, and the blue curve is the

(202) 234-4433

153 And as you can see, both sets of 1 applicant's GMRS. 2 curves are well below the ESBWR DCD CSDRS. So, at this point, I wanted to mention a 3 generic concern that came from the subcommittee 4 5 meeting that given the significant margin between the 6 CSDRS and the Fermi -- and the GMRS, it was not 7 considered to be an issue for the Fermi site, but the 8 generic concern relates to the seismic hazard curve 9 uncertainty behavior and how it should behave as a function of spectral acceleration and 10 spectral 11 frequency. So, in order to address this generic 12 13 concern, the staff has proposed to the ACRS to conduct a technical discussion on PSHA including all the math 14 15 behind it, as well as an example calculation. So, I believe that discussion will be able 16 17 to address both the concerns. 18 MEMBER CORRADINI: To show us the error in 19 our ways. 20 CHAIRMAN STETKAR: Yes, that will certainly 21 help, I hope, to the benefit of - and, thanks. I was afraid you weren't going to mention it at all and -22 23 MEMBER CORRADINI: He was ready for you. 24 CHAIRMAN STETKAR: I was ready and you knew 25 it was coming anyway. So, for the benefit of the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

members who weren't at the subcommittee meeting, and the reason this is characterized as somewhat of a generic concern, is that we have now seen the seismic hazard analyses for three separate sites for combined license applications using the NUREG-2015 methodology with the updated central and eastern US seismic hazard sources.

8 A11 three, including Fermi, of those applications exhibit similar characteristics of the 9 10 seismic hazard insofar as the uncertainty in the if 11 you want to call it recurrence interval or the frequence - exceedance frequency of the ground motion 12 does not increase appreciably as you go to very - from 13 small accelerations to very high ground motions. 14 And 15 that's contrary to what one normally expects.

One normally expects that as you have much 16 17 higher ground motion accelerations that occur at much 18 lower annual frequencies, but because of the sparsity 19 of the information available for really, really large 20 earthquakes and the uncertainty in the methods that are used to characterize both the seismic sources and 21 the transmission of the energy to a particular site, 22 one would typically expect the uncertainties to 23 24 increase quite substantially as you get higher 25 accelerations and much lower annual frequencies.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

155
We're not seeing that happen.
And furthermore, for example, in the
Fermi-particular case, and there's also evidence - I
went back and checked in the other ones and the same
thing.
Give you some examples that not only is it
not increasing as a function of acceleration and
annual frequency, the uncertainty, there's a dramatic
difference when we look at the uncertainties
characterized for low spectral frequencies.
So, for example, if I could say it, it
would be good, but I'll use the term "hertz," because
it does. At low hertz, for example, 0.5 hertz, we see
a change in - and now I'll put ratios of the 95th to
fifth percentile in the uncertainty distribution for
rather modest accelerations on the order of 0.0001g,
on one-hundredth of one percent of one g, there's very
low uncertainty. There's only about a factor of four
in that ratio. This is for low hertz again.
If I get up to one g, which is a really,
really big earthquake on the magnitude on the order
typically of about seven or eight, there's a factor of
775. So, that's a pretty broad uncertainty.
If I go out to now increasing hertz going
from 0.5 to one, to two and a half, to five, 10, 25

(202) 234-4433

	156
1	hertz, I see at that very high acceleration a decrease
2	in the uncertainty from 776 at a half a hertz, down to
3	about 17 at 25 hertz.
4	And the increase in uncertainty as I go
5	form - because it's not plotted at one one-hundredth
6	of one percent of one g, it's only one-tenth of one
7	percent, 0.001g at 25 hertz, the uncertainty is a
8	factor of six. It increases to 17 as I go from 0.001g
9	to lg. I don't understand why we see that behavior.
10	In the subcommittee meeting, it was
11	explained that at low hertz the seismic hazard is
12	dominated by New Madrid in the particular case of
13	Fermi, which is a very, very distant source about
14	which there's a lot of uncertainty and I understand
15	that. That's why we see the large uncertainties for
16	very high accelerations at 0.5 hertz.
17	For high hertz, 25 hertz, let's say, it
18	was explained that that hazard is dominated by much
19	smaller, moderate acceleration close-in earthquakes
20	within a couple hundred miles of the source. And I
21	can understand why that contributes to rather low
22	uncertainty at modest accelerations, because those are
23	modest accelerations and we have evidence.
24	It does not explain why the uncertainty is
25	small for very high accelerations. And if you look at

(202) 234-4433

	157
1	the de-aggregation -
2	SPEAKER: When combined.
3	CHAIRMAN STETKAR: When combined. Well,
4	when you look at the de-aggregation, you see that even
5	at high hertz New Madrid is contributing more
6	importantly to the high acceleration hazard.
7	And if New Madrid is very uncertain for
8	low hertz, I don't understand why we're so much more
9	certain about it for high hertz.
10	So, that's a long - for the benefit of
11	those who were not at the subcommittee meeting as
12	Sarah mentioned, I think it's - we do not either
13	understand how the uncertainty is being developed in
14	the actual calculations. And that's why we agreed to
15	meet with the staff to really gain a good
16	understanding of that.
17	This is now, as I said, this is the third
18	site and they're all behaving the same way. So, it's
19	not something that's Fermi site-specific the way
20	they're doing the calculation because these sites are
21	distributed - I don't want to mention the other ones,
22	but they're distributed in very different parts of the
23	country with very different locations relative to New
24	Madrid and so forth. So, it's not a Fermi site-
25	specific issue of this uncertainty.

(202) 234-4433

	158
1	In terms of our overall conclusion, indeed
2	we - I boosted up uncertainties at the high hertz
3	range. If you look at the plot here, the margins if
4	we look in the kind of 10, 20, up to 50 hertz or so,
5	is where the margins tend to get smallest in terms of
6	the envelope of the DCD ground motion response
7	spectrum compared to the site-specific.
8	VICE CHAIRMAN RAY: Does this have to do
9	with transmisivity?
10	CHAIRMAN STETKAR: I don't -
11	VICE CHAIRMAN RAY: The low frequencies
12	versus -
13	CHAIRMAN STETKAR: The answer is I think
14	so, but I still don't understand why - there almost
15	seems to be a transition point where the uncertainty
16	is dramatically reduced.
17	VICE CHAIRMAN RAY: And I listened to what
18	you said and that's the conclusion I -
19	CHAIRMAN STETKAR: I suspect it's in the
20	ground motion response models that are being used at
21	high frequencies, but that's only a suspicion because
22	I don't know how they do the math.
23	Let me finish the point here before - I
24	boosted up the uncertainties at high hertz and still
25	couldn't get the Fermi mean to exceed the red curve on
	I

(202) 234-4433

	159
1	this side.
2	VICE CHAIRMAN RAY: So, the red curve still
3	bounds the site.
4	CHAIRMAN STETKAR: Yes. The margin is
5	reduced. But as long as I apply sort of reasonable
6	uncertainties that you typically see, I couldn't get
7	it.
8	So, in terms of Fermi conclusions, I at
9	least am comfortable that the site remains bounded by
10	the DCD design parameters.
11	Sorry, I didn't want to interrupt. I knew
12	you wanted to say something, but I needed to get that
13	out.
14	VICE CHAIRMAN RAY: I wanted to slow you
15	down. I think we can go ahead.
16	CHAIRMAN STETKAR: Oh, okay.
17	VICE CHAIRMAN RAY: I interrupted you
18	anyway.
19	MEMBER RICCARDELLA: So, do I understand
20	we're going to have -
21	CHAIRMAN STETKAR: I'm sure it's
22	untrackable what I said. And I do have pictures, but
23	_
24	MEMBER CORRADINI: I want to move us along.
25	To summarize, I think as Sarah said it is accurate, is

(202) 234-4433

1 that we had enough questions that we still weren't 2 clear about the explanation, but it appears in all three, not only just Fermi. 3 Therefore, we want to talk with the staff so we understand the process so 4 5 we're clear that perhaps we're misunderstanding the calculational procedure. 6 7 But because of the site and because that 8 the site response even with increasing uncertainties 9 just by judgment still is bounded by the ESBWR generic curve, we're fine with this, with this particular 10 11 application. We just want to get clear this generic 12 issue of why we're misunderstanding it. 13 14 CHAIRMAN STETKAR: The message here is if 15 that margin was a lot smaller, in other words -16 MEMBER CORRADINI: Right. CHAIRMAN STETKAR: -- if one of those 17 18 green-colored curves were - or the blue-colored curves 19 was much higher, there might be a concern. 20 MEMBER CORRADINI: Okay. MEMBER RICCARDELLA: So, to understand, 21 22 we're going to have a subcommittee meeting on this 23 topic? 24 MEMBER CORRADINI: We're going to have 25 something.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	161
1	CHAIRMAN STETKAR: We haven't scheduled it
2	yet, but we will.
3	MEMBER CORRADINI: And you're invited.
4	MEMBER RICCARDELLA: Thank you.
5	MEMBER CORRADINI: No problem.
6	(Laughter.)
7	MEMBER CORRADINI: So, we're back with the
8	staff.
9	MS. TABATABAI: Yes. So, this last slide
10	just presents our conclusions. We concluded that the
11	applicant has provided sufficient information to
12	satisfy the relevant NRC regulations and reg guides.
13	And the applicant has adequately addressed COL item
14	2.0-27A related to vibratory ground motion. And the
15	applicant has also adequately addressed the
16	recommendation 2.1 RAI.
17	MEMBER CORRADINI: Other questions for
18	Sarah?
19	(No response.)
20	MEMBER CORRADINI: Okay.
21	MR. CHAKRAVORTY: Okay. Good afternoon.
22	VICE CHAIRMAN RAY: Good afternoon.
23	MR. CHAKRAVORTY: My name is Manas
24	Chakravorty and I am a senior engineer in the
25	Structure Engineering Branch.
	I

(202) 234-4433

	162
1	I reviewed FSAR Section 3.7 and 3.8 of the
2	Fermi 3 application. I provide an overview of this
3	review.
4	Section 3.7 of the FSAR establishes the
5	site-specific seismic input and the corresponding
б	seismic demand for safety-related structures.
7	And Section 3.8 really establishes the
8	capacity of the Category 1 structures to meet the
9	seismic demand, as well as in combination with other
10	rules.
11	So, let me go to the overview. Fermi 3
12	FSAR incorporates the ESBWR DCD Section 3.7 and 3.8 by
13	reference, site-specific FIRS are bounded by the CSDRS
14	as we discussed a little before, Fermi performed a
15	site-specific SSI analysis to address the DCD backfill
16	requirements because at the site, Fermi site, it was
17	not met, and also partial rock embedment effect
18	because that situation was not covered in the DCD.
19	So, they needed to do a seismic analysis using the
20	site-specific input.
21	And what we found is that site-specific
22	seismic demands of the reactor building, fuel
23	building, control building, as well as firewater
24	service complex, they're all bounded by the standard
25	plant design.
	I

(202) 234-4433

	163
1	They have also done a sensitivity study
2	with and without the backfill. And both cases were
3	enveloped by this DCD demand.
4	Next. So, the major conclusions are
5	finally we concluded that the applicant incorporated
6	the DCD with proper supplementary information. And we
7	reviewed and determined that this information is
8	adequate. And we concluded that the applicant has
9	provided sufficient information to meet the relevant
10	ESBWR DCD requirements and the applicable regulations.
11	And the standard plant design is adequate at the Fermi
12	3 site.
13	Any other questions?
14	CHAIRMAN STETKAR: Yes.
15	MEMBER CORRADINI: Mr. Stetkar. Chairman
16	Stetkar.
17	CHAIRMAN STETKAR: Dr. Corradini, thank
18	you.
19	I have only because this comes up in the
20	staff's SER under Section 3.8. It's kind of an add-
21	on. And in the SER, there is a discussion of the
22	evaluation of hurricane-generated missiles for damage
23	to Category 1 structures, and for damage to structures
24	that house so-called regulatory treatment of non-
25	safety systems or RTNSS equipment.

(202) 234-4433

ĺ	164
1	And there essentially was a requirement
2	from the DCD that each - that Fermi perform a site-
3	specific evaluation of hurricane-generated missiles to
4	see whether or not the hurricane-generated missiles
5	are bounded by the DCD hurricane-generated missiles.
6	And if anybody knows where the Fermi site
7	it, it was not surprising that hurricane-generated
8	missiles are bounded by the DCD hurricane-generated
9	missiles because the peak hurricane winds evaluated
10	very, very conservatively at the Fermi site are
11	bounded by the DCD envelope.
12	There's a curiosity, though, that there's
13	a footnote in Table 2.0-1 of the DCD that says
14	tornado-generated missiles need not be evaluated for
15	other than seismic Category 1 structures, in other
16	words, either Category - seismic Category 2 or so-
17	called non-seismic category structures.
18	So, the DCD does not evaluate tornado-
19	generated missiles for damage to those non-Category 1
20	structures. Neither does the COL applicant, because
21	they're not required to. Not surprisingly, tornadoes
22	are kind of interesting at the Fermi site.
23	Some of the structures that house RTNSS
24	equipment are evaluated for tornado wind loads. In
25	other words, just wind pressure on the building. Some
1	I contract of the second se

(202) 234-4433

Í	165
1	are evaluated only for hurricane wind loads. All of
2	those structures are evaluated for hurricane missiles.
3	None of them are evaluated for tornado missiles. This
4	seems to, at least me, a curiosity and I'd like the
5	staff to at least explain to us why that is.
б	MS. GOVAN: Chairman Stetkar, can I ask
7	that we table that discussion to after Fukushima,
8	because we actually have a slide that addresses your
9	_
10	CHAIRMAN STETKAR: Okay. No problem at
11	all. I didn't know when to bring it up. I brought it
12	up here because it's under SER Section 3.8.4. It's
13	kind of a place to put it, but that's fine.
14	MS. GOVAN: But we're ready to answer that
15	question right after the presentation on Fukushima.
16	CHAIRMAN STETKAR: Great. Thanks. Sorry.
17	MEMBER CORRADINI: Other questions for the
18	staff?
19	(No response.)
20	MEMBER CORRADINI: Okay. Back to the
21	applicant.
22	(Pause.)
23	MEMBER CORRADINI: Peter, you're up.
24	MR. SMITH: Ready. So, we're going to
25	address - talk about briefly the three Fukushima near-

(202) 234-4433

	166
1	term task force recommendations. 4.2 relating to
2	mitigating strategies for beyond design basis external
3	events, 7.1 reliable spent fuel pool instrumentation,
4	and 9.3 emergency preparedness.
5	So, for recommendation 4.2, the
6	mitigating strategies, Fermi 3's application satisfies
7	the applicable - or the requirements applicable to the
8	passive ESBWR design including those mandated by Order
9	EA-12-049 as amplified by the staff's interim guidance
10	related to that order which endorses NEI 12-06, the
11	industry guidance on implementing diverse and flexible
12	coping strategies referred to as FLEX strategy.
13	So, the next slide, please. So, for the
14	ESBWR, the passive design provides for a minimum
15	coping ability without external AC power or any AC
16	power for at least 72 hours. And the time periods
17	beyond 72 hours can be addressed either by
18	supplementing installed plant equipment with onsite,
19	or the offsite resources that are repositioned as part
20	of the FLEX strategy.
21	Next slide. Recommendation 7.1 relates to
22	reliable spent fuel pool level instrumentation. And,
23	again, we've taken this approach related to spent fuel
24	pool instrumentation again that addresses the order
25	amplified by interim staff guidance that again
l	I contraction of the second seco

(202) 234-4433

167 1 endorses NEI guidance for the implementation of spent 2 fuel pool instrumentation. finally on the 3 And then emergency 4 preparedness, recommendation 9.3, the staffing and 5 communications assessments will be performed in 6 accordance with NEI 12-01 guidance for assessing 7 beyond design basis accidents of accident response 8 staffing and communications capabilities. The assessments will be completed at least 9 two years prior to the scheduled initial fuel load and 10 11 any modifications to the plant will be implemented at least 180 days prior to the scheduled initial fuel 12 13 load. CHAIRMAN STETKAR: And that, Peter, if I 14 15 recall, that will some how incorporate both Unit 2 and Unit 3. 16 17 MR. SMITH: Yes. 18 MEMBER CORRADINI: For emergency. CHAIRMAN STETKAR: For emergency, yeah. I 19 20 mean, the subject of this slide -MR. SMITH: Well, let me step back. 21 What we did in our development, we developed a separate 22 emergency plan for Fermi 3. It's very similar to the 23 24 same plan for Fermi 2. 25 Both plants going under were some

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	168
1	significant evolutions at the time that we submitted
2	the application. So, we kept them separate in the
3	longer term.
4	CHAIRMAN STETKAR: I mean, obviously the
5	big concern is coordination with staff and -
6	MR. SMITH: Right. And so, and we ended up
7	doing exactly the opposite with our security plan
8	because of the way things worked out. So, we have a
9	combined security plan for Fermi 2 and Fermi 3 that is
10	part of this application, but there were a lot of
11	changes going on with the Fermi 2 plant at that time
12	we were reviewing the application. So, we maintained
13	that separation so that they will be coordinated
14	plants.
15	MEMBER SCHULTZ: In the subcommittee
16	discussion, more detail was presented on the
17	integration of Unit 2 and Unit 3 emergency plants.
18	MEMBER CORRADINI: Other questions by the
19	Committee members? Nothing?
20	(No response.)
21	MEMBER CORRADINI: All right. We'll turn
22	it to the staff.
23	MS. GOVAN: Again for the record, my name
24	is Tekia Govan, one of the project managers for the
25	Fermi 3 COL application. And this group of gentlemen
	1

(202) 234-4433

1 today will be presenting the overview of their 2 findings for Fukushima recommendations that have resulted in the advance Safety Evaluation Report with 3 no open items. The detailed review for these topics 4 5 are documented in Chapter 20 of the advance Safety Evaluation. 6 7 The technical team consists of Branch 8 Chief Antonio Dias, Technical Reviewers Angelo Stubbs, 9 Raul Hernandez, Eric Schrader and Technical Team Leader Dan Barss. 10 We'll start with Fukushima 4.2 with Angelo 11 12 Stubbs. MR. STUBBS: Good afternoon. 13 My name is Angelo Stubbs and I'm a reviewer from the Balance of 14 15 Plant Branch of Division of Safety and Systems and Risk Assessment. 16 And I'd like to begin by summarizing the 17 18 required provisions for mitigation strategies in Order And that's what we have on the first 19 EA-12-049. 20 And the Order basically requires a phased slide. 21 approach to mitigation. The initial mitigation would be performed 22 with installed equipment. If needed, a transition 23 24 phase mitigation would be -- could make use of 25 portable onsite equipment to sustain the coping

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	170
1	capabilities until offsite resources and offsite
2	equipment can be made available.
3	And then once that's available, final
4	mitigation would provide mitigation indefinitely,
5	coping capability indefinitely.
6	So, let's go to the next slide. Now,
7	evaluation for Fermi 3 for this recommendation, we
8	found the design basis for Fermi 3 included passive
9	design features and an inherent 72-hour coping
10	capability for station blackout.
11	So, core, containment and spent fuel pool
12	cooling will be maintained for at least 72 hours by
13	passive design features without reliance on operator
14	action or use of offsite equipment and resources.
15	So, 72 hours we could without any
16	active equipment without any AC, coping can be
17	established for the core, spent fuel pool and for the
18	containment.
19	Satisfied mitigation after 72 hours, the
20	staff imposed a license condition similar to the
21	license condition revision imposed to the Summer's
22	unit 2 and 3.
23	But in addition to what was proposed by
24	the Commission, the staff also added additional
25	requirements in the license condition to include a

(202) 234-4433

	171
1	commitment to follow the staff interim guidance, ISG
2	2012-02 which was compliance for Order EA-12-049 with
3	regards to the requirements and mitigation strategies
4	for beyond design basis external events.
5	So, for post-72 hours offsite resources
6	would be used in combination with whatever might be
7	available onsite to assure mitigation for an
8	indefinite period after that.
9	CHAIRMAN STETKAR: So, Angelo, just to make
10	sure that - we had some discussion about this in
11	subcommittee. For the benefit of the other members
12	who weren't there, the SER basically endorses the
13	notion that the ESBWR can maintain core cooling,
14	containment and spent fuel pool cooling for 72 hours
15	with no AC power.
16	MR. STUBBS: For a minimum of 72 hours. No
17	AC power or operator action.
18	CHAIRMAN STETKAR: And period.
19	MR. STUBBS: Period.
20	CHAIRMAN STETKAR: Any further post-
21	Fukushima mitigation strategies beyond 72 hours will
22	be evaluated and worked out after the COL is issued;
23	is that correct?
24	MEMBER CORRADINI: At least a year before
25	fuel.
	1

(202) 234-4433

	172
1	MR. STUBBS: At least a year before fuel,
2	but the -
3	CHAIRMAN STETKAR: Well, after the COL is
4	issued.
5	MR. STUBBS: But the mitigation will still
6	be being accomplished with the passive systems. The
7	design -
8	CHAIRMAN STETKAR: It will be accomplished
9	through the passive systems up to 72 hours.
10	MR. STUBBS: Well, after 72 hours the
11	passive systems are still the way we're going to be
12	mitigating it is just that there will be a need to
13	replenish water supplies and things like that also.
14	CHAIRMAN STETKAR: That's semantics,
15	Angelo.
16	MR. STUBBS: Okay.
17	CHAIRMAN STETKAR: Somehow you need to get
18	pumps and pipes and valves and things that, you know,
19	other than massive human beings to mechanically pump
20	the water. You need to get water from someplace to
21	replenish water supplies.
22	MR. STUBBS: Right.
23	CHAIRMAN STETKAR: Which is normally
24	considered some sort of active equipment.
25	MR. STUBBS: Right, you need to supply

(202) 234-4433

	173
1	water.
2	CHAIRMAN STETKAR: Right.
3	MR. STUBBS: But I'm saying the mechanism
4	_
5	CHAIRMAN STETKAR: Recharge batteries which
6	means you have to have some sort of diesel generators
7	which generate electricity to recharge batteries, or
8	bring in huge amounts of batteries.
9	Anyway, post-72 hours will be looked at
10	after COL regardless of whether that's going to be
11	accomplished from mobilizing centrally located
12	equipment, or whether it's going to be accomplished
13	using onsite fixed equipment such as RTNSS equipment
14	like the ancillary diesel generators and other onsite
15	equipment.
16	MR. STUBBS: Correct. And without -
17	CHAIRMAN STETKAR: We don't know -
18	MR. STUBBS: NRC guidance there would
19	have the possibility of using either.
20	CHAIRMAN STETKAR: Okay.
21	MR. STUBBS: Okay. And if we go to the
22	next slide -
23	CHAIRMAN STETKAR: Now, the key is, though,
24	this is for mitigation of beyond design basis external
25	events meaning earthquake or tornado larger than the
	1

(202) 234-4433

	174
1	design basis earthquake or tornado.
2	MR. STUBBS: Yes.
3	CHAIRMAN STETKAR: So, therefore, if the
4	applicant is going to include credit for RTNSS
5	equipment which is stored in non-seismic Category 1
6	buildings that are maybe protected to the design basis
7	earthquake and may not be protected against tornado
8	missiles, if the applicant is going to include credit
9	for that equipment, they better have assurance that
10	the structures and that equipment will withstand
11	earthquakes and tornadoes that are larger than the
12	design basis; is that correct?
13	MR. STUBBS: Right now what we are looking
14	at is we endorse guidance of NEI 12-06. And that's
15	the standard that the existing plants are using.
16	And I guess the answer to your question
17	is, there's no specific guidance to identify what
18	beyond design basis level would need to be -
19	CHAIRMAN STETKAR: Thanks. That's what I
20	wanted to get at.
21	MEMBER CORRADINI: That's what he wanted to
22	get on the record.
23	CHAIRMAN STETKAR: That's what I wanted to
24	get on the record. So, thanks for doing it.
25	MEMBER CORRADINI: Because that just for
	I contract of the second se

(202) 234-4433

l of and the to sis, NEI
the to sis,
the to sis, NEI
sis, NEI
sis, NEI
NEI
NEI
ign
sht.
: is
to
led
was
ı at
was
ving
rery
very
r w

(202) 234-4433

	176
1	MEMBER CORRADINI: Are there questions for
2	- next on the list.
3	MR. HERNANDEZ: Hi, my name is Raul
4	Hernandez from Balance of Plant, and I'll be
5	presenting the Recommendation 7.1.
6	Basically, this is the history of the
7	Order. There was the Fukushima lessons learned. They
8	have a list of recommendations, including
9	Recommendation 7.1.
10	The Commission decided that this item
11	should be addressed earlier and they issued Order EA-
12	12-051 Order Modifying Licenses with Regard to the
13	Reliable Spent Fuel Pool Instrumentation.
14	The staff developed a guidance which
15	endorses NEI 12-02. And this was big guidance that
16	the staff used to evaluate the applicant's response.
17	The staff found that the Fermi 3 spent
18	fuel pool level instrumentation meets all the design
19	and programmatic requirements described in the Order
20	described in the guidance, which is more specific
21	than the Order, and, therefore, in compliance with the
22	Order.
23	The ESBWR design incorporates safety-
24	related instrumentation that already address most of
25	the design features.
	I

(202) 234-4433

There were two design features that were not explicitly stated in the DCD, and the applicant expanded Section 1.5.1.1.2 to add the description of the capability to connect an outer power supply to the instrument, and the description that the instrument will retain its calibration after switching power sources.

8 This is for the Tier 2 Section 13.5 9 already addresses procedures, testing and calibration 10 requirements to use this equipment.

The staff developed license condition 11 12 20.3-1 to address development and implementation of a 13 training program to ensure that personnel will be trained in the provisions to establish alternate power 14 15 connections to the level instrument. This is their own - this connecting alternate power was not part of 16 That's why it require specific training 17 the DCD. 18 besides the one that is already covered by Section 13.5. 19 That's why it was put apart.

20 During the subcommittee meetings, there 21 were some questions related to the environmental 22 qualifications of the spent fuel pool instrument.

The actual wording on the order states that the primary and backup instrument channels shall be reliable at temperature, humidity and radiation

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

1 levels consistent with the spent fuel pool at 2 saturation conditions for an extended period. This 3 reliability shall be established through the use of an 4 augmented quality assurance program similar to the 5 fire protection program.

Fermi 3 incorporates by reference the ESBWR design which includes a passive spent fuel pool and buffer pool cooling which allows spent fuel pool to heat up and boil up to 72 hours.

At this time at 72 hours, the water level will be about a foot above the top of the fuel. So, you're going to have pretty high radiation doses. And the instrument was designed to still remain operational at those conditions. The spent fuel pool has set points as low as the top of the active fuel.

Like I said, this instrument that is part of the DCD is the one that the applicant is crediting to meeting Recommendation 7.1.

MEMBER BROWN: That's still inconsistent with radiation. I agree with everything else in there except the same comment I made in the subcommittee meeting.

The radiation levels are assumed based on the water being a foot above the spent fuel in the pool, which is I guess okay as long as you don't have

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

10

11

12

13

14

15

179

radiation levels at the top of the spent fuel pool is not consistent with what we saw at Fukushima relative to radiation levels due to adjacent, you know, failures, casualties that resulted in high radiation levels.

8 MEMBER CORRADINI: That's the one point I 9 was going to ask you and the staff about. So, I guess 10 at the end of the subcommittee meeting we discussed 11 the possibility of an analysis or an evaluation about 12 the differences in radiation levels.

MEMBER BROWN: Yes. And the answer came 13 14 back was, you know, this is kind of the response to 15 our discussion, from what I can see on the consistent - this is you all's response to, hey, we meet the 16 17 absolute letter of the law. However, however, it says 18 radiation levels consistent with saturation conditions, but this is a beyond-design-basis type 19 20 circumstance.

Temperature and humidity easily, you know, that's consistent. I have no problem with those. But the radiation levels are not consistent with what at least the information we got in previous meetings relative to the Fukushima spent fuel pool radiation

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7
	180
1	levels where the instrumentation may be.
2	Now, if this was a - what I call a
3	blacksmith technology-type set of instrumentation, in
4	other words, the lever that goes up and down on top
5	level with little, you know, mechanical switches that
6	operated certain levels, you know, and a couple of
7	pairs of wire that run out to a lightbulb somewhere,
8	yeah, that stuff will - the cabling will survive for
9	quite a while under the - so will the switches for
10	quite a while.
11	If it's electronics depending on the type
12	of sensor that's used, the electronics, all the other
13	type stuff, it's very problematic.
14	Are you going to use hardened
15	semiconductors? Integrated circuits? Is it a
16	computer-based one? That stuff, you take any computer
17	platform you find, put it in a radiation fuel like
18	that and it won't last long forever at all.
19	MR. HERNANDEZ: It wouldn't be operational
20	at those lower levels.
21	MEMBER BROWN: My problem might be
22	operational at those lower levels because it's not
23	right on top. The electronics is obviously not going
24	to be sitting on top of the water, but where is it
25	going to be? What type of sensors are they? Are they

	181
1	electronic-based sensors? Are they what I call more
2	hammer and tongs or blacksmith sensors?
3	MEMBER CORRADINI: So, let me ask does the
4	staff have a comment for Mr. Brown?
5	MR. DIAS: Hi, this is Antonio Dias. I'm
6	branch chief at NRO. I may have a few extra
7	clarifications.
8	We are not familiar exactly with the
9	design of this instrumentation the ESBWR is going to
10	be proposing, but there's another application, that I
11	don't know if you had the opportunity to look at, and
12	that is actually more like a pneumatic
13	instrumentation.
14	They're actually going to be sensing by
15	difference in pressure. They will be sensing the
16	level of the water and the instrumentation itself will
17	actually be in a different -
18	MEMBER BROWN: Is it above water?
19	MR. DIAS: Um -
20	MEMBER BROWN: When you say pneumatic, that
21	implies -
22	MR. DIAS: It's more like a tapping system.
23	MEMBER CORRADINI: It's a what?
24	MR. DIAS: I think you call it a tapping
25	system. I'm not familiar with -

(202) 234-4433

	182
1	MEMBER CORRADINI: It's a differential
2	pressure method.
3	MEMBER BROWN: Yes. Well, that can be -
4	MR. HERNANDEZ: And the instrumentation is
5	in a different room.
6	MEMBER BROWN: I understand. My only point
7	being is that the radiation level is assumed for the
8	performance level of the overall instrumentation, not
9	just the stuff that stick in the pool, has to be, in
10	my opinion, should be consistent with what the
11	radiation levels are expected to be in those rooms if
12	we had the beyond-design-basis circumstances similar
13	to what we experienced at Fukushima. That's all.
14	That's one data point. And I admit we,
15	you know, you don't have a thousand analyses, but
16	we've got one data point for a boiling water reactor
17	that had very, very high radiation levels.
18	People couldn't come near the place. So
19	_
20	MR. HERNANDEZ: I understand.
21	MEMBER BROWN: So, that's the point. So,
22	in my personal opinion, okay, this is still an open
23	item relative to the radiation levels.
24	Forget whatever they want to use ought
25	to be consistent with the radiation levels. That's -

(202) 234-4433

1 MR. DIAS: And would be. This is safety-2 related equipment that, you know, at the time that it's procured, there will be, you know, definitely 3 they have a QA process that will find that it's 4 5 procured correctly. And the NRC will also, you know, they will find that there is an ITAAC assigned to 6 7 safety-related instrumentations and this one is 8 definitely part of that. So, there will be verifications on that. 9 10 MEMBER BROWN: Then, Antonio, then I would 11 suggest, okay, that the staff's response in whatever 12 piece of paper you all write in your final documents, should take the point that the radiation levels should 13 be consistent with wherever the level of technology of 14 the instrumentation is located is juxtaposed to 15 saying, well, whatever it is at the top of the spent 16 17 fuel pool -MEMBER RYAN: Are you looking for some 18 concrete criteria like the instrumentation should be 19 20 capable of withstanding X -21 MEMBER BROWN: No, I'm saying whatever _ _ 22 look at the information we have. Where is the 23 instrumentation going to be located? What are the 24 types of sensors that they're going to have at the 25 spent fuel pool?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

183

	184
1	MEMBER RYAN: And you want to know that
2	that setup will withstand X radiation levels.
3	MEMBER BROWN: Relative to our experience
4	at Fukushima, okay. And I don't know what the numbers
5	are, because we don't have -
6	MEMBER RYAN: So, you're looking for
7	criteria that's at the top of the very pile of
8	reactors worldwide in terms of radiation levels.
9	MEMBER BROWN: The only ones I'm aware of
10	are the Fukushima, you know, the Daiichi reactors that
11	melted down and we had pretty high radiation levels.
12	MEMBER RYAN: We'll question about it, but,
13	you know, that's, I mean, I'm just trying to get a
14	sense - and I'm not criticizing your point, but, you
15	know, that's an extreme.
16	So, where is the range, and where's the
17	extreme?
18	MEMBER BROWN: No. I'm not - it was an
19	extreme that actually happened. So -
20	MEMBER RYAN: I understand that.
21	MEMBER BROWN: you're right, it was an
22	extreme.
23	(Simultaneous speaking)
24	MEMBER RYAN: design to try and reach
25	that goal. I'm just asking where -
1	

(202) 234-4433

	185
1	MR. HERNANDEZ: The staff has developed,
2	you know, precisely to prevent the accident that
3	happened on Fukushima to provide some alternative
4	cooling. That's the purpose of Recommendation 4.2.
5	MEMBER CORRADINI: I think there is other
6	questions and I know we have a public comments. So,
7	I'm going to -
8	MEMBER REMPE: But I have one question.
9	MEMBER CORRADINI: I know you do, but I'm
10	not going to - but you're still in the batter's box.
11	You're not up yet.
12	MEMBER REMPE: Okay.
13	MEMBER CORRADINI: I think what Charlie is
14	saying and I think we'll have to debate it amongst the
15	members is whether this residual risk is acceptable or
16	it's not acceptable, because there's a - you're saying
17	there's a data point you want to design for the data
18	point and -
19	MEMBER BROWN: I want a design based on our
20	information available from the design viewpoint.
21	MEMBER CORRADINI: Okay.
22	MEMBER BROWN: It doesn't necessarily have
23	to be that data point. It's just that you need to
24	take into consideration the conditions.
25	MEMBER CORRADINI: Okay.

(202) 234-4433

	186
1	MEMBER BROWN: And say, okay, that's what
2	we got there. Now, if I look at the design of this
3	plant, where the stuff is going to be located, if a
4	similar thing happened, would they be higher? Lower?
5	What - there's got to be some, you know, calibrated,
б	eyeball, back of the envelope, some type of way to
7	come up with something other than right at the top of
8	the fuel pool.
9	It doesn't seem to make sense for the
10	beyond-design-basis evaluation approach to this.
11	MEMBER CORRADINI: So, I think the staff
12	understands the comment and now Dr. Rempe is up. Go
13	ahead.
14	MEMBER REMPE: Okay. So, do you have some
15	sort of temperature measurement associated with this
16	water level? Because how do you know when boiling
17	starts and then when boiling has lasted 72 hours and
18	maybe you should start worrying about that things
19	aren't quite working anymore?
20	MR. HERNANDEZ: Well, the spent fuel pool
21	temperature, per se, was - let me say. The initial
22	temperature is a key parameter when you are
23	calculating how much water you need to maintain.
24	You start with the minimum water level -
25	this is part of the DCD.

(202) 234-4433

1 MEMBER REMPE: I'm an operator. I'm in the 2 middle of an accident. When do I know if boiling has started, is that I'm getting to, if I don't have a 3 temperature measurement? And does this water level 4 5 system include a temperature measurement, or is there 6 some other measurement already there that gives you 7 temperature? MR. HERNANDEZ: Temperature is not part of 8 9 this system. You have a temperature measurement that

11 MEMBER REMPE: Is it actually a direct 12 temperature measurement? At Daiichi, they didn't have 13 temperature It direct measurement. was а а measurement in front of a cooling pump that was for 14 15 the cooling system. It was not in the pool.

is - you've got temperature control by test rate.

They flew planes overhead and did sensors to try and guess what the temperature was, too, but there was not a direct temperature measurement.

19 Is there a direct temperature measurement 20 in this pool?

21 MR. HERNANDEZ: That is part of the DCD-22 specific design. I can - I know that the temperature 23 is a tech spec control parameter, but I cannot tell 24 you where the instrument is located.

MEMBER REMPE: Can someone from the plant

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

10

25

	188
1	-
2	MR. HERNANDEZ: That's part of the DCD.
3	MEMBER REMPE: Can someone from the plant
4	-
5	MEMBER CORRADINI: Can the applicant help
6	us?
7	MEMBER REMPE: Or someone form GEH, maybe.
8	MR. HINES: Hi. This is David Hines from
9	GEH. Yes, there is temperature monitoring in the
10	spent fuel pool, I think was your question.
11	MEMBER REMPE: In the pool?
12	MR. HINES: Yes, there is spent fuel pool
13	temperature monitoring, as well as the level monitor
14	
15	MEMBER CORRADINI; You're one for two.
16	MR. HINES: As well as level monitoring as
17	was previously stated.
18	MEMBER BROWN: Of course the radiation
19	levels that it's due to work in are probably
20	unsatisfactory as well.
21	MEMBER CORRADINI: Okay. Dr. Rempe, did
22	you have
23	CHAIRMAN STETKAR: Once it gets to 212,
24	it's not going to get a lot hotter than that.
25	MEMBER CORRADINI: another question?

	189
1	MEMBER REMPE: No, I'm fine.
2	SPEAKER: I agree with that point, but that
3	doesn't work for the level part.
4	CHAIRMAN STETKAR: Level I'll give you, but
5	_
6	MEMBER CORRADINI: Okay. Tekia, we're
7	back to you.
8	MS. GOVAN: We're moving on to Fukushima
9	Recommendation 9.3 with Eric Schrader.
10	MR. SCHRADER: Hi, I'm Eric Schrader with
11	headquarters NSIR as the lead emergency preparedness
12	reviewer for the Fermi 3 COLA.
13	The staff reviewed the applicant's
14	response to RAI 1.05-2 which was for the NTTF 9.3
15	staffing and communications for an event affecting all
16	units on a site in a prolonged station blackout.
17	The applicant's response was a license
18	condition stating that they would complete an
19	assessment of both the equipment required for
20	communications and capability, as well as the staffing
21	at least two years prior to the initial fuel load.
22	And then within at least 180 days prior to the initial
23	fuel load have all corrective actions identified by
24	the assessments completed.
25	Okay. The next slide. The staff reviewed
	1

(202) 234-4433

	190
1	the applicant's license condition and with a
2	modification to the initial fuel load reference
3	modified it to include the scheduling defined in 10
4	CFR 52.99(a) and 52.103(a) which established the date
5	of the initial fuel load. So, it gave it additional
6	detail to when that date was specifically going to be.
7	Based on that modification, the staff
8	found the license condition as an acceptable approach
9	because it provides - it conforms with a guidance in
10	SECY paper 12-0025 and the endorse guidance in NEI 12-
11	01 as you've heard many times earlier the guideline
12	for assessing beyond-design basis accidents response
13	staff and communication capabilities.
14	That's it, unless there's questions.
15	MEMBER CORRADINI: Questions from the
16	Committee.
17	(No response.)
18	MEMBER CORRADINI: Let me - since we have
19	one unclear point, I think, let me ask the applicant
20	a different question.
21	What is the radiation field design for the
22	level instrument? What is it capable of withstanding?
23	Since we're arguing about technical basis, I'm kind of
24	curious about what the current technical basis is.
25	MR. HINES: Hi, this is David Hines from

(202) 234-4433

1 GEH. I can't state the actual radiation level. 2 However, the conditions upon which the instrument is is for condition of – for accident 3 qualified conditions -- equipment qualifications determined for 4 5 accident conditions in addition as was stated 6 previously, for boil-down of the fuel pool up to the 7 top of the racks for the NEI guidance. The instrument 8 is also qualified for that. 9 The placement of the electronics would be strategically placed such that it can survive that 10 11 type of environment that I just described. MEMBER CORRADINI: But you don't know that 12 radiation field level. 13 MR. HINES: I don't know the number, right. 14 15 MEMBER CORRADINI: Okay. Is it able to get that number so that my colleague can feel better? 16 MEMBER BROWN: I don't know that I'll feel 17 18 better or not because it's - you've got a sensor as 19 well as electronics. 20 MEMBER CORRADINI: Right, but I think at least we want to know what's the current technical 21 22 design base is. MR. HINES: Although it's not a license 23 24 condition or stated in the DCD -25 MEMBER CORRADINI: Understood. I just want

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

191

	192
1	to know
2	MR. HINES; the specifics of the design
3	of the instrumentation -
4	MEMBER CORRADINI: what the number is.
5	MR. HINES: is not specifically
6	committed in the license, but those conditions upon
7	which it would be qualified, as I stated -
8	MEMBER CORRADINI: Okay.
9	MR. HINES: are part of the license.
10	The actual instrument selection would be such that it
11	can meet those conditions and we do have technologies
12	that can survive those types of conditions where
13	electronics are remote from those locations typically
14	more in the control room-type area with the actual
15	sensing device locally.
16	MEMBER CORRADINI: Okay. Thank you.
17	CHAIRMAN STETKAR: David, can I ask you
18	something about the temperature instrumentation?
19	Because I'm briefly skimming the DCD -
20	MR. HINES: I'm doing the same looking for
21	the reference for your records.
22	CHAIRMAN STETKAR: It's in - I lost the
23	section because I was looking for a table here, but it
24	says that there will be temperature indication, but it
25	also seems to indicate that the temperature is
	I

(202) 234-4433

	193
1	monitored as Dr. Rempe said on the inlet and the
2	outlet of the heat exchangers.
3	MR. HINES: Well, there's certainly that
4	temperature monitoring for -
5	CHAIRMAN STETKAR: It would be that, but I
6	can't find something that says actual -
7	MR. HINES: I was looking for that in
8	parallel as well and so I'm still in the process of
9	looking for the -
10	CHAIRMAN STETKAR: Okay.
11	MR. HINES: place within the document
12	where it states that, but -
13	CHAIRMAN STETKAR: I'll do my search again.
14	I can find the paragraph quickly.
15	(Simultaneous speaking)
16	MR. HINES: the design, but I haven't
17	found a reference yet. I was looking in parallel with
18	this discussion.
19	MEMBER CORRADINI: Other questions for the
20	staff?
21	(No response.)
22	MEMBER CORRADINI: Okay, Kris, you're going
23	to do what I'm asking to open the line?
24	CHAIRMAN STETKAR: Well, we have one more
25	thing.
	I

```
(202) 234-4433
```

	194
1	MEMBER CORRADINI: Sorry.
2	CHAIRMAN STETKAR: I still need to get my
3	tornado missiles -
4	MEMBER CORRADINI: I'm sorry. I apologize.
5	There was a leftover item. Excuse me.
6	MS. GOVAN: Thank you, gentlemen. Actually
7	two items that we want to discuss. If I could ask
8	Ryan Nolan and Yui Law to join me at the front,
9	please?
10	(Pause.)
11	MEMBER CORRADINI: We have one more last
12	item, but that's fine. Assuming there's not a lot of
13	crackling, we'll just deal with this.
14	MS. GOVAN: Okay. During the August 20th
15	subcommittee meeting, we left with two items that we
16	would get back to the ACRS Committee on relating to
17	tornado missiles which will be second, and first we'll
18	talk about the SSC list that was requested as part of
19	the review for Chapter 3 following an OBE.
20	And with that, I'll turn it over to Yui
21	Law who will be presenting that information.
22	MR. LAW: Okay. Good afternoon, everyone.
23	My name is Yui Law. I work at GE in the Mechanical
24	Engineering Branch.
25	At the last ACRS meeting there was a

(202) 234-4433

	195
1	question on how we close the open item 03.02.1-3 which
2	has to do with a list that we request the applicant to
3	provide to us for SSC that would have to remain
4	continue safe operation during and following an OBE.
5	There are two issues with that open item.
6	One is moral. At the Toyo, there was a little
7	confusion between open item 03.02.01-3 and RAI
8	03.02.01-2 which talks about RTNSS equipment.
9	The staff has since revised the SER to
10	clarify that open item which is actually discussed in
11	another RAI, North Anna 03.02.01-7.
12	And the second issue with that was the
13	list that is in Standard Review Plan 3.2.1 that we ask
14	the applicant to provide to us, this is the list that
15	- a list of SSC for safe operation during and
16	following an OBE.
17	And based on the answer from North Anna
18	03.02.01-7, it talks about the regulation 10 CFR Part
19	50 Appendix S. In that appendix there is a regulation
20	that says that if the OBE ground motion is set to one-
21	third of the SSE, then the requirements associated
22	with OBE ground motion can be satisfied without the
23	applicant performing explicit response or design
24	analysis.
25	And there was a question was asked by ACRS
	1 I I I I I I I I I I I I I I I I I I I

(202) 234-4433

196 1 members on the adequacy of the regulations. And the 2 staff has since done some research on it. And this is what we found. 3 4 There was a SECY paper that had allowed 5 justifications on not using OBE as а design 6 earthquake. If the OBE is set to one-third or less of 7 SSE, there's a SECY paper out there that justify why 8 the SSE actually bounds the OBE the design at 9 standpoint. 10 earthquake So, happens, when an an 11 inspection has to be - or a walk-down inspection has 12 to be performed within eight hours on both safetyrelated and un-safety-related equipment. 13 And there are two reg guides, 1.166 and 1,167 provide guidances 14 15 on pre-earthquake planning and post-earthquake actions that the applicant have to take. 16 17 So, basically OBE served as a threshold 18 earthquake so that when the earthquake happens and if if 19 the is not exceeded and the walk-down OBE 20 inspection indicate no damage to the safety-related and non-safety-related equipment, then a shutdown of 21 the plant is not required. 22 And in those reg guides, it also endorses 23 24 an EPRI report which also provides detailed procedures 25 on what the applicant would have to do should an

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	197
1	earthquake occurs and what kind of equipment they have
2	to check.
3	So, basically this list that we asked the
4	applicant due to OBE is essentially the same list as
5	is a list for safety-related equipment which is
6	provided in Table 3.2.1 and, you know, as a part of
7	DCDs as well.
8	So, to sum up all of that, the staff feels
9	that overall plant safety is still maintained because
10	all safety-related and important safety-related SSC
11	are bounded by the SSE during the design stage - well,
12	SSE bounds to OBE when OBE is set to one-third of SSE.
13	Therefore, overall plant safety is still maintained,
14	you know, should an earthquake occur.
15	And that's what we found on the
16	justification of why the OBE is not a design
17	earthquake.
18	CHAIRMAN STETKAR: I don't have anything
19	because of timing. I understand. It's kind of a
20	convoluted process, but I think we understand.
21	MS. GOVAN: Okay. If there are no
22	questions, we'll move on to the next item with Ryan
23	Nolan.
24	MEMBER CORRADINI: The one we've been
25	waiting for.

(202) 234-4433

	198
1	MS. GOVAN: Yes.
2	MR. NOLAN: My name is Ryan Nolan. I'm in
3	the Balance of Plant Branch and I have review
4	responsibility for external missiles generated by
5	winds.
6	What we have here is a slide discussing
7	the protection of RTNSS B SSCs for winds and missiles.
8	Fermi is not taking any departures. And so, what I'm
9	presenting here is what's in the DCD for ESBWR.
10	All RTNSS B systems are either in seismic
11	Cat 1 structures or seismic Cat 2 structures. Seismic
12	Cat 1 structures are designed to a tornado wind of 330
13	miles an hour and associated tornado missiles.
14	CHAIRMAN STETKAR: Ryan, for the benefit of
15	the committee who doesn't understand what RTNSS B or
16	why RTNSS B is RTNSS B, could you explain what RTNSS
17	B equipment is as opposed to other RTNSS equipment?
18	MR. NOLAN: RTNSS B is used for long-term
19	safety. It's there to get you from 72 hours to seven
20	days.
21	CHAIRMAN STETKAR: Thank you.
22	MR. NOLAN: For RTNSS B systems that are in
23	seismic Category 2 structures, those structures are
24	designed to a tornado wind of 330 and a hurricane
25	missile of 195, which is a Category 5 hurricane. And

(202) 234-4433

	199
1	it was found acceptable using the guidance at the
2	time. And I'm assuming the question is, what is that
3	guidance? Can you talk about it a little bit more?
4	In that case, we can go to the backup
5	slide. So, we refer to it as the Callan memo. And it
6	was basically a memo that clarifies a SECY paper. And
7	the SECY paper was written specifically for AP 600.
8	And the Callan memo clarifies how to treat RTNSS B
9	systems per 72-hour SSEs.
10	And the Callan memo says that for RTNSS B
11	structures, they do not need to be designed for
12	tornadoes, but they should be designed to a Category
13	5 hurricane.
14	And so, ESBWR, their design, they actually
15	do design, they actually do design it for a tornado
16	wind load of 330. And they use a missile speed which
17	is the Category 5 hurricane missile speed.
18	MEMBER CORRADINI: So, what is an allowable
19	- what I'll call an allowable apparent inconsistency.
20	MEMBER BLEY: Well, I guess I'm just
21	confused about this and I wasn't at the subcommittee
22	meeting.
23	CHAIRMAN STETKAR: We were there and we're
24	confused. So, don't feel bad.
25	MEMBER BLEY: Designing for tornado wind to

(202) 234-4433

	200
1	pretend that it generates no missiles? That's what
2	this implies.
3	MR. NOLAN: Well, that's how ESBWR chose to
4	design their structures. The Callan memo says that
5	you don't have to design RTNSS B for tornadoes.
б	At the time, you know, tornadoes are 300
7	miles an hour and said, eh, but we feel that you
8	should design it to a Category 5 hurricane.
9	We have operating experience that shows
10	Turkey Point with Hurricane Andrew, the hurricane
11	broadly affected a region and we don't - we feel that
12	your structure should be designed to a Category 5
13	hurricane.
14	MEMBER CORRADINI: That's why I used the
15	term "apparent inconsistency." The decision was that
16	hurricane missiles were abound.
17	MEMBER BLEY: What the heck is the Callan
18	memo? What kind of document is it?
19	MR. NOLAN: It was a memo from the EDO to
20	the chairman. And it clarified how to implement
21	discussions within the SECY paper.
22	It was specific to AP600 at the time, but
23	the Callan memo clarified how to treat post-72-hour
24	SSEs.
25	MEMBER CORRADINI: Does that help you?

(202) 234-4433

	201
1	MEMBER BLEY: Not even a little bit.
2	MEMBER CORRADINI: I think the way I
3	understand it - oh, is Mark going to say something?
4	MR. NOLAN: Mark, our RTNSS guru.
5	MEMBER CORRADINI: You're going to help us,
6	Mark, right?
7	MR. CARUSO: I hope.
8	Mark Caruso of the staff. When the staff
9	set up their Commission paper on the post-72-hour -
10	the treatment of post-72-hour RTNSS B SSCs, apparently
11	there was - it was written in a way that was confusing
12	to some people and there was a difference of opinion
13	as to whether or not the staff was saying that you
14	needed to design the stuff to completely reach GDC 2.
15	In which case, there was a question about,
16	well, what exactly in terms of external events do they
17	have to meet? Some people were saying they
18	interpreted it to mean they had to meet all of GDC 2.
19	And so, that was the reason for the
20	clarifying memo to say, this is specifically what the
21	staff is saying, you know, the RTNSS non-safety-
22	related stuff needs to satisfy.
23	MEMBER CORRADINI: And just to broaden it,
24	the AP-1000 design certification and ESBWR design
25	certification both fit within this.
	1

(202) 234-4433

	202
1	MR. CARUSO: Yes.
2	MEMBER CORRADINI: Okay. So, we seem to
3	have - we were unclear and this is what we have been
4	- or this is the clarification.
5	MEMBER BLEY: So, there is a paper trail
6	that shows how this happened to come about.
7	MEMBER CORRADINI: Correct.
8	MEMBER BLEY: But nota a logic trail.
9	MEMBER CORRADINI: And the applicant
10	followed the allowable -
11	MEMBER BLEY: Paper trail.
12	MEMBER CORRADINI: Well, followed the
13	staff's guidance at that point.
14	MEMBER SCHULTZ: Ryan, what I heard you say
15	is that in the box where we said tornado design
16	feature not applicable specifically excluded in the
17	memo, the memo addresses it and says we're not going
18	to address - we're not going to - this is going to be
19	excluded here because it is bounded by the wind
20	loading of the hurricane.
21	MR. NOLAN: No. No.
22	MEMBER SCHULTZ: It does not say that.
23	MR. NOLAN: No, it's not bounded. The
24	post-72-hour - this is from the memo.
25	MEMBER SCHULTZ: That's what I want to

(202) 234-4433

	203
1	hear.
2	MR. NOLAN: Post-72-hour SSCs will not be
3	required to withstand tornado loads or tornado
4	missiles, but wind borne missiles from hurricane winds
5	would have to be considered.
6	CHAIRMAN STETKAR: It's probably because
7	people were aware at that time in calendar history of
8	Hurricane, I forget, Andrew or whatever went through
9	south Florida.
10	People at that time probably weren't
11	thinking of EF-5 hurricanes that have flattened, you
12	know, big towns in the Midwest and -
13	MR. NOLAN: Right. And it's almost a
14	graded approach. It's non-safety by nature. RTNSS is
15	non-safety. And so, they said that it doesn't have to
16	be designed to a 300-mile-an-hour tornado, but it -
17	you should consider a hurricane which is slightly
18	less.
19	MEMBER CORRADINI: So, that's it. Mark,
20	you're back up.
21	MR. CARUSO: May I offer one more thought.
22	Mark Caruso. So, as you know in your review of SRP
23	19-3 that we came to this issue, too, and we at - we
24	were about to issue an after-public comment. And
25	internally we decided that we should treat - tornadoes
1	I I I I I I I I I I I I I I I I I I I

(202) 234-4433

should be treated. And so, we, as you know, the guidance we have now is different than what's in the Callan memo.

And in that process, we try to go back and 4 5 say, you know, what was the logic here? And, frankly, we didn't find out that much, but there were a few 6 7 people we talked to from back in the day. And the 8 only thing I heard that made some sense to me was that 9 the thinking at the time was that there is more concern about the hurricane, and that's why it was a 10 Category 5 hurricane was specific, because of the 11 ability to bring things in from offsite. 12 And that's what the whole four days is about. 13

And that with tornadoes, you know, it's a 14 15 little bit of a different situation. You probably still have loss of offsite power, but that's the only 16 17 thing I heard that made me think, well, maybe that's 18 what they were thinking was that I, you know, I can't 19 hit everything with a tornado missile and I might have 20 something else. It's non-safety, it's long-term, I'm going to have to make some decision about treatment 21 here and I may be able to get things from offsite 22 easily - more easily with a tornado. 23

24 Remember they're not allowed and the rules 25 are nothing from offsite until you get to the seven

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

	205
1	days. So, I leave you with that thought.
2	MEMBER CORRADINI: Other questions from the
3	committee?
4	(No response.)
5	MEMBER CORRADINI: I want to save time. We
6	do have public comments and I want to make sure. So,
7	let me go again. Members, do you have any questions
8	for the staff?
9	(No response.)
10	MEMBER CORRADINI: Okay. So, now this time
11	I think you are done. Thank you very much, Tekia. I
12	appreciate it. Thank you to all the staff and the
13	applicant.
14	At this point, we'll open the phone, the
15	bridge line. I'm looking in the audience. I don't
16	see anybody - oh, there is. I'm sorry. Excuse me.
17	So, first, if I may, let me first go with
18	the phone line since we have it open. I know I was
19	told that Mr. Schonberger was going to make a comment.
20	Mr. Schonberger, are you on the line?
21	(Comments off the record.)
22	(Pause.)
23	MEMBER CORRADINI: Do we have only one
24	person in attendance here, or is there another one
25	that wants to make a comment.
	1

(202) 234-4433

	206
1	So, while we're still - okay. So, you go
2	find him. We'll go for the onsite comment. So,
3	please identify yourself, sir.
4	MR. KAMPS: Thank you, Dr. Corradini.
5	Is this on?
6	MEMBER CORRADINI: I think. Tap it.
7	(Comments off record.)
8	MR. KAMPS: Thank you, Dr. Corradini and
9	Chairman and staff members for this opportunity. My
10	name is Kevin Kamps with Beyond Nuclear. I also serve
11	as a board member of Don't Waste Michigan and I think
12	I'll just limit my comments here to a few items.
13	I just wanted to set the record straight
14	on seiches on the Great Lakes. An NRC staffer today
15	presented that there are no seiches on the Great
16	Lakes. I believe I heard him that way.
17	That's just actually incorrect. So, you
18	know, I can quote an ABC News 5 TV report from May
19	31st of 2012, which was about a May 27th, 2012, seiche
20	on Lake Erie. A seven-foot seiche wave that extended
21	from Madison to Perry to Fairport Harbor to Grand
22	River, Ohio.
23	They're also referred to as edge waves.
24	They can occur on any of the Great Lakes. They're
25	most common on Lake Erie because it's shallow and of
	1

(202) 234-4433

	207
1	course the western basin is the most shallow part of
2	Lake Erie. A part of the article, put it this way,
3	Ohio is no stranger to these types of waves.
4	So, 10-foot plus waves throughout Ohio
5	history. 1942, two seiche waves in Ohio from Bay
б	Village to Conneaut. Madison on the lake again bore
7	the brunt of these seiche waves.
8	The first wave to hit, this is 1942, was
9	four to 20 feet tall. The second wave to hit 15
10	minutes later was six to eight feet tall.
11	And the 2012 seiche wave did carry several
12	children out into Lake Erie, but they were rescued.
13	Thank goodness. But in 1942, seven people were
14	killed.
15	1954, a large edge wave struck downtown
16	Chicago of all places. Southern Lake Michigan. 10-
17	foot waves on the North Avenue Pier in the heart of
18	downtown Chicago. Eight people killed.
19	And per the subcommittee testimony I gave
20	recently, the white hurricane of 1913 in Goderich,
21	Ontario, a 30-plus-foot wave on Lake Huron.
22	Of course I mentioned the Anishinaabe
23	tribes of Michigan who experienced the New Madrid
24	giant waves as they referred to them on Lake Michigan
25	and I believe other of the Great Lakes.

(202) 234-4433

	208
1	I experienced myself the January 2014
2	giant waves, I guess you could say, from the Polar
3	Vortex on Lake Michigan in the range of 30 feet tall.
4	Super Storm Sandy of recent years, 25-foot
5	waves in Michigan City, Indiana. And perhaps the most
6	famous giant waves in population culture would be
7	behind the song about the loss of the Edmund
8	Fitzgerald, the witches of November.
9	And a part of the theory as to why that
10	ship went down in Lake Superior was the size of the
11	waves lifted the boat up in the air and the center of
12	the boat gave and broke in half. So, there are giant
13	waves on the Great Lakes.
14	And I did want to tell John the tornado
15	missile issue, the subcommittee members will remember
16	that I myself being from Michigan, I've lived through
17	tornadoes in this exact area.
18	June 1998 tornado, the funnel cloud passed
19	between the containment building, the shield building
20	and the cooling towers at Davis-Besse in Oak Harbor,
21	Ohio and caused a very serious situation at that plant
22	that went on for a couple days because of loss of the
23	electric grid, as well as failure of the emergency
24	diesel generators.
25	The final diesel to give up the ghost did

(202) 234-4433

ĺ	209
1	so an hour after the grid was restored a couple days
2	later. That's how close it came at Davis-Besse in
3	June of 1998.
4	And in June of 2010 a tornado struck a
5	pretty direct hit on the Fermi Nuclear Power plant
6	doing damage to the turbine building, for one thing.
7	And I guess the final thought I'll share
8	is there was reference made to - one of the NRC
9	staffers again said - and I believe I'm forgetting the
10	context right now.
11	He pointed to quality assurance and ITAAC
12	as the final safeguards at Fermi 3. And it has to be
13	put on the record that our group, Beyond Nuclear, and
14	several others intervening against the Fermi 3 COLA
15	before the Atomic Safety and Licensing Board, have
16	raised quality assurance failures at Fermi 3 as a very
17	serious concern.
18	There has been freefall in quality
19	assurance for long stretches of time on Fermi 3
20	projects.
21	So, to rely on quality assurance and ITAAC
22	at Fermi 3 as a final line of defense is very risky
23	business. Thank you.
24	MEMBER CORRADINI: Thank you, sir. So, I
25	think - well, I want to go to - I don't think there's
1	I contract of the second se

(202) 234-4433

	210
1	anybody else in the audience here that has public
2	comments. So, I want to turn to the phone line and I
3	hear there's somebody out there.
4	Mr. Schonberger are you -
5	MR. SCHONBERGER: Yes.
6	MEMBER CORRADINI: Okay. So, before you go
7	ahead, let me just see if there's others.
8	Is there anybody else that wants to make
9	a comment?
10	MR. KEEGAN: Yes. Michael Keegan with
11	Don't Waste Michigan.
12	MEMBER CORRADINI: Okay. So, Mr. Keegan,
13	you hold up. You're second. Mr. Schonberger is
14	first. Anybody else besides Mr. Keegan and Mr.
15	Schonberger?
16	(No response.)
17	MEMBER CORRADINI; Okay, Mr. Schonberger.
18	You can go ahead, please.
19	MR. SCHONBERGER: All right. Thank you.
20	Chairman Stetkar and members of the
21	Committee, my name is David Schonberger. I'm speaking
22	today as a member of the public who resides within a
23	50-mile radius of the Fermi site.
24	I submitted an electronic copy of my
25	written comments in advance of today's meeting so that
	1

(202) 234-4433

	211
1	my public submission will be included on the record.
2	MEMBER CORRADINI: We have that in front of
3	us.
4	MR. SCHONBERGER: Oh, excellent.
5	Okay. Well, in my oral comments right
6	now, I would actually like to reference the major
7	report recently released in July 2014 by the National
8	Research Council of the National Academies titled
9	"Lessons Learned from the Fukushima Nuclear Accident
10	for Improving Safety of US Nuclear Plants."
11	That committee's report fundamentally
12	endorsed the beyond-design-basis event planning,
13	severe accident prevention and consequence mitigation.
14	The report recommends particular attention
15	to improving the availability and reliability, as well
16	as the redundancy and diversity of specific nuclear
17	plant systems.
18	In my written comments, I outlined some of
19	the many NAS recommendations which unfortunately have
20	not been fully and verifiably implemented at Fermi
21	Unit 2, Fermi Unit 2, which is an aging Fukushima-
22	style GE Mark I BWR vulnerably located on an
23	international border with well-known design flaws
24	exacerbated by a reracked, closed frame, high-density
25	elevated spent fuel pool with weak safety margins

(202) 234-4433

ĺ	212
1	making Unit 2 an ideal candidate within the overall US
2	fleet for expedited transfer of spent fuel from wet
3	storage pools to dry cask post-Fukushima.
4	So, the Fermi Unit 3 COLA being discussed
5	today as it stands, proposes to locate a new reactor
6	and spent fuel pool immediately adjacent to Unit 2 at
7	the same site, therefore creating a Fukushima-style
8	multi-unit complex located near major metropolitan,
9	densely populated cities.
10	So, in my written comments, I make a
11	compelling case that the Fermi Unit 3 emergency plan
12	for response to a severe accident deserves further
13	analysis by the ACRS prior to ACRS endorsement of the
14	COLA, and that the applicant's implementation of
15	Fukushima NTTF recommendations is inadequate,
16	inconsistent and unrealistic respectively for 4.2, 7.1
17	and 9.3.
18	But right now in my oral comments, I want
19	to raise a slightly different concern which would be
20	an excellent topic for Friday morning, tomorrow's
21	discussion of Item Number 6 pertaining to internal
22	personnel matters within the ACRS.
23	I propose that Chairman Stetkar open a
24	discussion about the appearance of ethical conflict in
25	allowing the esteemed Dr. Michael Corradini to serve
	I

(202) 234-4433

	213
1	as the chairman of the ACRS subcommittee which
2	reviewed the Fermi Unit 3 COLA.
3	Dr. Corradini also served as a
4	contributor, preparer with substantive involvement in
5	the creation of the National Research Council's report
6	which I referenced earlier.
7	My concern is that Dr. Corradini is in an
8	awkward and conflicted position of reconciling the
9	incongruity of endorsing the Fermi Unit 3 COLA as it
10	stands while at the same time accepting Fermi Unit 2's
11	delayed and incomplete compliance with the
12	recommendation of the NAS report.
13	This is a travesty and I believe that full
14	implementation of Dr. Corradini's NAS recommendations
15	must be applied to Fermi Unit 2 as a prerequisite for
16	ACRS endorsements of the Fermi unit 3 COLA.
17	On the subject of uncertainties pertaining
18	to CEUS seismic source characterization model at the
19	Fermi 3 site, my written comments explain that the
20	most significant uncertainty associated with the CEUS
21	SSC model is that it does not include any
22	demonstration sites applicable to the Fermi site.
23	And, therefore, the impact of the CEUS SSC model on
24	the Fermi 3 seismic hazard is simply unknown.
25	Confirmation of seismic qualification has
	I Contraction of the second seco

(202) 234-4433

	214
1	not been achieved and must be a prerequisite for ACRS
2	endorsement of this COLA and not be allowed to happen
3	post-COL in a license condition or otherwise.
4	Regarding reliable spent fuel pool
5	instrumentation pertaining to radiation tolerance of
6	the electronics, please note that the same identical
7	shenanigans are going on right now with the Fermi Unit
8	2 spent fuel pool.
9	So, this issue is not going away and thank
10	you for listening.
11	MEMBER CORRADINI: Thank you, Mr.
12	Schonberger. I think we still have another gentleman
13	on the line.
14	MR. KEEGAN: Yes.
15	MEMBER CORRADINI: Go ahead identify
16	yourself, please.
17	MR. KEEGAN: Yes. This is Michael Keegan
18	with Don't Waste Michigan, an intervener on the Fermi
19	3 COLA. I echo the comments that have been made thus
20	far and wish to add to the concerns about seiches.
21	In 1972, the Davis-Besse Nuclear Plant was
22	underwater for about a month because the straight-line
23	winds had flooded the plant. Fermi is just up the
24	road from that.
25	Additionally, I hear that there's no risk
	1

(202) 234-4433

1 of tsunami and I harken to the fact that there are 2 bluffs in the Great Lakes. And there are bluffs on Lake Erie nearly a hundred feet tall at Erie Bluffs 3 State Park, a mile of bluffs 90 feet tall. 4 There's 5 Perry Township, Stanley, Ontario, John Pearce Park, at least four locations, local locations where there are 6 bluffs that could collapse and could fall into Lake 7 8 Erie and generate a tsunami. So, the flood concern I 9 believe is real and has been glossed over. 10 What I've been trying to get answers to 11 questions for going on five years is the enrichment level of the fuel to be utilized at Fermi. Will it be 12 To what level? Will this be MOX fuel? 13 enriched? Will this be high-burning fuel? And no one will 14 15 answer that question. Either they don't know the answer, or they will not, but it seems to be - I'm 16 17 waiting for the paper to stop rustling. 18 Thank Ιt be just you. seems to 19 fundamental what octane level you're going to be 20 running in the reactor and withheld from the public. In addition, I've been unable to get a 21 comment as to the one million gallons of water above 22

23 the reactor that would be there if storage, 24 essentially eight million gallons - or eight million 25 pounds, rather, how will that respond in a seismic

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

215
Í	216
1	event? That has not adequately been addressed.
2	I have concerns about the transmission
3	corridor, the total avoidance of looking at the
4	transmission corridor and it's essentially been
5	chopped out of the equation.
6	All of the transmission lines are going to
7	be on one corridor, so there's potential for a single
8	fault. And so, the utility argues that the design of
9	the reactor is passive gravity-driven and that AC
10	power is not really needed and we have 72 hours of
11	power onsite.
12	MEMBER CORRADINI: You're breaking up, sir.
13	MR. KEEGAN: Okay. And so, it can't be
14	assumed that the passive nature of the gravity-driven
15	pumps are going to work and supply enough coolant to
16	that - should I just talk over the rustling papers, or
17	should I wait for the rustling papers to stop
18	rustling?
19	CHAIRMAN STETKAR: We can hear you fine if
20	you just don't fade in and out.
21	MR. KEEGAN: Okay. All right. Very good.
22	I just didn't know if the rustling okay. So, the
23	assumption that you don't need A/C power because you
24	have gravity-driven pumps has never been challenged,
25	never been looked at, never been scrutinized, and that
1	1

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	217
1	needs to be looked at.
2	Dr. Edward Lyman with Union of Concerned
3	Scientists raised this issue at Victoria Station about
4	the ability of the ESBWR to supply that if the water
5	surpassed the needed without having electricity,
6	that's problematic.
7	So, there have been a multitude of open
8	issues and I would just like to highlight the point
9	that the quality throughout of the inspections at
10	General Electric, the steam dryers, the deception that
11	went on there, in 2009 General Electric was cited for
12	quality assurance problems.
13	A month earlier Detroit Edison was cited
14	for violations on the quality assurance. In December,
15	I believe it was the Office of Inspector General found
16	that the NRC themselves lacked quality assurance
17	background and abilities.
18	So, the point is, ACRS, you've got to look
19	at all the -
20	CHAIRMAN STETKAR: Sir, either get a little
21	closer to your microphone, or a little further away,
22	because you're breaking up again and it's on your end.
23	MR. KEEGAN: Okay.
24	CHAIRMAN STETKAR: Thank you. That's good.
25	MR. KEEGAN: Okay. My point about quality

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	218
1	assurance, it's been lacking throughout at General
2	Electric, at Fermi, at the NRC. So, do not assume
3	that those processes caught items.
4	ACRS, you're the final backstop here and
5	we are challenging that quality assurance itself
6	before the NRC Commission and we extend the challenge
7	that in Appellate Court, this is the Supreme Court, we
8	have a rock solid case that there is quality assurance
9	lacking at the Fermi 3.
10	There was quality assurance lacking at the
11	Fermi 2 and we're prepared to demonstrate that right
12	from inception.
13	So, don't put the rubber stamp on this
14	thing. This is a boondoggle. Do not put the rubber
15	stamp on it. Scrutinize it. Do your job. Thank you.
16	MEMBER CORRADINI: Thank you, sir.
17	Is there other comments from the open
18	phone line?
19	(No response.)
20	MEMBER CORRADINI: Okay. Thank you very
21	much. So, with that, I think we're done.
22	Do I have any more comments from the
23	members? If not, Mr. Chairman, back to you.
24	CHAIRMAN STETKAR: Thank you. And that
25	concludes our session for the record. We will recess
	I

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	219
1	until 3:15 and come back and start working on letters.
2	What I'd like to do is tee up the Fermi
3	letter first so that we have the benefit of the folks
4	who are here and want to hang around and listen to
5	that. We recess until 3:15.
б	(Whereupon, the above-titled matter went
7	off the record at 2:58 p.m.)
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	
	I contraction of the second seco



United States Nuclear Regulatory Commission

Protecting People and the Environment

Qualitative Consideration of Factors in the Development of Regulatory Analyses and Backfit Analyses

ACRS Full Committee Meeting September 4, 2014



- Purpose
 - Provide an overview of SECY-14-0087, "Qualitative Consideration of Factors in the Development of Regulatory Analyses and Backfit Analyses."
- Outline
 - Overview and Status
 - Background
 - Qualitative Consideration of Factors by the NRC
 - Federal and International Agencies
 - Scenarios Involving Qualitative Consideration of Factors
 - Conclusions
 - Staff's Proposal
 - References



Overview and Status

- Staff submitted SECY-14-0087, "Qualitative Consideration of Factors in the Development of Regulatory Analyses and Backfit Analyses," to the Commission on August 14, 2014.
- Notation Vote SECY paper with four enclosures
 Seeking Commission approval of staff's proposal



Background

- SRM-SECY-12-0157 directed the staff to "seek detailed Commission guidance regarding the use of qualitative factors [in regulatory analyses and backfit analyses] in a future notation voting paper"
 - Scope of this paper includes regulatory analysis and backfit analysis for all NRC regulated activities
- Context
 - Part of staff's plan for updating cost-benefit guidance, SECY-14-0002
 - Linked to SECY-13-0132 (NTTF Recommendation 1) and RMRF due to defense-in-depth
 - Public Meeting on Qualitative Consideration of Factors held in May 2014



Qualitative Consideration of Factors by the NRC

- NRC guidance notes that even inexact quantification with large uncertainties is preferable to no quantification.
- Staff qualitatively considers factors which are not quantified in regulatory analyses and backfit analyses.
- Current practice consistent with NRC guidance and Commission direction
 - NUREG/BR-0058, Revision 4, "Regulatory Analysis Guidelines of the U.S. Nuclear Regulatory Commission"
 - SECY-77-388A, "Value-Impact Guidelines" instructed to quantify factors and qualitatively consider factors
 - SRM-SECY-93-086 allowed for qualitative consideration of factors for backfit analyses within the "substantial increase" criterion



Qualitative Consideration of Factors by the NRC *cont.*

- NRC Risk-Informed Decisions
 - Commission Safety goals and PRA Policy Statements discuss importance of qualitatively considering factors
 - Reg. Guide 1.174 notes decisions are expected to be made in "an integrated fashion"
- Adequate Protection Determinations
 - Limited to public health and safety and common defense and security matters; determined at the Commission's discretion
 - Only related quantitative measure is the power reactor safety goal surrogates to the quantitative health objectives
- Cost-Justified Substantial Safety Enhancements
 - NUREG-1409 states that the backfitting rule does not require a strict quantitative analysis



Qualitative Consideration of Factors by the NRC *cont.*

- Enclosure 1 of the SECY paper provides a list of past NRC regulatory actions that rely upon the qualitative consideration of factors
- Examples of factors that are difficult to quantify
 - Defense in depth (DID)
 - Increased security capabilities
 - Increased public confidence
 - Increased regulatory effectiveness



Federal and International Agencies

- Documents that require or recommend the use that federal agencies qualitatively consider factors
 - Executive Order (EO) 12866, "Regulatory Planning and Review"
 - Office of Management and Budget (OMB) Circular A-4, "Regulatory Guidance"
 - Office of Information and Regulatory Affairs (OIRA),
 "Regulatory Impact Analysis: A Primer"
- Importance of qualitative considerations is recognized internationally
 - OECD/NEA report, "Methodologies for Assessing the Economic Consequences of Nuclear Reactor Accidents," April 2000, discusses importance of qualitative considerations of factors



Federal and International Agencies *cont.*





Scenarios Involving Qualitative Consideration

- Scenario A:
 - Benefits cannot be quantified and are presented only qualitatively
 - Costs are quantified
 - Past application to security-related and nonpower reactor regulatory actions
- Scenario B:
 - Some benefits can be quantified, others qualitatively considered
 - Costs are quantified
 - The net benefit of the quantitative analysis is **positive**



Scenarios Involving Qualitative Considerations

- Scenario C:
 - Some benefits can be quantified, others qualitatively considered
 - Costs quantified
 - The net benefit of the quantitative analysis is <u>negative</u>; qualitative considerations support the regulatory action
- Scenario D:
 - Some benefits can be quantified, others qualitatively considered
 - Costs are quantified
 - The staff identifies the qualitatively considered factors, but does not include them when forming a recommendation



Conclusions

- NRC guidance notes that the staff should make reasonable efforts to quantify costs and benefits.
- Both quantitative and qualitative consideration of factors is important to understanding the overall impacts of a regulatory action
- Aligned with other federal and international agencies' practices
- NRC's current framework for considering qualitative consideration of factors is sound
- Lack of specific guidance has led to a perception that qualitative consideration of factors can be arbitrarily weighted against quantitative consideration of factors
- The staff finds that developing guidance to clarify the potential tools available would enhance the transparency and consistency of the regulatory process



Staff's Proposal

- Update cost-benefit guidance to include a set of methods that could be used for the qualitative consideration of factors within a cost-benefit analysis for regulatory analyses and backfit analyses
- The revised guidance would include information regarding how and when to apply the methods and how the results would be used to inform the decisions.
- Methods should be consistent with the PRA policy statement as characterized in Reg. Guide 1.174
- Regulatory analyses and backfit analyses decision rationale should include
 - Describing qualitative evaluation of factors
 - Significance of each factor
 - How each factor contributes to the integrated decisionmaking process
- If Commission approved, guidance would be developed as part of overall plan for updating cost-benefit guidance
 - Staff would plan to have ACRS interactions/review



References

- SECY-14-0087 available at ML14127A458
- EO 12866, 58 FR 51735 (October 4, 1993) and http://www.whitehouse.gov/omb/inforeg_riaguide/
- May 28, 2014 Public Meeting Summary available at ML14156A024
- NRC policy statements available at <u>http://www.nrc.gov/reading-rm/doc-</u> <u>collections/commission/policy/</u>
- NUREG/BR-0184 available at ML050190193
- NUREG/BR-0058 available at ML042820192



References (cont'd)

- NUREG-1409 available at ML032230247
- NUREG-1530 available at ML063470485
- OMB Circular A-4, available at ML11231A834
- OIRA Regulatory Analysis Primer, <u>http://www.whitehouse.gov/sites/default/files/omb/infore</u> <u>g/regpol/circular-a-4_regulatory-impact-analysis-a-</u> <u>primer.pdf</u>
- Regulatory Guide 1.174 available at ML100910006
- OECD/NEA April 2000 report <u>http://www.oecd-</u> <u>ilibrary.org/nuclear-energy/methodologies-for-</u> <u>assessing-the-economic-consequences-of-nuclear-</u> <u>reactor-accidents_9789264181472-en</u>



References (cont'd)

- SECYs available at http://www.nrc.gov/reading-rm/doc-collections/commission/ or in ADAMS
- SECY-77-388A available at ML12234B122
- SECY-12-0110 available at ML12173A478
- SECY-12-0157 available at ML12345A030
- SRM-SECY-12-0110 available at ML13079A055
- SRM-SECY-12-0157 available at ML13078A017
- SRM-SECY-13-0132 available at ML14139A104



Generic Letter Monitoring of Neutron-Absorbing Materials in Spent Fuel Pools

Scott Krepel – Division of Safety Systems Matthew Yoder – Division of Engineering Office of Nuclear Reactor Regulation

ACRS Full Committee Meeting

September 4, 2014



NRC Opening Remarks

Timothy McGinty – Division Director Office of Nuclear Reactor Regulation Division of Safety Systems

ACRS Full Committee Meeting

September 4, 2014



Regulatory Basis

- Regulatory criteria to prevent the occurrence of inadvertent criticality events in the SFP
 - 10 CFR 50.68
 - GDC 62
- Licensees submit nuclear criticality safety analyses to demonstrate that the criteria are met



- Typically SFP NCS
 Analysis have ~ 0.005
 k to regulatory limit.
- Compliance/Safety
 - Initially a compliance issue.
 - As degradation progresses it becomes a safety issue
 - As degradation progresses response to events becomes more of a concern
- Key is knowing condition of NAM

Reactivity Effect



Delta kinf

BWR Spent Fuel Pool



Minimum Critical Volume

Shika 1 ICE Core

- Control Rods
 - 89 Total
 - 3 Moved
- Displacement
 - A: 16 steps
 - B: 20 steps
 - C: 08 steps
 - The rest: 0
- Core periphery
 - Leakage
- Local Condition of NAM



Figure 2 Power Distribution of the Core





Boraflex with scallop EPRI TR-1003414



Boral with blisters EPRI TR-1013721

Materials



Carborundum sheet EPRI TR-1013721



AI359/23% B₄C large-grain MMC EPRI TR-1013721



Phenolic Resins

- B₄C particles encased in a phenolic resin matrix
- Polymer backbone degraded by irradiation and the pool environment, releasing B₄C particles
 - Modes and rates of degradation influenced by the specific panel environment
 - Ability of degraded matrix to retain B₄C not well known
- Limited ability to predict the loss of B₄C



Boraflex

• B₄C particles encased in a silicone matrix



- Multi-step degradation
 - 1. cross-linking and shrinkage, which leads to gaps
 - 2. conversion of silicone polymer backbone into slightly soluble silica particles
 - 3. Pool flow dissolution of silica particles, release of B_4C



Boral

AI-B₄C cermet with AI cladding



- Blisters form due to gas formation under the cladding
- Older material with unvented sheathing exhibited large bulges
- Blister presence, severity, and location vary widely based on specific material and pool environment
- Testing to date shows no loss of absorber material
- However, blisters displace moderator, resulting in an impact to criticality



BADGER uncertainties

- A typical BADGER campaign tests ~30-60 panels out of a ~3000-4000 panels in a pool
 - RACKLIFE is used to inform
 BADGER panel selection for
 Boraflex
 - No predictive method exists for other neutron absorbers



T.C. Haley, 2012



Operating Experience

- Information Notices (INs)
 - Documented operating experience events
- Other
 - Issues resolved through LARs/commitments
 - Improper uses of 10 CFR 50.59
 - Non-cited violations
 - Issues entered into licensee's Corrective Action Program



Prior NRC Actions

- Generic Letter (GL) 96-04
 - Requested evaluation of Boraflex degradation
- Technical Letter Reports
 - Technical evaluations by Research office
- Update to Existing Guidance
 - Generic Aging Lessons Learned Report
 - Interim Staff Guidance on criticality analyses



SFP Management Spreadsheet

- Lists how each pool meets the subcriticality requirements
- References the applicable licensing document
- Latest Update: March 2014
 - Carborundum/Tetrabor: 4 SFPs
 - Boraflex: 10-14 SFPs
 - Boral: 53 SFPs
 - Other: 13-16 SFPs



Generic Letter: Purpose

Request information demonstrating that credited neutronabsorbing materials in the spent fuel pool are in compliance with the current licensing and design basis, as well as applicable regulatory requirements

Determine if additional regulatory action is required



Information Requested

- 1. Material properties and configuration
- 2. Surveillance program methodologies
- 3. Surveillance program frequencies
- 4. Criticality analysis modeling of the material and degraded material
- 5. Design basis event considerations



Response to Public Comments

- Subcriticality margin that forms part of a plant's licensing basis should not be credited to address issues not considered when the licensing basis was approved (e.g., no double-counting of margin)
- Recent operating experience shows that effective monitoring is necessary to ensure compliance




- Management of degradation of neutronabsorbing materials is a compliance and safety issue
- Recent events have raised concerns that current monitoring may not be adequate
- Therefore, the NRC is requesting information that licensees should have readily available



Industry View on Neutron Absorbers

Kristopher Cummings

Sr. Project Manager, Used Fuel Programs Sept 4th, 2014 • Rockville, MD



Topics of Discussion

- Types of Neutron Absorbers in Use
- Is this a Safety Concern?
- Ongoing Industry Efforts
- Alternative Proposal
- Summary/Conclusions



Types of Neutron Absorbers in Use

Boraflex

- B₄C particles bound in a silicone rubber matrix
- Degradation mechanism is based on a threshold gamma dose and exposure to pool water (especially flowing water)
- Degradation causes dissolution of silicia into pool water and loss of B₄C from matrix

<u>Carborundum</u>

- B₄C particles in a Phenolic Resin
- Aging/Degradation issues:
 - Loss of weight
 - Off-gassing from pool water exposure
- Plate type is extremely thick (0.25") and black (0.1 g ¹⁰B/cm²)

Boral

- Aluminum Boron Carbide Cerment
- Aging/Degradation issues:
 - Blistering (seperation of Al clad from core material)
 - Pitting (small, localized)
- No observed loss or redistribution of B₄C
- EPRI Boral database contains data extending over 25

years

Metal-matrix Composites

(Metamic, Alcan, Boralcan)

- Fully dense (no porosity)
- Aging/Degradation issues are:
 - Pitting (small, localized)
 - General Corrosion
- No blistering possible (no Al clad)
- No observed loss or redistribution of B₄C (~10 years in service)

3









Types of Neutron Absorbers in Use

Carborundum/Tetrabor

- All plants credit some amount of the neutron absorber and have monitoring programs in place.
- Boraflex
 - Majority of plants have discontinued credit of neutron absorber.
 - Remainder of plants have LARs for inserts, LARs to remove/take partial credit, or monitor via in-situ testing.
- Boral
 - Over 50% of the plants have coupon testing programs
 - Those plants without coupons are adding in-situ testing and/or monitoring fleet & industry results
- Metamic/Boralcan
 - All have coupon monitoring programs

Installed Neutron Absorber



Credited Neutron Absorber



4



Is this a Safety Issue?

- Non-Metallic Absorbers (Boraflex, Carborundum)
 - Degradation has largely been addressed by:
 - elimination of absorber credit
 - installation of new neutron absorber inserts
 - Monitoring/reanalysis with conservative treatment and prediction of neutron absorber presence

- Metallic Absorbers (Boral, Metal-matrix)
 - Aging effects for metallic absorbers is a slow process (decades) that provides advance indication through coupon testing, in-situ measurements and pool chemistry.
 - Aging effects (pitting, general corrosion, localized loss of material) has a negligible effect on criticality (< 0.001 Δ k).
 - Boral blistering, theoretically could have an impact $(0.01 \Delta k)$ in flux-trap racks, in reality is a minimal localized effect $(0.001 \Delta k)$. These effects are addressed in the licensee 10 CFR Part 50, Appendix B quality assurance program.
- Large loss of material (50-60%) is needed to overcome administrative margin (0.05 Δk)
- Significant amounts of independent reactivity hold-down is present in pools:
 - PWR Pools:
 - Soluble boron present in pool to offset unexpected conditions (approximately 2000ppm per Tech Spec = ~0.20 Δ k)
 - BWR Pools:
 - Analysis based on maximum reactivity provides significant conservatism (> 0.10 Δ k)
 - Regulatory administrative margin (0.05 Δk)



Ongoing Industry Efforts on Neutron Absorbers

• EPRI Accelerated Boral Corrosion Testing :

- BWR & PWR Spent Fuel Pool Conditions
- Five year test program
- 192 coupons are placed in baths
- Encapsulated and Unencapsulated Coupons
- Various fabrication processes
- Tests are conducted at 195°F to simulate approximately >60 years of service life
- First year results showed pitting, no blisters, no loss of areal density



EPRI Zion Comparative Analysis Project

- Perform a comparative analysis of
 - Surveillance sample coupon measurements
 - In-situ measurements
 - BORAL panel test measurements
- Opportunity to address concerns with comprehensive plant data
- Boral panels have been in use since 1993; plant shutdown in 1998
- Provide the technical bases that will permit the continued longterm use of Boral based on current surveillance practices

- **NEI 12-16**, "Guidance for Performing Criticality Analysis of Fuel Storage at Light Water Reactor Power Plants":
 - Includes a section on the appropriate monitoring program depending on material and availability of coupons
- Industry continues to share test results, operating experience through the EPRI Neutron Absorbers Users Group (NAUG)
- Potential investigation into realistic estimate of reactivity effect of postulated aging effects or degradation on criticality analysis (blistering, pitting, corrosion).
 - Help determine a threshold at which degradation has a negligible/non-negligible effect.



Alternative Proposal

- NEI has proposed the following alternative to the draft Generic Letter:
 - Allow licensees to commit to an acceptable neutron monitoring program (i.e., NEI 12-16)
 - Focus scope of Generic Letter on known susceptible materials (Boraflex, Carborundum/Tetrabor)
 - Exclude the following licensees:
 - No credited absorber in the criticality analysis
 - Already undergone license renewal (have an existing aging management program)
 - Have an approved program in the last five years through a license amendment request.
 - For remainder of plants, remove request for detailed information in Appendix A.



Summary/Conclusions

- Industry has responded to operating experience and NRC notifications to address significant neutron absorber degradation issues. (Boraflex, Carborundum)
- With 35 years of in-pool exposure, Boral continues to provide the same level of neutron absorption capability as when it was installed.
- Newer metal-matrix materials are expected to provide a similar or better level of performance compared to Boral (blistering eliminated).
- Existing monitoring programs and industry research will provide additional information to ensure that any degradation processes are observed and responded to prior to becoming a safety or compliance issue.
- NEI proposed alternative is a risk-informed approach that focuses industry and regulatory attention on those materials that are most susceptible to aging effects and potential degradation mechanisms.





Fermi 3 COLA Presentation to Full ACRS Committee





- Background
 - -Overview of the Design and Departure
- Site Characteristics and Applicability

 Review Flooding and Seismic Evaluations
- Fukushima Near Term Task Force Recommendations
 - 4.2 Mitigating Strategies for Beyond-Design-Basis External Event
 - 7.1 Reliable Spent Fuel Pool Instrumentation
 - 9.3 Emergency Preparedness



Fermi 3 Implements Standard ESBWR Design

- ESBWR DCD Revision 10 Incorporated by reference
- The ESBWR is well suited for the Fermi 3 Site
- Supplements added where DCD requires additional information to address site-specific considerations
- One Departure from DCD to increase solid waste storage capacity in RadWaste Building

Site Characteristics - Flooding



Overview of Hydrology in Site Vicinity

- Located on western shore of Lake Erie
- Swan Creek runs along the north edge of the site. Swan Creek watershed is approximately 106 square miles
- The western basin of Lake Erie is relatively shallow
- Maximum probable flood level is below plant grade for Fermi 3 safety-related and RTNSS structures





- Fermi 3 Ground Motion Response Spectra (GMRS) was developed using current regulatory guidance
 - Used Central and Eastern United States Seismic Source Characterization (CEUS SSC) model (NUREG-2115)
 - Used EPRI 2004/2006 Ground Motion Models
 - Followed NUREG-2117 guidance to incorporate new information into seismic hazard model
- Fermi 3 GMRS, Foundation Input Response Spectra (FIRS), and resulting site-specific in-structure responses are well enveloped by the ESBWR standard plant design

Site Characteristics – Seismic Fermi 3 is Bounded by ESBWR Design



Fermi 3 GMRS compared to ESBWR CSDRS (5 percent damping)



GMRS for Fermi 3 site is well enveloped by the ESBWR horizontal and vertical Certified Seismic Design Response Spectra (CSDRS)

Site Characteristics – Seismic Fermi 3 is Bounded by ESBWR Design



Fermi 3 RB/FB FIRS compared to ESBWR CSDRS (5 percent damping)



FIRS for Fermi 3 RB/FB, CB, and FWSC are well enveloped by the ESBWR horizontal and vertical CSDRS

Site Characteristics – Seismic Fermi 3 is Bounded by ESBWR Design







Fermi 3 COLA Presentation to Full ACRS Committee





Fukushima Near Term Task Force Recommendations

- 4.2 Mitigating Strategies for Beyond-Design-Basis External Event
- 7.1 Reliable Spent Fuel Pool Instrumentation
- 9.3 Emergency Preparedness



Fermi 3 satisfies the requirements applicable to the passive ESBWR design

- NRC Order EA-12-049, "Order Modifying Licenses with Regard to Requirements for Mitigation Strategies for Beyond-Design-Basis External Events"
- JLD-ISG-2012-01, "Compliance with Order EA-12-049, Order Modifying Licenses with Regard to Requirements for Mitigation Strategies for Beyond-Design-Basis External Events"
- NEI 12-06, "Diverse and Flexible Coping Strategies (FLEX) Implementation Guide"

Recommendation 4.2 - Mitigating Strategies for Beyond Design Bases External Events



- ESBWR passive design provides for coping during the initial 72 hours
- Time periods beyond 72 hours are addressed by supplementing installed plant equipment with on-site and off-site resources



Fermi 3 satisfies the requirements applicable to the ESBWR design

- NRC Order EA-12-051, "Reliable Spent Fuel Pool Instrumentation"
- JLD-ISG-2012-03, "Compliance with Order EA-12-051, Reliable Spent Fuel Pool Instrumentation"
- NEI 12-02, "Industry Guidance for Compliance with NRC Order EA-12-051, To Modify Licenses with Regard to Reliable Spent Fuel Pool Instrumentation"



- Staffing and Communications Assessments will be performed in accordance NEI 12-01, "Guidance for Assessing Beyond Design Basis Accident Response Staffing and Communications Capabilities"
 - Assessments completed at least two years prior to scheduled initial fuel load
 - Corrective Actions implemented one hundred eighty days prior to scheduled initial fuel load



Protecting People and the Environment

Presentation to the ACRS Full Committee

Fermi Unit 3 COL Application Review

Site Characteristics

September 4, 2014



Site Characteristics

Presentation Outline

Overview of FloodingOverview of Seismic Evaluation

Technical Staff

- RHM, Chief, Aida Rivera-Varona
- RHM, Technical Review, Henry Jones
- RHM, Technical Review, Joseph Giacinto
- RGS, Chiefs, Diane Jackson and Rebecca Karas
- RGS, Technical Reviewer, Sarah Tabatabai
- SEB, Chief, Jim Xu
- SEB, Technical Reviewer, Manas Chakravorty



Section 2.4 Hydrology

Presented by: Henry Jones



Summary of FSAR Section 2.4

EF3 COL Item 2.0-13-A – Flood

- Staff reviewed: (1) Historical flooding, (2) Individual types of flood-producing phenomena, (3) Combinations of flood-producing phenomena, (4) Factors affecting potential runoff and (5) Local intense precipitation.
- Staff verified that runoff from local intense precipitation (584.8 ft NAVD88) would not exceed the site grade plant parameter of 589.3 ft.
- EF3 COL Item 2.0-14-A Probable maximum flood on streams and rivers effecting site.
- Staff verified that the flooding from streams and rivers (579.4 ft NAVD88) would not exceed the site grade plant parameter of 589.3 ft.

• EF3 COL Item 2.0-16-A - Probable Maximum Surge and Seiche Flooding

- The staff calculated a still water level of 585.4 ft NAVD88. The maximum elevation that waves would break is 587.7 ft at the toe of the berm with a wave runup to 588.4 ft. These elevations are 1.6 ft and 0.9 ft below the elevation of the Fermi 3 safety structures (589.3 ft), respectively.
- The open water of Lake Erie "results in a natural period of oscillation (29-124 s) of the flooded area that is much greater than that of the incident shallow-water storm waves (11 s) no seiche.



Summary of FSAR Section 2.4

• EF3 COL Item 2.0-17-A - Probable Maximum Tsunami Hazards

Based on the history of the area and geological characteristics, the staff verified that local seismic disturbances would result only in minor excitations in the lake. No tsunami has been recorded in Lake Erie.

• EF3 COL Item 2.0-23-A - Groundwater

- Operations and safety-related systems do not rely on dewatering.
- The DCD's requires the(maximum) groundwater level to be at least 2 ft below the Fermi 3 plant grade. The historical high groundwater level is 12.7 ft below the planned plant grade. The PMF elevation of 584.4 ft NAVD 88 may allow onsite groundwater levels to reach 4.4 ft below the planned plant grade.
- EF3 COL Item 2.0-24-A Accidental Releases of Liquid Effluents in Ground and Surface Waters
- Verified radionuclide release simulations were adequately conservative.
- Confirmed radionuclide levels would be below required levels at fictitious (well and Lake Erie) receptors.



Section 2.4 Hydrology

Questions



Presented by: Sarah Tabatabai



Overview of Staff Review

- COL information item EF3 COL 2.0-27A (Vibratory Ground Motion): Addresses the provision for site-specific information related to the vibratory ground motion aspects of the site including: seismicity, geologic and tectonic characteristics, the correlation of earthquake activity with seismic sources, a probabilistic seismic hazard analysis, seismic wave transmission characteristics, and site-specific GMRS.
- Applicant's response to RAI 01.05-1, which addressed the Fukushima Recommendation 2.1 (R2.1) seismic hazard reevaluation



Background Related to the R2.1 Seismic Hazard Reevaluation

- Fermi 3 COL FSAR Section 2.5.2 Ground Motion Response Spectra (GMRS) was originally based on an updated EPRI-SOG (1986) seismic source model and the EPRI (2004, 2006) Ground Motion Model.
- NRC issued RAI 01.05-1 in May, 2012, which addressed R2.1 of the Fukushima Near Term Task Force:
 - a) Evaluate the potential impacts of the CEUS-SSC model (NUREG-2115) on the seismic hazard
 - b) Modify the site-specific GMRS and Foundation Input Response Spectrum (FIRS) if it's determined that changes are necessary given the evaluation performed in part a) above



Background Related to the R2.1 Seismic Hazard Reevaluation (Continued)

- In response to RAI 01.05-1, the applicant made major revisions to FSAR Section 2.5.2, which included an updated earthquake catalog, probabilistic seismic hazard analysis (PSHA), site response analysis, and GMRS reflecting the use of the CEUS-SSC model.
- The staff's review of the applicant's RAI response is detailed in SER Section 2.5.2



Staff Evaluation and Additional Staff Confirmation

- Staff developed a supplementary earthquake catalog, which confirmed that the applicant's updated earthquake catalog adequately characterizes the local and regional seismicity through 2012
- Staff's confirmatory PSHA results are almost identical to the applicant's PSHA results for the distributed seismicity sources
- Staff's confirmatory site response results are very similar to the applicant's results
- Additional staff confirmation performed after SER completion involved developing a GMRS using the staff's confirmatory PSHA results (complete model) and site response results along with the EPRI (2013) ground motion model (GMM)



Additional Staff Confirmation

Ground Motion Response Spectra





Staff Conclusions

- Applicant has provided sufficient information to satisfy the relevant NRC regulations, the guidance in Section 2.5.2 of NUREG-0800, and applicant NRC regulatory guides
- Applicant has adequately addressed COL Item EF3 2.0-27-A related to vibratory ground motion.
- Applicant has adequately addressed the R2.1 RAI (RAI 01.05-1)


Section 2.5.2 Vibratory Ground Motion

Questions



Presented by: Manas Chakravorty



Overview

- Fermi FSAR incorporates ESBWR DCD Sections 3.7 and 3.8 by reference
- Site-specific FIRS are bounded by the CSDRS
- Fermi performed site-specific SSI analyses to address DCD backfill requirements and partial rock embedment effect
- Site-specific seismic demands for RB/FB and CB are bounded by standard plant design, including sensitivity analyses with backfill and no-backfill



Conclusions

- Applicant incorporated ESBWR DCD seismic design of Category I structures by reference with supplemental Information to address partial embedment of the RB/FB and CB in the rock and DCD backfill requirement
- Staff reviewed and determined that Supplemental Information for site-specific SSI is adequate
- Staff concludes that the applicant has provided sufficient information to meet relevant ESBWR DCD requirements and applicable NRC regulations



Questions



Acronyms:

- DCD Design Control Document
- RB/FB Reactor/Fuel Building
- CB Control Building
- FWSC Fire water Service Complex
- CSDRS Certified Seismic Design Response Spectra
- FIRS Foundation Input Response Spectra
- PBSRS Performance Based Surface Response Spectra
- SSI Soil Structure Interaction
- SSSI Structure-Soil-Structure Interaction
- LB/UB/BE Lower Bound/Upper Bound/Best Estimate
- LR/IR/UR Lower Range/Intermediate Range/Upper Range
- SASSI Computer Code for SSI analysis
- MSM Modified Subtraction Method
- DM Direct Method



Section 2.5.2 Vibratory Ground Motion

Backup Slides



Section 2.5.2 Vibratory Ground Motion

Background Related to the R2.1 Seismic Hazard Reevaluation (Continued)



Repeated Large Magnitude Earthquake (RLME) sources are defined as having had two or $_{21}$ more earthquakes with **M** 6.5.



Section 2.5.2 Vibratory Ground Motion CEUS-SSC Model Summary (Continued)



Mmax zones are based on average or "default" characteristics that are representative of large areas of the CEUS and are based on historical seismicity and broad-scale geologic and tectonic data



SNRC **Section 2.5.2 Vibratory Ground Motion CEUS-SSC Model Summary (Continued)**



Seismotectonic zones are based on historical seismicity and regional-scale geologic and tectonic data to characterize seismic sources zones at a finer scale than the Mmax zones model.



Section 2.5.2 Vibratory Ground Motion Staff Evaluation

Earthquake Catalog



Source: FSAR Figure 2.5.2-202



Section 2.5.2 Vibratory Ground Motion Staff Evaluation (Continued)

Earthquake Catalog





Section 2.5.2 Vibratory Ground Motion

Staff Evaluation (Continued)

PSHA Confirmatory Analysis



Source: FSER Figures 2.5.2-9 and 2.5.2-11



Section 2.5.2 Vibratory Ground Motion Staff Evaluation (Continued)

Site Response Confirmatory Analysis



Figure developed from Applicant's results provided in SER Figure 2.5.2-12 and the Staff's results shown in SER Figure 2.5.2-13 (corresponding to a Q_s =40) 27



Section 2.5.2 Vibratory Ground Motion

Hazard Curve Uncertainty (Continued)

Comparison of Applicant's EPRI-SOG and CEUS-SSC Results





Section 2.5.2 Vibratory Ground Motion

Hazard Curve Uncertainty

Comparison of EPRI-SOG and CEUS-SSC Mmax Distributions for Host Source Zones



Presentation to the ACRS Full Committee

Fermi Unit 3 COL Application Review

NTTF Fukushima Recommendations

September 4, 2014



Site Characteristics

Presentation Outline

Overview of Fukushima Recommendations 4.2, 7.1 and 9.3

Technical Staff

- BPFP, Chief, Antonio Dias
- BPFP, Technical Review, Angelo Stubbs
- BPFP, Technical Reviewer, Raul Hernandez
- NSIR/IRIB, Technical Reviewer, Eric Schrader
- NSIR/NRLT, Technical Leader, Dan Barss



Fukushima Recommendation 4.2

Presented by: Angelo Stubbs



Fukushima Recommendation 4.2

<u>US NRC Order EA-12-049</u> requires nuclear facilities to implement mitigating strategies for beyond-design-basis external events (BDBEE) using a three-phase approach.

- The first (Initial) phase relies on the use of installed equipment and resources to maintain or restore core cooling, SFP cooling, and containment function
- The second (transition) phase allows for the use of portable, onsite equipment and consumables to maintain or restore core cooling, SFP cooling, and containment function until resources brought off site are available
- The third (final) phase requires obtaining sufficient offsite resources to sustain function indefinitely



Staff Evaluation

The Fermi 3 Mitigating Strategies for BDBEEs was evaluated by the staff with respect to NRC Order EA 12-049. Information reviewed included, DTE's responses to staff's RAI's, information in FSAR Section 1.5.1.1.1, and DCD information incorporated into the Fermi 3 FSAR by reference. The staff found that the Fermi 3 Mitigation Strategy will adequately addresses recommendation 4.2 for the following reasons:

- Fermi 3 uses ESBWR standard design that includes passive design features that provide core, containment, and SFP cooling capability for 72 hours without reliance on AC power or operator action, and thus has an inherent 72 hour coping capability as part of its design basis.
- Fermi 3 SBO coping for the first 72 hours is accomplished using only installed safety-related plant equipment (i.e. isolation condenser system, and passive containment cooling system pools (PCCS) or Gravity-Driven Cooling System (GDCS).
- After 72 hours, final phase mitigation will address the indefinite extension of the coping and address offsite assistance requirements as well as procedures, guidance, training, acquisition, staging, equipment installation, etc. The staff imposed License Condition 20.2-1 to insure that the required strategies and guidance will be implemented to provide for post 72 hour coping.



Fukushima Recommendation 4.2 (cont.)

License Condition (20.2-1) Mitigation Strategies for Beyond Design-Basis External Events

At least one (1) year before the latest date set forth in the schedule for completing the inspections, tests, and analyses in the ITAAC submitted in accordance with 10 CFR 52.99(a), DTE Electric Company shall use the guidance contained in JLD-ISG-2012-01, "Compliance with Order EA-12-049, Order Modifying Licenses with Regard to Requirements for Mitigation Strategies for Beyond-Design-Basis External Events," Revision 0 and the information presented in Fermi FSAR Section 01.05 to complete the development of strategies and guidance for maintaining and, if necessary, restoring core cooling, containment, and spent fuel pool cooling capabilities beginning 72 hours after loss of all normal and emergency ac power sources, including any alternate ac source under 10 CFR 50.63. These strategies must be capable of:

- Mitigating a simultaneous loss of all ac power sources, both from the onsite and offsite power systems, and loss of normal access to the normal heat sink,
- Maintaining core cooling, containment, and spent fuel pool cooling capabilities for Fermi Unit 3 during and after such an event affecting both Fermi Units 2 and 3, and
- Being implemented in all plant modes.

Before initial fuel load, DTE Electric Company shall fully implement the strategies and guidance required in this license condition, including procedures, training, and acquisition, staging or installing of equipment and consumables relied upon in the strategies.



Fukushima Recommendation 4.2

Questions



Fukushima Recommendation 7.1

Presented by: Raul Hernandez



Fukushima Recommendation 7.1

- <u>US NRC Order EA-12-051</u>, "Order Modifying Licenses with Regard to Reliable Spent Fuel Pool Instrumentation," requires reliable spent fuel pool instrumentation.
- <u>JLD-ISG-2012-03</u>, "Compliance with Order EA-12-051, Reliable Spent Fuel Pool Instrumentation," defines the design features and programmatic requirements credited in defining level instruments as reliable.



Fukushima Recommendation 7.1 (continued)

- The staff found that the Fermi 3 SFP level instrument meets all the design and programmatic requirements described in JLD-ISG-2012-03 and, therefore, is in compliance with Commission Order EA-12-051
 - ESBWR design of the safety-related level instrument already addressed most of these features
 - Fermi 3 FSAR Section 1.5.1.1.2 expanded the level instrument design description to address the equipment power supply and accuracy
 - Level instruments will be permanently installed and, therefore, the development of procedures, testing and calibration requirements is within the scope of FSAR Tier 2 Section 13.5
 - License condition 20.3-1 addresses the development and implementation of a training program to ensure that personnel will be trained in the provision to establish alternate power connections to the level instruments



Fukushima Recommendation 7.1 (continued)

- ACRS Action Item: Environmental Qualifications for SFP Instrumentation
 - Order EA-12-051: "The primary and backup instrument channels shall be reliable at temperature, humidity, and radiation levels consistent with the spent fuel pool water at saturation conditions for an extended period. This reliability shall be established through the use of an augmented quality assurance process (e.g. a process similar to that applied to the site fire protection program)."
 - Fermi 3 incorporates by reference the ESBWR design which includes a passive spent fuel pool and buffer pool cooling designed to allow pool heat-up and boiling for up to 72 hours. The spent fuel pool and buffer pool are designed with alarm setpoints as low as the top of the active fuel. This is the same safety-related monitoring instrumentation used for addressing NTTF 7.1.



Fukushima Recommendation 7.1

Questions



Fukushima Recommendation 9.3

Presented by: Eric Schrader

Fukushima Tier 1 - NTTF Recommendation 9.3 Staffing and Communications

Recommends that the NRC require that facility emergency plans address prolonged SBO and multiunit events by:

- Determining and implementing required staffing to respond to a multi-unit event
 - RAI 01.05-2 asked the applicant to assess the staffing needs and communications systems and equipment used during an emergency event.
- Accessing communications equipment needed onsite and offsite during a prolonged SBO.
 - SECY-12-0025 required communication equipment relied on for an extended loss of ac power have adequate power to coordinate the response
- The applicant purposed a License Condition to addresses the Fukushima 9.3 recommendations:
 - The applicant will complete an assessment, at least 2-years prior to initial fuel load, of on-site and off-site communications systems and equipment required to ensure communications capabilities can be maintained during prolonged station blackout condition.
 - The applicant will complete an assessment, at least 2-years prior to initial fuel load, of the on-site and augmented staffing capability to satisfy the response to a multi-unit event
 - Affect all corrective actions identified by both assessments at least 180 days prior to initial fuel load

Fukushima Recommendation 9.3

The staff reviewed applicant's License Condition (LC) and modified it to remove reference to initial fuel load and instead reference schedules required by 10 CFR § 52.99(a) and 10 CFR 52.103(a) which establishes the date of initial fuel load. The staff finds the revised LC an acceptable approach because it confirms to the guidance provided in:

- SECY-12-0025 states, in part, that the staff will also request all COL applicants to provide information required by the orders and request for information letters described in this paper, as applicable, through the review process.
- NEI 12-01, "Guideline for Assessing Beyond Design Basis Accident Response Staffing and Communications Capabilities", Revision 0.



Fukushima Recommendation 9.3

Questions

Presentation to the ACRS Full Committee

Fermi Unit 3 COL Application Review

ACRS Action Items

September 4, 2014



Presenters:

Yui Law, Technical Reviewer, MEB

and

Ryan Nolan, Technical Reviewer, BPFP



Closure of Open Item 03.02.01-3 related to list of SSCs for continued safe operation following an OBE

- ACRS requested that the NRC staff explain the close-out of Open Item 03.02.01-3 in Fermi 3 SER. The SER was not clear how the RAI response, which discussed RTNSS equipment, resolved the request for the SSC list for an OBE.
 - SER has been revised to clarify the open item, which was discussed in North Anna RAI 03.02.01-7.
- SRP Section 3.2.1 provides guidance to request a list of SSCs necessary for continued safe operation during and following an OBE. 10 CFR Part 50, Appendix S, Section IV(a)(2)(i)(A) states that if the OBE ground motion is set to one-third or less of the SSE, then the requirements associated with OBE ground motion in 10 CFR Part 50, Appendix S, Section IV(a)(2)(i)(B)(I) can be satisfied without the COL applicant performing explicit response or design analysis.
 - Appendix S is intended for the design of the safety-related SSCs to perform the safety functions.
 - OBE serves as a threshold for whether to shut down a plant. RGs 1.166/1.167 provide guidance on pre-earthquake planning and post-earthquake actions.
 - Safety-related SSCs are designed to SSE, which bounds OBE if OBE is set to be 1/3 or less of SSE.



Wind and Missile Loading on Structures Housing RTNSS 'B' SSCs

- Seismic Category | Structures
 - Tornado wind (330 mph)
 - Tornado missiles
- Seismic Category II Structures
 - Tornado wind (330 mph)
 - Hurricane missiles (195 mph)


Questions



Backup Slide

ESBWR DCD and RTNSS 'B' Policy

	RTNSS B SSCs Hurricane Design	RTNSS B SSCs Tornado Design
"Callan Memo" 1997	Category 5 wind load and missiles (200 mph)	n/a (specifically excluded in memo)
ESBWR DCD	Missiles (195 mph)	Wind load (330 mph)