

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Public Meeting to Discuss the Draft EIS for
an Early Site Permit at the PSEG Site:
Evening Session

Docket Number: (n/a)

Location: Middletown, Delaware

Date: Thursday, October 23, 2014

Work Order No.: NRC-1159

Pages 1-64

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

PUBLIC MEETING TO DISCUSS

THE DRAFT ENVIRONMENTAL IMPACT STATEMENT

FOR AN EARLY SITE PERMIT AT THE PSEG SITE

+ + + + +
EVENING SESSION

+ + + + +

Thursday,
October 23rd, 2014

+ + + + +
Middletown, Delaware

The Public Meeting was held at 7:00 p.m. at the
Middletown Memorial Site Revised, 27 West Green
Street, Middletown, Delaware, Chip Cameron,
Facilitator, presiding.

APPEARANCES:

CHIP CAMERON - FACILITATOR

JENNIFER DIXON-HERRITY - NUCLEAR REGULATORY COMMISSION

ED BONNER - ARMY CORPS OF ENGINEERS

ALLEN FETTER - NUCLEAR REGULATORY COMMISSION

1	A-G-E-N-D-A	
2	WELCOME AND OPENING REMARKS	3
3	JENNIFER DIXON-HERRITY	8
4	ED BONNER	10
5	ALLEN FETTER	13
6	PUBLIC COMMENTS:	26
7	CLOSING COMMENTS:	63
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

P-R-O-C-E-E-D-I-N-G-S

7:00 p.m.

FACILITATOR CAMERON: Good evening, everyone. My name is Chip Cameron and I would like to welcome you to the public meeting tonight.

And I'm going to serve as your facilitator for the meeting tonight. And in that role I will try to help all of you to have a productive meeting.

And our topic tonight is a Draft Environmental Impact Statement. And you might hear that acronym, EIS, or Environmental Impact Statement.

It is a document that the United States Nuclear Regulatory Commission, the NRC, has prepared on an application for an Early Site Permit. And, again, that acronym is ESP. You might hear that tonight. We are going to try to avoid acronyms as much as we can tonight.

But the company, PSEG, has submitted this application to reserve a site for a potential new reactor adjacent to the existing Salem and Hope Creek Nuclear Generating Stations.

And the Draft EIS, that the NRC has prepared, is one part of the NRC review on whether to grant the ESP.

And just want to talk to you, a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 bit, about the meeting process, so that you know what
2 is going to happen tonight. I would like to talk to
3 you about the objectives of the meeting, the format of
4 the meeting, some simple ground rules to allow us to
5 have a productive meeting.

6 And, also, I will introduce the speakers
7 to you. And in that regard I should mention that the
8 United States Army Corps of Engineers plays a
9 significant role in the review of this Early Site
10 Permit application.

11 And they are a cooperating agency in the
12 preparation of this Environmental Impact Statement.
13 And we do have some staff, from the Corps, who will be
14 addressing you this evening.

15 In terms of objectives, our first
16 objective is for the NRC staff, and the Corps, to
17 clearly explain the processes, what the findings are
18 in the Draft Environmental Impact Statement.

19 The second objective is for the NRC staff
20 to listen to your comments, and your concerns,
21 tonight. And this is a Draft EIS, and that term draft
22 is very significant.

23 It is not going to be finalized until the
24 NRC considers the comments that they hear from all of
25 you here, tonight, from a companion meeting that was

1 done in New Jersey several weeks ago. And from all
2 the written comments that they are going to be telling
3 you how to submit.

4 The comments, here tonight, will carry the
5 same weight as written comments. And you are free to
6 speak tonight and submit written comments, also.

7 In terms of format, there is going to be
8 three brief presentations. And then we are going to
9 go on to see if there is any clarifying questions that
10 we can answer, for you, before we go to the comment
11 period.

12 Then we are going to go to the comments.
13 So if you want to comment, if you could just fill out
14 a yellow card, out there at the front desk. We have
15 received several, so several people have signed up to
16 comment tonight.

17 And I will ask you to come up to the
18 podium to talk.

19 In terms of ground rules, they are very
20 simple. I would just ask you to hold your questions
21 until all of the presentations are done, and that way
22 you can get a complete picture of what is going on.

23 And I would ask that only one person speak
24 at a time. First of all, so that we can give our
25 complete attention to whomever has the floor.

1 But, second of all, so that we can get a
2 clear transcript. We are taking a transcript, and Ed
3 Johns is here, he is our court reporter.

4 That transcript will be your record of the
5 meeting, and the NRC's record of the meeting. And
6 that will be publicly available to all of you.

7 I would just ask you to be brief in your
8 comments. We have the luxury tonight, we often don't
9 have the luxury, because we have 40 or 50 people who
10 want to talk.

11 But we don't have nearly that many. So I
12 would ask you to be brief, but you could go ten
13 minutes if you want. But just for a period of time.
14 So I will remind you when we get close to ten minutes.

15 We had about 20 people, or so, this
16 afternoon. And I think that we had a couple of people
17 who went to eight minutes, but no one approached the
18 10 minute mark. So 10 minutes, if you can do that.

19 And I should note that when you are making
20 your comments, up here, and often people will come up,
21 and will pose a series of questions to the NRC.

22 Well, the NRC staff is not going to
23 respond to anything that is said here. They are going
24 to be listening to that, and they are going to
25 carefully consider that when they prepare the Final

1 EIS.

2 So don't be surprised that there is no
3 dialogue going on. But one important thing is that
4 the NRC staff will be here, and the Corps, the Corps
5 of Engineers, will be here after the meeting, if you
6 want to talk to them in more detail.

7 And often they will hear things that are
8 said, from the podium, and they will come over to you,
9 after the meeting is over, to talk to you further
10 about that.

11 In terms of speakers, the first speaker
12 that we have is Jennifer Dixon-Herrity, who is right
13 here. And Jennifer is the Chief of the Environmental
14 Branch at the NRC, at the Office of New Reactors. She
15 will be first.

16 And then we are going to go to Ed Bonner,
17 who is right here. And Ed is a Senior Biologist in
18 the Regulatory Section of the Corps of Engineers,
19 Philadelphia District Office.

20 And then, finally, we are going to hear
21 from Allen Fetter, in a little bit more detail about
22 what is the Draft EIS. He is the Environmental
23 Project Manager for this particular application. And
24 he is in Jennifer's branch, Office of New Reactors.

25 And I would just thank you all for coming

1 out tonight. And, Jennifer, I will turn it over to
2 you.

3 MS. DIXON-HERRITY: I also want to thank
4 you for coming tonight. We are glad you are here. We
5 are well aware -- we are here to welcome your
6 comments.

7 We appreciate it, and our real goal is to
8 improve the Environmental Impact Statement, the draft
9 that we have put together.

10 The purposes for this, well I should start
11 with, as he introduced, my name is Jennifer Dixon-
12 Herrity, I'm the Chief of the Environmental Projects
13 Branch.

14 My branch is in the Office of New Reactors
15 of the Nuclear Regulatory Commission. We manage all
16 of the environmental reviews for new reactor projects,
17 or requests, that come in to the Nuclear Regulatory
18 Commission.

19 We are working on a number of projects,
20 this is one of them.

21 The purpose of this particular meeting is
22 to collect comments on our Draft Environmental Impact
23 Statement. But we intend to describe the review
24 process, that we go through, for all of the
25 application requests that come into the agency.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We are going to talk about the schedule,
2 from this day forward, to let you know what is going
3 to happen. We are going to share our preliminary
4 recommendations from the DEIS. We will go over a
5 summary for you.

6 We will describe how you can provide
7 further comments, because this is not your only
8 opportunity. And then we will listen and gather your
9 comments.

10 NRC is the lead agency in the preparation
11 of this Environmental Impact Statement. Under the
12 National Environmental Policy Act, as Chip has already
13 explained, the U.S. Army Corps of Engineers is a
14 cooperating agency.

15 What that means is that my branch manages
16 the review. And we have a group of subject matter
17 experts that go through and look at the application to
18 see what the environmental impacts are.

19 We make sure that the regulations that we
20 have are met. And the Corps, they also review the
21 material, once we have put together the Draft
22 Environmental Impact Statement, they work with us on
23 the audits.

24 They make sure that their laws, for their
25 actions, are met.

1 And with that I'm going to have Ed Bonner
2 come up, and he is going to describe their process,
3 followed by Allen, talking about our process. Thank
4 you.

5 MR. BONNER: Now that we got the
6 advertisement out of the way, let's go to slide number
7 two.

8 Even though the NRC is the lead agency
9 regulating a nuclear facility, many of the activities,
10 necessary to construct that facility, require a
11 Department of the Army authorization.

12 Hence the value of being a cooperating
13 agency, when both agencies are working together to
14 satisfy our own respective NEPA responsibilities.

15 In theory the EIS should be more complete,
16 and more thorough, since it is developed to satisfy
17 both agencies responsibilities.

18 Our laws and regulations start with,
19 probably, one of the oldest federal regulations, which
20 is known as Section 10 of the Rivers and Harbor Act,
21 of 1899.

22 It is a very old law. Under that law the
23 Corps of Engineers regulates activities in, or
24 affecting, navigable waters. That could be something
25 in the water, under it, or over it.

1 The other law we are responsible for
2 implementing is known as Section 404 of the Clean
3 Water Act, which dates back to 1972.

4 Under the Section 404 authority, we
5 regulate what is known as the discharge, or the
6 placement, of dredged or fill material, into waters of
7 the United States, which includes their adjacent
8 wetlands.

9 So many of the activities required, to
10 construct this site, would involve one or more of
11 those activities.

12 And, like I said, we have NEPA
13 responsibilities, and the EIS serves, first, to
14 satisfy that requirement.

15 But once the EIS is complete we will work,
16 independently, to address our own regulations. And
17 within that program are what are known as the
18 404(b)(1) guidelines, where we will look at the
19 construction issues to see how they have attempted to
20 avoid, minimize, and compensate for any adverse, or
21 unavoidable, adverse effects on aquatic resources.

22 We will, also, apply what are known as our
23 public interest factors. Any decision we make must
24 not be contrary to the general public interest. And
25 that involves a wide array of public issue factors,

1 both human environment, and the natural environment.

2 And we will do that final decision process
3 independent of the NRC's review.

4 And, like you have heard, public
5 participation is important. We solicit your comments
6 in this process, and we also would ask that your
7 comments be as specific as possible.

8 We use those comments to assist us to make
9 sure that everything we have addressed is accurate, or
10 if we missed something, to include that in the final
11 EIS and the permit decision.

12 Our comment period, on our public notice,
13 has officially expired. But if you have something
14 very pertinent to the application, with a substantive
15 comments, I can assure you, if you submit those, we
16 will consider them.

17 But the issue being the sooner those
18 comments come in, the more certain you are that those
19 comments get put into the record, and fully
20 considered.

21 The individual project manager in my
22 office is Brian Bellacima. I will give you his point
23 of contact information, in case you have any further
24 questions.

25 But I will be around, later, if you have

1 any further questions on a general permitting process.
2 Thank you.

3 MR. FETTER: All right, thank you, Ed.
4 Good evening, I'm Allen Fetter, environmental project
5 manager for the review of the PSEG ESP application.

6 The NRC, we are an independent federal
7 agency. And NRC's mission is to protect public health
8 and safety, promote common defense and security, and
9 protect the environment.

10 The NRC has almost 40 years of experience
11 regulating nuclear reactors, and other civilian uses
12 of nuclear materials.

13 Now, an Early Site Permit is Commission
14 approval of a site for one or more nuclear reactors.
15 It is not approval to construct a nuclear reactor.

16 A mandatory hearing occurs prior to a
17 decision on the permit issuance. And, as I said, if
18 the Applicant chooses, would like to build a reactor,
19 they must obtain a combined license, or a construction
20 permit and operating license.

21 Those of you who have looked at the
22 literature, out at the open house, and seen the setup
23 outside, there are two processes involved in this.
24 There is a safety and environmental review, that are
25 running concurrently.

1 The Safety Review involves other meetings
2 that are, I guess, category 1 meetings, where the
3 public is invited to participate, and can comment at
4 the end. But it is the Advisory Committee on Reactor
5 Safeguards, and those occur, if anyone has any
6 questions, when those are occurring, you can use me as
7 a point of contact to find out that.

8 For the site evaluation a set of bounding
9 reactor parameters were used. We refer to that in the
10 Environmental Impact Statement, as plant parameter, as
11 plant parameter envelope.

12 That allows us to bound the potential
13 impacts of a reactor at the site. Both from a safety
14 and environmental standpoint.

15 Okay. This slide is an overview of the
16 NRC Environmental Review process. This is a step-wise
17 approach of how we meet our responsibilities under the
18 National Environmental Policy Act.

19 As has been said before, we are currently
20 in the comment period stage of the Draft EIS.
21 Previously the NRC and the Corps were seeking your
22 input, for the EIS, during the scoping period.

23 And the results of which are summarized in
24 Appendix D of the current EIS. To assist us in our
25 review, the Corps and the NRC are currently seeking

1 comments up through November 6th of 2014.

2 Once a comment period is over, the staff
3 will start processing your comments, that have been
4 received, and categorizing them to be included in an
5 appendix, in the EIS. And any comments that are
6 germane, that could affect the change between the
7 draft and final, we may change some language in the
8 EIS.

9 We expect to issue, the Final EIS, in
10 September of 2015. And recently a schedule letter has
11 gone out to reflect the safety, completion of the
12 Safety Review, which is also September of 2015.

13 Okay. To prepare the EIS we have
14 assembled a team of experts with backgrounds in
15 different technical disciplines.

16 The NRC has contracted with some of the
17 national labs, Oakridge National Lab and Pacific
18 National Lab.

19 These teams are known for their expertise
20 in the different environmental areas, as mentioned
21 before. Also the Corps is a cooperating agency and
22 has expertise that is helping us in developing the
23 EIS.

24 This slide shows most of the resource
25 areas we look at. And coming up I'm going to go over

1 some of the impacts that we, that are summarized in
2 the EIS.

3 I'm not going to go over all of them,
4 because we want to have time for your comments.

5 This slide depicts how we quantify the
6 impacts. The NRC has established three impact levels,
7 small, moderate, and large, to help explain the
8 effects of the project in consistent terms for each of
9 the resource areas.

10 As the team develops its analysis the team
11 members would ask if the effect is minor, which would
12 have a small effect. Does the effect noticeably alter
13 important attributes of the resource? Which would be
14 a moderate effect.

15 Or does the effect noticeably destabilize
16 attributes of the resource? In which case it would be
17 large.

18 So, throughout the EIS, for each of the
19 technical areas we have classifications of small,
20 moderate, and large.

21 So for water resources, I wish I had
22 brought some water up myself. In our evaluation we
23 considered both ground and surface water, both the use
24 and the quality of those two resources.

25 Groundwater will be used in the building

1 of a new nuclear plant. Fresh water would be used for
2 mixing concrete, soil compaction, and other
3 construction uses.

4 Later, during operation, groundwater would
5 be used for drinking, sanitation, fire protection, and
6 other miscellaneous uses.

7 But during the operation of the plant the
8 primary source of water would be the Delaware River
9 for cooling purposes.

10 For use of the Delaware River, and also
11 the groundwater, PSEG would be required to comply with
12 state and federal permits for withdrawals of
13 groundwater and withdrawals, and discharges into the
14 Delaware River.

15 Based on our evaluation the review team
16 concluded that the impacts to both the use and quality
17 of ground and surface water would be small.

18 So potential impacts to the waters of the
19 U.S. which is under the purview, also, of the Army
20 Corps of Engineers, the PSEG site, which includes the
21 plant, barge slip, and associated structures, there
22 would be a permanent impact to, approximately, 108
23 acres of wetlands, and 32 acres would be temporarily
24 impacted.

25 The causeway 23 acres of permanent, and 20

1 acres of temporary impacts. And then the adjacent,
2 off-site area, only 30 acres would be temporarily
3 impacted.

4 And structures in the navigable waters,
5 the intake and discharge structure would involve
6 dredging.

7 So our team evaluated terrestrial impacts
8 on local wildlife that either live on the site, or in
9 the surrounding areas, or nearby water bodies.

10 The evaluation covered many species.
11 Examples are the short-nosed sturgeon, and black-
12 crowned night heron, shown in this slide.

13 The NRC staff are in consultation with the
14 New Jersey Department of Environmental Protection,
15 U.S. Fish and Wildlife Service, and National Marine
16 Fisheries, and we also consulted with DNREC when we
17 were doing our audits and alternative site visits.

18 As part of the NRC staff's analysis we
19 evaluated potential doses to workers during
20 construction. Doses to members of the public, and
21 plant workers, during operation, and doses received by
22 wildlife.

23 The impacts of the three groups, doses to
24 members of the public, plant workers, and wildlife,
25 would be small, since PSEG must continue to comply

1 with stringent NRC and EPA regulatory limits.

2 The socioeconomic review encompasses many
3 different areas, such as local economy, taxes,
4 housing, education, traffic and transportation,
5 populations, infrastructure and community services.

6 The review team found that adverse impacts
7 would be small to moderate for the building and
8 operation. Beneficial economic impacts, from tax
9 revenues, would be small to moderate for the building
10 phase, and small to large for operation, depending on
11 the county.

12 The county that was specifically
13 considered, that would be most affected, would be
14 Salem, and Gloucester, and Cumberland County in New
15 Jersey, and New Castle in Delaware.

16 The staff found no evidence that minority
17 or low income population would be disproportionately
18 affected during the building or operation of the
19 nuclear plant.

20 Another important aspect of our review is
21 cumulative impacts. Under the National Environmental
22 Policy Act, in Chapter 7, the team evaluated the
23 cumulative impacts.

24 Examples of cumulative impacts, in this
25 area, are the existing Salem and Hope Creek plants,

1 Camp Pedrickton Redevelopment, and the Delaware Main
2 Channel Deepening Project.

3 All the other, there are others listed in
4 the EIS as well.

5 Overall the cumulative adverse impacts
6 range from small to moderate, with the exception of
7 the generally beneficial from taxes, which range from
8 small adverse to large beneficial.

9 As part of our review the team needs to
10 make a determination of whether or not there is a need
11 for additional power from the licensee. For the PSEG
12 site, the area evaluated was PSEG's market area.

13 The review team need for power analysis is
14 in Chapter 8 of the EIS. And this slide shows the
15 amount of power that we have determined is needed.

16 Alternatives is considered one of the key
17 aspects of the NEPA review. In Chapter 9 the staff
18 evaluated alternative energy sources, alternative
19 sites, and alternative system designs, as well as the
20 no-action alternative.

21 In our alternative energy analysis the
22 review team evaluated generation of baseload power,
23 which is that type of power which operates
24 continuously, 24-7.

25 For baseload we examined sources such as

1 coal, or natural gas, and combinations of sources,
2 such as natural gas, wind, solar, and biomass, and
3 additional conservation and demand side management
4 programs.

5 The review team determined that none of
6 the feasible baseload energies would be
7 environmentally preferable.

8 Conservation and design side management
9 were also considered, but not determined to be as an
10 alternative for baseload.

11 The review team also compared the PSEG
12 site to four other alternative sites in the State of
13 New Jersey.

14 NRC staff did a detailed review, and
15 determined that none of the alternative sites would be
16 environmentally preferable to the PSEG site.

17 And, lastly, the review team determined no
18 alternative cooling system would be environmentally
19 preferable to the proposed designs.

20 In Chapter 10 of the EIS is our
21 preliminary recommendation. This recommendation is
22 based, mostly, on small environmental impacts,
23 mitigation measures, and the NRC's conclusion that no
24 alternative sites, or alternative baseload energy
25 source would be environmentally preferable.

1 Based on the results of our Environmental
2 Review, the preliminary recommendation, to the NRC
3 Commission, is that the Early Site Permit be issued.

4 The recommendation is considered
5 preliminary until we evaluate your comments on the
6 Draft EIS.

7 The recommendation is for the
8 Environmental Review only. And as I mentioned, at the
9 beginning of this presentation, there is also a Safety
10 Review that is going on concurrently.

11 And following the completion of the Safety
12 and Environmental Review, there is a mandatory hearing
13 that takes place before a permit decision is made.

14 For those of you who haven't picked up a
15 copy of the Reader's Guide, which has a CD in the
16 back, with the complete EIS, I encourage you to pick
17 one up before you leave.

18 If you would like a complete hard printed
19 copy you can get in touch with me. My contact
20 information is up here. If you have it, you can write
21 it down, or it is also in the handout, as well.

22 I would be more than happy to get you a
23 copy made and send it to you. If you prefer to
24 download it off the internet, there is the website as
25 well.

1 Or you could make your way to the Salem
2 Public Library and take a look at it there.

3 So as has been reiterated at various times
4 tonight, the main purpose of tonight's meeting is to
5 gather your comments on the DEIS.

6 Many of you have already signed up. But
7 if you are not, don't feel comfortable speaking, you
8 can also submit written materials, or written comments
9 to the following addresses, above.

10 Or you can hand, if you have prepared
11 materials, you can hand it to any NRC staff and we
12 will include that.

13 And if you think of anything later you can
14 submit those. The comment period is open until
15 November 6th, 2014. After which we will bin, review,
16 and process the comments.

17 And we look forward to hearing your
18 comments this evening. Thank you.

19 FACILITATOR CAMERON: Thank you, Allen.
20 Does anybody have any clarifying questions before we
21 go to comments tonight?

22 And if you could just, please, introduce
23 yourself to us?

24 MR. MAGYAR: Hi, I'm Dave Magyar, I'm a
25 resident of Middletown. I just have a question. I

1 haven't heard anything mentioned about the potential
2 environmental impact if there is some kind of
3 catastrophic failure related to the new plants and
4 existing plants.

5 I was just wondering if that is taken into
6 account in your study?

7 FACILITATOR CAMERON: Thank you. Could
8 someone address how accidents, either beyond the
9 design basis, or whatever, are addressed either in the
10 environmental impact, or in the safety evaluation
11 report? Don?

12 MR. PALMROSE: My name is Don Palmrose
13 with the NRC. And I handle the radiological impacts
14 in particular postulated accidents.

15 We do have a section about the risk of
16 accidents, that is in Section 511, and it covers both
17 design basis accidents, and severe accidents.

18 This design, they haven't specified a
19 subject reactor. However, they have designated for
20 surrogate reactors, all of which are either certified
21 or are under NRC review.

22 So you can go to that section to see how
23 we discuss the risks from accidents, and then we also
24 have a separate section on cumulative impacts related
25 to the cumulative effects of severe accidents, which

1 take into account the Hope Creek and Salem plants.

2 FACILITATOR CAMERON: Okay. Thank you for
3 that clarification.

4 Anybody else have a question? Yes, sir.

5 MR. FREN: I'm Bill Fren, and I live in
6 Middletown. The new plant is to have a cooling tower,
7 or the same system you have now, sucking the water in,
8 and putting the hot water back in?

9 FACILITATOR CAMERON: I don't know who,
10 from the NRC, wants to handle that. I know you talked
11 about there were four referenced plans. Anybody want
12 to talk to what the possibilities of those types of
13 plans, and whether they would all be cooling towers?

14 MR. FETTER: Yes. The new requirements
15 that you have to meet EPA regs is in Section 316(b),
16 that is available technology for intake and discharge
17 of water.

18 So it would not be a once-through cooling
19 system. It would be a cooling tower.

20 FACILITATOR CAMERON: Okay. And, Ed, did
21 you pick up -- okay, good. Anybody else?

22 (No response.)

23 FACILITATOR CAMERON: Okay, let's go to
24 comments. And I will ask you to come up here, when I
25 call your name.

1 And, first of all, we are going to go to
2 Jeff Pantazes, then Brenda Evans, and Martin Willis.

3 MR. PANTAZES: Good evening, my name is
4 Jeff Pantazes, so you were close, Chip.

5 I retired from PSEG last year after 34
6 years with the company, mostly involved in managing
7 environmental programs, and environmental projects.

8 I will keep my comments brief. But I
9 wanted to focus on, and shed some, what I call
10 insider's light, in how PSEG conducts their day to day
11 environmental business.

12 One example of that was the implementation
13 of the Estuary Enhancement Program in both New Jersey
14 and Delaware.

15 During the planning for this program, and
16 the field work, over the last 20 years, the PSEG team
17 I managed focused on making sure that there was a
18 sound scientific basis for our decisionmaking.

19 Whether that was in the design of the many
20 aquatic biological monitoring programs, that we
21 conducted, where the challenge was always on assuring
22 that the sampling frequency, and sampling locations,
23 selected, provided a strong statistical basis for
24 conclusions.

25 And also making sure that those

1 conclusions were based on facts and data. Another
2 example of that is the site selection process for the
3 various restoration projects that we undertook.

4 Again, looking to find the best
5 restoration sites, regardless of which state they were
6 in, as opposed to the easiest or least cost sites.

7 An example of that and one of the little-
8 known facts, is that PSEG constructed a total of 13
9 fish ladders in New Jersey and Delaware. But that
10 nine of those were in Delaware, as they had the
11 highest probability of successfully reestablishing
12 river herring spawning habitat.

13 Similarly, working directly with DNREC's
14 marsh and aquatic professionals, including Bill
15 Meredith from mosquito section, Roy Miller, Bill
16 Jones, Bob Meadows, and others, PSEG assisted with,
17 and funded the restoration of well over 5,000 acres of
18 degraded marsh in Delaware.

19 That totals to about eight square miles of
20 improved aquatic habitat that is in existence, and
21 functioning very well, today.

22 Another often overlooked subtlety is that
23 the biological data collected, under the Estuary
24 Enhancement Program, for the last 20 years, is
25 provided annually to DNREC, New Jersey Department of

1 Environmental Protection, and the federal regulatory
2 agencies, for their review and use.

3 It is one of the most complete and
4 consistent aquatic biology data sets in existence for
5 the Delaware River.

6 And it complements the data collected by
7 DNREC and NJDEP, under their fishery management
8 programs, and helps to assure that there is a
9 consistent, and comprehensive understanding of that
10 information.

11 Finally, one other, I will call it a
12 little known fact, is that PSEG funded the land that
13 DNREC bought for the Mispillion Harbor Nature Center,
14 that DNREC now operates.

15 It is one of the best crab viewing areas
16 in the region, and something to be very proud of.

17 To sum all this up, the basis for PSEG's
18 environmental decisionmaking has been, for my 30-plus
19 year tenure, and remains to this day, focused on sound
20 and defensible science.

21 I know, first-hand, that the same rigor
22 went into the data collection, the detailed technical
23 reviews, and analyses that have led to the NRC's Draft
24 EIS, and that we are talking about today.

25 As I was involved with managing that

1 effort, as well. We considered and evaluated the
2 potential impacts and benefits, to Delaware residents,
3 as the NRC has document in the Draft EIS.

4 And I know, firsthand, that the advice,
5 guidance, and inputs from DNREC, the other Delaware
6 regulatory agencies, the regulatory professionals and
7 citizens, were considered, and are considered, to be
8 as important as those in New Jersey or elsewhere.

9 I know in my day to day interactions with
10 Delaware, I never forgot that people mattered. And I
11 worked to make sure that I could always say that we
12 were open, honest, and forthright, about our
13 environmental actions.

14 Thanks for taking the time to come out
15 tonight.

16 FACILITATOR CAMERON: Thank you very much,
17 Jeff. Brenda Evans?

18 MS. EVANS: Good evening. I'm Brenda
19 Evans, and I have lived in New Castle County,
20 Delaware, for over 20 years now.

21 And I also happen to be an employee of
22 PSEG. I appreciate the opportunity to come here,
23 tonight, to express my support for the potential new
24 power plant in Hancock's Bridge, New Jersey.

25 After graduating from college, with a

1 bachelor's degree in environmental biology, I started
2 my career with PSEG in Hope Creek chemistry.

3 During my ten years at Hope Creek I was
4 working in the chemistry department, responsible for
5 the water treatment systems there.

6 Following that, for the last 20 years, I
7 have worked in the Estuary Enhancement Program. As
8 part of that my primary responsibilities have been for
9 developing and implementing the wetland restoration
10 activities, as well as reviewing the data that has
11 been collected, throughout the Delaware estuary, and
12 evaluating that data.

13 And as well as the field monitoring
14 programs, we manage those as well.

15 Throughout the last 30 years of my career,
16 with PSEG, I have been -- I have continued to be
17 encouraged by the behaviors of doing the right things,
18 for the right reasons.

19 And that, also, fit. Public Service puts
20 a strong emphasis on safety. And it is not only
21 personal safety, but nuclear safety as well.

22 Environmental compliance, another big
23 emphasis with PSEG. PSEG holds its employees to very
24 high standards, and integrity, and expects all
25 employees to continue to strive for personal, as well

1 as operational improvements and excellence, and to be
2 accountable for all their actions.

3 I strongly support nuclear power as a
4 safe, reliable, source of energy. A new nuclear
5 facility would not on-line provide this reliable
6 energy for the region, but high paying jobs, and
7 fulfilling careers.

8 In addition, PSEG encourages use of local
9 vendors, for most materials and service. And that
10 provides another needed boost for our local economy
11 here in Delaware.

12 Like many folks, when I first graduated
13 from college, I had very little knowledge of the
14 nuclear industry. With my degree in environmental
15 science my main objective was to find a job with a
16 company that really had a commitment to the
17 environment.

18 And I found that in PSEG Nuclear. I was
19 also cautious of, and curious, of how safe working in
20 a nuclear plant would be. Through my training and
21 work experience, I quickly learned that nuclear
22 facility was a clean and a safe place to work.

23 I also learned just how strongly PSEG was
24 committed to maintaining that safe work environment
25 through continued training, procedures, and programs.

1 While working at Hope Creek, and the
2 Estuary Enhancement Program, strict adherence to
3 regulatory policies, be they environmental or nuclear,
4 it is not an option, it is an expectation.

5 While working with the Estuary Enhancement
6 Program we have remained committed with working with
7 federal, state, and local agencies. And seeking and
8 implementing input, that we receive from those
9 agencies, and local residents, and other stakeholders.

10 I have been very fortunate to work with
11 residents, local officials. We have community
12 involvement committees in three counties in New
13 Jersey, as well as stakeholders from New Castle and
14 Kent counties, in Delaware.

15 Nearly 20 years ago the Estuary
16 Enhancement Program developed an Estuary Enhancement
17 Program Advisory Committee. This Committee has been
18 meeting at least twice a year for 20 years now, to
19 review PSEG's wetland restoration plans, provide their
20 input and, also, to review the monitoring data, and
21 the monitoring programs.

22 In addition to the numerous wetland
23 scientists, throughout the country, that have
24 participated in this committee, we are also fortunate
25 to have local fisheries biologist from DNREC's

1 Division of Fish and Wildlife, as well as biologists
2 from the section of Mosquito Control. And they
3 continue to participate in this committee.

4 The working relationships we have
5 developed with the local residents, scientists, and
6 regulators, have helped the Estuary Enhancement
7 Program achieve its success.

8 I appreciate the assistance and
9 cooperation from DNREC's Division of Fish and
10 Wildlife, while performing regulatory activities at
11 the Cedar Swamp, and the Rocks Wetland Restoration
12 sites, which are along the Delaware Bay, just south of
13 Odessa.

14 As you may or may not know, PSEG has
15 constructed, and continues to monitor nine fish
16 ladders in the state of Delaware, on several
17 tributaries in New Castle and in Kent County.

18 The northernmost fish ladder is just
19 around the corner, here in Noxingtown pond.
20 Southernmost provides fish access to Silver Lake at
21 Millford and Kent County Delaware.

22 Again, the success of these fish ladders
23 has been made possible by the input provided by local
24 communities, both in New Castle County, and in Kent
25 County, as well as the support from the DNREC

1 fisheries biologists.

2 For those of you that continue to have
3 reservations about new nuclear power plant, or nuclear
4 energy in general, I encourage you take advantage.
5 PSEG operates an energy and environmental resource
6 center over in Salem, New Jersey.

7 And there you can find a wealth of
8 information about nuclear power, and other energy
9 sources.

10 Should a new nuclear power plant be
11 constructed I believe it would be a big asset to the
12 local communities, and provide clean energy to meet
13 the future's needs.

14 Thanks, again, for allowing me to provide
15 my opinion.

16 FACILITATOR CAMERON: Thank you very much,
17 Brenda. Let's go to Martin Willis, and then we will
18 hear from Stephanie Herron, and Ed Eilola.

19 MR. WILLIS: My name is Martin Willis. I
20 live in New Castle County, Delaware.

21 I'd like to thank all the people involved
22 in setting up this public comment session about any
23 future building of a new nuclear power generating
24 station in Salem County, New Jersey.

25 This is an opportunity for the people of

1 Delaware to get some facts about nuclear power, and
2 how it involves their every day lives.

3 I believe we need nuclear power. As of
4 today 20 percent of all electricity, generated in this
5 nation, comes from the 100-plus nuclear reactors
6 spread out among the continental United States.

7 If you want this nation to have all of the
8 above energy profile, nuclear power has to be
9 included. If you want to have reduced greenhouse
10 gases, in the future, nuclear power must be included.

11 For, as I know, there are no emissions
12 from nuclear power.

13 The men and women, here tonight, who have
14 said no to everything in the state of Delaware, no to
15 the Data Center, because it uses natural gas. No to
16 the Delaware City Refinery, because it uses crude oil.

17 No to the Port of Wilmington. You have to
18 one day say yes to something. If they want to maintain
19 the standard of living, that we have come to live
20 with, every day.

21 Wind and solar are not the only thing they
22 can say yes to. Yesterday and today are perfect
23 examples of why solar has so many drawbacks. And as
24 far as wind it is mostly made in states at least 1,000
25 miles away.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In today's society, with the click of a
2 mouse, you can expect at your fingertips, Amazon to
3 bring to you anything --

4 I believe this would be a good thing. I'm
5 a boilermaker, and if this facility goes, it would be
6 work for me for the next five years, in a five year
7 construction period.

8 We need nuclear power and from what I'm
9 hearing tonight, I'm very encouraged, and thank you
10 for letting me have my comments.

11 FACILITATOR CAMERON: Thank you, thank you
12 very much, Martin. Stephanie? And then we will go to
13 Ed Eilola, and then we are going to hear from Cathy
14 Wiwel, Mark Shaffer, and David Carter. This is
15 Stephanie.

16 MS. HERRON: Can you guys see me over this
17 podium?

18 My name is Stephanie Herron, I'm
19 representing myself and, also, the Environmental
20 Justice and Health Alliance for Chemical Policy
21 Reform, which is a national environmental justice
22 group that works with environmental justice
23 communities, and groups all over the country,
24 especially in Delaware and New Jersey.

25 I already spoke earlier, so you are

1 already aware of some of my concerns, so I will try to
2 be brief.

3 I appreciate you explain to me, further,
4 that this process, I'm still concerned about the
5 extremely short notice of this public meeting, which
6 is not a public hearing.

7 And I will look into that, it being
8 noticed a week ago. But given that this is an
9 extremely detailed and, hopefully, very thorough and
10 long Draft Environmental Impact Statement, I do still
11 think that a week or even two weeks is too short.

12 And I would ask that you extend the public
13 comment period at least 30 days so people have a
14 better opportunity to look into the full Draft
15 Environmental Impact Statement, and come up with some
16 really thorough and relevant comments.

17 I mentioned, earlier, that I'm confused
18 about how the NRC can do the EIS without knowing
19 anything about the size or scope of the reactors.

20 I am extremely, extremely disturbed by the
21 NRC's finding that this would not have any
22 environmental justice impact, and would not have any
23 impact on low income or minority communities.

24 I simply feel that that is not the case.
25 And, additionally, environmental justice is not only

1 based on income level and/or being a minority.

2 There is also, certainly, the concern, as
3 somewhat noted in your presentation of cumulative
4 impacts and within the ten mile zone of this nuclear
5 power plant, there are numerous other extremely
6 polluting facilities.

7 So I don't understand how you could have
8 possibly taken into account cumulative impacts of
9 multiple environmental and health stressors, and have
10 found that this is not an environmental justice
11 concern.

12 The census track that the ten mile
13 evacuation zone, in Delaware, of the plant is a census
14 chart of high cancer, as noted repeatedly in the
15 census.

16 What if, I'm also concerned that if there
17 were an emergency at one of the dangerous facilities,
18 for lack of a better word, than dangerous, I think
19 there is a more technical term that isn't coming to
20 me.

21 If there were an incident at one of the
22 facilities, within the ten mile zone, say the Delaware
23 State Refinery, or the Sulfuric Acid Regeneration
24 Plant, that could cause evacuation of the area, who
25 would be running the nuclear power plant, what would

1 happen with that, to prevent a disaster if the area
2 that the power plant is in, had to be evacuated.

3 Similarly if there was an incident at the
4 nuclear plant, what would happen to the other
5 facilities that are very dangerous, that need to be
6 constantly staffed, to make sure that an emergency,
7 another emergency at one of those does not happen.

8 I, and the environmental justice groups
9 are extremely concerned about sea level rise, and feel
10 that the seal level rise projects, taken into account
11 in the Draft Environmental Impact Statement, are
12 extremely short-sighted.

13 And that the impacts of environmental
14 justice, and sea level rise, are compounding in that
15 the communities living within ten miles of the
16 facility, also live in an extremely vulnerable area to
17 sea level rise, and would not necessarily be able to
18 get out in the event of an emergency.

19 Particularly if that emergency was caused
20 by a weather disaster that also caused flooding. That
21 is even assuming that they did have a car to get out.
22 If they didn't have a car they would really be out of
23 luck.

24 And that is a relatively large assumption
25 that everybody has a car.

1 Nuclear waste remains a huge, huge
2 problem. Since the inception of using nuclear power
3 this has continued to be a problem, and it has never
4 been addressed.

5 I haven't seen it addressed here. It is
6 my understanding that all the nuclear waste ever
7 generated at the Salem Hope Creek facility is stored
8 at that facility, which is right on our Delaware
9 River, which is extremely concerning.

10 Particularly given that we would like to
11 add another reactor which would, presumably, store all
12 its waste at that same location, which is on an
13 artificial island, again, very vulnerable to sea level
14 rise.

15 I think that the ten mile evacuation area
16 is grossly inadequate, as we have seen with Fukushima,
17 where at least 88 miles around that incident are
18 totally unlivable, and unusable.

19 And I would like to point out Salem's
20 troubled past. I appreciate all the folks who work
21 there who, I'm sure, are very responsible.

22 But this is a facility that has repeatedly
23 had incidents, as recently, major incidents, as
24 recently as May of this year.

25 At least 15 bolts, at least 15 broken

1 bolts were found in this facility, during a routine
2 fuel change. And I'm not exactly sure how long those
3 bolts were broken.

4 I don't think anyone is sure of that. But
5 I do know, from what I read in the paper, that they've
6 known that since at least the mid-1990s that those
7 bolts could present a problem.

8 And that, obviously, wasn't addressed
9 since they were still in there, in 2004. So I'm
10 concerned that if this facility has such great safety
11 record, things like that continue to happen.

12 Adding another doesn't necessarily seem
13 like the most wise, until we get the current problems,
14 like that, straightened out.

15 And I would ask that the Final
16 Environmental Impact Statement include, specifically,
17 how this proposal complies with President Obama's
18 Executive Order 13650, which is all about reducing
19 vulnerability, and increasing chemical safety, and
20 environmental justice.

21 So I would ask that, that specifically be
22 included in the final statement. Thank you for the
23 opportunity to comment.

24 FACILITATOR CAMERON: Thank you,
25 Stephanie. And we are going to hear from Ed Eilola

1 now, and then Kathy Wiwel, and Mark Shaffer, and David
2 Carter, and this is Ed Eilola.

3 MR. EILOLA: Good evening. I'm Ed Eilola,
4 and I'm part of the leadership team with PSEG Nuclear,
5 responsible for the operation of Salem and Hope Creek
6 Nuclear Plants.

7 I have more than 30 years experience in
8 the industry. It is an industry that is built upon
9 safety, and having a positive impact on our
10 environment, and our community.

11 As a homeowner, and resident of New Castle
12 County, I'm proud to work for PSEG Nuclear and the
13 value that we add to the community.

14 Many of my coworkers, and colleagues, also
15 work, live in the State of Delaware.

16 On behalf of PSEG we look forward to the
17 opportunity to continue working with the Nuclear
18 Regulatory Commission, and the public, on our
19 application for an Early Site Permit, as we explore
20 the possibility of building a new nuclear plant.

21 At PSEG we understand our obligation to
22 the local community, the environment, our friends,
23 families and coworkers, to provide safe, reliable,
24 economic and green energy.

25 We operate our plants within a culture of

1 safety and transparency. We encourage our employees
2 to raise issues, and to be open on how to do things
3 better.

4 There are always lessons to be learned.
5 Our success is made possible by employees. There are
6 no surprises, not in our operations and, certainly,
7 not with our stakeholders.

8 There is no new nuclear without good old
9 nuclear. We take great pride in being a good neighbor.
10 We are proactive and engage the community, when a
11 challenge arises, so they understand the challenge,
12 and have their questions answered.

13 Again, there are no surprises, including
14 our plans to explore building a new nuclear plant.

15 Potential new plant would have a very
16 positive impact on our community. We have met with
17 elected officials in New Jersey and Delaware, and will
18 continue to work with the community throughout the
19 process.

20 We recognize this Early Site Permit, and
21 possible new plant, will not be possible without the
22 community's support.

23 Again, we welcome today's public meetings,
24 and I thank you for the opportunity to speak to you
25 this evening.

1 FACILITATOR CAMERON: Thanks, Ed. Kathy,
2 Kathy Wiwel.

3 MS. WIWEL: Good evening. My name is
4 Kathy Wiwel and I'm here to speak in support of PSEG
5 in their effort to license and, ultimately, construct
6 a new nuclear plant.

7 I'm an educator with a degree in wildlife
8 science, from Penn State, and I'm an active volunteer
9 at Tristate Bird Rescue and Research in Newark,
10 Delaware, as well as a volunteer researcher with the
11 Bats spotters Program of the Delaware Division of Fish
12 and Wildlife.

13 I appreciate the opportunity to comment on
14 the Draft Environmental Impact Statement being
15 discussed this evening.

16 A substantial percentage of the
17 environmental community are outspoken advocates for
18 the use of renewables as a viable means of generating
19 carbon-free energy to meet our nation's needs.

20 They believe that solar and wind energy
21 alternatives are environmentally benign, compared to
22 conventional means of energy generation.

23 Unfortunately many of these proponents are
24 misled regarding the immense toll large scale wind and
25 solar installations pose to avian, bat, and

1 terrestrial species, and their habitat.

2 As described in the Draft Environmental
3 Impact Statement, the size of the wind farm, needed to
4 equal the electrical output of the proposed nuclear
5 plant, would have 3,300 large scale turbines occupying
6 a land mass of 386,000 acres, or 620 square miles.

7 Similarly, a photovoltaic solar
8 installation would need to occupy between 11,000 and
9 22,000 acres, or over 30 square miles.

10 This extensive land area would be
11 necessary due to the low energy density and the
12 intermittency inherent in the wind and solar
13 generation.

14 The impacts to the regional and migratory
15 bird and bat populations, from this scale of renewable
16 development, would be significant.

17 There is a growing body of evidence, in
18 peer reviewed research, that existing large scale wind
19 farms are killing increasing numbers of raptors, and
20 other bird species, due to collisions with turbine
21 towers and blade impacts.

22 Wind turbines have also been shown to
23 attract and kill regional bats, thus impacting an
24 already declining bat populations.

25 Not only are bats physically impacted by

1 the rotation of the massive spinning turbine blades.
2 It has been shown that their lungs are violently
3 ruptured when they fly through the large pressure drop
4 produced by wind turbines.

5 Large scale wind farms have also been
6 shown to negatively affect migratory patterns of avian
7 species, due to the extensive land mass that is
8 required to generate meaningful amounts of
9 electricity.

10 In comparison, the proposed nuclear plant,
11 at the PSEG site, will generate large amounts of
12 carbon-free power, much more reliably, than any
13 renewable power facility.

14 This power generation can take place at a
15 plant occupying a substantially smaller footprint thus
16 minimizing any adverse impact to avian and bat
17 habitat.

18 It is disturbing to note that, unlike the
19 extensive Environmental Review required for PSEG's
20 efforts, the cumulative environmental impacts from
21 renewable projects, like those I just described, are
22 often times never formally evaluated, or brought to
23 the attention of the public.

24 In light of the ability for this project
25 to replace a significant percentage of polluting

1 fossil energy sources in our region, with reliable
2 carbon-free generation, and minimal impact on the
3 environment, I support the efforts of PSEG to expand
4 nuclear generation in southern New Jersey.

5 Thank you again, for your time, and the
6 opportunity to comment on this necessary project.

7 FACILITATOR CAMERON: Thank you, Kathy.
8 And Mark Shaffer? And then we will go to David
9 Carter.

10 MR. SHAFFER: Good evening, everyone.
11 Thank you for the opportunity to speak here. My name
12 is Mark Shaffer.

13 I am an employee of PSEG but that is not
14 the reason I'm here. I'm here to support the
15 Environmental Impact Statement and the Early Site
16 Permit for the new nuclear plant.

17 I believe nuclear power is an extremely
18 important resource if we are going to meet the climate
19 change requirements, if we are going to stop the
20 greenhouse gas emissions.

21 I do have a number of written comments
22 here. Surely not as eloquent as some of the other
23 speakers or, perhaps, not even as scientifically based
24 as they were.

25 But I will go ahead and make my statement.

1 I live on Bayview Road. I live inside the ten mile
2 emergency planning zone. And I moved there after 25
3 years in the area.

4 I believe that living inside the ten mile
5 emergency planning zone is safe. I believe the
6 training, I'm an instructor at PSEG Nuclear. I teach
7 the operators how to operate the nuclear power plant,
8 and what to do in an emergency.

9 I believe the training they receive, the
10 operators at a nuclear plant are trained more than,
11 perhaps, any other worker in the entire world.

12 They get seven weeks of training every
13 year, a week of training every seven weeks,
14 essentially. So they are one of the highest trained,
15 most proficient, most drilled employees in the world,
16 operating nuclear plants in the United States.

17 As I said, I recently moved to Middletown,
18 inside the ten mile emergency planning zone. I moved
19 there with my wife. My wife has lived in the New
20 Castle County area for over ten years.

21 And I wouldn't have moved there if I
22 didn't believe that nuclear power was safe. My family
23 is more important than anything to me.

24 I was glad when I heard that we had
25 applied for an Early Site Permit. Salem Hope Creek

1 nuclear plants have been an important source of
2 electrical power here, in the Delaware valley.

3 And, more importantly, they are an
4 employer who provides numerous, stable, good paying
5 jobs for people in both sides of the river.

6 During the recent financial crisis, that
7 we have been through for the last couple of years,
8 PSEG looked for ways to save money so that they could
9 save employee jobs.

10 They didn't do it the other way, they
11 didn't look for ways to cut jobs, so that they could
12 save money for the company.

13 We believe in operating the reactor
14 safely, and protecting the environment, and protecting
15 the health and safety of the public are guiding
16 principles for how we work.

17
18 And we incorporate that in everything we
19 do, in the upgrades that we made to the plant, in the
20 way that we train our operators, and the way we train
21 our chemistry technicians, and in the way we operate
22 our cooling tower systems.

23 The way we treat that water so that when
24 we return it to the environment, it is clean, it is
25 safe, and it doesn't have an environmental impact that

1 would adversely affect conditions in the area.

2 More importantly, as a veteran, I was in
3 the Navy for eight years, I appreciate the way PSEG
4 treats veteran employees.

5 I was in the United States New York and
6 those employees are still supporting the military
7 today, work at PSEG.

8 When duty calls I know every PSEG employee
9 that has been called up feels that when they return
10 they are going to have an equal, or better, job when
11 they return.

12 In closing I would like to say that I
13 support the building of an additional nuclear power
14 plant at the PSEG site New Jersey. I believe it makes
15 good environmental sense to build this kind of clean
16 electrical generating capacity.

17 I believe it makes sense to have a company
18 like PSEG that promotes diversity, supports veterans,
19 supports the community, and a company that has good
20 financial history, and a safe operating history, build
21 that plant.

22 And I hope they move forward and actually
23 eventually build it. Thank you.

24 FACILITATOR CAMERON: Thank you, Mark.
25 And, David? This is David Carter.

1 MR. CARTER: I'll be very quickly. Those
2 who have liked the comments I made earlier you can get
3 those from the public record.

4 I did speak on that. But I did want to
5 add a couple of things. I was just, now, delighted to
6 hear the manager, from PSEG, talk about their
7 proactive role in working with the citizens.

8 This is the first time we have ever been
9 able to get NRC and PSEG and the groups over here to
10 involve Delaware's public. So we hope you will be
11 very proactive.

12 I can't say that it was a delightful
13 experience to have you come and hold this hearing
14 tonight. There were some people that just didn't want
15 to hold it.

16 So I'm very delighted to hear and I hope
17 that PSEG will continue to press, and press forward,
18 to engage Delaware's public, where 80 percent of the
19 people, within the impacted range, if there is an
20 accident, or a problem occur.

21 And I think there is a lot of education
22 that could take place, and a lot of other learning.

23 I did want to respond, a little bit, to
24 some comments that were made from some gentleman from
25 the Maryland Environmental Council, earlier this

1 afternoon, about the National Resource Council's
2 studies.

3 I have served on several of their
4 committees, most recently, in sea level rise. They are
5 a good organization and do good work. But I think you
6 have to look at all of their work.

7 And they do have a voluminous, several
8 books, out on the problems of disposal of used and
9 spent nuclear materials and nuclear waste.

10 And that problem has not been solved.
11 This is, probably, the only industry, or the only
12 construction project I can think of, for a major
13 industry, that we are looking at moving ahead, and
14 continuing to approve, who do not have any idea yet,
15 or any approved way, to deal with their waste stream.

16 We have almost 50 years of nuclear waste
17 accumulating along the Delaware River. We do not have
18 a clear vision of what to do with that waste.

19 I know that after the meeting, earlier, I
20 spoke with some of the consultants, and staff, for the
21 project. And they explained to me that it is not a
22 technical problem, it is a political problem.

23 That may be true but I think you need to
24 solve the problem before we continue to build more
25 nuclear power.

1 I actually believe, until we solve that
2 problem, we need to put a moratorium on nuclear power,
3 because this is serious stuff, to keep building up and
4 stockpiling and, particularly, stockpiling it along a
5 water body where, if it does have a problem, it can
6 spread very quickly, and move through the water stream
7 and be very, very problematic.

8 I do want to also address some of the
9 concerns that were just expressed about renewable.
10 Much like the problems that I cited earlier, with this
11 nuclear reactor and concerns of sea level rise,
12 context and siting matter, when you look at
13 Environmental Impact Statements.

14 What we have seen, in the early days, of
15 much of the renewables for wind, they place them in
16 the wrong places, particularly out in the midwest.

17 We had some areas where eagles have been
18 hit pretty hard. I think we have learned a fair
19 amount about that.

20 I'm very aware of the bat issue. And I'm
21 delighted to say that our own researchers, here in
22 Delaware, at the University of Delaware, largely led
23 by some graduate students, and some others, have found
24 a good solution that bat issue.

25 What they have found is that those strikes

1 occur during low wind areas. That fast winds the bats
2 avoid them. So we are learning.

3 And in the long run I think that it is a
4 much more viable solution. Those things are being
5 addressed very well.

6 I think sometimes we jump too quickly, for
7 our energy needs, to move with things without really
8 thinking them through. I know it has been done in the
9 past in some of the areas for wind energy.

10 I fear we may be doing it here. So I'm
11 going to stop there. You have my comments from this
12 morning. I just wanted to clarify those couple of
13 points.

14 And I will make sure that I pull some of
15 those peer reviewed books, and studies, from the
16 National Resource Council, and get them into my
17 written, more thorough comments, as well.

18 Because I want to make sure that if people
19 are citing literature, that they cite the whole body
20 of literature, and not selectively, and misuse it.

21 Thank you.

22 FACILITATOR CAMERON: Thank you David.
23 Did I miss anybody that wanted to comment?

24 BERNIE? All right, come on up here.

25 MR. AUGUST: Hi, everybody. If you

1 weren't here this morning I spoke earlier. I am an
2 anti-nuclear activist. I have been doing it for 35
3 years.

4 I'm involved in the licensing and
5 administration process of nuclear waste. I work with
6 Critical Mass, and Ralph Nader, in Washington.

7 And I'm an Intervenor in the relicensing,
8 in the reopening of Three Mile Island, Unit 1, that
9 did not melt down.

10 I spent two years of my life running back
11 and forth to Middletown, Pennsylvania, which is kind
12 of ironic. I'm in Middletown, Delaware, here. Still
13 talking about the same situations, and the problems of
14 nuclear energy.

15 As we heard tonight all about the
16 positives of nuclear energy, and I cannot see any
17 positives about it.

18 It is a massive destructive technology.
19 In order to exist around it you have to have an
20 evacuation zone and planning. It is staged nuclear
21 weapons, as well, that is all it is.

22 That is where they get nuclear weapons
23 from. It has been used in the military, it is a
24 military science. And it is now dated science. You
25 can't even use nuclear weapons.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The present administration has just
2 decided to sign off on another 1.3 trillion dollars,
3 are rebuilding the nuclear arsenal, for weapons they
4 can't use, which should be used for various societal
5 purposes.

6 Now, it is well known that there is going
7 to be a technological shift. It is happening, right
8 now, before us. Europe is 15 years, well ahead of us,
9 on renewable energies.

10 Some countries, like Denmark, almost
11 provide 80 percent of their energy through wind and
12 solar, up in the northern climes.

13 They do sell oil, but they are investing
14 in their infrastructure, and not just giving it away
15 to profiteers.

16 We are in the middle of a raging war over
17 oil. We are in the middle of a raging war over all
18 resources, this country is.

19 It is very undemocratic, it is not
20 representative of the principles of this country. And
21 it is a violation, actually, of our constitutional
22 rights to even have the freedom of assembly.

23 They have to have evacuation drills. They
24 blow horns, every six months or so, to test if the
25 system works.

1 The average nuclear power plant in this
2 country has been given a license way past their day of
3 shutting down, like a normal chemical process.

4 Some of these plants are able to license
5 now for 120 years, which is practically impossible.
6 It is like what they used to do during the elections,
7 say putting lipstick on the pig.

8 It is a money sucker, it is going to get
9 us nowhere. We are going to be behind. It is
10 depriving us of a decent quality of life.

11 And if you saw what happened in Japan,
12 people right now are voluntarily evacuating out of
13 Tokyo because of the explosions that happened at
14 Fukushima.

15 They don't even have the technology to
16 stop the China Syndrome that is going on right now.
17 They don't. They are in a technological shift, to
18 make robots to go in, because human beings can't be
19 exposed for no longer than five minutes, to some of
20 the stuff that they have to get near of.

21 They have been hit with two typhoons in
22 the last two weeks. The water is running in the
23 Pacific, and it is destroying the Pacific watershed.

24 Whatever you do, don't go to Red Lobster
25 for the Alaskan king crab special, because the shit is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contaminated.

2 They are letting food, into this country,
3 from Japan that is 1,000 times allowable, that the
4 Japanese would not even permit in their own country.

5 So be careful where you are buying your
6 food. But the continuation of nuclear energy, over
7 there at Salem, with the behemoths that they have
8 there now, that they need to shut down, and
9 decommission, and don't have the money for, because
10 they are not putting the money for the decommissioning
11 costs.

12 Now, the gentlemen here who want work,
13 they could take those plants, for 25 years, and tear
14 them down and guarantee the safety of the public, that
15 we all so love, and this world.

16 But the Fukushima accident, Chernobyl, and
17 Three Mile Island, have contaminated this planet,
18 already, with high levels of radiation, and the cancer
19 clusters are going to be showing up.

20 Already the coast of California, the
21 medical, the public health service has determined that
22 there have been 10,000 children, that have died from
23 that accident.

24 And this is not a joke. So you remember
25 that, I told you that. And to continue on to building

1 this site, for another nuclear plant is a waste of
2 your money, and a stakeholdership.

3 Fifteen years from now that plant will be
4 overrun, like the plants they are building now. And
5 the technology they are using is unproven, it is
6 hypothetical, especially when it comes to the small
7 modular reactors.

8 It is vapor ware. It is done on computer
9 models, it is unproven science. Already the free
10 market is building, Google is building a backbone for
11 wind mills off the coast of this, from Delaware to
12 Virginia.

13 They have spent billions of dollars. And
14 we are held up, in Delaware, because of the fossil
15 fuel industry, from having windmills, 11 miles off
16 shore, which will replace all the energy that Delaware
17 needs.

18 Safely, no evacuation zones, no bird
19 kills, no effects on the ocean, whatsoever. So you
20 remember that. All of this, here, is puff. It means
21 nothing.

22 When it comes to reality, this shit sucks.
23 Thank you.

24 FACILITATOR CAMERON: Thanks, Bernie. Did
25 I miss anybody else, anybody else? Yes, sir?

1 MR. DESCHERE: I didn't sign up for it,
2 but is it okay if I make a comment or two?

3 FACILITATOR CAMERON: Absolutely. Why
4 don't you come up and introduce yourself to us, okay?

5 MR. DESCHERE: Thank you.

6 FACILITATOR CAMERON: You are welcome.

7 MR. DESCHERE: Good evening. My name is
8 Mark Deschere, I'm a resident of Middletown, moved
9 from Newark, have been back and forth to Delaware. I
10 lived here for about 35 years.

11 I spent four and a half years in the New
12 York, in the nuclear New York, as a matter of fact,
13 and trained a lot of the people that actually are
14 operating the nuclear power plants around the U.S.
15 And they are world class people, let me tell you that.

16 One of the jokes was, substandards were
17 the Navy's highest.

18 I have a couple of granddaughters that I
19 want to live in a clean, safe, environment. As a
20 chemical engineer it really bothered me to look at the
21 amount of carbon-based materials that we burn to
22 provide fuels around the world.

23 Because we have no process for recycling
24 them. Nature does, nature does. It is called raising
25 the ocean levels, it is called getting green water in

1 the Great Lakes, and things like that.

2 Nature will respond to those things. But
3 if we want, for a long term, have a viable society
4 based on an energy source, while we are waiting for
5 the next great hope, of which I heard several of them
6 here, and having worked in fuel cells in DuPont, they
7 are a long, long way off before they become a
8 significant reliable source.

9 Nuclear power is one of the few fuel
10 sources that we have. And when people sit there and
11 say we don't have a way of disposing of waste, well I
12 hate to tell you, you are wrong. It has been around
13 for a long time.

14 And the only question is do we have the
15 political will to do it? The one thing that I haven't
16 seen is anyone come up with a suggestion of how we
17 prevent carbon monoxide pollution on our atmosphere,
18 and the damage that we are causing to our environment,
19 on a daily basis, and the legacy that we are giving to
20 our children, and acting like we can stick our heads
21 in the sand, and let that go on.

22 You are a fool if you believe that is
23 going to occur. Nuclear power is the only clean fuel
24 that I know that we have, that we can rely on, today
25 and tomorrow.

1 And if you don't think that nuclear fuel,
2 nuclear power hasn't been around for a long time, then
3 you have a big problem, in that are breathing the
4 oxygen in the air, that is being held here, by the
5 magnetic fields, because we stand on top of a nuclear
6 power plant.

7 It is the reason that we have a molten
8 core in our world, and it is the reason that we have
9 magnetic fields, and the Vanallen belts, and we have
10 maintained an environment here.

11 Now, is this one plant the solution to all
12 of our problems? No. Is it a step? Yes. Have we
13 had systems that weren't the best possible?
14 Certainly.

15 Have political considerations gotten in
16 our way? Certainly. It is a sound technology. Can
17 we do it wrong? Absolutely, absolutely.

18 Can bad things happen? Absolutely. Is
19 this is a field that is about the most regulated in
20 the world? The only other one that I know is the
21 airline industry, that comes this close.

22 But if we don't go forward with these
23 things, we are selling our grandchildren down the
24 road. And that is not something that I consider
25 acceptable.

1 So, do I support nuclear power?
2 Absolutely. Am I steeped in nuclear power? Yes, I
3 am. Did I start out that way? No, I didn't. But I
4 have been close to this industry.

5 This is an industry that really does take
6 what they are doing seriously. Thank you for your
7 time.

8 FACILITATOR CAMERON: Thank you, Mark.
9 Mark, could you just spell your last name for Ed, so
10 that we have it, for the record? Thank you, thank
11 you very much.

12 Anybody else? Thanks Mark, thanks Bernie
13 for speaking. And does anybody else want to talk
14 tonight?

15 (No response.)

16 FACILITATOR CAMERON: Okay. The staff has
17 been listening, and I'm sure they will talk to you
18 after the meeting. If you want to talk to them please
19 just feel free to go up and talk to them.

20 They will be glad to talk to you. And
21 with that I'm going to ask Jennifer, as our senior
22 official, to close the meeting.

23 MS. DIXON-HERRITY: We want to thank all
24 of you for coming this evening. We really appreciate
25 the time that you have taken to give us the comments.

1 I wanted to go back over what we are going
2 to do with the comments, now that we have collected
3 them.

4 We will take them. We end up sorting them
5 by the resource area that they affect. So don't be
6 surprised, when you go into the EIS, if you find that
7 your comment is not all in one place.

8 We will analyze them. We figure out where
9 things can be made better in our EIS, we will modify
10 it. We will let you know, in our responses, where we
11 have modified the EIS, and we will also answer
12 questions that people have asked.

13 Now, that is all that we have planned for
14 this evening. I do want to thank the people here at
15 the Middletown Memorial Hall for this wonderful venue
16 that we were able to arrange, for use, with them.

17 We want to thank the law enforcement
18 officials who have helped us all day today. We also
19 want to thank Chip, and Ed Johns, for their assistance
20 this evening with facilitating and transcription.

21 And I wish you all a nice evening. If you
22 have any questions, please don't hesitate to come and
23 talk to us. Thank you.

24 (Whereupon, at 8:24 p.m., the above-
25 entitled meeting was concluded.)

Good evening: My name is Jeff Pantazes. I retired from PSEG last year after 34 years with the company, mostly involved in managing environmental programs and environmental projects. I will keep my comments brief, but I wanted to focus on and shed some "insiders" light on how PSEG conducts their day to day environmental business.

One example of that was the implementation of the Estuary Enhancement Program or "EEP" in both NJ and DE. During the planning for the EEP program and the field work over the last 20 years, the PSEG team I managed focused on making sure that there was a sound scientific basis for decisions.

Whether that was in the design of the many aquatic biological monitoring programs, where the challenge was always on assuring that the sampling frequency and sampling locations selected provided a strong statistical basis for conclusions, and making sure that those conclusions were based on facts and data.

Or in the site selection process for the various restoration projects – again looking to find the best restoration sites, as opposed to the easiest or cheapest. As an example of that, one of the little known facts is that PSEG constructed a total of 13 fish ladders in NJ and DE.....but that nine of those were in Delaware, as they had the highest probability of successfully re-establishing river herring spawning habitat.

Similarly, working directly with DNREC's marsh and aquatic professionals, including Bill Meridith, Roy Miller, Bill Jones, Bob Meadows, and others, PSEG assisted with and funded the restoration of well over 5000 acres of degraded marsh in Delaware. That's totals to about 8 square miles of improved aquatic habitat that's in existence and functioning well today.

Another often overlooked subtlety is that the biological data collected under the EEP, for the last 20 years or so, is provided annually to DNREC, New Jersey DEP and the Federal regulatory agencies for their review and use. It is one of the most complete and consistent aquatic biology datasets in existence for the Delaware River. And it compliments data collected by DNREC and NJDEP under their fishery management programs as well, which helps to assure that there is a consistent and comprehensive understanding of all of that information.

Finally, another little known fact is that PSEG funded the land that DNREC bought for the Mispillion Harbor Nature Center that DNREC operates. It's one of the best horseshoe crab viewing areas in the region and something to be very proud of.

To sum all of this up, the basis for PSEG's environmental decision making has been, for my 30 plus year tenure, and remains to this day, focused on sound and defensible science.

I know first-hand that the same rigor went into the data collection, detailed technical reviews and analyses that have led to the NRC's Draft EIS that is being discussed today, as I was involved with managing that effort also. We considered and evaluated the potential impacts and benefits to Delaware residents, as the NRC has documented in the Draft EIS.

advice, guidance & inputs from

And I know first-hand that the ~~relationships PSEG has developed with~~ DNREC and the other Delaware agencies, regulatory professionals, and citizens are considered to be as important as those in New Jersey or elsewhere. I know in my day to day interactions with Delaware, I never forgot that people matter and I worked to make sure that I could always say that we were open, honest, and forthright about our environmental actions.

Thanks for taking the time to come out tonight.