

# **Official Transcript of Proceedings**

## **NUCLEAR REGULATORY COMMISSION**

Title:                   Advisory Committee on Reactor Safeguards  
                              Fukushima Subcommittee

Docket Number:     (n/a)

Location:             Rockville, Maryland

Date:                  Tuesday, September 16, 2014

Work Order No.:     NRC-1084

Pages 1-112

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION  
+ + + + +  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS  
(ACRS)  
+ + + + +  
FUKUSHIMA SUBCOMMITTEE  
+ + + + +  
OPEN SESSION  
+ + + + +  
TUESDAY  
SEPTEMBER 16, 2014  
+ + + + +  
ROCKVILLE, MARYLAND  
+ + + + +

The Subcommittee met at the Nuclear  
Regulatory Commission, Two White Flint North, Room  
T2B1, 11545 Rockville Pike, at 8:30 a.m., Charles H.  
Brown, Jr., Chairman, presiding.

1 COMMITTEE MEMBERS:

2 CHARLES H. BROWN, JR., Chairman

3 DENNIS C. BLEY, Member

4 RONALD G. BALLINGER, Member

5 JOY REMPE, Member

6 STEPHEN P. SCHULTZ, Member

7 GORDON R. SKILLMAN, Member

8 JOHN W. STETKAR, Member

9

10 DESIGNATED FEDERAL OFFICIAL:

11 CHRISTINA ANTONESCU

12

13 STAFF PRESENT:

14 MAITRI BANERJEE

15 MIKE CASE

16 DAVID RAHN

17 RICH STATTEL

18 RUSS SYDNOR

19

20

21

22

23

24

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

T-A-B-L-E O-F C-O-N-T-E-N-T-S

PAGE

Call to order and opening statement	
by Chairman Charles Brown.....	4
Opening Comments and Overview by Mike Case.....	6
Presentation of Tasks	
by Russ Sydnor.....	10
by David Rahn.....	28
Member Comments.....	74



P-R-O-C-E-E-D-I-N-G-S

(8:34 a.m.)

CHAIRMAN BROWN: The meeting will now come to order. Please excuse me if I sound a little raspy, I want to make sure everybody enjoys, maybe I can pass on the goodies here.

This is a meeting of the Fukushima Subcommittee, I am Charles Brown, Chairman of this subcommittee meeting. ACRS members in attendance are John Stetkar, Dennis Bley, Joy Rempe, Steve Schultz, Dick Skillman and Harold Ray. Christina Antonescu of the ACRS is the designated federal official for this meeting, however, filling in for her at this time is Mairtri Banerjee.

The purpose of this briefing is to review the staff's planned activities and discuss progress made to date on Reactor and Containment Instrumentation for Severe Accident Monitoring. Specifically the staff is working on the Enhanced Reactor and Containment Instrumentation, NRC Fukushima Tier 3 Item, which is a comment from the Advisory Committee.

The subcommittee will gather information, analyze relevant issues and facts and formulate proposed positions and actions as appropriate for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 deliberation by the Full Committee.

2 The rules for participation in today's  
3 meeting have been announced as part of this notice for  
4 the meeting previously published in the Federal  
5 Register on September 3rd, 2014. We have received no  
6 written comments or requests for time to make oral  
7 comments from members, statements from members of the  
8 public regarding today's meeting.

9 Also we have some people on the bridge  
10 phone line listening to the discussions. To preclude  
11 interruption of the meeting the phone line will be  
12 placed on listen in mode during the discussion and  
13 presentations and Committee discussions. Also the  
14 bridge line will be opened at the end of the meeting  
15 to see if anyone listening would like to make any  
16 comments. At that time everyone should identify  
17 themselves by name during that period if they desire  
18 to make comments.

19 A transcript of the meeting is being kept  
20 and will be made available as stated in the Federal  
21 Register notice. Therefore, we request that  
22 participants in this meeting use the microphones  
23 located throughout the meeting room when addressing the  
24 Subcommittee. The participants should first identify

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 themselves and speak with sufficient clarity and volume  
2 so they may be readily heard.

3 We will now proceed with the meeting. I  
4 call upon Mr. Mike Case director of the Division of  
5 Engineering in the Office of Nuclear Regulatory  
6 Research to make an opening statement.

7 MEMBER REMPE: Mr. Chairman, before the  
8 opening statement occurs --

9 CHAIRMAN BROWN: I was about to call --  
10 Fine, go ahead. Joy Rempe has an announcement that she  
11 must make.

12 MEMBER REMPE: I need to announce that I  
13 must recuse myself from some of the topics discussed  
14 today because of conflict of interest from other  
15 activities I do. Thank you, sorry for the  
16 interruption.

17 MR. CASE: Okay. Great. Thank you. As  
18 you said, my name is Mike Case. I'm really the, I'm  
19 still in the Office of Research but now I'm the Director  
20 of the Division of Safety Analysis. So I moved over  
21 to a different division. I was formerly the Director  
22 of the Division of Engineering and that's where I got  
23 involved in this particular issue.

24 So I'm what they call the SES Lead for this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 issue. And the issue, as you said, is the Fukushima  
2 Tier 3 Item on enhancing accident instrumentation  
3 during beyond design basis events.

4 And to tell you the truth it's been  
5 somewhat of an interesting assignment in that it's  
6 different in that this is not really a staff-generated  
7 issue, at least from the staff on our side. The  
8 Fukushima Task Force looked at this and didn't identify  
9 this as a particular issue. And the ACRS identified  
10 this issue in your considerations of the Fukushima  
11 event.

12 And I am really quite impressed with what  
13 I call the safety ethic of Russ and his team, because  
14 they didn't really make a distinction that this is an  
15 ACRS issue or this is a staff issue. They took it on  
16 as a safety issue. And so they have been really  
17 diligent of moving the issue forward and sort of taking  
18 ownership of the issue as a safety issue and saying hey,  
19 let's understand this and let's see what we can do in  
20 regulatory space.

21 The approach we were asked to take by the  
22 Steering Committee of the Fukushima Task Force was  
23 interesting as well in that, you know, unlike maybe  
24 other issues, they didn't give us a bundle of FTE and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a bundle of contract dollars and say go out there team  
2 and create this technical basis for this safety issue.

3 What they asked us to do was to really go  
4 out and to work with others to pull together information  
5 that would support a technical basis for this issue.  
6 And so, once again, Russ and his team I think really  
7 did an admirable job.

8 So we're in the process of pulling that  
9 technical information together and so what they've gone  
10 out and did, they've gone both domestically and  
11 internationally to pull together information on this  
12 issue. So they've been out with IAEA, NEA, Department  
13 of Energy, DOE, they've been out with EPRI. They've  
14 been working with the Tier 1 activities that are related  
15 to this. And they've been working with the standard  
16 development organizations.

17 So what you'll hear today is really a  
18 status update. So they'll be telling you about the  
19 various progress they have made with those particular  
20 endeavors.

21 And since the purpose of the meeting is a  
22 status update I don't think we need any formal feedback  
23 from the Committee so, you know, you don't have to write  
24 a letter or anything. This is more informal so

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 obviously we're interested in your feedback on the  
2 particular issues.

3 So as they go through the status if you have  
4 insights we of course want to hear those. Probably for  
5 me the larger issue right now is how do all these pieces  
6 fit together to get to a regulatory resolution of this  
7 issue. And quite frankly we haven't got to that point  
8 yet. So we're still collecting information.

9 But I thought I'd share a little bit of,  
10 at least, my overarching thoughts. And so, as I said  
11 before, we really haven't reached this point but we want  
12 to get to this point.

13 Quite frankly, you know, when I look at  
14 this issue and sort of the information that I have to  
15 date I don't see this resulting in a new requirement  
16 in this area, driven a lot by, you know, in order to  
17 get like to a rule or some sort of a durable requirement  
18 like that you would have to pass backfit tests so when  
19 you look at this it's very difficult to see how this,  
20 you know, how what we're finding will result in a  
21 significant safety improvement.

22 So I'm not thinking that it's going to  
23 result in a new regulatory requirement but it may. I  
24 think this issue will have a lot of positive impact on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Tier 1 issues because it sort of has driven us to  
2 ask a lot of those, in those Tier 1 environment, a lot  
3 of good questions of how they're resolving some of these  
4 instrumentation related issues.

5 And then I think there's some good  
6 potential in the standards development and the  
7 regulatory guide area that we can use some of the  
8 information that we've developed to sort of at least  
9 set out a future staff position on some of these issues.

10 And so, once again, after you hear the  
11 status updates it might be valuable to us as a team to  
12 maybe listen to your insights as to how do you all see  
13 the pieces fitting together, because that will help us  
14 focus some of our remaining activities.

15 And so that's all I have for an  
16 introduction. Once again, thanks, it's always great  
17 to be here. And I think I'll turn it over Dave or to  
18 Russ?

19 MALE PARTICIPANT: To Russ.

20 MR. SYDNOR: I'll start out.

21 MR. CASE: If you will start us out.

22 MR. SYDNOR: The first thing I'll do is  
23 just describe what we told the Commission and the  
24 Steering Committee we were going to do for this, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we also told that to the ACRS too.

2 I'm going to reiterate something Mike said  
3 about this is primarily a status report. We've been  
4 working this a couple of years so we have some  
5 preliminary opinions but we're not going to necessarily  
6 share those today because we don't have all our  
7 technical basis to back those up yet. But we're in the  
8 process of deriving that.

9 We are interested in, or going to try to,  
10 Dave and I will try to explain all the various things  
11 we've been doing and what we've been looking at. And  
12 it's, you know, it's from an international perspective,  
13 it's quite extensive how much information is out there  
14 in this area. And how much interest there is in this  
15 area.

16 But we're interested in feedback from the  
17 Committee today if you think we're missing something.  
18 You know, if there's something else that you think we  
19 ought to be looking at. So just to go --

20 CHAIRMAN BROWN: Excuse me, when you say  
21 there's interest, after looking at the plethora of, you  
22 know, meetings and things you all have attended and the  
23 joint discussions, et cetera, and you just made a  
24 conclusion relative to what you saw that there was a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 lot of interest. But what does that mean?

2 Are they going down a path to actually do  
3 something? Are they identifying parameters how they  
4 would do it? And you're all just kind of back here  
5 looking at what they're doing? I mean, what is the --

6 MR. SYDNOR: There's some of all of that  
7 I think in what you'll see. I think that will come out  
8 in the discussion but in general you'll see a lot of  
9 different entities, U.S. entities, national entities,  
10 that are looking at the same issues. Some perhaps more  
11 thoroughly than others.

12 And so we're looking at that and trying to  
13 discern why. What are the strategies or what are the  
14 assumptions that are driving some of those differences.

15 CHAIRMAN BROWN: Okay, let me phrase it a  
16 little -- Mike made the comment that he didn't really  
17 see this leading to any particular efforts, either a  
18 new rule or a change in rules or regulation, or whatever  
19 you want to call it, in terms of what utilities or power  
20 providers might be required to implement. He didn't  
21 see that coming based on the comments he just made.

22 Is that perception shared in these other  
23 entities that you all talked to in the international  
24 community? Are they thinking that yes we really ought

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to have something and you all are kind of on a different  
2 path?

3 MR. RAHN: I can answer that a little bit  
4 because I've been participating in a lot of the  
5 international work. Almost all of the work that we've  
6 seen done so far is in the form of guidance, not  
7 requirements. So they're leaning towards development  
8 of how to develop a good monitoring system. Or how to  
9 identify the requirements that go into specifying a  
10 appropriate set of information needed by the operators  
11 to manage severe accidents.

12 We haven't seen a lot in the way of  
13 rulemaking. We haven't seen a lot in the way of  
14 finished standards yet either.

15 CHAIRMAN BROWN: So they may develop some  
16 guidance and/or standards, but yet there would be no,  
17 they would be just be pieces of paper laying out there  
18 on the table that if some of their providers wanted to  
19 do that or felt it was important enough that they could  
20 go use those but there would be no execution directed  
21 by the --

22 MR. RAHN: The regulatory agencies.

23 CHAIRMAN BROWN: -- the regulatory  
24 agencies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. RAHN: And I'd say that first you have  
2                   to have something out there to endorse and then once  
3                   it's out there and has been, you know, absorbed by the  
4                   industry and by the regulatory agencies in other  
5                   countries, that that's the point at which they would  
6                   identify it's something that must be done. But first  
7                   I think they have to be led toward what it is first.

8                   MR. CASE: You know, I think that's a great  
9                   question. You know, like IEEE. IEEE has a standard  
10                  on accident instrumentation so they're looking at the  
11                  experience at Fukushima and saying hey what changes do  
12                  I need to make to my standards.

13                  I've got to look at that from a regulatory  
14                  perspective. You know, once they make their changes  
15                  I need to understand are any of those changes  
16                  significant enough to pass a regulatory test.

17                  And so I, you know, right now maybe I'm not  
18                  seeing that but once again they're not done yet. So  
19                  people are looking at it sort of from their perspective  
20                  and they're looking at it from a safety perspective,  
21                  which is great.

22                  And so what we're really searching for is  
23                  are any of those changes changes that will trip a  
24                  regulatory threshold. So that's sort of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 difference in perspective.

2 CHAIRMAN BROWN: David, go ahead.

3 MEMBER SCHULTZ: David?

4 MR. RAHN: Yes.

5 MEMBER SCHULTZ: At the same time you're  
6 going to be discussing today, and it's been mentioned  
7 already, that there is a connection to Tier 1 activities  
8 here and you're not only working with or toward those  
9 activities but are really following them closely.

10 MR. RAHN: Yes.

11 MEMBER SCHULTZ: And providing input to  
12 them.

13 MR. RAHN: Correct.

14 MEMBER SCHULTZ: And those activities are  
15 moving directly to rulemaking?

16 MR. RAHN: Yes. We're participating in  
17 rulemaking activities.

18 MEMBER SCHULTZ: And so in some  
19 complimentary fashion could there not be either an  
20 opportunity or a need to apply requirements related to  
21 instrumentation moving forward?

22 MR. RAHN: We are discussing and proposing  
23 rule language. But at this point none of that language  
24 has been adopted in the current plan.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER SCHULTZ: Okay. Thank you.

2 MEMBER STETKAR: You mentioned, you know,  
3 people that you've discussed things with, which is a  
4 broad term, and interests, which is a pretty broad term,  
5 and guidance, which is a pretty broad term. Thumbing  
6 through your slides here I see that you've had meetings  
7 with OECD, NEA, MDEP, IAEA. Those folks don't  
8 promulgate any regulations, they only, if at all,  
9 promulgate general guidance and recommendations.

10 Standards groups promulgate standards.  
11 Regulators promulgate regulations. Have you had any  
12 discussions with organizations like WENRA to see what  
13 the regulators in Europe are actually planning?

14 MR. RAHN: In the Committee, for IAEA for  
15 example, we adopted some language from WENRA  
16 categorizations. You know, so in that sense we are  
17 using information from WENRA but we haven't had direct  
18 contact.

19 MEMBER STETKAR: Okay. What I'm probing  
20 is to see, you know, I think Charlie was trying to probe  
21 feet on the ground in terms of individual country  
22 regulators both in Europe and in Asia perhaps. So like  
23 what they're planning.

24 MR. RAHN: I suspect that eventually the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Japanese will have something along these lines.

2 MEMBER REMPE: That was a question I  
3 wanted to ask you of the various countries, are you  
4 seeing that the Japanese regulators are a bit more  
5 aggressive about it these than we are --

6 MR. RAHN: Yes. We have seen that the  
7 Japanese are more aggressive. Yes.

8 MEMBER BLEY: We have a couple of slides  
9 that touch on their R&D plan for this area, which is  
10 the most extensive work that we've found in this  
11 particular --

12 MEMBER STETKAR: From the Japanese?

13 MR. SYDNOR: Yes.

14 MEMBER BLEY: All right. I have a  
15 different direction I'd like to ask about. When you  
16 read the testimony of the guys in the plant and their  
17 frustration at how the instruments worked, it kind of  
18 moves you. Especially if you have ever operated a  
19 plant. Have you had any interactions with INPO, WANO  
20 or any other operator-linked organizations to hear what  
21 they're thinking and if anything's coming this way?

22 MR. SYDNOR: Under our MOU with EPRI we  
23 interface, I'll talk about that on one of our slides,  
24 and the initiative they're doing. And some of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 members of that working group are the leads for the  
2 owner's groups that are writing the SAMGs. And we've  
3 had some detailed discussions of instrumentation  
4 issues.

5 My opinion is industry appreciates this  
6 issue, now how far they're, you know, willing to go with  
7 the issue obviously the industry doesn't necessarily  
8 consider regulation as a necessary step in this regard.

9 But they are interested in the technical  
10 aspects of the issue that the strategies they put in  
11 place are tested and I will talk about, there's some  
12 new work that they're doing with simulators and  
13 simulating severe accident conditions that I wanted to  
14 mention during this presentation. But the EPRI  
15 project is probably our closest link with the industry.

16 (Simultaneous speaking.)

17 MEMBER BLEY: So you haven't had any  
18 interactions with INPO or WANO?

19 MR. SYDNOR: Not INPO or WANO.

20 MEMBER STETKAR: So you don't know what  
21 the operators would really like to have in these  
22 situations?

23 MR. CASE: Well, we do. Dave and Russ do,  
24 they used to be operators.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. RAHN: The issue that we see is that  
2 the operator needs to have as much reliable information  
3 as he can to execute the planned mitigating strategies  
4 for all types of events. And so the more reliable set  
5 of instrumentation he has the better, obviously.

6                   So the issue is that -- The closest we've  
7 gotten to is when we kicked off the IAEA consultancy  
8 meetings in Japan, they brought in a few folks from  
9 TEPCO to help inform us as to what the operators were  
10 dealing with. They actually I&C folks.

11                  But some of those folks were actually at  
12 the plant during the event and had to deal with some  
13 of the problems they had with the loss of power and loss  
14 of available instrumentation. So we did get to talk  
15 to those folks. But I can understand the frustration  
16 that the operators must have felt.

17                  MEMBER STETKAR: I probably can't  
18 understand the frustration that they must have felt.

19                  MEMBER BLEY: Yes. Folks writing  
20 procedures sometimes and folks laying out requirements  
21 sometimes really don't focus on the instrumentation and  
22 what really will people be able to do at the times  
23 they're planning for them to do them. And I'm hoping  
24 there's more effort on that now, more focus on that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 But go ahead, you're probably going to cover all these  
2 topics anyway.

3 MR. SYDNOR: Yes, I think every question  
4 would have come up in later slides anyway. I just want  
5 to briefly go over what we told the Commission, what  
6 we told ACRS that we were going to do for this activity,  
7 the Tier 3 activity. There are three major tasks.

8 The first one really started several years  
9 ago and was working with the other Tier 1 teams. We  
10 had meetings, we communicated with them. Reviewed  
11 orders, what they were doing, what they were proposing.  
12 Tried to influence them to ask questions when they were  
13 dealing with the industry about instrumentation needs  
14 and uses.

15 And so most of that task is done, although  
16 in a later slide there's still some that's ongoing  
17 because the rulemaking is still ongoing.

18 And Task 2 was really probably the broader  
19 area that we didn't realize how broad it was going to  
20 be when we proposed it, because we didn't know the scope  
21 and breadth of efforts that were going to be undertaken  
22 worldwide on this specific to this issue. And so this  
23 was to review previous and ongoing research efforts and  
24 other coordinate with international and domestic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 entities and standards organizations.

2 And so we thought we could make some  
3 inroads there and I think, you know, we have a good story  
4 to tell in that area.

5 And, finally, Task 3 was to, once most of  
6 Tier 1 activities were done was evaluate what had been  
7 done in this area and use this as part of our GAP  
8 analysis. We would gather information from Task 2,  
9 compare to what had been done in Task 1, or not done,  
10 through some type of GAP analysis.

11 We have started some work on that this  
12 year. And we'll talk about it briefly, we don't have  
13 our final results or come to conclusions yet but we're  
14 making some headway on that.

15 CHAIRMAN BROWN: Before you go on, back up  
16 a second. On the Task 1, I'm just going to take this  
17 as an example. When you say ensure that licensees and  
18 NRC staff appropriately considering instrumentation  
19 needs when implementing site-specific actions for Tier  
20 1.

21 And then you look at Task 2, which talks  
22 about information available for severe accident  
23 management analyses and stuff like that. In looking  
24 through the various documents and paperwork and stuff

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       like that it was difficult to see where there was a focus  
2       on, as opposed to process, where there was a focus on  
3       more specific things.

4               For instance, instrumentation needs have  
5       to define what are the parameters you need. What's the  
6       range of the parameters you need? What was the  
7       experience we had at Fukushima of the instrumentation  
8       they had and what were their qualifications? And none  
9       of that information was in any of the, at least in the  
10      half a dozen documents that I looked at.

11             And it seems if you're going to provide  
12      input to the Tier 1 activities in terms of severe  
13      accident management instrumentation that you have to  
14      address more than what's the realm of research that's  
15      going on in the world in terms of stuff and what are  
16      the specifics that should be addressed. So that seemed  
17      to be a missing part of this overall project.

18             Didn't have any real big problem with  
19      trying to find out information. That was, you know,  
20      obviously you want to try to get as much information  
21      as to what's available and what people know. But you  
22      also have to identify what you want to know and about  
23      those specific parameters and stuff that you're going  
24      to need.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   And it was a question I raised a little bit  
2 earlier, I asked the question in one of your earlier  
3 meetings, I mean if you're going to manage, we've got  
4 all these SAMGs and severe accident management stuff  
5 which is supposed to enable us to deal with these  
6 circumstances of the beyond design basis type functions  
7 or situations.

8                   But if we don't have information from the  
9 plant to tell us how to use those what good are they,  
10 if you don't know what to address?

11                   And so it just seemed to me some of this  
12 stuff was missing. If I've got the wrong picture and  
13 there's really something in there I'm --

14                   MR. RAHN: Yes, you really have to get to  
15 the specific guidance documents that are being  
16 developed right now. So for example the --

17                   CHAIRMAN BROWN: That from the IEEE  
18 standard was it 497?

19                   MR. RAHN: 497, yes.

20                   CHAIRMAN BROWN: Seemed to not really have  
21 a lot of detail in it. I mean there was a little  
22 PowerPoint presentation written on it.

23                   MR. RAHN: Yes, the IEEE standard --

24                   CHAIRMAN BROWN: Is sparse.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. RAHN: Well in the area of a severe  
2                   accident -- Actually the purpose of the IEEE standard  
3                   isn't to specify what those ranges are. You know,  
4                   there's been a evolution in the IEEE standard that has  
5                   gone away from the approach that was taken in Reg Guide  
6                   1.97 Rev 2, which where the staff specified the ranges.

7                   You know, so those ranges and the ambient  
8                   environmental conditions and so forth do need to be  
9                   specified before you can identify the right  
10                  requirements for designing a severe accident  
11                  monitoring instrumentation program.

12                  However, a lot of the guidance documents  
13                  that are currently being developed require that to be  
14                  done. So even though the staff itself is not doing that  
15                  the guidance documents specify a methodology by which  
16                  you would get that information. And then it would be  
17                  up to the people who implement the system to follow that  
18                  guidance.

19                  CHAIRMAN BROWN: Okay. Go on.

20                  MR. SYDNOR: As part of our Task 3  
21                  evaluation that we've done we are putting together much  
22                  more detailed information. From all these documents  
23                  we've found were extracting instrumentation  
24                  requirements that these various entities have proposed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 or analyzed the need for. And so we are taking those  
2 and building kind of a matrix of instrumentation that  
3 we're analyzing and trying to understand differences.  
4 Trying to understand gaps.

5 Some of that's driven by what accident  
6 mitigation strategy you propose. And there are  
7 differences between different countries and different  
8 pieces of the puzzle, whether you're talking SAMGs or  
9 whether you're talking FLEX equipment, there's  
10 different strategies. Some of that we'll talk about  
11 briefly when we get to the later slide.

12 But we are, I think when we're done we're  
13 going to have much more detail. It's in there, you have  
14 to dig it out.

15 CHAIRMAN BROWN: Okay. You can tell I'm  
16 struggling.

17 MR. SYDNOR: It's a status report, not --

18 CHAIRMAN BROWN: I come from the make it  
19 and break it school of thought where you take a direct  
20 experience that we had, which is probably the most  
21 severe experience, setting aside the Russian  
22 experience Chernobyl, where we have a lot of  
23 information relative to the actual conditions, both  
24 radiation temperatures and pressures. The ability to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 know whether you had water levels in certain places,  
2 et cetera, et cetera, for the BWR standpoint.

3 And yet that all just seems to be lying  
4 fallow, it's all just spread around the ground and  
5 laying there, it's just not being utilized to develop  
6 at least a go forward thought process of where do we  
7 think we about where we should be.

8 And you can always do more to confirm some  
9 of that but that was a pretty severe downstream, you  
10 know, long-term effect type event. And instead we have  
11 a ten-year process maybe to get to some idea of what  
12 we may do post ten years from now, which is like an  
13 eternity.

14 So it's just a little difficult for me to  
15 see where we're going to end up with anything in what  
16 I would call, and I don't mean tomorrow or the next year,  
17 but within a reasonable timeframe in terms of giving  
18 people -- Even if we only make it guidance as to what  
19 they should be considering for their plants.

20 So that gives you a little flavor of what  
21 I'm, it probably sounds like the earlier discussions  
22 we had in the previous meetings. So, okay, you can --

23 MR. SYDNOR: Okay. Under Task 1 I had  
24 mentioned some of the stuff we had done earlier, one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to two years ago. We're still communicating with Tier  
2 1 teams, primarily the new consolidated Rulemaking  
3 Team.

4 In addition we have, Dave's actually on one  
5 of those teams and I have another member on my staff  
6 who's from a station blackout standpoint, is on that  
7 rulemaking team also.

8 We've reviewed the Tier 1 activities, I  
9 already mentioned that. We've reviewed the guidance  
10 documents that were put out. Dave was, and a number  
11 of people in his organization and some in mine,  
12 supported the spent fuel order. And so that gave us  
13 a lot of direct experience in dealing with the industry  
14 and with licensing of the order and the guidance and  
15 development there.

16 And some of that got into qualification of  
17 the new equipment that we were, new level indicators  
18 we were requiring to be installed under that order.  
19 And so we can apply some of that experience to what we're  
20 doing here.

21 And in the last bullet I think I mentioned  
22 a couple of times, Dave is on the consolidated  
23 rulemaking team and we are lobbying them, and it remains  
24 to be seen how successful that is. Or, you know, if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       it, as Mike was saying, whether it can pass the backfit  
2       requirements.

3               I'm going to let Dave talk about what he's  
4       been doing.     We have a number of slides on  
5       international activities because there's really quite  
6       a bit going on there.

7               This one is one where we think there's been  
8       a lot gained out of this activity and this slide and  
9       a later slide will talk about that in relation to how  
10      we believe we can take what we learned from this and  
11      roll it into hard regulatory guidance.

12              MR. RAHN:   So the IAEA --

13              MEMBER RAY:   Excuse me.     I've been  
14      thinking about something you just said and it took me  
15      a second to decide whether I needed to ask a question  
16      and I do.

17              You're talking about backfit requirements  
18      for beyond design basis accident mitigation, is that  
19      what we're talking about?   That's what I heard you say.

20              MR. RAHN:   I think it's more for severe  
21      accident management,   severe accident monitoring  
22      capabilities in --

23              MEMBER RAY:   And we have a way to apply  
24      backfit rules to that?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. RAHN: Yes.

2 MEMBER RAY: Okay.

3 MR. RAHN: So the IAEA effort was to  
4 develop a technical document that's going to be used.  
5 Initially its purpose was to help new agencies, new  
6 regulators and new member countries to identify a path  
7 for identifying the appropriate set of information that  
8 could used by the operators for a range, a broad range,  
9 of postulated events, starting with anticipated  
10 operational occurrences, going through transients and  
11 design basis events. And then into what they call  
12 design extension conditions, some of which include fuel  
13 damage. Some do not, some do.

14 And over that broad range the IAEA Team had  
15 set up a committee that was made up of members of  
16 accident management strategy folks as well as  
17 instrumentation design folks. And together they  
18 identified a path toward determining the appropriate  
19 set of instrumentation that operators would refer to  
20 while dealing with the broad range of events that could  
21 occur.

22 In the area of severe accident monitoring  
23 they specifically identified the need for back up power  
24 for those instruments. And the approach they took is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       that that backup power and the categorization of severe  
2       accident instruments should be treated special,  
3       different from the design basis event equipment.

4               So it would have an independent power  
5       supply from the design basis event equipment and as well  
6       have better qualification from a ability to withstand  
7       harsh environments.

8               So the guidance was put into that document  
9       that leads one toward specifying that range of  
10      parameters that would be needed to be monitored. It  
11      didn't have the numbers in there but it talks about,  
12      in qualitative terms, the range that would be needed.

13              And then there's also guidance put in there  
14      as for how to determine that, through modeling or  
15      through evaluation of other events that have occurred.

16              So the kind of documentation that should  
17      be sought after by someone who's designing a new  
18      accident monitoring system would involve evaluating  
19      things like you were mentioning from the accident  
20      monitoring information that was available in Fukushima  
21      and from TMI and other types of events.

22              So a lot of folks have interest in the  
23      Fukushima data that INL is maintaining. And there's  
24      been a lot of interest in qualifying and quantifying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the parameters needed to determine the range  
2 requirements for those instruments and the  
3 survivability for those instruments.

4 MEMBER STETKAR: Okay, what is the  
5 timeline on the publication of that tech doc?

6 MR. RAHN: Well, yes, as soon as this  
7 document is published, which it's to be published  
8 within a month or so.

9 MEMBER STETKAR: Oh, okay. So it's  
10 close.

11 MR. RAHN: It's been in the publishing  
12 mode for a long time.

13 MEMBER STETKAR: It's in published  
14 locations over there?

15 MR. RAHN: It's in that stage, right.

16 CHAIRMAN BROWN: That's the first line up  
17 there? That's the "Accident Monitoring Systems for  
18 Nuclear" -- this next one at the bottom is a separate  
19 document, right?

20 MR. RAHN: Yes, a new one. Yes, that's a  
21 new document that just got started, actually the first  
22 meeting is going on right now as we speak. They met  
23 yesterday and they're going to meet all this week. And  
24 they're talking about methods for identifying a better

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 way of qualifying equipment that must survive in order  
2 to provide the information to the operators.

3 That is being more focused toward  
4 equipment qualification. But my personal opinion is  
5 I think in order to solve this issue it's going to take  
6 a combination of qualifying equipment and maybe  
7 thinking outside the boxes how something should be  
8 monitored.

9 But I think the approaches that they're  
10 taking is as a follow-on to the first document that I  
11 pointed out that survivability analyses need to be  
12 performed.

13 MEMBER SCHULTZ: That first document --

14 MEMBER RAY: Wait a minute, let me try here  
15 for a second. Let me ask my colleagues a question  
16 because I'm missing something here.

17 We're talking about establishing specific  
18 requirements for this instrumentation. Those  
19 requirements effect, ultimately, what the cost will be  
20 of the systems we're talking about. After we've done  
21 that then we apply cost benefit, I mean, a backfit rule  
22 to determine whether to impose those requirements, is  
23 that the way it works?

24 Well I'm just, I thought maybe you guys

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       could talk about it and I wouldn't be badgering them  
2       with a stupid question. But I don't understand how it  
3       works to apply the, to do what you describe, which I  
4       understand I believe. And then say well now we're done  
5       but it won't pass the backfit test.

6               Well, what would happen if we went back and  
7       did it over again and came up with something different,  
8       might that pass the back -- How did you iterate between  
9       that ultimate hurdle which the Chairman has talked  
10      about recently, the Commission Chairman, and what  
11      you're doing now to decide what is the right thing to  
12      include in these guidance documents that you're talking  
13      about? End of question.

14             MR. CASE: Is that to the Committee or to  
15      us?

16             MEMBER RAY: That's to you now, because  
17      they're --

18             (Simultaneous speaking.)

19             MEMBER RAY: They don't seem to want to  
20      answer, so maybe you can answer.

21             CHAIRMAN BROWN: I'll let them answer and  
22      then I was going to make some comment relative, but I'm  
23      not sure what their answer --

24             MEMBER RAY: Wait. Let's get an answer

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and then we can comment on how things --

2 MR. SYDNOR: And you've had some  
3 discussions on this with the rulemaking team I'm sure?

4 MR. RAHN: Yes I have. So first of all you  
5 can't put something in a rule that's a requirement to  
6 put something in that doesn't exist. You know, does  
7 not have a commercial available and readily means to  
8 be installed in a nuclear plant.

9 So, you know, what has to happen is that  
10 research has to be performed and tests have to be  
11 performed and suitability and survivability has to be  
12 identified. And then you might find a specification  
13 for equipment that will last.

14 But until that's done, you know, you can't  
15 require something to be installed that doesn't exist  
16 today.

17 MEMBER RAY: Well, I mean, that's obvious.  
18 My real question, and I didn't make it very clear I  
19 guess, is how do you iterate. Supposing we come up with  
20 a very neat, great system that will do everything we  
21 want it to but it's too damn expensive. Does that mean  
22 we do nothing? Under the backfit rule.

23 MR. RAHN: Okay. I'll give you an  
24 example. In post-TMI timeframe there was several

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 items that were identified as part of 50.34. They were  
2 generic issues, generic safety issues, that all had  
3 Roman numerals and numbers associated with them.

4 And one of those items was Roman II.f.2 and  
5 II.f.3. Those were requirements that were -- they  
6 weren't requirements, they were generic safety issues  
7 that were considered as potential for rules to install  
8 instrumentation to monitor a core with significant core  
9 damage. Okay?

10 So a generic safety issue was vetted by our  
11 CRGR and the CRGR determined that there wasn't a  
12 significant safety benefit enough to make it a  
13 requirement because of its expense.

14 However, they determined that a set of nine  
15 plants which were on hold, they had licenses on hold  
16 for post-TMI, they should be required to install that  
17 equipment. And these were plants for which there was  
18 a construction permit on hold for TMI.

19 Now it turns out that none of those nine  
20 plants ever got built. So it appears there's a 50.34.f  
21 requirement for nine plants to put something in to  
22 monitor for severe accidents but those nine plants  
23 never got built.

24 However, in Part 52 they adopted and make

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a reference to that clause such that new plants, such  
2 as Summer and Vogtle, have to identify at least a  
3 survivability analysis associated with the instruments  
4 that would be used by operators to manage severe  
5 accidents.

6 So they have a section in there in Chapter  
7 19 that requires them to perform a survivability  
8 analysis of that instrumentation. So --

9 MEMBER RAY: Well I think we should move  
10 on. I appreciate the example you cited. I just, you  
11 know, you brought up the issue of backfit and I was  
12 trying to figure out how on earth that gets factored  
13 into what you're describing you're doing. And I guess  
14 it doesn't. But once you're done with what you're  
15 doing then any backfit consideration would apply to the  
16 result.

17 MR. SYDNOR: Yes, we would have to make a  
18 decision that we're recommending rulemaking and then  
19 that would undergo a backfit analysis.  
20 Simplistically, I mean we wouldn't be doing a backfit  
21 analysis at this point.

22 MEMBER RAY: I understand. But on the  
23 other hand you're establishing requirements, or what  
24 could become requirements, which would affect the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ability to impose it under the backfit rule. And, like  
2 I say, I was sensitive to that because of the remarks  
3 that Chairman just made. And so that's why I'm trying  
4 to understand how you consider that because you  
5 mentioned it, not me.

6 MEMBER BLEY: Harold, can I try to  
7 rephrase your whole line of discussion?

8 MEMBER RAY: Yes, yes, go ahead. I'm  
9 done.

10 MEMBER BLEY: Well I think what Harold was  
11 getting at was, you lay out requirements, you take a  
12 look and you say oh it doesn't meet the backfit analysis  
13 but it's close. Can we modify the design a little bit  
14 so that in fact the cost is in line and it would meet  
15 the backfit requirements to get the safety gains that  
16 we think would accrue from this?

17 And is there a process like that or is there  
18 proposal, here it is. Doesn't meet it, we're done. Or  
19 do you go through some iterative process to try to drive  
20 the design to something that will accomplish your goals  
21 and still be cost effective?

22 MEMBER SCHULTZ: Or the better question,  
23 why don't you go through a process that would identify  
24 a practical solution?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MR. CASE: Okay, well, here's my take on  
2                   that question. There's really two parts to the backfit  
3                   rule. First, I have to understand that it's a  
4                   significant safety improvement. That is the highest  
5                   hurdle to get through first. You know, then you can  
6                   assess the cost-benefit activity.

7                   So the reason that I never get into this  
8                   iterative thing on the cost benefit is a lot of times  
9                   it will not pass a significant safety improvement.

10                  So when I'm working in the beyond design  
11                  basis realm, you know, in order to get a quantified  
12                  significant safety improvement that is very, very, very  
13                  --

14                  MEMBER BLEY: Because the likelihood of the  
15                  core damage we're going to start with is so occasional.

16                  MEMBER STETKAR: Because they use change  
17                  in core damage frequency and we're talking about things  
18                  after that. I mean the metric that is used is  
19                  ridiculous for these decisions. It's ridiculous.  
20                  And it's inappropriate.

21                  MR. CASE: Correct.

22                  MEMBER RAY: But that is what I had in mind  
23                  in sending the question your direction, was how the heck  
24                  do they do this --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   MEMBER STETKAR: They can't. Using the  
2                   current values.

3                   MR. CASE: Well you can't do it  
4                   quantitatively. And so that's where the famous  
5                   qualitative factors come in. And so that's a big,  
6                   that's a heavy lift for the Agency to say hey I'm just  
7                   going to make up a bunch of qualitative factors and say  
8                   okay, that's a significant safety improvement.

9                   MEMBER RAY: Okay, but I did think that's  
10                  what we were talking about here was something that was  
11                  in that domain, ultimately.

12                  MR. CASE: It is.

13                  MEMBER RAY: When you're talking about --

14                  MR. CASE: It's a hard domain to work with.  
15                  It's a hard domain to make new requirements.

16                  MEMBER BALLINGER: Isn't there another  
17                  way, shouldn't it be the reverse? To establish a de  
18                  minimis set of instrumentation which is absolutely  
19                  required in order for the operator to make an assessment  
20                  of what's going on in the core. Period. Then where  
21                  do we go from there.

22                  MR. CASE: Right, well we have that now in  
23                  the regulations.

24                  MEMBER REMPE: But that's for design

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 basis.

2 MEMBER STETKAR: No. No, that's for  
3 design basis. That's design basis. Go beyond that.  
4 Talk to the operators at Fukushima and ask them what  
5 they would have really liked to have once they knew it  
6 was a really bad day in the power plant.

7 Talk to the operators, the ones that  
8 survived, at Chernobyl and ask them what they would  
9 really liked to have had to let them know that it was  
10 a really bad day at the power plant.

11 Don't start with what's required for the  
12 design basis to prevent core damage. We're already  
13 past that. It's irrelevant. What's in the  
14 regulations to prevent core damage is irrelevant.

15 MEMBER SCHULTZ: If we try to approach  
16 this with qualitative factors I don't think we'll ever  
17 get to where we want to be.

18 MEMBER BALLINGER: When you're up to your  
19 waist in seawater if you really want to know what's  
20 going on that's the question to ask. What do I really  
21 need to see?

22 MEMBER RAY: But, again, as I think John  
23 said and as I felt before, when we're talking about the  
24 domain we're talking about now, I don't know how to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       apply backfit to that. Because presumably we meet the  
2       hurdle that you're talking about in qualitative space.

3               This is something we're going to do because  
4       we want to have some capability in the beyond design  
5       basis arena. Not that we're going to subject that  
6       capability to the backfit rule.

7               MR. CASE:     Okay, I'll share all my  
8       insights. I think the most critical part for our  
9       effort is really the Tier 1 activities. We should be  
10      asking these, you know, I knew this since day one, we  
11      ought to be asking these instrumentation questions in  
12      the context of the Tier 1 issues. Because the Tier 1  
13      issues are close enough to passing this significant  
14      safety improvement.

15              So the things that, you know, when you talk  
16      about Fukushima a lot of it was driven by the lack of  
17      power. So we need to ask that question about  
18      instrumentation specifically in the context of that  
19      rule. And that's --

20              MEMBER STETKAR: Mike, that's one issue.  
21      But you could have 1,000 fully qualified power supplies  
22      for something that fundamentally won't work. And it  
23      won't help the operators. So power is certainly a  
24      source but having the instrumentation that indeed will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 work in the environments that they were exposed to is  
2 a different issue.

3 Because you could power that  
4 instrumentation but if indeed it's not qualified for  
5 the temperatures, humidity, radiation fields, you  
6 could have an infinite amount of power but if the  
7 instrumentation is not reliable under those  
8 conditions, I mean, it might even be worse for the  
9 operators because they could be misled by  
10 instrumentation that's providing faulty output.

11 So theoretically a lot of the Tier 1 issues  
12 will solve the power supply issue.

13 MR. CASE: Right, and the Tier 3 issue is  
14 for us to understand whether they fundamentally won't  
15 work. And so that's what I'm looking for. I'm  
16 looking, in all these studies, I'm looking for somebody  
17 to come up with the insight that hey we looked at this  
18 and it fundamentally won't work. Once I get, you know,  
19 once somebody puts their finger on that issue I've got  
20 something to work with. But right now I haven't seen  
21 that yet.

22 MEMBER SCHULTZ: Well that's why I asked  
23 the nexus between what's going on here in the Tier 1,  
24 because that's the way you need to develop that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 integration. Not just a portion of it with regard to  
2 the power supply issue, but to really put the  
3 instrumentation expectations in front in order to solve  
4 the problem or address the problem.

5 Dave, you mentioned Part 52 and the  
6 expectations associated with severe accident, at least  
7 evaluations, that is now there as a result of TMI and  
8 other things going forward. My question brings back  
9 to the IAEA tech doc and I presume that NRC had a role  
10 --

11 MR. RAHN: Yes.

12 MEMBER SCHULTZ: -- associated with that  
13 preparation. My question is, you know, you described  
14 this as if it was bringing new processes and information  
15 to the fore. I'm trying to understand how that, or in  
16 what form that's being brought to table different from  
17 what we already know?

18 MR. RAHN: Yes, I would say that --

19 MEMBER SCHULTZ: I mean, you described  
20 this as working to do, seems to me to be elements of  
21 the problem direction that we have had dramatic  
22 experience with and already know how to do this.

23 MR. RAHN: At TMI, right.

24 MEMBER SCHULTZ: Well not just TMI, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 all of the 32 that have come since. So I'm trying to  
2 understand, I mean, we're not waiting for this. I mean  
3 everything that I think is in that document NRC is quite  
4 familiar with and ought to be integrating already.

5 MR. RAHN: Right. But I wouldn't say it's  
6 ever been captured in one document before.

7 MEMBER SCHULTZ: Okay. So that its  
8 value.

9 MEMBER REMPE: So my impression of what's  
10 in that IAEA document is, one of the things that's in  
11 there, is that they're emphasizing plant-specific  
12 evaluations. And I believe it's for a range, not just  
13 one accident, of risk important events, which is  
14 similar to what NRC and industry in the U.S., back in  
15 the 90s perhaps, the SA-Keisou information emphasizes  
16 one event, Diichi. And I'd like to hear your thoughts  
17 on that and its impact.

18 Plus then talk a little bit more about 52  
19 and what has been done with Summer and Vogtle. Are they  
20 looking at a large number of risk important events based  
21 on their PRAs from Westinghouse? What, you know, and  
22 what exactly was identified in what types of  
23 conditions?

24 MR. RAHN: Well, so I'm not the expert in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Part 52, but I have read their proposed Chapter 19  
2 information. And I'll tell you what, it's not as  
3 detailed as I would have liked. But it does require  
4 that the equipment be capable of beyond design basis  
5 event type, not just design basis but extreme external  
6 events.

7 MEMBER REMPE: But did they apply MAP for  
8 three or four different scenarios and identify what  
9 pressures, temperatures, radiation, conditions, et  
10 cetera need to be submitted?

11 MR. RAHN: I'm not in the position to  
12 answer that question. I don't know the specific list  
13 of events that were considered.

14 MEMBER REMPE: Okay.

15 MEMBER STETKAR: Harold, do you know, I'm  
16 going to put you on the spot since you asked this  
17 question. I know when we've looked at the design  
18 certifications to date, generally the identification  
19 of that inventory of instruments is postponed to at  
20 least the COL stage if not post-COL because the argument  
21 is it's tied up with the human factors engineering and  
22 the design of the control boards and you can't do all  
23 of that stuff.

24 Do you know, for Vogtle and Summer, did

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       they actually develop a specific list at the COL stage  
2       or was it punted to post-COL?

3               MEMBER RAY:     I'll punt it to Charlie  
4       because he at the course.

5               (Simultaneous speaking.)

6               CHAIRMAN BROWN:   I don't remember any  
7       specifics at all in those discussions.

8               MEMBER STETKAR:   I know it's been somewhat  
9       frustrating, I think for the staff also, that they've  
10      asked for these lists of key instrumentation for severe  
11      accidents and, at least at the design certification  
12      stage, it's generally been pushed forward with the  
13      argument that well we can't specify the list of  
14      instruments because it's tied up with human factors  
15      engineering and I&C and all of the things that tend to  
16      get pushed.

17              MEMBER RAY:   Well we also need to remember  
18      that those certifications were amendments of a prior  
19      certification --

20              MEMBER STETKAR:   That's right.     But  
21      eventually things come together at COL.   You know,  
22      they're building Vogtle and Summer and some of this line  
23      of questioning is do we know what the list of  
24      instrumentations they have settled on.   Do they have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 a list? And how do we have assurance that they meet  
2 the qualification requirements that you specified in  
3 Chapter 19 of the design certification, which are, you  
4 know, fairly broad requirements. But they're at least  
5 requirements.

6 MR. SYDNOR: We looked at Chapter 19  
7 design certs and COLs and it was not detailed. It  
8 proposed a survivability analysis and gave an example  
9 of one, as I recall it.

10 MEMBER STETKAR: Right.

11 MR. SYDNOR: It also had a list of, I'll  
12 call it, my words, preliminary list of instrumentation.  
13 I wouldn't call it a final. And when I asked questions  
14 about that of the people in NRO it was an expectation  
15 that the detailed engineering would execute all of  
16 those requirements and they would develop that list.  
17 They would do the survivability analysis.

18 MEMBER STETKAR: But I think that has  
19 tended, at least to date I think in practice, to be a  
20 post-COL activity.

21 MR. SYDNOR: I would agree with that.

22 MEMBER STETKAR: In theory it should be  
23 ongoing I guess for Vogtle and Summer right now.

24 MR. SYDNOR: Or in new reactors, but going

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 back a year a half we looked at that. It was one of  
2 the first things we looked at.

3 MR. SYDNOR: Do we have anything else to  
4 say about the --

5 MR. RAHN: No, let's move on. So in  
6 addition we're looking at this interesting document  
7 that was also put together by a team of folks that  
8 consisted of operators and I&C folks to put together  
9 the task group on accident management of NEA. And it's  
10 called Accident and Management Insights After the  
11 Fukushima Daiichi Event.

12 And so this document was kind of developed  
13 in parallel with the IAEA document with different  
14 folks. But recommendations that came out of that  
15 definitely identified that equipment and  
16 instrumentation needed for handling severe accidents  
17 need to account for the conditions and the time duration  
18 that they need to function within.

19 So that's another independent,  
20 independent from IAEA at least. Because I looked at  
21 the list of the folks that were on both committees, the  
22 IAEA Committee and NEA Committee, and there didn't seem  
23 to be any overlap so it seems like these were developed  
24 independently.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In addition there's an MDEP effort to  
2           identify what would be a good set of requirements for,  
3           primarily that's the EPR design containment pressure  
4           management. And then as well as reliability  
5           instrumentation.

6           MR. SYDNOR: We haven't seen the MDEP work  
7           yet. Just became aware of it recently. They have  
8           draft reports in progress, they hope to publish those.  
9           The middle bullet there was one I thought was most  
10          interesting to our effort and that they were going to  
11          look at reliability and qualification of severe  
12          accident instrumentation.

13          Just real quickly on the OECD/NEA report,  
14          this is one where, going back to Charlie's question  
15          earlier. In that report is a listing of severe  
16          accident instrumentation. And some of it is general,  
17          you know, it's generic so it's not, it's very high level  
18          but I feel we can extract that from that and use that  
19          as one of our comparisons as part of our GAP analysis.

20          It's going to take some effort to do that  
21          but it does have some lower level of detail about what  
22          they think is needed for severe accident  
23          instrumentation.

24          I'll just talk about our -- The Office of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Research has a Memorandum of Understanding that allows  
2 us to collaborate with EPRI, the industry's research  
3 agent. And EPRI's actually done a lot of work in this  
4 area.

5 The first two reports there have been done  
6 quite awhile, but they were done very quickly after  
7 Fukushima. And their main purpose was to support  
8 owner's groups severe accident management guideline  
9 development. So they're like a technical document  
10 which is a basis.

11 And they did something similar in the early  
12 90s. Some of these are a rework of work that they did  
13 in the early 90s, updating it with Fukushima lessons  
14 learned.

15 MEMBER BLEY: Russ, two related  
16 questions. One harks back to our other discussion  
17 earlier. Let me ask them both first before you answer.

18 The first one is, and I don't remember, I  
19 don't know if the SAMGs have an identified list of  
20 important instruments for implementing the SAMGs. I  
21 know they talk about the parameters you're going to have  
22 to look at.

23 It strikes me that if in fact the NRC is  
24 going to get involved in the SAMGs, and they have a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 rulemaking about that, that that's the perfect place  
2 to put in the other needs for -- If you're going to do  
3 them how are you going to do them if you don't have the  
4 instruments to allow you to do them?

5 MEMBER SCHULTZ: And the understanding of  
6 the accidents that you're trying to address.

7 MEMBER BLEY: That you're trying to  
8 address.

9 MR. SYDNOR: One thing I wanted to stress  
10 with this slide is I think the industry recognizes that.  
11 And they funded, the third bullet there, the new EPRI  
12 project, which is totally focused on instrumentation  
13 control for beyond design basis events and severe  
14 accidents.

15 The two bullets underneath that are past  
16 work where they did something, some similar work in the  
17 early 90s looking at severe accident instrumentation.

18 So right now they're still trying to figure  
19 out how much to bite off off with this project.  
20 There's, like I mentioned before, the owner's group  
21 leads that are writing the severe accident management  
22 guidelines, the generic ones that then the plants will  
23 then take and develop plant-specific procedures from,  
24 are on this.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And they are participating in this  
2 project. The project is far from any solutions on this  
3 and quite frankly they're still talking about how far  
4 to go with instrumentation. There is --

5                   MEMBER BLEY: These reports are out now?  
6 The EPRI --

7                   MR. SYDNOR: Oh the two I mentioned are  
8 old, all of these are out.

9                   MEMBER BLEY: Right. I thought they  
10 might have been too, but I don't remember.

11                  MR. SYDNOR: One of them, more  
12 interesting, in our last meeting with the working group  
13 there, and by the way, Dave and I are both participating  
14 with EPRI's technical advisory group for this effort  
15 through our MOU.

16                  One of the things that came out is that the  
17 industry, several plants now are updating their  
18 simulators with MELCOR and they're trying to develop  
19 a capability of doing severe accident simulations.

20                  And in fact the industry, the B&W Owner's  
21 Group has done an initial study at Monticello and they  
22 were pretty happy with --

23                  MEMBER STETKAR: BWR.

24                  MR. SYDNOR: BWR. Did I say B&W? I meant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to say BWR. So it's very limited at this time. For  
2 instance one of the limitations of that early work they  
3 did was MELCOR would only simulate an in-vessel core  
4 aspects at this time. And so they don't have their full  
5 simulations but it was a major step forward in  
6 capability. And they were using it to essentially  
7 benchmark their severe accident management guidelines  
8 that they're developing with an actual simulation.

9 And the Sandia work has proven that MELCOR  
10 can actually do a pretty good job at simulating severe  
11 accidents. So I thought it was very encouraging and  
12 I wanted to mention that to the Committee. So I think  
13 there's a lot more to come out of this work.

14 And the one thing I wanted to stress is I  
15 think industry does understand the issue with  
16 instrumentation. You know, in our discussions on the  
17 technical group that comes out now, how they have  
18 constraints. They have time constraints. They have  
19 money constraints. They have constraints and they're  
20 still developing these procedures. They are not the  
21 plant-specific procedures are not developed. And so  
22 that's occurrent, just time limitation.

23 They have the generic guidelines, both the  
24 BWR Owner's Group Guideline and the PWR Owner's Group

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       Guideline are available and we're looking at those  
2       trying to extract what we see as instrumentation needs  
3       out of those.

4               We've been collaborating with DOE. DOE  
5       has actually done a lot of work and they're trying to  
6       do additional work. There's a couple of studies that  
7       have been done. The Sandia work that I already  
8       mentioned where they use MELCOR to simulate the  
9       accident.

10              Idaho and Oak Ridge have studies looking  
11       specifically at instrumentation performance. And DOE  
12       is -- One future project, actually they had started on  
13       it, they're currently experiencing some delays  
14       because, again, the plant-specific procedures were not  
15       available but the very last bullet there was an  
16       intention to do these plant-specific studies for severe  
17       accident implementation using MELCOR and using the  
18       actual plant SAMGs, put the whole picture together and  
19       determine from an analysis standpoint what  
20       instrumentation would be useful.

21              And so there's some problems with  
22       continuing that work at this time. DOE was also trying  
23       to collaborate with the Japanese study. That Japanese  
24       study for severe accident instrumentation is actually

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 an Appendix through the IAEA doc. And, like I  
2 mentioned, we find it a very broad thinking. It was  
3 really a research and development plan and their  
4 ultimate goal is to actually perhaps develop new  
5 instrumentation that would support severe accidents.

6 But the front end of that study was an  
7 analysis where we looked at, worldwide, at what others  
8 were doing, lessons learned from Fukushima. And they  
9 built a list of instrumentation needs from that  
10 analysis. And we're kind of using that as a benchmark  
11 for what we're looking at.

12 MEMBER REMPE: So to provide some  
13 information on the DOE, for instance, I'm involved with  
14 it, it being plant-specific evaluations would rely on  
15 the results from the SOARCA evaluations.

16 CHAIRMAN BROWN: From the what  
17 evaluations?

18 MEMBER REMPE: SOARCA evaluations. The  
19 MELCOR analyses already exists. The decks already  
20 exist. So the intent was to extract for the risk  
21 important events identified in MELCOR to do  
22 plant-specific evaluations.

23 The other point that it strikes me, I know  
24 with some of the evaluations of the TMI events, it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not just the conditions that the sensors are exposed  
2 to, sometimes it's the sampling rate.

3 For example, if you look at the  
4 containment, the hydrogen burn at TMI. The  
5 temperatures in the containment never reflected that  
6 there was a burn. There was one data point from the  
7 pressure that said something happened there. And when  
8 they went back in they saw phones melted and things like  
9 that said maybe the temperatures weren't quite right.

10 And also there's more to think about too,  
11 that the operators need, it's not just the sensor's  
12 survivability. It's also the sampling rate and how the  
13 data are provided to the operators.

14 CHAIRMAN BROWN: Well when you talk about  
15 sampling rate are you talking milliseconds, seconds or  
16 minutes or half hour?

17 MEMBER REMPE: At TMI, and I'm sure it's  
18 better now. I hope it is, every six minutes was how  
19 often the data were, the operator saw it.

20 CHAIRMAN BROWN: You have to be kidding  
21 me.

22 MEMBER BLEY: This wasn't accident  
23 monitoring stuff. This was done in the normal  
24 environment --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (Simultaneous speaking.)

2 MEMBER REMPE: Applications analysis need  
3 to be done.

4 MEMBER BLEY: It's like a log book.  
5 Perfectly satisfactory for what its intended purpose  
6 was.

7 MR. RAHN: And now we've also, we had a lot  
8 of interest among our own staff of the output of the  
9 National Academy's, so their report has several  
10 recommendations in it, in Chapter 5 in particular, that  
11 we've been paying attention to. I happened to provide  
12 one excerpt here from that on the slide.

13 But in addition they're very strong in  
14 making sure that DC power systems and backup power  
15 systems are also looked at in a hard manner, in a couple  
16 of ways. One way is just their ability to provide the,  
17 you know, to last for the duration needed before  
18 additional power can be brought in.

19 But, secondly, they highlighted a point  
20 about the timing between failures of the AC system and  
21 the DC system. So for example if you lose a DC system  
22 you could also lose the breaker controls for the AC  
23 system.

24 In other cases you also need to look at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sometimes we have a distribution of power where some  
2 valves may be operated with DC power and other valves  
3 may be operated with AC power and those valves may be  
4 on the same system. And so if they're in series, you  
5 know, and you lose one and not the other you still can't  
6 use the system.

7 MEMBER BLEY: From an electrical point of  
8 view that's what they were talking about. From an  
9 integrated performance point of view they noted that  
10 a control signal that was there to protect you under,  
11 I think it was a pipe break condition, was implemented  
12 in a way that was identical to what would happen if you  
13 lost power. Such that we had some hidden things in  
14 there and logic circuits put them in situations that  
15 were unplanned because of that.

16 MR. RAHN: Right.

17 MEMBER BLEY: That seems a much broader  
18 issue and I wonder if you've given that any thought.  
19 I don't have, you know, that could be a very broad  
20 ranging topic.

21 MR. RAHN: Yes, it's something that needs  
22 to be considered when we look at this potential for a  
23 race between the --

24 MEMBER BLEY: Yes. I mean the race was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 set up by the electrical stuff but it was initiated by  
2 a phony signal back, by DC being the same thing as the  
3 signal they were looking for. So I don't know if you've  
4 thought about that, are there other places that we could  
5 --

6 MR. RAHN: No, but when we read this, you  
7 know, it triggered stuff in our minds, is there  
8 something else we've got to look at. But, no, it was  
9 a very interesting report for us to evaluate. And I  
10 think it's just another data point that says hey, it's  
11 essential to have this equipment and it's got to be  
12 qualified for its use.

13 Other things that we're concerned with is  
14 what's happening here in the U.S. with regards to our  
15 own standards organization. And so IEEE is the  
16 standard that Reg Guide 1.97 refers to. It's IEEE 497.  
17 And there's a number in NRR here, Steve Weinman is our  
18 representative on working group 61 of the IEEE impact,  
19 which has to do with accident monitoring.

20 They currently have a draft of the next  
21 revision. And they're currently vetting that draft.  
22 Now there's an administrative issue associated that's  
23 holding that draft up from being published. They're  
24 trying to do a joint logo with IEC and IEEE and they're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 having some difficulties in pulling that off.

2 But, regardless, by next year that draft  
3 standard should be released. It'll either be released  
4 as a joint logo or not. You know, so they'll be dealing  
5 with that in a meeting this next month and then in  
6 January again they're going to bring it up.

7 But currently they have identified what  
8 they call a Category F instrument, so we had types A,  
9 B, C, D and E that were initially, I guess they go all  
10 the way back to the ANS Standard, ANS 4.5, types of  
11 categories of instrumentation. And this new Category  
12 F is something that is used for accidents with  
13 significant fuel damage.

14 And so in there there are some criteria in  
15 there about determining whether or not they would  
16 actually survive, you know. So the standard says they  
17 must be able to at a minimum perform a survivability  
18 analysis, inform the operators when that information  
19 coming from those instruments is no longer reliable.

20 So that's something that, you know, we  
21 would hang our hats on if we were going to update Reg  
22 Guide 1.97, we would likely endorse that current  
23 revision of the IEEE Standard.

24 MEMBER SCHULTZ: David, what is SDO

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 please?

2 MR. RAHN: Standards Development  
3 Organization, sorry.

4 MEMBER SCHULTZ: Thank you.

5 MR. RAHN: Yes. It's not good to use --

6 MEMBER SCHULTZ: Before we go on, because  
7 we're going to leave Task 2 it looks like. You  
8 mentioned a wide number of organizations and activities  
9 within those organizations that are happening to  
10 address a number of different issues associated with  
11 instrumentation severe accidents. And it's a lot of  
12 information to both separate and then reintegrate  
13 because that certainly seems what is needed to draw the  
14 type of conclusions. I mean, hopefully we're not going  
15 to just update Reg Guide 1.97 by saying well there's  
16 a new IEEE standard and we're going to adopt that within  
17 the document.

18 MR. RAHN: No, we --

19 MEMBER SCHULTZ: So I was wondering a  
20 couple of things. What is the plan, given all of what's  
21 going on, for the NRC to integrate the information that  
22 has been generated and is being generated? And is  
23 there an end point that is a focal point of when we think  
24 we're going to get there?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   And I would tie it into Reg Guide 1.97  
2                   because you say well we're going to update it, IEEE,  
3                   and so I'm trying to understand what that schedule might  
4                   look like? And what the task is.

5                   MEMBER STETKAR: The current version of  
6                   Rev 4 of 1.97 is actually really short. And all it does  
7                   is effectively inter-set that IEEE standard. So it's  
8                   not as meaty as Reg Guide 1.97 used to be in previous  
9                   incarnations.

10                  MEMBER SCHULTZ: So I may just do this.  
11                  Let's go back to my original question then in terms of  
12                  integrating and drawing forward and a plan that can be  
13                  actualized or used.

14                  MR. RAHN: Well, as Russ mentioned  
15                  earlier, we have as part of our Tier 1 activity is to  
16                  integrate that information as we develop our regulatory  
17                  tools. And so it's not beyond us, as John has pointed  
18                  out, to endorse something with comments and with  
19                  clarifications.

20                  As a matter of fact I helped participate  
21                  in the development of Reg Guide 1.97 Revision 2 when  
22                  it came out. And we spent a lot of time developing the  
23                  information in tables that were attached as appendices  
24                  to that document. You know, I wouldn't say that's out

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 of the realm of possibility for severe accident  
2 instrumentation either.

3 MR. SYDNOR: But essentially what you're  
4 asking is what our Task 3 is all about. It's to  
5 integrate all of this, extract the information. Like  
6 I said, you know, all of this has pertinent information,  
7 some of it at different levels of detail.

8 MEMBER SCHULTZ: That's right.

9 MR. SYDNOR: And some of it yet to be done.

10 MEMBER SCHULTZ: Yes, and it's good, Russ,  
11 as you said, that the organization is not totally  
12 intertwined so that there is independence. But that  
13 does then require Task 3 to have --

14 MR. SYDNOR: The last slide I'll touch on  
15 is our best guess at a current schedule based on what  
16 we see this stuff progressing, how we see it  
17 progressing.

18 MEMBER SKILLMAN: Let me just offer an add  
19 on to Dr. Rempe's comment, for TMI, the sampling rate  
20 to understand what happened in containment. In order  
21 to really get the value of collaboration it would be  
22 useful to circle back around and touch some of the  
23 people that were involved in a couple of these accidents  
24 a long time ago, because these people have had a chance

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 to kind of distill what's important.

2 I'll give you an example. What pushed  
3 TMI-2 into natural circulation? We stopped the last  
4 reactor coolant pump. Why did we do that? Because we  
5 lost our last pressurizer level instrument. We didn't  
6 want to run dry in the pumps.

7 So a very obscure instrument drove us into  
8 a completely new operating realm, natural circulation.  
9 Personally that was very successful. But until that  
10 event that had never been tried. We didn't know  
11 whether it would go into natural circulation.

12 So, as Joy pointed out, the sampling rate  
13 for containment pressure, we're never going to, at  
14 least in my mind, never going to really be able to have  
15 probes deep in the core that will tell us exactly what  
16 the temperatures are. But the in-core detectors at  
17 TMI-2 did a pretty good job. They told us pretty much  
18 which direction that core was going.

19 So there may be, among the people that are  
20 still around who have been through a couple of these  
21 accidents, some information that might add to your new  
22 Category F that might not be as expensive as Harold is  
23 concerned about, although it may be, that might give  
24 those eight or ten practical items that will carry the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 day.

2 I don't think you need 200 or 500. DKE,  
3 containment conditions, reactor coolant conditions,  
4 how much water is in the basement. A couple of others  
5 that are remarkable and obscure.

6 The automation of your waste disposal  
7 system, they'll try to pump outside your boundary  
8 unless you block those, you can have offsite releases  
9 that you hadn't anticipated. And from within the same  
10 generators if you go up in your atmospheric pump valves  
11 and you do have failed fuel and failed tubes you now  
12 have an offsite release that you might not be able to  
13 fully quantify.

14 So there are a couple of places where  
15 talking to some of the folks who were around a long time  
16 ago might bring fresh information to this. And I don't  
17 believe it would be that difficult. I think these  
18 folks would be able to say hey, these are the three or  
19 four things that would have really helped us back when  
20 that happened.

21 MR. RAHN: Okay. Thanks.

22 MEMBER SKILLMAN: Thank you.

23 MR. SYDNOR: I'd just add I think the work  
24 DOE had done with Idaho and Oak Ridge was in that vein

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of looking back at TMI lessons learned and how to apply  
2 that.

3 MEMBER REMPE: We looked, at least with  
4 the TMI, about 100 references that were around, we  
5 didn't do the talking with the people because that  
6 wasn't possible though it would have been the nice thing  
7 to have done too.

8 But that was part of the vein of it, to try  
9 and see if we could identify certain sensors. What was  
10 done, data qualification effort and the sensor  
11 survivability assessments.

12 MR. CASE: Maybe we can tease out the human  
13 element of that. You know, maybe when we get to the  
14 final report we can use the final report to sort of  
15 engage that. There's ways we can get to those, that  
16 human intelligence.

17 MEMBER SKILLMAN: Thank you.

18 MR. SYDNOR: We'll move on to just,  
19 there's three slides but this is really Task 3 effort.  
20 It's something we've just started this year trying to  
21 begin our analysis of looking at what has been done as  
22 a result of Tier 1 activities and these other things.

23 So these three slides here primarily talk  
24 about what we're looking at in relation to specifically

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Tier 1 activities, not necessarily what we extracted  
2 from these other international efforts yet.

3 So we've started an analysis of looking  
4 back at mitigating strategies to understand what was  
5 committed to there by the utilities. We're looking at  
6 specific commitments. Specific lists of  
7 instrumentation and what they've committed to do as  
8 part of mitigating strategies.

9 I mentioned before Dave and others were  
10 part of the review of the spent fuel pool  
11 instrumentation implementation of that order. So  
12 we've looked at what the utilities have responded to  
13 those and we reviewed those in detail.

14 Just, go ahead, for a quick, as a starting  
15 point we took the licensee submittals and we took an  
16 initial broad look at all the different BWR designs and  
17 the different PWR designs and we're starting to put  
18 together a comparison matrix.

19 And, like I mentioned before, one of the  
20 sort of the benchmark we're using right now, because  
21 we found it to be the most encompassing, is the  
22 SA-Keisou analysis of what you ought to consider for  
23 severe accident instrumentation.

24 So we're benchmarking that against what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we're finding in these licensee submittals and trying  
2 to understand the strategies behind the submittals.

3 MEMBER REMPE: But., Russ, my  
4 understanding is the SA-Keisou -- did I say that  
5 correctly, is only on another Fukushima event. And as  
6 Dana pointed out, the next accident's going to be  
7 different, it's something we didn't think about. And  
8 so do you have any comment about that?

9 MR. SYDNOR: Do you know which accident is  
10 going to occur?

11 MEMBER REMPE: The only way I know to try  
12 and cover my bases is to look at a lot of different risk  
13 important sequences, because no I don't.

14 MR. SYDNOR: I'm not sure how else to --

15 MEMBER REMPE: Yes, I know. I just --

16 MR. SYDNOR: I think in new reactors  
17 that's exactly what the Chapter 19s are. They do the  
18 external events and develop the risk significance.

19 MEMBER REMPE: That's the intent, but then  
20 I actually have a copy of the Vogtle FSAR in Chapter  
21 19 and, again, it's not clear to me from what I've read  
22 but I wasn't involved when this was done, but what's  
23 the cutoff frequency, what's the duration time. And  
24 it's just not clear to me how that was implemented.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 But if it were done in a very systematic  
2 and methodical way then you have a difference between  
3 the new plants and the existing plants that exists, but  
4 it would be good to explore what's required to meet  
5 those requirement is 10 CFR Part 52. And I'd be  
6 interested in what you learn as you dig into that.

7 MEMBER RAY: Well of course both Vogtle  
8 design certification amendments and the COLAs have all  
9 preceded the developments that were to be imposed upon  
10 them. So that we're not going to find, I don't believe,  
11 in any of the material from that time, any of the  
12 outcomes from the work that you're describing here now.

13 MEMBER REMPE: But they were required to  
14 look at severe accident instrumentation.

15 MEMBER RAY: Yes.

16 MEMBER REMPE: And I just, it's not clear  
17 to me what the process is that NRC instituted that they  
18 had to follow.

19 MEMBER RAY: Or will have to follow.

20 MEMBER REMPE: Yes.

21 MEMBER RAY: That's the B

22 MALE PARTICIPANT: It hasn't been done  
23 yet.

24 MEMBER RAY: That's the dilemma in this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 case.

2 MR. SYDNOR: Another thing, in addition to  
3 mitigating strategies, we're looking at the BWR Owner's  
4 Group and the Westinghouse Owner's Group, which is the  
5 PWR Owner's Group, looking at their guidelines for  
6 emergency planning and severe accident management  
7 guidelines. And we're extracting from those what  
8 they're requiring for severe accident instrumentation.

9 We're reviewing also the purpose,  
10 assumption, approaches and considerations because  
11 there are different strategies one can take as far as  
12 accident management mitigation. And, again, we're  
13 using the SA-Keisou as sort of a benchmark comparison  
14 there.

15 But, for instance, mitigating strategies  
16 assumes, there's two main assumptions. That you've  
17 had the station blackout and the loss of ultimate heat  
18 sink and therefore it focuses on water injections,  
19 recovering DC power and hooking up portable equipment.

20 In looking at the severe accident  
21 management guidelines, we're reviewing those and we've  
22 identified a list of instrumentation that the operators  
23 are directed to use in those.

24 Now, again, these are not the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 plant-specific ones, so these generic guidelines  
2 plants haven't taken those and populated all of that  
3 yet. But that's the next step, they're in the process  
4 of doing that. And some of that was why that previous  
5 benchmarking at the simulator was going on because they  
6 were trying to understand how difficult that is and  
7 understand how to do that adequately.

8 So, again, we're reviewing the purpose,  
9 assumption, approaches and considerations of that  
10 because it's not, what we've found so far is that we  
11 need to understand the strategy that they're utilizing  
12 because the strategy forms the basis for the  
13 instrumentation that they're specifying.

14 And in this case they consider, these are  
15 more aligned, the guidelines are more aligned, we find  
16 so far, more aligned with SA-Keisou analysis because  
17 it considers worst cases. It looks at various core  
18 melt sequences and damage to the reactor vessel, damage  
19 to containment and works through each of those events.

20 MEMBER SCHULTZ: So, to go back to Joy's  
21 question, or comment, about what is the next event.  
22 The question is is that sufficient. Is it sufficient  
23 to do a worst case approach and develop some sort of  
24 set of instrumentation that's going to handle worse

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cases?

2 Is that in fact going to be the best success  
3 path? And is it going to be successful from the comment  
4 that Harold had made earlier? Do you not derive a set  
5 of instrumentation that's so expensive that, well we're  
6 not going to go there.

7 MR. SYDNOR: Or I would propose, or are  
8 there other strategies you could implement as part of  
9 your prevention and mitigation procedures?

10 MEMBER SCHULTZ: All right, having said  
11 that, I'm not trying to discourage any of this from,  
12 this where the meat of it is. This is where the  
13 activity that you and Dave have identified as the real  
14 focus is the severe accident management guidelines and  
15 the mitigating strategies to pull together and to ask  
16 the questions over and over again, is the  
17 instrumentation considerations appropriate. Have we  
18 got the right instrumentation that will support the  
19 severe accident management guidelines to support the  
20 mitigating strategies? And if not, what do --

21 MR. SYDNOR: I think we'd agree with --

22 MEMBER SCHULTZ: Okay.

23 MR. RAHN: I wanted to just add that it's  
24 not just the instrumentation but it's operator aids

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       that are used along with that instrumentation.  
2       There's a lot of need for interpreting what the  
3       instruments are saying. Even though, the instruments  
4       will not be perfect, but you need to at least understand  
5       the uncertainties associated with it and how those  
6       uncertainties can increase as the accident progresses.

7               MEMBER SCHULTZ: Exactly. And that's  
8       what Dennis and John were getting at earlier as well.  
9       Is you have to understand, you have to know when the  
10      instrumentation is helping and when it's not.

11             MR. RAHN: Right. So currently the  
12      industry's EOPs, especially the BWR's group ones, have  
13      pointers to where's the worst case number you can read  
14      reliably on this particular water level instrument, for  
15      example. So something like that needs to be  
16      promulgated a little further into the SAMGs.

17             MEMBER BLEY: Is that on those big flow  
18      charts?

19             MR. RAHN: Yes.

20             MEMBER BLEY: I don't recall ever seeing  
21      that.

22             MR. RAHN: Oh yes. Yes, there's a bottom  
23      range, bottom number. If you see a number on this  
24      instrument below this you can't rely on it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: Okay.

2 MR. RAHN: Yes, before I came to the NRC  
3 my company used to develop some of those operator aids.  
4 And we automated some of ours, we had laptops with, you  
5 know, maps of the, it had like a little diagram of the  
6 containment and the reactor and we had all the water  
7 level instrumentation on there, and reactor pressure  
8 and temperature conditions.

9 And you could punch in whatever any one  
10 instrument says and you put in the dry well temperature  
11 and the containment temperature, I mean, say the  
12 containment and the reactor building temperature it  
13 will compute for you what the instrument ought to read.

14 MEMBER BLEY: Oh, okay, we used to have a  
15 number graph. But that was a long time ago.

16 MEMBER STETKAR: That's when people knew  
17 what a number graph was.

18 (Laughter.)

19 MALE PARTICIPANT: They don't require any  
20 power, other than --

21 (Simultaneous speaking.)

22 MR. SYDNOR: So the last thing I wanted to  
23 talk about this morning was, you know, our timeline.  
24 And this timeline hasn't changed. I think I added a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plus on somewhere on here because of some of the  
2 unexpected delays. But this was the timeline that we  
3 proposed in the SECY and in dealing with the steering  
4 committee.

5 And it gives you sort of frame, I didn't  
6 intend to go through all of these. But, you know, our  
7 intention is to develop our recommendations next year.  
8 Due to some of the delays in some of the research that  
9 may stretch into 2016.

10 MEMBER BLEY: But you are keeping touch  
11 with the Tier 1 folks?

12 MR. SYDNOR: I don't know if it was issued  
13 yet but the latest SECY, every six months they give a  
14 SECY to the Commission.

15 MEMBER BLEY: Yes.

16 MR. SYDNOR: One of the enclosures is --

17 MEMBER BLEY: Is that. Okay.

18 MR. SYDNOR: And so this is what we've been  
19 working towards. And for the most part the schedule's  
20 still pretty much holding up. And so, that's all we  
21 had this morning unless there's any more questions,  
22 comments. Appreciate the feedback that we've gotten  
23 today.

24 CHAIRMAN BROWN: I guess I have one other,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not a new question, but just, I don't want to call it  
2 a take away either, but maybe a direction comment. And  
3 that's all of the stuff, and I'm going back to Ron's  
4 comment developing a de minimis set of instruments and  
5 their capabilities, specific capabilities.

6 I mean, we have a limited number of types  
7 of instrumentation that we're going to have to deal  
8 with. I mean it's either temperatures, pressures,  
9 levels, flows and that have to operate in some  
10 environment. Pressure, temperature, radiation  
11 environments.

12 And it would be, to me, this is me, not the  
13 Committee. This would be me for subsequent  
14 discussions would be to see where we start laying out  
15 what I would call some boundary conditions for these  
16 to say here's kind of a starting point to evaluate  
17 whether these conditions will give us value added  
18 relative to any subsequent regulations or guidance that  
19 we put out.

20 So to make that decision you need some type  
21 of analyses to see whether those boundary conditions  
22 that you can meet with instrumentation are going to  
23 satisfy the needs of the operators for some fairly  
24 critical, or what I would call very severe, something

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 similar to what we experienced in Japan.

2 That's pretty severe, I mean, that's hard  
3 to envision, you know, melting and melting and melting  
4 and spreading stuff all over the place with very, very  
5 high radiation.

6 That's got to be at least a consideration  
7 for boundary conditions for environmental  
8 qualification that these instruments would have -- And  
9 what data, somebody else mentioned, what data did the  
10 operators there feel that they were missing in terms  
11 of making decisions as to how they, what actions they  
12 took.

13 We're going to be looking for some feedback  
14 on where you are. And I guess I would like to have some  
15 evaluation of that, of the specifics, as opposed to the  
16 more general details that you've discussed so far.  
17 That's my final, maybe final. If nobody else has  
18 anything here I was going to go to the public comments  
19 in the audience. Is there anybody in the audience that  
20 --

21 MEMBER SCHULTZ: Well I have a comment I  
22 wanted to make.

23 CHAIRMAN BROWN: Oh, Steve. I'm sorry.  
24 Yes, thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SCHULTZ: Because I wanted to get  
2                   some more information if you can share it. We talked  
3                   about the nexus between the rulemaking activities that  
4                   are upcoming or ongoing and this activity. And you  
5                   indicated you've written proposed language for  
6                   rulemaking opportunities, they haven't yet been  
7                   adopted.

8                   And I guess I could leave it at that. But  
9                   just to mention that with regard to the consolidated  
10                  rulemaking, we're going to hear a lot about that in  
11                  November and expect to write a letter in December  
12                  associated with that rulemaking activity.

13                  So we ought to continue to talk in the near  
14                  term and know in the near term what is happening in  
15                  regard to your proposed language and the response that  
16                  you're getting to it. Because the Committee, I think,  
17                  will be very interested to understand where that's at  
18                  end of November, early December when we're about to  
19                  write our next letter associated with rulemaking in  
20                  this area.

21                  CHAIRMAN BROWN: Thank you.

22                  MEMBER SCHULTZ: Comes down to we need to  
23                  find a way to keep us informed.

24                  MR. RAHN: Yes. They did have, you know,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 they were here to see you guys about a month and a half  
2 ago.

3 MEMBER SCHULTZ: Yes.

4 MR. RAHN: And, you know, at that point  
5 there was an opportunity to talk about it. But maybe  
6 it's time to revisit that.

7 MEMBER SCHULTZ: Yes. Well we have a full  
8 meeting coming up with them, subcommittee with the  
9 Fukushima Subcommittee in our subcommittee week in  
10 November. It's a two day meeting and Mike Snodderly  
11 is the staff member that's working on that meeting with  
12 me. So we'll look to communicate with you and find out  
13 status before we go into the Full Committee meeting.

14 CHAIRMAN BROWN: Steve, would you like to  
15 have a brief discussion of this, where they are in the  
16 severe accident management dispensation at that  
17 meeting?

18 MEMBER SCHULTZ: That would be the right  
19 time, yes. That's the right time to pull it in. So  
20 I'm going to meet with Mike today on the objectives.

21 CHAIRMAN BROWN: Okay. So your take will  
22 be on seeing whether the, what the scope of what we want  
23 to incorporate in that meeting.

24 MEMBER STETKAR: It's Thursday/Friday of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       that week.

2                   MEMBER SCHULTZ:   Right.

3                   MEMBER STETKAR:   It's November 20th and  
4       21st.   I saw you jotting down notes.   You said that's  
5       November, Full Committee?

6                   MEMBER     SCHULTZ:           Said     November  
7       Subcommittee week, Thursday and Friday of that week we  
8       have the subcommittee meeting but would then be  
9       bringing it to the Full Committee, we expect to, in the  
10      December week.   The first week of December.

11                  MR. RAHN:   Thanks.

12                  MEMBER SCHULTZ:   Thank you.

13                  MR.    CASE:       Thanks,   those   are   good  
14      insights.

15                  CHAIRMAN BROWN:   Okay.   Any other member  
16      comments or questions?

17                  MEMBER RAY:   What was the purpose of this  
18      meeting, Charlie?

19                  CHAIRMAN BROWN:   Just to kind of see where  
20      they were and what they were doing.   It was an  
21      information subcommittee meeting just to see what are  
22      they planning, what have they done, who have they talked  
23      to, where do they think they're going.

24                  MEMBER RAY:   I'm just laboring to connect

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       that with the what plants are ultimately obliged to do,  
2       you know.

3                   CHAIRMAN BROWN:   Yes, I got that flavor  
4       quite clearly.   And I agree with you.   My concern is  
5       that we develop this so high level, overarching scope  
6       of what may be necessary whereas there may be some  
7       fairly simple approaches to providing some instruments  
8       that will provide information.

9                   And we're going to bypass that in favor of  
10      complex systems that are costly.   That if you make this  
11      stuff cost several million, a million dollars in order  
12      to do it it's not going to be very useful because it'll  
13      be rejected because of the low frequency aspects of  
14      these type of events.

15                  MR. CASE:   Right.   I haven't seen that  
16      idea yet.   You know, I am 100 percent interested in that  
17      idea.   That low cost, this is the magic pill that really  
18      brings information to this area, we're looking for  
19      that.   But so far --

20                  CHAIRMAN BROWN:   Well I made a comment in  
21      one of your -- There are high-temperature thermocouples  
22      available that you can use.   There's mineral-insulated  
23      cable that's very resistant to radiation that provides  
24      temperature information.   You can read these suckers

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 with a \$90 fluke instrument that you can connect to a  
2 pair of terminals that are running out into some remote  
3 operator station. And you can put 9 volt batteries in  
4 that, you can use it for about five years.

5 MEMBER BALLINGER: They're self-powered.

6 CHAIRMAN BROWN: Not all of them are  
7 self-powered. If you got self-powered you got to have  
8 stuff to generate the self, it depends on what you use.  
9 The point being that there are methods of measuring  
10 pressure and level that you can generate without all  
11 types of fancy instrumentation that are usable by  
12 folks.

13 You don't have to have something that, a  
14 computer that runs everything, you can use a piece of  
15 paper, graph paper, where you plot output voltages and  
16 then say okay this is what it ought to be over a  
17 calibration range and you can present that information  
18 out to operators in a remote location with cables that  
19 are capable of doing it.

20 And if you don't have high powered  
21 electronics in the radiation field it will work for a  
22 long time. Blacksmith technology is fairly good.  
23 Vacuum tubes actually work pretty well in these  
24 environments.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: They're hard to find.

2 CHAIRMAN BROWN: I've got a whole box full  
3 of vacuum tubes, okay?

4 MEMBER BALLINGER: It won't be long before  
5 you will not be able to go to Radio Shack and get them.

6 CHAIRMAN BROWN: Yes. That's also the  
7 case. So that is the point of the earlier comments I  
8 made relative to we can make this thing so complicated  
9 as to why not take a look at the information on what  
10 are the boundary conditions and what are the simple  
11 things that we can do to bring information to, the  
12 operator is the key.

13 That was the key in Fukushima, what did the  
14 operators need? And they ran out of not only power but  
15 also the ability to get information because the  
16 instruments were too suspect.

17 MR. RAHN: Yes, it's really the entire,  
18 it's the instrument channel that has to be, it's not  
19 just the instrument. You know, somehow you've got to  
20 get that signal out of the containment. And right now  
21 the limiting factor isn't the instrument if you're  
22 talking about temperature. A lot of times it's the  
23 inboard electrical penetration.

24 CHAIRMAN BROWN: Yes, exactly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER SKILLMAN:   Charlie, I would add  
2                   this comment.   I think you will find this to be  
3                   accurate.   From the time of the accident to 10 days,  
4                   20 days, 50 days, 100 days after the accident, the  
5                   operator's line of vision will change.

6                   Early on they're focused on core  
7                   temperature, hydraulics, heat transfer, decay heat  
8                   generation rate, reactor coolant system inventory,  
9                   inventory transfer from the reactor coolant system  
10                  pressure boundary to outside the boundary.

11                  As time goes on, if there's any  
12                  stabilization on the primary, their lens begins to  
13                  focus on other things.   Where is the water going?   What  
14                  is it's specific activity?   What are the radiological  
15                  consequences?   What compartments can we get to?   What  
16                  can't we get to?

17                  So in the first 24, 48 and 72 hours there's  
18                  this blistering focus solely on RCS and some  
19                  consideration about offsite.   But as time goes on  
20                  considerations for offsite for releases begins to come  
21                  into view.   And the instrumentation for that is  
22                  commonly very, very simple.   Not sophisticated.  
23                  Sometimes neither durable nor robust.

24                  So when we talk severe accident management

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we've really had a major, major catastrophe in the  
2 reactor coolant system, whatever it might be. In the  
3 course of time some of the earlier considered not to  
4 important instrumentation begins to be very important,  
5 and you can't get to it.

6 And the reason you can't get to it is  
7 because the radiation level is just so high. And  
8 sometimes even your radiation instruments aren't  
9 functioning because they weren't qualified for the  
10 conditions that they saw during the course of the  
11 accident.

12 And so the river becomes how do you really  
13 make sure that you can steer your way through the 30  
14 days after that accident when an awful lot of this  
15 secondary instrumentation is really not obvious to  
16 anybody. Can't get through the doors, you can't get  
17 to the compartments. Some pumps may not have  
18 functioned because the power for them was defeated and  
19 now you've got six inches of water on the floor. And  
20 what came up in the water was isotopes that were soluble  
21 from the core, so you're locked out of the building.

22 So there's more to this than just focusing  
23 on the sophistication in and around the reactor coolant  
24 system. The outer boundaries of the plant become

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       equally complicated in terms of how you steer your way  
2       through the later days.

3               MR. CASE:   Okay.   Well I need to think  
4       about that one.   We do not have a lot of thoughts out  
5       in that area.   You know, we're more focused on the sort  
6       of the accident management part of it and not --

7               MEMBER SKILLMAN:   I know, and that's why  
8       I raised the comment.

9               MR. CASE:   The major accident management.

10              MEMBER SKILLMAN:   What happens is very  
11       quickly the accident consumes the station footprint.  
12       And the station is beside itself to prevent  
13       radioisotopes from going on beyond what is that  
14       licensed boundary.   And that becomes a real challenge.

15              You know, maybe one of the most important  
16       sets of instrumentation you have is the meteorological  
17       instrumentation so you can bring in the helicopters.  
18       Where do they land?   What's the wind direction?  
19       What's the temperature?   Things you really wouldn't  
20       think of if you just focused on the core and the reactor  
21       coolant system pressure valve.

22              That's why I say some of the folks that have  
23       been around these accidents might say you know there  
24       are a couple of other things you might want to think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 about.

2 MEMBER SCHULTZ: Certainly came up at  
3 Fukushima.

4 MEMBER BLEY: And other places.

5 MEMBER SKILLMAN: Thank you.

6 CHAIRMAN BROWN: Okay. Any more member  
7 comments? Turn to the --

8 MEMBER REMPE: Dennis wanted --

9 CHAIRMAN BROWN: Oh, Dennis?

10 MEMBER BLEY: No, I was --

11 CHAIRMAN BROWN: Oh, I was going to check  
12 out here first. Is there anybody out here that wanted  
13 to make a comment?

14 MR. STATTEL: I'd like to make a comment  
15 if you don't mind.

16 Hello. I'm Rich Stattel from I&C in the  
17 NRR. My comment has to do with the, you had a  
18 discussion regarding the prescriptive lists of  
19 instrumentation. And it kind of reminds me back of  
20 some of the discussions we've had when I was in the  
21 industry and also when I worked in the New Reactors  
22 realm. And we used the term minimum inventory.  
23 Right?

24 In the New Reactors, when I was working on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the ESBWR project, we kind of ended up in a kind of  
2 hybrid situation where we put a minimum inventory list  
3 into our design certification with the understanding  
4 that there would be an analysis, a task analysis, and  
5 we'd HFE input and we would revise that list going  
6 forward. So that's my recollection. I believe most  
7 of the new reactor designs ended up in similar  
8 situations.

9 But there was mention of Reg Guide 1.97,  
10 the prescriptive lists that are in Reg Guide 1.97  
11 initially. And I didn't hear any discussion about why  
12 those lists were pulled out. They were retracted from  
13 Reg Guide 1.97 and there was a couple of reasons for  
14 that.

15 One was the list, there are basically two  
16 lists in the original version. One applied to boiling  
17 water reactors and one applied to pressurized water  
18 reactors. And over the years we recognized that those  
19 lists weren't really a good fit because there were a  
20 lot of different versions of those reactors and we ended  
21 up imposing requirements for instrumentation that  
22 weren't necessary for a lot of the reactors. And there  
23 were also requirements that should have been necessary  
24 that weren't included in those lists.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   So Reg Guide 1.97 over the years evolved  
2                   into let's perform the analysis. Let's get the input  
3                   from HFE and we'll get the right list. Basically we'll  
4                   develop the process for doing that.

5                   MEMBER BLEY: For a plant.

6                   MR. STATTEL: For a specific plant.  
7                   Right? So I just wanted to mention that because it  
8                   seems like every time an event occurs in the industry  
9                   there's always this push to put a prescriptive list.  
10                  If we get spent fuel pool level, if we get this, and  
11                  then apply that to the entire industry.

12                 And I want to makes sure that the lessons  
13                 we learned over the last 15/20 years are considered  
14                 because there are truly plant-specific, unique inputs  
15                 that should be going into the development of those types  
16                 of lists. Right?

17                 MEMBER BLEY: Thanks.

18                 CHAIRMAN BROWN: Thank you, Rich. Are  
19                 there any other comments from the -- No one here? Okay.

20                 Is there anyone on the phone lines? It is  
21                 open, if somebody's on the phone line would you probably  
22                 please just say something so we know it's open?

23                 MEMBER STETKAR: I don't hear any of the  
24                 telltale noises to say that it's open.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BROWN: I don't hear any snap  
2 crackle and pop. So hold on a minute we're checking.  
3 He said it's on.

4 MEMBER BLEY: Nobody's there?

5 CHAIRMAN BROWN: Then nobody must be  
6 there. So given that we don't hear any response from  
7 the phone lines, if there's any other comments from the  
8 staff or anyone else? Okay then we will close the  
9 meeting. Thank you very much. We appreciate it.

10 (Whereupon, the above-entitled matter  
11 went off the record at 10:21 a.m.)  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701





# **Enhanced Reactor and Containment Instrumentation**

NRC Fukushima NTTF Tier 3 Item:

**ACRS Recommendation 2(e)**

ACRS Subcommittee Meeting

September 16, 2014

Mike Case and Russ Sydnor, RES/DE

David Rahn, NRR/DE

## **Enhanced Reactor and Containment Instrumentation**

**ACRS 2(e) – “Selected reactor and containment instrumentation should be enhanced to withstand beyond-design-basis accident conditions”.**

**NRC Staff Team Members, Offices Represented:**

**Mike Case – Management Lead - RES**

**Russ Sydnor - RES**

**David Rahn - NRR**

**Paul Rebstock & Pong Chung - RES**

**Dinesh Taneja - NRO**

# **Enhanced Reactor and Containment Instrumentation**

## **Key Project Activities – (SECY-12-0095)**

- Task 1 - Ensure that licensees and NRC staff are appropriately considering instrumentation needs when implementing site specific actions for the NTTF Tier 1 Recommendations 2.3, 4.1, and 8, and Orders EA-12-049 and EA-12-051.**
- Task 2 - Obtain and review information from previous and ongoing research efforts for severe accident management analysis. Coordinate with and support international and domestic entities (e.g., IAEA & DOE) and standards organizations (e.g., IEEE/IEC, ANS).**
- Task 3 - Evaluate results of Tier 1 NTTF activities in coordination with the information obtained from applicable research efforts (international and domestic) to determine requirements for appropriate regulatory framework.**



# Enhanced Reactor and Containment Instrumentation

## Task 1 – Activities

- Staff is still communicating with Tier 1 Teams.
- Reviewed Tier 1 activity orders and guidance documents, e.g. JLD-ISG-2012-01, NEI 12-06, NEI 14-01, and others.
- Directly supported related Tier 1 activities – e.g. SFP Instrumentation order and guidance development, reviewing licensee overall integrated plans.
- Directly supporting Fukushima NTTF Consolidated Rulemaking team, and proposing rule language for consideration.

# Enhanced Reactor and Containment Instrumentation

## Task 2 - International Collaborations/Activities

- International Atomic Energy Agency (IAEA)
  - IAEA Technical Document, “Accident Monitoring Systems for Nuclear Power Plants”
    - Captures design practices for establishing design criteria to support the accomplishment of accident management strategies and to monitor post-accident conditions
    - Adds new recommended design criteria for monitoring design extension conditions (those with and without resulting significant fuel degradation)
    - Includes appendix for SA-Keisou (Severe Accident-Instrumentation and Monitoring Systems) R&D Plan
  - New Working Group- I&C Equipment Qualification Best Practices
    - Severe Accident I&C Equipment Qualification and Survivability Analysis for severe accident conditions will be addressed in a new IAEA TECDOC.

# Enhanced Reactor and Containment Instrumentation

## Task 2 - International Collaborations/Activities (continued)

- OCED/NEA –
  - Report of the CNRA Task Group on Accident Management, NEA/CNRA/R(2014)2, “Accident Management Insights after the Fukushima Daiichi NPP Accident”

“....., instrumentation that enables performing well-timed operator actions, surveying the effectiveness of the actions and monitoring their progress of the accident should be included. The systems, equipment and instrumentation should withstand the harsh conditions of the accident (e.g. very high temperatures, high radiation levels etc.), taking into account that it may be required to remain operable for a considerable period of time (several months or more). Consideration should be given to both fixed and mobile equipment.”
- MDEP –
  - EPR Technical Experts Subgroup (TESG) for Severe Accident – developing two reports;
    - Management of pressure in containment during a severe accident
    - Reliability and qualification of severe accident instrumentation
    - Final reports – November 2014.

# Enhanced Reactor and Containment Instrumentation

## Task 2- US Collaborations/Activities

- EPRI Technical Report TR-1025295, Severe Accident Management Guidance Technical Basis Report, 2012:
  - Supports SAMG writers
  - Volume 1: Damage conditions, High-level Steps, and Effects
  - Volume 2: Accident progression physics and calculations
- EPRI Technical Report TR-1026539, Investigation of Strategies for Mitigating Radiological Releases in Severe Accidents; *BWR Mark I and Mark II Studies, September 2012*
- New EPRI Project – Instrument and Control for Beyond Design Basis Events and Severe Accidents
  - EPRI Technical Report TR-103412, Assessment of Existing Plant Instrumentation for Severe Accident Management, 1993
  - EPRI Technical Report TR-102371, Instrument Performance Under Severe Accident Conditions: Ways to Acquire Information From Instruments Affected, 1993.

# Enhanced Reactor and Containment Instrumentation

## Task 2- US Collaborations/Activities

- DOE -
  - Sandia Report, SAND2012-6173, “Fukushima Daiichi Accident Study” (Status as of April 2012)
  - Idaho National Lab report INL/EXT-13-28043, “TMI-2 - A Case Study for PWR Instrumentation Performance during a Severe Accident” March 2013
  - Oak Ridge report ORNL/TM-2013/154, “Fukushima Daiichi – A Case Study for BWR Instrumentation and Control Systems Performance during a Severe Accident” April 2013
  - Future DOE research:
    - Research collaboration with NRC, EPRI
    - Collaboration in a Japanese study on instrumentation performance at Fukushima
    - Plant specific studies on severe accident instrumentation needs and performance

# Enhanced Reactor and Containment Instrumentation

## Task 2- US Collaborations/Activities

- NAS report- Lessons Learned from the Fukushima Nuclear Accident for Improving Safety of U.S. Nuclear Plants, 2014
  - **Recommendation 5.1.A, excerpt:**
    - Instrumentation for monitoring critical thermodynamic parameters in reactors, containments, and spent fuel pools.  
*“ . . . robust and diverse monitoring instrumentation that can withstand severe accident conditions is essential for diagnosing problems; selecting, and implementing accident mitigation strategies; and monitoring their effectiveness”.*
- Interface with SDO -
  - Plan to Update RG 1.97, Criteria for Accident Monitoring Instrumentation for Nuclear Power Plants, based on the planned 2015 update to IEEE Standard 497, “IEEE Standard Criteria for Accident Monitoring Instrumentation for Nuclear Power Generating Stations.” Adds New Category “F” Instruments for accidents resulting in fuel damage. Category F provides the most direct indication of the parameters needed to execute the SAMGs. Requires a qualification process and a survivability analysis to determine the seismic and environmental constraints for reliable use.

# Enhanced Reactor and Containment Instrumentation

## Task 3 – Review of Tier 1 results

- NRC Order EA-12-049 on Mitigation Strategies (MS)
  - Requires a three-phased approach for maintaining and restoring core cooling, containment, and spent fuel pool (SFP) cooling
  - Completed no later than two (2) refueling cycles after submittal of the overall integrated plan or on 12/31/2016, whichever comes first.

Phase	Licensee may use
Initial	Installed equipment
Transition	Portable, onsite equipment
Final	Offsite resources & equipment



- NRC Order EA-12-051 SFP Instrumentation

# Enhanced Reactor and Containment Instrumentation

## Task 3 -Reviewing Licensee submittals for Mitigation Strategies

- Review of BWR MS
  - Fermi-2 (BWR4, Mark I)
  - Nine Mile Point-2 (BWR5, Mark II)
  - Clinton-1 (BWR6, Mark III)
  - Hatch 1&2 (BWR4, Mark I)
- Review of PWR MS
  - North Anna 1&2 (W, 3 Loop)
  - Oconee 1,2&3 (B&W, 2 Loop)
  - Calvert Cliffs 1&2 (CE, 2 Loop)
  - Diablo Canyon 1&2 (W, 4 Loop)



# Enhanced Reactor and Containment Instrumentation

## Task 3 - Reviewing BWROG and WOG EPGs/SAMGs

- Currently evaluating different approaches - Japanese SA-Keisou versus US NPPs' Mitigating Strategies (MS) instrumentation
  - Reviewing MS OIPs and 6-month status reports to identify the list of instrumentation and comparing those instruments with SA-Keisou list.
  - Reviewing purpose, assumptions, approaches, and considerations
  - SA-Keisou: assumes worst-case, various Core melt / RPV-damage / Containment-damage conditions
  - MS: assumes Station Blackout (SBO) and Loss of Ultimate Heat Sink (LUHS) and then considers successful water injections with available DC power, portable generators, and pumps from alternative heat sink.
- Currently evaluating BWROG and WOG EPGs/SAMGs instruments
  - Reviewing Owner Group's EPG/SAMGs to identify the list of SA instrumentation operators are directed to use to mitigate accident event.
  - Reviewing purpose, assumptions, approaches, and considerations
    - BWROG, WOG, and SA-Keisou all consider the worst cases with various Core melt/ RPV damage / Containment damage conditions

# Enhanced Reactor and Containment Instrumentation

## Project Plan Timelines:

Task 1 – Interface w/pertinent Tier 1 activities – Ongoing

Task 2 – Research & Collaborations

- IAEA Tech Doc, Severe Accident Instrumentation: 2014-2015
- DOE & EPRI Fukushima Instrumentation studies: 2014-2015
- Tier 1 activities results for instrumentation: 2014-2015
- Provide input to SDO organizations (ANS, IEEE) – 2015 (+)

Task 3 – Regulatory Framework determination

- Provide periodic updates to JLD and Commission
- Complete analysis of Tier 1-related research studies on instrumentation needs and environments – 2013 -2015
- Evaluate relative safety significance of implementing the research recommendations—use PRA methods, if appropriate
- Develop SECY for Tier 3 item resolution – 2015 (+)

# Enhanced Reactor and Containment Instrumentation

## Acronyms

BWROG	Boiling Water Reactor Owners Group
CNRA	Committee on Nuclear Regulatory Activities
DOE	Department of Energy
EPR	European Pressurized Reactor
EPRI	Electric Power Research Institute
IAEA	International Atomic Energy Agency
LUHS	Loss Ultimate Heat Sink
MDEP	Multinational Design Evaluation Program
MS	Mitigating Strategies
NAS	National Academy of Sciences
OECD/NEA	Organisation for Economic Co-Operation and Development / Nuclear Energy Agency
OIP	Overall Integrated Plan
PWROG	Pressurized Water Reactor Owners Group (WOG, BWOG, CEOG)

# **Enhanced Reactor and Containment Instrumentation**

## **Acronyms (Continued)**

RG	Regulatory Guide
RPV	Reactor Pressure Vessel
SA	Severe accident
SAMG	Severe accident management guideline
SBO	Station Black Out
SDO	Standards Developing Organization
WOG	Westinghouse Owners Group

# **Enhanced Reactor and Containment Instrumentation**

## **Back up Slides**

# Enhanced Reactor and Containment Instrumentation

## Tier 1 Dependencies

- Seismic and Flooding Walkdowns RFI
- SBO Rulemaking (now combined with EOP/SAMG/EDMG Integration rulemaking)
- Mitigating Strategies Order
- Spent Fuel Pool Instrumentation Order
- EOPs/SAMGs/EDMGs Integration Rulemaking (now combined with SBO rulemaking)

# Enhanced Reactor and Containment Instrumentation

## Current Regulatory Framework

- 10 CFR 52.47(a)(8) –technically relevant portions of TMI-2 related requirements in 50.34(f), especially 50.34(f)(2)(ix)(c), 50.34(f)(2)(xvii), and 50.34(f)(2)(xix)
- 10 CFR 52.47(a)(23) and 10 CFR 52.79(a)(38) – design features for the prevention and mitigation of severe accidents
- RG 1.97, Criteria for Accident Monitoring Instrumentation for Nuclear Power Plants

# Enhanced Reactor and Containment Instrumentation

## Major Accomplishments

- ✓ Reviewed Tier 1 Activities
- ✓ Reviewed DOE Modeling of Fukushima event
- ✓ Met with DOE and EPRI regarding research activities
- ✓ Participating in IAEA Tec Doc development
- ✓ Met with ANS Standards Board
- ✓ Interfacing with IEEE SC, (IEEE-497)

## Plan/Path Forward

- Implement Program Plan
- Work with ANS SDO to identify criteria for Severe Accident Instrumentation
- Support IAEA issuing Tec Doc on Accident Monitoring Instrumentation
- Collaborate with EPRI and DOE
- Support IEEE SC on Accident Monitoring efforts
- Identify criteria arising from Tier 1 outcomes
- Determine need for Rulemaking (or alternative approach, e.g. Generic Communication)