

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Containment Protection & Release Reduction
 with Mark I & II Containments Rulemaking

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Thursday, December 11, 2014

Work Order No.: NRC-1279

Pages 1-135

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

CONTAINMENT PROTECTION & RELEASE REDUCTION WITH MARK I
& II CONTAINMENTS RULEMAKING

+ + + + +

PUBLIC MEETING

+ + + + +

THURSDAY,

DECEMBER 11, 2014

+ + + + +

The meeting was convened in room 09B04 of One White Flint North, 11555 Rockville Pike, Rockville, Maryland, at 1:00 p.m., Robert Beall, Senior Project Manager, presiding.

NRC STAFF PRESENT:

ROBERT BEALL, Senior Project Manager, Rulemaking Branch, Division of Policy and Rulemaking, NRR

TARA INVERSO, Chief, Rulemaking Branch, Division of Policy and Rulemaking, NRR

ABY MOHSENI, Deputy Director, Division of Policy and Rulemaking, NRR

RAJENDER AULUCK, NRR/JLD/PPSD/JPSB

SUDHAMAY BASU, RES/DSA/FSCB

ERIC BOWMAN, NRR/DPR/PGCB

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MIKE CASE, RES/DSA
2 PAT CASTLEMAN, COMM/OCMKS*
3 TIM COLLINS, NRR/JLD
4 HOSSEIN ESMAILI, RES/DSA/FSCB
5 ED FULLER, RES/DSA
6 TINA GHOSH, RES/DSA/AAB*
7 KATHY GIBSON, RES/DSA*
8 JOHN LANE, RES/DRA/PRB
9
10 GLENNA LAPPERT, NRR/DPR/PRMB
11 JACK MCHALE, NRR/JLD/TSD
12 JOAN OLMSTEAD, OGC/GCLR/RMR
13 SEAN PETERS, RES/DRA/HFRB
14 MICHAEL PURDIE, NRR/DPR/PRMB
15 JIM SHEA, NRO/DSEA/RHM2
16 MARTY STUTZKE, RES/DRA
17 WEIDONG WANG, ACRS/TSB
18
19
20
21
22
23
24
25

1 ALSO PRESENT:

2 PHIL AMWAY, Exelon

3 JEFF BROWN, GRAMMES of New Jersey*

4 RANDY BUNT, Southern Nuclear Operating Company

5 PATRICK FALLON, DTE Energy

6 TERRI FARTHING, GEH

7 BILL FREEBAIRN, Platts*

8 JEFF GABOR, ERIN Engineering

9 PAULA GOTCH, GRAMMES of New Jersey*

10 PAUL GUNTER, Beyond Nuclear

11 DAN JACOBSON, Energy Operations*

12 MARY LAMPERT, Pilgrim Watch*

13 PAT MARIDA, Sierra Club

14 RICHARD ROTHSTEIN, Town of Plymouth*

15 RICHARD WACHOWIAK, EPRI

16

17 *Present via teleconference

18

19

20

21

22

23

24

A G E N D A

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

Welcome, introductions, and logistics.....5

NRC overview and planned path forward
of the CRR rulemaking.....5

NEI presentation on updated information
since the last presentation and feedback
on performance criteria presented by the
NRC Staff.....14

Break.....80

Continuation of NEI presentation.....80

Public comments/discussion.....108

Closing remarks.....134

P R O C E E D I N G S

9:14 a.m.

1
2
3 MR. BEALL: Good morning. Sorry for the
4 delay in getting started, but I would like to thank you
5 all for your interest in today's public meeting. My name
6 is Bob Beall, and I'm the Project Manager for the
7 Containment Protection and Release Reduction, or CPRR
8 Rulemaking, at the NRC. I will also be acting as a
9 facilitator for today's public meeting.

10 My role today will be to try to make this
11 meeting productive for everyone involved, but before we
12 start I would like to introduce Mr. Aby Mohseni. Aby is
13 the Deputy Director in the Division of Policy and
14 Rulemaking for the Office of Nuclear Reactor
15 Regulation.

16 MR. MOHSENI: Thank you very much, Bob,
17 appreciate it. Good morning and thank you for joining
18 us, and apologies for starting late.

19 Welcome folks here and on the phone to our
20 public meeting on CPRR rulemaking, Containment
21 Protection and Release Reduction.

22 I'm Aby Mohseni, as Bob mentioned. I'm the
23 Deputy Director for Division of Policy and Rulemaking
24 in the Office of Nuclear Reactor Regulations.

25 The NRC Staff is here today to discuss the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 path forward for the Containment Protection and Release
2 Reduction rulemaking. In addition, NEI will present
3 updated information from our last public meeting and
4 provide feedback on the CPRR performance criteria.

5 The NRC Staff has performed a preliminary
6 quantitative risk evaluation using a high-level
7 conservative estimate that determined that any
8 potential alternatives within CPRR rulemaking would not
9 be considered a substantial safety enhancement.

10 The Staff's quantitative analysis shows
11 that based on the NRC's safety policy goal, statements,
12 Quantitative Health Objectives, QHOs, there are no
13 individual prompt fatalities and the individual latent
14 cancer fatality risk is well below the QHO for what is
15 considered to be safe enough.

16 The NRC Staff has not performed, and does
17 not plan to perform a human reliability analysis for
18 this rulemaking effort. The Staff does not believe that
19 NHHRA is necessary for the decision making process for
20 this rulemaking given the results of the high-level
21 conservative estimate.

22 The Staff presented these findings to the
23 Advisory Committee on Reactor Safeguards Subcommittee
24 on November 19, 2014. Members of the PRA Subcommittee
25 did not identify technical issues with the use of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 high-level conservative estimate by the Staff to inform
2 rulemaking decisions.

3 The NRC Staff will be developing a
4 Commission paper that provides details of the
5 high-level conservative estimate and a recommended path
6 forward. The paper will describe the Staff's plans to
7 make the requirements of the severe accident capable
8 containment vents Order EA-13-109 generically
9 applicable and provide the Staff's perspective that
10 based on the more refined risk analysis a rulemaking
11 would not be needed. In that paper, the Staff will also
12 describe other considerations that are relevant to the
13 issue and Staff's rationale for its recommendation on
14 the path forward. Thank you, Bob.

15 MR. BEALL: Okay. Before we begin, I'd like
16 to go over some of the logistics for the day's meeting.
17 For those participating via the webinar or on the bridge
18 line there will be designated points during the meeting
19 where you'll be able to ask questions. We do have a
20 number of people participating by phone and by the
21 webinar today, so I'm going to do my best to try to allow
22 everyone to participate in this meeting fully. And by
23 that I mean have everyone to allow the discussions
24 -- everyone to follow the discussions, as well as having
25 time to speak.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I ask those who are participating here in
2 the room to please turn off or silence your electronic
3 devices. I would also like those on the phone if you
4 could, please, mute your phone to minimize any
5 background noise during the meeting. If you do not have
6 a mute button on your phone, you can press *6 and that
7 should silence your line.

8 During the comment period we will first
9 take comments from the room, and then from the phone,
10 and then from the webinar participants. I'd like to ask
11 the webinar participants to type in your questions into
12 the check functions of the webinar while the other
13 groups are commenting. That will provide time for Glenda
14 to collect your questions.

15 Also, I'm going to ask the speakers both
16 here in the room and those on the phone to identify
17 themselves and any group they are with when they speak
18 so everyone knows who's talking.

19 I'd like to remind visitors in the room that
20 you must be escorted at all times above the first floor
21 of this building. If you need to leave for any reason,
22 please let one of the NRC Staff members in the room know.
23 Next slide, please.

24 The meeting agenda; this meeting is
25 scheduled to last from 9 a.m. to noon today. Once the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 introductions and logistics are complete, the NRC Staff
2 will discuss the current status of the CRR rulemaking.
3 The Staff from NEI will then make their presentations,
4 and then we will open the meeting to the public to
5 provide comments on the CRR rule and the NEI
6 presentation. We will also take a 15-minute break around
7 10:30.

8 This is a Category 2 public meeting which
9 means that public participation is actively sought in
10 the discussion of the regulatory issues. This meeting
11 is not designed nor intended to solicit or receive
12 comments on topics other than those proposed at this
13 meeting. I would also like to mention that no regulatory
14 decisions will be made at today's meeting.

15 Next slide, please.

16 Today's meeting is being transcribed and
17 the meeting transcript will be included in the meeting
18 summary. The meeting slides from today will be posted
19 on Regulations.gov website within three business days
20 after today's meeting. Also, the meeting summary will
21 be posted on Regulations.gov within 30 calendar days
22 after today's meeting. If you search for docket I.D.
23 NRC-2013-0075 on Regulations.gov website, you will be
24 able to find these and other CRR-related documents.

25 For those here attending in person, please

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sign in before you leave today. The sign-in sheet is on
2 the table in the corner of the room over there, and a
3 list of attendees and phone participants will become
4 part of the meeting summary that will be prepared for
5 today's meeting summary and made publicly available.
6 Copies of the presentations can also be found over in
7 the corner if you have not gotten one already. Also in
8 the corner are copies of the NRC public meeting feedback
9 forms, and we would appreciate any feedback you may have
10 that would help us improve these public meetings. For
11 those on the phone or participating by the webinar, if
12 you would like to provide feedback for this meeting, you
13 may email them to me at Robert.Beall, B-E-A-L-L,
14 @NRC.gov.

15 And, finally, I'd like to ask speakers to
16 please remember to speak loudly enough to insure those
17 on the phone can hear you. For those on the phone, at
18 any point if you are unable to hear the meeting
19 discussions, please let us know. Are there any questions
20 about the logistics?

21 Okay. Let's begin by going around the table
22 here, please. Can you please state your name and the NRC
23 office or the group you are with.

24 MS. INVERSO: I'm Tara Inverso from the
25 Office of Nuclear Reactor Regulation here at the NRC.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOWMAN: Eric Bowman from the Japan
2 Lessons Learned Division in the Office of New Nuclear
3 Regulation.

4 MR. BEALL: Bob Beall, NRC, Office of NRR
5 Rulemaking Branch.

6 MS. LAPPERT: Glenna Lappert, Rulemaking
7 Branch.

8 MR. STUTZKE: Marty Stutzke, Office of
9 Research.

10 MR. BUNT: Randy Bunt with Southern Nuclear,
11 also representing Steve Kraft for NEI in this meeting
12 because he had conflicts, and with the BWR Owners Group.

13 MR. WACHOWIAK: Rick Wachowiak from EPRI.

14 MR. GABOR: I'm Jeff Gabor with Erin
15 Engineering supporting both EPRI and NEI in the CPRR.

16 MR. AMWAY: Phil Amway, Exelon.

17 MR. BEALL: Okay, thank you. Next slide.

18 I'd like to start off with going over the
19 background. As mentioned by Aby, the purpose of this
20 meeting is to discuss the path forward for the CPRR
21 rulemaking and to hear the information being presented
22 by NEI on the CPRR performance criteria and update
23 information from the last public meeting. So, what I'd
24 like to do is start with a high-level review of the
25 background of CPRR rulemaking.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MOHSENI: Given that you already went
2 through the introduction, I think we kind of have
3 another room.

4 MR. BEALL: Okay.

5 PARTICIPANT: And on the phone, also.

6 MR. BEALL: Okay.

7 MR. McHALE: I'm Jack McHale from the Japan
8 Lessons Learned Division, NRR.

9 MR. PETERS: Sean Peters, Office of
10 Research.

11 MR. COLLINS: Tim Collins, Japan Lessons
12 Learned Division.

13 MR. CASE: Mike Case, Office of Research.

14 MR. FULLER: Ed Fuller, the Office of
15 Research.

16 MS. OLMSTEAD: Joan Olmstead, Office of
17 General Counsel.

18 MR. GUNTER: Paul Gunter, Beyond Nuclear.

19 MR. ESMAILI: Hossein Esmaili, Office of
20 Research.

21 MR. AULUCK: Raj Auluck, Japan Lessons
22 Learned.

23 MR. SHEA: Jim Shea, NRO.

24 MR. BASU: Sudhamay Basu, Office of
25 Research.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LANE: John Lane, Office of Research.

2 MS. FARTHING: Terri Farthing, GEA BWR
3 Owners Group and Fukushima Response.

4 MR. FALLON: Pat Fallon, DTE Energy.

5 MR. WANG: Weidong Wang, ACS Staff, NRC.

6 MR. PURDIE: Mike Purdie, NRR.

7 MR. BEALL: And also, anybody on the phone
8 like to identify themselves, please?

9 OPERATOR: All lines are muted right now.
10 Would you like me to open them?

11 MR. BEALL: Yes, please.

12 OPERATOR: Okay, give me one moment. All
13 lines are now open. To reduce the amount of noise into
14 the conference when not speaking, please utilize your
15 mute button or press *6 to mute and unmute your line.

16 MR. CASTLEMAN: This is Pat Castleman from
17 Commissioner Svinicki's staff.

18 MS. GIBSON: Kathy Gibson from Research.

19 MS. GHOSH: Tina Ghosh, Office of Research.

20 MR. JACOBSON: Dan Jacobson, Energy
21 Operations.

22 (Simultaneous speech)

23 MR. BROWN: Jeff Brown also GRAMMES of New
24 Jersey.

25 MS. LAMPERT: Mary Lampert, Pilgrim Watch.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROTHSTEIN: Rich Rothstein, Nuclear
2 Matters Committee, Town of Plymouth.

3 MS. MARIDA: Pat Marida, Sierra Club from
4 Columbus, Ohio.

5 MR. BEALL: Okay, thank you very much. If
6 everybody can please mute their phones again on *6.
7 Like I said, I'd like to start with giving a little
8 background.

9 The Staff wrote SECY paper 12-0157 which
10 based -- which recommended that we have installed
11 filters based on qualitative considerations. The
12 Commission reviewed that paper and issued a Staff
13 Requirements Memo, SECY 12-0157, and in that paper they
14 asked to insure that performance and risk are filtered
15 strategies, and filters are fairly evaluated. They want
16 us to explore the requirements associated with measures
17 to enhance the capabilities to maintain containment
18 integrity, and to cool the core debris. They also asked
19 us to examine multiple performance criteria which we'll
20 hear a little bit about today from NEI. And if we have
21 any policy issues that we found during the analysis,
22 they should be raised to the Commission. And, lastly,
23 to develop a separate paper on the quantitative
24 considerations.

25 The Staff has developed a comprehensive PRA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 methodology to support the CRR rulemaking, and we've
2 held several public meetings since the SRM has been
3 issued. We've also issued a COMSECY on Expedited Spent
4 Fuel Pool Transfer that was submitted and voted on by
5 the Commission, and their response to the COMSECY
6 reaffirmed that the risk was low enough that it did not
7 rise to a substantial safety enhancement.

8 Also currently with the Commission is a
9 SECY paper on Quantitative Considerations, that's SECY
10 paper 14-0087. And then we're waiting for the Commission
11 to give us their guidance on that.

12 On the next slide, I'd like to go over the
13 process for CRR rulemaking disposition. We start out
14 with a high-level estimate. Then we determine whether
15 or not the estimate is reliable and sufficient. If it's
16 not, we go up and do -- a more detailed assessment was
17 performed, and then we move down to is the assessment
18 technically adequate? If it is, we look at making a
19 rulemaking decision. If not, we try to improve the
20 technical accuracy before we make our rulemaking
21 decision. But if we do have the estimate of sufficient
22 and reliable, then we start considering what kind of
23 rulemaking decisions should be made for this rulemaking
24 we're doing right now.

25 On the assumptions for high-level

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conservative estimates, what we did for this was -- get
2 my notes here a little bit, make sure I get this right.
3 We did look at the extended loss of AC power, ELAP
4 frequency for Mark I and Mark II BWRs. And we also looked
5 at the individual latent cancer facilities risk which
6 is 2 millirem per year, which is the EPA standard, and
7 a long-term phase. We multiplied them together and we
8 got one times E to the minus seven.

9 During this analysis, we assumed that FLEX
10 was successful 6 percent of the time due to human factor
11 scoping which is occurring within the EA-1208-049
12 order, and the post-Fukushima accidents that we take in
13 response to the NTFF recommendation 2.1, which is
14 seismic reevaluations. Therefore, the high-level
15 conservative latent cancer facility risk with the
16 current plant configurations is seven times ten to the
17 minus eight; therefore, an alternative could be removed
18 all risk for the status, of the status quo or the maximum
19 benefit will be seven times ten to the minus eight. And
20 this provides a very high-level conservative estimate
21 for the possible benefit to rulemaking activities we're
22 considering doing.

23 In this chart, we have the results of the
24 high-level analysis. As was shown in the previous slide,
25 the preliminary analysis determined that based on a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 high-level conservative estimate there would be no
2 prompt fatalities, and the individual latent cancer
3 risk is calculated to be over an order of magnitude below
4 the Quantitative Health Objectives, or QHOs. Thus, the
5 NRC Staff plans to recommend to the Commission that no
6 rulemaking be pursued with respect to filtering
7 strategies or the various alternatives.

8 As you can see, the high-level conservative
9 estimate is seven times ten to the minus eight, and the
10 more detailed analysis to the 95th percentile is seven
11 times ten to the minus ninth. And the QHOs are 1.84 times
12 ten to the minus six. And the red triangle is the
13 expedited spent fuel transfer results, which you see is
14 also -- and the Commission said that was -- we didn't
15 have to do the expedited spent fuel transfer in the spent
16 fuel pool.

17 This slide is the CPRR next steps. As was
18 shown in the previous slide, we determined that the
19 high-level estimate was very conservative, and so the
20 Staff will be generating a Commission paper with
21 preliminary conclusions and recommended path forward.
22 We still plan on looking at doing rulemaking to make the
23 requirements of the Order EA-13-109, which is the severe
24 accident capable containment vent generically
25 applicable to Mark I and Mark II BWRs. But we could be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- we may be discontinuing certain aspect of the CPRR
2 rulemaking.

3 We do plan on having additional meetings
4 with the ACRS, both the PRA Subcommittee and the full
5 Committee during the first quarter of 2015. And if we
6 need to, we'll have additional public meetings before
7 the Commission -- before the paper is sent to the
8 Commission.

9 MR. BUNT: I assume you're anticipating that
10 meeting the end of the first quarter or so by the time
11 this paper is --

12 MR. BEALL: Yes.

13 MR. BUNT: This is Randy Bunt. Sorry.

14 MR. BEALL: Okay. I'd like to move on the NEI
15 slides.

16 MR. BUNT: All right. Again, I'm sitting in
17 for Steve Kraft for representing NEI because he had a
18 conflict. He apologizes for not being here today. We're
19 appreciative of the opportunity to present the
20 information we've got, and the NRC work on this, and are
21 looking forward to the schedule for getting out into the
22 first quarter to get resolution on this topic. And with
23 that, I'm going to turn it over to Jeff.

24 Now, what we are -- I mean to Rick. What we
25 are doing is we're working this in two ways, so Erin is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 working as a contractor for NEI to work to some of the
2 qualitative evaluation aspects, where the technical
3 aspects are being worked through EPRI. And we're going
4 to show those, and we broke them out into the two
5 different presentations here.

6 MR. WACHOWIAK: So, I'll start off. Rick
7 Wachowiak from EPRI.

8 We've done a basic -- a partial Level 3 PRA
9 looking at the ELAP condition, and the intent of this
10 presentation is to go through what our results are. And
11 you'll probably see that they're very similar to much
12 of the results that you had presented. I noticed that
13 our latent cancer fatality risk numbers fall right into
14 the middle of the range that you presented on your chart,
15 so it looks pretty consistent.

16 So, a couple of things that we'll go over
17 here. We have completed our analysis, and as a part of
18 the process we brought in members of the industry to do
19 a review of our work, and it was done in a day and a half
20 workshop in Charlotte. We went over the key assumptions
21 and the results from our analysis, and made sure that
22 everybody understood what we were doing, and tried to
23 see if there were additional sensitivity studies that
24 we needed to do, or look at additional factors. That was
25 completed here in the last month or so.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Our intent now is to publish a summary of
2 the results and of the technical review first of the
3 year. That can be used as a reference for what our
4 results are. Then over the next couple of months after
5 that we'll be working on a detailed technical report
6 that has all of the results of the calculations. And
7 you'll see when we get into this, we've done several
8 thousand calculations associated with this, and
9 documented all those. So, that'll be a pretty hefty
10 document, but we want to get the summary results and
11 conclusions out in a useable form right after the first
12 of the year. Go ahead next slide.

13 So, the way that we looked at this, we
14 looked at several different options. We started out with
15 assuming that everyone -- all the Mark Is have
16 implemented the severe accident capable wet well vent.
17 And then we looked at different options for further
18 reducing radionuclide releases in the -- under these
19 ELAP conditions.

20 We looked at severe accident capable dry
21 well vents, severe accident water addition, severe
22 accident water management, which is simply severe
23 accident water addition but it's controlled in a manner
24 such that containment flooding does not occur, and you
25 can preserve the wet well vent path.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As in the prior EPRI report, we looked at
2 various schemes of vent cycling to try to minimize the
3 releases. And also in this report, we looked at
4 different, let me just call them classes of filters,
5 different capabilities of filters to be added in with
6 some of these other capabilities. And then the one other
7 thing that we did was a passive filter configuration.
8 It was a configuration that was provided by the NRC to
9 us as their concept of what a passive filter
10 configuration might look like, and we included that in
11 our mix of cases. Next slide.

12 So, just so that everybody is grounded on
13 the same page of what these different things look like,
14 we have our base case which is just the severe accident
15 capable wet well vent. See on the lefthand side here,
16 it's simply a manually operated vent off the wet well,
17 and it has the capability to be operated during severe
18 accident conditions. Another alternative that we looked
19 at in the base case was to add a severe accident capable
20 dry well vent to that, so once again it's simply a
21 manually operated vent path that are connected to the
22 containment.

23 In some of our alternatives we're looking
24 at severe accident water addition, and our conceptual
25 thought of what this might look like is two things on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this slide and the next slide. On this one, we
2 -- something like some portable pump that can be -- take
3 suction from an external source and put water inside of
4 the vessel. Once again, set up so that it could be
5 operated during the conditions in a severe accident, and
6 especially those severe accidents that were initiated
7 by the ELAP condition.

8 The next one shows -- next slide please.
9 Shows the same sort of thing, except the water is being
10 put into the drywell rather than into the vessel. The
11 reason that we looked at into the vessel is that we
12 thought the connections might be easier, or might
13 already be there from the FLEX work that had gone on.
14 And we also see that you can get water into the drywell
15 post-vessel failure because the water would go into the
16 RPV, and then with the hole in the vessel it would come
17 out and into the containment. So, in essence, these are
18 two different ways of getting water to the debris in the
19 containment, and we looked to see if there was benefit
20 to having one injection point over the other. Go ahead
21 to the next one.

22 When we started looking at filters one of
23 the cases was what we call the small filter, and by small
24 basically it means the capacity. It has the ability hold
25 up so much aerosol material and be able to contain so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much heat. We did some surveys out in the industry to
2 see what types were available, and we picked one of the
3 small filter types that plants had been looking at. And
4 then you could see in the configuration here it would
5 be able to be aligned manually to either the drywell vent
6 or the wetwell vent. And go ahead and go to the next
7 slide.

8 This one with the larger filter, our
9 conceptual drawing here just has a bigger filter, and
10 that's really all the difference is, is it has a greater
11 capacity of holding material that's been scrubbed out
12 of the effluent path and a larger heat sink. Once again,
13 that's based on some of the designs that are out there.

14 Finally, we started looking, or we looked
15 at the passive vent with the filter. In this particular
16 case, it's a rupture disk connected to the drywell
17 that's always open, or the pathway is always open, but
18 the rupture disk is providing the containment barrier
19 here. And if the pressure goes up too high it will open
20 up the drywell vent, pass through the filter.

21 This particular configuration has an issue
22 with it, though, is that some of the pre-core damage
23 scenarios, what we call the anticipatory venting to
24 promote longer RCIC operation is precluded by this
25 particular configuration because the filter would have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to be isolated in order to perform that action. And
2 that'll show up -- Jeff will show in some of the results
3 later what the effect of that is.

4 One more configuration that we looked at
5 for the vent, it's a post-core damage passive vent so
6 it would be actuated after core damage. You would open
7 up, manually open up the flow paths and then there would
8 be a passive filter path. But once again, that action
9 still has to be taken after core damage.

10 So, those are the configurations that we
11 looked at, and we've also done some sensitivities on
12 different parameters and things in the analysis. Jeff
13 has a couple of examples of some sensitivities that
14 we've done. Go to the next one.

15 This is a summary for everyone. Mostly,
16 it's a test for your prescription on your glasses, but
17 it does contain the list of all the cases that we
18 considered, and what the attributes are. Behind all of
19 this in our probabilistic analysis, see, this is the
20 chart of cases that we did, but behind each one of those
21 cases there's approximately 500 other evaluations that
22 we did using MAAP and MACCS2 for the offsite
23 consequences. Go ahead to the next one.

24 So, I'm going to turn over for the next part
25 of the presentation to Jeff, and he's going to go through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the results that we had and that were reviewed by our
2 external team.

3 MR. GABOR: Okay. Again, my name is Jeff
4 Gabor, supporting both EPRI and NEI. Next slide, please.

5 In past public meetings we've discussed in
6 some detail the process that we came up with, again, very
7 similar to -- in some regard to the analysis performed
8 by the NRC Staff. We, basically, started the process by
9 constructing both a core damage event tree to look at
10 what are -- given an ELAP-type event, and given the FLEX
11 equipment.

12 Our base assumptions were that the
13 EA-13-109 hardened vent was implemented, the wetwell
14 vent portion of that. Our other base assumption was that
15 we had implemented, as the industry is doing, EPG/SAG
16 Rev 3. And, again, those initial assumptions were
17 documented.

18 PARTICIPATION: In FLEX.

19 MR. GABOR: In FLEX, yes, sorry. And FLEX was
20 implemented under 049. Those were documented in
21 previous public discussions.

22 But, again, a containment event tree was
23 constructed to look at how you might progress to core
24 damage given FLEX, given the RCIC system, given the
25 implementation of Rev 3 of EPG/SAGs, and that came up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with a certain number of potential core damage end
2 states. Those each were then passed into a containment
3 evaluation typically called a containment event tree,
4 or accident progression event tree, where we look at a
5 combination of systems and phenomenology that could
6 occur during a severe accident that ultimately could
7 affect the end result, the end state, which is really
8 depicted by unique characteristics of release timing
9 and magnitude.

10 And when we combined all that we end up
11 with for each one of our alternatives 507 unique end
12 states. Typically, in a PRA atmosphere we would choose
13 to bin those down. In fact, a typical PRA would have
14 binned the initial core damage states into a handful
15 that were manageable. Same with the end states on the
16 releases, they would typically be binned into maybe a
17 dozen, or two dozen unique end states.

18 What we found was that we had the capability
19 to actually analyze and track each one of those as a
20 separate calculation. The benefits of that is we don't
21 get caught in the process of justifying selecting
22 representative sequences for a particular bin. That's
23 always something that's scrutinized by peer reviewers,
24 and our process avoided that.

25 It doesn't mean that you couldn't do that,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it doesn't mean that there are like characteristics of
2 those 507 end states, but we were actually able to model
3 all the way through the consequence analysis any slight
4 variations that those unique end states might create.
5 So, we built -- we constructed MAAP input files for each
6 of those 507, and again times the 22 alternatives that
7 we analyzed. We executed the core damage scenarios in
8 parallel. We constructed much like -- I believe the NRC
9 Staff has the capability of creating more of an
10 automated process that can take the source term release
11 characteristics, combine it with the consequence input
12 on weather data and population, and then actually carry
13 out a unique MACCS or consequence analysis for each one
14 of those. We did all the manipulation using Python
15 scripts, and to also create the input, and then also
16 post-process the results.

17 I didn't come with binders full of MAAP
18 results. I picked some of the selected results. We have
19 communicated some of these in past public meetings. As
20 Rick pointed out, our summary document will provide us
21 with an early reference for the results of the EPRI
22 study, and then followed up with a much more detailed
23 document in two months or so.

24 One of the issues that we continue to look
25 at during our analysis was initially what the benefit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of having a reliable or severe accident water addition
2 system available. And this is something, as you know,
3 FLEX is designed to prevent core damage, so it's kind
4 of -- the design considerations were not severe
5 accident. Our severe accident water addition system
6 that we're talking about either extends that
7 capability, or creates a new capability that allows the
8 plant staff to add water either as Rick pointed out,
9 either to the reactor vessel, or to the -- directly to
10 the drywell during a severe accident. So, issues on
11 habitability in high rad areas, and temperatures all had
12 to be considered in crediting that type of a system.

13 And what I'm showing here is for one of our
14 alternatives, which was a case where, again, like I
15 said, we had effectively implemented EA-13-109. We had
16 a hardened severe accident capable wetwell vent
17 available. We looked at -- just at kind of sorting out
18 our end states, the difference that water injection
19 versus no water injection would have on the peak
20 structure temperatures inside the drywell.

21 Primarily, what we're looking at is the
22 drywell head as that was identified throughout SOARCA,
23 and also followed up with the Fukushima responses, is
24 drywell head temperatures being a critical element in
25 preventing drywell leakage. And we find that when we do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have water addition those structure temperatures remain
2 well below 600. In fact, if you recall in our NEI-13-02
3 guidance we've selected a 545 design criteria for
4 drywell vent in this case. And we're just verifying it,
5 confirming it with water addition that is an appropriate
6 temperature to use.

7 If on the other hand there is no water
8 addition added to containment, the core debris radiates
9 to the containment structures, core concrete attack can
10 ensue, higher temperatures are expected, and you can see
11 here greater than 1,000 degrees. All I'm showing here
12 is a cumulative probability distribution, so this tells
13 me on the blue line that 100 percent of our end states,
14 and these are the 507 unique end states for that specific
15 alternative, 100 percent of those resulted in a peak
16 temperature with water addition of less than 550
17 degrees.

18 MR. FULLER: Jeff?

19 MR. GABOR: Yes?

20 MR. FULLER: Before you go to the next slide,
21 can you give me a feeling for what the temperature range
22 would be for the set of scenarios you looked at right
23 at the time of vessel failure, or whenever you turned
24 the water on?

25 MR. GABOR: We can do that. I don't have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those charts. One of the things that I believe will
2 probably make it into the detailed EPRI report will be
3 what we've defined as horsehair plots. They look a lot
4 like the SOARCA uncertainty analysis plots, where in
5 those cases we're actually able to plot all of the end
6 state temperature responses as a function of time. And
7 you can see what the distribution -- in fact, in the ones
8 we had for our review session, we actually identified
9 the mean and the 5th, and the 95th percentiles on there,
10 as well.

11 MR. FULLER: Can you give me some feeling for
12 what the temperatures might be?

13 MR. GABOR: Temperatures prior to
14 -- majority of the high -- for cases without water,
15 you're saying at the time of vessel breach?

16 MR. FULLER: At the time you've turned the
17 water on.

18 MR. GABOR: At the time we turn the water on
19 they're typically below the 500 degree threshold.

20 MR. FULLER: Okay. Is that --

21 MR. GABOR: Is my recollection.

22 MR. FULLER: That would be -- and if you turn
23 the water on right at vessel failure, that's the kind
24 of number you --

25 MR. GABOR: Yes. I mean, keep in mind in this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- in the blue line, as I think you're well aware, our
2 assumption on severe accident water addition was that
3 it would be on at least by the time of vessel breach to
4 provide cooling to the debris. And that time, for
5 example, looking at the SOARCA analysis, for example,
6 would be around the eight-hour point from SOARCA. A
7 little bit early, could be earlier in a typical MAA
8 calculation. But this is actually the peak value, Ed,
9 so this will --

10 MR. FULLER: Oh, peak value?

11 MR. GABOR: This is the peak value, so this
12 takes account the whole time history before and after
13 vessel breach. So, at no time, I guess I can say, at no
14 time when water was added at the time of vessel breach
15 as a criteria, at no time did the temperatures exceed
16 550 degrees in any part of the drywell. Okay?

17 MR. FULLER: Thanks.

18 MR. GABOR: The next chart, as Rick pointed
19 out, one of our alternatives to actually Two Echo looks
20 at adding water via the reactor vessel. The alternative
21 Three Echo runs similar scenarios, again 507 unique end
22 states, but looks at adding that water to the drywell.
23 Again, we've had public discussions of these
24 alternatives in the past. I'll remind you that when we
25 add water to the drywell we took no credit for any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 atomization of the droplets through the spray headers,
2 no thermal interactions with droplets, no aerosol
3 scrubbing due to sprays.

4 The reason we took that conservative
5 approach is that our typical spray headers are qualified
6 or designed for a higher flow than we typically are
7 looking at with the FLEX pumps. Systems would be over
8 thousands of GPM, where FLEX is in the 300-500 range.

9 I think there would be some particles
10 formed, there would be some enhanced heat transfer, but
11 just due to some of those uncertainties much like your
12 own analysis, we took a fairly conservative approach to
13 not take credit. So, when we say drywell injection, we
14 basically mean just adding water to the floor with no
15 interaction with the structures.

16 This chart is -- again, we expanded the X
17 axis a bit. We're looking at those same maximum
18 temperatures in the structures within the drywell
19 region, again focusing mostly on that drywell head
20 because that seems to be a key point to look at. And,
21 again, you can see with the RPV injection at no point
22 did the peak temperatures exceed around 550 degrees. I'm
23 not good at estimating, probably a little less than 550.

24 You could see there's a slight increase on
25 the cases with drywell injection, and the reason for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that I think is understood by folks doing the severe
2 accident analysis is that post-core damage fission
3 products that had previously been deposited inside the
4 RPV, or potentially core material that was remaining
5 behind inside the RPV, it provides a longer term heat
6 source. And that heat source then can radiate out into
7 the drywell and have some impact on the peak
8 temperatures in the drywell. That's why the injection
9 into the RPV is slightly better in terms of maintaining
10 those temperatures.

11 But, again, at no time -- if I read this
12 probability curve correctly, at no time did the peak
13 exceed, let's just pick a number of 600 degrees
14 Fahrenheit in the drywell even with just injecting into
15 the drywell. So, we view them both as valid ways to get
16 water onto the core debris.

17 I believe the NEI-13-02 guidance will echo
18 this information, will identify that there is a slight
19 advantage to putting the water in the reactor vessel.

20 MR. BASU: Jeff?

21 MR. GABOR: Yes?

22 MR. BASU: Given the uncertainties in the
23 heat transfer characteristics that you just mentioned
24 would you still say that the RPV injection is more
25 beneficial than the drywell injection?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GABOR: I think I would, and the basis
2 goes beyond that. I mean, there have always been
3 questions asked about if I put water in the drywell,
4 where am I putting it, and will it find its way to the
5 core debris, wherever that might be?

6 Injecting it into the RPV kind of avoids
7 that issue, because in that case the water is going to
8 follow debris, and more likely to be effective as -- and
9 it just eliminates one of those concerns.

10 Again, maybe it's a personal preference,
11 but my other consideration would be, if I had fission
12 products deposited in the RPV, and if perhaps the core
13 damage in the core melt phase wasn't 100 percent
14 complete, which I think people looking at Fukushima
15 might come to those conclusions, then putting it into
16 the RPV helps to cool whatever might be remaining
17 behind.

18 MR. BASU: Okay. So, in terms of coolability
19 maybe there is some difference that you can -- in terms
20 of the drywell head temperature given those
21 uncertainties, would you still say that RPV injection
22 is --

23 MR. GABOR: And, again, the reason I would
24 say that the RPV injection is preferred is because the
25 primary heat source to the drywell is the reactor

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 vessel. The fact that that reactor vessel at some point
2 parts of it had achieved temperatures over -- at 4,000
3 degrees in order to have core melt. The RPV becomes a
4 heat source to the drywell. And what we've seen in our
5 analysis is the upper part of the drywell, a cylindrical
6 portion of the drywell in the head become the hottest
7 points in the drywell. And, again, by cooling the RPV
8 you can effectively help bring those temperatures down.

9 MR. FULLER: Ed, again.

10 MR. GABOR: Yes?

11 MR. FULLER: These temperatures, are they
12 structure temperatures, or are they gas temperatures?

13 MR. GABOR: Excuse me, these are actually
14 structure temperatures. What we have -- what we'll put
15 in the report is we've drawn these similar plots and
16 included both the gas and the structure. And you do see
17 a slight lag there, what you'd expect.

18 MR. AMWAY: This is Phil Amway. And just, you
19 know, one of the reasons why we're looking at both RPV
20 and drywell addition is if you look at the -- across the
21 BWR Mark I, Mark II fleet in large majority where we're
22 connecting to to provide the water addition can be
23 aligned to either RPV addition point, or drywell
24 addition point; whereas, our procedures would direct
25 where that goes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In a few of the plants they are actually
2 separate systems, so one of the things we have to be able
3 to look at is the capability to actually make those
4 connections and to continue the water addition under
5 severe accident conditions, so we don't want to
6 necessarily exclude viable addition points if it makes
7 more sense for other reasons because of habitability or
8 accessibility reasons to make a connection to the
9 drywell addition point versus the RPV addition point.
10 That's why we're doing that.

11 MR. GABOR: Since you brought it up, Phil,
12 are there any considerations to be -- if you ever got
13 into one of these situations at a given plant, would both
14 connections be made or would you make a decision which
15 way to go?

16 MR. AMWAY: In the guidance in 13-02 we are
17 only requiring one addition point be made that is
18 feasible and connectable under severe accident
19 conditions.

20 MR. GABOR: So you make the decision well
21 before any accident --

22 MR. AMWAY: Yes.

23 MR. BEALL: I'd like to remind everybody to
24 please identify themselves when they speak, please.

25 MR. GABOR: The next slide, please. As far

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as the MACCS evaluations were concerned I had put
2 together a couple of slides here. The input was provided
3 to us by the NRC. It was basically the Peach Bottom input
4 based on the SOARCA model. We utilize 64 compass
5 directions, included the updated dose conversion
6 factors, modeled the six unique cohorts, utilized the
7 network evacuation model, and I believe incorporated
8 2005 population and economic data.

9 The next chart, one of the things we were
10 interested in, as always in our analysis, is much like
11 the conservative evaluation done by the NRC, is how
12 robust are our answers to potential variabilities? And
13 one of the -- a key potential variability is population
14 size at our sites. What we plotted here were all the Mark
15 I sites in the U.S. out to 50 miles, and what we found
16 in doing that is the SOARCA plant actually wasn't the
17 highest population. There was one other plant that we
18 identified that had a 20 percent or so higher
19 population.

20 What we used this for then was to go in and
21 perform a sensitivity analysis on our MACCS
22 calculations utilizing this type of increase in the
23 population just so we could say that we had bracketed
24 all of the plants.

25 MR. FULLER: Jeff, this is Ed Fuller, again.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GABOR: Yes?

2 MR. FULLER: This means that everything else
3 when you did this bracketing, everything else in the
4 MACCS input was characters of the Peach Bottom site.

5 MR. GABOR: That's true. That's true. Yes,
6 we just changed the population. The next --

7 MR. STUTZKE: Question, what --

8 MR. GABOR: Yes?

9 MR. STUTZKE: -- the MACCS plan?

10 MR. GABOR: We weren't going to identify
11 that today.

12 The next chart just looked at the
13 preferential wind -- the wind distribution from the
14 annual data on Peach Bottom, and you can just see that
15 preferentially we're seeing winds out of the north
16 northwest, just gives you kind of a quick look.
17 Obviously, that then affects the doses that would be
18 seen in those downwind areas. Next chart.

19 So, as far as our quantitative results, and
20 you can jump to the next one, we looked at five
21 quantitative metrics. Again, these were discussed in
22 past public meetings. We looked at the varying core
23 damage frequencies. We also looked at conditional
24 containment failure probability. That, of course, is
25 the probability that the containment will fail given a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 core damage event, so it's conditional on that. And that
2 would be -- containment failure would be cases where the
3 containment, say the drywell head failed maybe due to
4 unavailability of a venting path to control pressure.
5 It might involve liner melt through for the Mark I where
6 if we don't provide water to the core debris, there's
7 a high likelihood that liner melt through would occur
8 and result in a rather early vessel containment breach.

9 Much like your own evaluations, we looked
10 at the latent cancer fatality risk that comes directly
11 from the consequence analysis, and then we took the
12 output from the MACCS calculations and using a
13 methodology that's identical to what gets done in our
14 license renewal or SAMA calculations, the NRC
15 methodology, we calculated what the maximum averted
16 cost risk would be.

17 And if we look at, for example, at a base
18 case risk at a plant today, that MACR, we call it, would
19 be a dollar equivalent if we eliminated all the risk,
20 and we put all the risk to zero, which of course you can
21 never do zero, but it provides us with kind of an upper
22 band, I'll call it a screening tool to look at if I did
23 eliminate all the risk from this plant what would that
24 maximum cost risk be? And then, obviously, you can -- if
25 you did eliminate that, that provides you with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 benefit of doing that. And then, obviously, you could
2 then compare that to a cost to implement a particular
3 plant modification as part of your cost benefit
4 analysis. So, the last element is really looking at our
5 base case where we haven't implemented any of our
6 alternatives, and now we look at the reduced risk
7 involved in each of our varying alternatives that we
8 analyzed.

9 It's the delta that we care about, because
10 the delta is what's compared against the cost of a
11 filter, or the cost of severe accident water addition,
12 or the cost of a procedure change. Identical to the
13 process that the industry goes through as part of their
14 SAMA analysis in support of license renewal. Next chart.

15 I don't think I need to go through these.
16 It just provides a little bit more background on what
17 I just discussed on how each of those quantitative
18 metrics is described and what the purpose of that is.
19 And, obviously, those last two, as I pointed out,
20 provides us with the financial consequences which is the
21 element that's used as part of a cost benefit
22 evaluation. The latent cancer we mentioned as did the
23 Staff presentation, that you use that to compare against
24 the NRC's Quantitative Health Objective, that roughly
25 2E minus eight kind of number. And that, obviously, is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consistent with, as you pointed out, the COMSECY on
2 spent fuel pools, and many other regulatory actions that
3 have been taken.

4 MR. FULLER: Excuse me. This is Ed Fuller
5 again. Regarding conditional containment failure
6 probability, did you consider using it conditional on
7 the initiation of an ELAP versus core damage?

8 MR. GABOR: We did not do that yet, no. We
9 did not.

10 MR. FULLER: Do you think that might be a
11 reasonable idea?

12 MR. GABOR: We'll talk -- we're going to
13 have some comments at the end of actually the NEI
14 presentation. The Staff identified CCFP as potential
15 performance criteria, or performance measure, and we've
16 got comments on how that could be used.

17 MR. FULLER: We didn't identify it. We were
18 suggest -- it was suggested to us by you folks.

19 MR. GABOR: It was on Aaron Szabo's slide at
20 the last public meeting as something he wanted our input
21 on.

22 MR. BASU: That's correct.

23 MR. FULLER: Okay. Well, that's good.

24 MR. BASU: It was in our slide, but the
25 original CCFP came from the industry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GABOR: Correct. Okay, the next slide
2 starts to get into comparing all of those alternatives
3 that were on that chart, that eye chart, test chart that
4 Rick showed you.

5 In this case, we've plotted those on this
6 first chart against a pre-Fukushima reference which
7 gives us a core damage right out of the SECY-12-157. And
8 I think that was the SECY number three minus five type
9 range. As I said, as we implement FLEX 12-049, as we
10 implement the vent order, 13-109, and as we implement
11 Rev 3 of the EPG/SAGs, which is the base for all of our
12 alternatives, you can see where they come in. So,
13 there's a pretty significant reduction in CDF. Yes, if
14 you hit the next key you see part of that. The benefit
15 we get really does come from the FLEX system and provides
16 us with the CDF reduction.

17 Remember that our alternatives are geared
18 towards the CPRR. They're geared toward protecting
19 containment, and protecting and reducing releases so
20 they're not going to have a significant impact on the
21 CDF other than FLEX.

22 MR. FULLER: Excuse me, Jeff. At the risk of
23 dominating the conversation, this is Ed Fuller, again.
24 If we look at this reduction from the pre-Fukushima down
25 to now, it's something like a factor of five or so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reduction in the ELAP core damage frequency. Does that
2 imply that you're saying that the successful
3 implementation of FLEX to prevent core damage is in the
4 order of 80 percent?

5 MR. GABOR: Yes.

6 MR. FULLER: Okay. Next chart.

7 MR. STUTZKE: More questions, please?

8 MR. GABOR: Yes.

9 MR. STUTZKE: Are you still running --

10 MR. GABOR: We are here.

11 MR. STUTZKE: Okay. If I could ask, why not
12 EPRI's interrater calculator?

13 MR. WACHOWIAK: Because we didn't want you
14 to ask.

15 MR. STUTZKE: Okay. And are you using them
16 as far as dependency model, dependencies among all the
17 human actions?

18 MR. WACHOWIAK: Yes.

19 MR. BOWMAN: Marty, don't forget to identify
20 yourself.

21 MR. STUTZKE: Yes. It's Marty Stutzke from
22 Office of Research. Okay.

23 MR. GABOR: And we'll have all of the details
24 in the EPRI report. I think some of those have been
25 transmitted, at least the initial numbers that Doug True

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 had worked with were presented in past public meetings.

2 I should have started off, Marty, with when
3 we look at these charts, and as we get into some of the
4 other entries, you're going to tell us well, that looks
5 a lot -- very similar to what we saw before, so what's
6 different? Primarily, what's been changed as a result
7 of our last discussion with you, we went back in and
8 updated the seismic contribution to reflect, as you did,
9 reflect the more recent data.

10 MR. STUTZKE: Right.

11 MR. GABOR: What effect that seemed to have
12 on our core damage end states or core damage was that
13 it put more emphasis on the early failure RCIC as a
14 result of that.

15 MR. STUTZKE: Right.

16 MR. GABOR: Basically how it kind of played
17 out. So, that's what's different in what you had seen
18 before. Next chart, please.

19 So, if we take away the pre-Fukushima and
20 just focus on our evaluation as part of the filtering
21 strategies of the CPRR, you can see very -- as I
22 mentioned earlier, very little difference in the core
23 damage frequency across the board. Again, that makes
24 sense because we're primarily focusing on containment
25 in those end states and we would expect it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 One interesting point that I'm sure you'll
2 have questions on, so we'll try to head those off, is
3 our Case 6 Alpha, the one that Rick showed you the kind
4 of schematic for, where we only assume a totally passive
5 filter design.

6 As you're going to see, that does have some
7 positive effects on reducing releases. Obviously, it
8 eliminates a human action so it has a slight increase
9 or a slight decrease in the release, and it does improve
10 that result. But without the anticipatory -- the
11 capability to open a vent early to extend the life of
12 RCIC as part of our FLEX strategy, it actually has the
13 negative impact of increasing core damage slightly. And
14 it's the only one that does that, you can see that. It's,
15 again, not a huge bump in the core damage frequency, but
16 again you have to consider both that impact and the
17 potential improvement which you'll see on a future slide
18 with having that totally passive system.

19 I think that's kind of what drove our
20 discussions with the Staff and, ultimately, resulted in
21 you providing us with your conceptual design on what a
22 kind of passive-type system would look like. And I think
23 the one you gave us was the 6 Bravo Case that Rick showed
24 you, where you would retain the capability through
25 operator actions to do the anticipatory venting, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is our 6 Bravo there, but have -- post-core damage have
2 a rupture disk that would eliminate the human action.

3 MR. ESMAILI: Quick question.

4 MR. BEALL: Identify yourself, please.

5 MR. ESMAILI: Hossein Esmaili from Office
6 -- we are -- the configuration that you show that the
7 rupture was inside the containment and the line --

8 MR. GABOR: It was inside the reactor
9 building.

10 MR. ESMAILI: Inside the reactor building.

11 MR. GABOR: Yes.

12 MR. ESMAILI: And the line is open, but that
13 is the one that doesn't allow you to do anticipatory
14 venting.

15 MR. GABOR: Correct.

16 MR. ESMAILI: There is no way to put this
17 rupture disk somewhere else --

18 MR. GABOR: You still have to manually be
19 able to bypass it, I guess.

20 MR. ESMAILI: So, that you can do
21 anticipatory venting even in the rupture disk?

22 MR. GABOR: Well, I think our 6 Bravo does
23 that. IF you go back --

24 MR. ESMAILI: Oh, okay.

25 MR. GABOR: -- you can see that that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 configuration did -- and that's why in this case CDF
2 didn't change, because it did allow for that as you
3 provided in your conceptual schematic to us.

4 MR. BUNT: This is Randy Blunt. It's just
5 that when it's totally passive, you have to have
6 failures on the other side that kind of drive this, that
7 say that you won't get that valve closed, and you won't
8 -- don't get that valve closed, then you'll get core
9 damage a little bit higher than a system that doesn't
10 have that extra valve in it.

11 MR. GABOR: Again, that was something that
12 we looked at as kind of a variation on the theme that
13 you provided. The next chart, please.

14 If we look at the standard definition of
15 conditional containment failure probability which is
16 conditional on core damage, again you see a very similar
17 kind of characteristic here. Here we're grouping our
18 various alternatives into cases where we don't have
19 severe accident water addition. Those are the two red
20 columns on the left.

21 If we do have severe accident water
22 addition either to the RPV or to the drywell, you can
23 see the reduction in CCFP. And that's basically coming
24 from the fact that I'm able to prevent liner melt
25 through, I'm able to prevent high temperature failures

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the containment by just simply putting water on the
2 debris.

3 You go over to the right and you can pick
4 up the cases 4 Alpha through 6 Bravo where we did look
5 at large and small external filters. You can see very
6 marginal, if even detectible, improvements in CCFP in
7 those cases. With the one exception you see in your
8 --- in the case we ran as a totally passive 6 Alpha case.
9 In that case, again, we eliminated the human action to
10 open the vent. We avoid containment over-pressure
11 failure.

12 Keep in mind, notice the green and blue
13 colors. We do in those cases assume that severe accident
14 water addition is available. You essentially have to
15 because if you don't have severe accident water
16 addition, those cases on the right that are hashed where
17 did analyze an engineered filter, they would look just
18 like the red bars on the left because you would get high
19 temperature failures, you would get liner melt through,
20 and you would bypass your engineered filter, and it
21 would become -- it would provide very minimal benefit
22 to you in those cases.

23 MR. FULLER: Ed Fuller, again. It would be
24 interesting to replot this using my suggested
25 alternative for conditional containment failure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probability using as the base the ELAP frequency and not
2 the core damage frequency. It would be instructive to
3 see what that provides.

4 MR. GABOR: Okay, good input.

5 MR. ESMAILI: Hossein Esmaili. The cases
6 which filter or look similar to the cases with SOARCA
7 is because of your accident progression, that you are
8 venting at the time that you are putting water in. Right?
9 And it takes a very little time between the time to have
10 lower head failure until you fail. Most of the releases
11 are occurring through uncontrolled venting rather than
12 controlled venting.

13 MR. GABOR: Correct. And we'll show you a
14 sensitivity that we did on, for example, delay liner
15 melt through. One of the -- in some of our discussions
16 with the Staff early, very early discussions with the
17 Staff there were questions asked about well, the
18 industry analysis has assumed that within 15 minutes
19 after vessel breach you would have liner melt if you were
20 not providing water. And that assumption is consistent
21 with SOARCA, the NRCA SOARCA, but when I went back and
22 I looked at your SECY evaluations, there were cases that
23 were done where you did more mechanistic modeling of
24 melt spread and the heat up of the liner, the spread to
25 the liner, and what I found from those SECY cases were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 typical delay times between vessel breach and liner melt
2 in the range of three hours or so. We actually did our
3 sensitivity assuming a 10-hour delay, and I'll get to
4 that next.

5 MR. ESMAILI: And you are not taking any
6 credit whatsoever for the existing water because of the
7 leak --

8 MR. GABOR: We do require an active severe
9 accident water addition system, yes.

10 MR. ESMAILI: No, from the leakage that
11 occurred before you started --

12 MR. GABOR: As far as taking advantage of
13 that, all that -- taking advantage, we agree that that
14 would be a reality both condensation on the walls and
15 any leakage from the RPV would collect in the sump and
16 in the drywell. That's why in our cases severe accident
17 water addition either to the RPV, which would only come
18 in after vessel breach, or directly to the drywell. Both
19 of those are judged successful with a probability.
20 They're judged successful based on the Theofanous work
21 that says you can prevent liner melt. So, since we're
22 treating both RPV injection and drywell injection
23 similarly from a success standpoint for liner melt, the
24 answer to your question would be yes, we are taking
25 credit for that water.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WACHOWIAK: But we want -- this is Rick
2 Wachowiak from EPRI. We want to make sure, though, that
3 we're not somehow taking credit for leaking recirc pump
4 seals because we really don't know how much they're
5 going to leak in these cases. We put in a maximum amount
6 based on calculations and some tests that are done, but
7 in an actual situation we don't know that they're going
8 to leak that much, so you really can't count on that
9 water being there.

10 MR. GABOR: I think the three-hour delay,
11 and you probably know this better than me, but I think
12 when I looked at the SECY analysis, the MELCOR runs in
13 the SECY, the three-hour delay were for dry cases, so
14 they were taking credit for any preexisting water in a
15 delay to liner melt.

16 MR. ESMAILI: I don't think SECY 1201-57, I
17 don't think we have existing water in the --

18 MR. BASU: This is Sud Basu from Research.
19 There was no existing water in 1201-57. Three-hour delay
20 was strictly because of the --

21 PARTICIPANT: Movement, yes.

22 MR. GABOR: Okay, fine.

23 MR. ESMAILI: So, that's what caused it.

24 MR. GABOR: Fine. Next slide --

25 MR. STUTZKE: I have a question about this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- the base case there, the pink ones. I note that's not
2 quite 100 percent.

3 MR. GABOR: Artifact of the drawing.

4 MR. STUTZKE: Okay.

5 MR. GABOR: So, your --

6 MR. STUTZKE: They either result in a
7 containment failure or event.

8 MR. GABOR: Right.

9 MR. STUTZKE: And when you get event, of
10 course, in the risk calculation there's still
11 consequence in your adding all of this up.

12 MR. GABOR: Right, good point. I mean, the
13 fact that we're sitting at around 55 percent means that
14 when you do the more rigorous, much like the Staff's
15 evaluation, you do the rigorous containment event tree,
16 your accident prevention event tree quantification, you
17 find that there is this residual risk where systems
18 didn't work, the vents didn't work, the water wasn't
19 available. Even though you had it, it failed to function
20 properly.

21 MR. BUNT: This is Randy Bunt. This doesn't
22 account for the likelihood of that event occurring. This
23 is just a probability of that event getting to the end
24 state. This has all of the cases, right?

25 MR. GABOR: This has all the cases, right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BUNT: No matter how likely or unlikely
2 they are to --

3 MR. GABOR: They're frequency weighted.

4 MR. STUTZKE: Right. So, this is the release
5 frequency divided by CDF.

6 MR. GABOR: Yes.

7 MR. STUTZKE: Okay.

8 MR. GABOR: The next chart, much like the
9 Staff's comparison, although your resolution is better
10 than our's, we say it's about 2E minus six, and you're
11 1.8 I think. But, nonetheless, what we did here and on
12 the next chart -- well, not on the next chart, just on
13 this one, is we plotted our latent cancer fatality risk
14 probabilities against the Quantitative Health
15 Objective in the 2E minus six rate. And, again, we tried
16 to spread -- we tried to break out the cases the same
17 left two bars where we don't have severe accident water
18 addition, meaning as Marty just pointed out, they lead
19 to liner melt, and slightly larger source terms. And
20 then we plotted those against all of our alternative
21 strategies, and you can essentially not see any
22 differences across the board there. Again, as Rick
23 pointed out, we think if we put these numbers on tops
24 of your's, they'd fall right in the range.

25 The next chart would take all of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consequence results from MACCS and look at, as I
2 mentioned earlier, converting that to a maximum averted
3 cost risk, which is if I got rid of all of the risk
4 associated with this particular case, or this group of
5 cases, what would that be worth? In our base cases and
6 what we called Case 1 Alpha, was one where we had no water
7 addition, again the two left bars are cases with no water
8 addition. If we were able to eliminate all of that risk
9 it would be worth around \$2.5 million. And, again, this
10 is an identical process that gets used for every license
11 renewal SAMA evaluation.

12 If we then look at the reduction that we
13 would get as a result of implementing all of these
14 different alternatives, including the filter cases on
15 the right, again with water to the reactor, or water to
16 the drywell, you can see that that number drops down to
17 about \$1.6 million or so.

18 If you jump to the next slide, what we
19 really care about is what that delta is. That's what
20 factors into a cost benefit analysis. We compare those
21 alternatives to doing nothing, and if we look at that,
22 the general kinds of MACCS averted cost risks that we
23 calculated are in the range of \$1 million. And, again,
24 what that number means to us is if I was able to implement
25 that alternative, and for that case if I eliminated all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that risk, what would that be worth in the typical cost
2 benefit evaluation? So, we're looking at around a
3 million. Next slide, trying to keep us on schedule. And
4 you hit one more, I think, we get some Xs. Good.

5 What this is, is we've now looked at that
6 MACR value and how it might progress as we implement
7 various alternative strategies. What we did try to show
8 you here is there is kind of a base amount of that risk
9 that's independent of our strategy or alternative, and
10 it's coming from the seismic contribution.

11 One of the things that we're going to
12 include in our evaluation is a way to look at how that
13 seismic contribution -- this was actually for our
14 reference plant, which I guess I can say is Peach Bottom.
15 It's no secret. And it had a specific relatively
16 significant contribution from seismic.

17 If, for example, we look at the variability
18 of that number from site to site, basically what's going
19 to happen is that X'd out part will move down typically,
20 because the Peach numbers were relatively high. I don't
21 know if they were any higher or not, but it moves down
22 or up. The relative comparison or the change in the max
23 averted cost risk is going to stay the same, so it's
24 really not going to have an influence on our decision
25 as to whether a specific alternative is cost effective,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because that seismic contribution affects the base
2 case, as well as all of our alternatives.

3 So, Alternative 2A remember was a case
4 where what we did was we had a severe accident water
5 addition capability. In this case we're putting it into
6 the reactor vessel. 2 Alpha was actually a case where
7 we didn't have a severe accident capable drywell vent,
8 so in that particular even, if the wetwell vent failed
9 to operate we would relieve pressures through the
10 drywell.

11 And this just breaks down the MACR is
12 actually calculated and what elements add to that. And
13 you see here that the venting through the wetwell has
14 that, you know, half million or \$500,000, yes, half
15 million type contribution. Where again, the red part is
16 indicative of the risk associated with cases where I
17 don't have effective water addition. And in those cases,
18 like I said, I heat up the containment, I'm going to leak
19 through the containment, I'm going to fail the liner,
20 and a filter or my alternative is going to have little
21 impact on that.

22 Alternative 5A was a case where we had a
23 large external engineered filter. And, again, you see
24 that the contribution from the wetwell, the amount of
25 radionuclides that went through the wetwell vent path,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's that green contribution that they have to the
2 MACR, that's reduced, and it's reduced because that
3 delta, if we could calculate it, 100,000 or whatever it
4 is, that delta is a result of the further reduction in
5 source term by adding the external filter to it.

6 Any other questions? Okay, I can do this,
7 I think. We'll go to the end of this one, and then take
8 our break. Is that okay?

9 MR. BEALL: That's fine.

10 MR. GABOR: So, key areas of uncertainty
11 that we have looked at and continue to look at, they'll
12 all be part of the EPRI, final EPRI report. Obviously,
13 we care a lot about any plant-to-plant variability. I
14 looked earlier at the potential impact that population
15 size might have, but there are some other plant-to-plant
16 variabilities that we've talked about and discussed in
17 public meetings that we will investigate.

18 Human performance, the NRC has done some
19 bounding or conservative, and some sensitivities on
20 human performance, we intend to do the same. I mentioned
21 earlier that contribution from seismic. It won't affect
22 the change in the delta risk, but it will affect the
23 values, the height of those curves. We'll do some
24 sensitivities on the seismic contributor.

25 And then, obviously, there's some things in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 severe accident phenomenology, I mentioned liner melt
2 through that we're investigating, but preliminary
3 studies that we've done have indicated kind of in line
4 I think consistent with your conservative approach, is
5 that these factors indicate that our insights and
6 general conclusions are pretty robust and really not
7 sensitive to these types of uncertainties.

8 I picked a couple to talk about, if you go
9 to the next slide. If you recall, we did a plant data
10 survey. That information was provided to the NRC. We
11 looked at -- here's a list of a lot of the different plant
12 parameters that we investigated. We did provide that
13 information to the Staff. We looked at that and looked
14 at the variability and kind of focused in on a couple
15 of the parameters that we thought might have some impact
16 on our results and evaluated the potential uncertainty.
17 Next slide, please.

18 So, one of the ones that we've talked about,
19 I think enough times, multiple times in our meetings is
20 the so called torus freeboard volume. By that I mean each
21 of the sites, each of the plants through implementation
22 of their EPG/SAG has an action item in there that says
23 as I'm adding water to containment, if I'm adding water
24 to containment and the torus level is increasing or the
25 wetwell level is increasing, at what point does the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operator -- is the operator told to isolate or close
2 that wetwell vent path? Obviously, we don't want to get
3 water into that vent path, so there's a specific
4 instruction to isolate that path.

5 When we look at all the survey data, and I
6 think in this case I was focused on the Mark I. I'm pretty
7 sure my numbers are for the Mark Is, but I think we would
8 see very similar, if not larger type values coming out
9 of the Mark II plants. But what we find is a range,
10 anywhere from 300,000 to a million, over a million
11 gallons of water. We're not talking about 10 gallons of
12 water, or 100 gallons of water. We're talking about at
13 500 gpm we're looking at the time it takes to exceed that
14 threshold in the range of 11-32 hours, so there's a lot
15 of time for the operators to respond to this, to react
16 to this.

17 When we get into our strategy on managing
18 the water so we don't get there, that's the kind of time
19 that the operator is going to have to reduce flow and
20 prevent that level from exceeding. And, obviously, it's
21 the amount of time -- if they don't do that, it's the
22 amount of time that they have to recognize that they need
23 to isolate that wetwell vent path. So, there's just a
24 lot of time.

25 MR. FULLER: Excuse me, Jeff. Ed Fuller

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 again. Do you happen to know the particular value for
2 Peach Bottom?

3 MR. GABOR: The particular value for Peach
4 Bottom? Peach Bottom, if you remember, was a 21-foot
5 value that we've quoted.

6 MR. FULLER: Yes, but I --

7 MR. GABOR: That tends to represent more of
8 a lower end, if I recall. It's more on the lower end.
9 I don't know the exact time.

10 MR. FULLER: One is several hundred
11 thousand.

12 MR. GABOR: And I should say that the 11 to
13 32 hours is just based on a 500 gpm injection rate. There
14 are other secondary effects, like condensation on walls
15 and things like heat removal through the structures that
16 can alter that a little bit.

17 MR. FULLER: Yes.

18 MR. GABOR: It's a simplified calc, but yes,
19 the Peach Bottom -- again, all that data was provided
20 to the Staff. We didn't identify specific plant types,
21 but we had a specific column for each of the Mark Is and
22 IIs.

23 MR. BOWMAN: Jeff, this is Eric Bowman. Did
24 you survey the flow capabilities, or did you just stick
25 with the 500 gallons per minute?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GABOR: For this we stuck with 500,
2 primarily because in the guidance in 1302 -- maybe,
3 Phil, you should speak to this.

4 MR. AMWAY: Yes. I mean, we saw it to the 500
5 gallons a minute based on -- that's what you did all the
6 analysis on, and it's a typical value of what we would
7 expect that we'd have to provide for decay heat removal
8 under the FLEX strategies under the 49 order.

9 MR. BOWMAN: My concern would be that when
10 we've provided that as a minimum value most licensees
11 get enough equipment and set up their flow path so they
12 can exceed to insure that they meet what we have set as
13 guidance for what's good enough. And if you've got a
14 licensee that's got 1,000 gallon per minute capability,
15 unless they're controlling the flow rate doing severe
16 accident water management instead of SAWA, that would,
17 of course, cut your time available in half.

18 MR. AMWAY: Right. And this is Phil Amway
19 again. And we're addressing that in the 1302 guidance,
20 and then our subsequent procedures are going to have to
21 define that in terms of when is the appropriate time to
22 cut back on flow, and what actions do they need to do
23 to make sure that they stay within that available range
24 to preserve the wetwell vent?

25 MR. BOWMAN: Okay, thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GABOR: The next slide looked at another
2 parameter that we've discussed in several of the public
3 meetings, and that is at what point if I'm flooding into
4 the drywell, at what point does water accumulate high
5 enough so that it then can spill over into the large vent
6 pipes that run down into the torus? And specifically
7 from that data survey, I came up with numbers ranging
8 from 7.4 to 36 inches.

9 The next slide, and I did a little histogram
10 there that reflected that. If you recall, and as you look
11 at our guidance on severe accident water addition, our
12 objective is focused on limiting the thermal challenge
13 to the containment either due to liner attack or direct
14 thermal radiation from the debris.

15 Based on experiments at Argonne and other
16 information, there could be a period of time where you
17 could water on the debris and there still could be some
18 limited core concrete attack. Eventually, we've seen in
19 the experiments that does subside and does terminate,
20 but there could be that period of time.

21 Our objective is not, necessarily, to limit
22 that. Our objective is to preserve the containment
23 integrity, and by wetting -- we believe by wetting the
24 surface we're going to promote a crust on the upper
25 surface of the debris and we're going to -- we will limit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the upper radiation to the structures. So, given those
2 spillover elevations, we think that provides adequate
3 capability to wet the surface, keep that water flowing
4 on top of the surface, maintain that upper crust
5 temperature near saturation. And, again, that's
6 sufficient to prevent the thermal challenges and
7 prevent the liner melt through, as well.

8 MR. ESMAILI: Just a quick question. Going
9 back to this 500 gpm -- Hossein Esmaili. This 500 gpm,
10 you probably do not need 500 gpm to remove decay heat.
11 Right?

12 MR. GABOR: Correct.

13 MR. ESMAILI: You know, so at some point
14 you're going to spill over. You shouldn't put water and
15 then for a long time, and then spillover will deduct any
16 benefit whatsoever to the degree that -- so, I just want
17 to make sure that we understand that there's a
18 difference between what we are doing here, which is
19 post-core damage water addition. Right?

20 MR. GABOR: Yes.

21 MR. ESMAILI: And the pre-core damage water
22 addition.

23 MR. GABOR: Yes. In fact, our -- and I think
24 some of the calculations I've seen Dr. Fuller run, when
25 we look at water management, we actually reduce that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 down to around 100 gpm. And that's -- you know, what I
2 find some differences in, perhaps, the uncertainties on
3 debris cooling assumptions. In fact, using the more
4 latest insight from the Argonne work where they get
5 -- calculate the melt eruptions, and the enhanced
6 particle bed formation and debris cooling, 100 gpm at
7 least in my math analyses shows me that within a
8 relatively short period of time, meaning say within 10
9 hours or so, I'm able to cool debris, quench the debris,
10 and stop the attack. And I think that's consistent with
11 the types of insights we're getting from Argonne.

12 MR. BASU: Jeff, this is Sud. I'm just going
13 to make a couple of observations on this slide. You are
14 making the point that there would be an upper crust
15 formation that is going to --

16 PARTICIPANT: Cannot hear.

17 MR. BEALL: Can you speak up?

18 MR. BOWMAN: Speak up please, Sud.

19 MR. BASU: Can you hear me now?

20 MR. BOWMAN: Sud, there's a seat over here
21 where we've got a microphone.

22 MR. BASU: That's all right. Can you hear me
23 now?

24 (Off the record comment)

25 MR. BASU: All right, bear with me. I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 moving to a better seat. Okay. This is Sud Basu from the
2 Office of Research. I said that I'm going to make a
3 couple of observations on this slide.

4 Number one, the fact that the upper surface
5 crust will form and that will limit the radiation for
6 radiation heat transfer, and so everything they come a
7 lot on the structure. That's all correct. However, this
8 is -- your conclusion is based on the experimental data,
9 and if you go back to the reports that capture this
10 experimental data, the report also says that at the
11 reactor scale the crust is not going to be stable. So,
12 you do expect that crust to actually break up, provide
13 pathways for the radiation.

14 MR. GABOR: Also pathways for the water --

15 MR. BASU: Pathways for the water.

16 MR. GABOR: -- to penetrate the debris.

17 MR. BASU: Absolutely. And that brings me to
18 the second point on the same bullet, that while you are
19 actually limiting the outboard radiation, you are also
20 tipping the heat underneath that crust which is going
21 to then promote core interaction -- continue to promote
22 core interaction.

23 With regard to the third bullet, water will
24 prevent liner melt through, that is absolutely correct
25 according to that report that you're citing. I would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 make the -- I would note that the report says that you
2 have to maintain a sub margins level of about 70
3 centimeters which is based on a melt height or melt depth
4 of about 45 centimeters. That tells me that you have to
5 maintain a 25 centimeter water depth above the melt, so
6 this is just for clarification.

7 MR. GABOR: Understand. Yes, I mean, I think
8 we need -- and that's why I put the first bullet up
9 there. We have to be clear on what our objective is. Our
10 objective is not so much to terminate the CCI process
11 because that's something controlled by the physics, not
12 necessarily by the amount of water we add.

13 We want to add a sufficient amount of water,
14 and as you've seen or maybe you haven't seen some of our
15 strategies on water management, we believe that, as I
16 think was brought up earlier, things as simple as
17 monitoring the torus level can provide you with a lot
18 of valuable insight as to how effective your debris
19 cooling is. And, again, if you're putting 500 gpm on the
20 debris and the torus level is going up, it's an indicator
21 that some amount of that water is not being effectively
22 used to cool the debris and you, therefore, could back
23 off a little bit without changing the physics of what's
24 going on. But I think you're right. I mean, crust breakup
25 will potentially, like you say, allow for some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 intermittent thermal radiation, but it also is the
2 mechanism by which we effectively cool and quench the
3 debris because the water penetrates in. So, I view crust
4 breakup as a positive thing that is seen in the
5 experiments.

6 MR. BASU: Yes. And maintaining that 25
7 centimeter of water is probably not an issue for most
8 of the plants if you go to the plant geometry.

9 MR. GABOR: Okay, you want me to go on? Next
10 was my liner melt sensitivity. We talked a little bit
11 about this. I basically took a scenario that we had
12 initially run where we had no water injected. At vessel
13 breach the liner melt within 15 minutes was assumed to
14 fail. Wetwell venting or filtering for us in that case
15 would have been meaningless because we created a bypass
16 immediately that would have bypassed our vent, and would
17 have bypassed any associated external filter. Well, the
18 question is what if that time delay was extended, what
19 if that was three hours as in the SECY cases?

20 What we did is we took an extreme look at
21 what if that was extended to a 10-hour delay? You can
22 go to the next chart. So, if we -- we had a scenario,
23 we had a vessel breach with no water injection, no RCIC
24 at all, a vessel breach in the MAAP analysis at five and
25 a half hours. Typically, we would assume that our base

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assumption was liner melt occurred within 15 minutes.
2 What if we delay that 10 hours?

3 The additional time, what we did is we
4 modeled effective wetwell venting during that period of
5 time, so we had pool scrubbing. Our pool is sub-cooled.
6 We could have added an external filter to it, we did add
7 an external filter, you're right. I did, I ran 4 Alpha,
8 so there's assumed decontamination, additional
9 decontamination of 1,000 beyond the pool scrubbing
10 numbers. And we vented at PCPL which occurs very shortly
11 after vessel breach.

12 The next chart just plots out the total
13 cesium release for that scenario. In the blue line, that
14 was our base case where at the time of vessel breach at
15 six hours, you see the puff kind of levels off, material
16 that was previously deposited in the drywell and in the
17 RPV heats up and re-evolves, and is released through the
18 failed containment, the liner melt location. And we get
19 a release just 3.5 percent cesium total.

20 Again, these kinds of numbers and these
21 kind of scenarios are not unlike the types of results
22 both MAAP and MELCOR compute for Fukushima in somewhat
23 similar cases, where this one is focused on the liner
24 melt. If I delay it on the red line I shift that out in
25 time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There are some reasons why these curves
2 don't just track identically beyond that point.
3 Obviously, in the 5-15 hour period I'm scrubbing
4 everything through the filter, so you see the cesium
5 release is zero, essentially zero. And out around 20
6 hours which I have failed the liner at that point, that's
7 when I start to pick up on the deposited radionuclides,
8 in this case cesium is re-evolving, it's heating up in
9 the drywell, heating up in the RPV, and being
10 transmitted out through the liner melt. And again, the
11 kind of consequence differences we would see between a
12 release of 3.5 and 2 percent would be relatively small.
13 So, we don't view that as a kind of large uncertainty
14 that would really alter our conclusions in a large way.

15 MR. ESMAILI: I have a question.

16 MR. GABOR: Yes?

17 MR. ESMAILI: This goes back to the -- to
18 those probabilities that you showed that I'm still
19 trying to understand why the filter has no benefit. You
20 know, you have SAWA, and then you have SAWA plus a
21 filter.

22 MR. GABOR: Yes.

23 MR. ESMAILI: So, at that point you have to
24 have something -- I don't know, I'm just trying to
25 -- you have to have something in the atmosphere, right,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that goes out to the vent that you could potentially
2 filter. So, what is the reason that these curves do not
3 move at all when you add a filter?

4 MR. GABOR: They do move slightly, but I
5 think -- I'll let him chime in but I'll steal Rick's
6 words. What we find with the filter cases is we are
7 filtering an already low release. We get -- agreed, the
8 suppression, and it varies by sequence. If the pool is
9 sub-cooled we get, obviously, as you would, a higher DF
10 than scrubbing through the pool. Even with the pool
11 saturated there is some deposition in containment,
12 there's deposition in the RPV, in the drywell, and
13 obviously in the suppression pool. So, what we see, the
14 reason those numbers don't change, and they do, there
15 are slight variations in the consequences, it's that we
16 are putting a filter on a release that's already low.
17 And it just has an undetectable impact, a delta impact
18 when you get out to things like latent cancer fatalities
19 and the MACRs, and all the consequence parameters that
20 we use to make decisions with.

21 MR. ESMAILI: So, going back to this, the
22 blue line. The blue line you show this puff at liner melt
23 through? At that point, do you open the vent also?

24 MR. GABOR: We did. So, that would have all
25 been filtered. As you can see, there's no release from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 5 to 15 hours, zero in the red line. It's all filtered.

2 MR. WACHOWIAK: But the blue line, the vent
3 does open. In this particular case, as in most of our
4 cases, shortly after vessel breach, five, ten minutes
5 -- actually, in this case it's the liner melt through,
6 15 minutes after the vessel breach there's a hole in the
7 liner, so the material goes out through the hole in the
8 liner. There's no need to vent in the blue line.

9 MR. ESMAILI: So, in the red line case then
10 you open the vent where the blue line goes up, right?

11 MR. WACHOWIAK: Yes.

12 MR. ESMAILI: But you are delaying the liner
13 melt through. Is that what you're saying?

14 MR. WACHOWIAK: That's right. So, we open
15 the vent in the red case and we filter everything that
16 came out in the blue line up to about 15 hours. But then
17 after 15 hours is when we get the new delayed hole in
18 the drywell liner. And then things that re-evolve back
19 into the atmosphere go out through that hole, and they
20 bypass the filter.

21 MR. GABOR: If you jump to my last final
22 slide, what I -- let me finish this and then I'm going
23 to take all your questions. What I did is I went and I
24 looked at SOARCA. You know, what kind of temperatures
25 -- for cases where I don't have SAWA, I don't have water

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 addition, what kind of temperatures in the drywell do
2 I see in the SOARCA analysis? The top plot was the base
3 case SOARCA analysis. C is the red curve, is the area
4 immediately above the drywell floor, so it's getting the
5 highest temperatures as a result of thermal radiation.
6 And you can see at the time of vessel breach -- well,
7 it's an eye chart for me, 18 hours. In this scenario,
8 temperatures jump up to almost -- over 700 K, which is
9 I think if I can do math 800 Fahrenheit. There are very
10 large temperatures immediately seen in the drywell, so
11 if liner melt through didn't occur, the challenge on the
12 drywell would be pretty extreme.

13 The bottom plot here is there was this one
14 peer reviewer who gave -- looked at that top chart and
15 said well, why wouldn't there be mixing, and wouldn't
16 you get some stratification? As a result, the MELCOR
17 model, as some of you know, was altered to represent the
18 potential for natural circulation which we think would
19 occur if that lower part of the drywell was, in this
20 case, at 800K and the bottom part you see is at around
21 500K, you would be promoting a huge amount of thermal
22 plumes and mixing. So, that's what they represented in
23 the bottom chart.

24 And you can see even in that case within a
25 relatively short -- all of those temperatures all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 way up to the drywell head are exceeding 700K, which is
2 800 Fahrenheit. So, temperatures go up. Even if you
3 delay the liner melt you need to consider other
4 potential drywell failure mechanisms that could, again,
5 result in bypassing a vent and bypassing a filter.

6 We don't prescribe that this is a success
7 path because without water addition, we agree that this
8 is the kind of response that you would get in a plant.
9 So, again, it helps to understand is the sensitivity on
10 liner melt through timing really important to our
11 overall conclusion? So, I'm sorry, I'll take questions
12 now.

13 MR. BASU: Thank you. And I agree, by the
14 way. Sud Basu, so I have a couple of simple questions.
15 Number one is how did you model the external filter in
16 your calculation?

17 MR. GABOR: Very simple. We -- in our MAAP
18 analysis we have the capability on any of our junctions
19 to apply a DF, just a reduction factor.

20 MR. BASU: Okay.

21 MR. GABOR: And we applied for the -- and in
22 our cases we did it for -- if you recall, if we don't
23 implement a water management strategy, our typical
24 scenario will start with a wetwell vent, isolate it
25 later, and then subsequent venting is done through the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 drywell, so we have different aerosol sizes, different
2 distributions. But our calculation with external
3 filters would assume that DF of 1,000 would be applied
4 to both of those release pathways, just the vent path.
5 Anything that leaks out, obviously, by passes the
6 filter.

7 MR. BASU: So, for example, large versus
8 small, the different would be the DF value?

9 MR. GABOR: No, not at all. It's a good
10 question. I get that every time, usually from you. So,
11 apparently, I am doing a very poor -- he has -- I am
12 doing a very poor job explaining it. The difference
13 between large and small for us is the capacity to hold
14 aerosol mass and decay heat. But, typically, what we see
15 is the threshold. And in all of our scenarios we see
16 virtually no difference between large and small if we're
17 venting through the wetwell, because the wetwell scrubs
18 out a lot of the aerosol particles. And we end up not
19 that sensitive to loading the filter on an external
20 filter, like I said, because the pool does a good job
21 of scrubbing those particles out.

22 In the scenarios, the 6 Alpha case, and the
23 6 Bravo case where we preferentially vent through the
24 drywell, our small filter is less effective because as
25 you can imagine venting directly from the drywell loads

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the filter a lot more with aerosols and our small filter
2 we actually -- I think we quoted from some of our survey
3 of the data, 160 kilograms as kind of a threshold. We
4 actually do exceed that threshold if we preferentially
5 just vent the drywell.

6 MR. BASU: So, I'm glad that I asked the
7 question again, because if you are venting through the
8 wetwell, you are always scrubbing the pool. So, why
9 would you apply the same DF for the drywell vent and
10 wetwell vent?

11 MR. GABOR: I guess I don't get the question.
12 I mean, we just assume a factor of 1,000 reduction in
13 whatever goes out the vent. As I think you know, less
14 is going to go through -- typically -- well, I shouldn't
15 say that. Because of the pool scrubbing, you expect a
16 smaller quantity of aerosols, radionuclide aerosols to
17 be transferred through the vent line.

18 MR. BASU: That's right.

19 MR. WACHOWIAK: I think what Sud is getting
20 at is the particles that are left going into the filter
21 after the pool scrubbing tend to be the sizes that don't
22 scrub very well in the first place. And we're -- I guess
23 one way of doing that would be, I think kind of what you
24 guys did, is on your wetwell filter you only put 100 DF
25 on it or something. It was an order of magnitude

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different than in the drywell.

2 MR. GABOR: Two.

3 MR. WACHOWIAK: Two orders of magnitude
4 different than the drywell. It's not going to change
5 anything. We're affecting the margins and our results
6 here, anyway, so by giving it the maximum benefit, you
7 know, we see the maximum benefit on the results, so it
8 may be less than that.

9 MR. BASU: Which is really tiny.

10 MR. WACHOWIAK: But then, you know, you've
11 got some of the manufacturers that say they can handle
12 that sort of thing. But, anyway, it's an interesting
13 problem. One way of solving it, or one way of
14 approximating it is what you did. The way that MAAP
15 re-averages the particle size distribution at every
16 time step makes explicitly modeling that not possible
17 at this point, so we would have to do some sort of
18 approximation if we wanted to.

19 MR. BASU: As you said, it really doesn't--

20 (Simultaneous speech)

21 MR. BASU: So, the second question I have is
22 on Slide 28, going back to the MACR.

23 MR. GABOR: The MACR, yes.

24 MR. BASU: I mean, you are showing MACR for
25 base case and in the RPV injection, RPV SAWA. Right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And 5A is the RPV SAWA with --

2 MR. GABOR: Filter, large filter.

3 MR. BASU: The large filter.

4 MR. GABOR: Yes.

5 MR. BASU: I'm assuming you ran cases with
6 the drywell SAWA and all those --

7 MR. GABOR: Yes, yes.

8 MR. BASU: -- for MACR.

9 MR. GABOR: Go back a chart, just go back
10 one. That has all of them. That's the change, that's the
11 delta, but that's the same.

12 MR. BASU: Okay.

13 MR. GABOR: So, yes, those are all of those
14 versions. We just picked two of the to put on that pass
15 chart. That second chart with the red bars, I guess
16 they're red bars, really is to highlight, and you could
17 push it one more time, it's to highlight the fact that
18 seismic has a significant contribution as does the
19 residual liner melt through end states.

20 MR. BASU: But if I'm looking only at the
21 green portion, and if I take the drywell SAWA, would that
22 make much of a difference?

23 MR. GABOR: Again, if we go back to that
24 other one, that would be the place you'd see that kind
25 of variation, so you'd compare like a Two Echo with a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Three Echo, and you'll see some differences. And I think
2 I can almost with my eyes see a slight reduction in the
3 green one versus the blue one with RPV, or drywell
4 injection. And that's consistent with the MAAP plot we
5 showed you of the temperatures.

6 The one thing, and I think your analysis
7 includes this, as well. If we're actually able to
8 implement SAWA prior to vessel breach, or prior to
9 relocation for debris in the lower head there's some
10 likelihood that we can keep it inside the vessel. And
11 for those cases the consequences are notably lower, so
12 that added benefit we had mentioned is that for those
13 -- some of those scenarios, there's obviously some
14 uncertainty there, you at least have the potential of
15 stopping the process before vessel breach.

16 MR. BASU: Thanks.

17 MR. GABOR: That's all I have.

18 MR. BEALL: Okay. Thank you very much. let's
19 take a quick five-minute break. We're going to try to
20 make up some time here. We have one more --

21 MR. WACHOWIAK: Yes, the next presentation
22 is shorter than the one --

23 MR. BEALL: Okay, great. Then we'll do that.
24 So, we'll be back on line at 11:00. Operator, can you
25 please mute all the phones.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Whereupon, the above-entitled matter went
2 off the record at 10:57 a.m., and resumed at 11:04 a.m.)

3 MR. BEALL: Okay. This is Bob Beall, again.
4 I'd like to restart the meeting, and we're going to move
5 on to the second part of the EPRI presentation. And,
6 Jeff, you said you're going to continue on?

7 MR. GABOR: I am. So, again, the reason for
8 splitting these up is basically the EPRI technical
9 evaluation will provide the technical evaluation which
10 essentially computes things like the latent cancer
11 fatality risk, the MACR-type numbers. That information
12 then is transferred to NEI who will perform the cost
13 benefit analysis. So, this presentation has that cost
14 benefit analysis, and then also has the comments that
15 we were requested to provide on the various performance
16 criteria. And we discussed some of those were things
17 that we initially talked about in our very early
18 meetings. They were echoed back to us in the last public
19 meeting, and we were requested to provide some
20 additional feedback, which we're doing.

21 The first thing we looked at was cost
22 benefit, potential cost benefit of just simply the
23 severe accident water addition capability. As I think
24 Rick showed in the figures, the system has to be able
25 to be implemented and operated during a severe accident

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that goes beyond what the current FLEX capability is,
2 and involves things like perhaps hardened pipes,
3 dealing with potentially challenging environments,
4 high rad thermal conditions, so the system -- so there
5 is an additional cost to implement that type of a system.

6 If we look at our base case, and you can go
7 back to the EPRI slides and pull off these -- most of
8 these numbers, but our base case showed us that with
9 severe accident water addition we saw a benefit around
10 \$1 million.

11 One of the sensitivities we're looking at
12 based on feedback from the NRC Staff on -- and I forge
13 where this was. It was in your last presentation, you
14 were talking about looking at changing the dollars per
15 person rem averted from the kind of historical value of
16 \$2,000 a person rem increasing up to a number more like
17 \$5,200. So, if we include that, that obviously will
18 increase the benefit we see from reducing risk. And that
19 takes it up to about \$1.4 million.

20 The third sensitivity that we looked at was
21 the deposition rate. The Peach Bottom model that we got
22 from you that was used for SOARCA had a specific
23 assumption on how rapidly the radionuclides would
24 deposit as you move away from the site in the MACCS
25 calculation. I think it's more near term deposition

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 velocity.

2 In our standard SAMA analysis, we've
3 typically used a value much higher than that. I'm
4 thinking it came from NUREG 1150, but there is a
5 difference in that deposition velocity, and it does have
6 a fairly significant impact on the doses near the site
7 boundary, or near the site. And that can actually
8 -- that sensitivity looking at that range of change
9 there, can take that benefit cost up to around \$2.3
10 million.

11 If you recall, I think we provided these
12 cost estimates to you. Our central cost estimates for
13 SAWA for severe accident water addition range from
14 \$2.5-3.7 million. So, you can kind of see where the
15 numbers line up here. Obviously, we're including SAWA
16 as part of the implementation of EA-13-109, but this
17 just kind of shows how the cost benefit calculation
18 would fall out for that.

19 If you go to the next slide, we do the exact
20 same type of calculation with the same uncertainties and
21 sensitivity analysis for the large -- the delta for
22 adding the large engineered filter, and you can see that
23 there is no cost benefit to implementing the large
24 external engineered filter.

25 We can look at the next slide. If we look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at -- and I'm pretty sure we're looking here at the risk
2 from the latent cancer fatality risk. If we look at a
3 pre-Fukushima type number and make this relative to that
4 so that that's a one value, our implementation of FLEX,
5 and this kind of follows the trend of the previous curve
6 we showed you of the impact that FLEX had on reducing
7 risk. You can see what that comes in, so the -- it drops
8 it by 80 percent or so. If on top of FLEX we also now
9 add the severe accident water addition and the severe
10 accident capable vent implemented under 13-109, you can
11 see the further reduction in consequences in the latent
12 cancer fatality risk. And then, again, if we take SAWA
13 with the filter, again these are very consistent with
14 the other charts we've been looking at, you can see a
15 very marginal reduction in the risk.

16 MR. FULLER: This is Ed Fuller.

17 MR. GABOR: Yes?

18 MR. FULLER: Jeff, is this with respect to
19 the latent cancer fatality?

20 MR. GABOR: I believe so, yes.

21 MR. FULLER: But not some other performance
22 measures --

23 MR. GABOR: No, no. It's the ones we've been
24 looking at. It's latent cancer fatality risk.

25 MR. FULLER: Thanks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GABOR: Next slide. So, the next few
2 slides we just wanted to recap some of the -- some
3 general insights, and then some technical insights. We
4 see that manual actions are needed to manage severe
5 accidents. We need -- obviously, we need things to
6 implement our FLEX strategies. We need to take actions
7 to successfully vent our containment. We need to take
8 actions to initiate and implement our severe accident
9 water addition and water management strategies.

10 We see that proposed guidance in NEI 13-02
11 for implementing the vent order really contains the
12 essential hardware capabilities and the controls for
13 effective accident management. In addition, the SAMGs,
14 the BWRO SAMGs, are the appropriate place, the
15 appropriate vehicle for directing the deployment and
16 the use of these capabilities.

17 Effective actions can really play a key
18 role and influence the accident progression. They
19 affect the ultimate core damage state of the plant, and
20 the source terms that come out of those severe accident
21 evaluations. Without intervention we see things like
22 containment failure can occur, hydrogen deflagrations
23 outside of containment and the adjoining reactor
24 buildings. Case in point, had Fukushima been able to
25 successfully at three of the units successfully vent the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hydrogen to the stack and avoid the release directly
2 into the reactor building, they could have maintained
3 -- potentially maintained some capability to enter the
4 reactor building to help mitigate the events.

5 Specific actions can preserve the
6 integrity of the fission product barriers and greatly
7 reduce the radiological releases. The actions that we
8 take to vent the containment via the wetwell airspace
9 and to provide the severe accident water addition debris
10 cooling are very effective at reducing the releases. And
11 we find in our evaluation that additional hardware, for
12 example, the external filtration capabilities, they can
13 further reduce the radiological releases, maybe more
14 for very specific scenarios than others, but overall
15 provides the minimal safety benefit, and is far, far
16 from being cost-effective, which we believe is
17 consistent with the NRC's assessment.

18 Some of the technical insights, adding
19 -- being able to add water and to vent the wetwell
20 containment provides a lot of multiple safety benefits.
21 It preserves the integrity of the containment by
22 preventing the over-pressure and the over-temperature
23 challenges. It provides water to the core debris that
24 can potentially cool and quench the core debris, halt
25 the core concrete interaction process, and reduce

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- overall reduce the fission product concentrations
2 that are available for release from containment.

3 The vent path and the water avoids creating
4 pathways where hydrogen can leak into the adjoining
5 reactor building, and potentially as we saw at Fukushima
6 cause these deflagrations or detonations. And, overall,
7 these two strategies of venting and water, severe
8 accident water addition have an impact on reducing the
9 overall magnitude of the radionuclide release.

10 A couple of other technical insights. The
11 severe accident water addition, as we said, has the
12 largest benefit of any of the strategies that we looked
13 at. Again, technically, severe accident water addition
14 and the severe accident capable wetwell vent prevents
15 containment failure, increases the margin as we've seen
16 in our safety metrics, it increases the margin to the
17 NRC safety goal, it reduces the release magnitude by
18 enhancing the overall decontamination that the
19 containment provides. It reduces the doses to the
20 public, which is one of the metrics that we were looking
21 at. And in terms of long-term impact offsite, which can
22 include a lot of impacts that any release would have
23 offsite, it can reduce those, as well.

24 We did identify and we discussed that
25 injecting the -- excuse me, adding the water, severe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accident water directly to the RPV may have some
2 advantages over putting it into the drywell. As Phil
3 pointed out, there may be some other tradeoffs and
4 reasons to do one versus the other, but just from a
5 technical perspective as identified in the EPRI work,
6 it does have the potential to preserve the reactor
7 vessel. You can actually have in-vessel retention which
8 is -- basically stops the core damage process in vessel,
9 prevents a lot of the ex-vessel phenomena from
10 occurring, and can overall reduce the potential
11 release. Injecting into the RPV allows the water to
12 follow the debris which can enhance debris cooling, and
13 also minimize the thermal challenges in containment.
14 Next slide.

15 We find -- technically, we find that when
16 we do --

17 MR. ESMAILI: Hossein Esmaili. Just
18 regarding this water addition to the RPV and the drywell
19 in terms of thermal challenges to the upper head, you
20 know, when we inject water into the RPV, a very coarse
21 spray right above the core. Like you still have a lot
22 of structures up there that are potentially hot. And
23 when you inject water into the drywell, it's right at
24 the junction that is -- so, the water really doesn't see
25 the upper structures. Whether it's your steaming inside

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the vessel already, you are steaming outside of the
2 vessel, you know, I mean, we are seeing some differences
3 but the differences should not be that great.

4 MR. GABOR: They're not huge, they're not
5 huge.

6 MR. ESMAILI: Okay.

7 MR. GABOR: If you looked, if you go back and
8 looked at that cumulative probability fancy plot that
9 we put up there, you don't see a real significant impact,
10 not enough where I think either one of them won't be
11 successful in preserving containment integrity. And
12 some of it might be in the ability of the water, and the
13 MAAP model and probably like the MELCOR model, as we cool
14 some of the structures even lower in the RPV, the gases
15 that are circulating around the RPV can -- you do change
16 the heat transfer, and you do reduce even in the upper
17 part of the RPV, you reduce those temperatures, as well,
18 slightly. And if you reduce those upper head
19 temperatures, you reduce the temperature challenge in
20 the upper drywell. But, again, neither one of them we
21 found to change our conclusion that either of those
22 strategies can prevent the thermal failure of the
23 drywell.

24 MR. LANE: This is John Lane. I just wanted
25 to ask a question about severe accident water addition

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and severe accident water management. Have they kind of
2 morphed together a little bit in the sense that
3 eventually you're going to have to do a little bit of
4 management of the flow --

5 MR. AMWAY: I'll take that. This is Phil
6 Amway. The difference really is SAWA is your hardware,
7 you know, your instrumentation, pumps, flow paths,
8 things like that that actually makes where you can get
9 the water into where you want it to go. The management
10 piece is, you know, do I have it at full flow capability,
11 or is it time to throttle it back such that I preserve
12 my wetwell vent path? So, the management piece is really
13 using the SAWA hardware and incorporating the proper
14 procedure controls to say we're going to manage that
15 water addition to make sure we preserve the wetwell
16 head.

17 MR. LANE: So, you really need both.

18 MR. AMWAY: You need both, yes.

19 MR. BOWMAN: This is Eric Bowman. I've heard
20 from some licensees that there is a hardware component
21 to this management, the capability to throttle the flow,
22 because depending on how the implementation is done, if
23 you just go for the severe accident water addition and
24 haven't thought of or planned how you're going to change
25 the flow rates, you may not be able to effectively

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 control it.

2 MR. AMWAY: Yes, there could be some
3 overlap, but predominantly I think of SAWA as hardware
4 and SAWM is the procedures and training aspects of using
5 the SAWA equipment.

6 MR. GABOR: The addition of an engineered
7 filtration system, as we said, it can reduce the
8 magnitude of a controlled release, the release that goes
9 through the vent, but the incremental benefit is quite
10 small, as you saw. The filter is not effective when you
11 do -- when you actually look at the risk profile and you
12 look at the -- at a true overall integrated response of
13 the plant, the filter is not going to be effective in
14 those cases where we have an uncontrolled release that
15 effectively bypasses the vent.

16 Even the addition of an engineered
17 filtration system to the vent line, it actually can
18 increase, and will increase the number of actions that
19 are required to manage the accident. We, obviously,
20 still have to have water addition to keep that
21 filtration system viable, and that requires actions. We
22 believe that there are manual actions that are required
23 to effectively vent the containment even though we did
24 analyze the one totally passive system. And as you saw,
25 the actual -- the core damage frequency actually

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 increased in that case, so there was a downside risk.

2 There's also filter management and
3 maintenance. We haven't really had a lot of discussion
4 of that, but there are -- the various
5 filtering proposals that are out there may involve
6 purging early on, maybe involve preheating, may involve
7 a process later where the collected radionuclides are
8 pumped or drained back into the containment where
9 they're better shielded and protected.

10 And, in addition to that, transferring the
11 source term outside of containment can potentially
12 impact the offsite emergency response that's going on
13 by creating an external source term of radionuclides
14 that could impact the ability to mitigate the event at
15 the site. Next slide.

16 We believe that the severe accident water
17 -- we see from the technical work, the severe accident
18 water management and the vent operation are viable
19 actions, and basically that's being looked at as a
20 potential way to avoid the need to directly vent through
21 the drywell by preserving the suppression pool
22 scrubbing.

23 I will add that in our evaluations both in
24 the work that we're completing for the CPRR and in the
25 previous EPRI technical report on filtering strategies,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we actually found that opening a direct drywell vent
2 path late in the accident had relatively insignificant
3 consequences. By the time you got to that point, enough
4 time had passed that the radionuclides had plated out,
5 and the actual aerosol and radionuclide releases were
6 relatively benign at that point. Part of that is due to
7 the fact that that occurs at a very late time, could be
8 two days, three days into the event. Next, overall
9 conclusions.

10 MR. LANE: Jeff?

11 MR. GABOR: Yes?

12 MR. LANE: One more quick question about
13 that last slide. So, the issue of vent cycling now,
14 you're not really talking about vent --

15 MR. GABOR: We haven't. We looked at that
16 closely in the original report.

17 MR. LANE: It's kind of going down --

18 MR. GABOR: It's kind of going away just
19 because we don't -- we included it in there, but if you
20 look at the relative comparison, it just doesn't show
21 that we have -- now, a specific site may actually
22 already do that. I mean, that may be already part of
23 their accident management strategy, so there's no -- I
24 don't think we see a downside risk of implementing that
25 strategy.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LANE: It just adds operator action.

2 MR. GABOR: It does add, yes.

3 (Off microphone comment)

4 MR. ESMAILI: Hossein Esmaili. Okay, so this
5 is good for fission product, but in terms of hydrogen
6 control, you think that water management would be more
7 beneficial than water addition because you don't want
8 to overcool your containment, you know, like keep it
9 steaming. And I remember during Fukushima, that was one
10 of the concerns, is that these guys were trying to inject
11 just enough water not to condense the steam because they
12 were concerned about some air getting into the
13 containment. So, as long as you have -- you know, if you
14 flood up then you can potentially condense a lot of
15 steam.

16 MR. GABOR: No, I agree. I agree, and
17 that's why our strategy on Severe Accident Water
18 Management really focuses on watching and monitoring
19 the torus level, because I think it's going to be a
20 good indicator of, like you say, whether or not you're
21 putting too much water in that could have the potential
22 of condensing steam, or just enough to where, you know,
23 obviously it would be good to achieve a stable situation
24 where the steam generated is equal to the steam blowing
25 out of the vent, and you're maintaining coverage over

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 top of the debris, because it prevents that negative
2 potential for reduced pressure and containment.

3 So, our overall final, I guess final
4 conclusions we see is the adoption of Severe Accident
5 Water Addition strategy provides the greatest safety
6 benefit and it's the proposed strategy in the NEI 1302
7 guidance in response to particularly Phase 2 Option 2
8 of the ventor, and other alternatives provide a minimal
9 additional risk benefit, risk reduction. We also see
10 that manual actions are going to be required to manage
11 any severe accident. There's no panacea for a passive
12 system where you can walk away; managing the accident
13 is the right thing to do, and that's our conclusion.

14 The next few slides I can get through rather
15 quickly. You had asked us to come back around on, I
16 guess primarily as Sud pointed out, some of the initial
17 thoughts that we had well over a year ago on what a
18 performance measure or performance criteria might look
19 like, and we got some additional feedback from the staff
20 at the last meeting. So what we did is we took each one
21 of the ones identified by the staff and provided some
22 background on what that measure is and what its
23 considerations are, and tried to provide an industry
24 position on it.

25 The first one we talked about was the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conditional containment failure probability; as we
2 said, it measures the containment defense in depth,
3 ability of the containment to maintain its integrity
4 during a severe accident, and the problem with it is that
5 the performance criteria for this--for the conditional
6 metrics are somewhat problematic because they're not
7 absolute; they're conditional on core damage, if you
8 could imagine having a higher core damage frequency and
9 a lower CCFP. So specific criteria really like this we
10 don't think are practical due to the conditional nature
11 of the parameter. It could be used as a reasonable
12 indicator of a defense in depth type measure, but we
13 don't view it as a specific selection criteria for
14 judging an engineered filter or any other filtering
15 strategy.

16 The next slide looks at, we talked early on
17 if you recall, and a lot of our initial calculations
18 focused on looking at the varying decontamination
19 factors. At the time, we picked that because it's a
20 relatively good surrogate for offsite consequences.
21 It's kind of like we use LERF as a measure of risk. So
22 it is a measure of the release reduction; the problem
23 with it is it's very scenario specific. The NRC had a
24 few--I remember a plot where they had DFs for various
25 scenarios, and if you--at first glance, when you look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at that chart, you see there are some cases where the
2 DFs are large, and you see cases where DFs are low.

3 Without putting that into a probabilistic
4 framework, it doesn't provide you with any information.
5 I can surely show you a scenario with a very low
6 frequency that has a very poor DF, just like I can show
7 you one with a high frequency or a low frequency with
8 a higher DF. We don't see how DF can be used because
9 of the sequency dependency, and that you really need to
10 do an integrated probabilistic risk calculation in
11 order to make a determination on what type of
12 containment protection or release reduction strategy is
13 really appropriate.

14 Next one looks at identified by the NRC
15 equipment and procedure availability. I think at one
16 point--again, this was a year ago and that brain cell
17 probably is dead, but we talked about functional
18 capabilities I think, and I think this kind of relates
19 to those early discussions we had. Looking at a
20 specific capability based on--it specifies a capability
21 based on risk insight; it's kind of consistent with what
22 we're doing with 12-049, with mitigation strategies.
23 It's consistent with the original 51, which is the spent
24 fuel pool instrumentation, 13-109, where we're
25 identifying capabilities that we want to see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 implemented, and it's consistent with 10 CFR 5054HH.

2 It's really--it's consistent with past
3 practices for these so-called design beyond design
4 based considerations, where we don't put a 2200
5 fahrenheit criteria on it like we do in DBA space. It
6 is, we think it's a practical measure for implementing
7 something like SAWA or a hardened vent because you can
8 clearly set an objective, a functional kind of
9 requirement for it, but in terms of using it as a
10 performance criteria to decide which is a better
11 filtering strategy or release reduction strategy, it
12 really doesn't provide any help for that. It's a much
13 higher level, more focused on functional response.

14 Next one looks at dose and the total
15 population dose. It is a good figure of merit for
16 looking at public health and safety, and it's already
17 explicitly accounted for in a standard cost benefit
18 analysis. That's what ends up coming into play; it's
19 that person rem that gets input into the NRC methodology
20 on cost benefit. We believe that it's not necessarily,
21 it's not needed in this case as a selection criteria for
22 filtering strategies, and in fact, it would constitute
23 double counting in this case because it is indeed
24 already a specific factor that's imbedded in our cost
25 benefit analysis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The next one that was put out as a potential
2 criteria was the so-called practically eliminate a
3 long-term relocation. It clearly is a measure of
4 offsite land contamination. To a large extent, again,
5 the cost benefit evaluation does include the cost of
6 contaminated land, so that's part of a standard
7 consequence analysis which feeds our cost benefit
8 analysis. So again, our opinion is, our position is
9 that we actually concur with recent Commission
10 positions on this, that it's not a regulatory factor.
11 We believe keeping our focus on public health and safety
12 is the right thing, and again, much like the dose
13 calculation, we've already included that in our cost
14 benefit analysis because it's part of the output we get
15 from Max that tells us what the cost of land
16 contamination is, so it would constitute double
17 counting as well.

18 And then I believe the last one is the
19 margin to the QHO, the quantitative health objective,
20 which was the basis for your determination. We believe
21 it is a good measure of the influence on public health
22 and safety. It's used by the NRC in virtually--in many
23 areas for regulatory basis, it was used in the expedited
24 spent fuel pool transfer as you indicated earlier this
25 morning. It can be a useful screening tool to focus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 directly on public health and safety. Again, it's a
2 good screening tool to find out if these strategies have
3 substantial benefit margin to the QHO.

4 And then finally, we think that the, in
5 conclusion, that the equipment and the procedure
6 availability criteria we'll call it, or performance
7 measure really provides for these beyond design basis
8 kinds of implementation, really does provide a
9 reasonable measure for implementing things like
10 hardened vents and FLEX and SAWAs, severe accident water
11 addition. It's a good mechanism to identify what kind
12 of attributes we expect out of those systems. The
13 margin to the QHO is a very useful screening tool, but
14 ultimately, you know, the cost benefit remains the
15 adequate decision making tool for looking at various
16 alternatives that perhaps don't screen out when you do
17 a QHO-type evaluation. And finally, we do support, as
18 was on your initial slide, codification of the A13-109
19 requirements and the water strategies that we put in the
20 NEI 1302 guidelines.

21 MR. BEALL: Thank you Jeff.

22 MR. CASE: Can I do a quick question about
23 cost? This is Mike Case. Back on the first slide for
24 severe accident water addition, the cost estimate is
25 \$2.5 million to \$3.7 million; can you give me a general

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 idea of what's in that estimate?

2 MR. AMWAY: This is Phil Amway; some of
3 those details are in the information we provided, I
4 forget when. Was it October--in the fall of this year,
5 but at a high level what we were looking at was the
6 modification of the water addition points we use for
7 FLEX to make sure that they were also severe accident
8 capable in terms of being able to get to that connection
9 point in a severe accident, make the connections, and
10 it would involve some level of modification, whether
11 it's valves, piping, that type of thing to make it severe
12 accident capable.

13 MR. GABOR: Again, dealing with high RAD
14 areas and potentially thermal, you know, increase in
15 thermal areas is really what constitutes those costs.

16 MR. WACHOWIAK: This is Rick Wachowiak,
17 and if I remember right, the way that they did that, that
18 included everything, including the procedure changes--

19 MR. AMWAY: That's right.

20 MR. WACHOWIAK: -- and all--

21 MR. AMWAY: We did the estimates--

22 MR. WACHOWIAK: Plus contingency I think
23 is in there.

24 MR. AMWAY: Yes. We did the estimate
25 based on the typical things we would do for any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 modifications. It's the engineering costs, it's the
2 material cost, procedures, training, the whole thing
3 that we'd have to do to go from, you know, the
4 pre-modification state to the post-modification
5 implementation and testing.

6 MR. GABOR: It didn't--and we saw a similar
7 presentation from the staff I think in a previous
8 meeting; what it doesn't include is any regulatory costs
9 associated with that. We didn't factor that in.

10 MR. MOHSENI: I had a question; this is Aby
11 Mohseni. Going back to your conclusion page, there
12 were two conclusion pages; the first one. The adoption
13 of severe accident water addition strategies
14 providing the greatest safety benefit; is that more or
15 less a euphemism that we use for substantial safety gain
16 and substantial safety benefit, that this actually
17 meets that? Is that what you're saying?

18 MR. GABOR: No.

19 MR. MOHSENI: What are you actually saying
20 here?

21 MR. AMWAY: This is Phil Amway, and going
22 back to the other charts that we saw, where you know,
23 you saw FLEX made a big change in core damage frequency,
24 and then the next slide where SAWA, once you get beyond
25 core damage, that SAWA made the best improvement

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 compared to any of the other things that we do, whether
2 it's water management, filters, so on, et cetera.
3 We're not trying to equate it to any regulatory
4 framework and how to assess that, it just that the
5 options that we looked at, SAWA provided the best
6 overall improvement in plant performance. I think
7 slide 4 in this presentation gives you an overview of
8 it, too.

9 MR. GABOR: Yes, the other one in the EPRI
10 here earlier, EPRI presentation I'm looking on slide 12,
11 we had--in this case it was specific to just the
12 conditional containment failure probability, but we
13 found that if we implemented severe accident water
14 addition, all of the alternatives pretty much sought a
15 common reduction in risk, and that the differences among
16 some of the vent cycling or RPV versus dry well
17 injection, even water management, and then including
18 filters, their deltas were all fairly small. The big
19 deal came from the SAWA.

20 MR. BOWMAN: That's slide 24 you mean,
21 right? There are several slides that show the same
22 figure?

23 MR. GABOR: Yes, yes.

24 MR. BOWMAN: This is Eric Bowman; I've got
25 a question for you, Randy. On the final set of insights

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and conclusions, the conclusion slide you say you
2 support the codification of 13-109 requirements and the
3 water strategies. On slide 6 for this one, as the final
4 bullet, you've got the BWR Owner's Group, SAMGs, and by
5 that I presume you mean the EPG/SAG is the appropriate
6 vehicle to directing the deployment and the use of it?

7 MR. BUNT: Yes.

8 MR. BOWMAN: If we do wind up making the
9 requirements, including the severe accident water
10 addition management generically applicable in the
11 rulemaking, what do you see as being the posture of the
12 EPG/SAG? Because to date, it hasn't been docketed by
13 the owner's group.

14 MR. BUNT: This is Randy Bunt. What I
15 would anticipate would be the criteria that we would
16 have guidance in our procedures that direct severe
17 accident water addition and severe accident water
18 management, and then the utilities would submit and have
19 it available for review the sections of those guidance
20 documents that would lead to that. That would be how
21 I would envision that would play out. That's the intent
22 that we see in 1302, the guidance for that, where we talk
23 about having the procedural direction to do that type
24 of function. So I wouldn't see the whole--all of the
25 guidance of Rev 3 fall in that purview, even though by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the time we get here, the current mitigating strategies,
2 discussion of that topic I know is subject to backfit
3 and other evaluations of the mitigating strategies, so
4 I imagine that's part of where your question is coming
5 from, but it may or may not fall out of that rule.

6 MR. BOWMAN: I'm just curious for--because
7 I'm also working on the mitigation beyond design basis
8 eventual rulemaking, and we have to consider what do we
9 do for regulatory guidance for severe accident
10 management guidelines in general.

11 MR. BUNT: Correct.

12 MR. BOWMAN: If they become a requirement,
13 how do we point to the owner's group guidance documents,
14 or do we point to the owner's group guidance documents,
15 and what level of review would be appropriate. Is it
16 the intent to extract the information on the severe
17 accident water addition and water management from the
18 EPG/SAG--

19 MR. BUNT: No--

20 MR. BOWMAN: --and provide that for some
21 form of review and approval, or how do you envision that
22 happening?

23 MR. BUNT: We have not discussed that yet.

24 MR. BOWMAN: Okay.

25 MR. BUNT: At the minimum, it would be that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you would be looking at how sites individually implement
2 that. We would like to do as much of that generically
3 as possible; that's been our focus on this order and
4 this rule, is to address those generically and have
5 single reviews of process by the utilities, and we want
6 to continue that mind set here, so however we could do
7 that, and maybe it would be an excerpt, maybe it would
8 be a workshop, maybe--there would be some way that we
9 would follow up with that engagement and making that
10 information transparent for the regulator and for the
11 utilities to be able to review it. We really haven't
12 gotten to the detail level of that because it's on the
13 proprietary nature of overall guidance, so that's why
14 I'm a little hesitant on exactly that.

15 MR. BOWMAN: I completely understand, and
16 we're struggling with the path forward with the other
17 rulemaking as well, so. But any insights you've got--

18 MR. BUNT: But as a minimum I would
19 expect--how I would envision that news would go out is
20 that we would have criteria that plants would submit
21 that section of their guidance and probably flow chart
22 elements of that that would get you there, and that would
23 be subjected to part of the compliance documentation for
24 the rule, and that would be subject to the future
25 inspections for compliance under the rule to keep it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going. That's kind of how I would envision that would
2 work at a plant specific basis, but to give you the right
3 background and to make it more generically reviewable,
4 there's something we would do early on in both houses
5 to be able to make that happen the most cost-effective
6 way.

7 MR. BOWMAN: Thank you.

8 MR. MOHSENI: Again, going back to your
9 slide 21, the conclusions you draw. Cost benefit
10 remains an adequate decision making criteria. You
11 know, what you did appears to be the quantitative
12 assessment in a cost benefit analysis. Did you come
13 across any features that were not quantifiable and yet
14 relevant?

15 MR. GABOR: I guess within the context of
16 a cost benefit analysis, I would say no. I mean I think
17 we pretty much followed what we all do on license renewal
18 and on SAMA; we followed the same process. We look at
19 the--obviously we feel you have to--you should look at
20 the uncertainties, and we think there's--the insights
21 and conclusions are robust, there's enough margin there
22 that those uncertainties don't change the overall
23 conclusion.

24 MR. MOHSENI: Appreciate it, thank you.

25 MR. BEALL: Okay, at this time I'd like to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 open the meeting to the public and other stakeholders
2 to provide an opportunity to us for input of questions.
3 Please remember to speak loud enough to ensure that
4 those on the phone can hear you, and to identify yourself
5 and any group you are with. I'll first open the floor
6 up to participants in the room, and then on the phone.
7 While we listen to the questions and comments for those
8 in the conference room and on the phone, if you're
9 participating by the webinar and have a question or
10 comment, please type it into the chat function of the
11 webinar, and this will give Glenna enough time to
12 collect your questions. So I'd like to start with
13 comments here in the room.

14 MR. GUNTER: Yes, my name is Paul Gunter
15 with Beyond Nuclear. So I'd like to follow up on the
16 last question, and Mr. Gabor's response, because here
17 is our bone of contention, that the staff in its
18 deliberations through SECY 2012-0157 looked at the
19 issue both quantitatively and qualitatively, and in no
20 uncertain terms concluded that there was a cost
21 benefitted substantial safety enhancement, and they
22 used what we saw as a full equation. In a dissenting
23 vote, or I should say a supporting vote on SECY
24 2012-0157, Chairwoman McFarland noted that the staff
25 did not use half the equation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so you know, what we've seen here today
2 I don't think disputes the fact that if you go the
3 quantitative route, you are using half the equation, and
4 SECY 2012-0157 determined that if you go that route,
5 it's not cost beneficial. But because of the large
6 uncertainties that the backfit rule and all the
7 supporting NRC guidance as we read it and as best as I
8 can understand it support the incorporation of both
9 quantitative and qualitative assessments in such a
10 critical issue as severe accident mitigation and the
11 alternatives.

12 So given all of that, first question. How
13 is it that the staff now dismisses the expert opinion
14 and the independent expert opinion that could be gained
15 to further enlighten what we see as a clear and genuine
16 dispute here between what the staff concluded and was
17 well documented in 0157, and the conclusion here that
18 NEI and the owners groups don't find any qualitative
19 factors that would influence the alternatives? So I
20 mean there's a striking contradiction here, and it
21 appears that the staff is embarking on contradicting
22 itself by shutting down the rulemaking process, where
23 you could in fact elicit and enlighten this dispute
24 through incorporation of, you know--for example, did
25 you use, did you look at the National Research Council

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the National Academies Appendix L, which looked at
2 the cost benefit for severe accident mitigation, and
3 determined that NRC has to open it up more.

4 You used the Peach Bottom reference, a \$6
5 billion SOARCA cost analysis, where the National
6 Academies points out the real factor is now surpassing
7 \$200 billion with Fukushima. So there's again this
8 conflict between theory and reality, and the fact that
9 you're closing out the rulemaking to that kind of
10 enlightenment is very, very egregious. It does not
11 serve building confidence in this agency, and it does
12 not serve any sense that these reactors are safer
13 because you have theoretically diminished the defense
14 in depth that staff sought to build in 0157. So how are
15 you justifying removing expert opinion now at this
16 critical juncture, particularly when you have
17 contentious views even within these--on the SAWA
18 meetings. You know, I've been sitting in on some of
19 these, and they've been contentious. I mean, it's
20 suppressed, but if you read between the lines, there's
21 not agreement, and that may iron out, but it's not a
22 smooth operation particularly for eliminating public
23 comment.

24 So how are you going--you know, what
25 justifies first of all removing the public and removing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the qualitative argument? Are you actually going to go
2 back and deconstruct 0157 now? I mean, I think that
3 the, you know, if you look at the ACRS meetings, if you
4 look at the depth and breadth of the SECY itself, you're
5 obligated to go back and make some explanations now on
6 why none of that counts. You know, why--how can you
7 erase that without going back and in this future paper
8 that you're now to present to the Commission, I think
9 you have an obligation to now deconstruct your own
10 analysis and afford what was determined to be a
11 cost-benefitted, substantial safety enhancement. You
12 folks need to be really careful and considerate right
13 now, because this is a very critical juncture for the
14 agency, for the industry, for public health and safety,
15 and that's a big, big, big deal.

16 MR. MOHSENI: Just--if I may add just a
17 point to that. And thank you, Paul; you make good
18 points. Just--the rulemaking process is, as you know,
19 folks have been participating in these public meetings,
20 and this is one of them.

21 PHONE PARTICIPANT: Could you speak up,
22 please?

23 MR. MOHSENI: Yes, the rulemaking process
24 that we have obviously has opportunities for engagement
25 with the stakeholders, and this is one of them, and a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 part of the rulemaking process includes a reg
2 analysis, regulatory analysis that will inform the
3 decision. You don't know actually what the outcome of
4 a rulemaking is unless you actually do the regulatory
5 analysis to understand the pros and cons of what options
6 you have and what values you gain. And so this is part
7 of that process. It's not a foregone conclusion;
8 ultimately it's the Commission that decides where to go,
9 and clearly the staff will develop its perspectives
10 based on the information it gathers and it's not unusual
11 for differing opinions to all be on the table; it's a
12 healthy discussion.

13 We don't expect everyone to line up
14 necessarily if there are challenges, and we'll pursue
15 that. This is no exception; we will follow our
16 disciplined process and I appreciate Paul's comments
17 obviously. We'll abide by that. I just wanted to add
18 those comments.

19 MR. GUNTER: So will you deconstruct 0157?

20 MR. MOHSENI: It's--we're still
21 developing it. It's not--this is part of that process
22 of learning more. The analysis that was done by the
23 staff since the Commission directed us to go proceed
24 with rulemaking, the TRA that was done is informing us.
25 It's not--we would not have done it if we already knew

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the answer. If the answer was that simple, you wouldn't
2 go through the process of trying to understand various
3 alternatives and where the value is. So the answer, we
4 don't have an answer that--deconstructing is not
5 necessarily the way I would characterize it, but
6 certainly having an open mind to asking ourselves are
7 we doing the right thing for the right reasons, and we'll
8 just--the staff perspective is one of the elements that
9 the Commission will have before it, ACRS will have its
10 own opinion that advises the Commission, and obviously
11 this is transcribed, this meeting, so it's all on the
12 table, and we'll have--it's not an easy decision as you
13 can tell.

14 None of these decisions generally end up
15 being extremely simple that you don't need a process of
16 deliberations amongst the staff, amongst the
17 stakeholders to fully appreciate the magnitude of the
18 decision and its implications for going forward, and
19 we'll do our best, as you mentioned. It's not a matter
20 of deconstructing, it's more a matter of continuing to
21 understand more about the implications. And we don't
22 know where it's going to end up, the Commission will have
23 its ultimate opinion on it, and we will provide as much
24 as we can information that's available for them to make
25 that decision.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BEALL: Okay, thank you Aby. Are
2 there any additional questions in the room? Okay, I'd
3 like to move to the phone next. Is there anybody on the
4 phone who would like to have a question?

5 MS. GOTCH: Paula Gotch from GRAMMES. In
6 listening to your presentation, it occurred to me, it's
7 like Fukushima never happened. Everything is based on
8 models and theory, a lot of it. What Fukushima proved
9 and is still proving as I understand it is these models
10 did not play out as expected. It's as if the faith in
11 the models continues despite the fact that the models
12 didn't really answer many of the questions of what
13 happened in Fukushima.

14 For instance, the MACCS program there.
15 They said that there would not be a hydrogen explosion
16 at a certain time in one of the reactors right at the
17 time the explosion occurred. The MELCOR, all the
18 MELCOR predictions, not all of them, but some of them
19 could not explain what happened. Since we really have
20 not analyzed Fukushima fully because we can't even get
21 into some of these buildings, it seems to me you're
22 basing your very assured, technical presentation on
23 models that did not work out at Fukushima. And I heard
24 in your October meeting, I heard one of the engineers
25 say "Now of course if I had an engineered-hardened vent,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I wouldn't have to worry about all of this, but in lieu
2 of that, this is all the stuff I would do." And since
3 the filtered vents are used all over the world, I don't
4 see--it is incredulous to say to me that it doesn't
5 matter that we put them on or not.

6 In terms of the cost benefit analysis, I
7 just heard somebody say we're figuring \$2,000 a person.
8 I just read somewhere recently the Highway Department
9 says between \$6,000 and \$8,000 a person they put a value
10 on human life. Can't the nuclear industry be at least
11 as, you know, treasure a human life to raise it from
12 \$2,000 when you're figuring out how it's not worth it
13 to bother? Just look at what happened at Fukushima in
14 terms of the water management. There was a problem
15 evidently with the readings they were getting. They
16 were thinking they had a certain level of water, and they
17 were way off. It was very difficult while the accident
18 was going on to really know what the water level was.

19 And so I'm going to stop there, but all I'm
20 saying is you speak with great assurance about something
21 that to me has no basis of experience except Fukushima,
22 and in Fukushima the models did not work out. Thank you
23 for your time.

24 MR. BEALL: Thank you. Operator?

25 OPERATOR: Yes?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BEALL: Can we--we just got three
2 beeps, does that mean the--

3 OPERATOR: Yes, I found a line and I muted
4 it.

5 MR. BEALL: Okay. All right, thank you.
6 Any other questions on the phone?

7 MS. LAMPERT: Yes.

8 MR. BEALL: Can you state your name please
9 and organization?

10 MS. LAMPERT: Yes, this is Mary Lampert
11 from Pilgrim Watch. To follow up on the importance of
12 including both quantitative and qualitative, before the
13 Senate EPW meeting with NRC a few weeks ago, that was
14 brought up. Both Commissioner McFarland and
15 Commissioner Baran spoke very strongly of the
16 importance of qualitative assessment. The question
17 here, however, is the adequacy of the quantitative
18 analysis that has been done and in a short period of
19 time, but it is clear that it's totally insufficient.

20 For example, you mentioned--and if I'm
21 incorrect, please correct me--that you were not
22 considering land contamination, you are only looking at
23 public health. Well that is an absurd statement on its
24 face, because land contamination effects human health
25 from resuspension and ingestion. You're narrowing the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 impact of human health as I understand it, only to fatal
2 cancers, ignoring long term incidents, ignoring other
3 radiation-linked disease as discussed in BR7. You are
4 also not looking at the external cost to individuals
5 from health affects; you are also not basing the risk
6 on low dose, on current assessments from BR7, from
7 Cardis studies of workers, from the Techa River studies
8 by Christina, and if you look at the Candace and Techa
9 studies, you'd see one cancer death per 100 rem, which
10 is considerably different from what is assumed in your
11 analysis.

12 By using the MELCOR analysis, you are
13 incorporating into the analysis all the flaws of that
14 model. A, the meteorological input is a straight line
15 Gaussian plume, inappropriate for many of the reactors
16 that would benefit from a filter that are in coastal
17 areas or by large water bodies. There's not discussion
18 of how you average probability; the code gives a choice
19 from a mean to 95%. We have no--I assume that clean up
20 and decommissioning methods were the same as in the MACC
21 code, which is hosing and plowing, which is not clean
22 up.

23 Were aqueous discharges considered in your
24 analysis? Because as releases wind up in a water body,
25 they also then wind up on beaches, become airborne, or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 into the food supply, et cetera. Before the ACRS, you
2 talked about looking at impact only to 10 miles; where
3 is the lead shield at 10 miles? That ignores a great
4 unknown, what the meteorological conditions are at the
5 time of the release. We certainly can bring some more
6 concentrated release beyond 10 miles.

7 Also, you pointed out that you assume 95%
8 were available--able to evacuate. Where does that come
9 from, where we know the bases for that are the extremely
10 flawed ETE, which is under review in a 2.206 petition
11 that has been ongoing since 2013. You talked about
12 FLEX; one minute it's 60% effective I heard during this
13 conversation, then now we're talking about 80%; it all
14 rests on the human factor. We have a contention up here
15 in Massachusetts about the absurd Rube Goldberg method
16 that Entergy is using to provide supplemental water,
17 which you would give that a zero likelihood of being
18 effective.

19 So we're going through the analyses, which
20 we would like to have the quantitative analysis made
21 public so independent analysts can look at it and see
22 the multiple flaws, and then add to the flaws of your
23 quantitative, which is your justification for not doing
24 a complete analysis, we would add the absence of a
25 qualitative analysis. What this is is starting with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the answer that industry does not want to pay for
2 filtration. Many of these Mark I reactors, because
3 they're located in deregulated environments and not
4 making money, they don't know how long they're going to
5 follow the Vermont Yankee route, so why get involved in
6 spending more money. So the staff acquiesces,
7 backtracks, and comes up with a bogus quantitative
8 analysis, gobbly gook, to save industry money. That's
9 the bottom line, which is the bottom line. End of
10 comment.

11 MR. BEALL: Okay, thank you Mary. Is
12 there anybody else on the phone who would like to say
13 something?

14 MR. FREEBAIRN: Yes, hi, this is Bill
15 Freebairn calling from Platts; I have some questions.
16 I'm trying to determine in the explanation of the staff
17 evolving position whether the conclusion that there's
18 not a substantial safety benefit to ordering filters,
19 what baseline is that compared to? Is that versus no
20 severe accident capable event, or is it versus the 15
21 events as they exist today?

22 MR. MOHSENI: Generally--this is Aby
23 Mohseni. Generally, the comparison is with the
24 performance criteria in here, which is the QHOs,
25 qualitative health objectives. At this stage, that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the level of analysis that we have so far that would
2 indicate that the quantitative analysis does not
3 indicate that we are gaining any significant health
4 benefits from the analysis done so far under
5 conservative assumptions. Did you want to add any--

6 MR. FREEBAIRN: So there's no substantial
7 safety benefit either, right?

8 MR. BOWMAN: I think he was asking what the
9 baseline for that determination was, and the baseline
10 would be with the requirements of the mitigating
11 strategies order EA-12049 being implemented as well as
12 the severe accident capable hardened venting system for
13 Mark I and Mark II BWR containment licensees with severe
14 accident water addition. Is that correct? This was
15 Eric Bowman, by the way.

16 MR. FREEBAIRN: Yes, I mean I do want to
17 know what the--I mean, if you're saying that something
18 has no substantial safety improvements, you're saying
19 that that is versus some other condition.

20 MR. BOWMAN: Yes, that's--the baseline--

21 MR. FREEBAIRN: Yes, so the other
22 condition is they've already installed severe accident
23 capable hard fence, and you've got the water addition;
24 is that correct?

25 MR. BOWMAN: That's correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FREEBAIRN: And so is it correct also
2 that this analysis is only--is done before you get to
3 a backfit analysis, right? So you're not--you're
4 proposing not to perform a backfit analysis?

5 MR. MOHSENI: Well, the steps are, you
6 know, if there is a substantial safety benefit, then you
7 do a cost benefit analysis as part of the backfit to see
8 if it pans out. If it doesn't, then obviously you
9 recommend to the Commission the results of that.

10 MR. FREEBAIRN: Sure, so it would be
11 correct to say that if the staff does in fact
12 recommend--conclude that there's no substantial safety
13 benefit to this, that they would probably recommend not
14 proceeding--they wouldn't proceed to a backfit or a cost
15 benefit analysis?

16 MR. MOHSENI: That's correct, you
17 wouldn't--

18 MR. FREEBAIRN: That you would not get to
19 the point where you would consider qualitative factors,
20 I assume?

21 MR. MOHSENI: Well no, that's--

22 MR. FREEBAIRN: That the qualitative
23 factors thing is related to the backfit analysis, right?

24 MR. MOHSENI: Not--no, actually you do
25 consider qualitative considerations as well. So the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussion so far has shown that in the context of
2 quantitative analysis, which is something that
3 everybody was focusing on and emphasizing and
4 recommending, and there are directions to us to kind of
5 put more emphasis on quantitative analysis to support
6 decision-making as opposed to quickly jumping to
7 qualitative considerations. But there are cases where
8 qualitative considerations are part of that process.
9 That's what--

10 MR. FREEBAIRN: But they can't--so they
11 haven't--but they can't have an impact on your decision
12 on whether something is a substantial safety--

13 MR. MOHSENI: Oh yes they can. They can.

14 MR. FREEBAIRN: Yes?

15 MR. MOHSENI: Depending on the nature, you
16 know, for example, on security issues, it's very hard
17 to quantify gains and benefits, so we heavily rely on
18 qualitative assessments to reach a decision about
19 proceeding with rulemaking in the area of, say emergency
20 planning or--

21 MR. FREEBAIRN: So in this specific case,
22 you've decided the qualitative factors were not
23 sufficient to recommend rulemaking?

24 MR. MOHSENI: Well we're not there yet, but
25 we're working as you can hear from the discussion today,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we are really exploring to ensure that we have at least
2 the quantitative part understood. Whether or not--as
3 when the staff proceeds with its efforts, we'll learn
4 more about what other considerations--as I said at the
5 beginning in my opening remarks--other considerations
6 will have to come in if they are relevant. And that's
7 the question I asked at least from the stakeholders who
8 made their presentations, where there are any areas that
9 might have been relevant and yet not easily
10 quantifiable, so therefore, we would take those into
11 considerations. We would be welcoming any, you know,
12 in our public discussions, if there are some qualitative
13 considerations that some stakeholders believe ought to
14 be considered, we'd be open to listening to those and
15 taking those under consideration.

16 MR. FREEBAIRN: But you said--it's been
17 said that the staff is pretty much going to recommend
18 that no rulemaking go forward, so it would seem like
19 you've already prejudged that.

20 MR. MOHSENI: Not quite. We are--you know
21 the process is going to inform us as we deliberate
22 further with the staff after listening in and reaching
23 out to the stakeholders, and internally have some
24 internal deliberations with our internal stakeholders
25 as to what are the factors before us, and to what extent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have we been able to quantify those factors, and to what
2 extent there are considerations that haven't been
3 quantified that need to have some qualitative
4 considerations. So we're not there yet, although the
5 information, at least quantitatively, is suggesting
6 that quantitatively, we're not going to be able to
7 justify moving forward, but that's the quantitative
8 side. As I said, it doesn't tell you much about whether
9 or not we've really completed listening more to each
10 other, the stakeholders, to find out if there are any
11 other features relevant to informing the decision
12 making process for rulemaking. If there are other
13 factors that we need to consider and include in our
14 future SECY paper to the Commission, and let the
15 Commission make the final call.

16 MR. FREEBAIRN: Of course. And so are
17 you--but the decision that you're coming to in the
18 quantitative analysis you're coming to is that the
19 conclusion in the regulatory analysis of SECY 12-0157
20 were incorrect; isn't that true?

21 MR. MOHSENI: Not exactly. You know, one
22 could have an oversimplification of the process. You
23 know, the fact the SRM says consider rulemaking, the
24 word "consider rulemaking" means begin to explore.
25 Begin to explore what appears on the surface that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 may end up somewhere, but it's not a foregone conclusion
2 where you end; you have to actually do the process, go
3 through what you heard today; there's a lot of work
4 that's gone into this. The staff has--

5 MR. FREEBAIRN: No, I'm saying that the
6 regulatory analysis of SECY 12-0157 doesn't--it says
7 pretty conclusively that there is a substantial safety
8 benefit and proceeds to have access to the shelters.

9 MR. MOHSENI: Well we offered that to
10 the --as the Commission SRM directed us to consider
11 rulemaking with the conditions that they had in their
12 direction to the staff. And so obviously, you know, the
13 process of rulemaking involves a deliberate decision
14 making process to consider all the pros and cons and
15 options available, and that's part of the job and
16 reaching out to the stakeholders to get insights as
17 part of that process, and it's not a foregone conclusion
18 where we end up. That's--I don't know if I can tell you
19 anything more about the process. You know, we're
20 learning a lot in the analysis that has been done by both
21 the staff and stakeholders; we're asking hard questions
22 to fully understand the implications of what we're
23 learning. We're not dismissing what we're learning,
24 but it's not a foregone conclusion where the Commission
25 will end up on this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. FREEBAIRN: I understand, but is it
2 possible that because you're analyzing the benefit of
3 just the filters versus the hardened vents, that your
4 analysis is somewhat different from that in SECY
5 12-0157, which was analyzing filters on hardened vents
6 versus nothing?

7 MR. MOHSENI: As you can see, now we have
8 insights that we didn't have back then. The analysis
9 is available to us, at least to this stage,
10 quantitatively, that is informative to us. We cannot
11 ignore what we have learned, and what it does to our
12 going forward depends on what other features are there
13 that need to be considered in going forward, and what
14 we ultimately--the staff's perspective will be shared
15 with the Commission, and the decision is ultimately that
16 of the Commission.

17 MR. FREEBAIRN: All right. Thank you very
18 much.

19 MR. MOHSENI: You're welcome.

20 MR. BEALL: Are there any more questions on
21 the phone?

22 MR. BROWN: Yes, this is Jeffrey Brown from
23 Grandmothers, Mothers and More for Energy Safety in New
24 Jersey. I would like to know what value the staff would
25 put on human life that would make this change

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 worthwhile. If one looks at the cost of caring for
2 cancer, you're looking at tens if not hundreds of
3 thousands of dollars. If one looks at any legal
4 settlement of somebody injured for loss of employment,
5 heaven help us if it's a hedge fund manager, but you're
6 talking hundreds if not millions of dollars. so at what
7 point can the staff use a different figure for running
8 the same calculation and determining whether or not it's
9 really cost effective? Thank you.

10 MR. MOHSENI: You know, I don't have the
11 document, I know we are working on revising the document
12 that actually has the person rem value involved, and as
13 it was indicated, it used to be \$2,000 person rem, that's
14 different than life. And it's important to note that
15 we didn't--and that has been revised to \$5,200 if I'm
16 not mistaken, and that's a person rem value, and that's
17 for large population exposure. That's one way of
18 assessing impact. It is related to public health and
19 safety--okay.

20 MS. INVERSO: This is Tara Inverso from the
21 rulemaking branch. What Aby is talking about is the
22 dollar per person rem conversion factor, which we are
23 still developing here at the staff level at the NRC.
24 But when that is updated, it will be issued in the form
25 of a new reg, it will update the previous new reg on it,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and right now we're developing the draft reg. I believe
2 the schedule is you get that out for public comment about
3 mid-calendar year 2015 time frame, so the public will
4 definitely have a chance to submit formal written
5 comments on that, and we'll likely have a public meeting
6 on that, too.

7 MR. MOHSENI: Thank you. Thank you for
8 that clarification. Appreciate it.

9 MR. BEALL: Okay, any more questions on the
10 phone?

11 MS. GOTCH: I just have a statement to
12 make, or maybe it is a question. Paula Gotch again. I
13 know that you like to say that these are public meetings,
14 and therefore the public is involved in all this
15 process, but you know, 20 minutes at the end of a meeting
16 or whatever, I would not call that meaningful
17 involvement. My question is, you have the NEI and the
18 EPRI presenting this long thing. Where is the process
19 where you get independent scientists and independent
20 experts to look at this and go over it, and have input?
21 I don't mean just a letter that someone can stick in a
22 file drawer and forget; I mean meaningful decision
23 making impact.

24 The reason I'm saying this is it feels like
25 to me the NRC, commissioners and all, are making

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 governmental policy decisions. In other words, what's
2 safe enough for you, great unwashed out there. What is
3 safe for you? That to me, since government is to
4 protect people, that's a policy decision, and it seems
5 like right now, the industry and the utilities and the
6 NRC are making those kinds of civic decisions, and I
7 really don't feel that a lot of people on the phone lines
8 feel they are really involved in a big way in deciding
9 this. We kind of feel like I'm sorry, with all the
10 reassurances you've given, we've been working with the
11 NRC for over 10 years now, and practically everybody
12 else on the phone line maybe longer.

13 We have found out that it's kind of a game;
14 you let us say what we want, you pick the experts, other
15 experts chime in, and then you go ahead and do whatever
16 the Commission decides anyway, and God knows how they
17 make their decisions. So all I'm saying is if you say
18 oh, well this is something that clearly is decided with
19 the public, that is really not--well it's not
20 what--Steven Colbert would call it truthiness. It
21 doesn't feel like the real truth. Thank you for your
22 time.

23 MR. BEALL: Okay, any other comments on the
24 phone? Hello?

25 MR. ROTHSTEIN: Yes, Rich Rothstein here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I emailed in a question, but I didn't know if it got to
2 you. I just saw repeated with an email. I'm just
3 wondering about the concept of ALARA as low as
4 reasonably achievable, does that apply just really to
5 routine plant releases? What about ALARA for potential
6 populated accident releases, and shouldn't ALARA
7 involve cost benefit considerations as I've heard
8 today?

9 MR. BEALL: If you typed in a question in
10 the webinar, can you please just ask the question now
11 on the phone line?

12 MR. ROTHSTEIN: I'm not sure I'm
13 following. I--Rich Rothstein, I just asked the
14 question that I typed in, because I wasn't sure if you
15 saw it typed in when I sent it.

16 MR. MOHSENI: And perhaps if we have your
17 email, we can get back to you on answering that question.
18 I'm looking around and I don't see an ALARA expert in
19 the room here, but it's a good question, and can we have
20 your email address so we can respond back to you?

21 MR. BEALL: Or actually, he can send the
22 question to me--

23 MR. ROTHSTEIN: I think the NRC will have
24 it, because I did register for this webinar, so I
25 provided my email address there rather than reading it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 over the phone right now.

2 MR. MOHSENI: Got it. Got it.
3 Appreciate it, and we'll get back to you on the answer
4 to that.

5 MR. BEALL: Okay, actually why don't you
6 send--can you send your question to me? This is
7 Robert.Beall.

8 MR. CASE: Rich, this is Mike Case; let me
9 just give you a partial answer. The way I internalized
10 your question was is there an equivalent concept to
11 ALARA when we're doing rulemaking, and the answer is no,
12 there's not a formal corollary to ALARA when we're doing
13 rulemaking, but when you hear us talk about qualitative
14 factors, that's sort of a similar type concept. So
15 we'll do all the numerical things that we can do, and
16 then we compare it to the criteria, and then the process
17 allows us to think about and involve qualitative
18 factors. So that's probably the closest conceptual
19 corollary to what you're asking. So when you hear the
20 folks talking about qualitative factors, they're really
21 talking about are there other things that we should take
22 into account to make the situation better. So that's
23 sort of the short answer to your question.

24 MR. BEALL: Okay. Is anybody going to
25 bring up any other questions?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BOWMAN: How does ELAP--

2 MR. BEALL: Sud, can you read that?

3 MR. BOWMAN: It says how an ELAP due to a
4 loss of grid from a security event factoring into your
5 NEI analysis, and if I was to answer the question, I
6 would say that we do not quantify security events for
7 our probability of occurrence, so it wouldn't have been
8 taken into account, but was the EPRI or NEI analysis,
9 did you guys quantify any security events?

10 MR. BEALL: I don't think so.

11 MR. BOWMAN: Okay. Can you try another
12 one? What level of HRA was done for the SAWA management
13 strategies?

14 MR. MOHSENI: Can you read the question
15 aloud so everyone hears?

16 MR. BOWMAN: I just read it aloud. The
17 question there is what level of human reliability
18 analysis was done for SAWA management strategies?

19 MR. STUTZKE: We're not discussing that
20 yet.

21 MR. MOHSENI: We basically are not
22 planning to do intense HRA analysis for the rulemaking;
23 the reason for that was the slide that was put up there,
24 we did a very conservative screening of the
25 consequences, the gains, and under those circumstances,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we saw that the substantial safety gains were not
2 justified, and therefore any more refinement of the
3 analysis, which then would get into an HRA would only
4 widen the gap between the QHOs and where the benefits
5 are. And because we couldn't justify it, even at the
6 conservative level, we did not--we are not recommending
7 to do any detailed HRA.

8 MR. BEALL: Okay. Is that the last of the
9 questions? Okay. I want to thank everyone for their
10 participation today. As I mentioned earlier, the
11 meeting slides will be on regulations.gov within three
12 business days, and the meeting summary from today with
13 the transcript will be within 30 calendar days. Please
14 remember to search for them on regulations.gov, and our
15 docket ID there is NRC-2013-0075.

16 MR. BUNT: I have one comment I'd like
17 to--this is Randy Bunt again. We know in the previous
18 schedule, we talked about there was a draft regulatory
19 basis due December of 2014; are we saying that COMSECY
20 is going to be that structure, or is there going to be
21 another document out for review?

22 MS. INVERSO: This is Tara Inverso from the
23 rulemaking branch, and that draft regulatory basis that
24 was being published for comment was an internal metric.

25 MR. BUNT: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. INVERSO: Our first milestone is the
2 final regulatory basis due in September 2015, so as we
3 develop the SECY paper and pending the Commission
4 direction on that, we'll provide updates on scheduling
5 for any documents that are out for public comment.

6 MR. BUNT: Right. Thank you.

7 MR. BEALL: Okay. Also, if you haven't
8 signed in if you're in the room here with the attendance
9 sheet, please do so before you leave. Thank you very
10 much, and--

11 MS. GIBSON: Excuse me, can I ask a
12 question?

13 MR. BEALL: Sure. Can you state your name
14 and your organization?

15 MS. GIBSON: Yes, Kathy Gibson. The
16 question about the HRA was for industry, not for the NRC.
17 I know the answer for the NRC.

18 MR. BEALL: Okay, thank you Kathy. Okay,
19 this meeting is adjourned. Thank you very much for
20 being here.

21 [Whereupon, the proceedings were concluded
22 at 12:28 p.m.]

23

24

25