

UNITED STATES NUCLEAR REGULATORY COMMISSION ADVISORY COMMITTEE ON REACTOR SAFEGUARDS WASHINGTON, DC 20555 - 0001

March 6, 2015

MEMORANDUM TO:	ACRS Members
FROM:	Michael R. Snodderly, Senior Staff Engineer /RA/ Technical Support Branch, ACRS
SUBJECT:	CERTIFIED MINUTES OF THE MEETING OF THE FUKUSHIMA SUBCOMMITTEE ON NOVEMBER 20-21, 2014

The minutes for the subject meeting were certified on February 6, 2015, as the official record of the proceedings of that meeting. Copies of the certification letter and minutes are attached.

Attachment: As stated

cc with Attachment: E. Hackett M. Banks

cc w/ Attachment: ACRS Members



UNITED STATES NUCLEAR REGULATORY COMMISSION ADVISORY COMMITTEE ON REACTOR SAFEGUARDS WASHINGTON, DC 20555 - 0001

MEMORANDUM TO:	Michael Snodderly, Senior Staff Engineer
	Technical Support Branch
	Advisory Committee on Reactor Safeguards

- FROM: Stephen P. Schultz, Chairman Fukushima Subcommittee Advisory Committee on Reactor Safeguards
- SUBJECT: CERTIFICATION OF THE MINUTES OF THE ACRS FUKUSHIMA SUBCOMMITTEE ON NOVEMER 20-21, 2014

I hereby certify, to the best of my knowledge and belief, that the minutes of the

subject meeting on November 20-21, 2014, are an accurate record of the proceedings for that

meeting.

/RA/

February 6, 2015

Date_

Stephen P. Schultz, Chairman Fukushima Subcommittee

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS MINUTES OF THE ACRS FUKUSHIMA SUBCOMMITTEE MEETING NOVEMBER 20-21, 2015

The ACRS Fukushima Subcommittee held a meeting on November 20-21, 2015 in TWFN 2B1, 11545 Rockville Pike, Rockville, Maryland. The meeting convened at 8:32 a.m. on November 20, 2014 and adjourned at 4:44 p.m. on November 21, 2014.

The entire meeting was open to the public.

Dr. Edwin Lyman of the Union of Concerned Scientists made a presentation which is described in further detail in the summary portion of these minutes. No other written comments or requests for time to make oral statements were received from members of the public related to this meeting.

ATTENDEES

ACRS Members

Stephen P. Schultz, Chairman Ron Ballinger, Member Dennis Bley, Member Charles Brown, Jr., Member Michael Corradini, Member Harold Ray, Member Joy Rempe, Member Peter Riccardella, Member Michael Ryan, Member Gordon Skillman, Member John Stetkar, Member

ACRS Consultant

William Shack, Consultant

NRC Staff

Michael Snodderly, Designated Federal Official Ed Hackett, Executive Director Stewart Bailey, NRR Jeremy Bowen, NRR Eric Bowman, NRR Jack Davis, NRR Clint Ashley, NRO Sud Basu, RES Howard Benowitz, OGC Tony Brown, NRR Andy Campbell, NRO Patrick Castleman, OCM Yas Hsien Chang, RES Theresa Clark, NRO Antonio Dias, NRO Michael Eudy, NRO

Ken Erwin, NRO Rocky Foster, NRO Mike Franovich, NRR Ed Fuller, RES Lauren Gibson, NRR Anne Marie Grady, NRO Tara Inverso, NRR Diane Jackson, NRO Lauren Kent, NRO John Lehning, NRR Shanlai Lu, NRO Tim Lupold, NRR Mike Markley, NRR John McKirgan, NRO Jeff Mitman, NRR Lynn Mrowca, NRO Charles Murray, NSIR Ryan Nolan, NRO Eric Oesterle, NRR Mark Orr, RES Malcom Patterson, NRO Bo Pham, NRR Marie Pohida, NRO **Bill Reckley, NRR** Tim Reed, NRR Carla Rogue Cruz, NRR Jeff Schmidt, NRO Suzanne Schroer, NRO Ken See, NRO Courtney St. Peters, NRO Angelo Stubbs, NRO Summer Sun, NRR George Tartal, NRO Jenny Tobin, NRR Sunil Weerakody, NRR Robert Weisman, OGC Sheena Whaley, NRR

Other Attendees

Phil Amway, Nine Mile Point Scott Bauer, NEI Jana Bergman, Curtiss-Wright/Scientech Dan Brush, Exelon Randy Bunt, SNC/BWROG Gene Eimar, Palo Verde Patrick Fallon, DTE Energy Kurt Flaig, Dominion Bryan Ford, Entergy Terri Forthing, GEH David Gambrell, Southern Nuclear John Giddens, Southern Nuclear Bob Ginsberg, Duke Greg Hatchett, Areva Scott Head, NINA Dennis Henneke, GE Hitachi Lesa Hill, SNC/BWROG Tom Jackson, Rizzo Associates Steven Kraft, NEI David Llewellyn, Duke Energy Ed Lyman, Union of Concerned Scientists Nick Pappas, NEI Sue Perkins-Grew, NEI David Petro, First Energy Joe Pollock, NEI Michael Powell, Arizona Public Service Palo Verde Jim Riccio, Greenpeace Jim Riley, NEI Steve Swantner, Westinghouse Mike Tschiltz, NEI Bill Webster, Dominion David Young, NEI

SUMMARY

The purpose of the meeting was to review the staff's proposed COMSECY, "Integration of Mitigating Strategies for Beyond-Design-Basis External Events and the Reevaluation of Flooding Hazards," draft proposed rule language for the mitigation of beyond-design-basis events rulemaking and supporting documents and guidance. The meeting transcripts are attached and contain an accurate description of each matter discussed during the meeting. The presentation slides and handouts used during the meeting are attached to these transcripts.

SIGNIFICANT ISSUES NOVEMBER 20, 2014	
Issue	Reference Pages in Transcript
 S. Bauer of NEI introduced the panel of industry representatives that would describe their experiences responding to Order EA-12-049, "Requirements for Mitigation Strategies for Beyond-Design-Basis External Events." 	9-11
2. G. Eimar described Arizona Public Service's experience responding to Order EA-12-049 at Palo Verde.	12-106
3. G. Eimar defined the problem as developed in NEI 12-06.	13
4. Member Ballinger asked if the functional recovery box on Slide 5 would lead one to the FLEX procedure. G. Eimar responded that functional	52

recovery does not take the operator directly to the FLEX procedure, but	
there is a section that directs you to the blackout procedure which then	
directs you to the FLEX Support Guideline.	
5. Member Bley asked if the Severe Accident Management Guidelines	
recognized the existence of the FLEX equipment. G. Eimar responded that	94
they don't now but they will. He then used refilling the steam generators as	04
an example where specific FLEX equipment will be referred to.	
6. B. Webster described Dominion's experience responding to Order-EA- 12-049 at North Anna.	107-178
7. Member Bley pointed out the prevalence of color blindness in individuals and the possible impact on color coded connections.	119
 Member Stetkar asked about flow testing of FLEX Connections. B. Webster responded that they had not done actual flow testing but the connections were hydrostatically tested. 	125
9. B. Webster described the qualifications of FLEX equipment, including seismic qualifications, in response to questions from Chairman Schultz and Member Stetkar.	130
10. Member Skillman asked about transporting FLEX equipment that cannot be delivered by a tractor trailer.	137
11. Members debate the validity of the assumption that all power is lost but it is not attributed to any specific external event.	165
12. Member Corradini asked about the importance of the condensate storage tank for BWRs.	174
13. P. Amway described responding to Order-EA-12-049 at Nine Mile Point Unit 1 and 2.	179-214
14. Member Bley asked about emergency condenser performance.	184
15. D. Brush presented the status of the National SAFER Response Centers and the role they play in licensees' response to Order-EA-12-049.	215-265
16. D. Brush stated that all flex equipment is specified to not exceed 8,500 lbs. He further stated that commercial helicopters have about a 70-mile round trip capability with this load.	240
17. D. Brush is asked about how hazardous conditions created from an external event will be handled.	250
18. M. Powell reminded the Committee that all FLEX strategies can be met with Phase II equipment that is on site and that Phase III equipment from the National SAFER Response Centers is for defense in depth.	259
19. M. Powell confirmed that the staff and Arizonia Public Service are coordinating an ACRS visit to the SAFER Response Center in Phoenix, Arizona.	265
20. J. Davis, JLD Director, makes an opening statement and introduces the staff presenters.	267-268
6. J. Bowen presented how the NRC staff reviewed licensee responses to the order and the NRC staff's plans for final close-out of the order.	269-308

7. Chairman Schultz asked how many plants have requested relaxations from the December 2016 deadline for complying with the order.	271
8. Member Ray emphasized J. Bowen's point that it is not only multiple additional sources of long-term decay heat removal but diverse methods. That these multiple diverse methods are not equal.	277
9. Chairman Schultz asked how the staff determined when the site was ready for the on-site audit.	285
10. Member Skillman asked how licensees can make changes to their integrated plan if they find a strategy requires modification.	289
11. Member Corradini asked about maintenance and training after the staff makes it safety finding on the order.	294
12. Member Rempe asked about the relationship between the licensee and a commercial entity, like Fedex, that is credited by the licensee for meeting the order and eventually the rule.	304
13. S. Bailey presented alternative approaches. Some licensees proposed approaches not described in NEI 12-06.	309-335
14. S. Bailey discusses the staff's review of RCP seal performance on extended loss of AC power.	312
15. Consultant Shack asked how the staff assesses the use of equipment qualified for design basis accidents for beyond design basis events.	318
16. Chairman Schultz asked about assurance that the equipment can be placed in service.	324
17. S. Bailey discussed the review of instrumentation to support the Order EA-12-049.	329
18. Member Rempe asked how the staff is addressing differences in identified needed instrumentation. She gave the example of water level in the RWST.	332
19. E. Bowman discussed the staff's evaluation of the feasibility and reliability of manual actions.	336-359
20. Member Stetkar asked if the staffing reviews were being done on a per unit or a per site basis.	342
21. Chairman Schultz asked about ensuring credited actions after the validation.	348
22. Member Stetkar asked if the staff had seen any plants with only motor operated isolation valves on their normal let-down lines with relief valves that go back to other places upstream of the next available isolation valve.	355
23. Industry panel on plans for addressing confirmatory and open items and experience gained from the staff's interim evaluations.	360-391
24. Chairman Schultz asked about the pedigree of calculations used to support the licensee's integrated plans.	373
25. Chairman Schultz asked how the potential cause of the ELAP and loss of ultimate heat sink was considered. More specifically, how an external event may impact implementation of the integrated plan.	378

26. Member Skillman asked how much drilling of the integrated plan is too much such that it is a distraction.	384
27. Chairman Schultz asked fellow subcommittee members for comment.	392
28. Chairman Schultz adjourned the meeting.	395

SIGNIFICANT ISSUES NOVEMBER 21, 2014		
Issue	Reference Pages in Transcript	
1. A. Mohseni, Deputy Director, Division of Policy and Rulemaking, makes an opening statement and introduces the staff presenters.	9-10	
2. T. Reed discussed the preliminary proposed rule language that was made publicly available on November 13, 2014.	11-107	
3. T. Reed described the overall objective of the proposed rule.	12	
4. In response to a question from Chairman Schultz, E. Bowman commented that the filtering strategies issue is so integral to the SAMGs that perhaps it should have been included in this consolidation.	17	
5. Chairman Schultz asked about requirements for the spent fuel pool at a decommissioned plant once all fuel has been transferred from the reactor to the spent fuel pool.	21	
6. Member Ray asked whether given that this would be a beyond-design- basis rule if anybody sees this changing the design basis. E. Bowman responded that one of the fundamental reasons for Order EA-12-049 was recognition that there can be uncertainties in calculating hazards from external events.	29	
7. E. Bowman commented that one challenge of promulgating a beyond- design-basis rule is whether this equipment could be credited as part of the significance determination process. Member Rempe asked about possible enforcement of the preliminary rule.	33	
8. Members Stetkar and Corradini questioned the preliminary rule language that equipment must be reasonably protected from the effects of severe natural phenomena that are as severe as the design basis external events in the licensing basis for the facility.	47	
9. E. Bowman said that the staff limited the preliminary rule to design basis external events because of how they interpreted the Commission's direction to SECY 11-0093. In that SRM the Commission directed the staff to address beyond-design-basis events as part of Recommendation 1.	49	

10. Chairman Schultz commented that the Commission has recognized that	
our regulatory process is fundamentally sound and that plants are	
fundamentally safe. This proposed rule is to codify that there are things	<u> </u>
that we can do to respond to beyond-design-basis events. Member Brown	60
expanded upon this concept and he questioned enveloping the event and	
scope of equipment.	
11. Member Stetkar asked about plants that are taking actions to respond	
to the design basis expectation and what if this design-basis expectation	66
changes as a result of the reevaluated hazard.	
12. Member Riccardella asked if this rule as written would have allowed the	
licensee of Fukushima Dai-ichi to install the required equipment at the	71
same elevation as their existing diesel generators.	
13. Member Skillman asked about the proposed training requirement and	
its interface with EOPs and explicitly calling out beyond-design-basis ELAP,	77
EDMGs, and the SAMGs.	
14. G. Tartal from the Office of New Reactors presented the proposed rule	04.05
language for Paragraph D, "New Reactors."	81-85
15. Member Stetkar asked about ELAP evaluations for non-passive new	
reactor designs that incorporate batteries and therefore require load	82
shedding.	
16. T. Reed resumed the generic presentation with a discussion of drills	
and exercise requirements in Section F. T. Reed then proceeded to	86
discuss change control.	
17. Chairman Schultz pointed out that the proposed requirement is not like	
an emergency planning situation where any degradation to the program	
needs to be reviewed and evaluated; rather, a licensee could change the	89
program, not get review and evaluation, as long as long as they meet the	
requirements.	
18. Member Bley asked why there was not a statement establishing the	
synergy between FLEX equipment and the severe accident management	97
guidelines.	
19. E. Fuller discussed the five additional candidate high-level actions to	
the EPRI Technical Basis Report in support of the severe accident	102
management guidelines.	
20. B. Reckley presented the draft white paper on the integration of	108-120
mitigating strategies and the reevaluation of flooding hazards.	100-120
21. Member Ray commented that mitigating the consequences of	
something that you can't make some change to prevent may be okay given	
whatever probability you want to assign to it but preventing it from	114
happening in the first place is clearly what has traditionally been viewed as	
the better choice.	
22. Member Skillman agreed with Member Ray and argued that an option	
should be offered that provides the opportunity to adjust your design basis	115

or screen out events when addressing Recommendation 2.1.	
23. B. Ford, Senior Manager of Regulatory Assurance at Entergy, presented an industry perspective on the draft rule language for mitigating beyond-design-basis events.	121-131
24. Member Stetkar questioned B. Ford whether or not he was changing his original position. Member Stetkar recalled that the original approach was not to define a specific hazard but to provide systems and processes that are not specific to a given hazard. He asked whether specific strategies were being defined for a site-specific hazard.	128
25. R. Bunt, Southern Nuclear and Chair of the BWR Owners' Group Fukushima Response Committee, discussed whether the FLEX equipment credited in responding to Order EA-12-049 would have prevented the events at Fukushima Dai-ichi.	131
26. M. Lewis expressed his concerns with the spent fuel pool at San Onofre.	132
27. Chairman Schultz introduces the NRC staff with differing views.	134
28. S. Schroer presented 12 concerns of some non-concurring staff on the white paper. Two main concerns are the white paper approach will not systematically cover flooding protection of safety related equipment and the white paper approach results in non-safety-related mitigating strategies for reevaluated flooding hazards.	135-154
29. S. Schroer stated that the white paper approach assumes that the NRC already knows which plants will require additional action. She referred to Page 2 of Enclosure 1 of the white paper which says the NRC staff does not expect the reevaluated flood hazard for most plants to affect the design-basis flood against which safety-related SSCs would need to be protected.	143
30. S. Schroer responded to Member questions on the criteria for plants screening out of the process. The letter on trigger conditions for performing the integrated assessment was mentioned (ML12326A912). The trigger letter says these are the conditions by which you have to do an integrated assessment.	145-150
31. J. Mitman presents the reevaluated hazard results from three plants.	155-194
32. Member Bley asked where in the draft white paper it says you don't need an integrated assessment if you can demonstrate that FLEX will work, no matter what is going on with the flood.	162
33. In response to question from Member Bley, S. Schroer quoted from Enclosure 2 on the first page, "focusing the flooding reevaluations on the SSCs serving key safety function within the mitigating strategies requirements will, in many cases, improve the efficiency of the NRC's	168

regulatory process by eliminating the need for a broader assessment of the	
plant response, as described in current plans and staff guidance for	
integrated assessment.	
34. K. See mentioned the deferment letter (ML14303A465).	170
35. G. Holahan presented the concerns of three managers in the Office of New Reactors with the draft SECY paper on integration. He said the draft SECY will have important implications for not only flooding, but it has implications for future decisions because it relates to the relationship between or among adequate protection, design-basis, beyond-design-basis events and how decisions are made in the light of new information.	195-218
36. Members Skillman and Corradini asked about non-safety-related system or collection of systems, intended for beyond design-basis events that could be used to compensate for potential weaknesses in or even non- compliances with flooding design-basis protection requirements.	203
37. Member Ray asked G. Holahan where backfitting would show up in his approach. Chairman Schultz asked G. Holahan to distinguish between reevaluated seismic and flooding events.	209
38. Member Bley questioned whether the integrated assessment, which is a graded approach, wouldn't provide that kind of information G. Holahan was advocating for.	214
39. E. Lyman of the Union of Concerned Scientists presents his comments on the draft white paper on integration.	219-235
40. Member Ray asked for E. Lyman's opinion on an assessment of external events every ten years.	233
41. Chairman Schultz requested comments from interested members of the public.	236-243
42. Chairman Schultz asked fellow subcommittee members for comment.	244-263
43. Chairman Schultz adjourned the meeting.	263

Documents provided to the Subcommittee

- 1. ACRS Letter, "Proposed Rulemaking on Station Blackout Mitigation Strategies," June 17, 2013 (ML13161A247)
- 2. Letter from R. W. Borchardt, EDO, "Response to ACRS Regarding Proposed Rulemaking on Station Blackout Mitigation Strategies," August 1, 2013 (ML13189A125)
- 3. NRC Whitepaper/COMSECY, "Integration of Mitigating Strategies for Beyond-Design-Basis External Events and the Reevaluation of Flooding Hazards." (ML14314A063)
- 4. Letter from NRR/NRO Directors to All Power Reactor Licensees and Holders of Construction Permits in Active or Deferred Status, "Request for Information Pursuant to

Title 10 of the Code of Federal Regulations 50.54(f) Regarding Recommendations 2.1, 2.3 and 9.3 of the Near-Term Task Force Review of Insights From The Fukushima Daiichi Accident, dated March 12, 2012 (ML12073A348)

- Letter from Nuclear Energy Institute (NEI), Tony Pietrangelo to Chairman Macfarlane, "Integration of Mitigating Strategies with Reevaluated External Hazards Information," dated November 4, 2014 (ML14309A544)
- 6. Letter from Chairman Macfarlane to Senator Dianne Feinstein, response to a recent GAO study entitled "Natural Hazard Assessments Could Be More Risk-Informed" dated July 30, 2012 (ML12192A057)
- 7. Commission Paper SECY-11-0124, "Recommended Actions to be Taken without Delay from the Near-term Task Force Report" dated September 9, 2011 (ML12192A057)
- 8. Preliminary Proposed Rule Language, "Mitigation of Beyond-Design-Basis Events Rulemaking," dated November 12, 2014 (ML14316A297)

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards Fukushima Subcommittee

Docket Number: (n/a)

Location: Rockville, Maryland

Date:

Thursday, November 20, 2014

Work Order No.: NRC-1230

Pages 1-607

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1323 Rhode Island Avenue, N.W. Washington, D.C. 20005 (202) 234-4433

	1
1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + +
4	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
5	(ACRS)
6	+ + + +
7	FUKUSHIMA SUBCOMMITTEE
8	+ + + +
9	THURSDAY
10	NOVEMBER 20, 2014
11	+ + + +
12	ROCKVILLE, MARYLAND
13	+ + + +
14	The Subcommittee met at the Nuclear
15	Regulatory Commission, Two White Flint North, Room
16	T2B1, 11545 Rockville Pike, at 8:30 a.m., Stephen P.
17	Schultz, Chairman, presiding.
18	
19	
20	
21	
22	
23	
24	
25	
	NEAL R. GROSS

1	COMMITTEE MEMBERS:	
2	STEPHEN P. SCHULTZ, Subcommittee Chairman	
3	RONALD G. BALLINGER, Member	
4	DENNIS C. BLEY, Member	
5	CHARLES H. BROWN, JR. Member	
6	MICHAEL L. CORRADINI, Member	
7	HAROLD B. RAY, Member	
8	JOY L. REMPE, Member	
9	PETER C. RICCARDELLA, Member	
10	MICHAEL T. RYAN, Member	
11	GORDON R. SKILLMAN, Member	
12	JOHN W. STETKAR, Member	
13		
14	ACRS CONSULTANT:	
15	WILLIAM J. SHACK*	
16		
17	DESIGNATED FEDERAL OFFICIAL:	
18	MICHAEL R. SNODDERLY	
19		
20		
21		
22		
23		
24		
25		
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433	1_1 4

2

		3
1	ALSO PRESENT:	
2	EDWIN M. HACKETT, Executive Director	
3	PHIL AMWAY, Nine Mile Point	
4	STEWART BAILEY, NRR	
5	SCOTT BAUER, NEI	
6	JEREMY BOWEN, NRR	
7	ERIC BOWMAN, NRR	
8	DAN BRUSH, Exelon	
9	JACK DAVIS, NRR	
10	GENE EIMAR, Palo Verde	
11	KURT FLAIG, Dominion	
12	BRYAN FORD, Entergy	
13	JOHN GIDDENS, Southern Nuclear	
14	TOM JACKSON, Rizzo Associates*	
15	DAVID LLEWELLYN, Duke Energy	
16	MIKE POWELL, Palo Verde	
17	BILL WEBSTER, Dominion	
18	*Present via telephone	
19		
20		
21		
22		
23		
24		
25	T-A-B-L-E O-F C-O-N-T-E-N-T-S	
	NEAL R. GROSS	
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701	(202) 234-4433

	4
1	Opening Remarks and Objectives
2	Stephen Schultz5
3	Industry Experience With Order EA-12-049
4	Scott Bauer10
5	Gene Eimar
6	Industry Experience With Order EA-12-049
7	Scott Bauer
8	Dan Brush
9	NRC Review Methodology for Evaluating Licensee
10	Responses to Order EA-12-049
11	Jack Davis271
12	Jeremy Bowen
13	Industry Plans for Addressing Confirmatory and
14	Open Items
15	Adjourn
16	
17	
18	
19	
20	
21	
22	
23	
	NEAL R. GROSS

	5
1	P-R-O-C-E-E-D-I-N-G-S
2	8:32 a.m.
3	CHAIRMAN SCHULTZ: This meeting will now
4	come to order. This is a two-day meeting of the
5	Advisory Committee on Reactor Safeguards, the
6	Fukushima Subcommittee.
7	I'm Stephen Schultz, Chairman of the
8	Subcommittee. Members in attendance today are Pete
9	Riccardella, Ron Ballinger, Dick Skillman, Harold Ray,
10	Dennis Bley, John Stetkar, Michael Ryan, Joy Rempe and
11	Mike Corradini. Our consultant from our ACRS
12	Chairman, Dr. Bill Shack, is on the line.
13	The purpose of today's meeting is to
14	discuss industry and staff experience in implementing
15	Order EA-12-049, order modifying licenses with regard
16	to requirements for mitigation strategies for
17	beyond-design-basis external events.
18	Today's discussions will assist in
19	preparing the Subcommittee for our agenda tomorrow.
20	That will include our review of two related activities:
21	The NRC staff and industry will discuss first the
22	staff's preliminary proposed rule language for the
23	mitigation of beyond-design-basis events rulemaking.
24	And then the staff's draft white paper on the
25	integration of mitigation strategies for

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	6
1	beyond-design-basis external events with the
2	reevaluation of flooding hazards.
3	Mr. Mike Snodderly is the designated
4	federal official for this meeting.
5	We've received no written comments.
6	We have arranged for Dr. Ed Lyman of the
7	Union of Concerned Scientists to make an oral statement
8	to the Committee which has been scheduled for tomorrow
9	afternoon.
10	This meeting is open to the public and with
11	the exception of portions that may be closed, if
12	necessary, to protect information that is unclassified
13	safeguards information pursuant to 5 U.S.C.
14	522B(c)(3), it is our understanding that today's
15	presentations and its material does not contain such
16	information. We're going to rely upon the presenters
17	to notify us if our questions may stray into material
18	which may contain unclassified safeguards information.
19	We do not want that material to be disclosed. If we
20	run into questions that may pursue that discussion, we
21	can establish a closed session within the meeting.
22	The Subcommittee intends to gather
23	information, analyze relevant issues and facts and
24	formulate proposed positions and actions as
25	appropriate for deliberation by the Full Committee.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

7

Rules for the conduct of and the participation in this meeting have been established in the Federal Register as part of the notice for this meeting.

A transcript of the meeting is being kept 5 and will be made available as stated in the Federal 6 7 Register notice. Therefore, we request that when 8 addressing the Subcommittee all participants will use 9 microphones that are located throughout the meeting 10 room. All participants should first identify 11 themselves and speak with sufficient clarity and volume 12 so that they may be readily heard. Also, we now request you to silence your cell phones or any other electronic 13 14 devices that may disrupt the meeting. Ι 15 understand that there are individuals on the bridge 16 line who are listening in on today's proceedings. То 17 effectively coordinate their participation in this 18 meeting we will be placing the incoming bridge line on 19 mute so that those individuals may listen in during the 20 At appropriate times later in the discussions. 21 meeting we will provide the opportunity for public 22 comment from individuals on the bridge line, as well 23 as from members of the public in attendance.

We'll now proceed with the meeting. And I want to go over the agenda briefly again to just

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

24

25

1

2

3

4

describe at some level of detail what we're intending 1 to do today. 2 Today we have the discussion from members 3 of the industry regarding mitigating strategies in 4 response to the direction that was provided by the 5 Commission in 2012. The industry and the NRC staff 6 7 have been working together to move forward on 8 implementing these strategies and developing the 9 processing of doing so. We're going to hear about that 10 today first from the industry. Then we will hear from the staff about their views on how this overall program 11 12 is progressing. Tomorrow, as I indicating in the opening 13 14 remarks, we're going to be discussing the next stage 15 of the program, which is rulemaking to codify the 16 process that will be used to move forward and set a 17 regulatory program in place to establish this within 18 the overall regulatory framework. There are some other issues that we will 19 20 be discussing tomorrow. As I indicated, there are some 21 policy associated with issues how mitigating strategies can be utilized, will be utilized with 22 regard to determining how regulatory policy will be 23 24 established for issues such as the beyond-design-basis 25 events such as flooding or seismic events. We also are

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

8

	9
1	going to be discussing various viewpoints associated
2	with the implementation of mitigating strategies in the
3	future.
4	We'll now proceed with the meeting today.
5	I'm going to call on Scott Bauer of the Nuclear Energy
6	Institute to open the presentations today and focusing
7	on the ongoing development and implementation
8	strategies.
9	Scott, some members of the Committee over
10	the past two years have seen mitigating strategies at
11	the plant sites. We have visited the Peach Bottom site
12	as a Full Committee to meet with the staff there last
13	year. And this year we met with the staff at Palisades
14	in Region III. This is the first opportunity the
15	Committee has had to see the progress that's made its
16	way to this point, so we're looking forward to the
17	presentations today.
18	As you and the panelists make your
19	presentations this morning, if you could first
20	introduce yourself, your position, a few sentences of
21	your background and what you're going to be presenting
22	today as an introduction to the Committee, I would
23	appreciate that.
24	So, Scott, why don't you begin?
25	MR. BAUER: Okay. Thank you. Again, my
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	10
1	name is Scott Bauer. I'm a loaned employee at NEI from
2	Palo Verde Nuclear Generating Station via the STARS
3	Alliance. I was actually at NEI during the time of the
4	Fukushima event and was asked to be the project manager
5	for FLEX or mitigating strategies. And when I went
6	back to Palo Verde in July of last year, I retained that
7	role. So I'm basically a virtual loaned employee at
8	NEI continuing in the role as FLEX project manager.
9	So what we're going to do this morning,
10	first of all, through the years that we've been doing
11	this, we've been surrounded by a team of very talented
12	industry people, some of which are sitting here before
13	you today and some of which are in the audience out
14	there. So we've had some of the best in the industry
15	working on this issue and we believe we've developed
16	a process and a product that is going to serve us very
17	well going forward.
18	So what we're going to do today is to
19	my right is Gene Eimar. He's a shift manager at Palo
20	Verde. He's going to give us a depiction of what this
21	event would look like, an extended loss of AC power
22	event would look like from a control room standpoint
23	and actually walk through the event and how the
24	procedures would be deployed in the case of the event.
25	So that will give you kind of a hands-on look at what

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	11
1	it would actually look like if this were to occur.
2	Next Bill Webster, who's from Dominion.
3	He is the Fukushima lead there. And they just
4	implemented at the North Anna plant, so he's going to
5	talk about the experience of actually implementing the
6	strategy and going live with it.
7	Similar, Mike Powell will be up here
8	probably after the break and he's from Palo Verde.
9	He's the Fukushima lead there. And similarly they are
10	now live with the strategy at Unit 1 at Palo Verde.
11	Phil Amway is from Nine Mile Point. He's
12	going to give us so Bill is going to talk about what
13	it looks like to implement this involving the
14	strategies, the modifications, training, all the
15	aspects of it. Phil is going to talk about the
16	differences between a BWR and a PWR, essentially what
17	the differences are and the implementation for that.
18	And then finally we'll have a presentation
19	by Dan Brush, who is the lead for our implementation
20	of our National SAFER Response Centers.
21	So we have an ambitious schedule here;
22	there's quite a few slides involved, but I think as we
23	go through this hopefully we'll be able to make it
24	through all these presentations. We do have a couple
25	of videos that we might stick in here at points in time

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	12
1	that show some of the validation activities at Palo
2	Verde. And then we have one of a control room exercise
3	where they actually did an extended loss of AC power
4	event at a BWR control room that we would include in
5	here if we have the time to do that.
б	So that's essentially the flow we're going
7	to go through this morning.
8	CHAIRMAN SCHULTZ: I did want to interrupt
9	you just for a moment and indicate to members in the
10	discussion on the bridge line that we did not have the
11	slides available online this morning. If you would
12	like to get a copy of this morning's slides, I would
13	request that you email Michael Snodderly,
14	M-I-C-H-A-E-L, dot, S-N-O-D-D-E-R-L-Y, @nrc.gov. And
15	over the course of the morning Mike can provide you
16	those slides. Thank you.
17	Scott, sorry for the interruption, but go
18	ahead.
19	MR. BAUER: No problem. Gene?
20	MR. EIMAR: My name is Gene Eimar. I'm a
21	shift manager at Palo Verde. Next month is my 33rd year
22	at Palo Verde, so I've got several years experience at
23	the station. I got my first senior reactor operator
24	license at a Westinghouse four-loop PWR in 1976 and my
25	license at Palo Verde in 1985. Been a shift manager

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	13
1	since 1978. So lot of control room time.
2	So this morning I'm going to talk about
3	Palo Verde FLEX strategies that we developed to respond
4	specifically to the Palo Verde System 80 plant.
5	So I'm going to talk about the FLEX Support
б	Guideline implementation, Extended Loss of All Site AC
7	Guideline and we'll look at a couple of the appendices
8	that we have included in our AC Guideline. And this
9	would FLEX Support Guideline is one of the common
10	terms, or FSGs, for that.
11	So we looked at the definition that was
12	provided by NEI-12-06 for what the event specifically
13	was. We had an undefined external event that occurred
14	which resulted in a loss of off-site power. We had a
15	successful reactor trip with all control element
16	assemblies being inserted into the core. We had a
17	failure of all on-site AC sources to function. So none
18	of the emergency diesel generators at Palo Verde, which
19	we have six, functioned for this event. And at Palo
20	Verde we rely on station blackout generators, and those
21	generators were unavailable for the event, which left
22	us with no 4160 class power, no 480-volt class power
23	and no non-class power.
24	Per the NEI guidance there were no other
25	equivalent failures. We had no other event in
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

So the first thing that happens in a 6 7 control room after a reactor trip is the operators at 8 Palo Verde use what's called a standard post-trip 9 action flowchart. We use a diagnostic flowchart. 10 Control room supervisor runs this. The reactor 11 operators are responding to the safety functions in 12 order. So we go through this chart and the control room supervisor looks -- the first thing he looks at is 13 14 reactor power less than 10 to the minus 1 percent and 15 Well, with all rods inserted into the core, dropping. 16 he's going to respond to this as a yes.

The next block he's going to look at, does at least one vital AC and DC train have power? So in this case we won't have power because the 4160 buses are de-energized at Palo Verde. So he would respond with a no.

22 The next one he's going to look at, does 23 at least one vital DC train have power? Palo Verde has 24 four battery trains. All of those would still be 25 energized because the batteries are still available,

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

17

18

19

20

21

Those are

NEI-12-06.

	15
1	so he would respond to that with a yes.
2	MEMBER BLEY: Hey, Gene?
3	MR. EIMAR: Yes, sir?
4	MEMBER BLEY: Excuse me just a second.
5	You've been using this kind of flowchart arrangement
6	all along, is that right, or is this
7	(Simultaneous speaking)
8	MR. EIMAR: For the last about 15 years at
9	Palo Verde, yes. Yes, it's a flowchart we use for
10	standard post-trip action. It goes in order of safety
11	functions. The ROs will address the safety functions
12	because they have hard cards to do that. And the
13	control room supervisor uses to help them diagnose what
14	recovery operation procedure to go to, whether it's
15	reactor trip, steam generator tube rupture, station
16	blackout.
17	So this, case because we addressed
18	reactivity first with control rods and then we go to
19	maintenance of vital auxiliaries, that's a second
20	safety function. This is where we're at. So at this
21	point he's going to go yes on the DC power, because we
22	do have it. And it says consider blackout. Then the
23	chart will have you continue on and evaluate the rest
24	of the safety functions. In this case they said there
25	were no other events, so the control room supervisor

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	16
1	then would diagnose that this is station blackout event
2	initially.
3	MEMBER CORRADINI: So just two
4	clarifications. So if you start deviating from your
5	procedures that you used to have or currently have to
6	the new ones, could you let us know so we
7	(Simultaneous speaking)
8	MR. EIMAR: Yes, I will. Yes.
9	MEMBER CORRADINI: And the second part of
10	that is, so, you're going to take us through the
11	yes/no/yes path.
12	MR. EIMAR: Yes.
13	MEMBER CORRADINI: So what happens if
14	there's a yes/no/no path?
15	MR. EIMAR: If there's a yes/no/no path,
16	if I end up with no DC power, then we would go to our
17	functional recovery procedure at Palo Verde currently.
18	MEMBER CORRADINI: Can you tell me what
19	you meant by that? I'm sorry.
20	MR. EIMAR: Palo Verde has our
21	emergency response procedures are divided up into
22	optimal recoveries for specific events. Loss of all
23	feed, LOCA, steam generator tube rupture. So we have
24	specific recovery operation procedures for those. If
25	you have a multiple event say you have a stuck-open

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	17
1	safety with a steam generator tube rupture, it's a dual
2	event. You can go to our functional recovery
3	procedure. So the functional recovery procedure at
4	Palo Verde allows the control room supervisor and the
5	shift manager to get together and assemble a procedure
6	to respond to that event based upon those conditions.
7	MEMBER CORRADINI: Okay. Okay. All
8	right.
9	MEMBER BLEY: I think I've seen these
10	before. There's kind of a format and they pick the
11	steps they think
12	(Simultaneous speaking)
13	MR. EIMAR: Right. Yes, you determine if
14	it's a challenge or jeopardizes safety function, and
15	then by priority on safety functions you address those
16	in order.
17	MEMBER BLEY: Okay.
18	MR. EIMAR: So that we're always focused
19	on safety functions.
20	MEMBER BLEY: Okay.
21	MR. BAUER: The other thing I might inject
22	at this point is Phil Amway was a shift manager at a
23	BWR, so if he feels like he wants to interject at any
24	point in time, that would be beneficial, too.
25	MR. EIMAR: Okay. So since I said we

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

would diagnose a station blackout, we would go to the station blackout procedure. There are no other events, so we go to the blackout recovery operation procedure. Our blackout procedure is not a flowchart, but for presentation sake I converted it into a flowchart so we could use the same yes/no kind of logic.

So the first thing the control room is going to do is confirm a blackout. Relatively easy to do at Palo Verde because you've lost your 4160 buses. That's pretty obvious in the control room. You get a lot of alarms. You don't have your 480. So you can definitely tell you're in a blackout condition. It doesn't take long to diagnose this event. So they'll go yes.

15 The next chart is SFSCs, or safety function Our shift technical advisors have a 16 status checks. 17 duty to perform a safety function status check as well 18 as the control room operators to ensure that we're 19 meeting all of the safety functions for each recovery 20 operation procedure. So that action would be 21 performed. In this particular case you are meeting all 22 safety functions for station blackout because you have 23 DC power. And all the other ones are met because you've 24 been able to successfully shutdown the reactor. Your 25 auxiliary feedwater pump would be running, so you're

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

(202) 234-4433

18

removing heat. So all safety functions would be met.

The next one is several steps in a blackout 2 3 procedure that you have to do. One is classify the You want to actuate a main steam isolation 4 event. 5 signal to bottle up the steam generators, to preserve inventory. You inform the Energy Control Center to 6 7 find out the status of the switch yard and the bus, or 8 the grid so you can tell if you're going to get power You're going to get area operators out 9 back from them. 10 to the station blackout generators. Because our 11 strategy, we're a 16-hour blackout coping plant with 12 the station blackout generators, alternate AC. They have to be started within one hour of the event so that 13 14we can take credit for the blackout. So our station 15 blackout generators are located about a mile away from 16 So the auxiliary operator has to travel the units. 17 that mile and get that station blackout generator 18 started. So one of the first steps is to dispatch an 19 auxiliary operator out there to get those station 20 blackout generators running.

21 MEMBER SKILLMAN: How does that operator 22 get to that location, Gene? 23 MR. EIMAR: On a vehicle. And then we 24 have security. And depending on where he's at we have 25 one security gate he may have to go through if he's not

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

(202) 234-4433

19

	20
1	outside the security. And security goes there to open
2	the gate for him. So part of that process is to notify
3	security.
4	MEMBER SKILLMAN: Is he chauffeured or
5	does he have to start the vehicle?
6	MR. EIMAR: He has his own vehicle. The
7	auxiliary operator that has that area has his own
8	vehicle to get there.
9	MEMBER SKILLMAN: Thank you, Gene.
10	MR. EIMAR: And normally he's outside
11	because his area of responsibility is outside the
12	protected area. So he would be close to the station
13	blackout generators.
14	MEMBER SKILLMAN: Thank you.
15	MR. EIMAR: And normally when we respond
16	to this, the auxiliary operators get there in plenty
17	of time to get the station blackout generators. It
18	actually takes the control room longer to do the control
19	board alignment to receive power from the station
20	blackout generators than it does for the AO to get out
21	in the field and start it.
22	The other thing we're going to do is we're
23	going to place the charging pumps and pull the lock
24	because they have no power. And if they restart, we'll
25	shock the reactor coolant pump seals, so we put those

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	21
1	in pull-to-lock. Then we minimize RCS leakage. We
2	want preserve the inventory in the reactor coolant
3	system. And then we maintain our reactor coolant
4	system Tc less than 570 degrees using our atmospheric
5	dump valves. The atmospheric dump valves remove steam
6	from our steam generators. They're manually operated
7	from the control room. They're not automatically
8	operated. So you operate those to prevent secondary
9	safeties from lifting.
10	And then we ensure that at least one steam
11	generator is restoring level to 45-60 percent narrow
12	range. So we want to have adequate feed to a steam
13	generator.
14	MEMBER CORRADINI: And that comes from aux
15	feed?
16	MR. EIMAR: That comes from auxiliary
17	feedwater, yes, sir.
18	MEMBER CORRADINI: Which is steam-driven?
19	MR. EIMAR: It is a steam-driven aux
20	feedwater pump.
21	MEMBER CORRADINI: And then just maybe
22	you'll get to this later
23	MR. EIMAR: Sure.
24	MEMBER CORRADINI: is the interlock
25	such that if you lost DC power that aux feed could not

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	22
1	function, or it would just function on its own?
2	MR. EIMAR: If we lost DC power, Palo Verde
3	has a couple of outages ago in Unit 1 we ran a test
4	with no DC power and we were able to operate the
5	auxiliary feedwater pump locally with auxiliary
б	operators in the field without DC power.
7	MEMBER CORRADINI: So there's no
8	interlocks that would trip it off?
9	MR. EIMAR: There's no interlocks that
10	would prevent it. It would over-speed if we had a
11	condition, but you could reset it and then restart the
12	pump.
13	MEMBER CORRADINI: Okay.
14	MEMBER BLEY: And you don't need it for the
15	atmospheric dumps?
16	MR. EIMAR: Pardon me?
17	MEMBER BLEY: You said manual.
18	MR. EIMAR: Well, they're manually
19	operated from the control room, right?
20	MEMBER BLEY: Remotely?
21	MR. EIMAR: It's remote operated, yes.
22	MEMBER BLEY: But, so they need some kind
23	of power to operate?
24	MR. EIMAR: They have nitrogen and they
25	have DC. If that fails to the atmospheric dump valves,

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	23
1	they can be operated manually in the main steam support
2	structure.
3	MEMBER BLEY: Okay.
4	MEMBER RAY: If you have your ear plugs in.
5	MR. EIMAR: Pardon me, sir?
6	MEMBER RAY: If you have your ear plugs in.
7	MR. EIMAR: Yes, if you have your ear plugs
8	in. That's correct. It gets very loud up there when
9	you operate those valves.
10	MEMBER SKILLMAN: When you are making up
11	for the inventory that's lost through the ADVs, that
12	inventory is coming from your feedwater storage tanks,
13	or originally from the hot well?
14	MR. EIMAR: It's a condensate storage
15	tank. Okay. We use a condensate storage tank for the
16	auxiliary feedwater supply.
17	MEMBER SKILLMAN: Okay. Thank you.
18	MEMBER CORRADINI: And that sorry, I'm
19	just
20	MR. EIMAR: That's okay.
21	MEMBER CORRADINI: We'll go a different
22	route. You tell us to stop when we take you too far.
23	So when you said you did the test without
24	DC power, how long did you run the test with the aux
25	feed without DC power?

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433
	24
1	MR. EIMAR: We ran it for just a we were
2	able to start it and feed the steam generators. We
3	verified that we could start and feed steam generators
4	with an auxiliary feedwater pump.
5	MEMBER CORRADINI: So has there been any
6	sort of test to see not just you guys, but in the
7	industry to look at essentially any sort of transient
8	operation of the aux feed when I didn't have DC power?
9	In other words, I'm curious about oscillatory behavior
10	and be able to survive that because you have to do it
11	manually versus with DC control.
12	MR. EIMAR: Well, manual operation is
13	you're basically controlling the throttle valve.
14	MEMBER CORRADINI: Okay.
15	MR. EIMAR: You're actually controlling
16	the turbine itself, so you're in good shape. So there
17	would be no other signals in there but what you're
18	putting in.
19	MEMBER CORRADINI: And then last
20	question: A condensate storage tank, that water supply
21	would get you how long even if you didn't have DC power?
22	MR. EIMAR: Seventy-two hours.
23	MEMBER CORRADINI: Okay.
24	MR. EIMAR: Okay. We have water
25	available for 72 hours at Palo Verde.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	25
1	So you go through those actions. So one
2	of the actions was to declare an emergency plan. So
3	the shift manager's responsibility then is to look at
4	protecting the health and safety of the public, so he's
5	going to be looking at the emergency plan. So
6	MEMBER CORRADINI: I'm sorry.
7	MR. EIMAR: Yes?
8	MEMBER CORRADINI: Last one.
9	MR. EIMAR: Sure.
10	MEMBER CORRADINI: And he'll tell me to
11	stop.
12	So is 72 hours unusually long, or normally
13	what we'd expect in PWRs for condensate storage?
14	MR. EIMAR: I can't answer for anybody
15	else.
16	MEMBER CORRADINI: I'm sure you can't, but
17	I'm kind of
18	MR. WEBSTER: I can for Dominion plants
19	that is long. Some of our sites go four hours, six
20	hours.
21	MEMBER STETKAR: You usually see about 6
22	to 12, maybe, if you're stretching it.
23	MR. WEBSTER: Right. When I do the
24	presentation for the meeting, I'll go over a little bit
25	of our strategy for the aux feedwater supply.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

26 1 MEMBER SKILLMAN: Okay. Seventy-two is 2 generous. 3 MR. EIMAR: It's generous, yes. 4 MR. POWELL: Gene? 5 MR. EIMAR: Yes? 6 MR. POWELL: I think you're confusing 7 batteries and CST. 8 MR. EIMAR: No, I'm good. We'll talk 9 about that in a minute. 10 MR. POWELL: All right. 11 COURT REPORTER: Would you please 12 identify --13 (Simultaneous speaking) 14 MR. EIMAR: I'll get there in the 15 strategy. 16 MEMBER STETKAR: Mike, yes --17 MR. POWELL: I'm Mike Powell, director of 18 Fukushima --19 (Simultaneous speaking) 20 MEMBER STETKAR: Yes. No, come up to the 21 microphone, Mike. Otherwise, he won't pick you up. 22 MR. EIMAR: Yes. No, we'll get there. 23 MR. POWELL: I'm Mike Powell, the director of Fukushima Initiatives. The CST has to be refilled 24 25 at 34 hours. All right?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

```
(202) 234-4433
```

	27
1	MR. EIMAR: Yes, we have water capability
2	of feeding with the auxiliary feedwater pump up to 72
3	hours.
4	MR. POWELL: Using a combination of CST
5	and the refueling water storage
6	(Simultaneous speaking)
7	MEMBER CORRADINI: Yes, the answer is
8	so, what I hear is it's variable. It could be as
9	little as something that's less than 10 hours to
10	something that's 3 days.
11	MR. POWELL: And it varies based upon the
12	analysis that you perform. If you use a standard decay
13	heat, you might see something around 14 to 16 hours.
14	If you use best estimate decay heats using scale and
15	origin, you can get significant improvement in that
16	time beyond 24 hours. We were able to use a best
17	estimate technique to extend that time out to 34 hours
18	to refill the CST. We also were able to do a water
19	quality analysis to line up other water sources to get
20	us beyond 72 hours, but it's a combination of the
21	condensate storage tank and the refueling water storage
22	tank that gets us there.
23	MEMBER CORRADINI: Okay. Thank you.
24	Sorry to interrupt.
25	MR. EIMAR: That's all right.
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	28
1	Okay. I was talking about an emergency
2	plan. If we break this down to an individual unit, that
3	means it's possible at Palo Verde to have this event
4	occur in a single unit, because we're a multi-unit site.
5	So if we looked at just if one unit at Palo Verde
6	had this, the initial classification for this would be
7	this was like lost off-site and on-site AC power for
8	greater than 15 minutes would be a site area emergency.
9	Once you get to the point you determine that your
10	station blackout generators are not available and
11	you're not going to recover the switch yard, you go into
12	the extended loss of AC power, and that would be an
13	general emergency.
14	But also at Palo Verde, because of the way
15	our station blackout generators are designed, they're
16	capable of only supplying power to two of the three
17	units. If this was a site-wide event, the site would
18	be in a general emergency as soon as they determined
19	that they did not have power from the grid or power from
20	the station blackout generator. So we could be in a
21	general emergency initially right off the as the
22	initial call for a site-wide event.
23	So then the next thing you look at in
24	blackout is do I have one vital 4160 bus energized
25	within one hour? If I do, then I just continue on. If

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	29
1	I don't, then I've got to look at is a station blackout
2	generator or a diesel generator available from another
3	unit? And if that's not the case, this is where I
4	deviate from my procedures and I look at I have the
5	4160 not expected. I use this contingency step if the
6	SBOGs are not available and it would direct the control
7	room to perform the FSG or Flex Support Guideline. And
8	also we stay in the station blackout procedure so that
9	we can maintain command and control under the emergency
10	operating procedure.
11	So at that point we'll perform the extended
12	loss of AC Power Guideline. This is the point where
13	we would deviate from what we would normally do.
14	MEMBER BLEY: Gene, excuse me. Just so I
15	understand what you guys have done, the actual
16	procedure is a step-wise procedure, so you must have
17	like a little caution box or something
18	(Simultaneous speaking)
19	MR. EIMAR: Yes. Yes, it's a contingency
20	step in the procedure. When you get down and don't have
21	another diesel generator, you don't have a station
22	blackout generator and you're going to be greater than
23	a one-hour time frame, it directs you go to the AC
24	Guideline, Extended Loss of AC Power Guideline
25	procedure.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	30
1	MEMBER BLEY: And you guys have actually
2	run training on these?
3	MR. EIMAR: Yes, we have.
4	MEMBER BLEY: Yes, okay.
5	MR. EIMAR: The video that I have shows a
6	little bit of the simulator training. But we ran all
7	of the crews through this, the initial onset of this
8	event from the time they had the blackout, determined
9	the extended blackout, and then get cooled down and
10	stabilized temperatures.
11	MEMBER BLEY: Okay.
12	MR. EIMAR: So we did that for all the
13	crews. So that's been completed for Palo Verde.
14	MEMBER STETKAR: Gene, the way the
15	procedure is set up also, you say is power available
16	from the within one hour?
17	MR. EIMAR: That's correct.
18	MEMBER STETKAR: That to me says that
19	there's that kind of one-hour time window that you give
20	people to try to get power back. So I'm trying to think
21	of the timing of the event.
22	MR. EIMAR: Right.
23	MEMBER STETKAR: So is it reasonable to
24	expect that the guys would be trying to get power back
25	for an hour before you transition out?

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	31
1	MR. EIMAR: Our station blackout is we
2	have one hour to get the station blackout generator
3	power to it. If you're going to be unsuccessful,
4	you're at now the thing is if I recognize it at the
5	half hour point most of our crews recognized it
6	within 30 minutes of the time that we had initiated the
7	event. They said I'm going to extend loss AC power
8	because of the situation, the information they were
9	provided by the simulator instructors.
10	MEMBER STETKAR: Yes.
11	MR. EIMAR: And they declared the event
12	and went right to the procedure. The expectation is
13	if you have any doubt at all about that one hour is to
14	enter this procedure.
15	MEMBER STETKAR: Okay.
16	MR. EIMAR: We're training the operators
17	to do that, not to
18	MEMBER STETKAR: I was going to say
19	(Simultaneous speaking)
20	MEMBER STETKAR: the tendency is to go
21	I almost got it. I almost got it.
22	(Simultaneous speaking)
23	MR. EIMAR: I'm almost there. And then
24	it's three or four hours later you're waiting for
25	somebody to start a diesel generator and all of that.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	32
1	MEMBER STETKAR: Okay.
2	MR. EIMAR: The way we train the operators
3	is as soon as you recognize that you're not you have
4	to be sure you're going to get power back in an hour
5	before you decide not to enter this procedure.
6	MEMBER STETKAR: Thanks.
7	MR. EIMAR: So that was our goal.
8	We're going to continue in the blackout
9	procedure because there's some
10	MEMBER SKILLMAN: Gene, let me ask a quick
11	question here.
12	MR. EIMAR: Sure.
13	MEMBER SKILLMAN: Back onto your slide
14	14
15	MR. EIMAR: Back up?
16	MEMBER SKILLMAN: Yes. Back one or two
17	more.
18	MR. EIMAR: One more?
19	MEMBER SKILLMAN: Yes, go to 14. Back one
20	more.
21	MR. EIMAR: Fourteen?
22	MEMBER SKILLMAN: Yes.
23	MR. EIMAR: Yes, sir.
24	MEMBER SKILLMAN: At each of these stages
25	you're required to make your notifications.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	33
1	MR. EIMAR: That's correct.
2	MEMBER SKILLMAN: When you're in a
3	blackout situation things get very busy very quickly
4	in a control room.
5	MR. EIMAR: That's correct.
6	MEMBER SKILLMAN: You've got more lights,
7	bells, whistles, indicators.
8	MR. EIMAR: Yes.
9	MEMBER SKILLMAN: The lighting probably
10	changes because you're swapping onto your DC. What
11	amount of resource is absorbed on your operating team
12	in making timely notifications to your local
13	communities and to the state?
14	MR. EIMAR: Okay. The control room
15	supervisor and two reactor operators are responding to
16	the plant, the shift manager and the shift technical
17	advisor. The shift manager and the shift technical
18	advisor share this responsibility. The shift
19	manager's primary duty is he is ultimately responsible
20	for classification. It's non-delegable. But we have
21	the STA do a peer check so that an independent
22	basically check of it. He does an independent
23	verification of the classification.
24	So at one point the shift manager asks the
25	STA to observe to basically take control room
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

oversight so that we have control room oversight either provided by the shift technical advisor or the shift manager. During that time period the shift manager goes to our EAL charts, determines what classification to make. He makes a classification. Then he takes back the control room oversight. Asks the STA to do the same thing.

8 They have two separate charts. They come 9 to what they think the classification is. They compare 10 it and say, okay, this is the classification we have. If there's any discrepancy, they talk about it and 11 12 hopefully they get the correct classification. This 13 one is pretty straightforward. They'll end up in a 14 general emergency. So that is done by the shift 15 technical advisor and the shift manager, not impacting 16 the internal supervisor or the reactor operators 17 responding to the plant.

MEMBER SKILLMAN: So who makes the call? MR. EIMAR: Who makes the call? The shift manager classifies it and then the STA makes the notifications.

22MEMBER SKILLMAN:Now, I understand.23Okay. Back to 18.

24 MR. AMWAY: And if I could just interject 25 a minute. What Gene just described at his plant is

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

	35
1	identical, the same way we do it at our boiling water
2	reactors as well. Same process.
3	MEMBER BLEY: Gene?
4	MR. EIMAR: Yes, sir?
5	MEMBER BLEY: I have two questions
6	following up on something John had asked you. Make
7	sure I can remember. It seems to me we have a better
8	case here than in some places when we talk about wanting
9	to go directly here and not wait in that I don't is
10	there any flexibility or significant troubles
11	introduced to the operators by going onto this
12	MR. EIMAR: Oh, you mean if they entered
13	it and then an hour later they got power back?
14	MEMBER BLEY: Yes. MR. EIMAR:
15	No ,
16	because
17	MEMBER BLEY: There's no obstacles to
18	(Simultaneous speaking)
19	MR. EIMAR: There's no real obstacles.
20	When we get into the strategy, I'll talk about those,
21	if we could.
22	MEMBER BLEY: Okay.
23	MR. EIMAR: And we'll get there.
24	MEMBER BLEY: And the related question
25	MR. EIMAR: Sure.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	36
1	MEMBER BLEY: once you get this thing
2	fired up is all of the loading a mandated process?
3	MR. EIMAR: As far as bringing the FLEX
4	equipment over and stuff?
5	MEMBER BLEY: Yes.
6	MR. EIMAR: Yes, it is.
7	MEMBER BLEY: So there aren't any
8	interlocks we have
9	(Simultaneous speaking)
10	MR. EIMAR: There's no interlocks, yes.
11	We specifically looked at Fukushima Daiichi's event
12	where they had their isolation condenser where they
13	didn't know that they had a failure that basically
14	interrupted core cooling. When we did our
15	modifications we installed the penetration into like
16	the steam generator feed lines for aux feed water
17	downstream of the last operated, or motor-operated
18	valve so that it's between that valve and containment
19	penetration. So the only thing that's in between
20	delivering water and the steam generator are manual
21	valves that the operators will operate.
22	MEMBER BLEY: Okay.
23	MR. EIMAR: So we didn't have to worry
24	about a failure of a component upstream in that. So
25	the only thing between that point and the steam

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	37
1	generator are the check valves. So you'd have to have
2	a mechanical failure of a check valve to have an issue.
3	MEMBER BLEY: Good. Thanks.
4	MR. EIMAR: Okay.
5	MEMBER CORRADINI: And that was just at
6	Palo Verde or
7	MR. EIMAR: Yes, this was Palo Verde. I
8	can't answer for whatever everybody
9	(Simultaneous speaking)
10	MEMBER CORRADINI: That's fine. That's
11	fine. I just wanted to make sure I was clear.
12	MR. EIMAR: Yes.
13	MR. WEBSTER: This is Bill Webster,
14	Dominion. That manual operation he described is the
15	same as for our Westinghouse three and four-loop
16	plants.
17	MR. EIMAR: So then we're going to get into
18	the Extended Loss of All Site AC Guideline itself. And
19	the guideline is basically to provide a strategy for
20	coping with the extended loss of all site AC power.
21	Now realize the other part of this is the
22	loss of ultimate heat sink, but for Palo Verde if I lose
23	AC power, I lose my spray pond pumps, I have lost my
24	ultimate heat sink. So the initial focus is basically
25	to cool the reactor coolant system and maintain spent

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	38
1	fuel pool inventory and cooling. By cooling the
2	reactor coolant system I maintain containment. So
3	containment for Palo Verde is not an issue because of
4	the size of our containment, large dry containment.
5	Yes, sir?
б	MEMBER CORRADINI: This of course is all
7	to your point. So repeat that last thing, the
8	connection between the ultimate heat sink again,
9	please?
10	MR. EIMAR: At Palo Verde we don't have a
11	river or a lake or an ocean, right? We have spray ponds
12	for our ultimate heat sink. And those spray pond pumps
13	are 4160-volt powered.
14	MEMBER CORRADINI: Okay.
15	MR. EIMAR: And so with lots of diesel
16	generators on the grid, I have no power for them. So
17	the ELAP results in a loss of ultimate heat sink.
18	MEMBER CORRADINI: So is there no
19	cross-tie that you could take that as the water source
20	for your aux feed?
21	MR. EIMAR: There is no cross-tie. The
22	water is available if I wanted to use it, but I have
23	other water that I'd prefer to use.
24	MEMBER CORRADINI: Okay.
25	MR. EIMAR: It is a seismic structure that

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	39
1	I would have seismic water available. But I don't need
2	to use it, so it's not part of our strategy. Yes, we're
3	trying to keep clean water
4	(Laughter)
5	MR. EIMAR: because we'd like make
б	electricity again some day.
7	MEMBER STETKAR: Well, you could put boron
8	in there maybe.
9	MR. EIMAR: Yes, boron is okay. Used to
10	be good in steam generators.
11	So our cooldown logic. Normally in a
12	blackout procedure we don't cool down until we restore
13	power from a station blackout generator. So we just
14	stabilize and maintain something less than 570. You
15	only cool down and maintain 50 degrees sub-cooling, and
16	that's it. That's all you do is you just cool down a
17	little bit in a blackout procedure. Then when once you
18	get power, then you decide what kind of power is it and
19	do I need to go to cold shutdown or can I stabilize here?
20	If I get the grid back, I'm going to stabilize so I can
21	turn around and make electricity. But for
22	this event I need to cool down. And so we have two
23	big reasons for cooling down. One is it allows by
24	cooling down I depressurize. It allows me to inject
25	my safety injection tanks. So the passive injection

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

will inject water in the reactor coolant system, compensate for water that's leaking out of the reactor coolant system.

at Palo Verde a 4 And then we assume 25-gallon-per-minute seal leak instantaneously with a 5 6 loss of power. So we put in basically 7 101-gallon-a-minute leak coming out of our reactor 8 coolant system. And as you're cooling down, the RCS 9 is going to contract. So you're losing that volume of 10 water. So by depressurizing I decrease that leak rate across the seals and it allows me to minimize RCS 11 12 leakage. So I get water coming from the safety injection tanks and I decrease the amount of water going 13 14 out of the reactor coolant system.

15 So we cool down to somewhere that's an 16 elevated T_{cold} temperature, 155 degrees. It's high 17 enough to allow steam generators to have enough 18 pressure to supply steam to the turbine-driven 19 auxiliary feedwater pump, 155 psia. And it's low 20 enough so that the RCS differential pressure is -- the 21 leak is small enough from the leak because of that 22 differential pressure that it's within the capacity of 23 a single charging pump at Palo Verde. Palo Verde has 24 three positive displacement pumps. We don't have 25 centrifugal charging pumps. So we get the leak within

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

(202) 234-4433

40

	41
1	the capacity of a charging pump. So now we can start
2	putting water back into the reactor coolant system.
3	MEMBER STETKAR: Gene, you said you have
4	nitrogen you had pneumatically operated
5	atmospherics. You have nitrogen bottles for those?
6	MR. EIMAR: Yes, there's nitrogen
7	accumulators for them. They're good for 15 hours.
8	MEMBER STETKAR: Sixteen hours? All
9	right. Thanks.
10	MR. EIMAR: Because we're a 16-hour coping
11	plant
12	MEMBER STETKAR: Yes, okay.
13	MR. EIMAR: with alternating AC within
14	an hour.
15	MEMBER STETKAR: And that's holding them
16	open? I mean
17	MR. EIMAR: No, that's when you have the
18	really sloppy operator that opens them up fully, closes
19	them fully, does all kinds of when you make the
20	assumptions for
21	MEMBER STETKAR: So it's got some
22	MR. EIMAR: the event.
23	MEMBER STETKAR: Okay.
24	MR. EIMAR: There's a lot of extra room in
25	there.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

```
(202) 234-4433
```

	42
1	MEMBER STETKAR: Okay.
2	MR. EIMAR: So we just assume 16 hours for
3	our vent, but we expect that it would last longer,
4	because we expect the operator to come up and stabilize.
5	We watched the operators during the cooldowns in the
6	simulator. They were able to operate ADVs and not have
7	an issue. Okay?
8	So then the Support Guideline, it's
9	basically an emergency coordinator who initially in
10	the event the shift manager becomes the emergency
11	coordinator at Palo Verde. So put emergency
12	coordinator or shift manager basically directs
13	entering the FLEX Support Guideline. Now the control
14	room supervisor is going to come to him and say, look,
15	we've got this condition. We've got a blackout. The
16	grid's not coming back, the diesels aren't running and
17	the station blackout generators are gone. It's not
18	a tough decision to say, yes, we're going to go to the
19	FLEX Support Guideline.
20	So it's basically loss of power, diesel
21	generator, station blackout and if you have any doubt
22	that you're going to get 4160 power in a timely manner.
23	And that's what we've emphasized with the operators.
24	If you have any doubt at all, go here, because it's not
25	going to hurt you to go here.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	43
1	MEMBER SKILLMAN: How do you ensure that
2	your operators aren't timid in communicating their
3	doubt? In Region I for the many years I was there we
4	would declare inoperability when we lost our
5	confidence.
6	MR. EIMAR: Right.
7	MEMBER SKILLMAN: And that was good
8	enough.
9	MR. EIMAR: Right.
10	MEMBER SKILLMAN: And I'm wondering if
11	there is code language or part of your culture where
12	any doubt really means even the slightest doubt. Hey,
13	I'm there.
14	MR. EIMAR: For this event that's the way
15	we train the operators. I mean, if you have a mechanic
16	up there and say I'm going to get you the diesel in the
17	next 30 seconds or but he says I'm not sure, then
18	you or you talk to the system operator and he says,
19	yes, we know exactly what happened. We can close this
20	breaker. You'll have power in the next 15 minutes, but
21	or he goes, you know, I don't know. And so, and in
22	this event, for Palo Verde our biggest threat is
23	seismic, so it would be an issue with the seismic
24	condition of our switch yard. So if our switch yard
25	is not available, it's going to be longer than the one

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	44
1	hour to four-hour time frame that we would need to get
2	power back.
3	MEMBER SKILLMAN: So you're saying
4	MR. EIMAR: So it's pretty this one's
5	a little
6	MEMBER SKILLMAN: But you're saying your
7	culture accepts
8	(Simultaneous speaking)
9	MR. EIMAR: Yes, our culture oh, yes.
10	MEMBER SKILLMAN: How about at the other
11	stations?
12	MR. WEBSTER: For Dominion the way the
13	procedures again, it's a training. And the way the
14	procedures are if they know they're there, they'll go
15	early. But the procedure says at an hour point you're
16	not there, then you go. So at most it would be that
17	hour, and all our analysis would support that being
18	sufficient to be successful. So it's training and
19	procedures.
20	MR. AMWAY: And similar at my station
21	there is direction as a station blackout procedure
22	where you can make an attempt to manually start a diesel
23	generator, but it's a very short sequence. Check this,
24	this, this, this. If you're started, you're good. If
25	you're not started, you continue on.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	45
1	MR. EIMAR: And the same for us. If you
2	get to the one hour point, you're here.
3	MEMBER SKILLMAN: Okay. Thank you.
4	MR. EIMAR: No matter what you're being
5	told by anybody else. You're at one hour, you enter
6	this guideline.
7	MEMBER BLEY: I think that's good. I
8	think where Dick was going a little is we've known
9	people here or there or cultures in plants; not yours,
10	where to express doubt is something that gets you in
11	trouble, gets you chastised. You ought to know that.
12	And so people are really afraid to come forward.
13	MR. EIMAR: Right.
14	MEMBER BLEY: And we wanted to hear what
15	you said, yes.
16	MEMBER SKILLMAN: Yes, that's exactly
17	what I was trying to
18	(Simultaneous speaking)
19	MR. EIMAR: Yes, and as I said earlier,
20	there is no impact. If I enter this procedure, there's
21	a couple things you got to do, but it's not like
22	there's no detrimental impact to the plant if I've
23	entered this and started taking actions before that one
24	hour point and
25	MR. WEBSTER: You're not putting water in

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	46
1	the generator.
2	MR. EIMAR: Yes, not putting seawater or
3	getting it into the steam generator that I have to worry
4	about it. Now, I may have de-energized the things that
5	I want to get energized again, but it's not really a
6	major issue.
7	MR. AMWAY: And I think really to address
8	your concern, I know when I was a shift manager in I
9	gave that up in 2012, but it's fairly recent experience,
10	that during the training scenarios I would make sure
11	I'd try to don't keep a secret. If you've got
12	a problem in implementing the steps you're
13	implementing, I need to know as soon as possible so I
14	can start considering alternatives. But I don't think
15	you'll find across the industry that we have problems
16	that operators are afraid to raise concerns with their
17	success path that they've been assigned.
18	MR. EIMAR: Okay. All right. So let's
19	go through the event initiation timeline. So
20	initially we have an event occur at time zero. Within
21	the first five minutes we expect that the
22	turbine-driven auxiliary feedwater pump starts. It's
23	either going to start because an operator recognizes
24	he needs to start it because he doesn't have any
25	feedwater, or we get an aux feedwater actuation signal.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	47
1	It's a busy time in the control room. I
2	think we only had about a quarter of the crews started
3	the pump before the aux feed. And it happens quick.
4	The aux feed signal came in and started the pump. So
5	it's something that happens relatively quick for the
6	control room. And they're busy addressing other
7	safety functions before they get there. So but it's
8	something that the aux feedwater pump will start
9	automatically. If it doesn't, within a minute or so
10	of the time that it would have started the operator
11	would have been at that point on the safety function
12	flowchart to get there. So he would have gotten the
13	pump started.
14	We figure the longest time to do a standard
15	post-trip action for this would be about 15 minutes.
16	I think our slowest crew was like 12 minutes in the
17	simulator, so they all met their 15-minute time frame
18	for that. And at that point, because you recognize
19	you're not going to be going to a reactor trip, you'll
20	enter the blackout emergency operating procedure. And
21	then sometime less than an hour you're going to
22	determine you don't have station blackout generators
23	and no other power source, so you'll enter the Extended
24	Loss of AC Guideline, the ELAP procedure.
25	MEMBER BALLINGER: I have a question.

MEMBER BALLINGER: I have a question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	48
1	MR. EIMAR: Yes, sir?
2	MEMBER BALLINGER: When you're doing
3	these things, do you keep track of the error rate that
4	the staff has and feed that back in to correct
5	procedures in any way?
6	MR. EIMAR: Yes, the procedure writer and
7	myself I attended almost all of training sessions.
8	I only missed like one or two of them, but I was there
9	for most all of the training sessions. But the
10	procedure writer I had was there for the other ones.
11	So we took input from the crews because we were kind
12	of in a room writing these things. And so we wanted
13	to have the crew input. So we did take input from all
14	the crews to help improve our FSG, our FLEX Support
15	Guidelines. And so we really didn't have an issue with
16	the strategies or with some of the phrasing. It was
17	mostly administrative changes we made. The operators
18	had no issue with the strategy itself, so we didn't have
19	any change at all how we accomplished the task through
20	the procedure.
21	MEMBER CORRADINI: Yes, but just to follow
22	on
23	MR. EIMAR: Yes?
24	MEMBER CORRADINI: so far as you've
25	taken us through this nothing has changed prior to
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	49
1	these are all procedures that would have been trained
2	on and implemented years ago.
3	MR. EIMAR: Well, but station blackout.
4	Once I said go to the FLEX Support Guideline, we're in
5	the new stuff, right?
6	MEMBER CORRADINI: At least so far what
7	you've explained to us, it still seems
8	MR. EIMAR: On this
9	MEMBER CORRADINI: that you're using
10	all the equipment that you already
11	MR. EIMAR: That's correct.
12	MEMBER CORRADINI: Okay.
13	MR. EIMAR: We have not mobilized any
14	portable equipment at all for this so far.
15	MEMBER CORRADINI: Okay.
16	MR. EIMAR: Now this is where we start to
17	deviate, because once we enter the FSG, we start
18	deviating from what has existed for years.
19	MEMBER CORRADINI: Okay.
20	MR. EIMAR: We have a parallel procedure
21	we use to take actions for the FLEX Support Guideline.
22	Because it's going to direct us to do things that the
23	station blackout doesn't do. The first one is we're
24	going to do a battery load shed to extend battery life.
25	Our batteries, by design-basis, are good for two hours.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	50
1	If we didn't have a design-basis accident, they would
2	last about eight hours if we just let the battery sit
3	there and didn't do anything. By doing our load shed
4	we extended our battery life out beyond 35 hours. So
5	the shortest battery is about 35 to 37-hour time frame.
6	So we do a radical load shed. We go down
7	to one channel of indication, the Bravo channel. We
8	de-energize Alpha, Charlie and Delta. We run
9	auxiliary feedwater Alpha, so it's taking DC power
10	there. And then we run the Bravo train atmospheric
11	dump valves. So we split out. We shared loads where
12	we could. Make sure that we maximize the time
13	available for batteries, because batteries and water
14	are really important for this event. The batteries
15	give you 120-volt AC for control room indication.
16	MEMBER STETKAR: Are there contingencies?
17	You said there's dictated you know, lined this up
18	to the Alpha battery
19	MR. EIMAR: Yes.
20	MEMBER STETKAR: this stuff up to the
21	Bravo battery. Suppose some of this stuff doesn't
22	work? I mean
23	MR. EIMAR: If it doesn't work, we have
24	options. Well, for the indication, or the atmospheric
25	dump valves we have a step in there to re-energize the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	51
1	Bravo, if we had to.
2	MEMBER STETKAR: Okay.
3	MR. EIMAR: Okay. And then the other
4	option is you could still operate them manually. The
5	only two things I need to remove decay heat are the
6	auxiliary feedwater pump and atmospheric dump valves.
7	Both of those can be locally operated by an auxiliary
8	operators in the field. They don't have to be operated
9	for the control room.
10	MEMBER CORRADINI: So the load shed is the
11	first thing that is in the FSGs that is different than
12	what you had years ago?
13	MR. EIMAR: That's correct. Load shed is
14	the first thing we're going to do that deviates, because
15	we don't do any load shedding at all for our blackout
16	procedure at Palo Verde.
17	MEMBER CORRADINI: Okay.
18	MR. EIMAR: Now the Westinghouse plants
19	do. I don't know about the BWRs. They have a load
20	shed.
21	MR. AMWAY: We had a load shed before. We
22	have expanded it in some cases to increase the coping
23	time of the battery.
24	MEMBER CORRADINI: And so just to follow
25	on John's question: So when you do these simulator
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	52
1	trainings, do you do the "what if," that the procedure
2	says X, but X is unavailable, and you see if they think
3	out of the box and use Y? You know what I'm asking?
4	MR. EIMAR: We trained specifically to the
5	strategy itself. We didn't do any faulted like a
6	faulted GPM. We didn't do faulted events. We wanted
7	to train the operators on what the strategy was.
8	Because the rules were there were no other equipment
9	failures, so we assumed that it worked as is.
10	MEMBER CORRADINI: Okay. Sometimes things
11	happen and they don't follow the rules.
12	MR. EIMAR: That's correct.
13	MEMBER CORRADINI: So I'm just trying to
14	figure out what you do to this kind of goes back to
15	Ron's
16	MEMBER BALLINGER: Yes, I'm circling back
17	to slide No. 5, that little box on the right that says
18	"go to functional recovery."
19	MR. EIMAR: Yes.
20	MEMBER BALLINGER: Okay. Does that drop
21	you into the FLEX thing? I mean, that seems to me like
22	where the rubber really hits the road.
23	MR. EIMAR: Functional recovery does not
24	direct you directly to the FLEX procedure, but there's
25	a section in there that directs you to the blackout

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	53
1	procedure which directs you to the FLEX Support
2	Guideline. So the issue comes in if we lose DC
3	power, then there are some other things you need to do,
4	which would be go manually and operate those
5	components. Okay? So it's kind of
6	MEMBER BALLINGER: I probably have more
7	questions, but
8	MR. EIMAR: Yes, I know.
9	MEMBER CORRADINI: But if I might just say
10	Ron's question differently, because you kind of
11	answered it in pieces, which is that you can with ear
12	plugs manually operate the atmospheric dumps for a
13	while, you can run the aux feed manually
14	MR. EIMAR: Yes.
15	MEMBER CORRADINI: but you need
16	operators at the locations
17	MR. EIMAR: That's correct.
18	MEMBER CORRADINI: dispatched
19	appropriately?
20	MR. EIMAR: That's correct.
21	MEMBER RAY: What's happening to the
22	reactor coolant pump seals at this point in time?
23	MR. EIMAR: I'm sorry, sir?
24	MEMBER RAY: What's happening to the
25	reactor coolant pump seals at this point in time?

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	54
1	MR. EIMAR: Well, we assume that the seals
2	failed instantaneously at the onset of the event.
3	MEMBER RAY: Meaning what?
4	MR. EIMAR: Meaning that at Palo Verde
5	it's a 25-gallon-a-minute leak per reactor coolant
6	pump.
7	MEMBER RAY: And it's limited to that
8	indefinitely?
9	MR. EIMAR: That's correct.
10	MEMBER RAY: And then as we cool down, it's
11	obviously going to be less because we decrease the
12	differential pressure.
13	MEMBER RAY: Okay. You have pressurizer
14	level indication?
15	MR. EIMAR: We have pressurizer level
16	indication, but it's going to go out the bottom. Okay?
17	MEMBER RAY: Right.
18	MR. EIMAR: And we will actually form a
19	void in the head.
20	MEMBER RAY: Correct.
21	MR. EIMAR: Because of the amount of
22	leakage and the RCS cooldown.
23	MEMBER RAY: And the natural circulation
24	that you're depending on to transfer the decay heat to
25	the steam generator, it lasts

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	55
1	MR. EIMAR: It's not interrupted during
2	this event. Okay?
3	MEMBER RAY: Even with a bubble on the
4	head?
5	MR. EIMAR: Even with a bubble on the head
6	because it doesn't get into the outlet plenum. We have
7	the head and the outlet plenum. So as long as the
8	bubble stays in the head, you still have natural
9	circulation. We don't go to reflux boiling. Okay?
10	The other thing that we do different in
11	this procedure compared with the blackout is we start
12	the cooldown. And like I said before, we stabilize in
13	the blackout and don't do a cooldown until we get power
14	back. In this case we're not getting power, so we have
15	to do the cooldown.
16	MEMBER STETKAR: How fast do you tell them
17	to cool down?
18	MR. EIMAR: Okay. We're going to talk
19	about that.
20	MEMBER STETKAR: Okay.
21	MR. EIMAR: So the load shed itself takes
22	less than hour if we use one auxiliary operator. We
23	performed that. We validated that with auxiliary
24	operators. Our slowest operator was 54 minutes. But
25	it naturally has a break into two separate buildings

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	56
1	so we could dispatch AOs and get it done in half the
2	time. Most of the crews who went through the
3	simulator, they said I think I'd have two AOs do this.
4	But we've designed it so they could do it with one.
5	MEMBER STETKAR: Back shift on a Sunday,
6	how many AOs
7	(Simultaneous speaking)
8	MR. EIMAR: Well, Palo Verde's minimum
9	admin level 24 hours a day, 7 days a week, not counting
10	security, is 51 people.
11	MEMBER STETKAR: How many?
12	MR. EIMAR: Fifty-one people.
13	MEMBER STETKAR: Yes, but oh, okay. So
14	that's
15	MR. EIMAR: That's everybody.
16	MEMBER STETKAR: Yes, but that's
17	everybody.
18	MR. EIMAR: That's everybody.
19	MEMBER STETKAR: That's
20	(Simultaneous speaking)
21	MR. EIMAR: For operators, we have four to
22	six auxiliary operators per crew. We have seven
23	reactor operators.
24	MEMBER STETKAR: Okay. So you've got one
25	guy in the aux building.
ļ	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	57
1	MR. EIMAR: Yes.
2	MEMBER STETKAR: You've got another guy
3	out at the diesel. So I got
4	MR. EIMAR: Well, there's none left.
5	Basically there's not going to be anybody at the diesel,
6	because once if the diesel doesn't start from the
7	control room, there's not much
8	(Simultaneous speaking)
9	MEMBER STETKAR: No, no, no. The SBO
10	diesel.
11	MR. EIMAR: The station blackout. Well,
12	he's an extra operator.
13	MEMBER STETKAR: Oh, okay.
14	MR. EIMAR: He's
15	MEMBER STETKAR: He's not a part of the
16	(Simultaneous speaking)
17	MR. EIMAR: He's part of the at Palo
18	Verde we have three units
19	MEMBER STETKAR: Okay.
20	MR. EIMAR: with each unit is staffed
21	by a shift crew.
22	MEMBER STETKAR: Yes.
23	MR. EIMAR: So there's a site crew and then
24	there's a shift crew. So you have this it's called
25	area nine. And the area nine operator works for all

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

```
(202) 234-4433
```

	58
1	three units.
2	MEMBER STETKAR: Okay.
3	MR. EIMAR: And he's got the station
4	blackouts and stuff outside the protected area.
5	MEMBER STETKAR: He's got the blackout.
б	MR. EIMAR: Right.
7	MEMBER STETKAR: Okay.
8	MR. EIMAR: And he's got the switch yard,
9	he's got the cooling towers
10	MEMBER STETKAR: Okay.
11	MR. EIMAR: he's got the station
12	blackout generator. So that's why I say he's probably
13	outside of the protected area most of the time, because
14	he's got a lot of equipment to check.
15	MEMBER STETKAR: All right. So you got
16	you said four to six per unit inside.
17	MR. EIMAR: Yes. Yes, depending on
18	whether we're running radwaste and condensate demands
19	and things like that. So we have adequate staffing to
20	do this because there's not going to be much else for
21	them to do with no power. Okay?
22	MR. WEBSTER: And just to add to that, we
23	did staffing analysis. They went through the minimum
24	staff and the specific steps for this type of event and
25	verified it.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	59
1	MEMBER STETKAR: I mean, I'm just thinking
2	of you've probably got a guy in the aux building and
3	it's not clear whether you're going to pull him out of
4	the aux building because he's checking stuff.
5	MR. EIMAR: He's coming out of the aux
6	building because
7	MEMBER STETKAR: Coming out of the aux
8	building? Okay.
9	MR. EIMAR: there's nothing to do in the
10	aux building other than part of the battery load shed.
11	So the auxiliary operators will come to the control room
12	and be dispatched to do the load shed and some others
13	we give to them.
14	MEMBER STETKAR: Okay.
15	MR. EIMAR: Okay? So we basically have
16	selected loads. Like I talked before, we have
17	selected. The Alpha train auxiliary feedwater pump,
18	the Bravo train atmospheric dump valves. We have
19	selected instrumentation that we remain energized to
20	monitor the plant for the control room. And the load
21	shed itself also provides the equipment name and
22	breaker number so that if we had to if something was
23	broken, the control room supervisor can look and say,
24	okay, I need pressurizer level, because it's not
25	indicating. So which breaker do I close? He goes

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433
	60
1	through another channel. Looks up pressurizer level.
2	Finds the breaker and he can re-energize it. Okay?
3	The alternates there would be to use our
4	Charlie and Delta, because they're not feeding a
5	auxiliary feedwater or atmospheric dump valves. So
6	there's extra power on our Charlie and Delta batteries.
7	So their priority is going to look at those two for an
8	alternate instrument. Okay?
9	So our selected instruments for cooldown,
10	we got core exit thermocouples, reactor vessel water
11	level, our steam generator level, wide range, and steam
12	generator pressure, reactor coolant system $T_{\rm hot},~T_{\rm cold},$
13	reactor coolant system pressure, subcooling and
14	saturation margin for both reactor coolant system and
15	core exit thermocouples. We got pressurizer level.
16	Safety injection tank. This is where we
17	use two indicators, one on 2-Alpha and one on 2-Bravo,
18	because we have four of them tied to the loop. So we're
19	making an assumption if these two the pressure and level
20	are going down, the other two that we don't have
21	indication are doing the same thing because they're
22	maintained within tech spec level, they're maintained
23	within tech spec pressure band. So they're tied to the
24	same system. So we expect that it would have the same
25	effect.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

60

	61
1	It's important to know this because when
2	we get down in level we want to isolate it so we don't
3	push nitrogen into the reactor coolant system, in
4	effect being natural circulation with a nitrogen bubble
5	in the steam generator tubes.
6	MEMBER STETKAR: Operator's okay just
7	having sort of having half the plant?
8	MR. EIMAR: It was interesting for
9	especially the new operators. For us old guys that are
10	used to looking at analog indicators to operate the
11	plant we've got a lot of new digital stuff in the
12	control rooms now. And so the younger operators that
13	are used to playing with computers since they've been
14	five years old, it was tough for them to oh, wait,
15	the computer doesn't work? I have to look at this
16	analog indicator? So it was eye opening to them. But
17	we've been doing that in our simulators. Take away the
18	computer to make them look at that stuff. And so it
19	was interesting, and especially with just one channel.
20	MEMBER STETKAR: Yes, that's what I was
21	getting to.
22	MR. EIMAR: Yes, it was
23	MEMBER STETKAR: Switch over from normal
24	to alternate displays
25	MR. EIMAR: Alternate, yes.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	62
1	MEMBER STETKAR: you only got sort of
2	half of that stuff available.
3	MR. EIMAR: Yes, and you get one of them.
4	And so, but they did well. They accepted it
5	understood the reason for it, because we want to
6	extend battery life. So as long as you can provide an
7	operator justification for why we're doing something,
8	then they're okay.
9	Also we looked at containment pressure.
10	Then we got atmospheric dump valve position for the
11	control room. And then we want to look at auxiliary
12	feedwater flow for each of the steam generators,
13	because we do a symmetrical cooldown. At Palo Verde
14	we use both steam generators.
15	MEMBER REMPE: What about water sources?
16	Why don't you have like a water level in the condensate
17	storage tank or the
18	(Simultaneous speaking)
19	MR. EIMAR: Well, because it's available
20	locally as a manual indicator, so we don't have to have
21	that in the control room.
22	MEMBER REMPE: Okay.
23	MR. EIMAR: And it's not going to go down
24	that fast.
25	So get to symmetrical cooldown. We cool

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	63
1	down at 70 degrees an hour. So somewhere between 70
2	and 100 degrees per hour. We want to cool down in three
3	hours. So we're cooling down from a normal operating
4	pressure down to 360 degrees T_{cold} and the steam
5	generator pressure 155 pounds. And in addition to that
6	we're going to feed the steam generators up outside the
7	40 to 60 percent range up to 80 to 85 percent so that
8	if we did have a problem with our auxiliary feedwater
9	pump, it gives us about 20 to 30 more minutes of water
10	that we can use to remove heat to troubleshoot that pump
11	and get it back in service.
12	MEMBER BLEY: Yes, and that's right after
13	shutdown, so a few hours in
14	MR. EIMAR: Yes, that's right.
15	MEMBER BLEY: you have a lot more time.
16	MR. EIMAR: Yes, a few hours in, if we have
17	a problem, we have more time. Right.
18	So then at the two-hour point we expected
19	the battery load shed would be completed. Also at that
20	point we need to open up our doors to our turbine-driven
21	auxiliary feedwater pump because it's lost its cooling.
22	So at Palo Verde our turbine-drive aux feedwater pump
23	sits in a room probably a third the size of this room.
24	And so it's got a turbine-driven pump in there. It
25	needs to be ventilated. The issue is actually the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	64
1	controller itself overheats. At 150 degrees it
2	doesn't control the pump.
3	So by opening up the doors we did a GOTHIC
4	analysis of the thermogradients in the room and
5	determined that the room temperature never exceeds 135
6	degrees no matter what the outside air temperature is
7	by opening the doors outside so that the pump will
8	continue to operate indefinitely without an impact from
9	temperatures.
10	MEMBER STETKAR: It's pretty warm if the
11	operator's got to be in there.
12	MR. EIMAR: Pretty warm if the operator's
13	got to go in there, but we do have portable fans that
14	we put in there to ventilate for operators. But we
15	don't need to do that for the equipment.
16	MEMBER STETKAR: No electricity though.
17	MR. EIMAR: Yes. What's that?
18	MEMBER STETKAR: No electricity yet.
19	MR. EIMAR: Well, no electricity yet, but
20	when we get electricity, we'll be okay.
21	So at the four-hour point, three hours
22	later, we have the cooldown complete by four hours after
23	the event.
24	We assumed at 16 hours that the nitrogen
25	goes away from the atmospheric dump valves that may

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	65
1	still be there; may not. At that point we might need
2	to send an operator in every once in awhile to close
3	down the atmospheric dump valves because you've
4	completed your cooldown and decay heat is lowering. So
5	you're going to maintain your pressure at 155 pounds.
6	So you want to close down that atmospheric dump valve
7	to keep that pressure to run the auxiliary feedwater
8	pump.
9	And then at hour 34 we need to bring over
10	our
11	MEMBER STETKAR: I'm sorry, close down the
12	atmospheric dump you said when the nitrogen goes away?
13	Atmospheric dumps has got to fail closed on loss of
14	nitrogen.
15	MR. EIMAR: Yes, but go down and
16	manually
17	MEMBER STETKAR: Crack them open.
18	MR. EIMAR: open. And they might have
19	to send an operator in every once in a while to close
20	them.
21	MEMBER STETKAR: Okay.
22	MR. EIMAR: Right?
23	MEMBER STETKAR: Thanks.
24	MR. EIMAR: Okay. Thirty-four hours is
25	when Palo Verde needs to get an AC power source because
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	66
1	of the amount of water that we have and the size of our
2	batteries. The first thing is with the
3	25-gallon-a-minute leak we need to get a charging pump
4	running about at the 34-hour point. So by 34 hours
5	we'll have moved over if we're able 800 kW generators.
6	Put them onto our 480-volt load centers so we can
7	provide power to battery exhaust fans, a battery
8	charger, a charging pump, maybe control room fans. And
9	if for some reason you happen to have pressurizer level,
10	you could have pressurizer heaters, but that's just
11	only on there because it's one source. Once you get
12	enough water in there you'll be able to use pressurizer
13	heaters.
14	MEMBER CORRADINI: So at 34 hours these
15	come from where?
16	MR. EIMAR: These are going to come from
17	the FLEX storage facility on site.
18	MEMBER CORRADINI: On site? Okay.
19	MR. EIMAR: On site. This is really when
20	we use the first piece of Phase II FLEX equipment.
21	MEMBER CORRADINI: So this comes from the
22	bunkered facility on site?
23	MR. EIMAR: Yes, at Palo Verde we have
24	our protection is a little bit different than
25	everybody else because our hazards are only seismic and

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	67
1	high heat. So currently they're on a seismic pad and
2	they're seismically restrained for the seismic event.
3	So we'll move that equipment over from the storage area
4	to the units.
5	MEMBER BLEY: In a seismic building?
6	MR. EIMAR: It's the seismic pad itself
7	and then the building that's going around that. We
8	won't have a building around it until next year.
9	MEMBER BLEY: But it will be a
10	seismically
11	(Simultaneous speaking)
12	MR. EIMAR: Yes, it will be a seismic
13	structure. Yes, it's ASCE-7-10, a rugged structure.
14	MEMBER BLEY: Have you installed some kind
15	of quick connects for hooking these things up?
16	MR. EIMAR: Yes, we did. Yes, the
17	480-volt I don't know if they're a 180
18	(Simultaneous speaking)
19	MEMBER BLEY: I haven't seen any of the
20	stuff.
21	MR. EIMAR: Okay. Yes, it's 180 turn.
22	And if you get to see our video, you'll see the guys
23	putting it together.
24	MEMBER BLEY: Oh, I'd like to see that,
25	yes.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	68
1	MR. WEBSTER: We'll have some pictures of
2	connections
3	(Simultaneous speaking)
4	MR. EIMAR: Yes.
5	MR. AMWAY: The same for mine. You'll
6	find that throughout the industry they're pretty
7	standard connections.
8	MR. EIMAR: Yes, we did get a standard
9	connection, so we have to use the stuff from the SAFER
10	Response Centers. And so we're using storage fittings
11	for low-pressure mechanical. And then we have these
12	quick connect 480 volts and then a 4160 or bolted
13	connections.
14	MEMBER BLEY: Okay.
15	MEMBER STETKAR: Gene?
16	MR. EIMAR: Yes?
17	MEMBER STETKAR: You're charging I've
18	listened to all this stuff. The charging pumps are not
19	safety-related, I'm assuming.
20	MR. EIMAR: At Palo Verde they are.
21	MEMBER STETKAR: They are safety-related?
22	MR. EIMAR: Yes.
23	MEMBER STETKAR: Okay.
24	MR. EIMAR: Yes.
25	MEMBER STETKAR: So they're

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	69
1	seismically-qualified?
2	MR. EIMAR: They're
3	seismically-qualified at Palo Verde. There are three
4	positive displacement pumps.
5	MEMBER STETKAR: There are? Okay.
б	Thanks.
7	MR. EIMAR: Okay. And then at that point
8	we'll have to establish spent fuel pool makeup. Same
9	time frame.
10	MEMBER SKILLMAN: Gene, let me ask you a
11	question.
12	MR. EIMAR: Yes, sir?
13	MEMBER SKILLMAN: If you have made the
14	connections to your generator, your 34-hour generator,
15	if power to come back on from off-site, how is that
16	device protected or those buses protected so there
17	isn't common concurrent
18	(Simultaneous speaking)
19	MR. EIMAR: The procedure we're going to
20	use when we power up the 480-volt load centers from the
21	FLEX generators will be that we will isolate that load
22	center from its power supply. So the supply breaker
23	to that load center will be opened so that you will not
24	be able to cross-connect, because there's no way that
25	that generator is going to you can't it's going

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	70
1	to be a dead bus transfer. If I want to get power
2	backing 40 from a normal supply, I'll have to
3	de-energize. I'll have to take this generator out and
4	then restore power from the normal supply.
5	MEMBER SKILLMAN: Thank you.
6	MEMBER STETKAR: Four-eighty-volt
7	breaker operation DC control power to the open and
8	closed
9	MR. EIMAR: It can be manually operated by
10	auxiliary operators.
11	MEMBER STETKAR: Closing?
12	MR. EIMAR: Yes, sir. So it's a spring,
13	right? So you charge the spring, push a button, the
14	breaker closes.
15	MEMBER STETKAR: But you have an actual
16	button? I mean, a lot of plants don't have those
17	buttons
18	MR. EIMAR: Yes, we do.
19	MEMBER STETKAR: that you can release
20	you do?
21	MR. EIMAR: Yes.
22	MEMBER STETKAR: Good. That's unusual.
23	MR. EIMAR: Okay. Then at the 36-hour
24	point we'll need to install the RCS makeup pump so we
25	can put additional water in. The normally installed

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	71
1	charging pump is our first place of getting water, but
2	then we're going to move over an alternate make up pump
3	per the NEI-12-06 guidance. So we have this alternate
4	pump to inject water. So we'll now have two pumps that
5	inject in the reactor coolant system and make up for
6	the volumetric loss of water.
7	MEMBER STETKAR: Shutoff head on that
8	alternate makeup pump is?
9	MR. EIMAR: This one is 600 pounds.
10	MEMBER STETKAR: Six hundred pounds?
11	Okay.
12	MR. EIMAR: Yes.
13	MEMBER STETKAR: Thanks.
14	MR. EIMAR: And then the safety injection
15	tanks, we figure at about 38 hours they'll be empty.
16	And for this procedure we're defining empty as 10
17	percent, wide range. So that that way we know there's
18	water still in there so we don't put nitrogen in the
19	reactor coolant system. At that point our vent valves
20	are classed DC-powered. So we'll have DC power to
21	those and we'll just open and vent the nitrogen in the
22	containment so that the passive injection no longer
23	works. It will go below RCS pressure.
24	And at that point we'll also install the
25	FLEX or alternate secondary makeup pump. So it would
ļ	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	72
1	be one that's stored at the FLEX building so that it
2	can eventually take over for the auxiliary feedwater
3	pump.
4	MEMBER STETKAR: Safety injection tanks
5	vent into the containment, or they vent in the
6	MR. EIMAR: They vent into the
7	containment.
8	MEMBER STETKAR: They do?
9	MR. EIMAR: Yes, they vent into the
10	containment.
11	MEMBER STETKAR: That's different also.
12	MEMBER CORRADINI: So can you go back to
13	42, because you said
14	(Simultaneous speaking)
15	MR. EIMAR: Sure.
16	MEMBER CORRADINI: No, no, no, no, no.
17	Not
18	MR. EIMAR: Forty-two hours?
19	MEMBER CORRADINI: Yes, T plus 42.
20	MR. EIMAR: Yes.
21	MEMBER CORRADINI: So what happens there
22	again? Excuse me.
23	MR. EIMAR: Okay. Well, I was doing 38.
24	I'm going to 42 now.
25	MEMBER CORRADINI: Okay. I'm sorry.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	73
1	MR. EIMAR: At 42 the condensate storage
2	tank is essentially empty. Okay.
3	MEMBER CORRADINI: Well, that's fine,
4	but
5	MR. EIMAR: Right. So we
6	MEMBER CORRADINI: what I understand is
7	now you're not going to use aux feed anymore and look
8	for a different water supply.
9	MR. EIMAR: No.
10	MEMBER CORRADINI: You're going to go to
11	a different pump.
12	MR. EIMAR: No, I'm still going to
13	continue to us auxiliary feedwater if I can.
14	MEMBER CORRADINI: Oh, okay.
15	MR. EIMAR: If I have enough decay heat and
16	enough pressure to run it, I will. What I do is I swap
17	its suction to a reactor makeup water tank
18	MEMBER CORRADINI: Okay.
19	MR. EIMAR: at Palo Verde, which is its
20	normal alternate suction. So the combination of those
21	two tanks gives me beyond 72 hours of water. Okay?
22	That's what I said earlier, we had 72 hours of water.
23	MEMBER CORRADINI: Okay.
24	MR. EIMAR: And I was thinking more
25	normally and Mike was thinking just the CST. So, but

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	74
1	if that doesn't work, I also have an alternate strategy
2	to move water from my refueling water tank into the
3	condensate storage tank. So I will be using borated
4	water to feed the steam generators. And we'll talk
5	about that in a minute. I've got a slide on that.
6	MEMBER CORRADINI: But I just want to make
7	sure
8	MR. EIMAR: Sure.
9	MEMBER CORRADINI: I thought you said
10	you'd go to a FLEX pump. But at this point we're still
11	trying to find the appropriate water supply for the aux
12	feed?
13	MR. EIMAR: Well, the aux feed water pump
14	normally sucks from the condensate storage tank. At
15	the 24-hour point when I don't have any water left, I
16	will swap it over to the reactor makeup water tank. And
17	that would be a source of water for that other pump when
18	I get it installed.
19	MEMBER CORRADINI: Okay.
20	MR. EIMAR: What I'll do is I'll transfer
21	water into my condensate storage tank and use the
22	alternate pump. Okay?
23	MEMBER RAY: Before we move on
24	MR. EIMAR: Yes, sir?
25	MEMBER RAY: let's stop for a second
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.
	(202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	75
1	here and think about the reactor coolant system
2	inventory. So we've been leaking out of the four
3	reactor coolant pump seals at 25, you said.
4	MR. EIMAR: Well, initially it was 25.
5	Yes, sir.
6	MEMBER RAY: And it declines as pressure
7	is brought down.
8	MR. EIMAR: Right.
9	MEMBER RAY: And you've got some shrinkage
10	taking place. But all of that you can still persist
11	with natural circulation to 36 hours before making up
12	to the reactor coolant system?
13	MR. EIMAR: That's correct.
14	MEMBER RAY: What's the level in the
15	reactor vessel at that point in time?
16	MR. EIMAR: Basically the upper head, we
17	have four level indicators, right? And when you go
18	below, it basically shows a bubble.
19	MEMBER RAY: Yes.
20	MR. EIMAR: The largest bubble we expect
21	to get, it would be three of those indicators would
22	indicate a void. So we still have water in the upper
23	head.
24	MEMBER RAY: Okay.
25	MR. EIMAR: At 21 percent minimum level.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	76
1	MEMBER RAY: And when we're doing this
2	sometimes we get confused between best estimate and
3	MR. EIMAR: Right.
4	MEMBER RAY: decay heat level. What
5	are we using?
6	MR. EIMAR: Best estimate decay heats.
7	MEMBER RAY: Okay.
8	MR. EIMAR: We did not use the one we would
9	use for an accident analysis.
10	MEMBER RAY: Right.
11	MR. EIMAR: Right?
12	MEMBER RAY: Okay.
13	MR. EIMAR: Okay? Anything else?
14	MEMBER RAY: No.
15	MR. EIMAR: Okay. The next one would be
16	at about hour 72. At that point we would have now
17	this is where 4160, where it's in here. It's part
18	of our guideline, but Palo Verde can cope to the 72-
19	hour point for indefinite coping with 480 volt. We
20	don't need 4160 for coping. We're going to get 4160
21	from the National SAFER Response Center as
22	defense-in-depth. Because when I initially power up
23	the buses, the 480-volt, I'm going to power up one side
24	of the Alpha side. When I get the 4160, I can tie it
25	onto the Bravo side and it gives me those four 180-volt

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	77
1	buses. So it will give me additional equipment. So
2	the 4160 for Palo Verde is like a defense-in-depth, so
3	it's like I want to say FLEX-plus. It gives us the
4	other side to energize with the SAFER Response Center
5	generators that we'll be receiving.
6	At that point at Palo Verde when we trip
7	our control rods we're at a negative 14,000 pcm of
8	reactivity, so we don't have a restart concern. And
9	the lowest shutdown margin is at 72 hours is a
10	Keffective of 0.93. So we're in good shape there from
11	a restart concern.
12	And then at that point we also have our
13	water reclamation facility at Palo Verde. That's
14	where we get our cooling water from. And we have a
15	pipeline that we can install. We have a contract with
16	a vendor that will fuse together some 12-inch
17	high-density polyethylene 20-foot sections of pipe. A
18	crew of 26 people in 48 hours can run the pipe from water
19	rec over to the units to give us water reclamation
20	water, if we needed to use it. So we get plenty of water
21	from water rec.
22	MEMBER RAY: I guess one other point from
23	the members here, it's important on this reactor
24	coolant inventory is a concern of mine.
25	MR. EIMAR: Yes.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	78
1	MEMBER RAY: Is you get the pressure down
2	so you can get the safety injection tank inventory added
3	to the RCS inventory is what makes all of this work from
4	an RCS inventory standpoint.
5	MR. EIMAR: Yes, sir.
6	MEMBER RAY: So you got to get that
7	cooldown, not just remove decay heat, but get the
8	cooldown going to reduce the pressure to the point where
9	the safety injection tanks will dump into the RCS.
10	MR. EIMAR: Yes, that's the whole purpose
11	of cooling down
12	MEMBER RAY: Absolutely.
13	MR. EIMAR: to decrease that leakage
14	through the seal and then get the safety injection tanks
15	
16	(Simultaneous speaking)
17	MEMBER RAY: In the past we would just
18	stand by
19	MR. EIMAR: And we'd just sit there and
20	wait, yes.
21	MEMBER RAY: and naturally circulate
22	and remove decay heat that way.
23	MR. EIMAR: Yes, sir.
24	MEMBER RAY: But then you run out of RCS
25	inventory much quicker than this.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	79
1	MR. EIMAR: Yes.
2	MEMBER RAY: So to get credit for the SIT
3	tanks you got to get the pressure down.
4	MR. EIMAR: Right. And to back up our
5	strategy we did CENTS analysis to do that. So the
6	CENTS analysis validated what we wanted to do, and we
7	used that to help us develop the strategy.
8	MEMBER CORRADINI: What analysis? I'm
9	sorry.
10	MR. EIMAR: CENTS. It's a code, a
11	computer code.
12	MR. BAUER: It's a thermohydraulic code
13	for CE plants.
14	MEMBER CORRADINI: Oh, okay.
15	MR. EIMAR: Okay?
16	MEMBER SKILLMAN: Gene, when you say
17	you've reached our lowest shutdown margin of decay
18	effective
19	MR. EIMAR: Yes, sir.
20	MEMBER SKILLMAN: are you
21	communicating that it will not go lower than 0.93?
22	MR. EIMAR: Yes, it won't go any closer to
23	Keffective equal to one, right. This is as high
24	Keffective is 0.93.
25	MEMBER SKILLMAN: That's the greatest

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	80
1	that it's going to be?
2	MR. EIMAR: Right. As far as Keffective,
3	that's the largest it's going to be.
4	MEMBER SKILLMAN: Thank you.
5	MR. EIMAR: Yes, the 14,000 pcm on
б	negative reactivity.
7	MEMBER SKILLMAN: Okay. Thanks.
8	MR. EIMAR: Okay? And then also the
9	safety injection tanks when they go in add borated
10	water, so that helps out.
11	MEMBER SKILLMAN: Okay.
12	MR. EIMAR: Okay? And then at 75 hours is
13	when we would be putting on the alternate pump, if
14	required. Because at that point we figure we got
15	really low decay heat and it would be good to have a
16	FLEX pump running to feed the steam generators.
17	MEMBER CORRADINI: Because it's not
18	steam-driven?
19	MR. EIMAR: It's not steam-driven.
20	That's correct.
21	MEMBER CORRADINI: Okay. So at least at
22	Palo Verde the strategy is to stay with the aux feed
23	as long as possible?
24	MR. EIMAR: As long as possible. That's
25	correct.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	81
1	MEMBER CORRADINI: But it is available at
2	about the 36-hour point well, the 38-hour point it's
3	available, so if I needed it before then, I could have
4	it.
5	MEMBER CORRADINI: Okay. But that's an
6	on-site FLEX pump?
7	MR. EIMAR: It's an on-site FLEX pump.
8	That's correct.
9	The only thing that's here that comes from
10	the National SAFER Response Center for this timeline
11	is the 4160 generators at the 72-hour point.
12	Everything else that's on here is either an installed
13	component or comes from the Phase II stuff stored on
14	site.
15	MEMBER CORRADINI: And then the only other
16	thing I guess, just to make sure I understood your
17	timeline, is that you do need power at 34 hours to
18	MR. EIMAR: Right.
19	MEMBER CORRADINI: do the venting of
20	the safety injection tanks, etcetera, etcetera.
21	MR. EIMAR: We don't need the power to vent
22	the safety injection. We need the power to power up
23	a charging pump so that we maintain natural circulation
24	to go to reflux cooling. So the priority there is to
25	get injection into the reactor coolant system. But by

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	82
1	getting that generator to power the 480, I get a battery
2	charger which allows me DC power, but I do have adequate
3	DC power without that to vent the safety injection
4	tanks.
5	MEMBER CORRADINI: Oh, you do?
6	MR. EIMAR: Yes.
7	MEMBER CORRADINI: Okay.
8	MR. EIMAR: Because of the tanks the
9	particular vents that we selected. So we would have
10	adequate. Okay? But the primary purpose is to get RCS
11	injection to make up for the volume loss of water.
12	Okay. We already talked about this. The
13	safety injection tank, we're going to have the
14	operators at about 500 degrees start monitoring the
15	level. We may revise this in the future because when
16	we did it in the simulator it was way early. We could
17	probably wait until about 400 degrees to start
18	monitoring it, but it's one of the things we're looking
19	at for a future revision to the procedure. So that way
20	we don't forget that we have to worry about nitrogen
21	getting into the RCS. And I said before, a 10 percent
22	wide range we'll vent the safety injection tank to
23	containment atmosphere so that that way the passive
24	injection will no longer function.
25	So to exit this procedure, there's just

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	83
1	three ways you can get out of it, is basically you
2	restored a class 4160 bus. So you have capability from
3	diesel generator from the grid to restore that 4160 bus.
4	That's one way to get out of it.
5	The other one is that we basically the
6	emergency coordinator directs the unit to enter
7	procedures basically developed by the tech support
8	center. Now we may have alternate generators on site
9	and we'll create a procedure to get there.
10	And the other one is if conditions have
11	degraded where you're going to get core damage, you're
12	no longer in FLEX support and you need to go to the
13	Severe Accident Management Guidelines, if necessary.
14	MEMBER CORRADINI: Gene, what powers your
15	tech support center?
16	MR. EIMAR: What powers the tech support
17	center? At Palo Verde it's got its own diesel
18	generator, which is not seismic and may fail.
19	MEMBER CORRADINI: Okay.
20	MR. EIMAR: But for communications we've
21	done a communications modification so that we'll still
22	be able to communicate and have computers. So they
23	will have a way to communicate with the control room,
24	if they need to. But this at the point you get here
25	for the tech support center taking over would be beyond

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	84
1	24-hour time frame.
2	MEMBER BLEY: Gene, do the SAMGs, or will
3	the SAMGs recognize the existence of the FLEX
4	equipment?
5	MR. EIMAR: They don't now, but they will.
6	The issue is like steam generator fill for our Severe
7	Accident Management Guideline, right now it takes water
8	out of our circ water canal
9	MEMBER BLEY: Yes.
10	MR. EIMAR: through a fire truck and it
11	pumps it into vents on the feedwater system inside our
12	turbine building. Well, that doesn't work for this
13	event because the turbine building is not seismic and
14	we don't want to us circ water because circ water is
15	really dirty. So we had to change the injection point.
16	We had to change the water sources.
17	So I'd expect eventually that as we get
18	done with this project that we'll go back and modify
19	the SAMGs and realize that there's other places you can
20	inject water. And it makes it a little bit easier
21	because of the connections and where they're located.
22	At Palo Verde we took the option of most of all of our
23	mechanical connections are outside the building. We
24	don't do anything inside the building. So from the
25	wall of the plant into the injection point it's

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

85 hard-piped. So we welded pipe all the way down. 1 And we have isolation valves. 2 For our electrical connections we have a 3 plug-in on the wall on the outside of the building. 4 And then inside the building it's cable inside conduit that 5 goes to either a breaker or a disconnect switch or 6 7 something so that we don't run hoses or cables inside 8 the plant. With the exception of one of our pumps, our 9 alternate RCS injection pump can be installed on 100 foot of our auxiliary building. And that will have a 10 11 short run of pipe, or a short run of hose to install 12 it to the piping. But the primary strategy is external to the 13 14 So we specifically did that because of our plant. 15 It gets hot and will be really hot weather conditions. 16 in the building, so wanted to minimize the amount of 17 hoses and cables that we had people hauling through the 18 plant in the heat. 19 MR. AMWAY: And our SAMGs will recognize 20 the FLEX equipment as well. 21 MEMBER SKILLMAN: Let's just pull on that For Nine Mile under 7 to 10 feet of snow how 22 thread. 23 do you do this? 24 MR. AMWAY: Well, there's snow removal 25 equipment that we'll have. I mean, we do have --

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	86
1	(Laughter)
2	MR. AMWAY: removal equipment. We're
3	certainly used to snow, in feet, not inches, and we have
4	sufficient snow removal equipment that will be able to
5	clear paths, keep the access paths clear.
б	We'll get an opportunity to see one of the
7	pieces of debris removal equipment we have that will
8	certainly push the snow out of the way.
9	MEMBER SKILLMAN: I wasn't trying to be
10	razzle-dazzle. I was just it's real, and we're
11	seeing that right now.
12	MR. AMWAY: Absolutely. That's correct.
13	MEMBER SKILLMAN: Yes. Thank you.
14	MR. EIMAR: We'll just wait for ours to
15	melt, I think.
16	(Laughter)
17	MR. EIMAR: One of the major appendices in
18	our FLEX Support Guidelines is our Appendix Alpha,
19	which is the DC load shed. And again, that's to extend
20	the life of the class batteries primarily so we can
21	maintain heat removal with aux feed water and
22	atmospheric dump valves. It allows for continued
23	operation of those two pieces of equipment from the
24	control room. We wanted to make sure the control room
25	operators were doing it rather than someone in the field

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

on a sound-powered headset. And it complicates things the more people have to communicate with. But that is our alternate, is to operate in the field using sound-powered phones.

We want to get this accomplished in less than two hours, because every minute you delay getting it, it shortens the life of the batteries. If we took up to nine hours after the event to complete this, the batteries only last 24 hours, so we would lose a little over a minute for every minute that we delay. So it's important to get this done. It was emphasized with the operators. They understand that. The auxiliary operators that we had walked it down, understood the importance of it. So it's quite an extensive list.

15 And as I mentioned earlier it lists the 16 breaker number and the equipment that's being supplied. 17 So if you needed to pick an alternate instrument or an 18 alternate component, you'd say, okay, I've lost the 19 Bravo this. I'm going to go to Charlie that. And now 20 you have a breaker number. Send and AO out. Hey, qo 21 close this breaker. He knows which one to close.

22 MEMBER BLEY: Is all of the DC load shed 23 -- by analysis and walkdown is there any effort during 24 the shutdown to see what -- the thing I'm thinking about 25 is at least in some places I've been things like DC can

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

(202) 234-4433

87

	88
1	leak through places you don't expect and if you don't
2	actually go through and open breakers and see what
3	happens, you might get surprised.
4	MR. EIMAR: We did not go through and open
5	breakers in an operating unit. To do this it was based
6	upon system analysis of the drawings, the plant
7	drawings and things like that. And it's pretty clear
8	when you get on the class side.
9	And then this is one of the things we talked
10	about: if we got into this event where would there be
11	a problem? Well, if I started down this line and I've
12	got an AO and I send two AOs out and in a half an hour
13	they get this done, and then 20 minutes later I get DC
14	power. I haven't completed the cooldown and I haven't
15	got my FLEX equipment to energize any of the buses so
16	I could start restoring things and get a battery charger
17	back in service, but then I can send AOs out to re-close
18	the breakers that they'd opened. So the only impact
19	on this would initially be that I cool down a little
20	bit and now I've stabilized and I've got some DC loads
21	that are de-energized that I now want to re-energize.
22	MEMBER STETKAR: Have you looked at what
23	happens if you re-energize those things? Because I've
24	seen plants where stuff locks in
25	MR. EIMAR: Locks in, right. Yes.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	89
1	MEMBER STETKAR: and when you bring
2	power back
3	MR. EIMAR: Right.
4	MEMBER STETKAR: stuff does stuff that
5	you didn't really expect it to do.
6	MR. EIMAR: Yes.
7	MEMBER STETKAR: It's not a clean
8	MR. EIMAR: Yes, we know that is a
9	possibility. But again, we did not go out into the real
10	plant and de-energize it to see what that impact would
11	be.
12	MEMBER STETKAR: Well, it isn't even
13	de-energized. It's when you bring power back.
14	MR. EIMAR: When you bring it back, right.
15	MEMBER STETKAR: There's stuff locked in
16	that you didn't recognize that that valve is going to
17	go open because there's something
18	MR. EIMAR: Well, right. For valves and
19	things like that we do have for actuation systems
20	we do have procedures for de-energizing them during
21	outages. So we know the impact from that sort of thing
22	from our outage experience when we de-energize buses.
23	So for component movement. But instruments that may
24	lock in at a certain value we don't necessarily know
25	that.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	90
1	What we did for the simulator, one of our
2	simulator instructors was able to trick our simulator
3	into the load shed. So it was interesting to watch the
4	crews, because as they're responding the plant, this
5	would go away, that would go away. And he did it as
6	an AO going out there to de-energize equipment. Then
7	he also simulated the even though the non-class
8	batteries are in a non-seismic building, we left those
9	energized for the event. And then they went away after
10	a certain period of time because our computer is
11	non-class powered. So that computer went away and that
12	shifted them to specifically looking at analog meters
13	that were energized.
14	MR. AMWAY: And I wanted to address that
15	because that point is well taken. Sometimes it's not
16	when you lose the power. It's when you're bringing it
17	back.
18	MR. EIMAR: Bringing it back, yes.
19	MR. AMWAY: And our restoration
20	procedures will generally where that DC power
21	impacts instrumentation and control for systems we will
22	generally take manual action to remove that equipment
23	from service, put a pump control switch and pull the
24	lock, de-energize, whatever, to make sure that it won't
25	automatically restart when you re-energize the load.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	91
1	MR. EIMAR: And we learned that the hard
2	way many years ago at Palo Verde when we de-energized
3	things and then re-energized them. And, oh, that comes
4	on. So as I said, now we've got it into our outage so
5	that we control that activity so we don't get auto
6	starts or things failing when we bring power back.
7	Okay?
8	MEMBER BLEY: At least from your
9	experience in outages a lot of this has actually
10	been
11	MR. EIMAR: Right. Yes.
12	MEMBER BLEY: is coming through.
13	MR. EIMAR: These parts. I mean, never
14	have we
15	MEMBER BLEY: Yes, not the whole thing.
16	MR. EIMAR: Not the whole thing, but bits
17	and pieces
18	(Simultaneous speaking)
19	MR. EIMAR: over the years.
20	MEMBER BLEY: Okay. Yes.
21	MR. WEBSTER: And a lot of these are built
22	on existing procedures that are like maintenance
23	operating procedures where you're taking this thing out
24	of service so that information is used to determine
25	what's going to happen, when the power can move and it's

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	92
1	been validated through the outages again.
2	MR. EIMAR: Okay. The next couple of
3	appendices are important because they give us the
4	control room the status of the plant. So we send
5	operators out to do walkdowns. The primary walkdown,
6	that's going to look at the spent fuel pool gate seals
7	and ensure there's no issue there. So he goes and
8	verifies it. We've done a modification to our spent
9	fuel pool gates to supply an extra air supply bottle
10	at the 100-foot elevation.
11	MEMBER BLEY: I've lost that slide a
12	little bit.
13	MR. EIMAR: Okay.
14	MEMBER BLEY: What trigger is doing this
15	Appendix B walkdown?
16	MR. EIMAR: Oh, this is when you get into
17	the procedure.
18	MEMBER BLEY: Yes.
19	MR. EIMAR: You've sent a AO or two out to
20	do the DC load shed. Now you've got a couple other AOs,
21	going to send them out to do other things.
22	MEMBER BLEY: This is like the next thing
23	you after that?
24	MR. EIMAR: This is the next step, right.
25	MEMBER BLEY: Okay.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

```
(202) 234-4433
```

	93
1	MR. EIMAR: So they're going to go out and
2	do this walkdown, the primary guys. We purchased as
3	a response to IER-11-4 some submersible instruments for
4	a spent fuel pool level and temperature. You drop them
5	in the pool and it tells you the temperature where the
6	probe is at.
7	MEMBER BLEY: Yes.
8	MR. EIMAR: It tells the height of water
9	above it. This is not part of FLEX because it doesn't
10	meet the order for spent fuel pool level, but it's the
11	defense-in-depth that we have at Palo Verde. So one
12	of the actions is the guy will put those in the pool.
13	They have a remote indicator on a cable. You run it
14	out and you can tell what the spent fuel pool level and
15	temperature is. We'll probably run it outside the
16	building where our makeup connections are to give the
17	people operating out and indication where the spent
18	fuel pool level is.
19	MEMBER BLEY: Oh, from outside?
20	MR. EIMAR: From outside, right. Yes,
21	because it's on a cable and the temperature probe that
22	goes into the water.
23	MEMBER BLEY: Right.
24	MR. EIMAR: And then it's got wiring that
25	you can run down and, you know, be a couple of hundred

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	94
1	feet away and tell what the level is.
2	MEMBER BLEY: Is that a common thing?
3	I've never heard of
4	MR. EIMAR: It's not. No, it's not
5	common.
б	MEMBER BLEY: Okay.
7	MR. EIMAR: They're on the instruments
8	that we purchased in response to INPO's IER-11-4.
9	MEMBER BLEY: Okay.
10	MR. EIMAR: Because that was the guidance
11	we had earlier before we had the orders.
12	We're going to open up our fuel building
13	roll-up door because we're going to the strategy in
14	the spent fuel pool is to have it boil, and we want
15	somewhere for that steam to go. So that's going to go
16	out through the full building roll-up door.
17	He's going to look at the status of
18	equipment that's necessary, like anything in the aux
19	building. He's going to make sure that there's some
20	containment integrity actions he needs to take. We
21	have one valve that does not close. It's a chill water
22	valve. But there is check valve on that line, so it
23	needs containment integrity. But we'll have manual
24	capability of closing that valve to ensure that
25	everything else in the containment is bottled up so we

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	95
1	have containment integrity.
2	He's going to look at the spent fuel pool
3	status, get level, temperatures, things like that.
4	Then he's going to go out and look at our reactor makeup
5	water tank, because it is a backup to our condensate
6	storage tank, to ensure that it's available.
7	Then he's also going to look and see if
8	we're doing any dry cask storage operations and make
9	sure that those guys are aware of what's going on and
10	that they can put it in a safe condition. They have
11	procedures to put it in a safe condition with loss of
12	power. So if we're doing dry cask operations
13	MEMBER BLEY: There's nothing active
14	going on out there, is there, unless you're moving a
15	cask?
16	MR. EIMAR: Well, at Palo Verde we have
17	fuel movements going on in the fuel building almost all
18	the time because we do an outage every six months. And
19	so either you're moving in new fuel
20	MEMBER BLEY: Yes.
21	MR. EIMAR: or moving out old fuel or
22	you're refueling your reactors.
23	MEMBER BLEY: So there's pretty much
24	something going on all
25	(Simultaneous speaking)
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433
	96
----	--
1	MR. EIMAR: So the fuel team stays pretty
2	busy between the three units.
3	MEMBER BLEY: Yes, okay.
4	MR. EIMAR: Secondary operators are going
5	to look at the condensate storage tank. This is where
6	he can go get the local level of the tank to ensure that
7	there's adequate level there.
8	He's going to look at the main turbine
9	generator, if the turbine building survives the event.
10	We're going to vent the hydrogen from the generator
11	because once the seal oil pump goes away on loss of
12	power, it's going to free release hydrogen to the
13	building and we'd rather vent it outside than have it
14	go in the turbine building and cause potential for
15	fires.
16	He's going to break condenser vacuum.
17	Then we're going to isolate our diesel generator yes,
18	sir?
19	MEMBER STETKAR: Do you think about a fire
20	starting when you vent the hydrogen? I've seen
21	hydrogen vents open up and you get nice flames out of
22	the vent.
23	MR. EIMAR: Right. Ours vents outside
24	the building, so we're in good shape. But you could
25	have a fire; that's true.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	97
1	MEMBER STETKAR: Yes.
2	MR. EIMAR: But again the rules for
3	NEI-12-06, there's no other event. So at this
4	particular time there is no fire.
5	MEMBER STETKAR: Okay. So according to
6	the rules the hydrogen
7	MR. EIMAR: Yes.
8	MEMBER STETKAR: knows that it's not
9	going to burn.
10	MR. EIMAR: Yes, it does what it's
11	supposed to do.
12	(Laughter)
13	MR. EIMAR: It follows the rules. It
14	knows what they are.
15	MEMBER STETKAR: No, I'm mean, seriously.
16	I've actually vented hydrogen
17	MR. EIMAR: I know, yes.
18	MEMBER STETKAR: and you get it's not
19	a big flame, but it is a flame.
20	MR. EIMAR: Oh, it's a flame.
21	MR. AMWAY: If I could add to that just a
22	second, I mean, because boilers have the same hydrogen
23	in the generator.
24	MR. EIMAR: Yes.
25	MR. AMWAY: That process of venting off

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	98
1	the hydrogen initially before you even purge it with
2	Co2 is really no different than you'd do under normal
3	ops. It goes right up the vent pipe. I mean, it's
4	designed for that function, to vent off the hydrogen.
5	MR. EIMAR: And we do this every outage.
6	MEMBER STETKAR: I'm just saying about
7	distractions of what's going on. My God, we have a fire
8	going on.
9	MR. EIMAR: And you're right, that's
10	important, but our fire department Palo Verde has
11	our own fire department on site and their priority is
12	the reactor first.
13	MEMBER STETKAR: Yes.
14	MR. EIMAR: And if the turbine building
15	burns, the turbine building burns.
16	MEMBER STETKAR: Okay.
17	MR. EIMAR: There's no equipment in the
18	turbine building I need to respond to this event. So
19	the priority rests with maintaining core and the spent
20	fuel pool.
21	MEMBER STETKAR: Okay.
22	MR. EIMAR: So the next thing we're going
23	to do is we're going to isolate the starting air
24	receivers for the emergency diesel generators. We
25	don't have a leaky air system, but we want to make sure,

(202) 234-4433

	99
1	so we're going to get as close as we can to the
2	accumulator so that if I do get a diesel back, I'll have
3	starting air for it so I can run it.
4	We're going to look at the nitrogen system
5	status, instrument air, fire protection, if those
6	survive the event. Then we're going to look at the
7	turbine-driven auxiliary feedwater pump. Make sure
8	that there's no issues down there. He's also going to
9	look at our transformers and our spray ponds and see
10	what their status is.
11	Then the control room is basically going
12	to keep track of all those actions. They're going to
13	track the status of the information gathered by the
14	auxiliary operators. They're going to keep track of
15	the class battery status. They're going to direct that
16	the main turbine generator hydrogen will be vented, to
17	make sure that it is done. They're going to track the
18	starting air receiver status, coordinate with water rec
19	and fire department for providing water to the units.
20	Because if I don't get to install that piping in, at
21	Palo Verde we have enough fire hose and fire vehicles
22	to pump water over from water rec if I needed to. And
23	they're also going to look at the nitrogen usage for
24	the atmospheric dump valves to ensure that they last
25	for 16 or more hours.

(202) 234-4433

	100
1	So at Palo Verde we rank water so we can
2	determine what is a priority, to let operators know,
3	here, this is the water you want to use. We contracted
4	with Westinghouse to do this. They had a 1 to 10
5	ranking system, 1 being the best. So our condensate
6	storage, demin water, surge rinse tank, those were
7	things that were high on the list. We got down to the
8	cooling water and evap ponds. That's the water don't
9	want to use. So it was lower on their list. So just
10	a way of prioritizing water to help the operators. If
11	you go to an alternate source, here's a place to get
12	water from. But our strategy relies on using the
13	condensate storage tank, reactor makeup water tank.
14	So that that water is all ranked as a one.
15	Then we have a Appendix Kilo. This is
16	where we get into security, because we're going to pop
17	open security doors. So it basically provides a list
18	of doors that will be open to implement the guideline.
19	It notifies security of the doors. And in particular
20	we're going to open up the roll-up door, turbine
21	building aux feedwater pump, which is a vital area that
22	opens that up. Control building doors, if we need to
23	ventilate the control room, and supply the 480-volt
24	load centers, if we have to go an alternate way to do
25	that.

(202) 234-4433

	101
1	So we get into this. Security has to
2	consider implementation of 10 CFR 73.55(p). that you
3	have to declare 10 CFR $50.54(x)$. So the control room
4	is going to be this will be place per the regulations
5	where you would have to get $50.54(x)$ for them to deviate
6	from the security plan. But initially when you're in
7	the event, up early, when you start de-energizing class
8	batteries and deviating for your station blackout
9	procedure, you'll probably want to consider 50.54(x)
10	at that time.
11	Then Appendix Tango is another one of our
12	appendices that talks about deployment of the
13	equipment. We divided our delivery into three
14	different packages based upon priority. Our first
15	priority is communication vehicles. We want to be able
16	to communicate off site. We did modifications at Palo
17	Verde that allows us we put a satellite on Unit 1's
18	control building. It's seismic, so it's a satellite
19	dish that deployable from the control room. We've
20	tested it. We can make outside phone calls with it.
21	And then the three units are connected
22	together with antennas. So Unit 1 has the
23	communication off site, but all three units can
24	communicate at time zero in this event. It's got a UPS
25	backup. But then by the six-hour point we need to

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	102
1	install the communication vehicles because they
2	provide a link to areas outside the plant into the
3	protected area for deployment of equipment. So
4	Attachment T-1, Package 1 is communication vehicles and
5	some 10 kW generators to provide light stands and
6	ventilation into the control room, if needed.
7	Attachment T-2, this is where we start
8	moving over the bigger stuff, the 800 kW 480-volt
9	generators. And we move that over and a reactor
10	coolant system makeup pump, because that's the first
11	component we really need to inject water into the
12	reactor coolant system. And then the last one brings
13	over another generator, a spent fuel pool makeup pump,
14	and a steam generator makeup pump.
15	So we have a T-6 schedule that we've laid
16	out for deployment of this. We have the resources set
17	aside. We did this as part of our validation and our
18	staffing study to determine what resources we needed
19	to move equipment. So that's what we did.
20	MEMBER CORRADINI: And this is on site?
21	MR. EIMAR: This is on site. That's
22	correct. This is not the SAFER Response Center
23	equipment.
24	MEMBER CORRADINI: Okay.
25	MR. EIMAR: And that's the end of my

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	103
1	presentation. Are there any other questions?
2	CHAIRMAN SCHULTZ: Questions from the
3	Committee?
4	MEMBER RAY: Scott, Arizona still has
5	retrospective rate making, I assume, don't they?
6	MR. BAUER: Retrospective rate
7	MEMBER RAY: Rate making, yes. Recovery
8	of costs that are prudently incurred?
9	MR. BAUER: Yes.
10	MR. EIMAR: Yes.
11	MEMBER RAY: Okay.
12	MR. BAUER: Fortunately.
13	MEMBER RAY: Yes, we have this discussion
14	sometimes. It's more difficult to recover prudent
15	costs in other places.
16	MEMBER Other questions for Gene?
17	CHAIRMAN SCHULTZ: Was there a video you
18	were going to show?
19	MR. EIMAR: Bill's going to show it
20	after
21	MEMBER STETKAR: Okay.
22	MR. EIMAR: if we have time.
23	MR. BAUER: Yes, so just to check on time
24	here, I know it's break time. We had hoped to get
25	through two presentations by now, so obviously we're

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	104
1	running a little behind. But I think if we go through
2	Bill's, it gives the gist of what it took to get to a
3	point of having all this implemented. And then we do
4	have two videos. One is some elevation exercises done
5	at Palo Verde, along with some control room training.
б	And then we have an actual the control room video
7	for a control room simulator event that basically shows
8	when this starts, the actions in the control room when
9	they're being taken. And Phil was going to preface
10	that before he started his presentation.
11	CHAIRMAN SCHULTZ: Good. Scott, let us
12	do this: I'm going to call for a break now. I am going
13	to
14	CONSULTANT SHACK: Well, I'd like to ask
15	a question, Steve, before we
16	(Simultaneous speaking)
17	CHAIRMAN SCHULTZ: Yes, go ahead, Bill.
18	CONSULTANT SHACK: In 12-06 the only
19	qualification for equipment tells you that portable
20	towable equipment that's designed for over-the-road
21	transport is sufficiently rugged to function following
22	the seismic event. Is there any portable equipment
23	that doesn't meet this requirement that's dependent
24	upon your Phase I and Phase II?
25	MR. EIMAR: No, sir.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	105
1	CONSULTANT SHACK: Communication
2	vehicles, you're not really depending on those?
3	Those are just convenient?
4	MR. EIMAR: Well, they're for
5	communications. They're not to mitigate the event,
6	right? They're to communicate what's going on, but
7	they're also they're over-the-road vehicles. I
8	mean, they were built in Idaho. They drove them down
9	from Idaho. Or Montana. Excuse me. Montana.
10	CONSULTANT SHACK: Okay. Thank you.
11	MR. EIMAR: Yes.
12	CHAIRMAN SCHULTZ: Okay. So what the
13	plan will be is I'm going to call for the break. I am
14	going to allow the break to run until 10:20, and that
15	can allow you to organize and make sure that the
16	presentations are ready to go. And we will run those
17	from 10:20 until the time we break for lunch. We are
18	scheduled to break for lunch at 12:00, but I'm expecting
19	we will go into the lunch hour and shorten the lunch
20	hour so we can keep the Committee's schedule relatively
21	in place for the afternoon.
22	I want to thank you, Gene, for your
23	presentation.
24	MR. EIMAR: Thank you.
25	CHAIRMAN SCHULTZ: That was very good this
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	106
1	morning to get us started here.
2	I do also want to note since we've been
3	talking about Palo Verde that the Committee is now
4	scheduling a Region IV trip this spring and we are
5	likely to be on site the week of May 18th for a visit
6	to see the equipment we've discussed.
7	MEMBER STETKAR: They may not have heard
8	about this yet.
9	(Laughter)
10	MR. BAUER: It cools off at night in May.
11	CHAIRMAN SCHULTZ: With that, I'm going to
12	recess the meeting for a break.
13	(Whereupon, the above-entitled matter
14	went off the record at 10:07 a.m. and resumed at 10:22
15	a.m.)
16	CHAIRMAN SCHULTZ: I'd like to bring the
17	meeting back into session. I did want to announce for
18	the record that Member Charlie Brown joined us at the
19	beginning of the last session, but was not here for the
20	roll call.
21	And with that, I would like to start the
22	next portion of this morning's meeting. And, Scott,
23	I'll turn it back over to you to tell us where we're
24	headed next.
25	MR. BAUER: I'd like to introduce Bill

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	107
1	Webster from Dominion. He's going he was in charge
2	of the implementation of FLEX at North Anna 2.
3	MR. WEBSTER: Correct.
4	MR. BAUER: And former STA, so again with
5	an Ops background here. And he's going to walk through,
6	basically, the process of getting this implemented at
7	a site. So, there's a lot of pictures of the
8	installation and stuff like that in his presentation.
9	CHAIRMAN SCHULTZ: Thank you, Bill.
10	MR. WEBSTER: All right. So, again, we're
11	going to talk about the implementation for Dominion and
12	the lessons that we learned. We're going to look at how
13	the strategies and the modifications that we did were
14	developed and installed. We're going to look at we call
15	it the beyond design basis storage facility that houses
16	the FLEX equipment. The site portion of the Phase 3 with
17	the National SAFER Response Center implementation, the
18	programs, the communications that we established, some
19	training, and then finally the validation of the FLEX
20	strategies that we performed at Dominion.
21	So, Dominion fleet, we have two operating
22	units at Millstone. One is a CE PWR and the other one
23	is a Westinghouse 4-loop PWR. There's also a
24	Millstone 1 has been shut down and decommissioned
25	now for more than 10 years.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

At North Anna we have two operating units. They're both Westinghouse 3-loop PWRs, and at Surry it's the same, Westinghouse 3-loop PWR. And Dominion also has Kewaunee unit that was shut down last year, and that's going into decommissioning, so it's not included in discussion of these slides.

7 So, the strategy development, initially, 8 we began the strategy of what to do in an extended loss 9 of AC power following the Fukushima event, basically 10 started with the IER from INPO 11-4. We began at 11 Dominion putting our teams together to look at how to 12 analyze what response we could develop that would 13 prevent core damage with that, and it was а 14 multi-discipline team, including Engineering and 15 Operations in the 11-4 development. So, that went into 16 the Order EA-12-049, and the things that were done for the order was --- the kickoff was from the work that 17 18 we did prior to the order from 11-4.

19 So, the strategy, we did detailed analysis 20 to determine the timelines and the strategy would be 21 successful, included and they battery analysis 22 following load shedding, and of Gene's some 23 information, he talked about how load shedding allowed batteries to be extended so we maintain DC power for 24 25 instrumentation.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

	109
1	We did secondary auxiliary feedwater
2	source analysis, and determined how much auxiliary
3	feedwater we had, how long it would last, you know, what
4	sources they were to give us a timeline for that.
5	We did the primary calculations,
6	Westinghouse the PWROG, the Owner's Group did some
7	work for the Westinghouse sites. And, actually, they
8	did some work for Westinghouse CE & B&W. They gave us
9	some information about how the RCS responded, so
10	Dominion used that information and compared it to
11	applicability to sites, and that determined when we
12	when we determined when we needed RCS injection.
13	We also did detailed reactivity analysis
14	to make sure that Keffective less than .99 throughout
15	the event, and some of that analysis that we did was
16	just what is the limiting case, where does it begin the
17	life, end the life, and when exactly we needed a boron
18	addition to maintain criticality after the event.
19	We also did some detail hydraulic analysis
20	to verify that the pumps and equipment that was
21	installed would be successful in delivering the water
22	that was needed. We did some ventilation analysis in
23	various areas to make sure that the equipment would be
24	functional with the loss of power from the normal
25	ventilation equipment, and also those areas would be

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	110
1	accessible for people to get in and do actions in the
2	areas.
3	And then, finally, was a detailed
4	electrical analysis to make sure that the equipment
5	that we needed to restore the AC power sources would
6	be adequate to meet the loads that were needed to
7	maintain the function that we needed.
8	So, once we got the analysis done, then we
9	C-the strategies were developed, and then we submitted
10	that to the NRC in response in February 2013. And then
11	after that, we started developing the design changes
12	to implement the modifications and the strategies at
13	the site.
14	MEMBER BLEY: Bill, before you go to that
15	one.
16	MR. WEBSTER: Yes. We're going to cover some
17	more details, but
18	MEMBER BLEY: Did you have to do things like
19	open doors, or set up some kind of portable ventilation?
20	MR. WEBSTER: In some cases we did. In some
21	cases for North Anna, for example, similar to Palo
22	Verde, the turbine-driven aux feedwater pump house
23	temperature was elevated, but if you open the door that
24	temperature was maintained in that room, so that was
25	an example where we had to when ventilation now is

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	111
1	closed we had to take an action that would open doors,
2	yes.
3	MEMBER BLEY: All of that is built into the
4	C-
5	MR. WEBSTER: All of that is built into the
6	strategies, and the procedures, and the validation that
7	the operators know that that specific door has to be
8	open, and what time frame it has to be opened in. Yes?
9	MEMBER STETKAR: Bill, one I don't care
10	about the details but just sort of general philosophy.
11	I heard one philosophy from Palo Verde about load
12	shedding, where they essentially got you half plant
13	indication. Is that sort of the same philosophy in your
14	fleet, or do you load shed them both down so that you
15	have full indication?
16	MR. WEBSTER: Generally speaking, that we
17	were load shedding to where you typically had one train
18	
19	MEMBER STETKAR: Okay, thanks. That's all
20	I have was looking for. Thank you.
21	MR. POWELL: Yes, the concept that we all
22	typically are not a lot of us
23	MEMBER STETKAR: That's what I'm trying to
24	get.
25	MR. POWELL: Rigged for reduced electrical
	NEAL R. GROSS

(202) 234-4433

	112
1	demand, similar to what was done on submarines. And
2	you'd go to a minimum set of instrumentation but to
3	maintain the plant.
4	MEMBER STETKAR: Yes. There's different
5	ways you can get rid of loads. Thanks.
6	MR. WEBSTER: So, we looked at the Palo
7	Verde response and the timeline, and this is just a
8	comparison to similar parameters at our plant. And we
9	talk a little bit about the emergency condensate
10	storage tank, and you can see for North Anna and Surry
11	we basically have about four hours worth of water
12	initially before we have to do some action to add water
13	to the emergency condensate storage tank.
14	And, again, decay heat removal, there's a
15	local manual action to operate the PORVs at North Anna,
16	and again at Surry. For our load shedding it's an 8-hour
17	battery life at North Anna, 14 hours at Surry. Inventory
18	at all of our units we need to make up water prior to
19	17 hours, prior to getting into reflux boiling areas.
20	Actually, the reactivity makeup is many hours later,
21	generally in the 25 to 35-hour range, so the limiting
22	action is generally the RCS makeup.
23	Spent fuel pool, you know, is varying for
24	the pools, about 9 to 12 hours for boiling, and then
25	before the water actually reaches 10-foot above the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	113
1	fuel, you know, between 40 and 60 hours to add water
2	to make sure that we had adequate water in the pool at
3	North Anna and Surry.
4	MEMBER SKILLMAN: Bill, please explain what
5	you mean by local manual operation of the PORVs.
6	MR. WEBSTER: At North Anna, we do actually
7	have capability from doing it in the control room, but
8	after that then it's a handwheel on the PORV and the
9	main steam valve house.
10	MEMBER STETKAR: Well, but do you instruct
11	people to go locally mechanically, manually operate
12	these or what's your strategy?
13	MR. WEBSTER: The procedure we have you
14	start from you could do it in the control room as
15	long as it's similar to Palo Verde. We have an air
16	accumulator that would maintain ability to do it from
17	control room for a period of time. After that, the
18	operators
19	MEMBER STETKAR: And that period
20	MR. WEBSTER: would relocate and have
21	to operate it manually in the control
22	MEMBER STETKAR: And that period is
23	minutes, hours, days, months?
24	MR. WEBSTER: It's several hours for North
25	Anna.
	NEAL R. GROSS

(202) 234-4433

	114
1	MEMBER STETKAR: Several hours.
2	MEMBER SKILLMAN: So, those are really
3	atmospheric dump valves on secondary
4	MR. WEBSTER: That's correct. Power
5	operator relief valve on the secondary, that's what we
6	that's just another ADVs are what they are.
7	MEMBER SKILLMAN: Oh, it's a manually
8	operated ADV.
9	MR. WEBSTER: That's correct.
10	MEMBER SKILLMAN: Copy that. Thank you.
11	MR. WEBSTER: Okay.
12	MEMBER SKILLMAN: And then ECST is the
13	condensate storage tank?
14	MR. WEBSTER: That's correct.
15	MEMBER SKILLMAN: Okay, so in deference to
16	34 hours before you do a switch, it's four hours.
17	MR. WEBSTER: That's correct.
18	MEMBER SKILLMAN: So, at that point just to
19	do a comparison, I want to make sure I understand, aux
20	feed would then have a different point of water supply,
21	or you would transition to something other than aux
22	feed?
23	MR. WEBSTER: So, it's different at each
24	site, so
25	MEMBER SKILLMAN: Sure.
	NEAL R. GROSS

(202) 234-4433

	115
1	MR. WEBSTER: at North Anna, because
2	we have the ability to use fire protection, our fire
3	protection, diesel-driven fire pump is located inside
4	of a missile protected building, so we're able to use
5	that to have to supply suction to the
6	turbine-driven aux feed pump. If that's not available,
7	then we have portable pumps that we would implement and
8	take suction from either the service water reservoir
9	or the North Anna Lake and use that to refill the
10	emergency condensate storage tank for suction to the
11	turbine-driven aux feed pump.
12	At Surry, we have an additional, we call
13	it another condensate storage tank that we can align
14	and provide additional hours to that makeup until we
15	need to supply it from another source. And at Millstone
16	and the two Millstone units you can see at Millstone
17	2 that's 8.4 hours before you do something. At Millstone
18	3 actually the tank is bigger so it's 27 hours.
19	MEMBER SKILLMAN: Okay.
20	MR. WEBSTER: Twenty-two hours, excuse me.
21	MEMBER SKILLMAN: Okay. But the strategy in
22	all cases is to provide water supply to the aux feed
23	to continue its operation.
24	MR. WEBSTER: Initially, yes.
25	MEMBER STETKAR: At Millstone 2 you go down

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	116
1	to 125?
2	MR. WEBSTER: Millstone 2 is a different
3	is a CE plant that has got the SIT tanks are
4	
5	MEMBER STETKAR: Okay, thanks.
6	MR. WEBSTER: 120 pounds, so you need to get
7	down lower
8	MEMBER STETKAR: That's a cool down.
9	MR. WEBSTER: So, anyway, so these are the
10	Millstone 2 and 3. Again, the decay heat removal, you
11	can see the differences there. The ADVs, we call them
12	ADVs at Millstone, so local manual operation. And at
13	Millstone 3 we actually installed air bottles so that
14	can facilitate doing the operation remotely or at least
15	outside of the highest temperature around where the
16	manual operation would have to take place. That was the
17	modification that we actually did for Millstone 3.
18	In the repowering, you can see that at
19	Millstone 2 we have a lot longer battery life. The way
20	we could load shed those and the batteries are a little
21	bit larger, we were able to get more battery life, takes
22	longer before we have to restore that. Millstone 3 it's
23	about 14 hours. The RCS inventory is about is,
24	again, 17 hours for those units, and the spent fuel
25	pool, it's similar to the others, 6 hours to boil, then

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	117
1	30 hours for the Millstone 2 case before you reach down
2	to 10-foot above the fuel.
3	So, FLEX is an underground basis strategy.
4	I think you're familiar with the term, we call Phase
5	1 the ability to use equipment and onsite resources.
6	Phase 2 is when we transition to some portable, and in
7	some cases they're pre-staged with some portable
8	equipment to facilitate the function. And then Phase
9	3 is when we bring in the equipment from the National
10	Response Center.
11	So, the first strategy that we looked at
12	was the electrical repowering strategy where we needed
13	to get back the key instruments. In Phase 1, again,
14	we would load shed, and we have a time critical, or a
15	time sensitive action to get that done within a certain
16	amount of time to get that extension. At North Anna,
17	it's about 30 minutes after the ELAP is declared. We
18	have about 30 minutes to get load shedding
19	accomplished, and that would get us 8 hours. Surry is
20	14, Millstone 2 is 29, and Millstone 3 is 14.
21	Phase 2 we're bringing in portable
22	equipment. We have a primary strategy and an alternate
23	strategy as required by NEI-12-06. For the Dominion
24	fleet, we our primary strategy was to get back a
25	120 source so we were repowering our vital AC buses

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	118
1	directly with a 120 source. And then we have an
2	alternate repowering strategy where we bring in a 480
3	generator that would repower MCVs including the battery
4	chargers, and we would restore instrumentation through
5	repowering the DC bus. In Phase 3 we would be bringing
6	in the 4 kV generator from the National Response Center.
7	Here's just an example of the 120
8	connection. You see it's a 120 generator, and then there
9	would be some connections in the plant to repower the
10	vital AC. In the 480 case, again, a 480 generator
11	sitting outside the building, cables that would run
12	into a connection box. And then that would be and
13	this is permanently installed cable to a motor control
14	center that repowers the 480 system.
15	And then the 4 kV connection is from the
16	National Response Center equipment coming in through
17	its distribution panel, and we'd have the and then
18	the cables would be into would be hooked into one
19	of our 4160 breakers, and that would be a bolted
20	connection inside of a spare breaker.
21	And these are some pictures of the actual
22	this picture at the top there is a typical 480
23	connection, and you can see that the connections are
24	for a quick-connect. They're color-coded so that we
25	make sure we get on the right phases, and there's a

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	119
1	ground connection. And the blue ones at the bottom are
2	actually the 120 connections that we can deploy the 120
3	machines, so that's just a typical panel.
4	There's another example on the right of one
5	of our units. Again, this is the 480 connections. It's
6	actually there's two sets of leads there that would
7	go to two separate
8	MEMBER BLEY: Not to be overly picky, but
9	I just noticed recently that my badges here have a
10	little W on them now. They were white. That's to tell
11	somebody who's color blind that there is a white stripe
12	there. Have you considered color blindness? I remember
13	the Navy was finding lots of people coming in are color
14	blind, and I don't know the extent of it. These don't
15	have physical different connectors or feel. It's
16	strictly color?
17	MR. WEBSTER: They are. Now, there are
18	labels on them so
19	MEMBER BLEY: Okay. So, if you can read you
20	can hook them up.
21	MR. WEBSTER: Right.
22	MEMBER BLEY: Okay. The same thing with the
23	cables?
24	MR. WEBSTER: As far as labels?
25	MEMBER BLEY: Labels.
	NEAL R. GROSS

	120
1	MR. WEBSTER: I don't think the cables
2	themselves.
3	MEMBER BLEY: You might think about it.
4	MR. WEBSTER: But an analogy, you know, as
5	long as you yes, we'd have to I'd have to go
6	back
7	(Simultaneous speaking.)
8	MEMBER STETKAR: Just turn backwards,
9	looking at it, I just blew it up. The little labels do
10	say brown, orange, and yellow in writing.
11	MEMBER BLEY: That's okay, but that doesn't
12	help you with the other end.
13	MEMBER STETKAR: No, that's true.
14	MR. WEBSTER: Right, that's true.
15	MEMBER BLEY: But it's caused problems in
16	other areas.
17	MR. AMWAY: I mean, I can at least tell you
18	from, you know, licensed operators, color blindness
19	testing is part of the physical
20	MEMBER BLEY: I did not know that. Is that
21	true?
22	MR. AMWAY: Yes.
23	MEMBER BLEY: You have to test not to be
24	color blind.
25	MR. AMWAY: Yes.
	NEAL R. GROSS

	121
1	MEMBER STETKAR: That's licensed
2	operators.
3	MR. AMWAY: That's licensed operators. That
4	may not extend to the plant operators
5	MEMBER BLEY: For the guys out here.
6	MR. AMWAY: that may be involved in
7	there, but at least a portion of the plant staff has
8	been validated to not have color blindness.
9	MEMBER BLEY: But maybe not the guys who
10	would be hooking this up.
11	MR. AMWAY: Correct.
12	MEMBER BLEY: You really ought to think
13	seriously about it.
14	MR. AMWAY: We can take that back and think
15	about it.
16	MEMBER BLEY: I mean, if stuff turns
17	backwards mostly that's not a tremendous problem, but
18	it's still not the way you designed it to work. And there
19	are at least from my experience in bringing people
20	in through the Navy was in ROTC, my last assignment
21	there, surprisingly a number of people are, in fact,
22	color blind. I don't know if these colors are picked
23	so that they help people who are color blind because
24	some are dark and some are light, and that might work,
25	but it's you ought to be sure about that.

(202) 234-4433

	122
1	MEMBER BALLINGER: With older people, you
2	know what Daltonism is? It's a special kind of color
3	blindness in people like me, and it has to do with
4	differentiating between I think red and green.
5	(Simultaneous speaking.)
6	MEMBER BALLINGER: But it happens when you
7	age, among other things.
8	MR. WEBSTER: Yes, that's something we'll
9	take back and think about. I mean, clearly they are
10	labeled here.
11	MEMBER STETKAR: Well, this is more generic
12	than just Dominion.
13	MEMBER BLEY: It's more generic and if the
14	cables aren't labeled that doesn't get you out of the
15	woods. But they might have been designed with that in
16	mind. I mean, those three colors on a gray scale might
17	be significantly enough to distinguish that it's not
18	a problem. I just don't know.
19	MR. WEBSTER: These are some pictures of the
20	generators. Here's the connections at the generator.
21	These cables, obviously, run to the those boxes we
22	just showed you. This is a picture of the 120 machine,
23	and this is the 480 machine being moved to its location
24	by its tow vehicle.
25	So, for decay heat removal is the next set

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

Phase 2 is the transition from the plant equipment to onsite portable equipment. In some cases, for instance, at North Anna we would go to the fire protection system and get that aligned. At Surry we would go to the alternate tank, and that's a gravity feed. And if those didn't work, then we're using the high-capacity pump that we have stored on site to supply at least 300 gallons a minute suction to the aux feedwater systems on both units at each site. And also it would be for supplying water to the spent fuel pool.

15 We also in accordance with 12-06 have a 16 backup to the aux feedwater pump. In our case, it's a 17 backup diesel-driven pump, and there's a primary 18 connection on the aux feedwater pump header that would 19 inject water directly from this pump. And there's an 20 alternate connection, as well, that's generally in the feedwater or blowdown connections. 21 It's another 22 location for injecting water into the steam generators. MEMBER CORRADINI: And this would be used 23 24 as a backup to the aux feed on site? 25 MR. WEBSTER: That's correct. Initially

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

123

5

6

7

8

9

10

11

12

13

14

	124
1	
2	MEMBER CORRADINI: Because it's housed
3	where the generators are and everything else.
4	MR. WEBSTER: This is housed in the
5	protected storage with the generators and everything
6	else. Right.
7	Now, this is an example of a connection
8	that we installed. This happens to be emergency
9	condensate storage hose connection where we could use
10	this to backfill and fill the emergency condensate
11	storage tank. We could also use it to move water from
12	this suction connection to the portable aux feedwater
13	pump. Here's, again, is a fill, an aux feedwater
14	connection on one of our units, and you can see these
15	connections are storage connections, so they're
16	standard connections that we use in the industry.
17	Here's another example of an installed connection for
18	aux feedwater pump header.
19	MEMBER BROWN: Are valves periodically
20	checked for operation? Do they always close?
21	MEMBER BLEY: The two valves that isolate
22	the connection
23	MEMBER STETKAR: If you go back to the
24	previous slide. There you go.
25	MEMBER BROWN: Any of the slides with valves
	NEAL R. GROSS

(202) 234-4433

	125
1	in series.
2	MEMBER BLEY: Are they periodically
3	operated to insure they haven't bound up in some way,
4	or haven't frozen in place, or they have not whatever?
5	MR. WEBSTER: Well, obviously
6	MEMBER BLEY: There for 5 or 10 years, and
7	happy.
8	MR. WEBSTER: Yes, we do have they would
9	be in a preventive maintenance program to have them
10	inspected or cycled at some frequency. I don't remember
11	off the top of my head exactly what that is.
12	MEMBER BROWN: That's why I asked.
13	MEMBER STETKAR: Do you actually have any
14	tests where you really feed the steam generators with
15	this stuff to make sure that you can do
16	MR. WEBSTER: Well, most of these
17	connections as you can see are relatively simple.
18	They're going into a normal connection, then we
19	because of just the sources of water and the
20	potential contamination to the aux feedwater system,
21	we did not actually flow and we're not required to flow
22	actual
23	MEMBER STETKAR: Thank you.
24	MEMBER BLEY: Not even once when they were
25	installed.
	NEAL R. GROSS

(202) 234-4433

	126
1	MEMBER STETKAR: Not even with a big tank
2	of nice clean water that you can take suction from.
3	MR. WEBSTER: No, we didn't actually flow
4	water into the systems for these new connections.
5	MEMBER BROWN: Or backflow out? Nothing
6	passed through them.
7	MR. WEBSTER: That's correct.
8	MEMBER BLEY: Some of you guys must have
9	been on the startup system units I would assume. If not,
10	things I haven't had extensive experience, but I
11	have had a couple no, actually, I had several years
12	doing that sort of thing, and there were times when
13	newly installed valves wouldn't work, and sometimes
14	you'd find odd things inside that kept them from
15	working, or something left in between the two, and if
16	you never flowed anything through them either
17	direction, or looked through them, maybe had some kind
18	of inspection, look through and see there's a clear path
19	when they were first installed
20	MR. WEBSTER: There was validation or
21	post-modification work that was done. In some cases we
22	did some hydro testing on the system after it was
23	installed, so there was some indication that the paths
24	were clear. We did verify that the paths were clear,
25	weren't blocked, that the valves in a position that they

(202) 234-4433

	127
1	were expected to be. On the ECST valves I'm sure, you
2	know, once they installed it they did verify that water
3	would flow out of them. So, there was post-mod testing
4	that was done to validate that the piping was clear to
5	where it was intended to go.
6	MR. POWELL: I think FME practices back from
7	when we started up the units in the '80s are a lot better
8	today than they were then. We did visuals very similar
9	to what Dominion did. We did not energize systems with
10	the portable generators. We did not move water from the
11	CST using a portable pump. Our challenges were what was
12	the right level of design validation testing. We did
13	have to do pressure testing on some sections of the
14	piping connected to the primary. And we including
15	the primary, we didn't hook up the
16	MEMBER BLEY: You did enough that you're
17	convinced you had clear paths. And the only way I can
18	think you could do that is either hydro doesn't do
19	it, but either flowing something through it, or if you
20	can do a clear visual look through to see that the path
21	is open.
22	MR. POWELL: And then after the systems were
23	connected and welded to the primary you do a visual to
24	make sure there's nothing in the pipe, as well.
25	MEMBER BLEY: Yes, okay.

(202) 234-4433

(202) 234-4433

	128
1	MR. WEBSTER: So, here's a picture of the
2	high-capacity pump being towed down to where it's going
3	to take suction off of; in this case to North Anna Lake.
4	And this is the backup aux feedwater pump, and this is
5	located in an alleyway during the validation process.
6	This is a picture of that pump.
7	MEMBER BLEY: Did this stuff have to be
8	designed or was this off-the-shelf stuff that you could
9	find?
10	MR. WEBSTER: Most of the pumps that we
11	bought were commercial
12	MEMBER BLEY: And you kind of hook up some
13	things.
14	MR. WEBSTER: Right. These are standard
15	a lot of these are standard fire protection
16	MEMBER BLEY: That's what I would have
17	thought, yes.
18	MR. WEBSTER: This is actually a Hale fire
19	protection pump
20	MEMBER BLEY: Okay.
21	MR. WEBSTER: that we're using for an
22	aux feedwater pump.
23	MR. AMWAY: We tried to stay away from as
24	much as practical having plant-specific designs for
25	this type of equipment.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

```
(202) 234-4433
```

	129
1	MR. POWELL: There were some cases, like
2	we purchased Cummings diesels for our four diesels, and
3	we had to have the diesels modified for the industry
4	standard connectors.
5	MEMBER BLEY: Okay, sure.
6	MR. WEBSTER: There were some specifics,
7	but most of it we attempted, again, to get commercial
8	grade equipment that was readily available.
9	MEMBER BLEY: Okay.
10	MR. WEBSTER: We have the Phase 3 coming in
11	from the National SAFER Response Center. Again, there's
12	the ability to bring in 4 kV. We can repower equipment,
13	and there's water for purification units that are being
14	brought in. And additional aux feedwater pumps, and
15	both the medium-capacity and high-capacity pumps.
16	So, for RCS injection the analysis told us
17	when reflux boiling would begin, and our target was to
18	begin RCS injection prior to that point. The time
19	depends highly on the amount of seal leakage that we
20	get. For Dominion, we're replacing all our OEM
21	Westinghouse seals with Flowserve Seals so, therefore,
22	we did calculations, you know, with both of these seal
23	leakages in mind, because before we implemented all the
24	Westinghouse seals weren't installed, so we had to do
25	a combination of seal leakages, and compare that to the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	130
1	original analysis that was done.
2	In our case, the 17 hours was the point in
3	time, where if we injected prior to that we would be
4	restoring RCS inventory and verifying that we don't get
5	into the reflux boiling region.
6	Phase 2 we have two RCS injection pumps
7	that we take suction from the refueling water storage
8	tank, is a borated water source. And the units on
9	Millstone 2, we actually have the capability of
10	repowering the charging pump using the 480-volt
11	generator, again taking suction from the refueling
12	water storage tank or boric acid storage tanks for that
13	unit.
14	MEMBER STETKAR: They safety-related pumps
15	on Millstone 2?
16	MR. WEBSTER: Millstone 2, yes, I believe
17	they are safety-related pumps. They are the normal
18	makeup pumps. They're not the SI pumps. They're just
19	normal charging pumps.
20	MEMBER STETKAR: The reason I'm asking
21	safety-related, I want to know what they're seismically
22	qualified for, so that's
23	MR. WEBSTER: And all the FLEX components
24	and systems that we credit for, we did the seismic
25	evaluation to verify that two times the SSE they would

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	131
1	survive, so if they weren't safety-related and
2	previously evaluated, they'd be evaluated as far as the
3	FLEX equipment was concerned.
4	MEMBER STETKAR: Two times current SSE, or
5	two times the evaluated reevaluated SSE?
6	MR. WEBSTER: Current SSE is where we went
7	initially.
8	MEMBER STETKAR: Thank you.
9	MR. WEBSTER: This is an example of an RCS
10	connection. Again, it's our standard connection point.
11	This is a suction line that comes from eventually
12	from the refueling water storage tank, and this is the
13	pump in the alleyway that would this pump actually
14	will inject up to 3,000 pounds at 45-50 gallons a
15	minute.
16	Containment Cooling Strategy, we did an
17	evaluation, an analysis that indicated that the
18	containment integrity is not challenged in a week, and
19	actually the pressure was never challenged. It was
20	the temperature went to the limits of the EQ
21	program. So, again, at least within a week the
22	containment integrity is not challenged, and the
23	integrity itself is never challenged.
24	Dominion went through an extensive
25	procedure development and similar to Gene's
	NEAL R. GROSS

(202) 234-4433
	132
1	presentation, we developed the FLEX strategy
2	procedures. This is the list of the 15 procedures that
3	we developed that would be implemented from our SBO
4	procedure in this case for the Westinghouse units,
5	ECA-0.0. And that would kick out to each of the FSGs
6	as needed. Any questions on that?
7	This is the beyond design basis storage
8	building at the Dominion sites. It's a missile
9	protected building is where we house the portable
10	equipment, and we have a single building at each site
11	that would house the equipment.
12	CHAIRMAN SCHULTZ: What are the other
13	design requirements for the building in terms of
14	seismic or other design features?
15	MR. WEBSTER: Seismic, it was designed for
16	the design basis seismic event. We did do an evaluation
17	for the new seismic hazards, particularly at North Anna
18	to verify that the building would stay intact. It was
19	more of a margins evaluation, and we verified that would
20	be the case.
21	And ventilation-wise, we just maintained
22	temperatures within you know, the equipment is not
23	going to freeze and it's not going is some
24	ventilation. So, tornado protection, seismic, and
25	ventilation essentially is what we

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	133
1	CHAIRMAN SCHULTZ: Thank you.
2	MEMBER SKILLMAN: Bill, is that a concrete
3	dome? Is that what we're looking at?
4	MR. WEBSTER: This is a pretty unique
5	design. It is a concrete dome. The way they build it
6	is there's a they set it up and they there's
7	a Mylar sheet that they actually they build the
8	foundation and then this Mylar sheet, they actually
9	blow up, and then they fill they do shock crete and
10	rebar inside it, and that's how they build the dome.
11	So, it's kind of built from the inside. It's about
12	two-foot of concrete and rebar inside, but what you're
13	looking at here is actually the cover that was
14	originally blown up to do the construction.
15	MEMBER SKILLMAN: Thank you.
16	MEMBER CORRADINI: And you said it but just
17	to repeat so I get it right. So, this is tornado, missile
18	protection
19	MR. WEBSTER: Right. And this is you
20	know, you see the doors are pretty heavy duty, again,
21	for missile protection.
22	MEMBER CORRADINI: So, and then just repeat
23	just to make sure I so this already included the
24	reevaluation due to external events to get to this
25	design basis? You explained it to Steve and I didn't

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	134
1	completely get it, so I want to make sure I understand
2	it. So, that this is already after you've done the
3	reevaluation relative to seismic, and missiles, et
4	cetera? And that's what went into the design?
5	MR. WEBSTER: Well, it was designed to
6	design basis standard. That's what 12-06 requires us
7	to do.
8	MEMBER CORRADINI: Yes.
9	MR. WEBSTER: And what I said was that
10	MR. AMWAY: Existing design basis.
11	MR. WEBSTER: Existing design basis, right.
12	So, it's not the reevaluated hazards.
13	MEMBER CORRADINI: Oh, okay. I
14	misunderstood. I thought you had already finished the
15	reevaluation and it was
16	MEMBER RICCARDELLA: They did a
17	(Simultaneous speaking.)
18	MEMBER RICCARDELLA: to show that it
19	
20	MEMBER CORRADINI: For seismic?
21	MEMBER RICCARDELLA: For seismic.
22	MEMBER CORRADINI: Okay. I'll ask him.
23	MEMBER RICCARDELLA: Okay.
24	MR. WEBSTER: This is some of our deployment
25	vehicles. Obviously, this tractor, this is, you know,

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	135
1	a front-end loader.
2	MEMBER STETKAR: These guys live inside the
3	dome?
4	MR. WEBSTER: Correct.
5	MEMBER STETKAR: Okay.
6	MR. WEBSTER: And then we also have smaller
7	vehicles for handling smaller type equipment, and
8	tools, and supplies that we needed for the event.
9	MEMBER CORRADINI: What's the volume of
10	this thing that was built?
11	MR. WEBSTER: It's 10,000 square feet.
12	MEMBER CORRADINI: Okay, footprint.
13	MR. WEBSTER: Right.
14	MEMBER CORRADINI: Thank you.
15	MR. WEBSTER: So, for our FLEX Phase 3, Dan
16	is going to do a presentation that's going to be a little
17	more detailed, so I'm just going to go at it from a plant
18	perspective.
19	The National SAFER Response Center, here's
20	the general timeline we're going to be making
21	notifications from the control room. They're going to
22	mobilize the SAFER team in approximately two hours,
23	begin to transport equipment to an offsite area. At 20
24	hours it arrives at that area, and then we're beginning
25	to transport it, and if needed to airlift it to our

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

onsite storage area or staging area, rather, and with the goal of having the first piece of equipment on site in 24 hours.

And this is an example of a staging area. Here it's at North Anna, it's a parking area here, and the storage building is located up here. So, this is where we would --- helicopters would land on our site, and then deploy down to the plant. Again, this area and the haul routes down to the plant have been evaluated to make sure that they would be --- they would survive after the event, flooding. Obviously, we would be able to use that debris removal equipment from the storage area and clear any debris prior to 24 hours before the equipment actually arrives on site.

The sites did a response plan. It's a documented plan that we have at each of our sites, and the control room staff, and the ERO staff has a copy of this that talks about the --- just a step by step procedure on how we respond to the SAFER Response Team, and the logistics of their teams.

21 MEMBER STETKAR: Bill, I just --- you train 22 your operators on how to use front-end loaders and ---23 MR. WEBSTER: We'd actually had some 24 training. And I'll go over training specifically here 25 in a minute, but yes ---

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

136

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

	137
1	MEMBER STETKAR: The reason I ask, because
2	I went to a site once where they had a fire truck and
3	nobody people forgot to train the operators on how
4	to use the fire truck.
5	MR. WEBSTER: Actually, that's
6	MEMBER STETKAR: I understand how to drive
7	a golf cart, but front-end loaders are a little
8	different.
9	MEMBER SKILLMAN: Would you go back a slide,
10	please? The logistics in transportation, would you talk
11	a little bit about that? Here's why I ask. Say, North
12	Anna, it's relatively rural. We've got plants down on
13	the ocean that are actually moated. You've actually got
14	to cross a bridge to get to them. Some plants have
15	close-in interstates, other plants don't. So, for the
16	plants that you're talking about please speak a little
17	bit about the logistics, how you've solved the riddle
18	of big equipment, tractor trailers, remote area,
19	crossing bridges, getting to your site within 24 hours.
20	And I would guess Memphis is a starting place for you.
21	MR. WEBSTER: Right, so and I think Dan
22	is going to speak to a little more detail when he gets
23	here. But generally speaking, what we all assumed was
24	that areas outside the plant approximately 25 miles was
25	inaccessible, so we would have to we would not

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	138
1	you know, that's one of the things we looked at.
2	And as we get into the response, you know, we will be
3	notifying our local states and the Department you
4	know, the Transportation Departments would be
5	involved, and they would actually access areas to the
6	site. And at some point in time they would determine
7	it's inaccessible, you need to airlift equipment in.
8	So, we all had planned on having a local airport or
9	generally it's a local airport that's within the 25 to
10	35-mile range of the site so that we can have the
11	equipment brought to that area. And all the equipment
12	was designed to be airliftable, less than 8,000 pounds.
13	And we would be airlifting it from that site from
14	that location to the site. So, when I was pointing out
15	this area here, that's where the helicopter would land
16	the equipment and we would move it to the site. Now,
17	if the bridges were passable, clearly, they would drive
18	it in, and we wouldn't use that. But that's how we
19	designed the plan.
20	MR. POWELL: And either National Response
21	Center can either can support any plant in the U.S.
22	They're 100 percent redundant to each other, so if
23	Memphis was unavailable, they would go to the Phoenix
24	Center to ship the equipment.
25	MR. WEBSTER: So, they would fly it into an

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	139
1	airport that could support larger airline. They would
2	get it to this local airport for helicopter transport,
3	and then the helicopters would take it to
4	MEMBER STETKAR: Do you contract separately
5	with that helicopter transport from that local airport,
6	or is that part of the network?
7	MR. WEBSTER: Again, I think Dan is going
8	to talk a little bit about that, but
9	MEMBER STETKAR: Okay.
10	MR. POWELL: John, I can address it.
11	MEMBER STETKAR: We'll hold it.
12	(Simultaneous speaking.)
13	MR. BAUER: The other thing is when the
14	SAFER Team came to the site and worked with them to
15	develop this document you're looking at, they actually
16	traveled the alternate routes to the site to look at
17	and identify what would be the primary route to drive
18	the equipment in, if you could. So, they would do an
19	assessment of as the stuff was being shipped from
20	the National SAFER Response Center to the staging area,
21	they would already be planning well, which routes are
22	available into the site.
23	MR. WEBSTER: So, for the sites that we had
24	a single point of contact that would be communicating
25	with the SAFER TEAM, and then we implement our emergency

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	140
1	plan through our emergency facilities, contact state
2	and local, contact federal. And this is and through
3	the state, and local, and federal you'll see that's
4	where we also get some helicopter support, if needed.
5	For the National SAFER Response equipment
6	for Dominion, we're getting 4 kV generators, 480
7	generators, high and low-pressure pumps, the backup aux
8	feedwater pump, mobile boration units, water
9	treatment, submersibles, portable air compressors, and
10	some suction booster pumps, high flow pumps.
11	So, as part of the response we had to
12	develop the programmatic elements for things like
13	quality attributes, equipment design storage,
14	procedure guidance, maintenance and testing, training,
15	staffing, configuration control, so I'm going to talk
16	a little bit about some of the program elements that
17	we established.
18	So, this is basically just, you know,
19	talking about we had the engineering technical
20	evaluation which is part of what I had talked about
21	originally, all the analysis and things that were done,
22	the documentation of the strategies, why they work, how
23	they work. So, that was all part of a body of engineering
24	work. We developed programmatic a program,
25	procedures, program documents that would point to these

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

technical evaluations for justifications. We established configuration management so that these FLEX strategies would be maintained. If there was some design change, or some procedure change occurred, there was feedback to verify that the original strategy wasn't affected. And then how to deal with procedures, including how to qet the quidelines approved originally, and how to maintain them. And, again, the training.

This is in --- the summary of this is what we're going to respond back to the NRC in a final integrated plan, and then from this information, the safety evaluation would be developed.

14 Program interface, at Dominion sites we're 15 going to have a corporate program monitor, and there's 16 going to be a station program monitor. And then these 17 other things are the number of departments that are 18 being touched by this program including the Operations 19 Department. Obviously, the Maintenance Department 20 that's going to be responsible for maintaining the 21 equipment, you know, outage and planning, there's some 22 aspect of this during Modes 5 and 6 that they're involved with. The Air Site Services with their vehicle 23 24 maintenance program, they have an element for 25 maintaining the equipment. Design engineering and

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

(202) 234-4433

141

142

planning group, training, supply chain, security. Then the Owners Group is involved, so there's a lot of interface, program interface between all these various groups that are being affected by and implemented through this program.

7 So, communications is one of the important 8 things that was considered during the development of 9 this So, for Dominion our offsite program. 10 communication strategy was originally between zero and one hours that we would be using satellite phones to 11 12 contact outside response agencies and the NRC. We deploy within one to three hours an additional --- it's 13 14 a portable satellite antenna that would allow us to use 15 desk phones from the control room rather than an 16 having outside make that operator to go to 17 communication.

18 At about six hours, we have а 19 communications trailer that would be deployed that 20 would include the ability to restore repeaters and some 21 radios for communication onsite, and then the offsite 22 teams as they arrive on site.

23 MEMBER SKILLMAN: For those first two 24 bullets, is that equipment in use now?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

MR. WEBSTER: We do have satellite phones.

(202) 234-4433

25

1

2

3

4

5

6

	143
1	We bought special satellite phones, additional ones for
2	this response specifically, so the answer is some of
3	these are. The ComLabs Rapid Response equipment was
4	bought specifically for this.
5	MEMBER SKILLMAN: Okay, thank you.
6	MR. WEBSTER: Initially, some of the
7	communication is going to be through existing
8	sound-powered phones. We also actually, we ordered
9	and have installed more sound-powered phones, but
10	that's going to be used. And then we have 450 megahertz
11	radios from a point-to-point that you can communicate
12	point-to-point. And the repeater that's coming later
13	would be would facilitate more use of the radios.
14	But, initially, the operators can either be
15	face-to-face or use the sound-powered phones in the
16	areas that are set up, like the aux feedwater pump house
17	and areas like that.
18	MEMBER BLEY: You're already wired for
19	sound-powered phones?
20	MR. WEBSTER: Yes, already wired for
21	sound-powered phones.
22	MEMBER BROWN: Are all plants wired for
23	sound-powered phones?
24	MEMBER BLEY: I do not think so. Are they?
25	MR. WEBSTER: Not all.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	144
1	MR. AMWAY: I could tell you in my
2	particular instance for Nine Mile Point we are, and
3	we
4	MEMBER BLEY: A lot of the older ones were.
5	MR. AMWAY: Very similar strategy in terms
6	of point-to-point radio coms, and sound-powered
7	phones. It's almost identical, including the satellite
8	ComLabs is what we're using, as well.
9	MEMBER BLEY: Okay. I kind of like that they
10	do. I mean, they're pretty reliable.
11	MR. AMWAY: Yes.
12	MEMBER STETKAR: I suspect the new ones may
13	not be.
14	MEMBER BLEY: May not be wired. I know I've
15	seen pads that are not, so
16	MR. WEBSTER: So, these are some pictures
17	of the again, this will be stored in the TSC area.
18	And this can be rolled outside and they bring the cables
19	and hook it up inside. And, again, it keeps the operator
20	in the control room where he needs to be rather than
21	having to communicate from outside the control room.
22	And once this satellite antenna is positioned, then it
23	gives him more capability for satellite and for radios.
24	MEMBER BLEY: I'm sorry to ask, for those
25	of you who do have sound-powered phones, do you use

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	145
1	them, are people used to communicating on them at all?
2	Do you exercise it once in a while?
3	MR. AMWAY: We actually do, and ours is the
4	I mean, because it has both a powered and
5	non-powered mode.
6	MEMBER BLEY: Oh, okay.
7	MR. AMWAY: And we have a patch panel that's
8	located right below the control room, and we've used
9	it, you know, to communicate between the control room
10	and the under vessel area during outages, so it is used.
11	MEMBER BLEY: Okay. The reason I asked, it
12	takes some getting used to to be able to understand
13	anything on the other end.
14	MR. WEBSTER: Right. And Dominion, at some
15	of our sites we actually have an operator procedure to
16	go and verify that they still work.
17	MEMBER BLEY: Yes, but my point is if you
18	don't listen to them and practice, you don't hear
19	anything but garbabababa. The frequency response is
20	pretty meager.
21	MR. WEBSTER: Okay. So, I'm going to talk
22	a little bit about training. So, for all our training
23	we use the systematic approach of training process,
24	various disciplines were trained. There was a phased
25	approach. In our case, since we were implementing

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	146
1	the way our fleet North Anna has actually
2	implemented on one of their units, we had to do some
3	of the training even prior to some of our equipment
4	arriving on site, so we had to use a phased approach
5	to get as much training as we could done when we needed
6	it. Then had to do a gap analysis and follow-on training
7	after that, so it was a phased approach for us,
8	primarily because of early implementation. Anyway, so
9	we'll talk a little bit about that. And then we did
10	multiple discipline training for all the required
11	disciplines that needed to implement strategies.
12	So, analysis that we did was based on,
13	obviously, the orders, what's contained in NEI-12-06.
14	There was an IER-13-10 that came out from INPO, that
15	had some training on it. Those were considered. Design
16	changes and engineering technical evaluation affected
17	the training. Owners Group, you know, changes in the
18	Owners Group, the new FLEX guideline procedure.
19	Obviously, you had to do job task analysis to make sure
20	that the right amount of training was done. And then
21	training on the new portable equipment that wasn't
22	that the operators and people that are using
23	weren't accustomed to.
24	So, the disciplines we trained, operators
25	were trained. In our case, some of the security staff

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

is going to be used particularly for debris removal, so they had to get training on their roles. Maintenance 2 staff we're training --- were trained, emergency response organization, and other disciplines including 4 the station leadership teams. 5

So, again we used a phased approach as the design changes came out. There was overview training that was developed. Part of that used some of the NANTEL information coming out of INPO, but we had an overview, including site-specific overview training that was provided to many disciplines. Most everybody got this 12 overview training. And then there was more specific training on the FSGs and FLEX equipment for the operators and the ERO organization.

15 we analyzed the common training So, 16 modules from INPO, as I said. Job task analysis for the 17 Operations, and that was part of their initial and 18 continuing training. And we had to do delta training 19 primarily because of early implementation, some of the 20 equipment and procedures were in development and we had 21 to do training. And then we had to follow-on after we 22 got the training feedback to effect the FSGs, and when 23 they were finally approved. And all of that was successful, fully implemented in North Anna back last 24 month.

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

3

6

7

8

9

10

11

13

14

25

	148
1	MEMBER SKILLMAN: Bill, go back to your
2	Slide 54, please. What special training is given to
3	security?
4	MR. WEBSTER: Well, in this in our case,
5	we are actually using the training staff to remove
6	debris.
7	MR. AMWAY: Security staff.
8	MR. WEBSTER: I'm sorry, the security staff
9	to remove debris, so we actually had set up, you know,
10	where they would come over, at least a certain number
11	of the security people that were going to be training
12	for it. We have security as part of our fire brigade
13	at our site, so generally it was those people that was
14	also involved. The fire brigade would get this
15	training. And I forget exactly the number of security
16	personnel that were trained, but there was a number that
17	we would have, I'm sure that we have three or four per
18	shift that would be available. And we actually had them
19	trained on debris removal equipment that we had. We
20	actually moved piles around so they were comfortable
21	with the operation of it, how to drive it, you know,
22	what to do with it.
23	MEMBER SKILLMAN: So, security is actually
24	operating that equipment?
25	MR. WEBSTER: That's correct.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	149
1	MEMBER SKILLMAN: Then who's on watch?
2	MR. WEBSTER: Well, in most of the time
3	from minimum staffing to admin staffing, there's
4	generally more security people. After this event, you
5	know, in beyond design basis, the security posture
6	might be different than, you know, initially, so that
7	was considered. So, it was considered in our staffing
8	analysis how many security personnel would be available
9	to do it and maintain security requirements.
10	MEMBER SKILLMAN: It was I mean,
11	obviously, we can't delve into details here, but that
12	is a real concern because others have talked about
13	opening doors that would normally be security doors,
14	and you need to post people there. You can think about
15	damage to perimeter fences, and things like that that
16	people would need to monitor.
17	MR. WEBSTER: One of the things going into
18	this work, we did not consider that we had a concurrent
19	security event going on. So, in other words, we wouldn't
20	consider there was different parts of the security
21	parts that we not to get into a lot of detail there,
22	but
23	MEMBER STETKAR: You don't. But, I mean,
24	there could be breaches like trees falling down on your
25	security fences

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	150
1	MR. WEBSTER: Exactly.
2	MEMBER STETKAR: and things that will
3	require
4	MR. WEBSTER: Right.
5	MEMBER STETKAR: a watch, or at least
6	possibly conflicting priorities. And that's
7	MR. WEBSTER: As Mike indicated, or Gene in
8	the response, you know, we may have to enter $50.54(x)$
9	and deviate and adjust to the condition on the site.
10	The primary concern
11	MEMBER STETKAR: But certainly among the
12	security staff, it certainly could introduce priority
13	conflicts. You know, do I go jump in the front end
14	loader, or do I go check the fence that's down?
15	MR. POWELL: You do transition through
16	different levels of your security plan, and I've got
17	to be careful here what we say.
18	MEMBER STETKAR: No, that's
19	MR. POWELL: But that's why Gene made the
20	tie from $55.73(p)$ to $50.54(x)$. And, you know, if you
21	
22	MEMBER STETKAR: But, I mean, he was talking
23	it in the sense of opening doors and things.
24	MR. POWELL: Yes.
25	MEMBER STETKAR: We're now talking about
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	151
1	taking those people and having them do non-security
2	functions, debris removal, firefighting, that sort of
3	thing.
4	MEMBER SKILLMAN: I was going in that
5	direction, but I just want to take a minute and make
6	a comment, then you can understand where I'm coming
7	from. I was the emergency support director at TMI when
8	the man got in the plant. We had over 150 Pennsylvania
9	State Police on the site of TMI. We had a major fraction
10	of those in the protected area. All of them were armed.
11	Our security wasn't sure what to do. And I will simply
12	say that when you get into a situation that begins to
13	have its own dynamics, it's easy to lose sight of what
14	the barriers are that you're supposed to protect.
15	If security people are being told to drive
16	front loaders, and the tree goes on the fence, who's
17	on watch? It seems to me that this is an area that really
18	needs very delicate handling, because it's easy to lose
19	sight of the goal. Security has a particular function,
20	and security can really be put to the test as the event
21	begins to unravel. That's as much as I'm going to say.
22	MR. WEBSTER: I'll tell you this, generally
23	speaking, you know, we have enough additional security
24	staff to as far as the minimum staffing is concerned
25	to be able to support, but I understand the comment.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

152

WEBSTER: Okay. So, anyway, so the 2 MR. Operations personnel, they did job task analysis. They 3 identified eight new tasks that they were trained on. 4 They received the overview training, and then they 5 received specific FLEX strategy guidelines, and the BDB 6 7 equipment training, so operators as well as the 8 security people understand how to use the equipment. 9 Engineering, the internal population they 10 got continued training, they got the overview training. 11 Those members of the emergency response organization 12 additional from the qot training engineering 13 organization. And then we just talked about the 14 security personnel. 15 did leadership We training from --- through SOER-10-2, and then there's a new INPO 16 17 course for decision makers, and the leadership will 18 --- that'll be included in our leadership training, as 19 well. ERO training, we did training on the 20

21 specific failure modes for the operators, the shift 22 technical advisors, and the engineering technical staff on what modes particular valves can fail in during 23 24 this event. That's more or less for to understand how 25 the FLEX --- you know, what makes the FLEX successful,

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

	153
1	and potentially how to do any troubleshooting that
2	might be needed.
3	They did BDB FLEX training. They had
4	specific training for each position, and then there's
5	two INPO courses, a basic ERO training module that came
6	out for general staff, and there was advanced training.
7	And these courses were assigned to members of the ERO
8	staff.
9	The next thing I'm going to talk about is
10	validation. The validation process was going to just
11	give us the confidence that the FLEX strategy
12	procedures worked, that the time sensitive actions
13	could be performed in the right amount of time with the
14	adequate margin.
15	NEI developed the guideline, and Dominion
16	used that guideline in their validation process. The
17	guideline talks about a graded approach, Level A, B,
18	and C. A is those actions that would be started within
19	the first six hours, and they would be using the minimum
20	staffing on site primarily to use relatively short time
21	frame, minimum staffing would require more rigorous
22	validation than validation after that time in 6 to 24
23	hours when additional augmented staff can arrive on
24	site, and you have more time to accomplish the action.
25	Level C was those actions that require some

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

amount of manual actions that are labor-intensive, but they don't generally have a specific time or their time is in the days after the event where things can be accomplished easily.

considered in 5 the validation So, we process for each of the actions that were validated what 6 7 equipment was required, the complexity of the event, 8 how complex are the actions, are they simple actions 9 they require some complexity, what cues or and 10 indications that would either tell the operators that need this function. 11 Т Then if the function is 12 successful, an example of that would be the control room indications or the local tank indicator that say I need 13 14 water. Then when we validate it, we would indicate how 15 would we know we're successful. You know, what cues did we have on station from the control room or locally that 16 17 would tell us that we were successful?

18 There are special fitness issues that were 19 considered like if something was heavy, how many 20 operators would it take to move this piece of equipment 21 around? Environmental factors, all the five hazards, 22 seismic, flooding, high winds, temperatures, cold 23 temperatures, hot temperatures, those factors, how it affected the implementation, and those things were 24 25 considered during the validation.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

	155
1	Communication, am I communicating
2	face-to-face, I'm on a sound-powered phone, or do I got
3	a radio was considered in the validation, and then any
4	other special considerations.
5	MEMBER BLEY: Bill?
6	MR. WEBSTER: Yes.
7	MEMBER BLEY: Let me think how to ask this
8	question. When in the previous talk we had a point
9	that was all focused on extended loss of offsite power
10	and dealing with that.
11	MR. WEBSTER: AC power.
12	MEMBER BLEY: I'm sorry, AC power. I asked
13	if people were going to have, or were going to update
14	their SAMGs to account for this new equipment. And then
15	in your talk they seem to be almost mixing, and I hadn't
16	noticed until somebody just pointed out to me your logo
17	up there is the Beyond Design Basis Project, so you're
18	really looking at everything kind of at one time, or
19	are you at this point just making sure all this stuff
20	works for extended loss of power, but you're getting
21	in your hip pocket what you need to do to look at things
22	beyond the design basis?
23	MR. WEBSTER: Well, when we say beyond
24	design basis, we're really referring to this whole
25	mitigation strategy order. I mean, it's not so,

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	156
1	that's what we mean by that. We will eventually use
2	these strategies are specifically designed for
3	EA-12-049 mitigating strategies order.
4	MEMBER BLEY: Okay.
5	MR. WEBSTER: And we will eventually get
6	into where these strategies will be used, you know, and
7	developing of our SAMGs that'll be considered for that.
8	And then there's some more talk later even about, you
9	know, reevaluating hazards and things like that. But,
10	generally speaking
11	MEMBER BLEY: But you haven't made up your
12	mind that these will cover you for those beyond design
13	basis other design basis events at this point in
14	time?
15	MR. WEBSTER: Not completely. I mean, we've
16	got ideas where we would go, but not we haven't done
17	we don't have the information to do another
18	evaluation to say that.
19	MEMBER BLEY: Okay.
20	MR. AMWAY: The way to look at it, I mean,
21	it's more tools in the toolbox. You know, I execute my
22	ELAP strategies, I have all this portable equipment I
23	can use. It's designed for that particular purpose. If
24	I get in my SAMGs they're still there. There's nothing
25	I'm not going to put something in there that says

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	157
1	this is only for the ELAP. You can't use it
2	MEMBER BLEY: It's designed for what
3	purpose? That's the question.
4	MR. AMWAY: Well, designed for responding
5	to the ELAP as defined in Order 49.
6	MEMBER RAY: Well, yes. And it just and
7	it says it begins to sound like we're talking about
8	everything that we're going to do for beyond design
9	basis, when we thought we were talking about extended
10	loss of AC power. I mean, if you just look at the slides
11	and listen to what you're saying, there isn't any
12	definitive statement about well, this is what we're
13	going to do for extended loss of AC power, and it's
14	available as we address ourselves to beyond design
15	basis events. That's not the way it comes across.
16	MR. BAUER: Well, we put together the
17	validation document as a way to validate the FLEX
18	strategies for the ELAP condition.
19	MEMBER RAY: Okay.
20	MR. BAUER: So, this is what we said we need
21	to go do to basically show once we get these designed
22	installations in place that we could actually meet the
23	time frames of deploying that. So, that's what he's
24	talking about here, is the validation process we put
25	in place to validate that so the plants could go live

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	158
1	and say I'm implemented.
2	MEMBER RAY: But there's a lot of discussion
3	about other stuff than extended loss of AC power.
4	MR. BAUER: Right. And we may very well take
5	and use the same validation process for other
6	mitigating strategies for reevaluated hazards at some
7	point in the future when we
8	MEMBER RAY: Okay. Well, that makes it
9	clear, but I'm just pointing out it's not clear if you
10	just listen to what's being presented. You'd think we
11	were talking about everything, I would claim. Just
12	start with the logo up on the top corner there.
13	CHAIRMAN SCHULTZ: Well, you have to give
14	some consideration to what got you to the extended loss
15	of offsite power.
16	MEMBER RAY: Well, that's another
17	discussion. I don't want to get off on that
18	CHAIRMAN SCHULTZ: Right.
19	MEMBER RAY: sidetrack, Steve. But as
20	long as we know we're talking about extended loss of
21	AC power, fine, no problem.
22	MR. BAUER: I think the point that Steve
23	makes is very good, because one of the things, you know,
24	the FLEX strategies were very consequence-based. We
25	basically said what is the outcome of a beyond design

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	159
1	basis external event, and it is an extended loss of AC
2	power with loss of the ultimate heat sync. So, that was
3	the initial conditions we had. We had no specified event
4	that caused that. You know, it could have been seismic,
5	could have been flooding, it could have been tornado,
6	whatever, so we didn't specify what that is. When we
7	actually get reevaluated flooding results, we may go
8	back and say well, now I know the conditions, so now
9	can my mitigating strategies still work under those
10	conditions, or do I have to modify them, or can I modify
11	them to make them work, or do I need to come up with
12	a different mitigating strategy? So, that's C-the next
13	step in this is after we
14	MEMBER RAY: But just to reiterate, it's not
15	that clear that we're talking just about the first step
16	here, and you're making it clear now, so that's fine.
17	MR. BAUER: Yes. So, this is only what we
18	put together for FLEX. It's an appendix in Rev 1 of 12-06
19	to say how we would do the validation of FLEX right now.
20	We may morph it to encompass more stuff as we go down
21	the road.
22	MEMBER BLEY: I come to back to where I I
23	was asking it more as a question, but I think it's good
24	that if you're putting in thinking of, but if we just
25	design to something fixed and then next year we find

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	160
1	out that it isn't going to work at all, that would not
2	be very good. So, I'm glad that there is some more
3	attention
4	MR. WEBSTER: Yes. Even in the mention that
5	we did with the seismic evaluation, and we did consider,
6	you know, that beyond design basis, and making sure in
7	your margins analysis that what we were putting in will
8	still survive that. You know, obviously, we put our
9	buildings in places on site, you know, we would put it
10	in the highest possible place so any flooding,
11	additional flooding I mean, so there were
12	considerations when we made these strategies for, you
13	know, built in margin. We tried to build in margin. Now,
14	in some places that's not possible, but in places where
15	it could be, that's what we did.
16	MEMBER RAY: That's great and appropriate.
17	I just want to be clear what we're reviewing here now
18	doesn't extend to these other things that are
19	mentioned.
20	MR. BAUER: That's correct. It's just FLEX
21	we're talking about here.
22	MEMBER STETKAR: As an example, if you go
23	up well, you haven't gotten it yet, your Slide 67
24	where you actually show the hook-ups. It doesn't look
25	like you're next to a seismically qualified building

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	161
1	there, for example, so it's not at all clear in a very
2	big earthquake that you could make the hook-up from that
3	position. Location, for example. That building on the
4	left doesn't look like it's a robust building.
5	MEMBER RAY: But it isn't our intent to get
б	into that discussion, or reach any conclusions now.
7	MEMBER STETKAR: Yes, okay. Right.
8	MR. WEBSTER: I mean, so if something were
9	to happen what we did was we did in all our
10	strategies we would look at that. So, we would we
11	may not be able to park it exactly there. We may have
12	to remove some debris and have it park further out in
13	the alleyway and then bring the cables in. So, we know
14	that after the event there's going to be some amount
15	of work that may have to get done to implement it.
16	Now, what we did do is where these cables
17	run to inside that building, that building is, you know,
18	generally a safety-related or at least one of the
19	alternates would be a safety-related structure that you
20	would expect to survive and wouldn't expect to have that
21	stuff. So, we kind of took that in consideration when
22	we designed the strategies to be flexible enough to be
23	able to either remove the debris, or relocate the
24	equipment and run the cables a little bit longer.
25	MEMBER STETKAR: Thanks.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

162
1 MR. WEBSTER: Okay. So, we talked about the
2 time sensitive actions, and Gene had given a pretty good
3 timeline. And for Dominion, this is North Anna
4 specifically, you know, just similar actions. You car
5 see that we're realigning aux feedwater in a specified
6 time, prior to 50 minutes when we get dry out or overfill
7 of one of our generators, and that's a time that was
8 validated. We have to declare the ELAP event in 60
9 minutes. That was validated on a simulator that all the
0 Ops teams would be successful or would follow the
1 procedure and implement prior to 60 minutes. We talked
2 about load stripping that had to occur within 30 minutes
3 to make sure that we had at least 8 hours of battery
4 life. We talked about having to prior to 4.2 hours
5 where the ECST was empty, we had to implement some aux
6 feedwater resupply, and in this case that's the
7 diesel-driven fire pump, they're talking about
8 starting that. And we do also have some service water
9 that can gravity drain to give additional time, as well,
0 for that strategy. And then we wanted to make sure that
1 we had our instrumentation repowered within prior
2 to the batteries depleting to maintain the
3 instrumentation within the control room.
4 So, this is how we selected which things
5 needed to be validated through a timeline very much like

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	163
1	this. So, this is the timeline for the first several
2	hours. All these would be clearly the Type A or Category
3	A validation times because they're less than six hours.
4	So, this is just some of the pictures from their
5	validation, and we actually, you know, again, put hoses
6	into the lake, and there's a strainer there, and there's
7	the pumps. And we actually ran through the whole
8	evolution in a stepwise fashion to make sure that the
9	activities would be done in the right amount of time,
10	and that the connections and equipment actually fit,
11	and would be able to be hooked up.
12	MEMBER BLEY: Did you go to those kind of
13	self-cleaning strainers like the firemen use in case
14	you pick up a bunch of junk, so you can flush it out
15	easily?
16	MR. WEBSTER: Well, we do have several types
17	of strainers that we have. I'm not exactly sure what
18	you're talking about, but we do have strainers that can
19	be cleaned in our system.
20	MEMBER BLEY: Okay. Well, I was talking
21	about the kind that you only interrupt for just a second
22	and you're dumping the stuff right back out. You know,
23	flushes it, changes the flow path through it so it
24	flushes the gunk out on the ground, and then you throw
25	it right back where you're going, because you can pick

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	164
1	up anything out of that.
2	MR. WEBSTER: Right. Yes, but this is
3	obviously, the strainer here is just to keep the
4	big stuff out. There are inline strainers, and I have
5	to go back and look. I believe that they are they
6	do have the ability to be flushed, so I don't know if
7	those are exactly the ones you're referring to, but they
8	do have the ability to
9	MEMBER BLEY: You don't have to tear
10	everything apart to get them.
11	MR. WEBSTER: Right. No.
12	MEMBER BLEY: Okay.
13	MR. WEBSTER: This is just a part of the
14	validation, example of the DC load stripping, and we
15	had a success criteria. We wanted to make sure we would
16	get it done within 25 minutes, and all the operators'
17	teams, you know, they were at we just validated that
18	we would be successful with some amount of margin. And
19	really for all these validation examples, you know,
20	margin is the key. I mean, we want to make sure that
21	because there is some amount of uncertainty, as you
22	spoke about, as far as how much debris is going to be
23	in the way, so all these strategies we wanted to make
24	sure we had adequate margin that we would be successful
25	even under adverse environmental conditions. Because

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	165
1	clearly when we did our validation, you know, we didn't
2	do it at night, we didn't do it in the rain, you know,
3	so we had to make sure that we had plenty of margin,
4	and that they would be successful.
5	Here's just the guys in the field doing
6	some of the validation work that we'd already looked
7	at. And that's the end of my presentation.
8	CHAIRMAN SCHULTZ: Thank you, Bill.
9	Questions from the Committee for Bill before we move
10	on to the next presentation?
11	MEMBER BLEY: Just a comment from me. I know
12	you have to have some ground rule for doing this work.
13	The ground rule that nothing else is going on and it's
14	just the power went away gives you a place to start from.
15	But it's really unlikely the power is just going to go
16	away unless something else really significant is going
17	on. You know, you're not going to have all the offsite
18	power and all your onsite power fail randomly.
19	MEMBER STETKAR: Cleanly.
20	MEMBER BLEY: Cleanly, so it's just
21	it's a little worrisome that that was the criteria.
22	I think what you've got probably works well in lots of
23	other cases, but it's just not the most likely way
24	you're going to see you know, we don't expect to
25	ever see that. If we see it, there's something strange

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	166
1	going to be going on, like in Japan we had a big
2	earthquake and tsunami. Now, something is going to link
3	all these things together and take out our redundancy.
4	MEMBER CORRADINI: I guess I'd ask Dennis'
5	question differently. Given the assumptions of the
6	analysis, what are some of the extraneous things that
7	are covered by the assumptions? In other words
8	MEMBER BLEY: I'll give an example then.
9	MEMBER CORRADINI: You know what I'm
10	asking? In other words, I would do
11	(Simultaneous speaking.)
12	MEMBER BLEY: Given you designed it to these
13	rules, how confident are you they can survive under
14	other
15	MEMBER BALLINGER: That was the root of my
16	question about the box off to the right in the Palo Verde
17	presentation where now you're I forget what the
18	title was of the box. Functional Recovery, where
19	something else is happening at the same time.
20	MEMBER RAY: Look, I know Mike wants to ask
21	a question, but this like Scott said, this is just
22	the first step. You've got to take one step maybe before
23	you take the second step. I agree completely with
24	MEMBER BLEY: Costs a lot of money though.
25	MEMBER RAY: I agree completely with

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	167
1	Dennis' point. I think we're getting into a debate that
2	many people have had already about whether it should
3	be two steps or one big leap.
4	MEMBER CORRADINI: Well, no, I wasn't even
5	I guess I wasn't going there. I was saying I
6	understand that they're stepping through a logical
7	sequence. That I understand and I accept. I'm asking
8	in developing the first step, somebody must have done
9	an analysis that said what are the encompassed
10	extraneous things does that first set of assumptionsC-
11	MEMBER RAY: That's not my impression. I
12	think it's a challenging job just to deal with what
13	we're dealing with here, which is the extended loss of
14	all AC power. Now, the next step, which is well, what
15	simultaneous or causative factors might we now also be
16	able to deal with using this step, is the second step,
17	like Scott said. And I would expect that the answer
18	would be well, something, but not everything. But, you
19	know, I think we're it is a recognized limitation
20	of what we're doing now. That's why I asked the question
21	earlier, are we really limiting ourselves, or are we
22	trying to go further? But I think we're limiting
23	ourselves right now just to the question, what does it
24	take to deal with an extended loss of all AC power? And
25	are we confident that we can do that reliably, but

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433
	168
1	that's not the end of the road by any means.
2	MR. WEBSTER: I would say, you know, and
3	even when we built this thing, there's a primary and
4	an alternate way of doing the strategies. I mean, there
5	is some redundancy, or things that we built into it in
6	case some of the unforeseen things would or might occur.
7	Another example would be we do even though it's not,
8	you know we talk about the batteries. We do have
9	alternate ways of getting indications that we and
10	we have, you know, what exactly do we have to go monitor
11	to get that indication. So, if the DC failed, for
12	example, we would have something in place that the
13	operators could use to instruct somebody to go get an
14	instrument reading locally, or from the containment
15	
16	MEMBER RAY: But at the end of the day we
17	are going to look at flooding, for example. So, it might
18	well be that what you've done could have been done
19	differently in a way that would be better for flooding,
20	but that's the path we're on
21	MR. WEBSTER: We may have to modify it in
22	order to encompass
23	MEMBER RAY: The path we're on doesn't take
24	that into account, and that's the reality.
25	MR. BAUER: So, clearly up front we said,

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	169
1	you know, it's important to the industry that we
2	implement mitigating strategies, so we can wait for the
3	reevaluations to happen and do that, and still be
4	waiting, or we could go ahead and put something in place
5	that gives us a flexible and diverse capability to deal
6	with an out of the normal event that has got some
7	flexibility to it. I know we highly stylized it to ELAP
8	and loss of ultimate heat sync, but it really gives us
9	tools to deal with probably a variety of things that
10	could happen because, you know, the chance of that exact
11	event happening is probably zero. I mean, so something
12	like it, or some subset of it could be there, but it
13	gives us the ability to put power in place, to put water
14	in to cool the core. You know, it gives us a lot of
15	capabilities that we now could use to now we have
16	to go back and now we're going to get the reevaluations.
17	We did it somewhat with the ESEP for seismic. We
18	basically went back and looked at the
19	MEMBER STETKAR: ESEP is?
20	MR. WEBSTER: Expedited Seismic Evaluation
21	
22	MEMBER STETKAR: Okay, thanks.
23	MR. BAUER: So, we basically looked at the
24	GMRS results and said hey, what can we use from that
25	to basically give us a greater seismic capability? So,

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	170
1	we went back to those plants that I screened in, and
2	we looked at the stuff that is needed for FLEX to work,
3	and we said let's look at it for a higher seismic
4	capability.
5	Now when the flooding results come back
6	we're going to say what does that tell us, and what do
7	we do with that? Can we still make FLEX strategies work,
8	do we need to modify them, or do we need to come up with
9	some other strategy?
10	MEMBER RAY: Here just today we're not even
11	dealing with the seismic.
12	MR. BAUER: Well, we are. The seismic
13	for those of you having to do it, it has to be done
14	by the end of this year.
15	MR. AMWAY: By the end of this year we have
16	to have
17	MEMBER RAY: I understand, but we're not at
18	the end of this year, and we're just here now looking
19	at extended loss of all AC power.
20	MEMBER RICCARDELLA: You know, but in the
21	seismic area I think I heard you say that you designed
22	your equipment to two times the current SSE. That's an
23	example, right, of building in some margin. You
24	designed this new FLEX equipment to not just SSE, but
25	two times SSE. So, I went back and I looked at the CS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	171
1	study, and most of the plants, the new GRMS is less than
2	two times the current SSE
3	MR. AMWAY: And if you look at the guidance
4	for doing the ESEP, the maximum you would have to design
5	to regardless of whether you're reevaluated hazard is,
6	is two times SSE.
7	MEMBER RICCARDELLA: But there are some
8	plants, North Anna is one of them, that it's more than
9	two times SSE.
10	MR. WEBSTER: We looked at you know, in
11	the buildings it isn't that, but we did a margin
12	evaluation using it, and we verified them, because you
13	had movement but there's no there's nothing around
14	it that would interfere with it.
15	MEMBER RICCARDELLA: I understand that.
16	MR. WEBSTER: So, we got some confidence
17	
18	MEMBER RICCARDELLA: Yes, that wasn't
19	really the question. I assume you're ultimately going
20	to do a seismic margins analysis of all this equipment.
21	MR. WEBSTER: Right.
22	MEMBER RICCARDELLA: So, it wasn't
23	necessarily designed to the new GMRS.
24	MR. WEBSTER: And I think to be clear, I
25	think we more we didn't actually put the two times
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	172
1	SSE in the design inputs and using all the codes and
2	standards with that. It was more of a margins
3	everything we did was more of a margin than actually
4	saying I designed it for two times the SSE.
5	MR. POWELL: And in the case of Palo Verde,
6	we're designed at .25 G, so two times SSE would be
7	difficult for us. We're also a Western plant, so we're
8	heavy in the middle of the SSHAC, our Senior Seismic
9	Hazards Advisory Committee, so we included some margin
10	for seismic. We had some preliminary information
11	knowing from a Level 2 seismic PRA that where we had
12	some exceedances at lower frequencies. Well, we're
13	really working hard with our SSHAC and our
14	Participatory Peer Review Panel to reduce those
15	uncertainties, but we won't have our results until
16	after the first of the year; yet, we had to be fully
17	implemented in Unit 1 this fall.
18	(Simultaneous speaking.)
19	MEMBER RICCARDELLA: You can either do them
20	in parallel or do them in series.
21	MR. AMWAY: And if I could go back to the
22	comment, because I'm still not sure we really nailed
23	this down with FLEX equipment and its relation to the
24	SAGs, because ideally if you implement FLEX and you do
25	it the way it's all supposed to be out and planned, you

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	173
1	never get to a point where you should enter our SAGs.
2	You should always stay in your EOP levels. But at the
3	same time, I don't want my operators to think everything
4	this building is only for an ELAP. You know, if I get
5	into a condition where things are worse, they don't go
6	according to plan, I want to give my operators the
7	freedom to know that hey, if you're in some other event
8	and it would really be good to have this portable pump
9	to do something with, or the portable generator, or
10	anything else they have in there, that they at least
11	have that freedom that when they're implementing the
12	SAG strategies they know it's there, they can go get
13	it and use it. It's not like they can tell you I'm going
14	to specifically use this portable pump for this SAG
15	strategy. That's not the way they're even written, or
16	symptom-based. But, you know, putting water on the fuel
17	is going to be a priority in the SAGs just as it is in
18	EOP. It's just later in the event sequence, and if that
19	portable pump can do the job, I want him to be able to
20	use it.
21	CHAIRMAN SCHULTZ: Other questions related
22	to Bill's presentation? Okay, Scott, we'll move
23	forward.
24	MR. BAUER: Okay. So, we have several things
25	we haven't done here, so my intent was at this point

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

to skip forward to the National SAFER Response Center presentation, and not go through a similar presentation what Bill just did for BWR. And then we also have two short videos, one that shows a kind of a validation --- the one that shows an ELAP event from a control room response standpoint.

7 MEMBER CORRADINI: So, can I ask a question 8 about the skipping of the BWR part? So, what sorts of 9 things are obviously different that we should be aware 10 of in the BWR? The one that I guess I think I'm correct 11 about is the condensate storage tank and whether it's 12 seismically qualified as a source of water for RCIC. 13 Is that a true statement, or am I wrong?

14 MR. AMWAY: I think in general that's true. 15 There are some boilers that have seismically qualified 16 CSTs and if they're powerable they'll use them for RCIC. 17 In most cases you'll find that they're probably not. In my specific example with Nine Mile 2 it's not, so 18 19 RCIC will --- I mean, our procedures are flexible 20 enough that if the CST survives the event, it's 21 non-seismic, it was caused by something else and the 22 CSTs are still there, I would use it. 23 MEMBER CORRADINI: Right. 24 MR. AMWAY: But for my FLEX strategies I'm

not counting on it, and I will take suction from the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

6

	175
1	suppression pool, and I'll do the anticipatory venting
2	to preserve RCIC operation as long as possible.
3	MEMBER CORRADINI: The reason I asked that
4	specific one is that that changes the timeline based
5	on essentially what's happening in the plant heat up
6	internal to the drywell, or into the wetwell.
7	MR. AMWAY: Right.
8	MEMBER CORRADINI: And so the timing would
9	be qualitatively or the timing might be the same.
10	I don't even know what the timing would be, but
11	(Simultaneous speaking.)
12	MEMBER CORRADINI: qualitatively
13	different. It's driven by different events, or
14	behaviors, I should say.
15	MR. AMWAY: Yes. To actually implement our
16	FLEX strategies, I mean, we just did the analysis
17	assuming CST is not available because it's not
18	qualified for all hazards.
19	MEMBER CORRADINI: Right. Right.
20	MR. AMWAY: Now, we've done some
21	sensitivities in terms of if it was available and we
22	used it, and we injected, you know, does it buy us more
23	time, less time? And when you really get to the end of
24	it, it's really not that much different in terms of the
25	overall containment heat up.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

MEMBER CORRADINI: So, is that just --- that's the one that I'm focused on. Are there are others that are significant to at least let the Members know about?

5 MR. AMWAY: I would say yes, another good example, and that's the good thing about doing Nine Mile 6 7 Point because Nine Mile 2 is a BWR-5 with a Mark-II 8 hazard RCIC system. Nine Mile 1 doesn't have RCIC or 9 HPCI, and they use the isolation condensers, so there 10 is no --- unless we hook it up in FLEX, there is no 11 injection. And we are relying on a strategy where the 12 ECs remove containment heat. It's actually discharged 13 directly out to the atmosphere so as long as the ECs 14 remain available and we take actions in FLEX to maintain 15 those available, that we don't have --- you know, we're approaching any 16 limits inside not our primary 17 containment. To do that, you're relying on your seal 18 leakage analysis and the rate at which level is going 19 to go, and to the time that you have to hook up a FLEX 20 pump. And we've done that analysis based on --- we've 21 actually done testing for the recirc seals, and there's 22 five of them in Nine Mile 1. They have five recirc loops, 23 so five sets of seals. The maximum leakage as tested 24 is 4 gallons a minute, so you're looking at 20 gallons 25 a minute there, plus our maximum tech spec allowable

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

	177
1	leakage of 25, so we assume very conservatively 45
2	gallons per minute leakage is the loss term now at the
3	reactor pressure vessel which gives us 5.7 hours until
4	we approach top of active fuel. So, our FLEX timelines
5	are a little bit different in terms of it's of priority
6	importance to get the FLEX pump hooked up, put it in
7	place, get it ready to inject so that when we do get
8	near top of active fuel that we're actually ready to
9	inject with that pump. So, that's a pretty significant
10	difference in that strategy there.
11	MEMBER RAY: And what pressure will you be
12	injecting at then?
13	MR. AMWAY: For the ECs in service, our plan
14	is to put the EC in service which brings pressure down
15	fairly rapidly, such that by the time that we need to
16	inject it should be well within the shut off head of
17	the FLEX pump, because the way the EC works, the
18	pressure is going to come down rapidly and then tail
19	off. And then it will maintain the reactor coolant
20	system somewhere between about 230 and 250 degrees, and
21	it will you know, it works on the driving head from
22	the RCS back to the RCS loop, so once you get down to
23	like 20-30 pounds, you don't have that driving head and
24	it will, essentially, stall. But if it stalls you're
25	no longer removing heat, pressure comes back up, and

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	178
1	the flow will reinitiate, so it'll sit there and it will
2	cycle at about a 20-30 pound band that's somewhere below
3	50 pounds in the RCS.
4	MEMBER RAY: Okay, thank you.
5	MR. AMWAY: You're welcome.
6	CHAIRMAN SCHULTZ: Scott, how many
7	presentations do we have left? We have if we wanted
8	to do them all, we have Phil's presentation, and the
9	presentation associated with SAFER?
10	MR. BAUER: SAFER, that's it. We've talked
11	about the reevaluated hazard and I think that that
12	was a slide presentation again.
13	CHAIRMAN SCHULTZ: I'd like to do Phil's
14	presentation. I know he's I went through it and I
15	didn't see a lot of repetitive information. And I know
16	that
17	MR. BAUER: We just going to eliminate the
18	repetitive stuff.
19	CHAIRMAN SCHULTZ: I know you have, and
20	that's why I wanted to have Phil present it. Boldly step
21	forward with it, Phil, please. We're going to break
22	for lunch and we're going to figure out how we're going
23	to coordinate the SAFER Response. I think we're going
24	to break for lunch, depends how fast Phil goes.
25	MR. AMWAY: It depends on how many questions

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	179
1	I get. Okay. So, as far as presentation topics we've
2	got today, I'll just give you an update where we're at
3	with the BWR at Nine Mile Point. I do have a short video
4	on the control room station blackout response that was
5	actually done by Southern Company for me. It's not Nine
6	Mile Point, but if you look at the standard response
7	across the BWR fleet it's very similar.
8	The FLEX mitigation strategies overview
9	for each unit, the FLEX storage and deployment. I do
10	have a few slides on our spent fuel pool level
11	instrumentation installation, and then just one
12	summary slide which goes into our NRC audit summary
13	results. I know that's a topic for this afternoon.
14	Our project status right now, we implement
15	Nine Mile 1 in April of 2015, that's spring of next year.
16	Nine Mile 2 isn't until 2016. And because they are very
17	dissimilar units, the strategies are really quite
18	different. So, we are certainly much closer, we've done
19	all the design work for Nine Mile 1. The design work
20	for Nine Mile 2 is still in progress. There are still
21	some evaluations and calculations not complete for that
22	unit.
23	For the spent fuel pool level indication,
24	we are installing that now. We should complete Nine Mile
25	1, Nine Mile 2 installations before the end of the year.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	180
1	And we will do our communications enhancements under
2	the 50.54(f) letter by spring of next year.
3	Procedures that support that
4	implementation of FLEX for Nine Mile 1 are about 70
5	percent complete. And the training for FLEX for Nine
6	Mile 1 should be completed by early next year. It's in
7	progress right now.
8	Operations training for spent fuel pool
9	level instrumentation has already been complete. We'll
10	have that done ahead of schedule, and our robust
11	structure will be completed by February of this year.
12	You'll see some slides on where we're at with that.
13	I just wanted to go in this slide before
14	I go into some of the details, just a high level this
15	is our initial event response to a station blackout.
16	I think as we've had discussions with the PWR side, that
17	initially when you get I mean, you don't know an
18	ELAP is going to be an ELAP until you're in it for a
19	little while, but we're structured our procedures so
20	that it's transparent in terms of whether this is going
21	to be an SBO under 50.63, the current 4-hour coping that
22	both of our plants are in, or the extended loss of AC
23	power. Those initial set of actions you want to be at
24	the same as either condition so you're not trying to
25	have to back up and then re-go down another path. So,

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

the initiation of the event is going to be triggered. 1 There's going to be multiple annunciators in the 2 3 control room. You're going to see that the control room 4 lighting shuts from its normal power source to 5 emergency power lighting. The SRL in the control room is going to recognize the event. He's going to update 6 7 the crew, let them know of the station blackout 8 condition. And the way we generally do that is a loss 9 of power to all 4160 buses, and none of the emergency 10 diesel generators start and load their respective 11 buses. That's the entry conditions that say you're in 12 the SBO condition. is going to 13 Then the SRO enter the 14emergency operating procedures, first going to confirm 15 that the reactor is shut down with all control rods 16 inserted, actions to stabilize reactor pressure that's 17 going to be on the SRVs in this particular event. And then RCIC will help out with pressure control once it's 18 19 started and injecting. Then reactor water level stabilization 20 21 will be initial void collapse in the BWR. It'll trigger 22 RCIC to start on double low level, and then RCIC will 23 recover level back to the normal operating band. 24 The same operator that initially does the 25 control actions confirms reactor shutdown, power

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	182
1	reports that out, will then be assigned to perform the
2	steps of the station blackout procedure which will
3	branch out and do all the things to preserve RCIC,
4	enhanced ventilation in the control room, the RCIC
5	room, you know, look at power restoration. It has steps
6	in there to direct operators out to do some initial
7	checks with the diesel generator. Maybe this is
8	something that they can rapidly turn around, repower
9	the respective buses, and exit the station blackout.
10	So, I want to go through this first with
11	you before I showed you the video, because the first
12	time you see it, you know, it's helpful to have the
13	sequence of events. This is exactly the way that you'll
14	see it play out on the video.
15	(Video played)
16	MR. AMWAY: Okay. So, I mean, in that video
17	you saw this whole scripted exercise play out. You know,
18	what's really critical is you're looking at that from
19	the perspective of that's the minimum staffing you
20	would normally have in the control room, two reactor
21	operators to respond to the event, one SRO having the
22	oversight function in the control room. And that's the
23	initial actions that they would take. Now, the
24	additional actions will broaden out once you saw
25	the transition between when the SRO gave the operator

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

183 the direction to confirm reactor shutdown. That's a 1 fairly short-term action. There's checks he does, makes 2 3 that confirmation, and then he was assigned the action to enter the station blackout procedure. That's where 4 5 you start getting into the differences between, you 6 know, the longer term. We've stabilized the plant, 7 level and pressure are under control, and then we branch 8 out into the actions where we're going to preserve the 9 RCIC operation. We're going to do things like load 10 shedding to preserve DC power, and look at power 11 restoration. We'll go through Nine Mile 1 first. Nine 12 Mile 1 is a boiling water reactor 2 with a Mark-I 13 14containment, 1850 megawatts thermal. It's been in 15 commercial operation since 1970, and it does have 16 license renewal in effect so its license expires in 17 2069. The picture that I showed here, this is a 18 19 instrumentation diagram, piping the emergency

condensers. I'll describe them a little bit more in subsequent slides, but that's a --- you know, most of the BWRs have RCIC and there are strategies involved using RCIC. This is where Nine Mile 1 is different. They do not have a RCIC system. And then we put the ECs in service, the emergency condensers in service right

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	184
1	away.
2	I used the term "emergency condenser",
3	"isolation condenser" interchangeably. They are the
4	same thing. At Nine Mile Point for whatever reason it's
5	always been called an emergency condenser.
6	This is a picture of what it looks like when
7	the emergency condenser is in service. We do test these
8	on a periodic basis to confirm their functionality and
9	heat removal capability. You can see just the one in
10	service. There's a set of vents out the side of the
11	building. You can see the steam discharge from boil off
12	in the tube as the heat is exchanged. It's also quite
13	noisy when it's in service. You can definitely tell when
14	it is in service.
15	MEMBER SKILLMAN: Hey, Phil, previous
16	slide. You said 2069.
17	MR. AMWAY: 2029, sorry.
18	MEMBER SKILLMAN: Sixty years.
19	MR. AMWAY: Yes, it's a 60-year, but it's
20	29, not 69.
21	MEMBER SKILLMAN: Thank you. All right.
22	(Off the record comment)
23	MEMBER BLEY: I think you told us one of the
24	last times you were here that you made sure you don't
25	have any of the logic glitches in the emergency

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

19

20

24

25

condenser that showed up in the Fukushima report described in there. That's true, right?

MR. AMWAY: That is true. Our emergency condensers are a little bit forgiving in terms of that they fail, you know, with the loss of power, loss of air, it fails in a condition that you'd want it to be in, which is essentially in service. We do have to send an operator out locally to control -- our ECs makeup tanks. Not every plant that has ECs have makeup tanks, as well, but that valve for the makeup tank fails open, so to conserve those we want to send an operator back to manually throttle that back and control the level; otherwise, you're just wasting it, and instead of the eight hours, you're going to be significantly shorter.

15 the Phase 1 core cooling As far as 16 strategies Nine Mile 1 using the at emergency 17 condensers, they go into service automatically on loss 18 of power. We are planning to take actions manually to put those in service even sooner because until we do, we could be cycling on the ERVs and that's just wasting 21 these inventory. So, we want to qet isolation 22 condensers in service as soon as possible and minimize 23 that inventory loss.

Pressure lowers quite rapidly with the ECs in service, and as I stated earlier, we expect that to

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	186
1	come down and actually stabilize at somewhere around
2	50 pounds reactor coolant system pressure. It will
3	cycle because they'll stall and come back in service
4	as the driving head is reduced and then regained.
5	Our analysis shows that with their maximum
б	reactor coolant pump seal leakage and maximum tech spec
7	leakage that we have 5.7 hours before we reach the top
8	of active fuel. And with our load shedding strategies
9	in place, our DC batteries are good for at least eight
10	hours.
11	MEMBER BLEY: Something in your training
12	make sure people don't get overly concerned about
13	over-cooling and turn the darned things off.
14	MR. AMWAY: Yes. We have intentionally made
15	our strategy to put the EC in service and leave it in.
16	MEMBER BLEY: Let it run.
17	MR. AMWAY: We know that it will exceed 100
18	degrees and hour, and we are stressing that in training,
19	but when we looked at the tradeoffs between you
20	know, the EC is either in service or it's not, so your
21	only option is you put it in and you leave it in, or
22	you're going to try to control 100 degrees an hour by
23	putting it in service and taking it back out. For a
24	variety of reasons it's much better to put it in and
25	leave it in.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	187
1	MEMBER REMPE: Is that a change or it was
2	always that way?
3	MR. AMWAY: That's a change. I mean, in tech
4	spec land you maintain less than 100 degrees an hour,
5	so under normal situation design basis events you
6	wouldn't do that. But in the ELAP condition, the way
7	we're structuring it, we're going to put it in, leaving
8	it.
9	MEMBER REMPE: Okay.
10	MR. AMWAY: In terms of containment
11	cooling, Phase 2, we provide that to the RPV using a
12	diesel-driven portable pump. There are a number of
13	modifications listed here which I'll describe on the
14	next slide which shows it pictorially.
15	We are actually tying into the CRD return
16	line as a method of RPV makeup. And you'll see, you know,
17	these pumps here will be without power. The normal flow
18	path, you see these two valves closed, and that
19	separates the system, CRD systems have a charging
20	header, and to be able to move the rods, and the exhaust
21	header comes back and returns to the reactor pressure
22	vessel this way. So, these valves will already be open,
23	and the only one that the operator would have to do
24	inside the reactor building is this one right here,
25	which is this first isolation of the system.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

To connect the portable pump, you know, we'll have a suction hose that goes into the intake structure. We run it inside this reactor building vestibule. This is protected from all hazards, and they'll be able to connect up to a valve manifold. One of those tie-off, tap-offs will be to this injection point.

1

2

3

4

5

6

7

8

9

10

11

12

25

In terms of distance, what you're looking at is if I stand in this entryway and look over, I can actually see that connection point from this point right here, so it's not that great a distance. It's on the same grade level elevation.

That same pump and manifold is used to also 13 14 supply the EC shells. As I said, this makeup tank here 15 provides up to 8 hours of makeup capability. This is the valve we'd have to take manual control of so we don't 16 17 flood out the EC. If you did flood out the EC, it's not 18 going to stop it from working, but you're just 19 essentially wasting the water, wasting the inventory 20 here so that is a manual operator action to go out and 21 do that.

For spent fuel pool cooling, we have 8 hours to go from 140 degrees which is maximum design temperature up to 212 degrees.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

MEMBER BLEY: That's the calculation if

(202) 234-4433

	189
1	your pool were completely filling. You just
2	MR. AMWAY: That is for our design base heat
3	load full core offload. We have significantly more time
4	than that under other conditions. I will note that we
5	don't normally maintain our pool anywhere near 140
6	degrees. It normally ranges between 90 and 100, so
7	there's additional margin there.
8	Once we get to boiling we have 45 hours to
9	reach level 2, which is 10 feet above the fuel. And our
10	makeup needs, assuming worst case heat load in the pool
11	is about 43 gallons a minute.
12	For the strategy in Phase 2, the
13	diesel-driven pump into that manifold is able to make
14	up to the spent fuel pool, run a hose up to the level
15	below the refuel floor
16	MEMBER BLEY: Just a question on that last
17	one.
18	MR. AMWAY: Yes?
19	MEMBER BLEY: It was a surprise for me, I'm
20	not sure if it was for everybody in the NRC's spent fuel
21	pool study that was recently done, that changing your
22	fuel pool loading such that you load where you have
23	empty spaces and where you have old fuel and new fuel
24	could really make a big difference in heat up times and
25	the like, because of using effectively, because the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	190
1	older fuel could act as a heat sync for the newer fuel,
2	and you didn't get local areas where you could get steam
3	and other things going on.
4	MR. AMWAY: Yes.
5	MEMBER BLEY: Did you look at that at all?
6	MR. AMWAY: We didn't do that as a method
7	to try to
8	MEMBER BLEY: You have plenty of time.
9	MR. AMWAY: We have more time. We just said
10	C-we just looked at it from the total if you discharge
11	this whole pod of fuel into the vessel it's this amount
12	of heat.
13	MEMBER BLEY: Okay.
14	MR. AMWAY: We also didn't credit anything
15	in that analysis for conduction through the walls or
16	evaporative cooling, or anything else like that either.
17	MEMBER BLEY: Okay.
18	MR. AMWAY: So, the hose actually runs from
19	the manifold on the reactor building grade elevation
20	up to Reactor Building 318. Like I said, that's one
21	level below the refuel floor, and then it's hard-piped
22	over up to the next level into the spent fuel pool.
23	For alternate makeup capabilities for RPV
24	makeup, this shows a picture, and we've actually tied
25	this in with NFPA-805 modifications. This is our

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	191
1	firewater header. This is the feedwater header. We used
2	to have a spool piece in here an operator would have
3	to put into place. Under NFPA-805, we removed the spool
4	piece, made it hard pipe, and we also put in this tie-in
5	for the FLEX. So, the FLEX portable pump can be hooked
6	directly into this connection, open the isolation valve
7	directly into the feedwater system and there's no spool
8	piece any more to have to put in place.
9	MEMBER BLEY: Are you one no, you're two
10	valves away from the fire main. Okay.
11	MR. AMWAY: Actually, yes, two valves,
12	right here.
13	MEMBER BLEY: And then one more in the feed
14	line. Yes, okay.
15	MEMBER BALLINGER: Can we back up one slide?
16	MR. AMWAY: Sure.
17	MEMBER BALLINGER: I know that's a
18	schematic, but that room appeared in three different
19	slides for three different operations. That room you
20	say is built first out. I mean, it's
21	MR. AMWAY: Oh, yes.
22	MEMBER BALLINGER: I mean, that's a single
23	point of
24	MR. AMWAY: Yes. It's fully robust inside
25	this area. And if the manifold is in there, like I said,

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	192
1	I mean this part here from each of the pictures is the
2	same. What's different is the manifolds that you tie
3	off of to run to the different areas. So, you know, most
4	places you just have an RPV and a spent fuel pool makeup.
5	Because we have the emergency condensers, you know, the
6	boil off is really coming to the emergency condensers,
7	the seal leakage is going to the RPV, so it's just split.
8	MEMBER BLEY: On the previous slide, you
9	don't have to get it for me. Not the sky is falling or
10	anything, but once if we get everybody hooked up,
11	are piped into the fire main while it was in place what
12	do you think the chance is somebody is going to get
13	chlorides into their primary system one of these days?
14	That's why the spool piece was there.
15	MR. AMWAY: That's why the spool piece was
16	there. I agree, and it's tradeoffs. I mean, we have the
17	administrative control, we have the multiple valve
18	isolations, the fire the only way it could get there
19	is if your RCS is at reduced pressure because the fire
20	main is only good for 150 pounds. So, you know, we think
21	we've taken a look at the appropriate level of risk and
22	
23	MEMBER BLEY: When you shut down for
24	maintenance and depressurize, you don't have a drain
25	valve or something to drain out between the valves?

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	193
1	MR. AMWAY: No, I don't I didn't look
2	at the picture, but I don't
3	MEMBER BLEY: There might be one down there.
4	MR. AMWAY: Yes, it might be a drain valve
5	down there. I don't know. I can't tell. But as far as
6	I know, I mean
7	(Simultaneous speaking.)
8	MEMBER BLEY: Still it's something to think
9	about.
10	MR. AMWAY: Right. Let's see, alternative
11	to EC makeup. Again, this goes instead of going directly
12	into the EC shell, there's an alternate location that
13	we connect to with a hose. And with the spent fuel pool
14	makeup we can run the hose up an alternate path and
15	directly onto the refuel floor into the pool.
16	As far as electrical power, safety-related
17	batteries are calculated to last at least 8 hours. That
18	does count on us doing a load shedding occurring within
19	30 minutes. The load shedding procedure for Nine Mile
20	1 is a very simple it's, you know, a couple of pages,
21	and it's in a localized area. And we actually did this
22	in a walk down, validated it works, and when the NRC
23	audit came to Nine Mile Point we actually demonstrated
24	that for the auditors that we could do it successfully
25	in that time frame.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

Phase 2 electrical power, we have a portable diesel generator. It'll connect to the AC side of installed battery chargers. We do have a backup plan that if we can't use the installed battery chargers, we have portable static battery chargers that can go directly into the battery boards 11 or 12.

Schematic layout of what this looks like. These are the battery chargers, our portable diesel generator here, and we have a tie-in connection point that goes right through the battery chargers and supplies all DC loads. This is the alternative strategy where we have portable static battery chargers brought in and connect directly into the battery board.

In either case, you're supplying the same set of loads. It's just whether you're using the installed equipment or portable equipment to do it. We preferentially choose the 12 side, what's in yellow here. If we re-energize this side, we also regain a substantial portion of our emergency lighting, but alternatively we can make the strategy work if we go to the 11 side.

In terms of Phase 3 at Nine Mile Point, we have our strategies in place where our Phase 2 equipment provides the indefinite coping, and we can demonstrate that we can maintain the key safety functions for at

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

	195
1	least 72 hours. Anything that we receive from the
2	National Response Center would be as a backup to the
3	Phase 2 equipment, and we made sure that our connection
4	points are compatible with that supplied by the
5	Regional Response Center. So, anything we get for the
6	National SAFER Response Center is a backup and a spare
7	to our Phase 2 strategy that we continue to implement.
8	And that's really the same philosophy that we have both
9	at Nine Mile 1 and 2.
10	Nine Mile 2 is a little bit different. It's
11	a BWR 5 with a Mark II containment, much higher power
12	rating. It is an uprated core at 3988 megawatts thermal.
13	Initial operation 1988, and we have license renewal in
14	place at 2046, and not 2066.
15	Our Phase 1 strategy is accomplished by
16	using reactor core isolation cooling, safety relief
17	valves for pressure control, so this is much different
18	for Nine Mile 1. Nine Mile 1 you're ejecting decay heat
19	directly to atmosphere. Nine Mile 2 it's going into the
20	containment like most BWRs.
21	Our initial analysis says that the
22	containment parameters will remain sufficient to
23	maintain RCIC operation for at least six hours. I don't
24	want to confuse this with the containment design
25	parameters. At the end of six hours, we still have

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	196
1	plenty of margin in terms of pressure and temperature
2	in the containment. This is particularly for RCIC, and
3	I'll describe that in the slide coming up.
4	Deployment of the portable pump is planned
5	for four hours. We'll be doing validation to make sure
6	we can meet that time frame. And the electrical power
7	for critical instrumentation and control is calculated
8	to last at least 12 hours at Nine Mile 2. That's using
9	safety-related batteries.
10	So, our Phase 1 strategy, we'll cycle SRVs
11	to maintain pressure under control, and to maintain
12	pressure sufficiently high that we can keep reactor
13	core isolation cooling in service. We do plan to
14	implement the hardened containment vent order Phase 1
15	concurrent with the FLEX implementation outage, so we
16	will use that vent path to extend RCIC operation beyond
17	six hours. So, the six hours assumes no venting. If we
18	do the anticipatory venting, we will be able to extend
19	RCIC out for an extended period beyond that as we
20	maintain pool temperature below 240 degrees
21	Fahrenheit. Reduces the challenge to the primary
22	containment by being able to use that vent path. And
23	as I stated, we'll install that spring of '16 concurrent
24	with FLEX.
25	This is a picture of what our hardened

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

containment vent will look like. The reason why I show this valve in red is currently we are in conformance with general design criteria in 56 where the inboard valve is inside containment, the outboard valve is located right off the penetration outside. For the hardened vent order we do plan to relocate the valve from inside containment to outside. To do that, we have already filed a GDC-56 exemption. It's already been through the acceptance review with the Staff, and they are now in with the detailed technical review of that exemption.

It does tie in and share the same flow path that our gas treatment train would take, but before the gas treatment train we tie off and go to a separate chimney to vent from the containment. All of these valves here at the GTS system, are normally closed, fail closed so that if we did have an ELAP condition the GTS system is isolated from the containment vent path.

Core Cooling Phase 2, once we transition off of RCIC, we'll utilize the diesel-driven pump. The modifications include a dry hydrant that will be installed in the service water tempering line. The tempering line has --- you know, it's a long section of pipe that's underneath the water level in the intake structure, and it has a series of one-inch holes which

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

(202) 234-4433

	198
1	would help with making sure we don't suck up large
2	debris, but it is of sufficient length that even if some
3	of the holes became clogged that we would still be able
4	to draw water from that side. And then we'll connect
5	from the discharge of the portable pump to the RHR
6	system.
7	This shows it pictorially. This is the pump
8	taking suction, discharging into a valve manifold
9	that's very similar to what we have with Nine Mile 1.
10	It's just larger capacity. And then we'll connect off
11	of that manifold directly into RHR.
12	We have three actually, three loops of
13	RHR, our primary and alternate strategies, one goes
14	into RHR A, the other goes into RHR B, but the systems
15	are functionally equivalent.
16	In terms of spent fuel pool for Phase 1,
17	we use the initial inventory that's in the pool. We have
18	5.4 hours to go from 140 to 212 degrees. And once we
19	start boiling, we have 32 hours to reach Level 2, which
20	is 10 feet above the fuel. And then our makeup
21	requirements for spent fuel pool at Nine Mile 2 is 73
22	gallons a minute.
23	Spent fuel pool cooling Phase 2, we will
24	make up with the portable diesel-driven pump. It uses
25	the same pump because it's going to the manifold, and

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	199
1	then the we will tie into RHR. RHR has the
2	distinction of being able to go to many different
3	places, one of those is alternate spent fuel pool
4	cooling, and it provides a path that we could provide
5	makeup, as well.
6	Our alternative makeup strategies, our
7	normal path connection paths through RHR A, the backup
8	is through B, it's very similar but it's an alternate
9	injection path. And for the spent fuel pool, if we're
10	not able to do it with RHR, we can run hoses up to the
11	refuel floor directly into the pool.
12	In terms of our safety-related batteries,
13	as I said, the batteries will last, assuming we do the
14	appropriate load shedding in 12 hours. The Nine Mile
15	2 load shedding procedure is a little bit more
16	complicated than Nine Mile 1, but it's structured so
17	that you don't have to do it, you know, all by one given
18	time. There are certain portions of it you do by 30
19	minutes, certain portions of it that you do in 60
20	minutes, and other portions that you can go out to 2
21	hours before you do it. Those time frames are spelled
22	out specifically on our station blackout procedure as
23	far as when you have to do these time sensitive actions,
24	and the procedures are set up to be able to dot hem in
25	a stepwise fashion to be able to meet all the time

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	200
1	frames.
2	The analysis works out to be the same for
3	both divisional batteries. Div 1 is a little bit more
4	important to us because Div 1 also supplies the DC logic
5	for reactor core isolation cooling. So, as a priority
б	we would want to protect Div 1 and restore Div 1.
7	In terms of Phase 2 for electrical power,
8	we'll use a diesel generator connected to the Division
9	1 600-volt switchgear with a breaker connection device.
10	I'll show you what that looks like in a minute. As I
11	said, Division 1 is preferred because of the RCIC system
12	DC power is powered off of Division 1. If we're unable
13	to connect it to Division 1, we have similar connection
14	points in Division 2.
15	This is a representation of what the
16	Divisional switchgear looks like. You'll see that we
17	tie in priority is Division 1, and then their alternate
18	strategy is to go in Division 2. This will go directly
19	into the switch gear so we would have the ability to
20	regain all 600-volt loads which steps down and supplies
21	our battery chargers and our DC supply, which is where
22	all of our instrumentation and control comes from.
23	This is a picture, and this isn't ours
24	because we don't have ours yet, but it's going to look
25	very similar. This is a bus connection device. It's

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

essentially a 600-volt breaker that has all the internals removed, and it's just a means to get your connection point which is the bus at the back out to these connectors. They have the same color codes, the same sizes that you saw in the earlier presentations, and it's also very consistent. It's the same as what we would get from the Regional Response Center. So, the covers you see on here, if you take these covers off you actually have --- you could actually see the conductor is right there. When you slide over the other connection and turn it then it's locked in place and that provides the power to the switch gear.

13 We have yet to decide whether we're going 14 to actually put these in erectile position actually in the switch gear, or have them staged, pre-staged 15 16 locally at the switch gear. Either way we do it it's 17 going to be acceptable. It's really --- you know, we're working between Ops and Engineering because if you 18 19 actually put it in the switch gear, it impacts the 20 seismic analysis and the safety-related function. If you put on the floor, put it in after the event, it's 21 22 a reasonable action to take. They don't weigh that much 23 because the internals have been all removed, so that's something we're working out, whether it will actually 24 25 be in there, or just rack in, or if you pick it up off

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

(202) 234-4433

	202
1	the floor and put it in the switch gear.
2	We'll be using 4/0 cable. It's
3	sufficiently sized for the amp carrying capability
4	through the breaker into the switch gear to supply our
5	needs. The size that we have is a 480-volt 450 kW
6	600-volt generator. Nine Mile 1 and Nine Mile 2 are a
7	little bit different from the rest of the industry. Our
8	low-voltage switch gear is 600-volt as opposed to 480.
9	Our Phase 3 strategies are a continuation
10	of Phase 2. Similarly to Nine Mile 1, we'll use SAFER
11	Response Center equipment as a backup to our Phase 2
12	equipment.
13	MEMBER SKILLMAN: Does that suggest that
14	SAFER has unique 600-volt equipment for Nine Mile, and
15	independent from that 480-volt for the bulk of the rest
16	of the industry?
17	MR. AMWAY: What we'll get is the same
18	480-volt generator that everybody else gets, but we are
19	also in a Site-Specific Equipment Committee that will
20	deliver a 480 to 600-volt step-up transformer so that
21	we'll be able to use it in our plant.
22	MEMBER SKILLMAN: Thank you.
23	MR. AMWAY: You're welcome. We have
24	evaluated our strategies for all modes and verified
25	they're workable. But keeping in mind that refueling

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

outages present many unique challenges and opportunities for different configurations, we are taking that into consideration in our Outage Risk Management Procedures to make sure we address the FLEX capabilities during refueling outages. And for those activities that are determined to be high-risk, that we have appropriate contingency plans in place for those conditions.

Our deployment paths and equipment locations will be marked with signs and postings similar to how we've done with past experience with SBO, and also for the EOPs. That's purely from a human performance perspective.

14 In terms of our relation to the National 15 SAFER Response Center, we do have the necessary 16 Memorandums of Understanding in place to take care of 17 our Staging Areas A, B, and C. We will be doing a 18 site-specific response plan. That's currently ongoing, 19 make sure that our engineers understand the to 20 equipment that's being received from the National SAFER 21 Response Center, that's factored and into our 22 plant-specific designs to make there's sure 23 compatibility between the equipment we're going to use 24 in connection points, and what we'll be provided from 25 the National SAFER Response Center.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

1

2

3

4

5

6

7

8

9

10

11

12

13
Even though the National SAFER Response Center is contractually obligated to have our first equipment on site in 24 hours, we have validated that we could cope indefinitely and beyond without the equipment. It's purely as a backup to our onsite Phase 2, so if we fail the pump, or we fail the generator, we'd be able to have a backup and put it in place.

For the specific equipment we're looking at getting, this is where I talked about in that specific instance where a 600-volt plant, and to be able the 11 to use the 480-volt generator, we have 12 site-specific equipment of the step up transformer. That's actually kept at the Regional Response Center, would be delivered with the generator so we could hook 15 it up and use it.

16 In terms of FLEX storage and deployment, 17 we have our primary and alternate paths established. 18 This is an overview of the Nine Mile site. This is our 19 robust building. It's protected for all the hazards applicable to the site per NEI-12-06. This is --- we 20 21 will store all N equipment for both units in this, as well as our debris removal equipment. This building 22 over here will be constructed to ASCE-7-10 standards. 23 24 This is where we'll keep +1 equipment.

The primary path was selected to go along

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

13

14

25

	205
1	the lakeside to avoid the potential for downed power
2	lines. You'll note that our alternate path does run
3	underneath power lines. For Nine Mile 1 we have the
4	advantage that our switch yard is accessible to us. We
5	can easily see whether the breaker sticks are up or down
6	to know whether the lines that we're going to pass over
7	are energized or de-energized. If we do have to manually
8	operate disconnect switches, that capability is
9	available in our switch yard.
10	These are some shots, you saw a completed
11	view of what it looks like at Dominion. We are building
12	a fully robust structure, it's 60 X 140 dimensions. It's
13	rectangular. This show what it looks like in the state
14	it was about a month ago with the foundation poured,
15	and getting ready to pour the floating slab.
16	You'll note these items in here. These are
17	our seismic tie-downs. They look raised simply because
18	we've got them covered over with duct tape filled with
19	sand to make sure that when we pour the concrete they
20	don't fill up with concrete.
21	Just a couple of pictures of what it looks
22	like. This is the later slide showing the foundation,
23	or the slab being poured. And I only included this
24	picture to show that clear days at Nine Mile Point are
25	in our design basis for the plant.

(202) 234-4433

	206
1	As I said, fully protected FLEX storage
2	building sufficient to store N. And we have completed
3	the onsite staffing study Phase 2 for Nine Mile 1. It's
4	yet to be completed for Nine Mile 2 because of the later
5	implementation date. We have allotted a three-hour time
6	frame with operators specifically dedicated to start
7	debris removal actions, and we are providing training
8	to qualify all of our operators to be able to operate
9	the pay loader. That's our largest piece of debris
10	removal equipment. The other pieces that we have, we
11	do have multiple trucks that will also be stored in the
12	N building that's fully protected. At least one of those
13	will have a snow plow attached to the front end for snow
14	removal. If we had to, we can also use the pay loader
15	for snow removal. It's certainly robust and capable.
16	The tractor that we have, generators are
17	very heavy, so a normal pickup truck wouldn't pull it,
18	but the tractor certainly has the capability to be able
19	to hook up and attach to the portable generator and move
20	it into location.
21	This is a picture of one piece of debris
22	removal equipment, our pay loader that we'll have
23	stored in the fully protected building. And as I said,
24	at least one of the other vehicles will be snow removal
25	capable.

(202) 234-4433

	207
1	In terms of refueling, we have to be able
2	to refuel all of our equipment. Both of our trucks will
3	be equipped with 500-gallon storage tanks. Those tanks
4	will have integral DC powered fuel transfer pumps
5	capable of 20 gallons per minute. We have onsite storage
6	capability of 140,000 gallons of diesel fuel that
7	normally supplies our safety-related diesels which
8	will not be operable during this event, so we would go
9	ahead and use that fuel to power onsite equipment. Our
10	fuel usage calculations show that we have enough for
11	at least 20-days supply. We have sufficient time to be
12	able to arrange with our local fuel suppliers to provide
13	us additional capability out beyond the 20 days.
14	We did actually validate. The way this
15	works is we hook up a transfer pump to our sounding tube
16	of the underground fuel storage tanks to make sure that
17	that was sufficient, capable of working in terms of the
18	fit-up and the delivery. We actually did a test and
19	confirmed that those transfer pumps in that
20	configuration will pump up to 30 gallons per minute of
21	diesel fuel.
22	All of our onsite portable equipment is the
23	Tier 3 engines. There's a I don't know if you're
24	aware of it, but there's diesel engines that are
25	designed on ultra low sulfur versus low sulfur,

(202) 234-4433

difference being 15 ppm compared to 500. Some of our storage tanks on site are below the 15 ppm threshold,

208

storage tanks on site are below the 15 ppm threshold, others are not, so we have --- you know, the Tier 4 engine you're pretty much limited to ultra low sulfur. We have Tier 2 or Tier 3 that can burn either. All the National SAFER Response Center equipment is the same in terms of it's designed to run on either low or ultra low sulfur fuel.

Spent fuel pool, I know this isn't really 9 10 a specific topic to hear. This is Order 51, but we do monitor the level indication to know when it's time 11 12 under the FLEX strategies to be able to make up to the 13 spent fuel pool. Level 1 supports normal cooling system 14 operation, Level 2 makes sure that you have substantial 15 shielding so that you can get to the refuel floor. We are the default value of 10 feet above irradiated fuel. 16 17 There were two choices. You could do 10 feet without 18 analysis, or you could select a lower level with 19 analysis. We went with the default value. And then Level 20 3 is the level at which the fuel just remains covered 21 with water, so essentially doesn't provide much 22 radiation shielding.

We chose the through-air technology. It's fairly simple in terms of there's a radar horn. This is actually installed right over the spent fuel pool.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

	209
1	There's a wave guide which is essentially one-inch
2	Schedule 40 pipe. This is the only portion that is on
3	the refuel floor. Our wave guide pipe as soon as
4	possible goes off the refuel floor to the next level
5	down so there's no electronic equipment that will be
6	on the refuel floor.
7	The sensor is actually what directs the
8	wave guide, or the radar pulse to measure the level.
9	That's on our next level down, and then it's electrical
10	connections to get into the location where the operator
11	actually reads it.
12	This display here has an internal battery
13	that should the normal AC power be lost, it
14	automatically converts over to DC internal. You see the
15	power usage for each channel is very low, it's a half
16	a watt. The advertised design of these internal
17	batteries, it'll supply seven days worth of power.
18	The backup, when we put in our FLEX
19	generator, the normal AC power that was lost would be
20	regained when we hook up the FLEX generator so we would
21	have ongoing capability to monitor level.
22	There's two per spent fuel pool. Nine Mile
23	1 and 2 have completely separate pools so they have to
24	have their own separate level indicators. Each one has
25	two channels per the FLEX order per the spent fuel

(202) 234-4433

	210
1	pool level instrumentation order. The required
2	accuracy is plus or minus a foot. Our actual
3	installation, the specification is plus or minus
4	3-inches in a steam environment. As I said, normal AC
5	power, once that's lost it has the battery backup and
6	will repower the FLEX generator as part of our FLEX
7	strategy.
8	Temperature limitations, the sensor
9	qualification is 176 degrees. To stay within that,
10	that's why we took it off the refueling floor and put
11	it the next level down. We have similar strategies to
12	everybody else where we open reactor building doors low
13	and high, sets up the chimney effect. Our analysis show
14	that we maintain below the qualification temperature
15	of 176 degrees.
16	Power availability, the AC power that
17	normally feeds both channels is independent power
18	supplies, and the rest of this is pretty redundant to
19	what I covered already. The FLEX generator provides the
20	backup power and the internal batteries.
21	To maintain separation on the refuel
22	floor, we install these in the corners which provides
23	some inherent protection. And then we install them with
24	a maximum length between separation that we could get.
25	Instead we connected to the spent fuel pool, and the

(202) 234-4433

wave guide portion that's actually on the refuel floor, that separation is maintained until it goes down to the next level down.

My final slide here is just a summary of 4 the NRC audit results. We recently had our Staff audit 5 of our FLEX strategies. We started with 55 open items 6 7 at Nine Mile 1. During the audit we got three more 8 questions, and we've closed 50 of the original, and two 9 of the new, leaving us with six remaining open items. 10 Two of those responses have been supplied, we're just 11 waiting for closure of those, leaving us with four. The 12 way we plan to close those is as the analysis or whatever 13 information it was that we need to close those will 14 initially post that to the ePortal and it will 15 eventually be docketed to close out the open items as 16 part of the audit.

17 For spent fuel pool level, we successfully closed all 18 items so there are no open items for spent 18 19 fuel pool level instrumentation. Nine Mile 2 it's a 20 little bit different. We started off with 56, we added 21 three, closed 36 of the original, plus two of the new, 22 leaving 21 open. The reason for the high number is 23 because, as I said, our strategies for both units are 24 very different. The implementation time for Nine Mile 25 2 isn't for another year, so some of the analysis and

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

(202) 234-4433

211

	212
1	calculations aren't yet complete, so you can't really
2	close the open item until that's done. So if you look
3	at the majority of the open items, if it wasn't for that
4	we'd be down closer to the number of Nine Mile 1.
5	Nothing in there rose to the level of
6	significant open items. They are just open, and I didn't
7	see any of those open items that are going to be a
8	significant challenge to any of our strategies.
9	That's the end of my presentation pending
10	any questions.
11	MEMBER BLEY: Yes, one. You may have told
12	us this, and it might have slipped by. You told us back
13	in the beginning when you were talking about the
14	emergency condenser, do you have alternative or backup
15	sources of water for that, or do you use any of the FLEX
16	equipment to pour water into that if you need it?
17	MR. AMWAY: Yes, our FLEX we have the
18	40,000 gallon makeup tanks which provide the initial
19	eight hours.
20	MEMBER BLEY: Right.
21	MR. AMWAY: We do use our pump to make up
22	to those makeup tanks.
23	MEMBER BLEY: To the tanks. Okay.
24	MR. AMWAY: Yes. And we have primary and
25	alternate strategies of getting that water to the
	NEAL R. GROSS

(202) 234-4433

	213
1	makeup tanks.
2	MEMBER BLEY: Thank you. I missed that, if
3	you told us before.
4	MR. AMWAY: Yes.
5	CHAIRMAN SCHULTZ: Other questions,
б	comments by the Committee? Phil, thank you for your
7	presentation. Since you talked about spent fuel pool,
8	I just want to come back to Dennis' comment earlier
9	about loading of the spent fuel pool. I know you focused
10	on loading for this purpose to develop a conservative
11	evaluation of the decay heat load and impact were you
12	to lose level. But if your reactor engineering team
13	hasn't looked at alternative loadings of the spent fuel
14	pool, they certainly may have, it would be worth their
15	while. Other licensees have found beneficial loadings
16	to provide additional margin in the spent fuel pool.
17	MEMBER CORRADINI: In fact, wasn't there a
18	recent there was a recent notice that just came out
19	on that.
20	CHAIRMAN SCHULTZ: That's right.
21	MR. AMWAY: There is, and we will certainly
22	take that back and look at it. I will say that there's
23	already some restrictions on what we can do for the B5B
24	strategy, and also because the pools are so full and
25	we offload campaigns, so that limits our ability to do

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	214
1	that. We'll certainly take a look at it.
2	CHAIRMAN SCHULTZ: You can look at it. Some
3	of that is complimentary.
4	MR. AMWAY: Yes.
5	CHAIRMAN SCHULTZ: Any other questions,
6	comments? All right, I'm going to break for lunch now
7	and ask people to return at 1:15. I know that's a short
8	lunch break but I do want to come back with this panel
9	and have the presentation related to the SAFER, and then
10	move into the NRC's presentation just after that. So,
11	short lunch period, but that will get us out of here
12	earlier this evening, I believe. Recess now until 1:15.
13	(Whereupon, the above-entitled matter
14	went off the record at 12:46 p.m., and resumed at 1:18
15	p.m.)
16	CHAIRMAN SCHULTZ: We're coming back on
17	the record after the lunch recess and we're going to
18	come back to the industry presentations. Scott Bauer
19	will introduce the next speaker and we're going to talk
20	about the National SAFER Response Center and the U.S.
21	nuclear industry.
22	MR. BAUER: The National SAFER Response
23	Centers, obviously we're enlisted to basically support
24	the Phase III of the FLEX strategies. I'm going to have
25	Dan Dan Brush is from Exelon. He's going to speak

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	215
1	to this topic. He is currently the chairman of the
2	SAFER Steering Committee and the Management Committee.
3	It's highly industry-run even though we selected SAFER
4	organization as the contractor. So Dan will explain
5	a little bit about that and then how we got to the point
6	of going live with these response centers.
7	So, Dan?
8	MR. BRUSH: So, good afternoon. Welcome
9	back from lunch. I'm Dan Brush. As Scott mentioned,
10	I do work for Exelon. Have for the last nine year. I
11	was fortunate enough to do 28 years in the Marine Corps
12	prior to that, both as a combat engineer and as a
13	logistician, so some of this ties in pretty well to
14	that.
15	As Scott mentioned, when the requirement
16	for the Phase II was initiated we did a competitive bid
17	and selected a new company, SAFER, to put these response
18	centers together for us, purchased the equipment,
19	established the specs for the equipment and then
20	maintain them throughout the life of the nuclear
21	industry.
22	We did in the beginning elect a steering
23	committee and then the rest of the industry
24	participated in a larger committee, a larger Equipment
25	Committee. When we elected the steering committee, we

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	216
1	asked for volunteers. Everybody took a step back and
2	Mike and I were left standing out front. So we led the
3	steering committee.
4	MEMBER BROWN: You didn't learn much in
5	the Marines then, did you?
6	(Laughter)
7	MR. BRUSH: charge forward and
8	MEMBER BROWN: As a Navy guy, I knew how
9	to step back.
10	(Laughter)
11	MR. BRUSH: I should have spent more time
12	on boats.
13	(Laughter)
14	MR. BRUSH: Absolutely.
15	MR. BAUER: There's actually a little bit
16	more to the story because Mike Pacilio is the chief
17	nuclear officer and was overseeing this, so it made it
18	natural to have somebody from Exelon be the person in
19	the trenches making it happen.
20	MEMBER BROWN: There's no humor in that
21	statement.
22	(Laughter)
23	MR. BRUSH: So again, we were fortunate.
24	This was a very good effort. We've done a lot in a very
25	short amount of time as far as getting the industry

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	217
1	together, and we'll talk through some of those points
2	as we go through the slides.
3	So this is a depiction of where the two
4	response centers are, one in Phoenix and one in Memphis,
5	and the range that we can get by truck, by 18-wheeler
6	in 20 hours, roughly 50 miles an hour average speed.
7	Why Phoenix? Phoenix is kind of out by
8	itself in the West with not a whole lot of nuclear sites
9	near it, but does become a great all-weather hub or
10	good-weather hub for FedEx for moving equipment and it
11	made sense. Not lot of issues with
12	beyond-design-basis events typically in Phoenix.
13	Memphis happened to be the home of PECO.
14	PECO was one of the members of the SAFER company. The
15	other is AREVA. PECO for the last 30 years has done
16	maintenance of capital spares, large capital spares for
17	the nuclear industry. Warehouse them, maintain them,
18	store them, test them, make sure that they're up to
19	speed. And then if anybody needs something, get them
20	to the site that needs that piece of equipment rapidly
21	so we can get it in place and get back online, go back
22	to producing electricity.
23	Okay. So this is a timeline. I think you
24	all have hard copies, right?
25	PARTICIPANT: We do.

	218
1	MR. BRUSH: Okay. So this is a timeline.
2	You saw this in one of the presentations earlier. It's
3	a 24-hour timeline. T-0 notification is not
4	necessarily T-0 of the event occurring. Rather, it's
5	when the site decides they need to make a call for the
6	equipment. That begins T-0 for the SAFER team to begin
7	to get their organization together, call FedEx and
8	start moving equipment. So we could be at T-1, T-2 for
9	the actual event, but T-0 for the SAFER team and this
10	24-hour clock.
11	So as was talked before, we begin
12	mobilization. We get trucks to the response centers
13	and begin to move equipment. First piece of equipment
14	as identified by the site could be any of the equipment
15	in the response center. Is on site in 24 hours. And
16	the remaining equipment closes on the off-site staging
17	area typically in 24 hours.
18	As you heard, the industry looked hard at
19	can we go longer than 24 hours before we actually need
20	to put this equipment in? This is redundant equipment.
21	We don't look at it as recovery. We don't look at it
22	as primary in almost every case, but it is redundant
23	equipment to replace the Phase II equipment that's
24	on-site portable equipment. And it's typically plug
25	and play. You unplug the Phase II equipment. You plug

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	219
1	in the Phase III equipment and you continue down that
2	path.
3	MEMBER SKILLMAN: Dan, let me ask this
4	question.
5	MR. BRUSH: Yes, sir.
б	MEMBER SKILLMAN: Just a curiosity
7	question. When a call comes for help for this
8	equipment, that's a serious event. People aren't
9	doing this frivolously. But what I experienced is,
10	particularly after TMI we would ask for help, and we
11	had truckers come and bring stuff that were inebriated.
12	Others were fitness for duty. Some of the equipment
13	was shabby. on an 18-wheeler 6 of the tires were
14	falling apart, rims were bent. Other equipment was
15	brand spanking new. Sometimes the tractor was
16	pristine and the trailer was looked like it had been
17	pulled out of the ocean.
18	So my question is when you make the call
19	and get the truck, how do you know the truck, the vehicle
20	and the driver, or drivers are fitness for duty?
21	MR. BRUSH: That's a great, great
22	question, and one of the reasons that we teamed with
23	FedEx. The response centers, the SAFER team has
24	procured new trailers for all the equipment. So each
25	equipment is trailered so it can move around a site,

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	220
1	but we also have them pre-loaded on 18-wheeler
2	trailers. So all FedEx has to give us is the tractor
3	to hook up to a trailer and drive it off. FedEx
4	maintains very strict, very high standards for their
5	drivers and their equipment. They are very quick. If
6	a driver team or a driver does not continue to meet their
7	standards, they will fire that driver and take on other
8	drivers.
9	MEMBER SKILLMAN: Thank you.
10	MR. BRUSH: Okay. This is a depiction
11	of a pictorial, if you will, on how we get equipment
12	from the response centers to the sites. So we get a
13	call. We activate the SAFER Control Center and they
14	in turn activate the people responsible to run the
15	response center. We call FedEx at the same time.
16	FedEx begins to move tractors into the response center
17	to hook up to trailers. And depending on the
18	conditions at the site if a site is physically
19	isolated or weather conditions or conditions from the
20	event would preclude us from getting to the off-site
21	staging area in the timelines that we need to, we may
22	move equipment by fixed air to a FedEx hub close to the
23	nuclear site. Otherwise, we're going to try and drive
24	it to the greatest extent possible just to get it to
25	that off-site staging area.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	221
1	So across the top, you hook up to a tractor,
2	you go to the local. In Memphis there's a large FedEx
3	hub and in Phoenix there's a large FedEx hub. Load
4	aboard the FedEx planes. We are pre-loading the
5	majority of the equipment not only onto trailers, but
6	also onto pallets, heavy-duty pallets that can be
7	pulled off of the trailers and loaded right onto the
8	planes. We do have load plans for all of the equipment
9	for the planes to facilitate a rapid ingress and egress
10	getting onto the plane and coming off as we're loading
11	and off-loading.
12	CHAIRMAN SCHULTZ: Dan, who makes the
13	decision and what is the process for making the decision
14	about whether you're going to move by truck or through
15	the air? I mean, obviously there's some request that
16	comes, but who's responsible for making the decision
17	on
18	(Simultaneous speaking)
19	MR. BRUSH: So the site in conjunction
20	with the local law enforcement would give us some
21	indication if they're isolated. So if in the case of
22	a bridge being down and we couldn't get to the plant,
23	or the primary and secondary routes were washed out,
24	or something like that.
25	CHAIRMAN SCHULTZ: Who makes the decision

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	222
1	about the route in between the response center and the
2	site?
3	MR. BRUSH: The SAFER Control Center,
4	their folks running that in addition to FedEx. So
5	FedEx is getting reports all the time from their
б	drivers. And again, we're working with the state and
7	local folks to get updates. We've got about four hours
8	getting the tractors to the response center, briefing
9	the drivers on the routes they're going to drive or if
10	we make a decision to fly. Again, because of weather
11	conditions in between the response center and the site,
12	we may go right to the airport and just go ahead and
13	fly.
14	MEMBER STETKAR: But FedEx makes the call
15	on the long haul, or you guys make the call on the long
16	haul?
17	MR. BRUSH: We make the call.
18	MEMBER STETKAR: Okay.
19	MEMBER REMPE: Could you talk a little bit
20	about what happens when the equipment gets to the site?
21	In some of the background information we were given to
22	review apparently that was a bit of an issue on how the
23	equipment is turned over to the site personnel and the
24	division of duties in that turnover.
25	MR. BRUSH: Sure. All the equipment goes

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	223
1	to normally an off-site staging area. And that was
2	described as an area about 25 miles from the site.
3	MEMBER REMPE: Yes.
4	MR. BRUSH: Some place that has the
5	capability to not only harbor all that equipment for
6	some length of time, but also to facilitate helicopter
7	operations if required so we can get the equipment onto
8	the site, not via road networks, but through the air.
9	The SAFER team provides equipment
10	operators to the staging area. The equipment
11	operators accompany the equipment to the site. When
12	the equipment and the operator get to the on-site
13	staging area, there is a training session, if you will,
14	just-in-time training, between the SAFER operator and
15	the site operator. And we go through an operator aid
16	card that comes with a piece of equipment. And then
17	the SAFER operator stays with that equipment until it
18	is hooked up to the plant and running hot and normal.
19	And then the site at their discretion lets the SAFER
20	operator go back to the off-site staging area to
21	accompany the next piece of equipment.
22	MEMBER REMPE: Okay. Thanks.
23	MR. BRUSH: Yes, sir?
24	MEMBER BROWN: I'm talking about driving
25	versus flying. And looking back at your chart, the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	224
1	map, 20 hours by truck to a 30,000 mile radius, 50 miles
2	an hour.
3	MR. BRUSH: Aggressive.
4	MEMBER BROWN: Aggressive? And there are
5	rules in terms of how how many drivers does FedEx
б	have on one of these long hauls? At least two?
7	MR. BRUSH: Yes.
8	MEMBER BROWN: Maybe three? Because
9	there are limits on how long they can drive.
10	MR. BRUSH: Yes, there will be a pair of
11	drivers coming with each tractor.
12	MEMBER BROWN: Still 50 miles an hour,
13	1,000 miles. Just looking from Phoenix up to
14	Washington, and saying that's averaging 50, that's
15	MEMBER BLEY: It's humping.
16	MEMBER BROWN: That's more than humping.
17	(Laughter)
18	MR. BRUSH: It is. It is. It's very
19	aggressive. And for the Northeast in all likelihood
20	we would probably just immediately go to fly.
21	MEMBER BALLINGER: It's like they've
22	written it off, yes. Seabrook and Pilgrim.
23	MEMBER BROWN: Yes, I don't know what it's
24	like on the western side. I would imagine it's a little
25	bit easier to boogie on the western side than it is on

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	225
1	the northeastern side.
2	MR. BRUSH: But even there trying to cross
3	the Rockies with all the
4	MEMBER BROWN: Exactly.
5	MR. BRUSH: trucks and traffic.
6	MEMBER BROWN: Okay. That was just
7	information. Thank you.
8	MEMBER BLEY: Before you go on, you didn't
9	talk about the helos. And I remember I don't know
10	if it was you or somebody else who was here; maybe it
11	was INPO, talking about during Fukushima heavy
12	equipment got shipped from around the world to Tokyo,
13	and they didn't have any capability of large enough
14	helos to move it out to the site. Where are the helos
15	coming from?
16	MR. BRUSH: Helos can come from basically
17	three different places. The SAFER team has contracted
18	with commercial helicopter companies, commercial
19	helicopter companies who typically do logging
20	operations, do fire fighting, do construction with
21	helicopter support offshore, drilling rigs.
22	MEMBER BLEY: The heavy stuff?
23	MR. BRUSH: So heavier helicopters that
24	have about an 85 to 9,000-pound external load
25	capability. And I believe I mentioned earlier, all of

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	226
1	our equipment has been spec'd out to be 8,500 pounds
2	or less.
3	MEMBER BLEY: Okay.
4	MR. BRUSH: So the large generators, the
5	large pumps. In some cases we have to pull them apart,
6	separate them from the trailer and get two loads going
7	in. Or we'll get a fuel tank in as a separate load.
8	But we can get everything under a helicopter and to the
9	site.
10	The secondary helicopter source would be
11	the Air National Guard in a certain state or in an
12	adjoining state. We already have the industry has
13	agreements with the states and their emergency response
14	folks to support moving people around, moving small
15	amounts of equipment around with light helicopters.
16	In Illinois for Exelon, when I talked to those guys,
17	they said we'll give you one of the governor's
18	helicopters if you need it. Now, he doesn't have any
19	capability other than personnel or some boxes of stuff,
20	but they're very serious about supporting us.
21	And then the third leg of the helicopter
22	support would be to turn to the NRC rep in the EOF. And
23	at the same time we're looking for commercial or state
24	assets. Ask them to contact DoD and begin to mobilize
25	DoD assets.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	227
1	MEMBER BLEY: You're not the one to speak
2	to that, but do they have some agreements with DoD, or
3	is that just something that would be handled through
4	the higher levels of government?
5	MR. BRUSH: We have actually gone out and
6	we have briefed FEMA, the FAA and OSD just a couple
7	months ago on the potential for us coming to them for
8	support. And like the military always says, if they're
9	not out fighting a war, they're all over wanting to
10	help.
11	(Laughter)
12	MR. BRUSH: So I mean, when Fukushima went
13	down, we had Marines off shore on boats offering to
14	help. We had
15	MEMBER BLEY: Had an aircraft carrier
16	out
17	(Simultaneous speaking)
18	MR. BRUSH: the Air Force. Yes, the
19	Navy was there. The Air Force just off the coast was
20	offering to fly down and help support operations.
21	Military gets engaged quickly typically.
22	MR. POWELL: We have found that the
23	agencies are very easy to work with. In fact, the Air
24	National Guard went to the Phoenix facility and looked
25	at the slings and gave us feedback on the quality of

(202) 234-4433

	228
1	the slings saying we had purchased very high-quality
2	slings to lift. In one case they recommended how to
3	change the lift points on a piece of equipment and
4	they've even started bringing some of their personnel
5	in to start developing load lift plans.
6	MEMBER BLEY: Ah, okay.
7	MR. POWELL: So it's working a lot better
8	than any of us I think would have imagined. And when
9	we've had the meetings with DoD, DoE, FEMA and the FAA,
10	they've been, you know, hey, there's ways we can work
11	this and we need to put these things into play.
12	MR. BRUSH: Does that answer the question?
13	MEMBER BLEY: Yes.
14	MR. BRUSH: Okay. So we mentioned the
15	SAFER Control Center. The SAFER team works out of the
16	control center. And the primary is in Lynchburg and
17	orchestrates the entire response to the site similar
18	to an outage control center. The alternate is in
19	Birmingham.
20	And then we have the response centers.
21	Response centers store and maintain five sets of
22	generic equipment and then a number of sets of
23	site-specific equipment, some of which was mentioned
24	today. The 600-volt transformer would be a piece of
25	site-specific equipment, or an extra lift pump.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	229
1	All of it again is loaded on commercial
2	trailers. Some of it is pre-palletized for fixed-wing
3	movement to facilitate loading an aircraft. And the
4	response centers do the testing and certification of
5	equipment as they're doing the maintenance. We do use
6	the SAFER operators to go to the staging areas to assist
7	us with maintenance and some of that testing as they're
8	training for making sure they're familiar with the
9	equipment. So that will be an ongoing process over the
10	next four years.
11	CHAIRMAN SCHULTZ: What is the expected
12	staffing for those operators?
13	MR. BRUSH: At a staging area?
14	CHAIRMAN SCHULTZ: Yes.
15	MR. BRUSH: Yes, we'll typically have four
16	or five operators and then a staging area lead.
17	CHAIRMAN SCHULTZ: Okay.
18	MEMBER CORRADINI: So let me ask a
19	different question.
20	MR. BRUSH: Yes, sir.
21	MEMBER CORRADINI: These are in operation
22	now or soon to be?
23	MR. BRUSH: The response centers are in
24	operation. We went in operation at the end of
25	September in support of those sites coming out of their

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

```
(202) 234-4433
```

	230
1	outages this fall.
2	MEMBER CORRADINI: So has there been, for
3	lack of a better word, a training exercise that actually
4	brought a piece of equipment to a plant?
5	MR. BRUSH: There have been a couple of
6	demonstrations, yes, sir.
7	MEMBER CORRADINI: Okay.
8	MR. BRUSH: One at Three Mile Island and
9	one at Surry.
10	MEMBER CORRADINI: Okay. Thank you.
11	MR. BRUSH: So this again is just a
12	pictorial that talks to the initial request. The
13	initial request goes to a 24/7 contact at AREVA. AREVA
14	does the dialogics call out of the entire SAFER
15	organization. They get redundant response then both
16	for the command center as well as for the response
17	centers. And we call out both response centers until
18	we make a determination which one we're going to utilize
19	to respond to this event. And you can see the people
20	in the control center there. A coordinator, a staging
21	area coordinator, a logistics guy, an equipment
22	coordinator, and then a response center coordinator.
23	MEMBER BLEY: The management and
24	operating groups are all from the contracting
25	organizations, or are there some of you folks from the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	231
1	licensees or
2	MR. BRUSH: They're all from AREVA.
3	MEMBER BLEY: All from AREVA?
4	MR. BRUSH: AREVA and PECO.
5	MEMBER BLEY: Okay.
6	MR. BRUSH: Correct. So here's the
7	staging area organization. Again, we have a staging
8	area lead. We have a number of operators that go into
9	the staging area and they're working with the command
10	center to get updates on equipment as they're coming
11	in. AREVA does have access to short-haul planes, jets,
12	that they can move their people around in response to
13	this event to get them to an organization or to an area
14	quickly. And then we'll rent vehicles from that area
15	to support them while they're supporting the site.
16	MR. BAUER: So to answer the question
17	about the technicians that go with the equipment, since
18	AREVA does a lot of site support throughout the nation,
19	they have people all over the country that they will
20	be training. So when an event occurs, they'll contact
21	the people and those people will arrive at the staging
22	area simultaneously with the equipment arriving there.
23	CHAIRMAN SCHULTZ: They won't have far to
24	go because they're associated with their site support
25	team already?

	232
1	MR. BAUER: Right, they could come from
2	any place in the country.
3	CHAIRMAN SCHULTZ: Right.
4	MR. BAUER: Whoever they have available.
5	MR. BRUSH: Which is another great point.
6	All these people are instrumental in supporting nuclear
7	outages every year, so they're familiar with our sites.
8	Maybe not all the sites, but they're familiar with how
9	we operate in the nuclear industry. They're
10	comfortable with going to a site and supporting sites.
11	This is the SAFER play book. I think you
12	saw a picture of this earlier. It does have a number
13	of chapters. And the play book is established to make
14	sure that everybody is working from the same plan. So
15	it's developed by the site in conjunction with the SAFER
16	team. The SAFER team holds a copy. INPO will hold a
17	copy. NRC will hold a copy. The EOFs at the nuclear
18	utilities will hold copies. The 1-800 number is in
19	this book, so when the site determines that they need
20	to make a call, they'll look in the book. The number
21	will be right there. There will be a sheet that they'll
22	walk down to talk to that provides specific
23	information. So it comes across the same way every
24	time.
25	MEMBER SKILLMAN: What is the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	233
1	administrative link that gives a shift manager or a
2	shift foreman or the emergency director the confidence
3	that his senior nuclear executives bought into this so
4	that that person who's
5	MR. BRUSH: So when he makes the call to
б	move all this equipment
7	MEMBER SKILLMAN: He knows he's on solid
8	ground with his chief nuclear officer?
9	MR. BRUSH: We have built that requirement
10	into the EP plans for each utility, or for each site.
11	We do train down that path. As Scott mentioned, Mike
12	Pacilio was the industry lead for this effort, the Phase
13	III effort for off-site equipment. We did brief the
14	CNOs at every stage of development of the response
15	centers and their capabilities.
16	MR. BAUER: Early on we also there was
17	an NEI initiative that the CNOs voted on to say we would
18	all contract with SAFER. So we've all signed an
19	individual contract with SAFER to be a part of
20	their
21	MEMBER SKILLMAN: Okay. Thank you.
22	Thanks.
23	CHAIRMAN SCHULTZ: Was your question,
24	Dick, who is the utility authority? Is that a
25	designated individual

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	234
1	(Simultaneous speaking)
2	MR. BRUSH: It's different for each
3	utility. Some go right to the NDO and have the NDO make
4	the call, but the site truly holds the responsibility
5	for saying I'm in a world of hurt and I need extra
6	equipment.
7	MR. POWELL: In the case of Palo Verde the
8	shift manager will be in communication with the EC early
9	on in the event. He makes the call. And in fact, he
10	or she wants to make the call early enough in the event
11	to get the logistics moving. That's when T-O starts.
12	And we're keeping that communications launch my play
13	book. Hang up the phone. So he goes back to focusing
14	on classification and assisting the CRS managing the
15	event.
16	MEMBER SKILLMAN: That's why I asked the
17	question, because it's command and control at the point
18	at which the individuals in the control room determine
19	I need help and I need it now. And I was really
20	processing in my mind what does it look like if that
21	person is saying, gee, I don't know if I've got to call
22	the CNO right now to get permission to do this. I
23	presume through all of the agreements that have been
24	signed that link has already been closed, but you've
25	confirmed it on the record. So that's what I wanted

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	235
1	MR. BRUSH: Yes, exactly.
2	MEMBER STETKAR: But I was going to ask is
3	that Mike said that's the way it is at Palo Verde.
4	Is that uniform across the industry that the shift
5	supervisor, whatever his title is, in the control room
6	makes the call? Because Dan said EP, which tends to
7	be corporate executives and those folks who live
8	distant and
9	MR. BRUSH: Well, it's in the EP procedure
10	for the site.
11	MEMBER STETKAR: Well, that's not you
12	have to be a little bit careful because that's not the
13	procedure that Mike was alluding to.
14	MR. LLEWELLYN: This is David Llewellyn
15	from Duke. At Duke the contract is already signed, so
16	it's up to the duty engineer to make that call in the
17	control room. So we don't have to get any executive
18	approval to do that.
19	MR. BRUSH: So I think it's similar across
20	the entire industry, but Bill can speak for Dominion.
21	MR. WEBSTER: At Dominion the control room
22	has the authority to make that call as well.
23	MEMBER STETKAR: Okay.
24	MR. WEBSTER: It's already been
25	pre-established.
	NEAL R. GROSS

(202) 234-4433

	236
1	MR. AMWAY: The same for Nine Mile Point.
2	MEMBER STETKAR: Thank you.
3	MR. GIDDENS: The same for Southern
4	Nuclear.
5	MEMBER STETKAR: Could you give your name,
6	please.
7	MR. GIDDENS: Yes, John Giddens, Southern
8	Nuclear.
9	MEMBER STETKAR: Thanks, John. Thank
10	you.
11	MR. BRUSH: So again, you see that we have
12	willed that responsibility down to make that call.
13	MEMBER STETKAR: That's encouraging
14	because we've heard alternating things about who makes
15	the judgment call in these situations. And at times
16	we've heard, well, that would be a corporate
17	responsibility at the emergency response center or
18	MR. BAUER: Now, once the shift manager
19	makes the call, they'll probably turn the logistics
20	over to the logistics coordinator in the EOF to
21	basically say now you follow up with SAFER and make sure
22	they get here where you need them.
23	MR. BRUSH: But as Mike said, then the site
24	can go back to focusing on responding to their issues
25	and everything else is happening independent of them.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	237
1	MR. POWELL: And that's exactly what will
2	happen. Once the EOF is mobilized, the logistics
3	coordinator and the EOF will take over that interface
4	with SAFER.
5	CHAIRMAN SCHULTZ: They don't get a chance
б	to intervene and negate the call, do they?
7	MR. POWELL: No.
8	MEMBER STETKAR: Okay.
9	MR. BRUSH: But they do have an
10	opportunity to interface and re-prioritize equipment.
11	They're deploying their Phase II equipment. If
12	something rolls down a hill and they lose a pump, they
13	can re-prioritize the first piece of equipment to the
14	site as that replacement pump. Or if a generator goes
15	back, they can call and get that re-prioritized. So
16	they're getting what they need up front in the delivery.
17	MR. POWELL: Or, using the example
18	presentation from Gene this morning, if they were to
19	recover off-site power and get some diesels back, they
20	would say, all right, hey, tell SAFER to hold off on
21	the equipment. I've recovered off-site power. Right
22	now maybe get it half way here and we'll talk about it,
23	or you can turn the shipment around. I mean, it depends
24	on the extent of the event and what they're dealing
25	with, but once that phone call is made, every plant

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	238
1	wants that equipment rolling whether it's on a plane
2	or on a truck.
3	MEMBER RYAN: Just a quick question about
4	your work force. Do you draw on European countries for
5	workers on any of these projects, or is it strictly a
6	U.Sbased work force?
7	MR. BRUSH: It's typically a U.Sbased
8	work force.
9	MEMBER RYAN: The reason I ask is because
10	they have different dose limits and it would be kind
11	of a harder thing to integrate. Two versus five rem
12	is the limit. So just curious.
13	MR. BAUER: Sure. On the issue of sharing
14	personnel, the reason INPO has a copy of this book; and
15	INPO would be contacted initially, they're going to
16	help with logistics of people. So if a plant needs
17	extra RP techs or certain skill sets, INPO is going to
18	go and find those folks for us and direct them to the
19	site.
20	MR. BRUSH: Okay. Just one last thing on
21	the play book here, this is accomplished with a site
22	visit from the SAFER team. They sit down with the
23	leadership team at the site and talk through what the
24	impacts of calling equipment out and delivering
25	equipment, what Phase III really means. They do

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	239
1	walkdowns of the site. They drive primary and
2	alternate routes into the site. They look at bridges.
3	And then they go and walk down the staging areas and
4	make sure the staging areas are adequate to support what
5	we need, the lay-down areas. And as was mentioned this
6	morning, typically it's a local air field that has
7	enough tarmac to support parking trucks and equipment
8	and also good enough to support helicopter operations,
9	if in fact we have to do that. Okay.
10	Response center equipment. I already talked about
11	five sets of generic equipment. Four sets
12	are always available at each response center to be
13	deployed.
14	One set nominally is in maintenance at any
15	given time and we rotate equipment through.
16	The sites have identified beyond the
17	generic equipment and "generic" is defined as more
18	than 70-percent of the sites needed a specific piece
19	of equipment. So all the pumps are for the most part
20	generic. The two generators are generic. We have
21	extra generators that are site-specific, since the site
22	called for more than a couple generators that would
23	normally come as part of the generic site.
24	The equipment is maintained by the
25	response center staff, the staging area operators and

(202) 234-4433

(202) 234-4433
	240
1	contractors as necessary.
2	We talked about the weight limit.
3	The helicopters, commercial helicopters
4	have about a 70-mile round trip capability with this
5	8,000 to 8,500 load underneath it. The military
6	helicopters have a lot more robust capability.
7	Obviously depending on the helicopters you get it's a
8	much better lift capability with much longer legs. The
9	military comes with night vision capability and
10	all-weather flying capability. So that's a very
11	attractive alternative for what could be a bad weather
12	situation.
13	All the equipment will run on diesel. And
14	as was mentioned, it's all tier 2 or tier 3 diesel
15	engines, so we're not having to deal with ultra-low
16	sulfur fuel.
17	And as you've seen, we do have industry
18	standard electrical and mechanical connections to
19	ensure that when a piece of equipment shows up it truly
20	is a plug and play to replace the Phase II equipment.
21	This is the current list of equipment, both
22	generic and site-specific. We tried to do as much
23	commercial off-the-shelf equipment as we could, and we
24	were pretty successful with that. We had to do some
25	tweaking to get under the 8,500-pound weight limit with

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	241
1	the equipment. We did three industry surveys to
2	determine what equipment was going to be required. One
3	at the very beginning before the sites had produced
4	their integrated plan for the FLEX response, one survey
5	in March after they had produced their integrated plan,
6	and then one in July of '13 to verify the equipment that
7	we had selected, the types of equipment we had selected
8	were in fact going to satisfy everybody's plan.
9	MEMBER STETKAR: I look at that stuff and
10	the only thing that strikes me is that's a pretty wimpy
11	high-pressure pump. I mean, I look at the other
12	low-pressure pumps and I'm assuming that came out
13	of the industry specifications. I'm curious. Why?
14	I mean, why not 300, 400, 500 gpm at high pressure?
15	MR. BRUSH: It met the requirements of the
16	industry for their coping requirements.
17	MEMBER STETKAR: Under whatever
18	presumptions they
19	(Simultaneous speaking)
20	MR. BRUSH: It didn't make sense to
21	over-buy. It made go ahead, Phil.
22	MR. AMWAY: This is Phil Amway. Just to
23	talk to that, the high-pressure pump with a
24	60-gallon- per-minute flow is primarily for the
25	pressurized water reactors that are just dealing with

(202) 234-4433

(202) 234-4433

understand 5 MEMBER STETKAR: Т that What I'm asking is that if 6 assumed event trajectory. 7 I look at the other makeup requirements and think of 8 reactors and the amount to refill reactors and the 9 amount to take away heat, 60 gpm at high pressure 10 doesn't do much except make up for seal leakage, which is fine if that's the event scenario. You're on a 11 12 If you're at a larger leakage rate at high trajectory. 13 pressure, you're not going to make it. In other words, 14 I see a lot of margin in all of those low, medium steam generator makeup pumps compared to the way plants 15 16 really work. I don't see a lot of margin in the high 17 pressure.

18 Bryan Ford with Entergy. MR. FORD: Ι 19 actually had asked a similar question when I saw it. 20 What I was told was that as you go to the higher flow 21 rates, it just becomes so hard to deploy. For the 22 high-pressure hoses and stuff you have to deploy, the 23 weight gets so much. They were trying to optimize 24 deployment also.

MEMBER STETKAR: Okay. So there are

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

	243
1	things we can mitigate and things maybe we can't
2	mitigate.
3	MEMBER BALLINGER: Now when you say
4	"turbine generator," you mean that?
5	MR. BRUSH: Yes, it actually has a turbine
6	engine that drives the generator.
7	MR. POWELL: It runs on diesel.
8	MR. BRUSH: I'm sorry?
9	MR. POWELL: It runs on any type of fuel.
10	MR. BRUSH: It runs on any fuel. It's a
11	multi-fuel turbine.
12	MEMBER BALLINGER: Okay.
13	MR. POWELL: Kerosene, mineral oil,
14	vegetable oil. If it burns, it will run it.
15	MR. BRUSH: And the turbines we're using
16	are all rebuilt. They've been in the industry for
17	years. Have, I don't know, 15 to 17 million hours of
18	operating time.
19	MR. POWELL: It's a T-53 helicopter
20	turbine.
21	MEMBER SKILLMAN: I have a curiosity
22	question. I understand the equipment. in my
23	experience one thing that took everybody by surprise
24	was the need for more shielding. And I guess the
25	presumption is this is simply equipment to take care

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	244
1	of an extended loss of AC power, but I'm sure
2	MR. BRUSH: And/or the loss of the
3	ultimate heat sink, yes, sir.
4	MEMBER SKILLMAN: And the loss of the
5	ultimate heat sink. But more shielding is better than
6	less shielding. And I know at TMI we got our shielding
7	from Admiral Rickover. He sent a C-5A filled with
8	it is how we took care of it. Different issue, but
9	there will be times when to get to where you want to
10	get to you probably need to build yourself protection.
11	Was there any consideration given to needing shielding?
12	MR. POWELL: Our philosophy going in we're
13	preventing core damage, not mitigating core damage.
14	We're preventing core damage. So shielding was
15	something that would be needed if we failed in that
16	mission.
17	MEMBER SKILLMAN: So the presumption is
18	you really don't need any because you have prevented
19	a radiological event?
20	MR. POWELL: That's right.
21	MEMBER SKILLMAN: Fair enough.
22	MR. BRUSH: And most of this equipment is
23	hooked up outside the plant proper
24	MEMBER SKILLMAN: Yes, fair enough.
25	MR. BRUSH: and it doesn't have to go

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	245
1	inside the plant.
2	MEMBER SKILLMAN: Okay. Thanks.
3	MR. POWELL: Now if additional shielding
4	was needed, we would rely on going to INPO to contact
5	other utilities to get those resources for us.
6	MR. BRUSH: And there is an agreement
7	between all the CNOs that say if you're in a bad
8	situation, we will support you.
9	MEMBER RYAN: Have you defined that break
10	point technically in terms of these issues of how much
11	of a release is more than you can handle? I would want
12	to know where that bar is before I start saying I'm going
13	to cover that. How do you
14	(Simultaneous speaking)
15	MR. BRUSH: As far as
16	MEMBER RYAN: Well, you said you can
17	handle events up to certain sizes or certain release
18	rates or certain parameters of some kind. How do you
19	know when you get to that point what's above that? I
20	mean, how do you decide, no, we can't handle this one?
21	It's not within our wheel house or it is.
22	MR. POWELL: I think from our perspective
23	we're deploying the equipment and connecting it to a
24	plant long before a release rate happens.
25	MEMBER RYAN: So the amount of

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	246
1	radiological release that you would tolerate in order
2	to have you deploy would be fairly low? Is that what
3	you're saying?
4	MR. POWELL: Yes, we're keeping
5	sufficient water inventories in the core to prevent
6	core damage, and the timelines are based on that.
7	MEMBER STETKAR: This is not severe
8	accident mitigation. It's core damage prevention.
9	MR. POWELL: It'd core damage prevention,
10	yes, sir.
11	MEMBER RYAN: Okay. Fair enough.
12	MEMBER SKILLMAN: It's EA-12-049, which
13	is really
14	MR. BAUER: So the one thing I would say
15	to that is all the U.S. CNOs went over to Japan and then
16	they just recently had all the Japanese CNOs in Phoenix
17	for a week And basically one of the messages that our
18	CNOs are trying to send is we meet four times a year,
19	we're a tight-knit group, we basically if a problems
20	happens at one of our plants, it's at all of our plants,
21	and therefore we're all in line to help you. So I think
22	we would have plenty of help offered up at a
23	(Simultaneous speaking)
24	MEMBER RYAN: Oh, help is not the problem.
25	What I'm trying to understand a little bit is where are
	NEAL R. GROSS

(202) 234-4433

	247
1	the go and no-go criteria of what you're going to do
2	and how you're going to do it, and when do you ask?
3	MR. BAUER: I think the sequence is you're
4	going to move from your FLEX Support Guidelines, like
5	Gene was talking about, and if things start going worse,
6	you move to your SAMGs and you're going to activate
7	other levels of
8	MEMBER RYAN: All right. Fair enough.
9	I've got a better picture. Thank you. That's
10	helpful.
11	MR. BRUSH: So just the last comment on
12	this slide. This isn't necessarily the end-all for the
13	equipment. If a site decides three years from now they
14	need to modify their coping strategy and need a
15	different piece of equipment, then we'll form an
16	Equipment Committee and go out and purchase that piece
17	of equipment. Or if a technology changes and there's
18	a better technology to satisfy a requirement we'll go
19	after a different technology.
20	MEMBER STETKAR: On the site-specific
21	stuff they just pay the rent and maintenance costs for
22	their own
23	MR. BRUSH: They do buy a certain amount
24	of pieces of the equipment to satisfy their
25	requirement. And whoever else joins that Equipment

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	248
1	Committee
2	MEMBER STETKAR: Yes, okay.
3	MR. BRUSH: And then, yes, they pay an
4	annual cost for maintenance and storage.
5	Okay. Talk briefly about transportation.
6	We have teamed with FedEx Custom Critical for the ground
7	and the fixed-wing movement of the equipment. Custom
8	Critical already delivers to nuclear sites. FedEx
9	does deliveries every day just about in some way, shape
10	or form to a nuclear site. They also had airplanes in
11	the air within hours after 9/11 flying. So they are
12	used to flying in extremis and used to driving onto
13	nuclear sites. So pushback from drivers would be
14	minimal in this situation.
15	We talked about the three-tiered
16	helicopter availability. Again, the first level is to
17	contract out or call commercial helicopters and
18	determine their availability to support a requirement.
19	And that's driven by a couple of things: They're
20	obviously in the business to employ their helicopters
21	full time, make as much money as they can and probably
22	not going to stop a money-paying contract to support
23	us unless there's some national declaration.
24	The other thing is the legs. Typically
25	commercial helicopters don't fly at night and they

(202) 234-4433

	249
1	don't fly in all weather, so they're fair weather
2	daylight operations. And most of them are located in
3	the northwest, so getting a commercial helicopter from
4	the northwest to Florida doesn't happen inside of 24
5	hours. Rather, it's 48 or 72 hours to get that
6	helicopter to self-deploy. So again, going out to the
7	states and getting Air National Guard assets or turning
8	to DoD to mobilize their assets becomes a very
9	attractive proposition for us.
10	MR. POWELL: And he one thing I forgot to
11	mention earlier when I talked about this, I left out
12	the Nuclear Regulatory Commission has been involved in
13	all these meetings as well when we've met with the FAA.
14	So it's been a total integrated approach.
15	MR. BRUSH: So for the helicopters it's a
16	simultaneous call out: commercial, Air National Guard
17	and DoD through the NRC and FEMA. We are preparing
18	congested area flight plans for all the sites.
19	Typically when you do external loads you don't like
20	flying over houses or other areas where people
21	congregate, so we look for roads where there won't be
22	a lot of traffic or rivers to fly down in case something
23	happens and we have to drop a load.
24	MEMBER STETKAR: Dan, just something I
25	thought. As Dennis mentioned earlier this morning,

(202) 234-4433

	250
1	these events in practice that are going to mobilize
2	these things are not your plain vanilla clean losses
3	of electric power. It's going to be a mess around the
4	site and most of the folks are going to be headed away
5	from the site and trying to get away from the mess.
6	Have you coordinated the fact that you're going
7	opposite perhaps a large flow of traffic coming at you
8	for the populace trying to get away from where the
9	mess occurred?
10	MR. BRUSH: Sure.
11	MEMBER STETKAR: And it isn't necessarily
12	just the nuclear mess. It's perhaps seismic
13	destruction. It could be very, very heavy
14	storm-related destruction. It could be you know,
15	you name it.
16	MR. BRUSH: We'll have to work with the
17	state police and the local support agencies to clear
18	paths or hold paths open for us so that we
19	MEMBER STETKAR: I mean, this does get
20	involved with not only the site emergency plans but the
21	general
22	MR. BRUSH: Correct.
23	MEMBER STETKAR: emergency plans with
24	those agencies. You haven't done that yet?
25	MR. BRUSH: We have MOUs with the local

(202) 234-4433

	251
1	facilities and authorities, and we have MOUs with the
2	states.
3	MR. BAUER: Yes, the plants have met with
4	their state and county officials to basically talk this
5	through and talk through what assistance they would
б	need.
7	MR. BRUSH: They ask for escorts and for
8	clearing paths into the site
9	(Simultaneous speaking)
10	MEMBER STETKAR: No, I understand. I'm
11	thinking of that last; pick a number, 20, 25 miles from
12	the staging area
13	MR. BRUSH: Exactly.
14	MEMBER STETKAR: until the time you put
15	it in a place where it can get connected. And I guess
16	I'm having a little less confidence in the helicopters
17	because I don't hear really strong-knit agreements for
18	availability necessarily, so now I'm starting to think
19	about trucks and roads and that sort of thing.
20	MR. BRUSH: Well, we've got 24 hours
21	MEMBER STETKAR: Yes.
22	MR. BRUSH: to coordinate with the
23	state officials to isolate routes so that and again,
24	we've already pre-identified primary and secondary
25	routes into the sites and those are coordinated with

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	252
1	the state and local agencies to make sure that they know
2	that the paths we want to take to get equipment in.
3	MEMBER RYAN: Dan, have you all done a live
4	drill of any of that?
5	MR. BRUSH: We
6	MEMBER RYAN: A real-life drill where you
7	shut the roads off and the crews come through with the
8	equipment and all that and everybody else can't go on
9	those roads?
10	MR. BRUSH: We have not.
11	MEMBER RYAN: What?
12	MR. BRUSH: We have not.
13	MEMBER RYAN: Because I think those
14	exercises, in my experience, if you actually do the real
15	thing, or as close to it as you can get, they're are
16	very instructive on whether it will work or I think
17	that's kind of what
18	(Simultaneous speaking)
19	MR. BRUSH: Well, we did a couple of
20	demonstrations and we did have state and local
21	MEMBER RYAN: A demonstration is not a
22	drill.
23	MR. BRUSH: Correct.
24	MEMBER RYAN: Big difference. A
25	demonstration is you take the shiny one and show it off
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	253
1	and it's working good and everything is great. A drill
2	is everybody is doing what they normally would do and
3	nobody's watching. So it's a big difference.
4	MR. BRUSH: Understand.
5	MEMBER RYAN: Okay.
6	MEMBER BALLINGER: It seems to me that the
7	most likely bad path would be the roads because of all
8	the things that John was talking about and that the sure
9	path is with the helicopters, but it also
10	MEMBER STETKAR: Why?
11	MEMBER BALLINGER: seems to me that
12	the well, because that sidesteps everything, right?
13	In other words
14	(Simultaneous speaking)
15	MEMBER STETKAR: It depends on the
16	weather.
17	MEMBER BALLINGER: Okay. All right.
18	Okay.
19	MR. BRUSH: So it really is
20	situation-dependent.
21	MEMBER BLEY: Since you brought this up,
22	I haven't thought much about it, but as far as I know
23	all the counties and states around the plants have
24	emergency plans. And is this getting worked into their
25	plans or is

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	254
1	MR. BRUSH: Yes, we're doing that now. In
2	fact, we have standing Memorandums of Understanding and
3	Agreement with the state and locals already.
4	MEMBER BLEY: Right.
5	MR. BRUSH: So all we're doing is building
6	on those existing plans and making sure that
7	MEMBER STETKAR: The only key is though if
8	you tell the state organizations that I have a problem
9	in isolation at the nuclear facility and I want a plan
10	to get equipment there, that's one way that they think.
11	If you say that I've had the biggest earthquake that's
12	ever occurred in this area, or a line of the worst
13	tornadoes that have come through and devastated a city,
14	and now how do I coordinate getting things to the
15	nuclear plant, you might get a different answer.
16	Follow me? When you say I've coordinated it with the
17	local emergency response organizations, have you done
18	a clean coordination? In other words, this is the only
19	concern that we have today.
20	MR. BRUSH: It's a primary concern that
21	the state and local organizations understand that they
22	could be in a massive response to an event. The last
23	thing they want is for a nuclear site to have a bad day
24	on top of that massive event. And everybody I've
25	talked to anyway has voiced a very high concern about

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

MR. POWELL: I can tell you for the State of Arizona; and I think you'll hear similar stories from the fall '14 implementing plants, we've met with the state agencies, the local police and then cascading out with the state police, all the emergency response areas. We've talked through the response planner. Dan referred to it as the play book. We talked about the three-tiered approach to helicopters.

13 In the case of Arizona it was all very positive. 14 And we talked about how we would reroute traffic and 15 whose responsibility? And there's an incident command 16 structure that the states will implement. And there's a clear hierarchy. And then that person is in charge 17 of routing traffic through the state and getting the 18 19 equipment around. So that group would determine 20 whether a truck comes in on Interstate 10 or through 21 Interstate 40, or maybe it has to go around and come in a different direction. 22

They've reviewed all their emergency response plans in the State of Arizona and in fact the state found that in one case they needed to add two words

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

to the plan to clarify use of helicopters for people and equipment. They identified the change on a Thursday -- or a Friday afternoon and the change was effective on Tuesday morning. And I think you'll hear similar stories from the other states that have implemented.

7 Going back, we haven't drilled this on this 8 level, particularly in the states, but they're all 9 aware of what their roles are and their need to support. 10 In fact, we are scheduled to have another series of 11 meetings to go through this, through the response plan 12 again. And it's all been very positive. We've had all members of horizontal local law enforcement, 13 the 14 National Guard, the governor's office all involved, the 15 site emergency, the -- I mean, the state, the county 16 emergency directors. And I think Dan's got similar 17 stories for the meetings he's had with his states.

So in fact, the states want to 18 MR. BRUSH: 19 start incorporating some of these into their exercises 20 voiced by Illinois, Tennessee, Arizona, those meetings 21 that I've sat in. We've got language in Pennsylvania 22 and Maryland. We missed the opportunity in New Jersey. 23 They've got our requirements. They'll change the 24 language in their emergency plans next year when it 25 So we are working through just about all comes around.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

	257
1	the states.
2	MEMBER BLEY: I think we've crossed a
3	little threshold here as we're talking about this, from
4	what we talked about earlier. What we, at least a
5	couple of us over here, were worried about this morning
6	is the most likely thing to get you into this ELAP is
7	some severe common cause event, some big storm, some
8	big earthquake. But the things that might activate the
9	center are much more broad than that. TMI would have
10	probably gone to this place. And so there's a whole
11	range of situations beyond the ELAP kind of thing where
12	this will be very helpful where you don't have that
13	confounding problem of the local damage.
14	MR. POWELL: You know, hypothetically a
15	company, or a coastal, if they know a hurricane is
16	coming, might elect to say I'm not happy with the
17	equipment being this far away. Move it half way
18	here
19	MEMBER BLEY: Half way here, yes.
20	MR. POWELL: and find a safe place.
21	And they might have that dialogue and do that and reduce
22	that risk to their plant.
23	MR. BAUER: One of the other things is that
24	every plant has least 100 percent margin on the
25	24-hours. So they don't need it for 48. So we have

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

quite a bit of margin to work with on the delivery time frame. MEMBER SKILLMAN: So we've talked about

tractor-trailer. We've talked about helicopter. Soon we're going to be talking about flooding, maybe subsequently dam failure. Some plants are fairly close to their design-basis in terms of flooding. Is there any consideration to having to bring equipment in by barge? I think folks from Fort Calhoun might have said, gee, it really would have been nice if somebody brought a medium-sized barge with a couple of backup pumps or something just in case we needed them.

MR. BRUSH: Yes, when we met with DoD we talked about using air-cushioned landing craft --

15 MEMBER SKILLMAN: Oh, yes. Watercraft? 16 -- where they're available. MR. BRUSH: 17 Thev're not available all over, but there are 18 situations where that would be very attractive. We 19 have talked about using barges for a site that was 20 isolated at Salem-Hope Creek. It was isolated by 21 water. And we would like to do it by helicopter. Ιt 22 seems to be the fastest approach. There's a lot of 23 things you have to do with barges to make sure that 24 you've got a place where you can land the barge and 25 safely off-load the equipment.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

258

1

2

3

4

5

6

7

8

9

10

11

12

13

14

	259
1	MEMBER SKILLMAN: And you need a tow boat
2	or something, a pusher to get it there.
3	MR. BRUSH: Or use a ferry or something.
4	Yes, sir.
5	MEMBER SKILLMAN: So is it fair to
6	communicate that when and if necessary access by
7	watercraft will be considered, or is that a stretch at
8	this point?
9	MR. BRUSH: I don't think that's in our
10	plans right now. I think we have discussed that,
11	discussed the requirement for a water-born isolation.
12	And if we couldn't get in by helicopter what we would
13	have to do.
14	MEMBER SKILLMAN: Fair enough. Thank
15	you.
16	MR. POWELL: I'd like to real quickly
17	build on something Scott said going back to Gene's
18	presentation of Palo Verde this morning. The need for
19	a piece of Phase III equipment, what would have to
20	happen is if he powered up the 480-volt bus, the Alpha
21	bus, that gives us access to the Alpha or Echo charging
22	pump. I would have to have both pieces of permanent
23	plant equipment fail, then the end pump and the plus
24	one pump before I even needed the first piece of Phase
25	III equipment. So it truly is the Phase III

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	260
1	defense-in-depth equipment.
2	MR. BAUER: There are a few plants however
3	that do have equipment coming from the National SAFER
4	Response Center that is required for them to cope.
5	There are a few.
6	MR. BRUSH: Okay. This is a depiction of
7	a checklist that is done to declare a site operational
8	and be able to be supported by the response center.
9	This checklist is done trading documents between the
10	site and the response center personnel. So you run
11	down the list here of we have a lot of generic equipment
12	required. It's all under into maintenance. And we've
13	got non-generic or site-specific equipment. What's
14	required. We've got a team that's trained up. We have
15	the response plan or the play book developed.
16	Congested area flight plan is completed. Training in
17	place. All those have to be accepted by both entities
18	to declare it operational. This checklist is held at
19	the SAFER centers and reviewed every year.
20	Okay. That's all the primary stuff.
21	CHAIRMAN SCHULTZ: Any questions that
22	might get us into the additional materials from the
23	Committee?
24	(No audible response)
25	CHAIRMAN SCHULTZ: Okay. Scott, that
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	261
1	completes your set of presentations.
2	MEMBER BLEY: Yes, I guess I do have one.
3	CHAIRMAN SCHULTZ: Go ahead, Dennis,
4	then.
5	MEMBER BLEY: I think what you said, Dan,
б	was you went operational in September for the plants
7	who have just come out of outages.
8	MR. BRUSH: And the plants that were going
9	into outages in the fall and needed to have the response
10	center to support the Phase III portion of their FLEX
11	strategy, their coping strategy. Yes, sir.
12	MEMBER BLEY: When will it be operational
13	for everybody?
14	MR. BRUSH: At the end of 2016.
15	MEMBER BLEY: '16?
16	MR. BRUSH: Yes, so we're working right
17	now on spring of '15 plants
18	MEMBER BLEY: Okay.
19	MR. BRUSH: to make sure that their play
20	books are completed and signed off. We already know
21	the equipment is in place. We know we have the training
22	completed. We'll have congested area flight plans by
23	the end of this year for all sites. So we're out ahead
24	of that game, but the play book development is really
25	the thing that takes the time, to visit the site, to

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	262
1	walk down all the areas, drive all the roads.
2	MEMBER BLEY: Rather than me make an
3	assumption, I will ask you what if a plant who doesn't
4	have their play book yet has the bad event tomorrow and
5	says, hey, I need help? Is there a way to handle that?
б	MR. BRUSH: It would be a generic
7	deployment, yes. They'd call up the 1-800 number
8	and
9	(Simultaneous speaking)
10	MEMBER BLEY: everybody now in some
11	fashion?
12	MR. BRUSH: Yes, almost every site has
13	identified at least one staging area off site, and in
14	most cases two.
15	MEMBER BLEY: Is all the equipment at
16	the
17	(Simultaneous speaking)
18	MR. BRUSH: All the equipment is at the
19	response centers now. We have slings for the
20	equipment. Again, it's mobile loaded on trailers. So
21	we're able to go if a site, a 2016 site were to have
22	an incident, we could deploy to support that site.
23	MEMBER BLEY: It might take a little bit
24	longer, but it would still be
25	MR. BRUSH: Well, it would just

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	263
1	MR. BAUER: Whether they have the
2	connections to put the equipment
3	(Simultaneous speaking)
4	MEMBER BLEY: Yes, that's right.
5	MR. BAUER: I mean, they not even have
6	their Phase II equipment on site yet, but they
7	personally are buying for their site. So we could get
8	there with a set of equipment.
9	MEMBER BLEY: Stuff they couldn't use.
10	(Laughter)
11	CHAIRMAN SCHULTZ: It would be
12	coordinated appropriately, for sure.
13	MR. BAUER: Right. Yes. When we opened
14	those Phoenix response center, FEMA came and was part
15	of the opening ceremonies and they were very interested
16	in the capability that was demonstrated there.
17	CHAIRMAN SCHULTZ: Bill Shack, do you have
18	any questions of this group at this point?
19	(No audible response)
20	CHAIRMAN SCHULTZ: Hearing none
21	CONSULTANT SHACK: No, I don't.
22	CHAIRMAN SCHULTZ: Okay, Bill. Thank
23	you.
24	(Simultaneous speaking)
25	CONSULTANT SHACK: presentation
	NEAL R. GROSS

(202) 234-4433

	264
1	though.
2	CHAIRMAN SCHULTZ: Thank you.
3	MR. BRUSH: Thank you.
4	CHAIRMAN SCHULTZ: Any other comments or
5	questions by the Committee at this point?
6	(No audible response)
7	CHAIRMAN SCHULTZ: All right. We're
8	going to change out the industry presenters with the
9	NRC staff.
10	PARTICIPANT: Does the gentleman have
11	(Simultaneous speaking)
12	CHAIRMAN SCHULTZ: Oh, excuse me. A
13	comment.
14	MR. GIDDENS: That's okay. This is John
15	Giddens with Southern Nuclear.
16	Dan, I was going to tell you that since the
17	ACRS has already said they're going to be in Phoenix
18	in May, that you might extend an invitation to them
19	where we could facilitate a if they'd like to go to
20	the
21	MR. BRUSH: Response center?
22	MR. GIDDENS: response center.
23	MEMBER STETKAR: I told you they hadn't
24	heard of it.
25	MR. BRUSH: I think we already have that
	NEAL R. GROSS

(202) 234-4433

	265
1	in the works.
2	MR. GIDDENS: Okay. Thank you.
3	MR. POWELL: Actually, the staff through
4	Jeremy Bowen has been in contact with APS and we've got
5	dates. And we've already contacted the response
6	center to make those arrangements. So great idea,
7	John.
8	(Laughter)
9	CHAIRMAN SCHULTZ: To expand that, our
10	visit will be to the site, to the center and also to
11	the region.
12	So thank you very much. We appreciate it.
13	Very good presentations.
14	While the NRC staff is coming to the front
15	of the room, I'm going to ask if there are any public
16	comments. And we have a short time here just while we
17	make the transition. If there are any members of the
18	public in the room who would like to make a comment based
19	on what we've heard so far, now would be the time to
20	do so. If we can get the phone line open, we'll also
21	ask on the bridge line.
22	(No audible response)
23	CHAIRMAN SCHULTZ: I'm not seeing anyone
24	coming to the microphone in the room here. We'll have
25	another opportunity later on today.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	266
1	I believe the phone line is open. And for
2	our purposes we need to identify that someone is out
3	on the phone line. Could someone please indicate that
4	they are there just by saying words, and then we'll know
5	the phone line is open.
6	MR. JACKSON: Yes, Tom Jackson with Rizzo
7	Associates.
8	CHAIRMAN SCHULTZ: Tom, thank you.
9	Now, if anyone would like to make a
10	comment, please state your name and provide the comment
11	to us.
12	(No audible response)
13	CHAIRMAN SCHULTZ: I'm not hearing any at
14	this time, so we'll go ahead and close the phone line
15	on public comments and it will, as I mentioned, be
16	opened later today.
17	And as that is closing, Jack, I believe
18	you've got to coordinate the presentation here.
19	MR. DAVIS: I am.
20	CHAIRMAN SCHULTZ: Is that correct?
21	MR. DAVIS: Yes, I am.
22	CHAIRMAN SCHULTZ: So welcome and we look
23	forward to your presentation. You're going to be
24	telling us what you've learned from the industry's
25	overall program and the reviews that you have done.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	267
1	MR. DAVIS: Yes, correct. So I'm Jack
2	Davis. I'm director of the Division of Japan Lessons
3	Learned, just doing this for NRR and a lot of it for
4	the Agency. I apologize I wasn't here this morning's
5	session because I had a couple of conflicting meetings,
6	but I heard it was a very fruitful discussion.
7	So for this afternoon's discussion we're
8	going to spend a good amount of time talking about NRC's
9	review of the order and our methodology, how we're going
10	through that. And then we also have some staff here
11	that's going to talk to you about specific issues that
12	the Committee had told us they were interested in
13	related to this area.
14	Following the previous discussion, I think
15	it's important to reemphasize that the mitigation
16	strategy order is on the prevention of core damage.
17	It's not about post-core-damage-type of issues, and
18	it's for beyond-design-basis-type of natural
19	phenomenon. And you're going to see that theme
20	throughout all of our discussions and out methodologies
21	that we're talking about here today.
22	If I can have the next slide? Thanks,
23	Jeremy.
24	This slide demonstrates the Tier 1. I
25	know it's very busy and it's not meant to be looked at

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	268
1	in great detail. It displays the activities that are
2	going on in Tier 1 for Fukushima. There are a number
3	of parallel activities. The real point of this is that
4	we got that it's an integrated-type of an approach and
5	that all of these pieces have to fit together so that
6	you have at the end of the day a logical consistent and
7	robust regulatory framework. And we're trying to
8	achieve that in a lot of the things particularly related
9	to flooding and some of the other activities. We're
10	doing a parallel activity and then they're going to fit
11	into the mitigation strategies.
12	One last item I'm going to mention before
13	I turn it over to Jeremy to go through the presentation
14	is that we're here today to talk about operating
15	reactors, but we recognize that in NRO they're also
16	looking at new reactors and what goes on there. So we
17	maintain very close coordination with them. There are
18	some differences between what they do and what we do,
19	but we understand why there are differences or in some
20	cases similarities. And there are reps here from NRO
21	that can help us answer any of the questions you have
22	that might cross over those boundaries.
23	So with that, I'm going to turn it over to
24	Jeremy who's going to walk us through it in more detail.
25	MR. BOWEN: Okay. Good afternoon. Like

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

Jack said, I'm Jeremy Bowen. So I'm currently one of 1 the associate directors in the Japan Lessons Learned 2 I've been involved with this for about a 3 Division. year-and-a-half. I got involved as the branch chief 4 5 for the management of the overall project for how we were conducting the reviews. So I'm going to start 6 7 with this kind of walk-through at a high level, how 8 we've reviewed once the licensee has submitted their 9 integrated plans how we conducted their reviews and how 10 we got to where we are today, and our plans for final close-out of the order. 11 12 So to start with, again, just a quick overview of the order. We've talked about this on the 13 14 edges so far today, but the order is a performance-based 15 order. It's trying to prevent core damage for 16 undefined beyond-design-basis external events. The 17 order talks about -- you see the terminology that's used 18 there: initial, transition and final. And what that 19 basically means is the licensee is using installed 20 plant equipment, portable on-site equipment and then 21 resources from off site. 22 And this is a cartoon diagram that we've 23 put on our public Web site to kind of communicate to 24 all of our external stakeholders exactly that sort of 25 wording in a pictorial format, if you will.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

269

So some milestones. The first responses were due in February of 2013. Licensees submitted their integrated plans, and it basically laid out how they were going to comply with the order. The compliance for the order is two refueling cycle outages after the submittal of that integrated plan with a final compliance date no later than December 31st, 2016.

I will note here that some licensees have requested some schedule relaxation, and the Agency has granted some relaxations. Those have varied for one reason or another. For the most part it's to make some modifications to the plants to enhance their capability to respond to any such event. And the relaxations kind of fall into three different categories: One is for an additional outage prior to December 2016. That grants them three refueling cycles instead of two.

The second category has been the plants that are decommissioning. There obviously wouldn't have to be concern about the core cooling since they would have no fuel in the core.

21 And then third has been an alignment with 22 the Severe Accident and Capable Hardened Vent Order. 23 And the reason for that is that certain plants need the 24 venting capability that that order requires in order 25 to implement the strategies to comply with this order,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

	271
1	Order 049. However, in all of those cases the plants
2	that have been granted that extension, the additional
3	modifications minus the vent modification, additional
4	modifications and the portable on-site equipment will
5	all be available and completed on our normal timeline,
6	the original timeline identified for the Mitigating
7	Strategies Order.
8	CHAIRMAN SCHULTZ: Jeremy, can you give a
9	rough number of plants that are affected in that way
10	besides the decommissioning facilities?
11	MR. BOWEN: Sure. For the additional
12	outage prior to 2016 there are 10 units that were
13	granted a third outage. And to align with the Hardened
14	Vents Order it was six sites, so in that case 10 units
15	as well.
16	CHAIRMAN SCHULTZ: All right. Thank you.
17	MR. BOWEN: Okay. So as I mentioned, the
18	goal of the order is prevention of core damage, and it's
19	to prevent that in a beyond-design-basis external
20	event. And it's an undefined event. It's a very
21	performance-based order. And so to try and; for lack
22	of a better way of saying it, define the undefinable,
23	industry proposed to use what they call their
24	flexible FLEX as we now refer to it, the Diverse and
25	Flexible Coping Strategies. And they provided an

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

Industry Guidance document, NEI-12-06. That defined the undefinable by establishing the initial parameters that were discussed this morning, the extended loss of AC power and the loss of access to the ultimate heat sink.

To be honest, that has been a challenge for 6 7 the staff's review. How far down do we go with this 8 review? How do we try and bound this undefinable 9 event? How do we bound our review? As you all have 10 noted, there's been many of the questions that this 11 Committee has asked that we were asking ourselves 12 during the review. And there was lots of questions 13 about, well, there's recognition that some event 14 happened that got you into these initial conditions, 15 so you have to consider, well, what equipment would be 16 available? What equipment would be impacted if you had 17 this sort of event vice this sort of event? And every 18 time we asked the question, there was a lot of because 19 of the performance-based nature of the order, we had 20 to define or try and figure out what's the right 21 threshold for how many times to ask a question to get to a level of comfort? 22

To do our review we've had staff that are experts in many different technical areas specific to containment and ventilation, electrical,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

instrumentation and controls, but at the same time we 1 also focused on having a lot of staff with a lot of 2 3 operational background and a lot of operational 4 experience. We really focused our review on paying 5 significant attention to the integrative plant response, trying to figure out from the broad sense of 6 7 this undefined external event. Is a strategy feasible 8 and can it logically be executed given the unknowns that 9 are likely to be facing the plant. And in the case, if I will, the flexibility 10 11 and the diversity that industry proposed, as we've gone 12 through our review over the past year-and-a-half I 13 think we've come to see that that really is the key to 14 success. 15 Jim Wiggins, the director of NSIR, has 16 mentioned a couple of times that after TMI we went to 17 a symptom-based approach for the emergency operating 18 procedures and that he views this as the equivalent 19 symptom-based approach from a mechanical standpoint 20 post-Fukushima. That really is the case that we're 21 seeing is there isn't one specific you're going to do 22 this strategy because you have an extended loss of AC 23 power and loss of access to the ultimate heat sink. 24 It's there are multiple different ways to 25 inject water into the core now. There are multiple

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

273

different pathways to cool down the core now. 1 There are multiple different ways to get fuel and additional 2 3 equipment on site. So there's a strategy that's developed from some initial basis conditions, the ELAP 4 and the loss of access to the ultimate heat sink, but 5 it really is more than that. It's a more collective 6 7 review that the staff has been doing as well. 8 CHAIRMAN SCHULTZ: Jeremy, if I could just 9 ask at this point, you talk about this in terms of 10 review, and that's where we are in the process, but 11 could you talk a bit about the process that was used 12 to come to the formulation of the approach? And what I'm getting to is that you had a 13 14number of experts that were participating in this from 15 the beginning, as did the industry. And then in 16 addition there were public meetings that were held in 17 order to thrash out or discuss, or whatever words you want to use to begin to identify the concept and then 18 19 move forward to the solution that we're seeing today. 20 Right, so if --MR. BOWEN: 21 CHAIRMAN SCHULTZ: I'm sorry, I don't want 22 to move forward in your slides, but --23 MR. BOWEN: No, I was going to say if I go 24 back to this --25 CHAIRMAN SCHULTZ: Okay. Good.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

274

	275
1	MR. BOWEN: slide, the development of
2	the industry guidance, the so as the Committee is
3	well aware, the Near-Term Task Force proposed some
4	recommendations. The staff took those
5	recommendations, kind of prioritized them and sent a
6	proposal to the Commission. The Commission came back
7	with direction to the staff and to issue the three
8	orders and the 50.54(f) letter.
9	Once the orders were issued, there were
10	multiple public interactions with industry. Industry
11	actually came in proposing the FLEX strategy. There
12	was some dialogue back and forth as to whether the
13	Agency would find that acceptable at a high level first.
14	Eric Bowman down here to right was actually intimately
15	involved in those discussions from the beginning.
16	In the end the guidance that industry
17	provided was I don't know remember the exact date.
18	I think it was sometime early 2012.
19	MR. BOWMAN: August 2012 was when they got
20	the final version.
21	MR. BOWEN: Yes. But before that final
22	version was sent in and approved endorsed by the
23	staff, there was several interactions on what's
24	appropriate. There was an Interim Staff Guidance
25	document that was developed. It was published in the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433
	276
1	Federal Register for public comment. It was actually
2	brought before the Committee in July of 2012 for
3	discussion with all for review. And like Eric said,
4	that was finally endorsed by the Agency in August 2012.
5	From that document the industry went off
6	and developed their plans and then submitted their
7	plans in February of 2013. And then from that point
8	I like to say we moved from the lessons learned phase
9	into the implementation phase. And once the industry
10	sent in their proposals, we got a look at it and started
11	to review it against the industry guidance and found
12	that it was much more challenging that just kind of
13	picking up two pieces of paper and comparing them back
14	and forth.
15	And that's actually what I was going to
16	cover in the next few slides is how do we move from
17	reviewing a for the most part 70-page industry
18	submittal against a 100-page guidance document and a
19	15-page NRC endorsement?
20	MR. DAVIS: I think what you're getting to
21	though really is a lot of it's beyond-design-basis.
22	The staff is very used to doing design-basis review.
23	It's well thought out. This was a lot harder to do,
24	right? So you're really getting to how do we know this
25	is the right thing? And you're right, even as we move

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

along now we have meetings with the industry. We call it the Fukushima Leads Meeting where we talk about different interpretations or what is the right level 4 for something? How much additional pieces of the hoses 5 do you need, right? Do you need double the hoses, for instance? Where we say n plus 1 on the equipment. So 7 it's those types of things.

I don't think there's any good answer other than we keep having an open dialogue. Committees like yourselves give good insights and say, yes, that makes sense to do something like that or it doesn't. So it's been difficult and it's been challenging.

Well, 13 MEMBER RAY: let me suggest 14 something though that is related to what Jeremy said 15 before the last question was asked. He said rightly; 16 and I think we all should be very glad of this, that 17 now we have multiple ways of doing things. But they're 18 not all equal. And the question then is, well, how do 19 you retain that reality in what you say about them 20 instead of just saying, well, now we've got three ways 21 to do something when we only had one way before? Well, 22 but they're not all three the same. 23 MR. BOWEN: True.

MR. DAVIS: I think what he was talking about before plants are going to go down their EOPs.

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

6

8

9

10

11

12

24

25

They're going to go symptom-based and they're going to 1 try to recover like they normally would. Once they 2 3 finally realize, no, this is way worse than it is, then 4 they're going to enter their FSGs. They're always 5 trying to get back though to a recovery mode, so they're going to go down their own prioritized list. 6 For 7 instance, water sources on site. They have their own 8 prioritized list. They'll say if that tank, if the CST 9 is available, I'm going there first and I'm going to 10 do the following things to get myself back. If that's 11 not available, I go to the next priority water source. 12 MEMBER RAY: I think that's understood. 13 I just mean when you're communicating about what we've 14 done it's not as simple as saying, well, now we've got 15 multiple ways to do --16 MR. DAVIS: Sure. 17 MEMBER RAY: -- what we used to only have 18 one way to do. 19 MR. DAVIS: Yes. 20 MEMBER RAY: There's still only one way 21 that meets the design-basis. 22 MR. DAVIS: Yes. Very true. 23 MEMBER RAY: Okay. 24 MR. DAVIS: I appreciate the comment 25 because that's actually why we ended up taking the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

278

	279
1	review path that we did, because it was such a challenge
2	to figure out what is they are all different. What's
3	good enough? What's better? What's not slightly good
4	enough?
5	MEMBER RAY: Yes, it's very hard to decide
б	is it better, better enough and so on? I mean, we're
7	all struggling with that here. Okay.
8	MR. BOWMAN: Jeremy, if there's one thing
9	I could add, you had asked how we came about to what
10	we thought was good enough to accept for the guidance.
11	One major input to that is the recognition that we had
12	the other areas of work going on.
13	For example, one significant one, the
14	direction to proceed with the rulemaking that includes
15	the Severe Accident Management Guidelines. That drove
16	us to look at the mitigating strategies as being
17	intended to prevent core damage rather than we could
18	have looked at the wording of the order and said it
19	doesn't say stop at core damage. But recognizing that
20	we've got the Severe Accident Management Guidelines as
21	a specific directed activity by the Commission to look
22	at and consider whether they should be actually
23	required led us to not include those in the guidance
24	for this order or in the review process for this order.
25	And similarly, with the initial set of

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

directions from the Commission 1 on pursuing Recommendation 1 and the potential for an extended 2 3 beyond-design-basis limit separately from the remainder of the activities, that's where you get the 4 limitation of what we're looking at for the protection 5 area in the external events as being essentially 6 7 equivalent to the design-basis because we were told 8 pursue the idea of an extended beyond-design-basis 9 limit outside of this process.

10 MR. DAVIS: The other thing that adds to this -- and again, you're right, at the end of the day 11 12 it still comes down to a judgment call. But there's a monthly JSC, Joint Steering Committee meeting that's 13 14 done at the CNO level to EDO level. And we're there 15 usually and we bring up certain issues that we're 16 struggling with to say what's the right level that the 17 Agency should feel comfortable with? And so you get 18 a lot of those types of discussions. And sometimes 19 they go on for -- it's on the agenda each time because 20 they can't make a decision because there are so many 21 different things that you're talking about that play 22 into making the right call. So these are hard 23 decisions.

24 CHAIRMAN SCHULTZ: I appreciate the 25 perspective. Thank you. That's been very helpful.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

280

	281
1	MR. BOWEN: So along those lines and about
2	the performance-based and complicated order, the other
3	aspect is there was a lot of interest in what was going
4	on agency action-wise, industry actions after the
5	orders were issued. So typically when the Agency
6	issues an order, it issues the order. It's a licensing
7	action. And then it follows up on that licensing
8	action in inspection space. We recognized that that
9	was not sufficient agency engagement for what we were
10	doing. It wasn't going to be enough to issue the order,
11	wait five years and then inspect to make sure everything
12	was done.
13	So in order to provide some regulatory
14	certainty for the industry moving forward, they're
15	spending a lot of money making these changes. We want
16	to make sure that they're done in the right manner, make
17	sure that what was being done when in five years there
18	was a legitimate improvement in safety to the plants.
19	And so to provide that regulatory
20	certainty and public confidence we implemented a review
21	process that we've tried to outline here in this
22	diagram. And I recognize it's a bit confusing at
23	first, but if I could step through it.
24	Along the top there are the licensee
25	products in blue. IN the middle how we conducted our

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

review in the yellow or orange. And then the NRC product is down at the bottom in the green. As you can see, as you move from left to right there are some dotted lines and move into the more solid lines to the right. The reason for that is as we started some of this was again industry proposing some plans for what they were going to do, but as you heard earlier, depending on the time that they had to comply there was a lot of calculations that needed to be done, a lot of strategies yet to be fully developed. So in some cases the initial integrated

plans that were submitted were, for lack of a better way of putting it, plans for plans. So we needed to review that and provide some feedback to the industry and have some certainty that they were heading in the right path. So we decided to develop what we called an Interim Staff Evaluation, that document you see down there on the bottom left. And we developed some additional guidance to go along with the NEI-12-06 guidance and the NRC endorsement through the Interim Staff Guidance.

That ISE guidance was an internal memo that was made publically available of guidance basically that Jack directed the technical staff and the project managers to use to kind of evaluate to figure out just

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

(202) 234-4433

282

what we were talking about a few minutes ago. What's right? What's the threshold? Where do you adjust that bar?

That initial review was done through some electronic audits. We had an electronic reading room where licensees were putting literally hundreds of documents on these electronic reading rooms. We had dozens to in some cases hundreds of questions that we provided to the licensee. Then we had telephone calls with them, three to four-hour phone calls where we asked the licensee just to go through their strategy with us, provide us an overview.

13 And then we would engage in a two-way 14 discussion about, okay, help us understand this. Your 15 strategy says X. Why did you make that decision? And 16 it was a lot of really -- it was helping us understand 17 what their strategy was and our feedback helping them refine and understand, oh, this is what the regulator 18 19 is concerned about. So that first piece, the Interim 20 Staff Evaluation, those were all issued between 21 November 2013 and February this past year. And I'll 22 come back to this slide in a minute. But again, that 23 was the purpose of those.

In those Interim Staff Evaluations we identified a couple categories of issues. One was an

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

24

25

(202) 234-4433

283

	284
1	open item. This is for something where the
2	staff where significant action needed to be taken
3	by the licensee in order to develop their strategy or
4	where the regulator decided that what was being
5	proposed by the licensee was not going to be sufficient
6	in our mind to meet compliance with the order.
7	The second category, if you will, was a
8	confirmatory item. This was where we conceptually
9	agreed with what the licensee was proposing in their
10	plan, but there was more work to be done; i.e., they
11	had run a calculation and said that we need a pump with
12	this capacity. We just haven't decided which level
13	capacity we're going to have and which pump it's going
14	to be. We just need to pick that pump and purchase it.
15	So we said, okay, conceptually we agree with that, but
16	we're going to leave it open. Once the licensee is done
17	with it, report back to us, let us know and we'll find
18	that acceptable.
19	And then the third one there you see is
20	acceptable or complete. That was where enough work had
21	been done, what the licensee was proposing, that if they
22	implemented it as they described the Agency would find
23	it acceptable and sufficient for meeting the
24	requirements of the order.
25	So again, those were all issued by February

So again, those were all issued by February

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

this past year. And then what would happen is went into that second phase and the electronic audits continued. We continued to have phone calls with the licensees. But in addition to that we decided that we would go out to each plant and physically visit the site, walk down the strategies that they had on site and evaluate the progress the licensees had been making. After that on-site audit -- that on-site audit is done between issuance of the ISEs this past February and prior to the first unit at a site being So all the sites that came into compliance in the past couple months this fall have all

CHAIRMAN SCHULTZ: How did you determine when you were ready or when the site was ready for the on-site audit?

MR. BOWEN: It was really based on, as I mentioned, the time that the licensee had to be in compliance. And then so if they were a fall of '14 plant, we needed to do an audit between February and September.

22 CHAIRMAN SCHULTZ: Okay. That's relative to the schedule, but then there was a decision 23 24 point somewhere along the lines in terms of readiness? 25 Right. And the challenges MR. BOWEN:

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

in compliance.

had an on-site audit.

have been -- and you'll see it in the next couple slides, 1 the challenges is that every licensee would have liked 2 3 us to come as late as possible so that they could close 4 as many items as possible. But the vast majority of 5 plants have a spring of 2015 compliance or a fall of It was physically impossible for the 6 2015 compliance. 7 staff to out to that many sites in a one or two-month 8 period, so we had to work with the licensees to 9 identify. 10 There were some that felt they were further 11 along than others and it was a lot of working with the 12 licensees, the regions and our own personal staff within NRR to identify when do we have the resources? 13 When is the licensee ready for us to come to the site? 14 15 And what's the appropriate time? 16 Ι will say that despite all those 17 challenges we have managed to schedule over 40 audits 18 in less than a 12-month period. Seventeen have been 19 completed to date. There has been a lot of positive 20 feedback from licensees, from the regions, from senior 21 NRC leadership about the information that's contained 22 and reviewed during those audits. We feel like we have 23 confidence that the licensees are implementing the 24 order as we intended, that they will be in compliance 25 by the time they come to their compliance outage. So

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

286

	287
1	there's been very positive feedback and we think it was
2	a good choice to go down this route despite all the
3	challenges that were associated with it.
4	MR. DAVIS: Let me just add one point
5	there, too. We identified if there were any sites that
6	had concern on one of those open items that they wanted
7	earlier. If they wanted NRC involvement in that, they
8	should identify that to us and then we would schedule
9	that appropriately. And we've done that in a few
10	cases.
11	CHAIRMAN SCHULTZ: That's a good plan
12	because this morning we've heard of the site-specific,
13	the unit-specific
14	MR. DAVIS: Yes.
15	CHAIRMAN SCHULTZ: evaluations or
16	presentations and implementation that needs to be done
17	here. And of course you needed to focus on that. It
18	wasn't as simple as an owner's group activity that was
19	going to address several different items on behalf of
20	a number of plants.
21	MR. BOWEN: The other value we found is
22	that, as I mentioned at the very beginning, licensees
23	develop these plans in some cases three years in advance
24	of when they needed to be in compliance. And then as
25	they went back and started to refine the plans and

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	288
1	develop the more specifics, they realized, well, what
2	we had planned on doing won't work, so we need to revise
3	the plan.
4	So by us waiting we issued the Interim
5	Staff Evaluation, but if we do these additional audits
6	as they get closer to compliance; they've changed their
7	strategy, it provides us another opportunity to review
8	them. It's kind of following the licensees along the
9	way. It provides them some regulatory certainty
10	before they come into compliance. It provides us
11	regulatory certainty that the licensees will be in
12	compliance and the confidence to the public that the
13	decisions the regulator made and that the industry is
14	having to implement are the right decisions.
15	CHAIRMAN SCHULTZ: Thank you.
16	MR. BOWEN: Then the last piece of this,
17	again, as I mentioned, we don't typically do this for
18	an order, but we felt that it was appropriate to at the
19	very end when the licensees got full compliance that
20	they issue this final integrated plan that completely
21	documents what they're going to do for these
22	beyond-design-basis events, how they're going to
23	implement their FLEX strategies. We're going to
24	review that document and then issue a safety
25	evaluation.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

289 That safety evaluation is going to be our 1 paperwork review of the licensee's strategies to say, 2 3 okay, if the licensee implements this plan as it's described here on paper, based on our collective review 4 5 over the past however many years, it meets the requirements of the order. 6 Taking that safety 7 evaluation, we will then go into a post-compliance 8 inspection and then go out and verify -- as we would 9 with any other order, verify that the licensee has 10 implemented the order as they were required to using 11 the safety evaluation in the final integrated plan as 12 guidance to make sure that the licensee is in compliance with the order. 13 14 MEMBER SKILLMAN: Jeremy, if in the year 15 or two or five years that follow that activity the 16 licensee finds it's necessary to change the plan; 17 perhaps they've had a hardware change, they've had 18 construction changes on site, whatever it might be, are 19 they able then to change that through their 50.59 20 process, or will they have to come back to the Agency? 21 MR. BOWEN: So it depends on the timing of 22 when the change is. It's prior to compliance, they're 23 just changing their plan and informing us prior to our

audits and everything. If it's after compliance, there is actually change process that's currently

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

24

25

	290
1	outlined in the Industry Guidance, NEI-12-06, that
2	talks about how they would evaluate the change in their
3	strategy and whether they should come into the Agency
4	for prior approval or whether they can self-implement
5	that change. It's very similar to a 50.59 process.
6	50.59 in this case doesn't apply because
7	of the beyond-design-basis nature of the event.
8	However, it's a very similar process. The draft
9	rulemaking language that you'll hear tomorrow actually
10	takes that language and incorporates it directly into
11	the regulation itself.
12	MEMBER SKILLMAN: Okay. Thank you.
13	Thanks.
14	MEMBER RYAN: Jeremy, just a follow-up
15	question. I noticed on slide 11 it says to be performed
16	within one year of the safety evaluation being issued.
17	MR. BOWEN: Yes.
18	MEMBER RYAN: That's a lot of work in one
19	year.
20	MR. BOWEN: Yes, it is.
21	MEMBER RYAN: No, I mean, is that a doable
22	schedule?
23	MR. BOWEN: Yes, this is something that
24	we've been working with the regions closely on. We
25	have a draft temporary instruction. In fact, it's on

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	291
1	the very next slide.
2	MEMBER RYAN: Okay. There we go.
3	MR. BOWEN: So we have a draft temporary
4	instruction. And as I said, it will verify compliance
5	with the orders. It covers mitigating strategies, the
6	spent fuel pool instrumentation. And as you heard
7	referenced this morning, as part of the 50.54(f) letter
8	licensees had to do a staffing and communications
9	assessment to make sure that they actually had adequate
10	staff and adequate communications on site to implement
11	these strategies. They provided a response to that
12	letter this past spring. We issue staff assessments
13	on those and then they provide an update on that. That
14	has to be done prior to compliance with the order.
15	MEMBER RYAN: So it sounds like some of the
16	heavy lifting has already been done.
17	MR. BOWEN: Yes.
18	MEMBER RYAN: Yes, okay.
19	MR. BOWEN: So this inspection itself is
20	going to go out and look at the safety evaluation
21	is going to document again on paper what should the site
22	be doing. And the regions are going to out, implement
23	this temporary instruction to verify that the licensees
24	really have done what they've committed to do.
25	MEMBER RYAN: Thanks. That's helpful.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

MR. BOWEN: So the TI, we did have a public 1 meeting on this this past July. We don't typically do 2 3 that when we develop new inspection procedures, but in 4 this case we thought that it was appropriate 5 considering this was a thing, a completely new 6 different process. So we had the public meeting. Ιt 7 was very well attended by members of the industry and 8 members of the public. 9 The TI, to give you a little bit more 10 information, it'll be about a three-person team on site 11 for a week. Again, it will be conducted by the regions. 12 And the pilot for that, the first plant that will be They're the first unit to send 13 inspected is Watts Bar. 14 us their -- or first plant to send us their final 15 integrated plan. That just occurred at the end of 16 October. We're writing the safety evaluation of that 17 for now to be issued by the middle of December. We'll 18 be conducting training on the temporary instruction and 19 pilot will be conducted then the in January, 20 mid-January. 21 MEMBER RAY: And that will be for a 22 dual-unit plant?

23 MR. BOWEN: Yes. So based on that pilot 24 at Watts Bar we're going to go back and take any lessons 25 learned from that, revise the TI as necessary and as

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

292

	293
1	appropriate. And then the temporary instruction will
2	be ready to go once the remaining sites, if you will,
3	start coming into compliance, and that will be late
4	summer to early fall of next year.
5	So this slide kind of lays out everything
6	I just told you in graphical form as far as the schedule.
7	We've used this to communicate many times in the Joint
8	Steering Committee meetings that Jack mentioned. It
9	talks about all the key different activities we're
10	doing, the Interim Staff Evaluations, the audits, when
11	plants come into compliance and when the inspections
12	will be done. The color coding was there to kind of
13	reference workload balancing. As you can see, there
14	are some peaks and valleys. And like I said, we've got
15	over 40 audits scheduled in less than a 12-month period.
16	So there are 17 completed so far and we're on track.
17	MEMBER BLEY: These are being done by the
18	normal inspection teams in the regions?
19	MR. BOWEN: No, these are actually being
20	done out of headquarters. The same NRR staff that
21	completed the Interim Staff Evaluations is the same
22	staff that are doing the on-site audits.
23	That being said, we do have members of the
24	regions participating in the audits as well. That's
25	one to gain some fresh perspective. The folks in the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

regions have the most direct interactions with the sites, the most understanding of the plants themselves when it comes to where equipment is and stuff like that. But it's also to kind of help transition the whole work product, if you will, from an NRR licensing type of product into a post-compliance inspection type of product.

8 And as we talked about multiple times 9 already, this is a different mind set. This is a 10 different way of thinking about how do we evaluate 11 beyond-design-basis? What's good? Where is that 12 What's good enough? When do you push an threshold? 13 issue? When do you say, okay, that makes sense? So 14 that's part of the regional involvement, too, is to help 15 with that education and understanding.

MEMBER CORRADINI: So in post-compliance inspections does that include determining some sort of maintenance of check schedule for the on-site equipment and drills for the off-site regional?

20 MR. BOWEN: Yes, so as part of the 21 licensees' submittals there was a couple of generic issues, if you will, that were discussed. 22 Maintenance 23 and testing was one of those. And so industry 24 collectively got together and presented a white paper 25 of how they plan to develop their maintenance and

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

16

17

18

19

	295
1	testing schedule in coordination with EPRI guidelines.
2	That proposal supplemented the NEI-12-06 guidance and
3	the staff basically endorsed that.
4	That plan is being rolled into the next
5	revision to NEI-12-06 and all licensees are planning
6	to do that. It's actually going to be written into our
7	safety evaluation. It's going to be written into all
8	the licensees' plans and it will be written in our
9	safety evaluation that that's the expectation. As
10	part of the post-compliance inspection the TI has a
11	section that checks to verify that that maintenance and
12	testing program is in place.
13	Now to the second piece of your question
14	about the drills and exercises, that's actually part
15	of the ongoing the rulemaking discussion. What's
16	the appropriate time frame for the drills and
17	exercises? And that's still being debated amongst the
18	staff. The last interaction I understand was
19	MR. BOWMAN: This Eric Bowman. At
20	present in NEI-12-06 in Section 11 it has discussions
21	of training including the use of drills and exercises,
22	and it sets it at an eight-year cycle. An eight-year
23	cycle is what's currently in the preliminary proposed
24	rule language for the rulemaking that we'll be
25	discussing tomorrow.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	296
1	MEMBER CORRADINI: Okay. Thank you.
2	CHAIRMAN SCHULTZ: Jeremy, on the
3	previous slide, on the scope of the inspection you've
4	got emergency preparedness, staffing and
5	communication. Is that fairly narrowly defined? Are
6	you going to for example be looking at when you say
7	"staffing," is that going to be qualifications of staff
8	as it relates to the mitigating strategies?
9	MR. BOWEN: Yes, it's the staffing and
10	everything that's necessary to implement the FLEX
11	strategies.
12	CHAIRMAN SCHULTZ: Okay.
13	MR. BOWEN: So it's all the aspects of
14	that, but it's narrowly focused on just that.
15	CHAIRMAN SCHULTZ: A subset of mitigating
16	strategies. And then spent fuel pool instrumentation,
17	is that just, well, we're going to be there anyway and
18	the timing is about right, so we'll look at spent fuel
19	pool also?
20	MR. BOWEN: Yes. Without going into all
21	the details to why, the decision was made to write one
22	safety evaluation encompassing both the Mitigating
23	Strategies Order and the Spent Fuel Pool
24	instrumentation Order. So because we're going to
25	write one safety evaluation, we're going to do one

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	297
1	inspection to cover both orders.
2	CHAIRMAN SCHULTZ: And in that area the
3	inspection will be
4	MR. BOWEN: That portion of the inspection
5	is very limited.
6	CHAIRMAN SCHULTZ: It's a validation that
7	what was said would be done is complete?
8	MR. BOWEN: The instrument is in place and
9	you can read it.
10	CHAIRMAN SCHULTZ: Yes.
11	MR. BOWEN: It's literally I think it's
12	a two-hour, three-hour portion of the inspection so
13	it's not much.
14	CHAIRMAN SCHULTZ: That's good. Well,
15	you've got plenty to do in that time frame, so that's
16	fine.
17	MR. BOWEN: Yes.
18	CHAIRMAN SCHULTZ: That's good.
19	MR. BOWEN: The inspection is in no way
20	intended to reopening the engineering evaluation that
21	was done here at headquarters. It is simply to verify
22	that what is on paper is in place at the plant and that
23	it can be
24	CHAIRMAN SCHULTZ: Now it's making sense?
25	MR. BOWEN: Right.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	298
1	CHAIRMAN SCHULTZ: Yes.
2	MR. BOWEN: Please show me that you have
3	this building and that you have this pump.
4	MEMBER RYAN: So it really boils down to
5	an implementation inspection rather than a activities
6	you're going to do inspection, or that the licensee is
7	going to do?
8	MR. BOWEN: Yes.
9	MEMBER RYAN: Okay. That's fair enough.
10	CHAIRMAN SCHULTZ: It's done and it's in
11	place.
12	MR. BOWEN: Yes. So that kind of outlines
13	the review strategy as a whole at a high level. Now
14	what we want to do is go into a couple select topics
15	that we know that the Committee is interested in hearing
16	about. So the first one we're going to cover is the
17	response centers, and then we'll go into the others.
18	I'm not going to go into a lot of detail
19	on the background. Dan Brush covered this already. I
20	do want to draw your attention to
21	CHAIRMAN SCHULTZ: Jeremy before you do
22	that, I'm looking at the schedule for the remainder of
23	the day, and although we took a late lunch, it was a
24	short lunch. And this is a good break point for us and
25	I'm going to go ahead and call a recess and ask everyone

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	299
1	to be back at 3:15.
2	(Whereupon, the above-entitled matter
3	went off the record at 3:02 p.m. and resumed at 3:19
4	p.m.)
5	CHAIRMAN SCHULTZ: All right, we've come
6	out of recess and back in session. And Jeremy, I'll
7	turn this back over to you.
8	MR. BOWEN: So as I was mentioning before
9	the break, since Dan Brush went through a lot of this,
10	I wasn't going to go through it in depth.
11	So I'm going to talk about how we reviewed
12	the response centers and everything, but I do want to
13	just show on this one, I didn't see a picture in Dan's
14	presentation. Sorry to call you out, Dan.
15	This is a typical load for one site. It's
16	not everything on there, but you can see the four pumps,
17	the turbine generator there in red. The blue one to
18	the right of the picture is the 4160 generator. The
19	red one is the 480. So that's basically six tractor
20	trailers for one site is the generic equipment.
21	So the way we conducted our review, again
22	many of the questions the committee members were asking
23	during the presentation or earlier several questions
24	we asked, we did observe
25	CHAIRMAN SCHULTZ: We want to know what

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	300
1	you heard when you asked your questions.
2	MR. BOWEN: The response centers we
3	visited, several times the ribbon cuttings were this
4	past May and June. We started probably in February
5	starting, getting much more in depth in our review. We
6	went to a couple of sites and observed the SAFER team
7	come out to the site, visit the site to develop the play
8	books, watch them interact with the site for the day
9	and how they determined well, what's the equipment
10	that's needed? How do you plan on contacting SAFER?
11	What's your off-site staging areas? What are your
12	deployment routes? That sort of stuff. Like I said,
13	at a couple of the sites, went to the response centers
14	themselves. We've taken all the regional
15	administrators out to the response centers and look
16	forward to being able to go with the committee to the
17	Phoenix response center in May.
18	The two proof of concept exercises that
19	were conducted at Three Mile Island and Surry, we
20	observed those and we had staff members at each of the
21	locations taking notes, observing both the response of
22	the industry and SAFER, but also as we would any other
23	activity, seen how the licensees and SAFER were
24	observing their own folks and identifying issues to
25	make sure that they had a robust program that they were

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

identifying issues and correcting those issues. So we had some observations from those proof of concepts.

One of the biggest things that we came away with, and I think it was mentioned earlier, was the distinction between which organization was responsible for which activity at the time. The proof of concept observations were really, I think, eye opening to industry as well to see just -- on paper, it sounded real straight forward, real clear that this is how we go down, but once they actually went through it there was some points that just wouldn't have revealed themselves had they not gone through the exercise.

So they clarified a lot of those responsibilities. The documentation -- the training plan, the documentation wasn't all complete at the time. Since that time all that was complete. We reviewed all that information.

18 The helicopter resources was some 19 extensive discussions we had. That probably started 20 in earnest around the July time frame. As Dan and Mile 21 Powell mentioned, there was some interactions with 22 SAFER, NEI, FEMA, Department of Homeland Security, and 23 DoD. We participated in all of those discussions. We 24 brought Office of Nuclear Security and its response 25 into the discussions. They participated in their

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

(202) 234-4433

301

reviews as well from an emergency planning perspective,
that background. We made sure that we had the right
staff from our side to kind of make sure that this was
a viable option.

5

6

7

8

9

10

11

12

13

14

But long story short, we're confident -- well, one other thing I'd like to mention. We visited the Custom Critical facility, the FedEx Custom Critical facility in Akron, Ohio, as well, to understand exactly how does that leg of FedEx work. When we heard FedEx was delivering all the equipment, everybody thinks of the driver pulling up to your driveway and dropping off a box.

MEMBER REMPE: I wanted to ask that question.

15 MR. BOWEN: So we went out there and we got 16 a full run down of exactly what FedEx Custom Critical 17 is and they started the presentation with "We deliver 18 the big, the ugly, and the unwanted." They gave us a 19 lot of examples of previous activities that they had 20 done, anything from flying immediately after 9/11 to 21 delivering vaccinations for an entire country's 22 population and they gave us a lot of confidence that 23 despite the fact that 24 hours is identified that there 24 is some margin inherently built into that 24 hours. 25 Couple that with the fact that as you heard Scott Bauer

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

mention, there are a few sites that actually don't need -- that need equipment within 48, but the vast majority don't even need that for 72. And then most of the equipment in that case becomes a backup to a backup on site.

So all that combined with the multiple 6 7 tiered assets, the response centers became another 8 version, a microscopic version of the whole FLEX 9 concept in and of itself. It's not one specific way 10 of doing something. It's multiple different 11 mechanisms and that tiered and flexible, diverse 12 strategy gave us the confidence that what industry 13 proposed with these response center really does meet 14 the third phase of the order requirements.

15 We issued our staff assessment at the end 16 of September on those response centers. And we 17 think -- we declared they are operational. So licensees when they're coming in and sending their 18 19 final integrative plans, what we expect them to do is to reference the industry letter that provided all of 20 21 the information to us on the response centers and in 22 turn, in our safety evaluation back to the licensees 23 we plan to issue, to reference our endorsement as well. 24 MR. DAVIS: I would just add that the 25 Custom Critical facility is Custom Care, quite

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

	304
1	impressive. And we got a full demonstration of how
2	they can track real time. Any of their drivers, they
3	can tell you if they've stopped. They can tell you what
4	kind of training they have, if they have HAZMAT, if they
5	have nuclear training and so on. They can tell you who
6	the drivers are, a whole bunch of information and can
7	contact them at any point during that transit.
8	MEMBER REMPE: But since you're depending
9	on a commercial company, are you going to continue doing
10	some sort of audit, sort of inspections to continue
11	having confidence that they're going to maintain it if
12	something happens with their company? How do we ensure
13	that confidence?
14	MR. BOWEN: So as we've gotten through
15	this process, this initial review, and like I said,
16	we've set up the next post-compliance, the
17	implementation inspections, if you will, the next piece
18	that we've just started looking at now is the long-term
19	oversight, how do we continually make sure that the
20	licensees and the response centers are continually
21	viable. We've just started that process, but short
22	answer to your question is yes. We do plan on a
23	long-term oversight of this in some fashion. The
24	details have yet to be worked out.
25	MEMBER BALLINGER: A number of times

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	305
1	people have mentioned what happens if usually these
2	events occur in parallel to other events. What happens
3	if Custom Critical is not so Custom Critical? Is there
4	another backup?
5	MR. BOWEN: There is no as far as air
6	and fixed wing and ground transportation, Custom
7	Critical is it. But the information that we receive
8	from them is sufficient. They gave us confidence that
9	a backup in that respect wasn't necessary.
10	MR. DAVIS: I think industry is probably
11	the better one to answer this question, but I can tell
12	you from our visit up there they work around the clock
13	to figure out if they don't have a piece of equipment
14	available, they find a piece of equipment available,
15	even if it's another carrier or if they have to start
16	shipping the stuff first and to get to the next airport
17	so they can get it on an aircraft, they will. They will
18	unload other people's products and put this one on if
19	they need to. But Dan, you're probably best to answer
20	that.
21	MR. BRUSH: Dan Brush, Exelon. Just a
22	thought, PECO who manages the industry capital assets
23	is very experienced at going into trucking companies
24	and picking a truck out, a method of delivering a large
25	piece of equipment roughly overnight. So within a

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	306
1	matter of hours they have contracts with other
2	companies. So if FedEx were to fail, we do have
3	experience in going out and getting other trucking
4	companies. The fixed wing portion might be a little
5	tougher, but if we had an idea that FedEx was going to
6	fail, we certainly would start looking at that.
7	MR. BOWMAN: This is Eric Bowman. One of
8	the things that FedEx Custom Critical does, it's a
9	subdivision of FedEx and they were implemented as an
10	expediter for freight, not necessarily using their own
11	trucks or the FedEx fleet of aircraft. They also go
12	out and survey the industry, the freight industry and
13	contract for additional airline or airframe assets or
14	trucks on the open market.
15	MR. BOWEN: That's a good point. The
16	example that came up earlier about having a plane in
17	the air after 9/11, they told us that that was actually
18	a private contracted plane out of California that they
19	had flown to Detroit. It wasn't a FedEx plane, but they
20	had contracted the plane, had gotten approval through
21	the FAA and had it in the air within hours.
22	MEMBER BROWN: Were they subject to
23	strikes, worker walkouts?
24	CHAIRMAN SCHULTZ: Charlie, microphone,
25	Charlie.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	307
1	MEMBER BROWN: Were they subject to
2	strikes?
3	MR. BOWEN: That was a question we asked
4	as well and again, because they have the ability to
5	contract with multiple different entities, they're not
6	relying just on, if something were to happen with the
7	FedEx workforce, they're not relying on just them.
8	They have multiple areas that they can touch.
9	MR. BOWMAN: The other piece of it is that
10	FedEx Custom Critical does have about 1400 directly
11	contracted tractor trucks available. They are not
12	direct employees of FedEx Custom Critical. They're
13	independent contractors. So there isn't really a
14	mechanism for the independent contractors to go on
15	strike.
16	MEMBER BROWN: I knew that some of them
17	were, the local ones, but I didn't know about this
18	larger entity. That's why I asked the question.
19	MR. BOWMAN: Right.
20	MR. DAVIS: And there was a comment that
21	was made in the previous discussion about trucks not
22	being up to par and so on. That was one of the things
23	that we also asked the Custom Critical facility. And
24	there's like a minimum standard that they have for the
25	people that they're going to contract with because they

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

put FedEx name on the side and so. When those people are no longer meeting that standard and they're going to cut their ties with them, they go out and verify that the truck has been basically, you know, you take all of their equipment back off of it and they want to ensure that you're not representing FedEx any more. There's a standard of quality by their own corporation above what we're asking.

9 BOWEN: Maybe a level of detail MR. 10 that -- just to give you some -- a bit of example, when 11 Jack and I were out and observed, we happened to be in 12 Phoenix for the response center proof of concept that 13 was out there. And they had a guy come up, a FedEx 14 truck, Custom Critical truck, drove out, picked up a 15 single box to represent the deployment of equipment. 16 We followed him to the airport. He got to the area where he was supposed to go, walked up to the door and 17 it was locked. So he went over to the 24 hour security 18 19 He walked in, before he could even say who section. 20 he was, the person saw the FedEx Custom Critical on his 21 shirt and he said, "Oh, we're expecting you. Go to Bay 24." 22

23 So the communications capacity and the 24 interactions at the facilities that they have, it was 25 impressive to see how far in advance they can plan and

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

	309
1	they can interact and make sure that they've got the
2	right people in the right places where they need to go.
3	And they've set up their organization to be successful,
4	recognizing that there's going to be road blocks.
5	MEMBER BROWN: I hope they checked who he
6	really was as opposed to the patch on his shirt.
7	MR. BOWEN: I think with that, we're going
8	to move on to some of the other conflicts.
9	MR. BAILEY: So the next topic we were
10	asked to talk about really is alternative approaches.
11	I'm Stewart Bailey. I'm one of the branch chiefs in
12	the JLD. I have the containment and balance of plant.
13	And previously, I also had the electrical reviewers.
14	In terms of the alternate approaches, what
15	we're talking about here is we went through a little
16	bit the development of NEI-12-06 and its history. That
17	was basically developed as the ground rules before
18	anyone started developing their integrated plans. And
19	that does represent one approach for meeting the order
20	that is acceptable to the NRC. But of course, as
21	licensees started developing their plans and
22	optimizing it for any unique features on their plant,
23	they came up with either better ways to do it or the
24	need to do something a little bit different than what
25	was being presented in NEI-12-06. And so

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

that's what we mean when we're talking about 1 the alternative approaches. We end up reviewing those on 2 a case-by-case basis based on the plant itself. 3 We're looking for the level of redundancy, the level of 4 5 diversity that it needs, the capacity of the alternatives that they have. 6

7 We've talked about some things earlier 8 today that probably could have been considered an 9 alternative. If you think back to the Palo Verde 10 presentation, they talked about the use of installed 11 charging pumps whereas NEI-12-06 talks really about the 12 use of portables. They're doing this, of course, 13 because they're installed. They meet the definition 14 of robust and it allows them to get to the best water 15 sources in a short period of time.

Thinking back, I'm not sure whether we identified that as an alternative. They do have the backup capability to install a portable pump, so we might not have called that one out, but it's these backups and it's the overall redundancy of the systems that we would look at when we went into reviewing something like that.

MR. SNODDERLY: Excuse me, Stu.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

MR. BAILEY: Sure.

MR. SNODDERLY: This is Mike Snodderly.

(202) 234-4433

16

17

18

19

20

21

22

23

24

25

	311
1	You provided Rev. 0 of 12-06 to the committee to review.
2	I understand there's a Rev. 1, they're working on Rev.
3	1.
4	MR. BAILEY: Sure, so that was at the end
5	of mine. I'll jump to that that's okay, that's okay.
6	They're all revising NEI-12-06, just like what led them
7	to have alternatives in the first place. We're
8	learning as we're going through this process and
9	they're looking to incorporate the lessons learned into
10	NEI-12-06. Part of that is if there are widespread,
11	if you will, or generically acceptable alternative
12	approaches, the attempt is to write those into the next
13	revision of 12-06. And that would become some of the
14	guidance document that would support the rulemaking
15	that we'll be discussing tomorrow.
16	MR. SNODDERLY: And what's your plan for
17	revising then your interim staff guidance?
18	MR. BOWMAN: It will be a topic of
19	conversation tomorrow, but briefly, we had our first
20	public meeting on the draft version of Revision 1 to
21	NEI-12-06 yesterday. The document, it's premature to
22	provide it to the committee to take a look at it. It
23	still needs some editorial changes and there are some
24	items that we need to discuss further with industry and
25	with other stakeholders to come to alignment on whether

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433
	312
1	or not it should be included in the way it's written
2	in there.
3	I anticipate that we'll have interactions
4	with the committee in the not too distant term. The
5	intention is we're developing a draft guide to be
6	available at about the same time as the proposed rule
7	package goes up to the Commission and we will, of
8	course, interact with the committee on the draft guide
9	and ultimately on the regulatory guide when the time
10	comes.
11	MR. BAILEY: So that's essentially what
12	we're talking about and they get reviewed in the
13	plant-specific basis. So another item we were asked
14	to talk about was reactor coolant pumps seal leakage.
15	Obviously, this has been a significant focus area and
16	mitigating strategies for reasons that were already
17	discussed today. This is one of the primary drivers
18	in terms of the sequence of events on the RCS protection
19	aspect of the rule.
20	The licensees with low leakage seals,
21	qualified low leakage seals, you could essentially just
22	sit there, stay hot and not depressurize. It allows
23	you a lot of time. But if that is not the case, like
24	you see licensees cooling down in order to reduce the
25	seal leakage and prevent further damage to the seals,

(202) 234-4433

	313
1	this introduces all the considerations that we talked
2	about earlier today. Not only the loss of inventory,
3	but if you've got a cooldown, you're shrinking, you're
4	cooling down and worrying about criticality concerns
5	and it basically drives the overall RCS response.
6	Really, what we're looking at is the ELAP
7	causes a destruction of the coolant, the reactor
8	coolant pump seals which generally increases their
9	leakage.
10	Actually, this continues to be a point of
11	interest. If you look at the seals that are there,
12	they're in various conditions right now in terms of the
13	stage of review. For the Westinghouse shield seal,
14	that is their low leakage seal. They have provided a
15	white paper and we have accepted the use of that seal
16	for the purposes of ELAP. They have a little bit more
17	work to do to qualify that to the extent that they would
18	like under NFPA-805 and get the risk reduction that
19	they're looking for, but we've already approved that
20	for the ELAP.
21	The other seal that was discussed earlier
22	today is the N-9000, the Flowserve N-9000. That one
23	is still under review. AREVA has a seal model that
24	we're still waiting for information, so I would call
25	that one under review, but I would say that the biggest

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	314
1	time consumer right now deals with the Westinghouse
2	standard seal, so if we go to the next slide.
3	CHAIRMAN SCHULTZ: Stu, before you go
4	there, I wanted to understand. You said the
5	Westinghouse improved seal was acceptable for ELAP, but
6	not still under review for other purposes. Did I get
7	that right and if so, what's the differentiation
8	between what you would find acceptable for this purpose
9	and not for others? They're still under review for
10	others.
11	MR. BAILEY: Okay, well, I can point to
12	some differences. As part of the overall review of
13	that seal, Westinghouse came up with an integrated test
14	plan that we find acceptable to show that there is
15	beyond a preponderance of evidence that these seals
16	will operate as required for us.
17	For the purpose of NFPA-805, there is a
18	little bit more work that they would need to do. One,
19	to demonstrate that the testing supports the risk
20	values that they would like to use. Also, they have
21	an additional focus there on issues such as failure of
22	seal cooling without tripping the reactor coolant
23	pumps, something that we don't really have to deal with
24	in the ELAP realm.
25	There are a few considerations there, a few

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

differences.

1

I got it. 2 CHAIRMAN SCHULTZ: Thank you. 3 MR. BAILEY: Okay. So in the Westinghouse standard seal, initially, the plants for 4 the generic, I'll call it the generic analysis that was 5 different 6 performed by Westinghouse for the 7 configurations of the Westinghouse reactors. That 8 assumed a 21 gpm leak rate. Earlier this year, they 9 put out a Nuclear Safety Advisory Letter, NSAL-14-1 10 which indicated that there were some errors associated 11 with that 21 gpm or potentially some errors. That 21 12 gpm was based on a configuration of the leakoff line and as it turned out that leakoff line was not as they 13 14 assumed for all of the plants. And so what they're doing now is they're going back -- I guess they've 15 16 already developed new models for the leakage from that 17 seal and we are looking at benchmarking that against 18 some EDF data to make sure that that is clear. 19 Some licensees currently have higher or

20 are projected to have higher than 21 gpm leakoff. They 21 can either reflect that in their analysis or a lot of 22 them are doing modifications to restore the 21 gpm to putting in an orifice in the leakoff line and as this 23 24 notes and at that point if it had not been looked at 25 looking at what's the effect before, we're of

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

pressurization of that leakoff line at that time.

So this ends up, once again being a plant-specific evaluation. For some plants, they are taking conservative action times, if you will, to restore makeup to the reactor plant system to borate early as necessary or stay out of the reflux cooling mode.

8 So on equipment functionality post event, I think we've had a little bit of discussion about this 9 In general, we're looking to prevent 10 already, too. 11 fuel damage. The going in assumption is that we are 12 going to prevent a fuel damage. The stylized event, if you will, is ELAP and a loss of ultimate heat sink 13 14and then what we do essentially is superimpose upon that 15 the various external events that the plant is 16 determined to be susceptible to. And the guidance for 17 that, of course, is all in NEI-12-06.

18 You know, you say terminology MEMBER RAY: 19 thing. The slide I thought was quite good earlier they called minimal access to element heat sink. 20 We keep 21 calling it loss of the element heat sink. That's not --22 MR. BAILEY: You are correct. And it 23 is --24 MEMBER RAY: The air, the atmosphere is 25 the element heat sink regardless of how you get there.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

	317
1	But minimal access to element heat sink just sounds
2	better.
3	MR. BAILEY: And typically what we're
4	talking about here is normal access to what the plant
5	defines as ultimate heat sink which is usually their
6	water source.
7	MEMBER RAY: Yes, right.
8	MR. BAILEY: It's a protected water
9	source.
10	MEMBER RAY: We're talking sometimes to
11	broader audiences. Normal access I think is the right
12	way to say it.
13	MR. BAILEY: It's the motive force. It's
14	the power to the pumps. Water is still available.
15	MR. BOWMAN: The requirement is subtly
16	different for new reactors with the AP1000 design. For
17	them, it was the loss of normal access to the normal
18	heat sink because as you mentioned, the atmosphere is
19	the ultimate heat sink.
20	MEMBER RAY: I always thought atmospheric
21	steam dumps from the PWR and went to the ultimate heat
22	sink, just a different way than normal.
23	MR. BAILEY: I think in the purest
24	engineering definition, you're absolutely right. I
25	think for plants we've called it the water source,

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	318
1	although the heat is actually bound up
2	MEMBER RAY: I just want to note the slide
3	earlier, I think, gives the right terminology.
4	MR. BOWMAN: The vacuum is the ultimately
5	heat sink because the atmosphere radiates.
6	MR. BAILEY: We'll stop a couple short of
7	that one if we can though. So
8	CONSULTANT SHACK: I'd like to make a
9	comment.
10	CHAIRMAN SCHULTZ: Yes, Bill.
11	CONSULTANT SHACK: NEI-12-06 always
12	seemed to me a little bizarre that it's in response to
13	an order that discusses beyond design basis external
14	events. Now I'll agree certainly that all
15	those besides the design beyond a design basis
16	event. It really doesn't have very much to do with
17	beyond design basis external events. The equipment is
18	required to be robust, but robust in 12-06, it says it
19	meets design basis.
20	All the requirements for storage are
21	design basis. That's actually fine, you know, it's a
22	useful beyond defense-in-depth measure. I think it
23	does point to the need to go through the 2.1 assessment,
24	as Harold points out, to make sure that we can at least
25	meet the design basis with the design basis. So that's

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	319
1	your comment on robustness.
2	MR. BOWEN: This is Jeremy Bowen and I
3	think to start with it goes back to what we originally
4	mentioned at the beginning of the presentation is it
5	was trying to NEI-12-06 tries to define the undefinable
6	event and sets some parameters at which to start with.
7	Everyone recognizes that the orders for
8	beyond design basis events, the question is what is
9	that? How far does that go? How do you try and say
10	whether something is acceptable or not when you don't
11	know what you're comparing it against?
12	CONSULTANT SHACK: Well, we do that with
13	seismic when we talk about seismic origin. I admit
14	it's harder to do for flooding because we don't really
15	have as good a characterization of design basis floods
16	as we do with design basis seismic event. For seismic,
17	we do it for Part 52.
18	MR. DAVIS: This is Jack Davis. Yes, it's
19	a good point you're making. In fact, you're probably
20	aware that we've been working on a paper that's going
21	to go up to the Commission to talk about the reevaluated
22	flood hazard from 2.1 and how that integrates with
23	mitigation strategies approach and that the idea would
24	be that licensees would need to be able to demonstrate
25	that they have a viable strategy even given those higher

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	320
1	elevated floods.
2	MR. BOWMAN: This is Eric Bowman, if I
3	could just add one other thing. Bill, in the process
4	of putting together EA-12-049, we did have a great deal
5	of interaction with internal and external stakeholders
б	and one of the things that we took into account and the
7	reason why you see the phrase beyond design basis
8	external events is because we were not seeking to
9	address things like random failures that result in
10	internal flooding or events like that, but the idea
11	being that we were looking to the consequences of events
12	that were external to the plant due to natural
13	phenomena.
14	MR. BAILEY: So that probably took a lot
15	of the last bullet on this slide which talked about
16	what's going on for the reevaluated hazards. The
17	thought at this point is that when there's further
18	information on the reevaluated hazard that the
19	mitigating strategies would be revisited, if you will,
20	for their ability to address the new hazard
21	information.
22	MR. BOWEN: I'd also note that earlier
23	this morning there was some discussion about the
24	building configuration, the storage buildings for the
25	portable on-site equipment and the reevaluated seismic

(202) 234-4433

(202) 234-4433

hazards and how that was being factored in. I'll note that if the buildings are new construction and they're built to ASCE-7-10 standards, the version of ASCE-7-10 4 that's used to construct those buildings includes the 2008 catalog of data that was used with the same catalog of data that was used to develop the Central and Eastern U.S., the latest GMRS curve. In that respect, the building itself has already accounted for that reevaluated hazard information seismic from а 10 standpoint.

11 MR. BAILEY: So I don't want to spend too 12 much more time on robust here, but the equipment that is being -- going up a couple of bullets, the equipment 13 14 that is being relied upon is required to be robust. 15 What you'll see in a lot of plants is they end up with 16 multiple strategies depending on what equipment is 17 robust at their plant, that typically, it will end up 18 being a separate strategy for the flooding events if 19 something is not available or in some cases even for 20 the seismic if the water sources are not seismically 21 qualified.

22 CHAIRMAN SCHULTZ: Stu, here when you say 23 the equipment, we're talking about equipment that's on 24 site that's going to be brought in to be used? We're 25 not talking about the installed equipment that is

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

5

6

7

8

9

(202) 234-4433

321

	322
1	already there in combination with? In other words,
2	we're talking about the system is required to be robust.
3	MR. BAILEY: Well, I guess it falls into
4	three categories here. The category that I was just
5	referring to there, or the examples that I was given
6	right there, deals with the water sources, the sources
7	of the consummables, okay? So there are a few things
8	that you need to look at. Am I looking at the Phase
9	1 equipment, the Phase 2 equipment, or where am I
10	getting my consummables such as water and fuel.
11	The Phase 1 equipment, of course, is
12	installed, so it is designed to address the design basis
13	event. But of course, during the ELAP, it has
14	generally lost all of its support equipment. So we go
15	and look at the ability to operate that equipment or
16	the survivability of that equipment with the loss of
17	support equipment that can include sealed cooling,
18	direct sealed cooling, overall room ventilation,
19	things of that nature that we go through.
20	Now most of your heat losses or heat
21	sources are gone if they are electrically-driven heat
22	sources like the large pumps in a room. We end up
23	focusing on the main control room and the switch gear
24	room where I still have loads driven off the batteries.
25	We look at the conditions that house the steam-driven

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	323
1	pumps, the RCIC pump rooms, the turbine aux. feedwater
2	pump rooms. So usually the main steam penetration
3	rooms where if there are operations there for the
4	atmosphere dump valves, etcetera. So we have the focus
5	areas that we zoom in on, but the licensees have
6	generally done a full evaluation and they've taken
7	actions that are built into their procedures in order
8	to maintain the equipment in a habitable condition.
9	Some of those were discussed earlier where they prop
10	open doors. And for many of the plants in the control
11	rooms they go and they open the back of the panels, the
12	control panels in order to keep the instrumentation
13	cool.
14	So we go through on a plant-specific basis
15	and look at the survivability of the Phase 1 equipment.
16	The Phase 2 equipment and even the Phase 3 equipment,
17	this is where the order requires reasonable protection.
18	I think we just talked a little bit about the buildings.
19	We also go through the deployment routes and the
20	deployment locations. I guess there were discussions
21	on that earlier this morning also about what happens
22	if it's next to a non-seismic building. We do look at
23	those considerations and where they're going to store
24	them and their ability to deploy that equipment in a
25	different location if that should become necessary.

(202) 234-4433

(202) 234-4433

	324
1	MR. BOWMAN: One good example for the
2	Phase 1 equipment would be the discussion that Mr. Amway
3	had with you this morning about the condensate storage
4	tanks at Nine Mile Point. They are not seismic tanks,
5	but if they're there they're going to use them. What
6	we've seen at some licensees, they'll have specific
7	strategies to address specific hazards and if it was
8	a flooding hazard for which the condensate storage tank
9	that had the fault of being non-seismic, but was above
10	the flood level, they rely on the water in there,
11	whereas for a seismic hazard, they may rely on water
12	from a different tank.
13	CHAIRMAN SCHULTZ: Going through the
14	preference of water source listed
15	MR. BOWMAN: Yes, typically, what we've
16	seen is going down the priority list and with the
17	response not obtained that day and the condensate
18	storage tank is no longer existent, then they switch
19	to a different water source or whatever the structure
20	system or component in question is.
21	CHAIRMAN SCHULTZ: The title of the slide
22	is the functionality post event and what we don't hear
23	a lot about is putting the equipment in service. In
24	other words, the equipment is in the shed and it's going
25	to connect here, but demonstrates that when you get to

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	325
1	that point with everything else that's going on, and
2	it's installed, that it will function for the time frame
3	that is required in order to do what we've asked this
4	project to do.
5	MR. BAILEY: That's fair. I guess we just
6	haven't shared that level of detail. We do look at the
7	hydraulic calcs
8	CHAIRMAN SCHULTZ: Not the calcs. The
9	calcs are important. I'm talking about the ability to
10	set up that equipment on the one time event and it works.
11	MR. BOWEN: I think what you're getting
12	to some of this discussion goes to what we started
13	with is yes, there's the entry conditions, if you will,
14	of the standard loss of A/C power and loss of access
15	to the ultimate heat sink. But we're looking at it more
16	broadly of something caused that. What are the things
17	that could have potentially caused that and how long
18	could that something last? Could you still be in a
19	high-wind event six hours into this ELAP and you're
20	having to hook up equipment? Would you be able to do
21	that in those conditions? How long do you have margin
22	available such that if you didn't hook first of all,
23	is the equipment protected from the initial event
24	itself? Then to what degree is it protected and that
25	gets into the what's good enough?

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

Again 12-06 talks about the design basis of the initial conditions, but we do ask a lot of questions, oh, well, have you built in some margin there, like I mentioned with the building? Yes, the buildings are built to design basis, but there's some margin already established in that.

7 Same sort of thing with the protection of 8 the equipment and the ability to put it in place where 9 it's needed to go, when it's needed to be there. Okay, 10 the strategy might say have that pump in place in six 11 hours, but when we look at what we're getting to with 12 the calcs, we look at the calcs as well to see well, 13 there may be some margin. It says, the strategy says 14 put it in place in six hours, but it may be that they don't need it for 12 hours. So based on the kind of 15 16 a conglomeration of all these different factors, we may 17 look at and say okay, you can have less protection of 18 the deployment pathway and a longer deployment strategy 19 if you have longer margin. If you have a shorter 20 margin, we're going to ask a lot more questions about 21 well, how long does it take to get that equipment there? 22 What's the protection for that equipment? How do you 23 validate that you've actually put it in the conditions it may exist, i.e., a high wind? 24

The main concern we're seeing with plants

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

1

2

3

4

5

6

	327
1	for flooding is not necessarily river or ocean
2	flooding. It's local, intense precipitation. So
3	there's ponding at the site. You're protecting the
4	equipment. It's above the flood level. Where you're
5	deploying it is above the flood level, but how long does
6	the ponding last? And is it in your deployment route
7	and can you actually get it from Point A to Point B?
8	Or does the water recede in enough time such that you
9	can get it there when you need to get it there.
10	I hope that's getting to some of your
11	questions. We are looking into that, but it's very
12	much a site specific, situational based sort of line
13	of questioning. It very much depends on how
14	much what's the strategy being proposed? How much
15	margin is available? How time sensitive and how
16	critical is that piece of equipment or that action?
17	MR. DAVIS: The n+1 takes into account the
18	failure to operate kind of mentality that you're
19	talking about. I get it there and I go to turn it on
20	and something happens, it doesn't work.
21	MR. BOWMAN: The other thing and I'll
22	cover this in a few slides once Stu is done discussing
23	his portions, but the validation process that Mr.
24	Webster brought up, it addresses some of your concerns,
25	you know, can you actually bolt the discharge of the

(202) 234-4433

(202) 234-4433

	328
1	pump to the hose to a place where it's supposed to be
2	delivering the flow? That's a validation process that
3	industry has put together and that they've embedded in
4	NEI-12-06 Revision 1. And a draft form currently has
5	them go through and do a physical check to see and also
б	walk down the paths, dragging the equipment with them
7	to ensure that yes, indeed, the trailer will fit between
8	those two buildings and that kind of thing.
9	What we were talking to here about
10	CHAIRMAN SCHULTZ: Like personnel at 2 in
11	the morning.
12	MR. BOWMAN: It's the personnel that are
13	intended to be performing
14	CHAIRMAN SCHULTZ: But there's 24 hours
15	there, so I guess there's an opportunity to do it during
16	the day.
17	MR. BOWEN: We also look at as we're going
18	out to the sites and we're actually seeing, interacting
19	more closely with the licensees and understanding a
20	little bit more the nuances that aren't written in the
21	guidance and in their plans, there's a lot more
22	of there is consideration for okay, the operator
23	aids, they have stuff that glows in the dark. They
24	thought about lighting. They thought about protection
25	of the operator while they're in the situation they'd

(202) 234-4433

	329
1	be in. What's the most optimal pathway of getting them
2	there safely? What's the simplest operator action we
3	can give them to do? So those sort of things I think
4	Eric is going to get into it in a few minutes.
5	CHAIRMAN SCHULTZ: That will be good to
6	hear. Thank you, Jeremy. I appreciate that.
7	MR. BAILEY: Let's go on to
8	instrumentation, I guess. Instrumentation of this
9	focus area instrumentation we treat very similarly,
10	by and large, to the rest of the equipment in terms of
11	the environmental conditions that it sees, so I don't
12	want to spend much time on that. The guidance has them
13	determine the minimum amount of instrumentation that
14	is required for them to really control the systems and
15	conduct their strategies. The reason that focuses on
16	the minimum, of course, is so that they can do the
17	greatest extent of battery shed that makes sense, load
18	sense that makes sense to preserve that battery. That
19	is one of the primary resources that they have
20	available.
21	The qualification guidance that is put out
22	there, the NEI-12-06 essentially points to the SBO
23	guidance. When you look at what's actually being
24	implemented at the plants, by and large, this is the
25	post-accident monitoring instrumentation which is

(202) 234-4433

governed by Reg. Guide 1.974 which meets the Reg. Guide 1.97.

When we're talking about the backup, the 3 backup is usually if there's some failure along the 4 circuit and they're typically identifying multiple 5 locations where they can get an indication of, for 6 7 example, a fluke meter and then having a table of 8 conversions that they can determine what is the actual 9 parameter in the plant. And the final backup for that 10 usually is they've done analysis of the timelines and 11 the sequence of events. That analysis includes what 12 are the required flow rates versus time, often with corrections for different time power if there's a 13 14 concern about overfill. So the ultimate backup is 15 controlling the portable equipment and getting a flow 16 rate based on the analysis.

17 So the spent fuel pool instrumentation 18 qualification, without going into much detail due to the lack of time here, I would just summarize all of 19 20 the order directs this to say that that the 21 instrumentation is designed withstand to the 22 conditions that are likely to be seen if you have the 23 loss of all spent fuel pool cooling and boil down. It's looking at the environmental conditions of temperature 24 25 and humidity from a boiling pool and typically they're

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

(202) 234-4433

330

doing a seven day integrated dose assuming that the pool water level is that the top of the racks, that is the Level 3. And all the licensees, all the vendors have tested the sender and the associated electronics to that dose rate, actually probably conservatively determined dose rate and determined that instrumentation to be okay.

8 The bottom line here you'll say it says to implementation 9 look at the impact of the FLEX 10 strategies. That is part of the guidance. If you look 11 at what's going on in the FLEX implementation 12 strategies, there really is not anything I've seen yet 13 that is qoinq to impact this instrumentation. 14 Regarding the spent fuel pool, the presentation earlier showed a plant with hard pipe. Generally speaking 15 16 though, what plants are doing early in the ELP sequence, 17 they're going out and they are pre-staging hoses over 18 the side of the pool. They are pre-staging spray 19 nozzles to protect the fuel assembly should the water 20 get that low. And they're setting themselves up so 21 that any actions that need to be taken long term can 22 be done from a habitable location usually further 23 They're opening doors. They're opening below. 24 louvers, things of that nature to support ventilation 25 in that area in anticipation of the boiling.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

	332
1	MEMBER REMPE: Stu, if you go back to 21.
2	I'm not fast enough sometimes.
3	MR. BAILEY: Okay.
4	MEMBER REMPE: But I see a lot of
5	differences in the different submittals from the
6	licensees on what they identify as critical
7	instrumentation. And do you attribute it to just the
8	way the plants are configured or how do you deal with
9	some of those things? Because like McGuire did
10	identify water level in the RWST and different sources
11	of water where other plants didn't. How do you deal
12	with that? And are all methods of submittals
13	acceptable?
14	MR. BAILEY: Well, by the time we're
15	finished, they're all acceptable. I'll put it that
16	way.
17	MEMBER REMPE: By definition, yes. How
18	are you dealing with that?
19	MR. BAILEY: Well, what we're doing is
20	we're bouncing that against the strategy that they're
21	implementing and what kind of controls are they trying
22	to take? What are the really sensitive what are the
23	critical parameters that they need to think about?
24	For the example that you heard this
25	morning, it's important for them to understand the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	333
1	safety injection tank level and to monitor how that
2	trends, so that they can take actions to prevent
3	nitrogen injection into the reactor coolant system. A
4	plant with low leakage seals that doesn't drain down
5	similarly may not have that same limitation.
6	You're right. For some plants, they're
7	looking at RWST indications or condensate storage tank
8	indications. There are plants that leave that to a
9	local indication. Given the slim nature, given the
10	volumes associated with that and the slow drain down,
11	we would probably take a local indication of that to
12	be acceptable. We would bounce that against the
13	procedures to see whether they're getting out there as
14	necessary to monitor the levels and take appropriate
15	actions.
16	We look at the survivability of the
17	instruments. I didn't go into it in detail. We look
18	at the survivability of them for the events also in
19	terms of the tanks and the level indication. Is it
20	reliant upon a reference leg, a filled reference leg
21	that could be damaged by say a tornado missile. So we
22	view a wide range to see that the instrumentation that's
23	necessary to support their action is going to be usable
24	during the event.
25	MEMBER REMPE: What do you do for water

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	334
1	levels that rely on a reference leg? What do you use
2	as a backup?
3	MR. BAILEY: So this has been a focus area
4	and for the important water levels, I haven't seen it.
5	It is typically a pressure sensor instead down in the
6	vault under the tank. So I was looking for reference
7	levels assuming that's what it was, but if there is one,
8	there's at least always a backup that's just off pure
9	pressure.
10	MEMBER REMPE: Okay.
11	MR. BOWEN: I think in some respects this
12	also goes to the discussion we had a few minutes ago
13	and that air is going to get through it. This is
14	another one of those where we may ask a level of detailed
15	questions depending on the strategy, depending on the
16	equipment that's being used. If it's more, for lack
17	of a better way of saying it, if it's more critical,
18	we're going to ask a lot more about that piece of
19	equipment and the instrumentation to make sure that
20	that equipment is functional. If it's less critical,
21	larger volume, larger time frame, redundancy, the level
22	of review, the level not the level of review, but
23	the amount of questions and the amount of in-depth
24	discussion we may have might be a little bit less.
25	MR. BAILEY: For an example of that, I'm

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

looking at a plant, a plant out there had some critical action, short-term actions in the main steam penetration room. And so like many plants, if they have to do operations in those rooms, their procedures are to get out there early, open doors, open louvers, provide some ventilation for this room.

7 So again, this is a critical area, so we 8 walked that down in some detail and essentially 9 identified that there were issues with the GOTHIC 10 analysis that had been done. We talked about the 11 chimney effect in this particular room. The steam 12 pipes are at a relatively high elevation and they were 13 relying on an open door about a story up and -- but if 14 you walk down the outside of the building, there's a 15 missile shield there that comes down to just about that 16 same elevation. So the chimney effect would be much 17 less than assumed. So that one is still under revision and review, I think. This is just an example of where 18 19 things are important when we're on site, we're getting into that level of detail. 20

21 MR. BOWMAN: Okay, this is Eric Bowman, 22 special advisor in the Japan Lessons Learned Division. 23 I had been before the committee a few times in 2012 and 24 2013 discussing the rulemaking, the then station 25 blackout mitigating strategies rulemaking, as well as

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

	336
1	the guidance that we put together for the EA 12-049.
2	In June of 2013, the committee provided us
3	with a number of recommendations including the one on
4	this slide regarding our need to provide more guidance
5	on evaluating the feasibility and reliability of manual
6	actions. I believe that the committee reiterated this
7	recommendation in a subsequent letter, so we realized
8	you were really kind of serious about this.
9	CHAIRMAN SCHULTZ: And it's been repeated
10	today. So go ahead.
11	MR. BOWMAN: I'm starting to get the
12	message. What we have in NEI-12-06 currently, there's
13	the quote right here from Section 3.2.1.7, that's item
14	6 in that section. The licensees were supposed to
15	identify time constraints for which an action has to
16	be taken in order for those strategies to be successful
17	and provide a basis that they can reasonably meet that.
18	The way that was addressed in 12-06 and Section 11.4,
19	I believe it was, it was pointing to licensees would
20	validate that the strategies and the procedures that
21	they have developed to support the strategies can meet
22	what they needed to meet.
23	The time constraints were all identified
24	following the thermohydraulic analyses that the
25	licensees did to put together their integrated plans.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

337 And they're all listed in the integrated plans in the 1 sequence of events. 2 You heard this morning discussion from Mr. 3 Webster from Dominion regarding validation that they 4 did at North Anna of using a process that NEI had put 5 6 together in conjunction with а number of 7 representatives from the industry. Ι had the 8 opportunity to take a look at the procedure they had 9 put together for that and observed the piloting of it 10 at North Anna in order to get a sense of what they were 11 looking at for that. 12 The validation process which has now been included as Appendix E to the draft revision for 13 14 NEI-12-06, it's a supplement to a licensee's normal 15 procedure for verification of procedures and the 16 development of procedures. What it's looking at is 17 figuring out the time that's necessary to accomplish 18 an action so they can compare it to the time that it has to be done within and determine whether or not 19 20 there's sufficient time margin to believe that they can 21 actually accomplish the action in the time that's 22 available. After discussions with the working group 23 24 that was putting together the process, and their own 25 look at what was put together for the integrated

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

assessments for the flooding hazard reevaluation, and your recommendations in the prior letters that we discussed earlier, they've incorporated a number of the performance-shaping factors from NUREG-1852 on the determination and feasibility of actions for fire protection as well as those that are in the interim staff guidance for the flooding integrated assessment.

They're being looked at at a fairly qualitative level, not a strict identification that individual performance shaping factors are either nominal or degraded. And that is really a result of the situation we're in with we don't have an identified hazard that leads to the loss of all alternating current power and the loss of normal access to the ultimate heat sink.

16 Walking through the procedures with the 17 operators at North Anna, however, they were conducting 18 pre-job briefs regarding what are the external hazards 19 that are applicable to the site, what kinds of things 20 should the operators be looking for to see. I think 21 it was either Stewart or Jeremy mentioned local intense 22 precipitation can lead to water levels so high and they 23 have determined, they have a sense of how high the 24 flooding hazard reevaluation is going to show a 25 potential for local intense precipitation. And they

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

1	can get a qualitative estimate of would it be possible
2	to actually drag this pump across this particular
3	towpath if there were to have been a local intense
4	precipitation event there.

MR. BOWEN: I'll give you a perfect example. We were just down at St. Lucie late last week. That is their flooding of concern is from local intense precipitation. They have ponding on the site, storm surges and everything else from hurricanes. It actually dissipates rather quickly. The local intense precipitation, they get ponding. Where they put their FLEX storage building, they put in some margin about a foot and a half above their flood level, if you will.

And we asked questions about getting that equipment from the storage building to the location that would be used on site and going through any ponding and everything. And the fact that it's on trailer, they've already validated or done some analysis and they're going to validate that the trailer provides another two feet of pipe, if you will, to get through and they're only expecting a couple of inches of ponding. So they could get through that local ponding that would occur because of the local intense precipitation.

So it's one of those -- there's multiple

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

	340
1	ways to deal with it. It's going to be site specific.
2	In some cases, it may be time based. In some cases,
3	it may be okay, there's other ways to deal with that.
4	MR. BOWMAN: The other types of hazards
5	that they looked at, the high wind hazard and the
6	potential
7	CHAIRMAN SCHULTZ: How is all this
8	captured? You talked about where we went and we talked
9	and you said qualitative and there's some sort of
10	guidance
11	MEMBER STETKAR: Right, is that captured
12	in the audit report or the licensee document what
13	they've determined?
14	MR. BAILEY: The licensees are
15	documenting it typically in a technical report that
16	provides the basis for them submitting to us the letter
17	saying that I'm in compliance now.
18	MEMBER STETKAR: But I mean do they
19	perform what I would call a feasibility assessment,
20	document it, and then document the margins that are
21	available? Will they have to submit that it's
22	available for audit?
23	MR. BOWMAN: Yes, that's the result. I
24	believe that Bill had in his presentation one
25	example, a page that was excerpted from it. I've taken

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	341
1	a look at it. The technical document is 150 some odd
2	pages and it's got the time margins as well as
3	allowances that they added for things like clearing
4	debris, walking through the procedures with the
5	operators and maintenance personnel that were
6	accomplishing them. They thought of things such as a
7	high wind event could have blown the concertina wire
8	off of the fence that's nearby and they would have
9	needed to bring over debris-clearance equipment and
10	move it out of the way in order to move a pump in place.
11	Things like that. And identified non-seismic walls
12	that they were then considering would it be better to
13	just have that non-seismic wall that's no longer really
14	necessary removed so that it could not cause a debris
15	hazard in a seismic event.
16	MR. BOWEN: I think to get to your
17	question, almost universally, in every interim staff
18	evaluation we did, there was a confirmatory item about
19	licensees' validation activities And as they're

19 activities. And as validation they 're 20 being completed, depending on the timing of the audit, 21 and whether you're looking at it on site or licensees 22 are putting that sort of information on the e-portal 23 and we're looking at it as it is available there. So 24 it's being captured in the audit reports and if it's 25 still not 100 percent complete by the time of the audit

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	342
1	report, then it's carried as an item through to their
2	safety evaluation.
3	MR. BOWMAN: And it may be it will be
4	available for us to look at during the confirmatory
5	inspections, as well as compliance.
6	The final portion of the validation
7	process is a rollup of the resources and personnel to
8	ensure that they've got they haven't double counted
9	the availability of the tow vehicle or the number of
10	staff that are available to accomplish the tasks.
11	As Mr. Webster mentioned, they have it set
12	up for Level A, Level B, Level C type of approach with
13	Level A being time-sensitive actions in the first six
14	hours before additional staffing gets on site. And
15	after that, there's a slightly less rigorous Level B
16	validations that have a variety of different methods
17	that are available for accomplishment.
18	MEMBER STETKAR: At the moment, are they
19	doing that on a per unit or a per site basis?
20	MR. BOWMAN: They're doing it on a per unit
21	basis because it's including dragging the hoses out,
22	seeing how many links of hose it takes to go from where
23	the pump is going to be put to where it's supposed to
24	be connected, and actually ensuring that the hoses, the
25	connectors will meet up.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	343
1	MEMBER STETKAR: I was asking more in
2	terms of the staffing availability.
3	MR. BOWMAN: I've discussed with some
4	licensees. They're actually doing resource load time
5	schedule site wide and some of them are using
6	spreadsheets, but it's all on a site-wide basis. It
7	may be done, for example, at North Anna, only one of
8	the units is in compliance now. They don't necessarily
9	have to have the staffing available for both units until
10	the second unit comes into compliance. So
11	MEMBER STETKAR: The only concern is
12	double counting for people.
13	MR. BOWMAN: No double counting.
14	MR. BAILEY: No, we're not seeing a double
15	counting. The staffing associate it looks at the
16	entire site and the actions on each unit. And then
17	shared which would be things like debris removal.
18	MR. BOWEN: The only unique aspects where
19	that might go to a unit is the units are two different
20	technologies and they need different staffing
21	requirements.
22	MR. BOWMAN: But then it would be with
23	staffing they're drawing from and they would also be
24	needing to point to site-wide staffing similar to, as
25	Mr. Eimar discussed, the Area 9 operator.

(202) 234-4433

	344
1	MEMBER STETKAR: Area 9 is one, but I've
2	seen staffing plans and we've questioned on some new
3	plant applications where you might have two units at
4	the site and you're allowed, by the rules, to share a
5	technical advisor between the two of them. So you have
6	one for two units, for example. And if you're relying
7	on that shift technical advisor for active involvement,
8	as we heard this morning, you can't take a chain saw
9	to them. I was just curious whether they were looking
10	at that.
11	MR. BOWMAN: They are.
12	MEMBER STETKAR: Okay.
13	MR. BOWMAN: They have made a lot of good
14	observations. North Anna identified incompatible
15	fittings that they hadn't expected to come up with as
16	well as they had some gasket issues. They corrected
17	them. The nice thing about the validation process is
18	there's a natural feedback loop. If they're talking
19	about a procedure and they come across a problem like
20	this, they have to fix it before they can actually
21	finish implementing the procedure. And as I
22	discussed, the potential source of debris.
23	Right now, as I mentioned, it's a
24	qualitative look at the performance-shaping factors.
25	Depending on the outcome of the draft COMSECY and the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	345
1	way we address the reevaluated flooding hazards or any
2	other hazards for that sake, we may need to go to look
3	more towards feasibility and reliability rather than
4	merely feasibility. And we'll have further
5	discussions with industry and no doubt come back and
6	interact with the committee on how we do that.
7	MEMBER STETKAR: Some guidance in terms of
8	assessing, you know, available time margin is a
9	surrogate for reliability.
10	MR. BOWMAN: Right, and there is a
11	feedback in the process as it's written right now when
12	they are short of available time margins, they look at
13	doing a more rigorous look to be sure that that time
14	margin actually exists by doing repeated performance
15	or performance with other individuals.
16	MR. BOWEN: If I could tie this back to the
17	discussion we were having about 15 minutes ago, I think
18	a key aspect is that the validation activities,
19	licensees are going as far as possible with actually
20	implementing the processes or strategies, hooking up,
21	making connections as far as possible without actually
22	introducing an unsafe condition for the plant;
23	physically hooking up hoses, running hoses, physically
24	making the connections, obviously not running the
25	water, that sort of stuff. Same thing for the perfect

(202) 234-4433

	346
1	concepts that was done at the response centers.
2	They put a pump on a trailer. They physically drove
3	it from Memphis to Three Mile Island at Surrey. They
4	took it off. They actually opened it up, went through
5	the process of how they would start up the pump, that
6	sort of stuff. There's a recognition in all of that.
7	You gain some insights. You gain some understanding
8	and then also tying that into well, it's a sunny day,
9	ideal conditions operating. So you factor that in with
10	how much margin was there, what other factors do we need
11	to consider that first stuff.
12	So back to the discussion from a few
13	minutes ago, it's all a part of a larger evaluation the
14	staff is doing. It's not I can't say we point to
15	one thing and that's how we make our determination on
16	that one thing. It's a collective review of the whole
17	strategy.
18	MR. BAILEY: I think you can say also it's
19	understood that it's an undefined event and it could
20	be a very stressful event. There really is an effort
21	out there to make the actions that need to be taken as
22	simple as possible to make operation of the equipment
23	as simple as possible. When you saw Mr. Webster's
24	presentation, they've got the glow in the dark beyond
25	design basis, little reflectors, I guess. It reflects

(202) 234-4433

(202) 234-4433

and glows in the dark on all the equipment locations so that it will be easier to find at the time. Most plants are putting basically highlighting what needs to be tripped on a load shed. So they're not actually going through and doing the load shed, but they're putting in all the operator aids to make this as -- to make this as easy as possible, understanding that the event will be stressful.

9 MR. BOWMAN: And Dominion went as far as 10 to -- for the flexible hoses they chose to use the 11 storage connectors which are the standard industry 12 connectors, but they specifically sought the ones with 13 the latches which is not necessarily a feature of a 14typical storage connector below five inches because 15 that gives the operators a positive feedback for the 16 cues and indications that they've successfully made up 17 the connector because it quakes and it can't be backed off. And that's the kind of thing that they're 18 19 documenting in their validation. They've also in addition to the external hazards that's screened in 20 21 for this site, they looked at how they could accomplish 22 the actions in a low-light environment, testing the 23 light packages that were installed on the tractors, 24 they're using for towing the equipment around, and 25 things like that, just to show -- to provide a greater

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8
degree of confidence in the feasibility, if not the reliability, of the action. And the only reason I can't call it reliable is because I don't have defined hazard and they can't go through and say with certainty, yes, this is a nominal capability as opposed to a degraded capability.

7 CHAIRMAN SCHULTZ: Eric, the phrase "this 8 is an expected part of the process" leads me to think 9 that one usually gets what you expect to get or where 10 you set your expectations. Therefore, there's a piece 11 of that that's a disappointment, given what one would 12 think this would be in terms of importance and in terms 13 of investment in compatible fitness. You know, you 14 hope in the industry that you had that covered if you 15 were going to buy one thing to fit another. And that's 16 what I was getting to before in terms of making sure, 17 making sure, that what we're setting out to do is going 18 to be effective when it's implemented.

19One would expect this is not going to20happen very many times. And if it happens one time and21it's not successful, you have to start all over. It's22a bad, bad day.23(Simultaneous Speaking.)

24 MR. BOWMAN: -- but bear in mind there's 25 also the phrase that you can expect what you inspect

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

	349
1	and we've got confirmatory inspections coming up at the
2	end of this when we can take a look at how thorough a
3	job did they do with the validations.
4	MEMBER CORRADINI: But you had said, I
5	think, that you had said that currently the thinking
6	process was about every eight years to exercises in the
7	drill mode. Maybe I misheard you.
8	MR. BOWMAN: Right now, the guidance in
9	NEI-12-06 says they'll do a driller exercise every
10	eight years. It lines up well with the emergency
11	preparedness exercises although they aren't required
12	to be done as part of the emergency preparedness
13	exercises.
14	MEMBER CORRADINI: Is that the frequency
15	for regional emergency preparedness or national?
16	MR. BOWMAN: That's the frequency in which
17	the EP exercises require licensees to go through and
18	demonstrate individual elements of the emergency
19	preparedness plan that includes currently, it
20	includes the B5B strategies.
21	With the mitigation of beyond design basis
22	external event, rulemaking, we're looking at is that
23	still the appropriate place to put it. We're
24	considering moving it to a different section but
25	retaining the eight-year period as a demonstration of

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	350
1	the capabilities.
2	MEMBER CORRADINI: I guess I'm not
3	familiar with all the details, but I guess given that
4	kind of where Steve was going if it really is in a really
5	bad day, that means other agencies will be involved and
6	this other governmental so I think you've rolled it
7	into some sort of drill which involves other agencies.
8	So what is the frequency of those emergency planning
9	exercises?
10	MR. BOWMAN: I'm not sure exactly what it
11	is for the EP exercises. I don't anticipate that I
12	believe he had discussed actually going through an
13	actual evacuation to see if it would work during an
14	evacuation. We aren't going to go that deep. But we
15	will do some of the command and control aspects of it.
16	The mitigating strategies and the delivery of equipment
17	from the National Safety Response Centers, I believe,
18	is going to be a portion of the exercise Southern
19	Exposure next year. So it's not going to be every
20	licensee is going to go through and
21	MEMBER CORRADINI: I understand that. I
22	understand that.
23	MR. BOWMAN: Some of them, it's on the
24	horizon it's something that we're doing. It's being
25	included in the nuclear sector, national response

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 capability. MR. BOWEN: And although we may not do a 2 soup to nuts exercise of the frequency that's being 3 determined, there may be a different frequency that's 4 5 shorter which we're going to inspect and certain aspects of this will be -- licensees will have to 6 7 demonstrate that as part of the inspection process, 8 actually, show me the pump, show me that -- show 9 me -- walk down the battery of load shift procedures, 10 that sort of stuff. That's part of the temporary 11 instruction now that's likely part of the on-going 12 inspection procedure that we will develop. 13 MR. BOWMAN: Yes, I'm not sure if you're 14 familiar with it, but the way the B5B mitigating 15 strategies are being inspected is they've been 16 incorporated in one of the triennial inspections and 17 inspectors typically go out, select an auxiliary 18 operator, hand them the procedure and say okay, show 19 me you can do this. And that gives us a level of confidence that the random individual who is on shift 20 21 when the event happens is capable of following the 22 procedure and doing the actions that he's supposed to 23 be able to do. 24 MEMBER BLEY: How long have we been doing 25 that?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

351

	352
1	MR. BOWMAN: Since 2009.
2	MEMBER BALLINGER: This type of event
3	would be a site-wide event, obviously. How does the
4	frequency of doing the drill or whatever you're doing
5	square with the refresh rate of the staff? Is it likely
6	that eight years from X, there ain't nobody that worked
7	there?
8	MR. BOWMAN: I'd point to the individuals
9	that were here from industry
10	CHAIRMAN SCHULTZ: They're coming back
11	up, so we'll put that on their punch list.
12	MR. BOWMAN: Gene Eimar was at Palo Verde
13	since 1985.
14	MEMBER BALLINGER: I've been at MIT since
15	1982, but that doesn't mean that everybody else has been
16	there, all right?
17	MR. BOWMAN: I understand.
18	MEMBER CORRADINI: Do you remember what
19	you're supposed to do?
20	MEMBER BALLINGER: Correct
21	(Laughter.)
22	MR. BOWMAN: Part of it is that there's
23	supposed to be, in fact, the NEI-12-06 sequence to the
24	systematic approach to training and the use of the
25	systematic approach to training for the personnel that

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

5 In some respects that gets a MR. BOWEN: little bit into the normal regulatory processes of how 6 7 the NRC oversees the licensees' continual training, 8 learning program and yes, Eric mentioned we're trying 9 to figure out the appropriate time for the regulatory 10 required drills and exercise, but if we go do an 11 inspection and find that if the licensee can't 12 demonstrate a strategy, then that's an issue with their 13 training program that that may identify a larger issue. 14 That's part of our normal oversight process. We start 15 to kind of -- we're talking a little bit apples and 16 oranges here, two different topics. but I think there's 17 aspects to both that need to be worked out, but --

18 And the other thing that we MR. BOWMAN: 19 do recognize that there has to be a balance between the 20 periodicity at which licensees do these drills and 21 exercises and beyond design basis nature of the events 22 that we're talking about we don't want to displace to 23 too great an extent the amount of time that licensees 24 have available to train on the use of emergency 25 operating procedures and so forth for things that we

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

(202) 234-4433

353

actually expect to happen a lot more frequently than this.

3 CHAIRMAN SCHULTZ: Those are both good 4 points, but as I said the licensees are going to come back up and one of the things that I would like them 5 is what I would consider to be 6 to address the 7 expectation that since the review process on a 8 site-specific basis might be every eight years, well, 9 how -- and I know the industry has practices like this, 10 so how the findings from Site A are translated to the 11 rest of the industry. I think this is, of course, an 12 opportunity to be sure that the communication about 13 what was the experience, what are the lessons learned 14and how are they applied throughout all this as a result 15 of one site's experience would be very important.

I saw that you've gotten to the final slide, the thank you slide. The acronyms are less, so you don't have any additional slides.

19 I'll ask members of the committee, any 20 other questions of the staff?

21 MEMBER STETKAR: I actually have one 22 off-the-wall one. I was trying to do some homework in 23 real time. Have you seen, and I know you haven't looked 24 at all of them, have you seen any plants where the time 25 constants and I'll just characterize it that way

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

16

17

18

355
are depend on things other than reactor coolant pump
seal leakage. I'm talking about pressurized water
reactors. You flash a slide up there saying everybody
knows the reactor coolant pump seal leakage is the big
issue. It may or it may not depending on a particular
plant design.
MR. BAILEY: For reactor coolant make up,
no, that's been the primary driver. Now obviously,
that's a little bit different for each type of plant
and the plants with the shortest time are the B&Ws,
trying to make sure that they do not get any voids in
the U bend.
MEMBER STETKAR: Have you seen any plants
with only motor operated isolation valves on their
normal let-down lines with relief valves that go back
to other places upstream of the next available
isolation valve in the auxiliary building and have you
looked for that to be specific?
MEMBER CORRADINI: To be specific.
MR. BAILEY: I have not seen that.

20 21 MEMBER STETKAR: I mean it can go to a 22 drain tank some place. Some of them put them back in 23 the containment, you know. They don't put them on the 24 floor.

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

MR. BAILEY: Well, I haven't seen all

(202) 234-4433

1

2

3

4

5

б

7

8

9

10

11

12

13

14

15

16

17

18

19

25

	356
1	that. Now usually this relief valve is going to
2	relieve that RCS pressure or greater, but generally,
3	we're looking at a depressurizing trend.
4	MEMBER STETKAR: You are, but the rate at
5	which you depressurize and the amount of time you have
6	available to depressurize before you get steam out into
7	the hot legs depends on how much water is going out.
8	MR. BOWEN: That is true. So there could
9	be a relief path there.
10	MEMBER STETKAR: That's why I asked you
11	the time line. I was just curious, whether anybody is
12	coming in and said if we don't isolate we have to
13	manually isolate the let-down line out here some place.
14	MR. BAILEY: I have not seen anybody have
15	to take an action to isolate.
16	MEMBER STETKAR: Because I have seen
17	plants in my life that have only motor-operated valves
18	only located inside the containment.
19	MR. BAILEY: Now whether that's because
20	under the guidance that would be an additional failure
21	that is not typically looked at.
22	MEMBER STETKAR: It is not an additional
23	failure. Remember, I said motor-operated valves that
24	would require AC power. Now under normal station
25	blackout, your standard regulatory station blackout,

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	357
1	that's not an issue because they get the station
2	blackout diesel running and they get power to one of
3	those two valves.
4	MR. BAILEY: I have not seen
5	MEMBER STETKAR: under an extended
6	MR. BAILEY: I have not seen
7	(Simultaneous Speaking.)
8	MEMBER STETKAR: that's why I was
9	asking whether anybody
10	MR. BAILEY: I've seen people take actions
11	to go and isolate. I've not seen anybody that has
12	MEMBER STETKAR: It depends where the
13	relief valves are. I've seen different designs. This
14	is not necessarily, by the way, in the U.S. I'm asking
15	this as an honest question, but raise it I haven't
16	seen every one.
17	MEMBER CORRADINI: I thought you were
18	setting it up.
19	MEMBER STETKAR: No, no.
20	MR. BOWEN: I can't say for certainty
21	where no plants have that situation, but it's such an
22	unusual circumstance that there's been a lot of
23	different strategies that have been presented. I feel
24	that that's something like that would have
25	

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	358
1	MEMBER STETKAR: You would hope, wouldn't
2	you, that somebody
3	(Simultaneous Speaking.)
4	MR. BOWEN: by now.
5	MEMBER STETKAR: I was just curious. I
6	was kind of trying poll you all, because the folks
7	coming back up, I'm going to ask them the same question.
8	MEMBER RAY: Are we done?
9	CHAIRMAN SCHULTZ: No, John is done. I
10	think.
11	MEMBER RAY: I just think Eric made an
12	important point that I wanted to underscore which is
13	all of this in most cases, I won't say all, is competing
14	with for time and attention, training. The stuff that
15	we count on to avoid getting into this situation that
16	we're talking about often, at least with regard to
17	internally. And that has to be something we're
18	cognizant of because the emphasis that you can and
19	Jerry put in this area, is almost without limit by
20	definition. And it has to be constrained somehow by
21	some notion of how much is enough because we could sit
22	here and do this forever. And yet, on the other hand,
23	you can't underplay or fail to provide enough emphasis
24	to it. So one of the things at least I'm trying to
25	get a feel for is how that balance should be struck

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	359
1	between making sure you operate the plant properly in
2	accordance with normal and emergency operating
3	procedures and how skillful you are in connecting up
4	these FLEX devices under circumstances that we hope
5	will never exist. That's all. I appreciate it.
6	Because he made that comment and I thought it was a good
7	one.
8	CHAIRMAN SCHULTZ: And certainly worthy
9	of emphasis. Others for the staff? I'm going to have
10	a I'm going to suggest we have a five-minute recess
11	just to stand up as the industry changes out there.
12	We'll be off the record for five minutes and we'll come
13	back at quarter of.
14	(Whereupon, the above-entitled matter
15	went off the record at 4:40 p.m. and resumed at 4:46
16	p.m.)
17	CHAIRMAN SCHULTZ: We'll bring the
18	meeting back in from recess and this is the opportunity
19	as we've provided on the agenda for industry to respond
20	to what we heard from the staff and provide any added
21	comments that you'd like to bring forward.
22	There were a couple of issues that came up
23	during our discussion with the staff that we kind of
24	put in a reserve box for you to respond to and so, we
25	might just start with those and I'm sure members of the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	360
1	committee will have a few other questions.
2	But, do you have comments first that you'd
3	like to present based on what the staff has been doing
4	with regard to the inspections and reviews?
5	MR. BAUER: Well, I asked these guys to
6	come back up here because they've all
7	experienced they've been, you know, through this
8	audit process, obviously, to the culmination point of
9	it. So, I was just going to ask them to share their
10	remarks in that regard.
11	Now, what I would start with is, you know,
12	originally, we were going down the process of RAI
13	questions coming out and formally on the docket going
14	back and forth and responding to all this stuff.
15	And my personal feeling is, have you stayed
16	that course? We would have been hard pressed to
17	implement the full 14 plants this year.
18	So, the audit process is significantly
19	benefitted the speed with which we had to do all the
20	work we had to do. But, I also and to its credit,
21	I believe there's been a very effective process for,
22	you know, airing all the issues. The licensees
23	originally sent in their integrated plans, overall
24	integrated plans.
25	They got back this huge, as you know, they

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	361
1	were alluding to this, huge matrix of how do I compare
2	what the licensee said with what the requirement is?
3	And so, we spent marathon phone calls
4	basically going through those lists to try to parse out
5	each of the issues.
6	A lot of issues got resolved that way
7	because there was, you know, just more clarity was
8	needed to be provided by what the licensee was doing.
9	So then that weeded then the ISE came out, the Interim
10	Staff Evaluation, which basically gave them the first
11	docketed set of opening confirmatory items.
12	So, then the plants began to post answers
13	to those to the e-portal and basically worked
14	systematically through resolving those issues leading
15	up to the audit and then they tried to, you know, clearly
16	close the issues in the audit. And then subsequently,
17	the audit moving toward implementation they were
18	working at closing their remaining items.
19	So, it was a very effective process. It
20	clearly put out on the table what the issues were. It
21	was quite clear what needed to be done.
22	So, I think overall, it was very effective.
23	A lot of people trying to do a lot of work, so trying
24	to get resources sometimes, you know, get attention of
25	resources was challenging but we worked through that

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	362
1	pretty much.
2	And so, again, I would just say that, you
3	know, had we not used that process, I don't think we'd
4	have six plants right now that have basically been
5	implemented.
6	MR. AMWAY: I guess I'll start off. I
7	think I'm probably one of the most recent ones to go
8	through an audit and I was a little skeptical at first
9	because, you know, most of the time when they come to
10	a site, they're looking at, even though it's a dual unit
11	site, it's similar technologies. And so, what they
12	look at for one unit pretty much applies to the other
13	unit even though the implementation time frame's
14	different.
15	For us, it was different technologies, so
16	it was almost like two separate audits in terms of the
17	questions that were asked. Obviously, there's some
18	generic ones that fit across units but there was
19	definitely a lot of plant specific.
20	And the process that we were able to get
21	the audit questions two to three weeks ahead of the
22	audit, gave us time as licensee's to prepare responses
23	to those questions, gather together the necessary
24	documentation. So, it gave it us time to get
25	everything together in both hard copy format and

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	363
1	electronically. The staff certainly did their
2	homework ensuring that they had they questions outlined
3	before they came.
4	You know, the slide I showed at the end of
5	my presentation, they came with somewhere in the
6	mid-50s throughout the whole audit week, there was only
7	three additional ones that were asked.
8	And we can see it through the Exelon fleet,
9	our first one was a Byron and we developed a process
10	and we've been able to make consistent improvements
11	because of the consistency of the audits from site to
12	site. So, we know what to expect before they come, we
13	can get everything ready and I was certainly pleasantly
14	pleased to get at the end of the audit that we had
15	covered everything that they wanted to see, that we got
16	as far as we could with the existing open items to get
17	as many closed as possible before they left then we had
18	a clear picture of what we had to do between the end
19	of the audit and implementation.
20	CHAIRMAN SCHULTZ: Is the documentation
21	process that the electronic bulletin board and all of
22	this, not only with the audits, but also in the
23	processes, is that capturing enough information so that
24	other licensees are learning what they need to do?
25	Those that haven't been through the process yet?

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	364
1	You mentioned RAIs and that was
2	cumbersome, but it also, in other cases, provides
3	licensees with, oh, that's what I need to do, I see what
4	the RAIs and the responses are and that's what I'm going
5	to do. I'm going to make sure I've got those covered.
6	MR. AMWAY: I think in terms of two ways,
7	you know, being within a large fleet where we have 20
8	some
9	CHAIRMAN SCHULTZ: Well, the fleet, I
10	understand, but you're going to be communicating,
11	but
12	MR. AMWAY: But also within the industry,
13	we have routine forums where we can share with each
14	other, you know, what we got on our audit, we share with
15	other plants.
16	CHAIRMAN SCHULTZ: Good.
17	MR. AMWAY: Scott, you may have some
18	more
19	MR. BAUER: Yes, there's
20	MR. AMWAY: from your end there.
21	MR. BAUER: two weekly industry calls
22	where, you know 80 to 100 people are on the phone and
23	so people share what's going on. Typically, we'll
24	share the things that were unexpected. So, a lot of
25	times they'll say, well, they raised this issue, we

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	365
1	don't understand the issue or we don't think it's a
2	right issue.
3	So, they'll raise it at the forum.
4	Typically, we all see those emails and then if I see
5	something that I think is a generic issue that warrants
6	a generic response, I'll pull our taskforce together,
7	we'll talk about the issue and then we'll give feedback
8	to the staff.
9	So, there's been a couple, we're working
10	on one right now. But there's been a couple of issues
11	where we're working through those audit issues and I'm
12	not sure where we've been as good at sharing all of the
13	audit information within the industry as we might be.
14	But I think plants, you know, and Mike and Bill can speak
15	to this too, I think the plants are getting enough
16	information that they are well prepared for the audits
17	when they come to their site.
18	MR. POWELL: There is, on these industry
19	phone calls, there's quite a bit of sharing of
20	information. In fact, I was asked to participate in
21	a call with the USA Alliance on the audit both on our
22	preparation for the audit and how they what were the
23	findings from the audit the preliminary findings
24	because I had this call before we got our formal audit
25	report.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	366
1	People are wanting to learn, they're
2	wanting to, hey, what can I do different? How can I
3	prepare? How many man hours did it take you to prepare
4	for the audit? What size teams did you have? What
5	kind of questions did the NRC go into?
6	And a lot of strong dialogue, in fact,
7	there's actually a third phone call that's hosted by
8	Chuck Behrend from Exelon at the director level where
9	we share this kind of information and we talk about what
10	we can do to prepare.
11	MR. BOWEN: If I could, this is Jeremy
12	Bowen from the staff.
13	We actually just got a request from one of
14	the licensees not represented here earlier this week
15	and they actually asked us if we could start putting
16	the audit reports in a centrally located public
17	website.
18	So, that's actually something I hadn't
19	shared with these folks yet, but we're taking that back
20	and we're working on doing that as well. So, the audit
21	reports, ISEs and all of that information will be in
22	a central location going forward as well. So,
23	hopefully also provides some information as well.
24	CHAIRMAN SCHULTZ: Good, thank you.
25	MR. POWELL: There's also a biweekly phone

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

call hosted by a gentleman from Southern Nuclear, David Hall. And we started out only discussing the fall '14 plants and that call has now transitioned to the spring of 2015 and the fall of 2015, not only talking about the audits, but lessons learned from implementation, what level of training did we do.

And he's actually started a SharePoint website as well where public information and audit reports and presentations that the utilities have given and providing that information or making it available to everyone who has access to that SharePoint site.

And if people don't have access, he will get them access and get them a pass code to get there.

MR. WEBSTER: The only thing I would add to that is even, you know, like I went to the Palo Verde audit before the North Anna audit and people came to North Anna. So we also, in addition to that, actually visited the audit and watched the audit and collect things during that process so we share information in the industry that was as well.

21 MR. POWELL: One of the things we did at 22 Palo Verde is we invited the NEI taskforce from FLEX 23 and a lot of the core team members to come observe the 24 audit but also give us feedback. Give us feedback on 25 if they thought our strategies were in the wrong

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

direction, if they saw some gaps and we wanted to get feedback not only from the staff but also from the industry, we're one of the -- we are the second audit to be conducted.

I thought the audits were very challenging, very rigorous. We spent about a thousand man hours preparing. We walked down our strategies.

One of the goals of our audit was we wanted to minimize the number of open items and confirmatory items when the team left. But we also wanted to demonstrate that we were horizontally and vertically integrated, that it wasn't just the Fukushima response team that understood the strategies, it was the fire department, it was the auxiliary operators as well as the SROs like Gene Eimar who gave the presentation today.

MEMBER RAY: This is taking place in regulatory space, so it's appropriate for NEI to be the industry facilitator.

Can anybody comment on what INPO's rule long term is? In other words, will they see this as just an extension of the operating domain that they are interested in following on behalf of the industry or do they have any different view? Does anybody know? I realize they're not here, you can't speak

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

368

5

6

7

8

9

10

11

12

13

14

15

16

	369
1	for them, but I'm
2	MR. POWELL: I don't think they have a
3	different view, but they have been helpful in other ways
4	by forming industry teams. And I'll use an example,
5	there was a team called the Emergency Response Training
6	Development Working Group and it's made up of industry
7	people. Both the owners groups have reps and there's
8	a mixture of FLEX professionals, training managers, EP
9	personnel and then an INPO team manager from the
10	training area on there.
11	That team was developed, the writer's
12	guide for how to write the operating aids, we even used
13	a pilot plant and picked and went through several
14	different types of color pages and font sizes to pick
15	the right color and font size to use.
16	That team was developed, the NANTel
17	training, open basic FLEX and advanced FLEX and they're
18	currently working on a training module called Decision
19	Making Under Stress to add to the toolbox.
20	And that training is I sat through a
21	pilot at INPO and they're piloting through one of the
22	senior nuclear plant manager classes this month.
23	MEMBER RAY: Will it be part of
24	accreditation? Do you have any idea?
25	MR. POWELL: I don't have any idea on that.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	370
1	MR. BAUER: The other thing that INPO's
2	been doing is they're doing emergency response review
3	visits at the sites basically to check their
4	implementation of one of the IERs and it's highly
5	congruous with what the audit does. They're really
6	looking at a lot of the FLEX stuff.
7	So, we've been trying to populate their
8	ERRV teams with people from our core taskforce to
9	basically make sure that we're asking the right
10	questions and we're not diverging in what we're trying
11	to do there.
12	So, I went to the I was on the team for
13	the Robinson ERRV visit and I was able to look at the
14	Robinson strategies and give them some direction as to
15	how to
16	MEMBER RAY: So, it's basically from what
17	you're saying, I would infer it's just an extension of
18	emergency response from an operational standpoint,
19	from INPO's standpoint? It's larger.
20	MR. BAUER: Yes, INPO, I mean they
21	modified their emergency response center down there at
22	INPO, so they're more aligned and ready to be an
23	assistant to the industry during an emergency response
24	event.
25	There's also now a requirement in

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	371
1	the that INPO be notified within the first hour of
2	an event.
3	MEMBER RAY: Okay, that answers the
4	question.
5	MR. BAUER: Actually, hold on. They have
6	people on shift with pagers similar to utility
7	personnel at any plant. So, there's a call out roster
8	assigned and a duty week so that they can man that
9	center.
10	MEMBER RAY: Yes, but that may or may not
11	include the kind of things we've been talking about
12	today.
13	MR. BAUER: Well, let me give you one FLEX
14	example that's very, very specific to FLEX. So, one
15	of the comments we got on the two National SAFER
16	Response Centers was, well can two really, you know,
17	meet the needs of the United States in total?
18	So, one of the things that the chief
19	nuclear officers decided to do was say, well, we really
20	have 64 sites that can all serve as, you know, response
21	centers. So, what INPO has done is they've inventoried
22	all of the equipment that the plants have bought and
23	they have that in their system and the plants are
24	required to keep that up to date.
25	And in an event, they're going to call, you

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	372
1	know, if Palo Verde has a problem, they're going to call
2	Diablo Canyon and say, hey, shut two pumps over while
3	the response centers are also doing their thing.
4	So, they're going to basically activate
5	the other response centers over to the other sites so
б	they can help.
7	MR. WEBSTER: Yes, I think INPO was also
8	involved early on because I mentioned in my response
9	that when we were responding to 11-4 even before the
10	order was, it gave us the some of the background work
11	that was done prior to the order and, you know, the
12	mitigating strategies that we developed.
13	So, they've been kind of working sometimes
14	in advance, you know, in conjunction with the process.
15	CHAIRMAN SCHULTZ: I was expecting that
16	INPO would be the response organization that would help
17	with those lessons learned from the emergency
18	preparedness exercise and drills and so forth that
19	could incorporate this. The lessons learned would be
20	shared going forward long term within that program.
21	MR. BAUER: You know, there is a
22	subcommittee of the Fukushima Response Steering
23	Committee which are the chief nuclear officers called
24	the Emergency Response Steering Committee and
25	basically, that involves INPO, chief nuclear officers

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	373
1	and NEI to basically say, hey, let's make sure we're
2	consistent with what we're doing in the emergency
3	response arena.
4	So, they're trying to, you know, make sure
5	everything there is done, nothing is done in conflict
6	with something somebody else is doing.
7	MR. POWELL: Yes, the other thing we've
8	done is we've had workshops. So as we started out with
9	FLEX in its infancy and as we took conceptual ideas and
10	finalized them, we've shared that with the industry
11	through NEI industry workshops.
12	We're scheduling another workshop the
13	first week of February which will be our fourth one to
14	talk about lessons learned from the fall plants and
15	we're going to be talking about ERRV visits, audits,
16	how to prepare for the audits and we're even
17	contemplating right now in the planning, having some
18	breakout sessions.
19	CHAIRMAN SCHULTZ: I guess we're in
20	questions now.
21	Bill, I don't know if this came in through
22	your presentation but I wanted to ask someone on the
23	panel, what's the we talked about calculations that
24	are done to support the timing and so forth, GOTHIC
25	evaluations were mentioned in terms of environmental

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	374
1	conditions within spaces and so forth.
2	What's the are the pedigree of those
3	calculations the same as one would expect for licensing
4	calculations?
5	MR. WEBSTER: Well, they I can speak for
6	Dominion. The requirements of
7	CHAIRMAN SCHULTZ: That's what I wanted
8	you to do.
9	MR. WEBSTER: Okay. 12-06 for the
10	calculations they are required to be engineered in
11	evaluations. It didn't specifically require them to
12	be Appendix B calculations and evaluations. But at the
13	level it would at least have, you know, an independent
14	review and that type of thing was an expectation of the
15	type of calculations.
16	At Dominion, by and large, you know, if we
17	don't do if it's an engineering typical evaluation
18	it's a little different. But if it's a calculation,
19	we've used similar it's non-safety related but we
20	used the calculation process that we would use for any
21	other calculation that we did.
22	Now, we do distinguish between non-safety
23	and safety but as far as the peer review, independent
24	review, some of the differences, and I think Mike
25	alluded to this, is, you know, we're not talking about

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	375
1	design bases. Then a lot of times we were in the best
2	estimate trying to get a clear picture of what that time
3	line really looks like.
4	Not you're not, you know, if you have
5	this time line and if it's overly conservative it might
6	be in conflict with our real priority in another area.
7	So, we tried to use best estimate inputs through those
8	calculations and the K heat calculations, we tried not
9	to use. You know, our design basis type of
10	information.
11	But the way we did the calculation at
12	Dominion was following a non-safety calculation route.
13	CHAIRMAN SCHULTZ: Right. I think the
14	staff I mean your staff would be encouraged to do
15	it both best estimate as well as conservative
16	evaluation. We heard conservative evaluations were
17	done in his, that was appropriate for the application
18	but also you kind of like to know what the real answer
19	is.
20	MR. POWELL: We're very similar. In some
21	cases we have done safety related calculations
22	particularly when we used our NSSS vendor from a
23	documentation standpoint. When we've asked to
24	finalize their results like you heard Mr. Eimar talk
25	about use of the CENTS code, C-E-N-T-S.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	376
1	CHAIRMAN SCHULTZ: Yes.
2	MR. POWELL: That's a thermal hydraulic
3	code that's used for combustion engineering system 80
4	plants or combustion engineering plants. So, we've
5	had Westinghouse document those as safety related or
6	QA calcs.
7	But we've done engineering studies.
8	We've done nonlinear analysis to look at the
9	non-seismic pieces of equipment to show whether or not
10	they'd be available. We've done high competence and
11	low probability of failure analysis on some of our
12	non-safety tanks to see if they'd be available
13	post-seismic event. So, there's a spectrum of how we
14	document it.
15	I will say that our biggest challenge is
16	that our staff is preconditioned for traditional design
17	basis waves and you have to think differently when we
18	start talking about the ground rules for a beyond design
19	basis event, the ground rules in NEI-12-06 and people
20	struggle with that. It takes some time to work through
21	that process.
22	Some of our vendors have had the same
23	struggle because they've been supplying products for
24	years traditionally at design basis approach. So,
25	when you start talking to them about using best estimate

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	377
1	methods, they're outside their comfort zone.
2	CHAIRMAN SCHULTZ: That's a very
3	interesting comment.
4	MEMBER RAY: A nonlinear analysis can
5	comply with Appendix B but we'll leave it.
6	MR. POWELL: Oh, it can.
7	MEMBER RAY: I'm just kidding you.
8	MR. POWELL: Well, I think it's more about
9	the inputs than, you know, the way you have to assume
10	the inputs going into it.
11	MR. AMWAY: And I agree, I mean the example
12	slide that I had, I mean we did our spent fuel pool
13	counts based on the maximum design of a 140 degrees,
14	but know 90 to 100 is our normal.
15	But, in that particular example, we're not
16	overly challenged by the makeup strategy. Whereas, in
17	my containment heat up analysis for RCIC preservation,
18	six hours, I start to get concerned of whether I'm going
19	to be able to take action in time and that's where it
20	might be appropriate to say, yes, my tech spec limit
21	for suppression pool temperature is 90 degrees, but I
22	never operate there. I'm always, you know, 75 to 80
23	degrees. So, how much margin is there between 75 to
24	80 degrees versus starting at 90 degrees?
25	MR. POWELL: Yes, some of the challenges

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

378

you are having to design hangers for that section of pipe where you have to add some amount of margin to account for seismic when you're not through with your seismic.

So, we had to create boundaries essentially beyond design basis boundary flags on our drawings that says from this point to the left is traditional design basis and this point to the right is beyond design basis just to say the rules are different.

13 CHAIRMAN SCHULTZ: The other question I 14 have on -- maybe comment or asking you to comment upon 15 it, the staff indicated that, well, it's very difficult 16 to run through this is a formal way because we don't 17 have the reevaluated flood hazards and we haven't 18 finished some of the external event evaluations.

But then they also said that when they came to the sites and were involved in the discussions of how the challenges of implementing the equipment insulation process and so forth, there was a lot of discussion or had been a lot of discussion as to well, what are we really going to be faced with in terms of what could have caused the loss of off site power?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

	379
1	MR. POWELL: ELAP.
2	CHAIRMAN SCHULTZ: The ELAP.
3	MEMBER RAY: Not loss of off site, but loss
4	of AC.
5	CHAIRMAN SCHULTZ: Yes, the ELAP. And so
6	my question was just to get the industry perspective
7	on that discussion. That is, I would have expected
8	that within the site environment, there must have been
9	a lot of discussion about different opinions, different
10	views, different expectations as to what that challenge
11	might be.
12	Are we going to move the equipment? What
13	are we going to be faced with? What are we going to
14	have to move to get the equipment from point A to point
15	B? Will it be snow? Will it be missiles? Debris?
16	And so forth.
17	So I guess my impression is there ought to
18	have been a lot of work done independent of what we're
19	doing formally in terms of reevaluation of hazards. A
20	lot of work done at least in terms of developing the
21	challenges that are going to be faced in any event.
22	MR. POWELL: There was. If we take
23	deployment, for example, you know, you walk around the
24	site and say what kind of event would I have? If I had
25	a tornado, what's my possible debris field and how would

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	380
1	I prevent it from getting to the units to deploy the
2	equipment?
3	If I had a seismic event, do I have
4	non-seismic tanks that may create an issue with
5	flooding out an area so I can't deploy through that
6	area?
7	So, so much of this is visualization.
8	We're walking around and coming up with not only a
9	primary deployment path, but maybe a secondary or
10	tertiary. And you can't do that sitting at a desk and
11	you can't really explain to somebody to give them an
12	appreciation until you go on a walk down and walk them
13	through that whole process and say, you know, we're
14	taught in design basis space that the turbine building
15	doesn't exist after a seismic event. But what if it's
16	still there? Or how would it fail? Would it fail to
17	the north or the south, you know?
18	You know, if we have to transverse under
19	power lines that may be down, how would we deal with
20	that situation?
21	And you know, the staff was so much
22	interested in that as well because it's one thing to
23	say, yes, I can deploy the equipment, but can you
24	really? And the staff in the audits would actually go
25	to the where your proposed FLEX building was or is

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	381
1	and they'd walk the deployment routes down to gain a
2	degree of confidence. Are you going to be able to
3	accomplish what you said?
4	You know, if you routing hose up six
5	flights of stairs, are you using devices to keep the
6	bend radiuses right? Do you have the right
7	amount length of hose? What, you know, is it really
8	feasible and then do you have another 1,000 foot run
9	of hose to get to make your connection? Is it really
10	feasible?
11	Because FLEX is there's a lot of
12	different ways to accomplish the mission in the end.
13	MR. WEBSTER: And we, too, would looked
14	at and would agree that, you know, if you go to a haul
15	route evaluation and, again, I think Bill talked about
16	it this morning, you'd run in to a power line situation,
17	we would certainly say, okay, if that line was down,
18	you know, let me find another way around it so I don't
19	have to deal with it. And if I did have to deal with
20	it, what would it look like?
21	So, I think we did, you know, because of
22	making sure we had alternate paths, you know, if it
23	bridges or whatever, you know, if that were to happen,
24	what actually would I do? And actually think through
25	that process and, you know, what I would do.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	382
1	Now, sometimes it was a little bit, you
2	know, if I got a front end loader and I said, you know,
3	I'll, you know, I'll make my path in essence. And we
4	would look at our time line and say, well, do I really
5	have time to do that? Is there enough margin here if
6	something were to happen that I could really do it? And
7	in large cases, you know, most of the time, the time
8	lines were very, you know, they were hours with margins,
9	so you get a comfortable feeling that that could be
10	accomplished even with some of the uncertainties that
11	you might face.
12	MR. AMWAY: And we took a very similar
13	strategy and approach. We did our flooding hazard
14	reevaluation in March 2012 and so when we built our FLEX
15	building, our robust building, we put that at a grade
16	elevation that's not below the flood level of the
17	reevaluated hazard.
18	And similarly, it was pointed out, okay,
19	what about the transport path from that building to the
20	site location? And we're doing the same thing where
21	that's trailer mounted and they're, you know, they're
22	relatively high vehicles and trailers. It's a ponding
23	issue, we're not talking about four feet of water, we're
24	talking about somewhere between a flood of 18 inches,
25	you know, wet event and we'll be able to get to that.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	383
1	Now, having said that, you know, one of
2	things that was pointed out on our audit is our strategy
3	for taking fuel out of the storage tanks as a sounding
4	tube.
5	Well, you look at it and you're thinking,
6	okay, the sounding tube is, you know, this high off the
7	ground but it's in a recessed because of the, you know,
8	it's also a fuel offload so you recess it down in there
9	so if you spill fuel, it doesn't run into the
10	environment.
11	So, if you account for the drop plus the
12	height of the sounding tube, is it still below the lip
13	level? And you find it it's not. So, I mean we're
14	going to look at one of two ways is you look at your
15	flooding hazard reevaluation and it has a rise and a
16	peak and then an ebb and do you really need a fuel
17	connection at that point? Or can you use what you have
18	in your 500 gallon tanks in the vehicles or do I have
19	to add 18 inches or a foot on to the sounding tube to
20	make it work?
21	So that's one of the things, you know, it's
22	a practical application of things you might run into
23	that you look at an you evaluate ahead of time.
24	CHAIRMAN SCHULTZ: Other questions by
25	members of the committee?

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433
384 MEMBER SKILLMAN: I would just observe on 1 2 when I think of maybe a two year fuel cycle, how 3 many -- you have an E&A, you have a mid-cycle review, 4 you've got your NSRB meetings, you have your Board 5 meetings or your on site meetings. You have your biannual exercise, you're probably drilling four times б 7 a year. You're doing call-outs. 8 When do you say -- when's enough, the 9 things that you're talking about are complex, they take 10 your very best people, your very precious limited 11 resources, get them focused. What isn't getting done? 12 This is a tremendous amount of work. 13 Normally, this is a zero sum game in this 14 environment, this economic environment for these 15 plants. Something's got to give. What's not getting 16 done? Excuse me, go ahead. 17 MR. BAUER: I don't want these guys to 18 start up. 19 MR. WEBSTER: I think we've just got to be 20 cautious --21 MEMBER SKILLMAN: I'm raising the flag 22 because I can understand this. MR. WEBSTER: -- to look at that to make 23 24 sure that we don't affect, you know, the --25 MEMBER SKILLMAN: What's important?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	385
1	MR. WEBSTER: Right. And we do focus on
2	what's important. So, for, you know, operator
3	training, for example. We just want to make sure that
4	we don't envelop so much training into the operator
5	staff that, you know, things they really need to get
6	trained on or even the things that may be more frequent
7	or more important or a design basis type things don't
8	get watered down with type of training.
9	So, it's really a balancing act and the
10	stations are challenged, I'd say, to find that balance
11	and implement it because one of the things that we found
12	was that I mean there's, you know, there's even the
13	maintenance and testing of this equipment, it's a lot
14	of equipment.
15	If you look at the buildings, the size of
16	the buildings and equipment and things inside, there's
17	not a small amount of equipment here. There's a lot
18	of equipment. So the maintenance and testing that has
19	to be done and all that, it has to be we do have to
20	be cautious that we're not because there's a limited
21	amount of resources, as you said.
22	MR. POWELL: I will tell you for Palo
23	Verde, we had to make choices on reliability
24	improvement mods. In some cases, there were some
25	systems that were yellow windows that ideally we had

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	386
1	mods and deferred them a cycle.
2	We were challenged with we submitted
3	overall integrated plan. This isn't a complaint. We
4	submitted our overall integrated plan in February of
5	2013 and our Unit 1 outage was a month later and that
6	outage counted. So, that meant everything became a
7	fast track. And, you know, when you have fast track
8	mods, you're susceptible there and so we had to put a
9	lot of energy into making sure we didn't have a lot of
10	errors in implementation.
11	It also meant we had to go into an outage
12	and do both electrical trains and both mechanical
13	trains whereas, in one of the other units we had the
14	luxury of doing one train each outage.
15	But we had deferred some plant
16	improvements and some reliability improvements until
17	later on in 2017, 2018, 2019 because there isn't an
18	endless supply of money and, in fact, we had to go to
19	our owners and our owners had been very gracious and
20	we've gotten some additional funding to support the
21	budget.
22	So, I will tell you, at least to my plant,
23	that's been our challenge, trying to balance that.
24	MR. BAUER: But it's not just a money
25	issue. You can only push so much stuff out into outages

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	387
1	and into the plant. There's only so much they can take
2	on at one time and still do it successful.
3	MEMBER SKILLMAN: You can change the risk
4	profile pretty significantly when you start doing
5	electrical and mechanical and different trains. You
6	can create a problem that you really don't want to
7	create.
8	MR. BAUER: Yes. An important question
9	that is a continuous agenda item for the in sIEC
10	meetings when they meet with the NRC, the cumulative
11	effects of what we're doing to ourselves.
12	MEMBER SKILLMAN: Mr. Chairman, thank
13	you.
14	MR. AMWAY: If I can just go back and talk
15	to the training a little bit, too. Because, you know,
16	we talked about eight year frequencies for doing drills
17	and exercises. But the advantage of the SAT process,
18	it could look at portions of our strategies and let's
19	take the load shed, for instance.
20	It's a time sensitive action, it supports
21	not only ELAP but, you know, station black out. It
22	supports some other things. So that particular aspect
23	would be in the operator training evaluation or in the
24	operator training program, most likely as a job
25	performance measure where they'll actually have to go

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	388
1	out and do that on a periodic frequency to validate that
2	they could actually do it and do it in the time that
3	we need it done.
4	So, even though we're not doing an
5	integrated drill or exercise for FLEX, there's bits and
6	pieces that get trained along the way in between that
7	eight year frequency to make sure that operators can
8	do specific tasks.
9	MR. WEBSTER: On a win-win.
10	MR. AMWAY: Yes, and it is an important
11	balance. I mean we have, you know, we're talking about
12	design basis events and beyond design basis events. We
13	need our operators to perform day to day, you know,
14	respond to a feedwater pump threat, but they need to
15	do it 40 and, you know, we need those things are going
16	to get trained on a lot more frequently.
17	MR. POWELL: I would propose that we need
18	to start thinking in terms of proficiency versus
19	training, maintaining some level of proficiency versus
20	formal classroom training, more simulator time on these
21	type of events because the operators only have so much
22	time to spend in the classroom. They have to maintain
23	so many hours on shift to maintain their proficiency
24	in the control room.
25	And what we don't want to do, and this is

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

where the balance becomes very tough, is take away the good training they get and the mandatory training and give them some other training maybe that isn't as high of value.

MR. AMWAY: I think we've offset that to some degree by having strategies and equipment connection points that are relatively simple and it's a balance between, okay, how much can I put in a procedure and expect an operator to go out and do and what's it look like when he gets out there? Is it simple things to do or is he unbolting things, lifting leads, things like that?

Well, in the majority of cases for the FLEX equipment, you've heard the term plug-n-play, it's, you know, it's standard connections, things that, you know, okay, maybe it's not for a design basis event he's doing but maybe it's the same type of threat it can actually be used in the fire work, you know, just typical fire hose type connections.

20 So, it's that type of thing, it's a 21 It's not going to be all training, it's not balance. 22 going to be all procedures and it's not all going to 23 be in the design. It's a combination of those things. 24 CHAIRMAN SCHULTZ: Other comments? 25 Ouestions? All right.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

389

1

2

3

4

5

6

7

8

9

10

11

12

	390
1	MEMBER STETKAR: I promised I'd, you know,
2	come off the wall. I promised you guys I'd ask the same
3	thing.
4	Any of you PWR guys have only motor
5	operated isolation valves in your let down line inside
6	the containment and have you looked at those?
7	MR. POWELL: Error operated and check
8	valves.
9	MEMBER STETKAR: Okay.
10	MR. WEBSTER: And we have error operated
11	as well.
12	MEMBER STETKAR: You're not this one then?
13	MR. POWELL: I'm afraid to ask who that
14	was?
15	MEMBER STETKAR: No, no, I've got a
16	diagram.
17	CHAIRMAN SCHULTZ: All right, at this
18	point, I would like to ask and provide an opportunity
19	for public comments and first, as the phone line is
20	open, I'll ask if there's any members of the public or
21	personnel in the room who would like to make a comment
22	for the record.
23	Okay, state your name for the record and
24	MR. FLAIG: Kurt Flaig from Dominion.
25	I'm also the Chairman of the Analysis Subcommittee of
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	391
1	the PWR OG.
2	And I guess what I wanted to say was, it's
3	been a real challenge going through the process, doing
4	the analysis work, trying to meet the needs of the NRC
5	staff and their review of the information that we've
6	provided to our members.
7	I do think that one of the concerns that
8	I'd like to hear is and I think the NRC staff feels
9	it too, is that we started out with not knowing where
10	the sweet spot was with regards to coming to a
11	conclusion on what was good enough. And I think we
12	still struggle with that to some extent.
13	You mentioned the RCP seal issue that is
14	still ongoing and that's part of the struggle with
15	trying to find the sweet spot with how much is enough.
16	And that's just like the it is a
17	struggle, we'll get through this process, but that has
18	been an extreme challenge for us.
19	CHAIRMAN SCHULTZ: Thank you. Other
20	comments from the room?
21	At this point, I'd like to ask for comments
22	from the phone lines. So, if people are out there
23	listening in, could someone please make some noise so
24	we can know the phone line is open?
25	MR. JACKSON: Yes, Tom Jackson from Rizzo

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	392
1	Associates. It's been very interesting. I don't have
2	any specific comments.
3	CHAIRMAN SCHULTZ: All right. I'll ask
4	if anyone would like to make a comment for the benefit
5	of the committee to state your name and make your
6	comment.
7	Hearing none at this time, then we'll close
8	the bridge line and close the public comment period.
9	At this point, I'd like to we do have
10	this meeting continuing tomorrow morning. I certainly
11	want to take the opportunity to thank the panel from
12	industry who has made their presentations today.
13	We've learned a lot and discussed a lot of information
14	about the process.
15	And also thank the staff for their
16	presentations as well.
17	I'd like to go around the room just to
18	provide the members of the committee an opportunity to
19	make comments if they would like to at this time,
20	knowing that we also have tomorrow to have that
21	opportunity as well.
22	MEMBER RICCARDELLA: I have no additional
23	comments at this time.
24	CHAIRMAN SCHULTZ: Ron?
25	MEMBER BALLINGER: I have no additional
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	393
1	comments.
2	CHAIRMAN SCHULTZ: Dick?
3	MEMBER SKILLMAN: No additional.
4	CHAIRMAN SCHULTZ: Thank you. Harold?
5	MEMBER RAY: No.
6	CHAIRMAN SCHULTZ: Dennis?
7	MEMBER BLEY: Yes, I may as well do it now
8	instead of tomorrow.
9	I really appreciate today's presentations
10	and see a lot of benefit in what we've heard about.
11	One part of it nags at me a little so I'll
12	just put that on the table. Thirty years ago a mid-80s
13	client, we're just doing a PRA for asked should I fix
14	anything? You know, I said well, things look pretty
15	good. He said, well, if I were going to put more money
16	in, what should we do? What's the next big thing?
17	And what he decided was if you run after
18	one specific thing, you can make it really reliable and
19	really solid.
20	But what's going to get is something
21	somehow that we didn't of and something like this
22	system, something you can put water and you can put
23	electricity anywhere would be really nice. And he
24	actually went ahead and designed something like that.
25	The one thing it did that was quite

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	394
1	different than the current version is they found some
2	quick coupling devices, so instead of having these nice
3	connections that are going to be real easy and you'll
4	do much better if you need water where you thought,
5	it'll be real easy to hook up.
6	They found stuff you can cut out a few feet
7	of pipe and you could hook up these couplings on to the
8	butt end of the pipe and they could hold fairly high
9	pressure. So, that gave you flexibility, essentially,
10	to put water anywhere through the six inch pipe,
11	something like that.
12	And John raised this earlier, if what the
13	real world gives us is something we just haven't thought
14	of and it wants water somewhere we haven't put those
15	connections or it wants water at high pressure at a
16	little higher flow rate than we've got, you kind of put
17	off some of the flexibility in FLEX.
18	On the other hand, you've made it much more
19	reliable for where we're most likely going to need it
20	and a little loss of flexibility is something I wonder
21	about that trade off. But we've got something that's
22	taken us along way now for most things that are outside
23	of the realm of what we thought and so you've got water
24	to the key places and you've got power to the key places
25	and that'll do us well in the long run, I think.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	395
1	CHAIRMAN SCHULTZ: John?
2	MEMBER STETKAR: No, I don't have anything
3	more after Dennis.
4	CHAIRMAN SCHULTZ: Thank you. Joy?
5	MEMBER REMPE: No comments.
6	CHAIRMAN SCHULTZ: Mike?
7	MEMBER CORRADINI: Nothing. I just
8	wanted to thank particularly the utility panel. I
9	learned a lot in terms of how they implement. I think
10	to me that's important. I'm not as familiar with that
11	and that was quite helpful.
12	CHAIRMAN SCHULTZ: All right. I'm going
13	to recess the meeting then until tomorrow morning and
14	certainly invite everyone back to be with us tomorrow.
15	(Whereupon, the above-entitled matter
16	went off the record at 5:29 p.m.)
17	
18	
19	
20	
21	
22	
23	
24	
25	

Palo Verde FLEX Strategies

Gene Eimar, Shift Manager Palo Verde Fukushima Initiative November 20, 2014



Presentation Topics:

- FLEX Support Guideline Implementation
- Extended Loss of All Site AC Guideline
- Extended Loss of All Site AC Guideline Appendices



Palo Verde FLEX Support Guideline Implementation



<u>The Event</u>

- Undefined external event occurs
- Loss of Off-Site power
- Reactor trip

 All Control Element Assemblies insert
- Failure of all on-site AC sources to function

 Diesel Generators
 Station Blackout Generators
- No other equipment failures
- No other event in progress
- No security event





















Emergency Plan Impact

- Event initiation:
 - Loss of offsite and onsite AC power for > 15 minutes

Site Area Emergency (SAE)

- Upon determination of prolonged or extended loss of AC power (ELAP):
 - $_{\odot}$ Loss of offsite and onsite AC power for > 15 minutes
 - And
 - Restoration of at least one emergency bus in less than 4 hours is not likely

General Emergency (GE)









Blackout EOP Interface with the FLEX Support Guideline (FSG)

- IF at least one vital 4.16 kV AC bus is NOT expected to be energized within one hour, THEN <u>align</u> SBOG to the "A" Train bus
- Use contingency step if SBOGs are not available
- Contingency step would direct the Control Room to perform the FSG and go the SBO procedure

COMMAND AND CONTROL REMAINS WITH THE EOP IN USE





Palo Verde Extended Loss of All Site AC Guideline



FSG/ELAP Purpose

This guideline provides strategies to cope with an extended loss of all site AC power.

The initial focus is to cool the Reactor Coolant System and maintain Spent Fuel Pool inventory/cooling.



RCS Cooldown Logic

Cooling down and depressurizing the Reactor Coolant System reduces the inventory loss.

- Allows Safety Injection Tank (SIT) injection
- RCP seal leakage decreases



Stable T_{cold} Logic

An elevated stable T_{cold} temperature:

- high enough to allow the Steam Generators (SGs) to supply sufficient steam to the Turbine Driven Auxiliary Feed Water (TDAFW) Pump
- low enough such that one charging pump capacity is greater than Reactor Coolant Pump (RCP) seal leakage



FLEX Support Guideline (FSG) Entry Conditions

The Emergency Coordinator or Shift Manager may direct entering the FSG when all the following conditions exist in a unit:

- Loss of off-site power
- Loss of emergency diesel generators
- Loss of both station blackout generators
- Any doubt exists that 4160 VAC power can be restored in a timely manner


Event Initiation Timeline

T+0	Event occurs
T+0 + <5 minutes	 Turbine driven auxiliary feedwater pump starts
T+0 + 15 minutes	Completion of standard post trip actions
T+0 + 15 minutes	Enter blackout EOP
< T+1	 Determine if station blackout generators have failed
T+1 (or sooner)	 Enter FSG – Extended Loss of AC Guideline (ELAP)
T+1	Start battery load shed to extend battery lifeStart reactor coolant system cooldown



Battery Load Shed

- Load shed activity takes < 1 hour (using 1 AO)
 Walk downs performed by Auxiliary Operators
- Selected loads are de-energized
- RCS cooldown accomplished with:
 - "A" Train Auxiliary Feedwater Pump
 - "B" Train Atmospheric Dump Valves (ADVs)
- Selected instrumentation remains energized to monitor the plant
- Load shed lists provide equipment name and breaker number
 - Allows Control Room Supervisor and/or Shift Manager to energize selected loads, as needed



Selected Instruments

- Core Exit Thermocouples (CET)
- Reactor Vessel Water Level
- Steam Generator (SG) Level (Wide Range WR) and Pressure
- Reactor Coolant System (RCS) T_{hot} , T_{cold} and Pressure
- Subcooling and Saturation Margin RCS and CET
- Pressurizer Level
- Safety Injection Tanks (SITs) 2A and 2B Level (WR) and Pressure
- Containment Pressure
- Atmospheric Dump Valve (ADV) Position
- Auxiliary Feedwater flow to each SG



Cooldown

 Commence a symmetrical cooldown of the Reactor Coolant System (RCS) at <a>>70°F per hour – do not exceed 100°F per hour
 Stabilize RCS temperature at 360°F T_{cold}
 Steam Generator (SG) pressure of 155

psia

 Feed the SGs using TDAFW pump to maintain 80 – 85% narrow range (NR) level



Event Timeline

T+2	 Complete battery load shed Open doors to the Turbine-Driven Auxiliary Feedwater Pump (TDAFW) room to provide additional cooling 		
T+3	Safety injection tanks begin to inject		
T+4	Cooldown complete		
T+16	 Nitrogen to atmospheric dump valves depleted - manual operation, as required 		
T+34	 800kW / 480 volts alternating current (VAC) generators installed to supply: Battery exhaust fans Battery charger Charging pump Control room fans Pressurizer heaters Establish SFP makeup 		



Event Timeline (continued)

T+36	Install alternate RCS makeup pump
T+38	 Safety Injection Tanks (SIT) empty (10% WR) Vent SITs Alternate secondary makeup pump installed
T+42	 Condensate Storage Tank empty Swap to Reactor Makeup Water Tank or makeup from the Refueling Water Tank
T+72	 Portable 4.16 KV generator (from National SAFER Response Center) installed Lowest shutdown margin condition reached Keff = 0.93 Water from Water Reclamation Facility (WRF) available at the units
T+75	 FLEX alternate secondary makeup pump placed in service and auxiliary feed pump secured



Safety Injection Tank (SIT) Control

WHEN RCS T_{hot} reaches 500°F, **THEN** monitor Safety Injection Tank Wide Range Levels for nitrogen injection

IF Safety Injection Tank(s) level lowers to 10% Wide Range Level,

THEN vent the Safety Injection Tanks to the Containment atmosphere



FLEX Support Guideline (FSG) Exit Conditions

The Unit has restored at least one class 4.16 KV bus and is able to return to the appropriate Emergency Operating Procedure

<u>OR</u>

The Emergency Coordinator directs the Unit to enter a procedure determined or developed by the Technical Support Center.

<u>OR</u>

Plant conditions have degraded to a point that entry into the SAMG/EDMG is necessary



Palo Verde Extended Loss of All Site AC Guideline

APPENDICES



Appendix "A" – DC Load Shed

- Extend the life of the class batteries, as long a possible
 - Use "A" Auxiliary Feedwater Pump
 - Use "B" Train ADVs
- Allows for continued operation of the ADVs and TDAFW Pump from the Control Room
- Accomplished as soon as possible (< 2 hours after the event)
 - For every minute after required time battery life is shortened
- Appendix lists breaker number and equipment being supplied



Appendix "B" – Primary Side Walkdown

- Align Spent Fuel Pool (SFP) gate seals
- Deploy portable SFP level and temperature instruments
- Open the Fuel Building roll-up door
- Record the status of primary side equipment
 - o Auxiliary Building
 - Containment integrity actions
 - o Fuel Building
 - SFP status
 - o Outside areas
 - Reactor Makeup Water Tank (RMWT) status
- Verify Dry Cask Storage operations are in a safe condition



Appendix "C" – Secondary Side Walkdown

- Condensate Storage Tank (CST) status
 - isolate CST (lines to condenser) to preserve available water
- Main Turbine Generator actions
 - vent hydrogen from the generator
 - break condenser vacuum
- Isolate the EDG starting air receivers
 - maintain starting air available for recovery of EDGs



Appendix "C" – Secondary Side Walkdown (continued)

Record the status of secondary side equipment

- Turbine Building
 - o Nitrogen system
 - o Instrument Air system
 - Fire Protection systems
- Main Steam Support Structure
 - TDAFW Pump status
- Outside areas
 - o Transformers
 - o Spray Ponds



Appendix "D" – Control Room Status of Walkdowns

- Track the information gathered by the Area Operators performing the Primary (Appendix "B") and Secondary Side (Appendix "C") Walkdowns
- Track the status of the station class batteries
- Direct Main Turbine Generator Hydrogen venting
- Track the status of the Diesel Generator Air Start Receivers
- Coordinate with Water Reclamation Facility and Fire Department for providing water to the units
- Track nitrogen usage at the ADVs



Ranking of Makeup Water

COOLANT SOURCE	RANKING		
Condensate Storage Tank	1		
Demineralizer Water Tank	1		
Surge Rinse Tank	1		
Reactor Makeup Water Tank	1		
Refueling Water Tank	3.7		
Raw Well	4		
Palo Verde Deep Well	4		
Fire Protection Water	4		
Domestic Water	5.2		
45 – Acre Makeup	6.1		
85 – Acre Makeup	6.1		
First Stage Clarifier	6.1		
Second Stage Clarifier	6.1		
Cooling Water Canal	9.1		
Evaporator Ponds	9.1		



Appendix "K" – Open Door List

- Provide a list of doors which will be opened to implement this guideline
- Notifies Security of which doors are planned to be open
- Doors to be opened:
 - Fuel Building roll-up door
 - TDAFW Pump room doors
 - Control Building doors for:
 - CR ventilation
 - Supply 480 VAC power to the class load centers

Consider implementation of 10CFR 73.55(p) which would result in declaration of 10CFR 50.54(x)



Appendix "T" – FLEX Deployment

- This appendix consists of 3 major attachments:
 - Attachment T-1 Package 1
 - Communication vehicles
 - 10kW generators
 - Attachment T-2 Package 2
 - 480 VAC generator
 - RCS makeup pump
 - Attachment T-3 Package 3
 - 480 VAC generator
 - SFP makeup pump
 - SG makeup pump



Questions?





ACRS Presentation Dominion Implementation

Bill Webster November 19, 2014



Agenda



- FLEX Strategies and Modifications
- BDB Storage Facility
- Phase 3
- FLEX Program
- Communications
- Training
- Validation





FLEX STRATEGIES AND MODIFICATIONS



Dominion Fleet



Millstone Station 2 Operating Units

- MP2 CE PWR
- MP3 Westinghouse 4 loop PWR
- North Anna 2 Units
 - Westinghouse 3 loop PWR
- Surry 2 Units
 - Westinghouse 3 loop PWR





IER 11-4 development provided initial inputs for strategy development

Strategy developed by multi-discipline team including engineering and operations





Strategy included detailed analysis including

- Battery analysis following load shedding
- Secondary Auxiliary Feedwater sources analysis
- Primary calculations in conjunction with Westinghouse PWROG
- Reactivity analysis to ensure Keff<.99</p>
- Hydraulic Analysis
- Ventilation Analysis
- Electrical Analysis

Strategies (proposed) documented in Overall Integrated Plan response Feb 2013

Strategy Differences

	North Anna	Surry		
STRATEGY	PARAMETERS			
Decay Heat Removal	4 Hours to ECST Depletion Cooldown to 290 psig	4 Hrs to ECST Depletion Cooldown to 300 psig		
Decay Heat Removal	Local Manual Operation of PORVs	Local Air Bottle Operation of PORVs		
Repowering Instrumentation	8 Hour Battery Life	14 Hour Battery Life		
RCS Inventory	17 Hrs Before Make-up Required	17 Hrs Before Make-Up Required		
Spent Fuel Pool Make-Up	9 Hrs to Boil 43 Hrs to 10 Ft Above Fuel	12 Hrs to Boil 57 Hrs to 10 Ft Above Fuel		

Strategy Differences

	MPS2	MPS3		
STRATEGY	PARAMETERS			
Decay Heat Removal	8.4 Hours to CST Depletion Cooldown to 125 psig	22.7 Hrs to DWST Depletion Cooldown to 290 psig		
Decay Heat Removal	Local Manual Operation of ADVs	Local Air Bottle Operation of ADVs		
Repowering Instrumentation	29 Hour Battery Life	14 Hour Battery Life		
RCS Inventory	17 Hrs Before Make-up Required	17 Hrs Before Make-Up Required		
Spent Fuel Pool Make-Up	6 Hrs to Boil 30 Hrs to 10 Ft Above Fuel	10 Hrs to Boil 50 Hrs to 10 Ft Above Fuel		





- Strategies used for a BDB Event are divided into 3 Phases
 - Phase 1 Cope using installed plant equipment and on-site resources
 - Phase 2 Transition from installed plant equipment to on-site portable FLEX equipment
 - Phase 3 Additional capability from offsite equipment and resources





Focus on minimum set of key instruments

- Phase 1: Cope using installed plant equipment and on-site resources
 - Operators identify ELAP condition within first 45 minutes
 - Operators shed non-essential loads from battery in next 30 minutes (breakers/fuses in 125V DC distribution cabinets)

	NAPS	SPS	MPS2	MPS3
Battery Extension	8	14	29	14





- Phase 2: Transition from installed plant equipment to on-site portable FLEX equipment
 - Primary Re-power essential vital AC loads (Instrumentation) from 120 VAC portable EDGs
 - Alternate Re-power essential vital AC loads (Instrumentation) from 480 VAC portable EDGs





- Phase 3: Additional capability from off-site equipment and resources
 - 4160 VAC generator from off-site Regional Response Center
 - Includes cabling, connectors and necessary distribution panels



120 VAC Connection









480 VAC Connection







4160 VAC Connection





480 & 120 VAC Connections









Diesel Generators







Phase 1: Cope using installed plant equipment and on-site resources

TDAFW supplying SGs from Emergency Condensate Storage Tank




- Phase 2: Transition from installed plant equipment to on-site portable FLEX equipment
 - Portable BDB High Capacity pump from long term water supply to AFW supply
 - ECST re-fill connection
 - 300 gpm for suction supply for AFW (each unit) to 300 psig SG
 - Also provides capability to supply SFP





Phase 2: (Continued)

- Portable BDB AFW Pump
 - Primary Connection: Transition from TDAFW pump to portable BDB AFW pump injecting into AFW header
 - Alternate Connection: Transition from TDAFW pump to portable BDB AFW pump into Feedwater or Blowdown connections



AFW ECST Hose Connection















BDB AFW Pump Discharge to AFW Header







BDB High Capacity Pump



BDB AFW Pump





- Phase 3: Additional capability from off-site equipment and resources
 - 4160 VAC and additional 480 VAC generators brought on-site beginning at 26+ hours to provide additional support
 - Access to additional diesel-powered AFW pumps, hoses, fittings etc.
 - Water Purification Units





Phase 1: Cope using installed plant equipment and on-site resources

- RCS cooldown to target Steam Generator Pressure (beginning at 2 hours)
- Times dependent upon integrated seal leakage following loss of seal cooling
 - Dominion is replacing all Westinghouse seals with Flowserve Seals. Calculations include partial replacements at time of compliance

17 hours

Time to Inject prior to Reflux Boiling and to ensure Keff<.99





- Phase 2: Transition from installed plant equipment to on-site portable FLEX equipment
 - Two BDB RCS Injection pumps on each site taking suction from RWST
 - Primary MP2: Repower Charging Pump from BDB 480 VAC Generator with suction from RWST or Boric Acid Storage Tanks



BDB RCS Injection Pump Discharge to SI/RCS









Phase 1: Cope using installed plant equipment and on-site resources

- Verification of containment integrity during ECA-0.0 (EOP2530)
- Analysis indicates containment integrity is not challenged at 1 week





Procedure Development

FSG-1: Long Term RCS Inventory Control	FSG-9: Low Decay Heat Temperature Cont.
FSG-2: Alternate AFW Source	FSG-10: SI Accumulator(SIT) Isolation
FSG-3: Alternate Low Pressure	FSG-11: Alternate SFP Makeup and
Feedwater	Cooling
FSG-4: ELAP DC Bus Load Shed/Mgmt	FSG-12: Alternate Containment Cooling
FSG-5: Initial Assessment & Equip	FSG-13: Transition from FLEX
Staging	Equipment
FSG-6: Alternate DWST (CST) Makeup	FSG-14: Modes 5/6 Response
FSG-7: Loss of Vital Inst or Control Power	FSG-15: 4160 VAC Repowering
FSG-8: Alternate RCS Boration	



BDB Storage Building



BDB Storage Building



Deployment Vehicles



Deployment Vehicles



Deployment Vehicles





FLEX PHASE 3





- T-0 Notification by Main Control Room
- T-2 Mobilization (SAFER Team)
- T-4 Begin transportation to off-site staging area (SA)
- T-20 Equipment arrives at SA; begin preparation
- T-22 Transportation to on-site staging area
- T-24 First equipment on-site



RRC Staging Area B





SAFER Response Plan

- 1. Introduction
- 2. SAFER Control Center
- 3. Regional Response Center
- 4. Logistics & Transportation
- 5. Staging Area
- 6. Site Interface
- 7. Equipment Listing

Each site has an individualized, specific Response Plan used by all organizations during the response







- Coordinate and Communicate with SAFER Team
- Emergency Plan Integration
 - Contact with State and Local
 - Contact with Federal through NRC
 - Includes request for helicopter assets if required



NSRC Equipment For Dominion



- 4kV turbine generators
- 480VAC turbine generators
- High Pressure Pump (60 GPM)
- Low Press/Med Flow Pump (2500 GPM)
- Low Pressure/High Flow (5000 GPM)
- SG/RPV Makeup Pump (500 GPM)
- Mobile Boration Unit (9000 GAL)
- Water Treatment
- Submersible Pump(s) (75 PSI / 1000 GPM)
- Portable Air Compressors (600 SCFM / 150 PSI)
- Suction Booster Lift Pumps for High Flow Pumps





BDB Program Elements

- Quality attributes
- Equipment design
- Equipment storage
- Procedure guidance
- Maintenance and testing
- Training
- Staffing
- Configuration control 43

Program Basis Interface



Program Interface





COMMUNICATIONS



Off-site Communication Strategy

- At T= 0 1 hrs, portable Iridium satellite phones used for initial emergency notification of Offsite Response Organization (OROs), NRC, and internal emergency response facilities
- At T=1 3 hrs, ComLabs Rapidcase and Satellite Antenna deployed and connected to switch in U3 Control Room Computer Room. Desk set phones will be used in Control Room
- At T > 6 hrs, ComLabs RapidCom portable communications trailer will be deployed – long term off-site communications



Onsite Communication Strategy



- Sound Powered phones or point to point 450 MHz portable radios
- Intra-Control Room Communications No communications between control rooms initially. Military sound-powered phones will be deployed by two individuals < 1 hr from T = 0



BDB Communications Components



Commlabs Rapid-case and satellite antenna dish will be stored in the TSC Ventilation Equipment Room

Satellite antenna and positioner:





Rapidcase:



BDB Communications Components (Cont.)



 ComLabs RapidCom portable communications trailer will be stored in the FLEX Storage Building
Long-term communications strategy







TRAINING



Introduction



- SAT Process
- Training Disciplines
- Phased Approach
- Multiple Discipline Training



SAT Process



Analysis based on:

- NRC Orders
- NEI 12-06 Diverse and Flexible Coping Strategies (FLEX) Implementation Guide
- IER 13-10 Nuclear Accident at the Fukushima Daiichi Nuclear Power Station
- Design changes & engineering technical evaluations
- PWR Owner Group documents, new FLEX support guidelines, & ECA-0.0 changes
- New BDB portable equipment





Training Disciplines

- Operations
- Security
- Maintenance
- Emergency Response Organization
- Other Disciplines


Phased Approach



- Design changes for mechanical & electrical connections
- BDB Overview Training across program disciplines
- FSGs & FLEX equipment based on training analysis results for each training discipline and the ERO



Phased Approach



Analyze the common training modules developed by INPO Emergency Response Training & Development (ERTD) industry working group for implementation

- JTA results integrated into Operations initial and continuing training task lists
- Evaluate any delta training needs based on the approved FSGs & equipment



Operations Training



Operations

- JTA completed with the additional of 8 new BDB tasks
- BDB Overview Training
- FSG & BDB Equipment Training





Engineering and Security Training

Engineering
BDB Overview Training
Security
BDB Overview Training
Training analysis for debris removal and equipment hauling



Leadership Training



Station Leadership

- SOER 10-2 Engaged Thinking
 Organization-IER 13-10 Fukushima case study
- Evaluation of new INPO course for decision makers in Leadership Training



ERO Training



ERO Training

- Failure Mode Training for operators, STAs, and ERO (engineering/technical) staff
- BDB/FLEX Training position specific training
- INPO course for Basic ERO Training module or equivalent for general plant staff
- INPO course for Advanced ERO Training module for ERO decision makers





VALIDATION



Validation Process



- Guideline developed by NEI
- A graded approach for validation is used in order to apply a higher level of detail and rigor to validations for TSAs that occur shortly after the event.
 - Level A: Used for TSAs started within the first 6 hours
 - Level B: Used for TSAs started between 6 and 24 hours after the event
 - Level C: Other tasks or manual actions in the OIP/FIP that are labor intensive or





Validation Process

- Consideration of the following Performance Attributes
 - Special Equipment
 - Complexity
 - Cues and Indications
 - Special Fitness Issues
 - Environmental Factors and Accessibility
 - Communications
 - Special Considerations



Validation Time Sensitive Actions

Activity	Start	Duration	Time Constraint	Requirement
Event Starts				Plant @ 100% power
TDAFW pump starts. Verify flow to "A" SG.			Ν	Original design basis for SBO event. 50 min to "A" SG dryout.
Loss of All Power Procedure is entered			Ν	SBO event required response ¹
Verify RCS Isolation	15 min		Ν	Establishes long term inventory in the RCS
Re-Align AFW to all SGs	20 min	10 min	Y	50 min (to "B" and "C" SG dryout, 1 hr to "A" SG overfill)
ELAP declared	60 min		Y	
Initiate Load Stripping	60 min	30 min	Y	90 min (will give you an 8 hour battery life)
Start DDFP and/or align SW	90 min	60 min	Y	4.2 hrs (prior to min. ECST level)
Re-power 120 VAC Vital Buses	60 min	4 hr	Y	8 hrs (battery depleted)

Validation











Dominion





Attachment #11 Page 1 of 8

ETE-CPR-2014-1004 Rev. 0 Report Generated on 10/3/2014 8:07:42 PM

Page 197 of 381

FLEX (BEYOND DESIGN BASIS) NORTH ANNA POWER STATION VALIDATION PROCESS

Validation Plan # N1-8B

		A. 1	/alidated Item	Results				
Item: Unit 1 Vital 120 VAC Bus load stripping. (TSA)			l Ma	.evel: ⊡в⊡с		Time Constraint: ≤ 90 minutes from the start of the event		
ACTION ITEM # FROM OIP ATTACHMENT 1A TASK		1	START TIME	TIME CONSTRAINT	SUCCESS CRITERIA (TIME CONSTRAINT MINUS START TIME)		RESULTS (SUM OF TIMES MEASURED DURING VALIDATION PROCESS)	
8 Unit 1 DC load stripping completed (TSA)		65 MINUTES	90 MINUTES	25 MINUTES		17 MINUTES		
a	completed (T	SA)	65 MINUTES	90 MINUTES Margin = 25 mir	25 MiN nutes – 1	UTES 7 minutes	= 8 minutes	



Validation





Validation





Nine Mile Point Nuclear Station FLEX Implementation November 20, 2014



Presentation Topics

- Overall Project Status
- Initial Control Room Response to Station Blackout (DVD)
- FLEX Mitigation Strategies Overview
- FLEX Storage and Deployment
- Reliable Spent Fuel Level Instrumentation
- NRC Audit Summary of FLEX/SFPLI Implementation Plan



Overall Project Status

- NMP1 implements FLEX April 2015
- NMP2 implements FLEX April/May 2016
- NMP1 and NMP2 implements SFPLI April 2015
- Communications improvements April 2015
- FLEX Support Guideline development is approximately 70% complete
- Operations Training for FLEX has started and is scheduled to complete by 1/2/15
- Operations Training for SFPLI has been completed
- Robust Structure construction will complete in February 2015



Initial Control Room Response to Station Blackout

- Event Initiation
 - Multiple annunciators and indications for loss of power
 - Control Room lighting shifts from normal to emergency power
- Event Recognition
 - SRO updates crew on plant status, loss of offsite power and no diesel start
 - SRO enters Emergency Operating Procedures (EOPs)
- Plant Stabilization
 - Reactor power control confirm reactor shutdown
 - Reactor pressure control stabilize pressure on SRVs, 900 PSIG
 - Reactor level control Reactor Core Isolation Cooling (RCIC) auto start, monitor level response. Initially out of desired band due to plant automatic shutdown, void collapse and RCIC start time. Water level recovers to band directed by EOPs with continued RCIC operation
- Enter Station Blackout procedure
 - Load shedding to preserve DC power
 - Power restoration
 - FLEX portable equipment deployment / notify National SAFER Response Center
 - Plant environmental condition actions/RCIC preservation actions



FLEX Mitigation Strategies Overview – NMP1



NMP1 Design

BWR 2 – Mark I Containment 1850 MWth Commercial operation in 1970 Licensed to operate until 2029







Emergency Condenser Testing







nuclear. clean air energy

NMP1 Core and Containment Cooling – Phase 1

Phase 1 Core Cooling at NMP1 is accomplished utilizing the Emergency Condensers (EC) (i.e. Isolation Condensers) to remove heat and discharge the heat directly to the atmosphere (versus into the containment)

- ECs will go into service automatically on loss of power
- Planned manual action will further reduce RPV inventory loss
- RPV pressure lowers as a result of the ECs in service
- RPV level will remain above TAF for 5.7 hours after event initiation
 - Deployment of portable pump for RPV injection in 4 hours
- Electrical power for critical parameter monitoring is maintained for at least 8 hours on the station battery
 - Deployment of portable generator for DC power in 6 hours



NMP1 Core and Containment Cooling – Phase 2

- Provide RPV and EC makeup capability utilizing a diesel driven portable pump
- Modifications
 - Screen House wall openings and hinged intake covers in order to provide access for suction hoses
 - Connection and valve for portable pump hose to RPV injection point (RB EL. 261')
 - Connection and valve for portable pump hose to EC #12 shell side (RB EL. 318')



NMP1 Core and Containment Cooling – Phase 2 (cont'd)





NMP1 Core and Containment Cooling – Phase 2 (cont'd)





NMP1 Spent Fuel Cooling – Phase 1

- Phase 1 Spent Fuel Cooling at NMP1 is accomplished by utilizing the initial Spent Fuel Pool level and water inventory
 - Design basis heat load analysis
 - 8 hour heatup from 140°F to 212°F (note that normal SFP water temperature is <100°F)
 - 45 hours to reach level 2 (10 feet above fuel)
 - 42.8 gpm makeup rate for decay heat boil off



NMP1 Spent Fuel Cooling – Phase 2

- Provide SFP makeup capability utilizing a diesel driven portable pump
- Modifications
 - Screen House wall openings and hinged intake covers in order to provide access for suction hoses – same as RPV/EC makeup
 - Installation of a SFP makeup line from the Refuel Floor to the next elevation down (RB EL. 318') to provide for connection of portable pump discharge hose



NMP1 Spent Fuel Cooling – Phase 2 (cont'd)





STORIED HISTORY

BRIGHT FUTURE

NMP1 Alternative Makeup Capabilities

- Alternative for RPV makeup
 - Hose to the fire water to feed water cross-tie connection in the Turbine Building (shown)
- Alternative for EC makeup
 - Hose to the fire water system that can cross connect and feed the EC makeup tanks in the Turbine Building
- Alternative for SFP makeup
 - Hose up the Reactor Building north stairwell to the Refuel Floor





NMP1 Electrical Power – Phase 1

- Safety Related batteries will provide sufficient power such that all critical parameters will be available for at least 8 hours
 - This analysis is dependent upon load shedding occurring within 30 minutes following an event



NMP1 Electrical Power – Phase 2

- Portable diesel generator to be deployed to connect to the AC power side of an installed station battery charger
- Alternatively, a portable Static Battery Charger (SBC) is available to provide power with the portable diesel generator and connect to either Battery Board 12 or Battery Board 11
 - This is a combined modification that utilizes the NFPA 805 electrical restoration requirements for mitigation strategies



NMP1 Electrical Power – Phase 2 (cont'd)



NUCLEAR ENERGY INSTITUTE

nuclear. clean air energy

18



NMP1 – Phase 3

- Mitigation strategies identified and put in place in Phase 2 can provide for indefinite coping of key safety functions
- Analysis performed supports that the strategies directly intended to satisfy key safety functions will restore or maintain those key safety functions for at least 72 hours
- Other equipment supplied from the National SAFER Response Center (NSRC) will utilize Phase 2 connections and act as spares to the existing Phase 2 equipment



FLEX Mitigation Strategies Overview – NMP2



NMP2 Design

BWR 5 Mark II Containment 3988 MWth Commercial operation in 1988 Licensed to operate until 2046





NMP2 Core and Containment Cooling – Phase 1

- Phase 1 Core Cooling at NMP2 is accomplished utilizing Reactor Core Isolation Cooling (RCIC) and the Safety Relief Valves (SRV's) to remove heat and discharge the heat to the Suppression Pool
 - Preliminary analysis indicates acceptable containment temperature and pressure for at least 6 hours to support RCIC operation with no containment venting
 - Deployment of portable pump for RPV injection in 4 hours
 - Electrical power for critical parameter monitoring is maintained for at least 12 hours on the station battery


NMP2 Core and Containment Cooling Phase 1 (cont'd)

- SRV's will be cycled to maintain adequate pressure to run the RCIC system
- Site specific analysis is planned to determine the length of time that RCIC may be functional beyond 6 hours with containment venting
- Containment vent (EA-13-109 wetwell vent) will be opened to maintain the Suppression Pool temperature at or below 240°F
 - Prolong RCIC operation beyond 6 hours
 - Reduce the challenge to the Primary Containment
 - Installation in Spring 2016



NMP2 EA-13-109 Wetwell Vent Design





NMP2 Core and Containment Cooling – Phase 2

- Provide RPV makeup capability utilizing a diesel driven portable pump
- Modifications
 - Dry hydrants to be installed in the Service Water tempering line thereby creating a suction path from the intake and/or discharge structure
 - Connection and valve for connecting the portable pump hose to RHR (RB EL. 289')



NMP2 Core and Containment Cooling Phase 2 (cont'd)





Makeup



NMP2 Spent Fuel Cooling – Phase 1

- Phase 1 Spent Fuel Cooling at NMP2 is accomplished by utilizing the initial Spent Fuel Pool level and water inventory
 - Design basis heat lead analysis
 - 5.4 hours to heat up from 140°F to 212°F (normal SFP water temperature is closer to 100°F)
 - 32 hours to reach level 2 (10 feet above fuel)
 - 73 GPM makeup rate for decay heat boil off



NMP2 Spent Fuel Cooling – Phase 2

- Provide SFP makeup capability utilizing a diesel driven portable pump
- Modifications
 - Dry hydrants to be installed in the Service Water tempering line thereby creating a suction path from the intake structure
 - Connection and valve for connecting the portable pump hose to RHR (RB EL. 289')



NMP2 Alternative Makeup Capabilities

- Alternative to makeup to the RPV through the 'A' RHR system
 - Makeup to the RPV through the 'B' RHR system
- Alternative to makeup to the SFP through 'B' RHR system
 - Hoses up to the Reactor Building north stairwell to the Refuel Floor



NMP2 Electrical Power – Phase 1

- Safety Related batteries will provide sufficient power such that all critical parameters, RCIC and SRV operation will be available for at least 12 hours
 - This analysis is dependent upon load shedding occurring within the time frames required following an event
- Both Division I and Division II batteries are available and have been analyzed for 12 hour coping



NMP2 Electrical Power – Phase 2

- Portable diesel generator to be deployed to connect to the Division I 600 VAC switchgear via a Breaker Connection Device (BCD)
 - Division I is preferred due to the RCIC system DC power
- Alternatively, portable diesel generator to be deployed to connect to the Division II 600 VAC switchgear via a Breaker Connection Device (BCD)



NMP2 Electrical Power – Phase 2 (cont'd)





STORIED HISTORY

BRIGHT FUTURE

NMP2 Electrical Power – Phase 2 (cont'd)

- Primary Electrical Feed Bus Connection Device (BCD) to 2EJS*US1 600 VAC Bus
- Alternate Electrical Feed Bus Connection Device (BCD) to 2EJS*US3 600 VAC Bus
 - Deployable 4/0 cables stored in Control Building cable chases or Control Building corridors in metal enclosures and/or on reels
 - 450 kW FLEX DG deployed from FLEX Storage Building to the Control Building courtyard area east







- Mitigation Strategies identified and put in place in Phase
 2 will provide for indefinite coping of key safety functions
- Preliminary analysis has been performed and supports that the strategies directly intended to satisfy key safety functions will restore or maintain those key safety functions for at least 72 hours
- Other equipment supplied from the National SAFER Response Center (NSRC) will utilize Phase 2 connections and act as spares to the existing Phase 2 equipment



Mitigating Strategies for all Modes

- Mitigation Strategies at both Units can be implemented in all Modes
- Special Considerations for Refueling Mode will be captured in refueling processes to ensure FLEX capability is maintained
- Deployment paths and equipment locations will be demarcated with signs and postings



National SAFER Response Center (NSRC)

- Staging areas A, B, and C defined
 - MOU's are in place
- NSRC Playbook development is ongoing
- Engineering is reviewing NSRC equipment to ensure it matches NMP FLEX scope or can be adapted for use quickly
- NSRC commitment is to have the first equipment onsite within 24 hours
 - NMP can cope indefinitely (72hrs and beyond) without the NSRC
- Key components arriving from the NSRC (as a backup to phase 2 equipment) includes
 - Medium size portable diesel driven pump (with booster system)
 - 1.1 mW Gas Turbine Generators (480 VAC with 600 VAC transformer)



FLEX Storage and Deployment



FLEX Deployment Routes





Blue arrows depict the primary deployment path

Orange arrows depict the alternate deployment paths













FLEX Storage and Deployment (cont'd)

- Fully protected FLEX Storage Building
- Initial operator response to the building to assess debris issues and deploy debris removal equipment if necessary
 - Three (3) hours reserved in staffing timeline for this resource dedication
 - All operators to be trained and qualified to operate the pay loader
- Deployment vehicles (trucks) will be staged already hooked up to deploy a NMP1 and NMP2 pump immediately
- Deployment vehicle (tractor) will be staged to deploy first diesel driven portable generator to NMP1
 - Return to the building to retrieve NMP2 portable generator





Debris Removal

- Primary and alternate deployment paths from the FLEX protected building to the final deployment locations
 - Primary is to the north to avoid overhead lines
- One large debris removal vehicle (pay loader) will be stored in the FLEX protected building



• At lease one vehicle will have a snow plow



Refueling Portable Equipment

- Both deployment trucks will be stored in the FLEX building
 - Each fitted with 500 gallon fuel tanks
 - Integral battery powered fuel transfer system (~ 20 gpm)
- Small gas powered fuel transfer pumps will be stored in the FLEX Building
 - Transfer out of storage to the 500 gallon tank (~ 30 gpm, as tested)
- Adequate to fuel all diesel-run FLEX equipment
- Simple calculations using maximum loads of FLEX portable diesels indicate substantial margin in refuel timing/capability
- On site Safety Related storage tanks contain over 140,000 gallons of diesel fuel
 - Enough for over 20 days of operation without outside support
 - Indefinite replenishment may be solicited and arranged during the time the on-site fuel is available



Reliable Spent Fuel Pool Level Instrumentation



Reliable Spent Fuel Pool Level Indication

- Provide reliable indication of water level in the Spent Fuel Pool (SFP) from normal water level to the top of the fuel racks
 - Level 1 supports normal cooling system operation
 - Level 2 provides substantial shielding to personnel requiring access to the SFP operating deck (10 feet above irradiated fuel)
 - Level 3 ensures fuel remains covered with water



SFPLI System Overview



Remote Display,

e.g. Main Control Room

- Through Air Radar System
 - No mechanical moving parts
 - Sensor is located outside the process fluid to be measured
 - Immune to most vapors and physical characteristics of the measured media
 - Very low power consumption 0.5 watts/channel



SFPLI Description

- Two permanently installed instruments per pool
- Indications will trigger certain FLEX strategies to provide SFP makeup based upon SFP level
- The accuracy required by the order is one foot
 - The specification for the instrument is +/- 3" in steam environment
- Normal AC power with battery backup
 - FLEX generator to provide long term backup power at each unit
- Temperature limitations associated with sensor qualification (176°F)
 - Requires RB cooling to be established early in an event (within 8 hours)



SFPLI System Description (cont'd)

- SFPLI Power Availability
 - Each instrument loop normally powered from independent power supplies
 - FLEX generator will provide power to the SFP level loops during ELAP conditions
 - Equipped with internal batteries that can power the SFP level loops until FLEX generator power is provided



Spent Fuel Pool Plan View – NMP1 and NMP2 are similar



NUCLEAR ENERGY INSTITUTE

nuclear. clean air energy

50



NRC Audit Summary of FLEX/SFPLI

Open Item Closure Summary

NMP1

Original # Open Items	Added # Open Items	Closed Original	Closed New	Remaining Open
55	3	50	2	6

SFPLI

Original # Open Items	Added # Open Items	Closed Original	Closed New	Remaining Open
18	0	18	0	0

NMP2

Original # Open Items	Added # Open Items	Closed Original	Closed New	Remaining Open
56	3	36	2	21



National SAFER Response Centers, and the U.S. Nuclear Industry

20 November 2014

National SAFER Response Center (NSRC) Locations

1000 mile radius / 20 hours by truck



Timeline for Emergency Response

- 24 Hour NSRC Equipment (identified by plant)
 - T-0 Notification
 - T-2 Mobilization
- T-4 Begin transportation to off-site staging area
- T-20 Equipment preparation at off-site staging area
- T-22 Transportation to on-site staging area
- T-24 First equipment on-site
- T-24 Remaining NSRC equipment to be delivered to off-site staging area

NSRC delivery to sites



SAFER Organization and Facilities

- SAFER Control Center (SCC)
 - Command and control of overall response
 - Similar to existing Outage Control Center
 - Primary Lynchburg, VA
 - Alternate Birmingham, AL
- National SAFER Response Center (NSRC)
 - Equipment warehouse
 - Storage and maintenance of 5 sets of generic equipment and site specific equipment
 - Pre-loaded on commercial trailers
 - Pre- palletized for fixed wing movement
 - Testing and certification

SCC and NSRC Organization



Staging Area Organization


SAFER Response Plan Chapters

- 1. Introduction
- 2. SAFER Control Center
- 3. Regional Response Center
- 4. Logistics & Transportation
- 5. Staging Area
- 6. Site Interface Procedure
- 7. Equipment Listing
- 8. Requirements and Basis

Each site has a specific Response Plan used by all organizations to respond



NSRC Equipment

- Each NSRC will have five sets of generic equipment
- Four sets are always available for response
- One set rotated through periodic maintenance
- Additional site specific (non-generic) equipment as identified by utilities
- Maintained by the NSRC staff / SA operators/ contractors
- Equipment has an ~8,500 pound weight for transport by helicopter
 - Helicopters have at least a 70 mile round trip limit
- Equipment pre-loaded on trailers/ palletized for fixed wing movement
- All equipment will run on diesel fuel
- Industry standard electrical and mechanical connections

NSRC Equipment

	Generic Equipment	Site Specific Equipment
Requires Specification	 4kV turbine generators 480VAC turbine generators High Pressure Pump (60 GPM) Low Press/Med Flow Pump (2500 GPM) Low Pressure/High Flow (5000 GPM) SG/RPV Makeup Pump (500 GPM) 	 Transformers*** 480VAC to 600VAC Mobile Boration Unit RO Unit/Water Purification 4kV turbine generators
Commercially Available	 Diesel Fuel Transfer Standard Hoses and Connections (Suction, Discharge, Strainers) Generator Connection Cables Portable Lighting SAFER Team Equipment Communication Habitability 	 Portable Air Compressors Water Storage

Transportation

Contract with FedEx Custom Critical for ground and fixed wing movement

Tiered approach to Helicopter availability

- 1st Level Contract with multiple commercial helicopter companies for first call out
- 2nd Level State National Guard via state emergency management organizations
- 3rd Level Coordinate Federal support through FEMA

NSRC delivery to isolated sites

- Use of helicopters
 - Call out for support
 - Commercial as available
 - State Air National Guard called out simultaneously
 - DOD through NRC/ FEMA _
 - Pre-filed Congested Area Flight Plans for each site, off-site staging area to on-site staging area
 - Use flight plans for commercial, Air National Guard, DOD external lifts
 - Purchased external lift slings for all equipment
 - Annual review of all flight plans
 - Annual inspection of all slings

NSRC checklist for each site

National SAFER Response Centers (NSRC) Checklist to Declare Operational

Byront

Print the name of the Nuclear Site to which this checklist is applicable.

NOTE: The NSRC will be declared <u>READY</u> through the completion of the NRC audit process. Following the completion of the audit and the completion of this checklist, the NSRC is declared <u>OPERATIONAL</u> for a particular nuclear plant site.

INITIAL/DATE		Criteria
DLU 9/29,	1.	Equipment design parameters documented and bound plants coping strategies.
	2.	Generic Equipment
12 10/15/	nt	a. Delivered and receipt inspected satisfactory.
136 10/15/	44	 Entered into maintenance, testing, and calibration program.
	3.	Non-generic Equipment
606 10/16/	14	a. Delivered and receipt inspected satisfactory.
636 10/15	hy	 Entered into maintenance, testing, and calibration program.
AC 10/13/14	4.	Deployment team support equipment and material available.
Ale "/15/,	5.	Contract with transport providers for delivery.
SAC "/is	6. 14	Congested Area Flight Plans have been completed.
DLU 9/3	0/14	Training program in place and training complete for SAFER response personnel.
DLU 10/13	14 8.	SAFER Response Plans has been completed for the site stated above and, approved by that utility.
	Check	list completed by: DEANING McComBS DLUCCon & 10/15/1
	Verifie	d by: (K Schr J
	Date:	10/15/2014
	This ch	ecklist is completed by SAFER, verified by a SAFER Manager and
		maintained in PEICo document control.

13

Additional material

NSRC future assessments

- Current framework for assessment of NSRC includes NUPIC audits to ensure the critical elements of NEI 12-06 for off-site support are met
- NRC Vendor Inspection Branch has existing audit/ inspection relationship that can be used to assess effectiveness of NSRC capabilities
- INPO will maintain its current role in evaluating program effectiveness as it relates to emergency response capabilities
- Existing assessment framework is sufficient to ensure required capabilities for NSRCs are maintained

NSRC Movement Plan



NSRC delivery to isolated sites

Reviewed and Approved:	
FSDO #:	
Inspector:	
Date:	



Congested Area Lift Plan (FAR Part 133)

Lift Site:	Byron Nuclear Power F	Plant									
Address:	4450 N German Church Rd										
City:	Byron	State:	IL.	Zip:	61010						
Contact:	SAFER			Phone:							
Date of Lift:	To be Determined	Time:	To be Determined	Pilot(s):							
Aircraft Type:	Sikorsky S-61NM	N#:	N618CK	Airworth	eness Category: Standard						

Description of Load

Estimate number of lifts: 78	Maximum Weight: 8,000 lbs
Type of Load: Equipment	Estimated Length of attachment means: 100 feet
Aerodynamic	☑ Non- Aerodynamic

- Demonstrations were held for both over the road movement of equipment (TMI) and air movement of equipment (Surry).
- Focus of the demonstration was on the interactions between the Site/ SAFER Control Center (SCC)/ National SAFER Response Center (NSRC).
- No 'show stoppers' were identified by the NRC.
- Following the demonstrations, members of the NRC and SAFER teams visited the FedEx Customs Critical facility in Akron Ohio. The NRC was impressed with the ability of the FedEx facility to identify, track, re-route and communicate with their over-the-road trucks as well as identify fixed wing aircraft, develop and file flight plans, coordinate with airport FedEx facilities and deal with restricted flight zones.
- 12 specific comments were provided at the exit meeting by the NRC:
 - SAFER should clearly distinguish responsibilities (SAFER vs. licensees) at the licensee site (Staging Area "B") in the SAFER Response Plans (SRPs) and communicate these to the licensees.
 Complete

- 2) Training plans and documentation for SAFER staff should be provided. Demonstrations were performed by personnel with good knowledge of the procedures. Have not provided enough information to demonstrate ownership, expertise, and training related to SAFER operation of equipment.
 - SAFER is currently performing and documenting training.
 - Owner: Deanna McCombs Date:
- 3) Additional information should be provided regarding the SAFER plan to obtain reliable, available helicopter resources, if needed, to deliver the equipment to the site within the allotted time.

Complete

4) The SAFER Response Plans are still drafts with noted open items and errors. What will be the verification and validation process/ process for getting to final SRPs with high quality?

- There was a clear lack of understanding by all participants of how to get the SAFER and FedEx personnel onto the site.
 Complete
- 6) There did not appear to be a method to ensure equipment proper operation/ monitoring of trends and abnormalities after delivery (i.e. logs).

Complete

7) Communication between SCC and SPOC should be streamlined/ too much communication between SCC and site SPOC in early stages of the event. SCC seems to be collecting a lot of site condition information unnecessarily during early stages. Adds to the potential for SPOC to be overloaded with communication requirements.

 The process for FedEx truck arrival, preparation, and departure to/from the Response Centers should be more clearly defined.

- 9) Response Center equipment lists are maintained on pre-printed bills of lading. How will configuration control be maintained for these as site plans evolve? Complete
- 10)Methods for obtaining and recording necessary information at the SCC should be standardized. Complete

11) Additional information should be documented for supplemental/ support equipment.Complete

12) Truck height and weight restrictions and necessary permits should be specified for alternate routes, and communicated to state officials (state police).



United States Nuclear Regulatory Commission

Protecting People and the Environment

Mitigating Strategies Order EA-12-049

Japan Lessons-Learned Division November 20, 2014



Integrated Timeline

Protecting People and the Environment





Mitigation Strategies For External Events

- Requires a three-phase approach for maintaining or restoring core cooling, containment, and spent fuel cooling
- Issued March 12, 2012

Phase	Licensee may use
Initial	Installed equipment
Transition	Portable, onsite equipment
Final	Resources obtained from offsite





Order Milestones

✓ Overall Integrated Plan submitted

- Order Compliance: no later than 2 refueling cycles after submittal of the overall integrated plan or December 31, 2016, whichever comes first
 - Some licensees have requested and received schedule relaxation



Regulatory Guidance

- NEI 12-06, "Diverse and Flexible Coping Strategies (FLEX) Implementation Guide"
 - -Extended loss of ac power and
 - –Loss of normal access to the heat sink
- Endorsed by the NRC in August 2012



MS – Order Closeout





Interim Staff Evaluation

• Purpose:

- Preliminary evaluation of plans
- Provide regulatory certainty (if implemented as described)
- Issue Categorization
 - Open
 - Confirmatory
 - Acceptable/Complete
- Issued November 2013 February 2014





Efficient Review

- Schedule/resource constraints
- Unique aspects of plans
- Electronic Reading Room
- Audit Phone Calls
- Site Visits
 - 17 visits accomplished to date
 - Majority to be complete by Summer 2015





- Document staff evaluation of plans to meet requirements of the order
- Completed approximately 4-6 months after site compliance and the licensee's submittal of the Final Integrated Plan
- Reference document for post compliance inspections



Post-Compliance Inspections

- Verify compliance with the orders
- TI-2515/191 covers:
 - Mitigation Strategies
 - Spent Fuel Pool Instrumentation
 - Emergency Preparedness Staffing and Communication
- To be performed within 1 year of the Safety Evaluation being issued





	FY14					FY15					FY16					FY17				
		Sep-13 Dec-13	Mar-14	Jun-14	Sep-14	Dec-14		Mar-15	Jun-15	Sep-15	Dec-15	Mar-16	Jun-16	Sep-16	Dec-16	Mar-17	-	/ L-unr	Sep-17	Dec-17
Interim Staff Evaluations		ISEs			_															
Audits	8		8	23		18		6		6										
Unit Compliance			5		26*		30*			24*		1	14							
Site Compliance / Issue SE				1 Si	te			9* Sites	5	17* Site	s	20* Site	5	Ś	14 Sites					
Inspections	Draft TI Finalize T			TI	Training				Post- Compliance Inspections						IS					

* Ten BWR units have requested relaxation to a third outage (past 2016) to align with EA-13-109





- Response Centers
- Alternate Approaches
- Reactor Coolant Pump Seals
- Equipment Survivability and Functionality
- Instrumentation Qualification
- Operator Action Feasibility



Response Centers

- For Phase 3 of the order, licensees will receive portable equipment from an offsite facility
- Two redundant response centers :
 - Phoenix, AZ, and Memphis, TN
 - Two redundant Command and Control Centers





Response Centers

- Operated by Strategic Alliance for FLEX Emergency Response (SAFER), an alliance between AREVA and PEICo.
 - Fixed-wing and ground transportation
 - Rotary wing





Response Centers

- Effective SAFER operations are dependent on integrated planning and coordinated response actions among the nuclear station, governmental authorities, industry, and vendor support personnel.
- Response centers became operational this summer (May 22, 2014 and June 27, 2014)
- The NRC observed proof of concept demonstrations for both centers
 - Some areas for improvement were noted and subsequently addressed
- National SAFER Response Centers Staff
 Assessments issued September 26, 2014



Alternate Approaches

- Some licensees proposed approaches not described in NEI 12-06
- Reviewed on site-specific basis by comparison to the order
- Examples:
 - Storage locations for FLEX Equipment
 - Credit for equipment beyond the configuration of NEI 12-06



Reactor Coolant Pump Seal Leakage – Overview

- ELAP event would interrupt cooling to coolant pump seals, potentially increasing seal leakage rate
- Depressurization and cooldown of reactor is typically recommended to prevent or limit damage to pump seal elastomers (e.g., o-rings)
 - For PWRs, seal leakage is typically the dominant coolant loss mechanism during analyzed ELAP, thereby driving the required timeline for establishing makeup to RCS
 - At most BWRs, seal leakage is less significant because makeup capacity from installed steam-driven systems (i.e., HPCI / RCIC) exceeds expected leakage rate



Westinghouse Standard Seal

- Initial 21gpm assumption based on WCAP-10541: "Westinghouse Owners Group Report, Reactor Coolant Pump Seal Performance Following a Loss of All AC Power"
- Recent industry calculations associated with NSAL 14-1/PA-1196 predict integrated seal leakage over ELAP duration exceeding original calculations
- PWROG & Westinghouse need to confirm revised leak rate curve with benchmarking of EDF data
- Individual licensees without flow restrictive orifice in leakoff line (and higher leak rates) may need modifications to reduce leak rate
 - Also need to address pressurization of leakoff line as a result of flow restriction



NRC Equipment Functionality Equiatory Commission *I the Environment*Equipment Functionality

- The intent of the order is to prevent fuel damage
- Equipment is required to be "robust"
- Phase 1 installed equipment is designed to survive the external event
- Order requires reasonable protection of equipment
- Impact of Reevaluated Hazards



Instrumentation Qualification—MS

- The Mitigation Strategies Order does not have specific qualification requirements
- Guidance in NEI 12-06:
 - Licensees need a strategy to define a minimum set of parameters necessary to implement the strategy
 - Equipment relied upon to support FLEX implementation does not need to be qualified to all extreme environments that may be posed, but some basis should be provided for the capability of the equipment to continue to function
 - Licensees must:
 - Have the appropriate instrumentation available
 - Have a backup available
 - Have a plan in case neither is available


Instrumentation Qualification—SFPI

 The Spent Fuel Pool Instrumentation Order has specific qualification requirements

The primary and backup instrument channels shall be reliable at temperature, humidity, and radiation levels consistent with the spent fuel pool water at saturation conditions for an extended period. This reliability shall be established through use of an augmented quality assurance process (e.g., a process similar to that applied to the site fire protection program).

- Guidance NEI 12-02, directs the licensees to consider the following beyond-design-basis events:
 - radiological conditions for a normal refueling quantity of freshly discharged (100 hours) fuel with the SFP water level 3 as described in this order,
 - temperatures of 212 degrees F and 100% relative humidity environment,
 - boiling water and/or steam environment,
 - a concentrated borated water environment, and
 - the impact of FLEX mitigating strategies.



Operator Action Feasibility

ACRS Recommendation of June 17, 2013:

Neither NEI 12-06 nor JLD-ISG-2012-01 provide sufficient guidance for evaluating the feasibility and reliability of the manual actions necessary to implement the mitigating strategies called for by Order EA-12-049. The guidance for the new mitigation strategies rule should address this issue.



Operator Action Feasibility

Strategies that have a time constraint to be successful should be identified and a basis provided that the time can reasonably be met. - NEI 12-06, Section 3.2.1.7

- Time constraints identified by thermal-hydraulic analyses.
 NRC staff audit of analyses.
- Time constraints listed in integrated plan sequence of events.
- Licensee validation of FLEX Support Guidelines to determine time needed for performance.



Operator Action Feasibility NEI Validation Process

- Supplement to normal procedure verification
- Determines time necessary to perform actions, and thus margin to time available
- Considers NUREG-1852/JLD-ISG-2012-05 App. C performance shaping factors
- Feedback available for low time margins to improve process to assure feasibility
- Roll up of results to support staffing/equipment needs



Operator Action Feasibility NEI Validation Process

NRC Observations

- As licensees have implemented the process, they have identified issues and made corrections. This is an expected part of the process.
 - Incompatible fittings due to mismatched threads
 - Incompatible gaskets
 - Potential sources of debris
- Actual evaluation of PSF impacts on feasibility and reliability only possible for identified hazard levels
 - Re-evaluated flood hazard information a potential use



Thank You



Acronyms

ACRS	Advisory Committee on Reactor Safeguards	PA	Project Authorization
BWRs	Boiling Water Reactors	PEICo	Pooled Equipment Inventory Company
EDF	Electricite de France	PSF	Performance Shaping Factors
ELAP	Extended Loss of AC Power	RCS	Reactor Coolant System
FIP	Final Integrated Plan	RCIC	Reactor Core Isolation Cooling
FLEX	Diverse and Flexible Coping Strategies	SAFER	Strategic Alliance for FLEX Emergency Response
ISE	Interim Staff Evaluation	SE	Safety Evaluation
HPCI	High Pressure Coolant Injection	PWROG	Pressurized Water Reactor Owners' Group
MS	Mitigation Strategies	SFPI	Spent Fuel Pool Instrumentation
NEI	Nuclear Energy Institute	TI	Temporary Instruction
NSAL	Nuclear Safety Advisory Letter	WCAP	Westinghouse Commercial Atomic Power (Westinghouse Topical Report)

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards Fukushima Subcommittee

Docket Number: (n/a)

Location: Rockville, Maryland

Date:

Friday, November 21, 2014

Work Order No.: NRC-1230

Pages 1-338

NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1323 Rhode Island Avenue, N.W. Washington, D.C. 20005 (202) 234-4433

	1
1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	+ + + +
4	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
5	(ACRS)
6	+ + + +
7	FUKUSHIMA SUBCOMMITTEE
8	+ + + +
9	FRIDAY
10	NOVEMBER 21, 2014
11	+ + + +
12	ROCKVILLE, MARYLAND
13	+ + + +
14	The Subcommittee met at the Nuclear
15	Regulatory Commission, Two White Flint North, Room
16	T2B1, 11545 Rockville Pike, at 8:30 a.m., Stephen P.
17	Schultz, Chairman, presiding.
18	
19	
20	
21	
22	
23	
24	
25	

	(202) 234-4433	INEAL K. GROOD COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701	(202) 234-4
25			
24			
23			
22			
21			
20			
19			
18	MICHAEL R. SN	ODDERLY	
17	DESIGNATED FEDERAL OFF	FICIAL:	
16			
15	WILLIAM J. SHA	СК*	
14	ACRS CONSULTANT:		
13			
12	JOHN W. STETK	AR, Member	
11	GORDON R. SK	ILLMAN, Member	
10	MICHAEL T. RY	AN, Member	
9	PETER C. RICCA	RDELLA, Member	
8	JOY L. REMPE, N	1ember	
7	HAROLD B. RAY	/, Member	
6	MICHAEL L. CO	RRADINI, Member	
5	CHARLES H. BR	OWN, JR., Member	
4	Dennis C. Bley	, Member	
3	RONALD G. BAI	LINGER, Member	
2	STEPHEN P. SCI	IULTZ, Chairman	
1	COMMITTEE MEMB	ERS:	
ĺ			

		3
1	ALSO PRESENT:	
2	EDWIN M. HACKETT, Executive Director	
3	PHIL AMWAY, Nine Mile Point	
4	STEWART BAILEY, NRR	
5	VALERIE BARNES, RES*	
6	SCOTT BAUER, NEI	
7	JEREMY BOWEN, NRR	
8	ERIC BOWMAN, NRR	
9	DAN BRUSH, Exelon	
10	RANDY BUNT, Southern Nuclear	
11	JACK DAVIS, NRR	
12	GENE EIMAR, Palo Verde	
13	KURT FLAIG, Dominion	
14	BRYAN FORD, Entergy Nuclear	
15	ED FULLER, RES	
16	DAVID GAMBRELL, Southern Nuclear	
17	JOHN GIDDENS, Southern Nuclear	
18	GARY HOLAHAN, NRO	
19	TOM JACKSON, Rizzo Associates*	
20	MARVIN LEWIS*	
21	DAVID LLEWELLYN, Duke Energy	
22	EDWIN LYMAN, Union of Concerned Scientists	
23	JOHN MCKIRGAN, NRO	
24	JEFFERY MITMAN, NRR	
25	ABY MOHSENI, NRR	

1	MALCOLM PATTERSON, NRO
2	MARIE POHIDA, NRO
3	MIKE POWELL, Palo Verde
4	WILLIAM RECKLEY, NRR
5	TIM REED, NRR
6	JIM RILEY, NEI
7	SUZANNE SCHROER, RES
8	KEN SEE, NRO
9	JIM SHEA, NRO
10	GEORGE TARTAL, NRO
11	BILL WEBSTER, Dominion
12	DAVID YOUNG, NEI
13	
14	*Present via telephone
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	TABLE OF CONTENTS

	5
1	Opening Remarks and Objectives6
2	Proposed Rule Language and Bases11
3	Industry Comments on Proposed Rule
4	Language and Bases95
5	Differing Views on Draft White Paper Integration of
6	Mitigating Strategies for Beyond-Design-Basis
7	External Events and the Reevaluation of Flooding
8	Hazards170
9	Union of Concerned Scientists= Comments on Proposed
10	Rule Language and Bases
11	Discussion and Next Steps285
12	Adjourn
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	
	NEAL R. GROSS

	б
1	PROCEEDINGS
2	8:31 a.m.
3	CHAIRMAN SCHULTZ: Good morning. This
4	meeting will now come to order following our recess.
5	This opens the second day of the ACRS Fukushima
6	Subcommittee meeting. I'm Steve Schultz, the chairman
7	of the subcommittee.
8	Members in attendance today are Pete
9	Riccardella, Ron Ballinger, Dick Skillman, Harold Ray,
10	Dennis Bley, John Stetkar, Mike Ryan, Charlie Brown,
11	Joy Rempe and Mike Corradini. Also, our consultant,
12	former ACRS chairman, Dr. Bill Shack, is on the phone.
13	Today, we will build on yesterday's
14	discussion on implementation of Order EA-12-049, an
15	order modifying licenses with regard to requirements
16	for mitigation strategies will be on design basis
17	external events. We're going to first focus on the
18	staff's preliminary proposed rule language for the
19	mitigation of beyond design basis events rulemaking.
20	Then we will review a staff-wide paper which has been
21	prepared on the integration and mitigation strategies
22	for beyond design basis external events with the
23	reevaluation of flooding hazards and explore a number
24	of views on this process.
25	Mr. Mike Snodderly continues as the

(202) 234-4433

	7
1	designated federal official for this meeting. We've
2	received no written comments. We have arranged for Dr.
3	Ed Lyman of the Union of Concerned Scientists to make
4	an oral statement this afternoon.
5	This meeting is open to the public, except
6	that portions today may be closed to protect
7	information that is predecisional, pursuant to 5 USC
8	55(b)(c), paragraph 9(b). Again, it's our
9	understanding in today's presentation material that it
10	will not contain such information, but we will rely upon
11	the presenters to notify us if our questions do stray
12	into an area where predecisional information may be
13	disclosed. Then we may decide to pursue that
14	discussion, and we would establish a closed session
15	within the meeting.
16	I want to remind the participants that a
17	transcript of the meeting is being kept and will be made
18	available, as stated in the Federal Register notice.
19	Therefore, we'll request that participants in the
20	meeting use microphones located throughout the meeting
21	room when addressing the subcommittee. All
22	participants should first identify themselves at the
23	microphone or over the phone line and speak with
24	sufficient clarity and volume so they may be readily
25	heard.

(202) 234-4433

	8
1	Also, at this point, we would request that
2	you silent your cell phones and any other electronic
3	device that may disrupt the meeting.
4	I understand that there are individuals on
5	the phone bridge line today who are listening in on the
6	proceedings. To effectively coordinate their
7	participation in the meeting today, we will be
8	replacing the incoming bridge line on mute so that those
9	individuals may listen in. At appropriate times later
10	in the meeting, we'll provide the opportunity for
11	public comment both from individuals on the bridge
12	line, as well as for members of the public in
13	attendance.
14	Yesterday, we had a good discussion
15	related to the mitigating strategies implementations
16	related to the order. Today, we're going to talk
17	further about the next part of that process, which is
18	the proposed rulemaking, another element of the
19	Fukushima action items. And what we're working to
20	examine today, what the subcommittee is examining and
21	what we expect the subcommittee will bring to the full
22	committee in December is a discussion and deliberation
23	related to, given what we talked about yesterday, what
24	is the appropriate regulatory framework that ought to
25	be devised in order to move forward with new ways of

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

9 doing things, new operational capabilities, and new 1 considerations as a result of the Fukushima accident 2 and all of the lessons learned that we've established 3 4 over the last few years. 5 So with that, as we open up the meeting, I would like to recognize Aby Mohseni, who is going to 6 7 open the proceedings for today and introduce the 8 speakers. Welcome, Aby. 9 MR. MOHSENI: Thank you very much, Mr. 10 Chairman, distinguished members. Good morning. My 11 name is Aby Mohseni, as you said, and I am the Deputy Director of the Division of Policy and Rulemaking in 12 the Office of NRR. 13 14 Today, we open up the meeting with NRC 15 staff presenting draft language on the proposed 16 mitigation of beyond design basis events rulemaking. 17 These notes that this activity is formally known as the 18 consolidated rule. 19 To support this presentation, I have with me several members of NRR and a member from NRO. 20 Tim Reed, on my left, from our staff will be leading the 21 22 discussion of the proposed MBDBE rulemaking, which is 23 a funny acronym to pronounce. 24 Supporting Tim as the lead technical 25 expert in the mitigation strategies is Eric Bowman from

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

the Japanese Lessons Learned Division. We have also Bill Reckley, also from the Japanese Lessons Learned Division, to support any discussion regarding feedback from NTTF-2.1, flooding reevaluated hazards and its relationship to this proposed rulemaking. And, finally, we have from NRO George Tartal to support the discussion of the proposed provisions for new reactors.

8 There are other members from the 9 mitigation of beyond design basis events rulemaking 10 working group in attendance, and they will support 11 questions from the committee, as needed. The 12 preliminary proposed rule language was made publicly available on November 13th, 2014 in preparation for 13 14 this meeting. The preliminary proposed rule language 15 shows the integration of requirements that reflect and 16 align with industry implementation. Since the 17 Commission has not considered the draft proposed rule language, these clearly do not constitute an official 18 19 NRC position.

20 As directed by SRM-14-0046 issued July 21 19th, 2014, this consolidated rulemaking addresses, 22 either in requirements through or supporting 23 implementation guidance, regulatory actions that stem from all of the recommendations in NTTF-4, 7, 8, 9.1, 24 25 9.2, 9.3, with one exception: the maintenance of ERDS

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

(202) 234-4433

	11
1	capability throughout the accident, 10.2 and 11.1.
2	As part of this presentation, we will also
3	present a brief summary of the backfitting analysis and
4	basis for the potential inclusion of SAMGs as
5	requirements in this rulemaking activity. The NRC is
6	very appreciative of the ACRS's time and interest in
7	this proposed rulemaking activity, and we look forward
8	to today's discussion.
9	I'll turn it over to Tim.
10	CHAIRMAN SCHULTZ: Thank you, Aby.
11	MR. REED: Thanks. I'm Tim Reed. I'm
12	the project manager for this effort. I've obviously
13	spoken with this committee on several occasions
14	already.
15	I wanted to first first, I have two
16	background slides. The very first one is simply an
17	accounting, if you will, of some of the more important
18	interactions we've had. And those are the
19	interactions we've had with the ACRS, so they're there
20	for you simply to recognize when they have occurred and
21	which committees they've occurred with. I think
22	that's just a good thing to have. And then the major
23	interactions in the public domain, there's many more
24	than this, are at the bottom of that slide in terms of
25	this is a consolidation really of two major ongoing

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	12
1	rulemaking efforts. One was the on-site emergency
2	response capabilities rulemaking, which stemmed from
3	Recommendation 8 principally. And the other one was,
4	of course, mitigation strategies rulemaking, and we
5	combined those together into what you see today.
6	So we have two regulatory basis documents
7	and two ANPRs, and I just basically noted those on the
8	slides so folks can see the dates for when we did that.
9	So that's simply really a simple accounting. I thought
10	that was worthwhile providing so nothing more about
11	that.
12	Aby just mentioned a little bit about what
13	we're trying to do here in terms of its relation to the
14	near-term task force report. It should be pretty clear
15	to most folks that the way the NRC is actually
16	implementing regulatory actions stemming from that
17	report were not binned the same way the NTTF binned
18	them. And so it's resulted in a somewhat complex
19	accounting so people can understand what parts of the
20	NTTF report were actually feeding this rulemaking.
21	And there were several different
22	interactions with the Commission that really
23	facilitated that consolidation. First, principally,
24	COMSECY-13-0002. Myself and Eric were the authors of
25	that. We consolidated really four and seven. And

(202) 234-4433

what was perceived at that time was a concept that was 1 thought to be two rulemakings going on when, in fact, 2 3 there weren't. There was only one rulemaking, making EA-12-049 generically applicable. And that order, as 4 I'm sure this committee is very well aware, is being 5 broadly implemented and addresses really all of four 6 7 and seven. In fact, more than that. So that was to 8 make the Commission aware of that. 9 COMSECY-13-0010 was also a rack-up of 10 basically EP and NTTF ongoing activities and how those could be consolidated into ongoing Fukushima actions. 11 12 And I think the committee ought to be also aware most of that was also being addressed as part of the 13 14 strategies. So that's mitigation basically, 15 essentially, a consolidation, if you will, of those 16 activities. 17 And, finally, most importantly, Aby just mentioned we proposed to the Commission consolidating 18 19 these two rulemaking activities together and producing one rulemaking. And I think that makes a lot of sense. 20 21 You know, I was a big pusher on that because I think 22 that aligns more directly and more coherently with 23 actual implementation out there in the industry in 24 terms of building this new capability of strategies 25 both into the front-end before core damage and after

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

14

-	Core damage finto the SAMGS. And I think that made a
2	lot of sense to see if we could line this thing up and
3	line it with implementation, and that's what we've been
4	trying to do. And the draft language in front of you
5	today is an effort to try to achieve that integration
6	and consolidation.
7	So as we just mentioned, this does address
8	all of Recommendations 4, 7, and 8. It addresses 9.1,
9	9.2, 9.3, some long-term ERDS. It does address the
10	ERDS modernization effort. We've basically a very
11	simple removal of a technology-specific language there
12	at 9.4. It also addresses 10.2, command and control
13	and decision-maker because, basically, that's built
14	right into the implementation of EA-12-049. And it
15	also addresses 11.1. Phase three of the EA-12-049
16	addresses that issue already, as I'm sure you're well
17	aware also.
18	So what you're seeing there is this is what

18 So what you're seeing there is this is what we can say we're accounting for the NTTF and what we're 19 20 getting done. In terms of other ways of looking at this, it's also making generically applicable two 21 22 orders, large measures, mostly EA-12-049, no question 23 about it. But we also have provisions in this to make 24 generically applicable to spent fuel pool level 25 instrumentation order. So you'll see there's spent

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

fuel pool, vibrating spent fuel pool level requirements in this order, in this rulemaking also. So it does that.

The staffing and communications requirements you see in there, they stem from the 50.54(f) request, okay? So it makes that generically applicable, if you will. And, of course, there's another ongoing issue the committee is well aware of, and that's the NTTF-2.1 feedback, and it may be a very critical aspect of this, and that's another issue we're well aware of and we're following. So, certainly, that could have a significant effect on this rulemaking, so I pulled that out there, too.

14 CHAIRMAN SCHULTZ: You anticipated my 15 question in a way because my question was the staff came 16 up with the idea of consolidation, but it was some time 17 ago and there were a large number of elements that were 18 bundled together. My question was and still is, 19 although you've explained it a lot, as we've gone through the last 18 months, are there things that have 20 21 been identified that you've considered should have been 22 part of the consolidation? And then are there things 23 that were originally thought could well fit together 24 that shouldn't have been incorporated in the 25 consolidation because they deserve their own special

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

(202) 234-4433

	16
1	attention? You can answer that in the course of the
2	presentation, if you would like.
3	MR. REED: Yes. I would point out, let me
4	just point out something that's
5	CHAIRMAN SCHULTZ: This slide has
6	presented a lot of information
7	MR. REED: This could actually get bigger,
8	and I'll tell you why.
9	CHAIRMAN SCHULTZ: Wait a minute.
10	MR. REED: You could actually consolidate
11	in portions of EA-13-109 if you wanted. In fact, that
12	was a comment from industry that the severe accident,
13	you know, capable wetwell event, you could work that
14	in. Right now, it doesn't work in scheduler space to
15	work that in, but you could work that in.
16	So there's been some areas where I think
17	there's opportunities to make it even broader. If I
18	had to do it all over, you know, and I had an ability
19	to control time, I would do 2.1 first and then do this
20	afterwards. Unfortunately, as this committee is well
21	aware, we haven't been able to do that, so that's put
22	us in a tough situation there.
23	But in terms of everything else, I think
24	this is the most substantive requirements. I think
25	we've got it in there. I don't know. Eric, do you have

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

anything that jumps into your mind on that or . . .

MR. BOWMAN: I would also include the remainder of the BWR Mark I and II events actions as possible candidates for consolidation because the look at the filtering strategies or the release reduction portion of the containment protection and release reduction, it's so lined up with being severe accident management guidelines for those particular licensees that, if we don't consolidate the two and treat them separately, we run the risk of sending up two separate policy decisions to the Commission with different justifications and with a potential for different decisions that would put us in a bad place.

14 MR. REED: That's a very good point. And 15 this committee is very familiar with the containment 16 protection and risk reduction effort and the work that 17 Marty Stutzke is doing. But if you think about it, 18 those are SAMGs for BWR Mark 1 and Mark II plants. And 19 so that directly informs SAMGs, and Eric's right: if that were to become requirements, it would make sense 20 21 that those SAMGs would be built in to this because 22 that's a specific set of SAMGs for that design, if you 23 will. 24

CHAIRMAN SCHULTZ: So I'm anticipating that we're going to come back to this in the course of

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

25

(202) 234-4433

	18
1	this presentation, so please don't assume that because
2	we briefly touched on it now that you don't have to cover
3	it later.
4	MR. REED: I'm making no assumptions.
5	Stop me wherever
6	CHAIRMAN SCHULTZ: All right. So I
7	appreciate that as part of the introduction, and let's
8	go forward with the presentation. Thank you.
9	MR. REED: So the plan here today is to
10	simply walk through what I gave or what we provided to
11	you, the draft language as it exists right now, and then
12	also to touch upon some of what I think are other key
13	aspects of the package. I apologize you don't have
14	that package. I'm apologizing right now. But I will
15	talk about backfit and SAMGs and some of the draft
16	findings. Also, I think you have a lot of familiarity
17	with the actual implementation and what's really
18	happening right now, so I think you know the way the
19	end state is going to look, it's a little more difficult
20	to get our draft guidance and everything lined up to
21	get a rulemaking thing put together. We're not there
22	yet. So we'll talk about that, too, when we get to it.
23	So, first, I want to just walk through this
24	thing. And stop me wherever the committee wants to,
25	and we'll try to explain. I have a lot of help in the

(202) 234-4433

	19
1	room. Some of this, I'm not as conversant with every
2	aspect of the package as maybe I normally would be.
3	This rulemaking is getting pretty large and complex,
4	and so I'll have a lot of help in the room here if I
5	need it.
6	So, basically, the applicability session
7	is there because it's applying to both, basically,
8	power reactors, whether it's an operating reactor or
9	a new operating licensee, a combined license, Part 52
10	combined license holder, or new applicants, okay? So
11	it applies to, basically, all those entities. So that
12	means it applies to both current and new reactors.
13	And in addition to that, we know about the
14	ongoing decommissioning efforts and work in that area,
15	and we're trying to align ourselves with that where it
16	makes sense. So I'm trying to build into this
17	decommissioning provisions, where that makes sense.
18	And it does, it lines up very nicely with what we're
19	doing, in a sense. If you look at what we're talking
20	about, it really breaks down into functional
21	requirements in terms of maintaining and restoring core
22	cooling and primary containment and then maintain or
23	restoring spent fuel pool cooling, okay? And so when
24	you look at it that way, when I take the fuel out of
25	the reactor vessel permanently, I can remove any

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

20 provisions having to do with core cooling and primary 1 containment and focus only on spent fuel pool cooling 2 and secondary containment, if your design has that, 3 4 okay? So we've tried to build those provisions 5 in right off the bat. Now, they're not perfect, but 6 7 they're a good start, I think, and we can see where that 8 takes us, put that out there in public domain and see

if we can't fine tune that and make that even better. So that's the idea. So this is applicability, there's the decommissioning.

And then you also see, and George Tartal will talk more about that in a few slides, we have additional requirements for new reactors, in terms of an assessment requirement there. We can talk about that. We have a slide on that later.

17 CHAIRMAN SCHULTZ: That's important. 18 This is an important slide, so I want the committee to 19 be able to focus on it. I've got a question on the last 20 line, and perhaps we'll go above that. And my question 21 is, with regard to decommissioning, we say one 22 statement, once the irradiated fuel is removed from the 23 spent fuel pools, all requirements cease. It's the line above that that I wanted to focus on. 24 No reactor 25 requirements, the fuel is permanently removed from the

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

9

10

11

12

13

14

15

16

reactor.

1

It seems, well, there are requirements 2 placed upon the spent fuel pool that have been developed 3 because the reactor is operating. 4 Are we looking carefully at the requirements that we have once the 5 reactor is not operating with regard to what we've asked 6 7 for the spent fuel pool? In other words, the 8 stand-alone spent fuel pool, are we looking at that 9 particularly and determining what does not need to be 10 done because the reactor is not operating and the operator's attention is not focused on both elements: 11 12 the reactor operating, as well as the spent fuel pool? That's one of the key issues that came up as a result 13 14 of Fukushima. Are we able to set up a process that 15 provides the divorce between an operating reactor and 16 the spent fuel pool so that we don't retain some 17 elements of spent fuel pool protection that, in fact, 18 should not be required if the reactor is not operating. 19 MR. REED: Yes. We're thinking that way,

20 exactly that way. I think if you look at some of the 21 facilities that have been recently decommissioned, 22 you'll that they removed the EA-12-051 see 23 requirements, okay? That's the spent fuel pool level 24 instrumentation requirements. There's no distraction 25 any longer that's possible. So that doesn't make

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	22
1	sense, so we recognized that.
2	And I'll also say that, right now, it's not
3	perfect what we have there. I think if you look,
4	there's a certain period of time that, once it passes,
5	you could probably say that what I really only need for
6	that spent fuel pool is EDMGs, okay? But right now you
7	see it written, basically, all the spent fuel
8	provisions that might apply.
9	So we realize that's there, too. And I
10	think that's an area where we want to get some feedback
11	and see if whether we can make that a little bit more
12	fine-tuned and help make that a more efficient process
13	in decommissioning. So, yes, that's exactly our
14	thought process: what do you need for spent fuel pool
15	only once you're into that domain?
16	MEMBER RYAN: I think, when I think about
17	a spent fuel pool, it's empty, all the fuel is gone,
18	and it's been cleaned and maintained and whatever you
19	want to look at. What kind of a license would apply
20	for, under what part? I mean, to me, it's a materials
21	
22	MR. REED: For this situation you're
23	talking about?
24	MEMBER RYAN: Say again?
25	MR. REED: You mean for an ISFSI,

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	23
1	independent spent fuel pool installation?
2	MEMBER RYAN: No, I'm just thinking if you
3	want to tear it down, if you want to get rid of it. If
4	you want to have it for a different purpose, then you'd
5	have to figure out what licensing applies for that
6	purpose.
7	MR. REED: You've stumped me.
8	MR. BOWMAN: I think I understand what
9	you're talking about, but we aren't addressing that
10	problem. What we're looking at is at what point can
11	we cease to have a formal requirement for mitigating
12	strategies for spent fuel pool that still contains
13	irradiated fuel? If you look to the relaxations we've
14	done for the decommissioning licensees Kewaunee and
15	Crystal River and we've got the request for San Onofre,
16	we looked at what's the decay heat level remaining in
17	the fuel that's within the pool, how long would it take
18	before a problem would occur that would require
19	positive action on the part of the licensee, and is
20	there sufficient time for the licensee to make ad hoc
21	mitigation strategies, rather than having the formal,
22	I'm going to get the pump there in such a time and start,
23	well, pouring water in or spraying water over the fuel.
24	We haven't got the language like that in the proposed
25	rule. We'll be seeking feedback from stakeholders on

(202) 234-4433

	24
1	whether or not that should be formalized in that manner,
2	recognizing that we'll still have the mitigating
3	strategies that came out of the B5B effort in place,
4	is it necessary to retain these other mitigating
5	strategies and at what point can we remove those?
б	MEMBER RYAN: That's helpful. There's a
7	lot of detailed work in front of you, I guess.
8	MEMBER REMPE: I meant to get you on the
9	prior slide and I wasn't fast enough. But as you
10	mentioned, we don't have the complete, like, the
11	guidance for this draft rule. When are we expected to
12	get it?
13	MR. REED: Well, I'll give it to this
14	committee when I get it. How's that?
15	MEMBER REMPE: Is that going to happen in
16	the next year?
17	MR. REED: Yes. Actually,
18	realistically, we meet with the committee on the 4th
19	and we have two working days next week, so I'm in the
20	office, and there's three the following week and we have
21	to meet with the full committee. So I wouldn't expect
22	miracles. We might be able to give the committee more,
23	better language. We are changing the language. It's
24	still changing, and we're still having a lot of internal
25	interactions.

(202) 234-4433

	25
1	MEMBER CORRADINI: For the rule?
2	MR. REED: Absolutely, yes. And in terms
3	of the guidance, I think you've got a pretty good feel
4	of what the mitigation strategy guys are going to look
5	at from the discussion yesterday. That work is
б	ongoing. Eric is working with the folks in the
7	industry to get Rev 1 and get that in a way that we can
8	endorse that.
9	We have a lot of work, we've already
10	interacted with industry on NEI-13-06. I think we're
11	in a good place there. We can probably get that
12	endorsement. So if you take a look there, we're
13	probably very closely aligned there. And it comes down
14	to NEI-14-01, which is really about some of this
15	integration command and control and SAMGs. And so that
16	brings up the SAMGs issue, and that's been a we'll
17	get to that here in a bit. I think that's the main area
18	where we have to focus and see what we want to do there.
19	So if you take a look at the supporting
20	guidance, it's pretty much the supporting guidance that
21	would be built into this. So that's not very
22	satisfying. I'm sorry, but that's I don't know
23	MEMBER REMPE: It is what it is.
24	MR. REED: It is. Actually, we're making
25	progress, and we're really doing the best we can. But

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	26
1	we're not, we're not in any way, shape, and form, right
2	now to do something by December. I mean, that's the
3	practical reality. But we've done an awful lot of
4	internal interactions, in fact, I think that we need
5	to work through to also inform this rulemaking. I
6	think this committee is pretty aware of that, too.
7	How's that for absolutely I don't know?
8	MEMBER REMPE: Unclear answer?
9	MEMBER CORRADINI: I took it as to be
10	determined.
11	MR. REED: Yes, that's it exactly. It's
12	an awful lot of words to say to be determined.
13	CHAIRMAN SCHULTZ: Let's go forward, Tim.
14	Thank you.
15	MR. REED: So, you know, I think this is
16	probably the most important part of the rule. I view
17	paragraph B as kind of the heart of the rule, if you
18	will, the central piece. And we talked about building
19	this thing and bringing it together and integrating.
20	To me, this is the part that's the integration part.
21	It's basically, very simply put, the first
22	portion right there is really FLEX or what the staff
23	called station blackout mitigation strategies.
24	That's paragraph B1. Now we're calling it beyond
25	design basis external event mitigation strategies and

(202) 234-4433

	27
1	guidance.
2	Then we have the EDMGs, which are already
3	in existence, of course. They were put in place by the
4	B5B of the ICM order of 2002, then remained generically
5	applicable to the power reactor severity rulemaking as
6	50.54 changed, too. That's already in place, too, and
7	we would move those in because I think folks probably
8	are now very understanding that those strategies are
9	almost identical, in large measure, to many of the
10	strategies here. It makes a lot of sense for them to
11	be here.
12	And then, finally, we have the one
13	provision that are not requirements right now. So we
14	have an order requirement that we would put in place,
15	a currently existing requirement in the current federal
16	regulations, and we have a voluntary initiative SAMGs.
17	So those are the three guideline sets, if you will, that
18	we would integrate into the currently-existing
19	symptom-based EOPs.
20	So that's how we've bulked these together,
21	and it lines up very nicely. They're all basically
22	functionally based. It's very nice how it worked.
23	And what we want, of course, licensees then to do is
24	to maintain this integrated accident response
25	capability that has these basic guideline sets and,

(202) 234-4433

(202) 234-4433

	28
1	essentially, seamlessly builds them into their
2	symptom-based EOPs, okay?
3	And then I'll hold on this slide for a
4	second. It's to be worded with sufficient staffing and
5	command and controls. We'll get to the next slide.
6	So I'll stop here and let folks digest this
7	a little bit. And if you take a look at the draft rule
8	language, basically that's what we're trying to do.
9	Now, what that means is, as a practical matter, as a
10	practical matter and what you've heard so far and what
11	you heard yesterday all day long is FLEX right now being
12	implemented. It's being implemented into, for PWRs,
13	these ECA-0.0, I believe, is the station blackout EOP.
14	What that does is builds FLEX or the station blackout
15	mitigation strategies right into the EOPs and a station
16	blackout EOP. The EOPs right now do have transitions
17	to the SAMGs. They do exist right now. Of course,
18	voluntary SAMGs do exist, okay? So those transitions
19	do exist. Of course, I think we'll be a little bit more
20	thorough in that integration than what exists right now
21	if SAMGs do become requirements, okay? And extensive
22	damage mitigation guidelines also already exists,
23	although the complexity there is, of course, you lose
24	command and control and you have to reconstitute
25	command and control. But once you do that, you're

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433
going to be back into pretty much a normal command and control situation with the EOPs.

Tim, I can't imagine anybody 3 MEMBER RAY: taking exception to the idea that we ought to do what 4 5 you're doing in anticipation of something being, exceeding the design basis, for example, or, for 6 7 whatever reason, becoming a severe accident. But do 8 you think, given all that you've just recited and gone 9 through, that anybody sees what you just described as 10 necessarily a substitute for changing the design basis? 11 In other words, is this seen by anybody as an 12 opposed to simply preparing alternative, as for 13 something that inevitably we should prepare for? 14 MR. REED: In other

MR. REED: I hope it's not. In other words, this is all beyond design basis right there.

MEMBER RAY: Whatever design basis happens to be.

MR. REED: That's right. It is. Everything here is clearly beyond design basis. They have to provide that additional capability.

21 MEMBER RAY: Right. And it certainly 22 fills an area of need and isn't an alternative to some 23 other regulatory action that we would take? Okay. 24 MR. BOWMAN: If I could add -- this is Eric 25 Bowman. One of the fundamental reasons behind why the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

15

16

17

18

19

20

	30
1	order EA-12-049 was issued was a recognition that there
2	can be uncertainties in calculating hazards from
3	external events.
4	MEMBER RAY: Absolutely, yes.
5	MR. BOWMAN: Such uncertainties would
6	make engineering a solution more difficult, and that's
7	why you get the flexible response that is inherent in
8	the industry's FLEX program. One of the members
9	yesterday mentioned an even more flexible response that
10	might have been a better way to deal with the situation.
11	But going in and deciding that you know enough to
12	engineer a solution to something that's beyond design
13	basis event presumes that you aren't going to have an
14	event that is unpredicted yet. So it's
15	MEMBER RAY: Well, I mean, I could argue
16	with that. I don't think we should. The implication
17	of what you just said is, well, this is a better way
18	to go than to design for the event, and that isn't, I
19	don't think that's the intent here.
20	MR. BOWMAN: It's a different way to go.
21	We struggled with the
22	MEMBER RAY: The word different is almost
23	the same as the word alternative, and that's what I
24	asked Tim is is this an alternative and he said no. And
25	I'm saying I don't see it as an alternative personally

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	31
1	because I think you're always going to need to be
2	prepared for something that exceeds what you were
3	designed for. But your recitation makes it sound more
4	like, well, maybe it is an alternative.
5	MR. BOWMAN: It's a different way of
6	approaching the problem. We have not ruled out
7	modifying the design or licensing basis if we have
8	sufficient information to justify doing that.
9	MEMBER RAY: Well, I think, at times,
10	that's not very clear, but I wanted to be clear about
11	it.
12	MR. REED: Yes, I think this is an extended
13	set of tools, I think additional stuff for the toolbox,
14	you know. And I think that's kind of the nice thing
15	about some of this, some of the benefits of the
16	mitigation strategies work that's going on. It's
17	provided an extensive and real additional capability
18	for these folks. I'm not sure you appreciate that.
19	This is a real deal, and that capability is available
20	in a much broader way than I think people may recognize.
21	All those features can be made available after core
22	damage. And in fact, many of those exact same
23	strategies are better than the ones that were the EDMGs
24	originally. And they're the same, but they're only
25	better. They're much more capable. They're

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	32
1	in-depth. I think they're all site-wide.
2	So there's a lot of benefits to this stuff.
3	So this stuff does really integrate together and just
4	extends that design basis.
5	MEMBER RAY: And, again, nobody is going
6	to argue that it's better to avoid core damage than it
7	is to mitigate it.
8	MR. REED: Absolutely, absolutely.
9	MEMBER RAY: And we lose sight of that
10	sometimes, I think, just because of all the rhetoric
11	and how fast we go through these things.
12	MR. REED: Absolutely, absolutely. In
13	fact, if I don't remember to say that I think I'll
14	try to say that in the SAMGs space. If you're in SAMG
15	space and you're trying to reduce risk and you have a
16	substantial amount of risk there, my first question is
17	you better stop it from ever going there. The best way
18	to answer that problem is never go to core damage, and
19	that's the way we've always done it.
20	So I agree. But right now, we're really
21	talking about stuff that's not well defined, it's an
22	additional, kind of all-hazards design basis
23	capability that people can have and use if they need
24	to.
25	MEMBER RAY: And it's needed. Don't get
	NEAL R. GROSS

(202) 234-4433

	33
1	me wrong, but, I mean, it's murky at times whether we're
2	talking about an alternative, as opposed to something
3	we ought to have because there's no way of knowing that
4	we've got all the bases covered.
5	MR. BOWMAN: Well, the other piece of it,
6	as well it was brought up yesterday. I forget who
7	brought it up, but it provides another tool in the
8	toolbox. One thing the staff is struggling with right
9	now is providing guidance on to what extent the
10	mitigating strategies could be credited and a
11	probabilistic look at the risk for the plant and the
12	significance determination or other action, but it
13	reduces the risk for licensees within the design basis,
14	as well, rather than merely changing the capability of
15	the items that are the design basis protection.
16	MEMBER RAY: Yes. But, again, when you
17	contrast it that way, it makes it sound like, well,
18	let's do this instead of that. That's where I think
19	we need more understanding.
20	MEMBER REMPE: So last night I was
21	thinking about this some more, too, and maybe the answer
22	is, again, I don't know yet. But if something were to
23	happen and the equipment wasn't kept up or FedEx isn't
24	kept up, what would happen on enforcement? Would all
25	of the organizations that belong to it be equally fined,

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	34
1	or would you I mean, have you started to think about
2	that yet or be placed under some sort of restriction?
3	And I didn't hear that discussed yesterday, and I was
4	just thinking about it last night.
5	MR. REED: That's definitely thought
6	about.
7	MR. BOWMAN: We have thought about it. We
8	haven't come to a final conclusion on what the way
9	forward for oversight, particularly of the off-site
10	organizations, like SAFER, will be. We've got
11	options, like the vendor oversight program.
12	For them, though, we have to recognize that
13	they're a backup to all the equipment that's already
14	on the site. So
15	MEMBER REMPE: It's a backup, but if one
16	starts giving them more credit for the backup, it's
17	going to be an issue.
18	MR. BOWMAN: And that's where it also has
19	to, we also have to look to how much does the existence
20	of the off-site equipment truly affect the on-site
21	risk.
22	MEMBER REMPE: It was just a question I was
23	thinking about. Thanks.
24	MEMBER STETKAR: Tim, I've got a simple
25	question, and this is something you're going to skip
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

over, so I might as well get it out. In the mitigation 1 strategies, you said that, indeed, the rule will apply 2 3 for both operating reactors and new reactors. I just want to make sure that I understand some words in here. 4 5 It says strategies and guidelines to mitigate beyond design basis external events from natural phenomena 6 7 that result in extended loss of all the AC power 8 concurrent with a loss of normal heat sink to the, loss 9 of normal access to the ultimate heat sink or for a plant 10 for which the final safety analysis report references 11 Appendix D or E to 10 CFR Part 52 a loss of normal access 12 to the normal heat sink. Now, in regulatory space, 13 that means AP1000 and the ESBWR. Can you explain that 14 "or?" Is that an exclusive "or?" It is an "and?" Is 15 it "do the ESBWR and AP1000, you need to have 16 mitigating strategies for an extended loss of AC 17 power, " yes or no? 18 MR. REED: I'll let -- George, do you want 19 to . . . MR. TARTAL: I think I'll deflect this one 20 21 over to --22 MR. REED: Okay. That's actually an NRO 23 question. 24 MR. MCKIRGAN: So if I could, yes, this is 25 I think the simple answer is yes. John McKirgan. The

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	36
1	AP1000 designs and the ESBWR do have strategies. I
2	think what you'll hear, and maybe I'll defer part of
3	the answer to that question to after George presents
4	his piece of the language, what you'll hear is, you
5	know, the nature of those strategies are a little
6	different. Because of the design, they have more time
7	to address the issue. And so I think if you've had a
8	chance to read the original version of NEI-12-06 and
9	the ISG, there was a specific appendix in that guidance
10	for the AP1000 design. And so that was a little
11	different.
12	MEMBER STETKAR: Those are NEI reports.
13	This is proposed NRC rulemaking so
14	MR. MCKIRGAN: You're right. Let me see
15	if I can clarify. So the AP1000 sites have strategies
16	that they proposed to the staff. We're reviewing
17	those. They have committed to the SAFER, the FLEX, the
18	phase three portions of that approach, and so that is
19	our expectation.
20	So they do have these strategies. We're
21	reviewing verbal submittal now, as a matter of fact.
22	Vogtle received an order. There's a fairly complex
23	history that I don't want to get into now about who
24	received what when. Vogtle received an order, Summer
25	received a license condition. But we can defer that

(202) 234-4433

	37
1	and we'd be happy to share that
2	MR. BOWMAN: I think I might be able to add
3	some clarity to it. In the order EA-12-049, currently
4	operating reactors were subject to the requirements
5	that were included in Attachment 2, which required that
6	the guidance and strategies be capable of addressing
7	simultaneously an extended loss of all alternating
8	current power and a loss of normal access to the
9	ultimate heat sink.
10	The COL holder at the time was Vogtle 3 and
11	4. They were subject to the requirements of Attachment
12	3, and that was phrased as the mitigating strategies
13	that had to be capable of addressing a simultaneous
14	extended loss of all alternating current power and a
15	loss of normal access to the normal heat sink. In
16	recognition of the fact that, during the station
17	blackout period, the first 72 hours, an AP1000 licensee
18	would not lose access to the ultimate heat sink because,
19	at that point, the ultimate heat sink is the atmosphere.
20	It's not going through the circ water system or some
21	other fluid-based system to get the heat out. So
22	that's why the phrase was the normal access to the
23	normal heat sink, and that's how it should be read.
24	We may need to modify the language to make
25	it clearer if it's confusing to anyone. But the intent

(202) 234-4433

	38
1	is making that set of requirements generically
2	applicable, and we include the ESBWR as the other
3	passive plant that has the same sort of treatment.
4	MEMBER STETKAR: Eric, thanks. That
5	helps me a lot. I hate to quibble over words. I read
6	the "or-comma" with a parenthetical phrase as somehow
7	an exclusive or what I heard you say is it's actually
8	a logical "and." That's what I heard you say. Now,
9	if you didn't intend it to be that way, think about it
10	carefully. In other words, if I need to look at
11	mitigating strategies for an AP1000, I need to account
12	for an extended loss of AC power and loss of normal
13	access to the normal heat sink. If you don't intended
14	it to be that way, if you intend it to be something
15	different, make it clear.
16	MR. BOWMAN: Well, yes. Personally, I
17	love to quibble over words. It was supposed to be
18	between the loss of AC power and either loss of
19	MEMBER STETKAR: Or for these things, loss
20	of okay.
21	MR. BOWMAN: And we'll take that back.
22	MEMBER STETKAR: Okay. I just hung up on
23	it because I tend not to look at the long history of
24	stuff that's evolved, especially in, you know,
25	industry, you know, documents and stuff like that.

(202) 234-4433

	39
1	This is rule language, so, I mean
2	MR. REED: And by the way, in rule
3	language, every word matters.
4	MEMBER STETKAR: It does.
5	MR. REED: That's why it makes it hard.
б	MR. MCKIRGAN: And if I could, I just
7	wanted to make sure it was clear, those licensees and
8	applicants are required to have these strategies.
9	MEMBER STETKAR: That's right at the
10	moment, given the Vogtle and Summer situation, I just
11	want to make sure that the next AP1000 that gets built
12	that isn't Vogtle or Summer, make sure that they know
13	what they need to follow.
14	MR. REED: Should I I go too fast on
15	these, and I recognize that. So I'm going to try to
16	slow down. I talk way too fast.
17	CHAIRMAN SCHULTZ: Well, I guess, Tim, my
18	questions are, it's in the language, as well, and I'm
19	taking that you've got some fairly general terms here
20	in this slide. And I'm presuming that was a way to
21	frame the rulemaking process and that the detail
22	associated with establishing what those general terms
23	means will come out in the rulemaking process. And I'm
24	looking particularly at would make them generically
25	applicable. We could talk about that for the rest of

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	40
1	the day, I'm sure, what that means: generically
2	applicable. And then also regulation would require
3	SAMGs. So, I mean, that's a general going-forward
4	mission, and the details of determining what those
5	requirements would be, there's a whole spectrum of both
6	actions and requirements and obligations.
7	We talked yesterday a moment about how, so
8	we have beyond design basis external events and we want
9	to be sure that, as we put our attention toward that,
10	we don't put so much attention toward that that we upset
11	all of those things that we want to do to assure
12	appropriate, safe, routine operation of the facility.
13	So we have to keep that in mind as we go forward with
14	all of this.
15	MR. REED: Well, I think probably several
16	of the members of the committee know that I've been
17	involved with FLEX regulations since the get-go, and
18	I've also been involved with risk prioritization
19	initiatives, so I'm very familiar with what is,
20	frankly, an extraordinary amount on the plates of
21	licensees out there, and they're having to, basically,
22	prioritize that and make decisions, tough decisions.
23	You heard a little bit of that yesterday at the very
24	end, and that is a very big concern of mine, too.
25	There's been an extraordinary amount of work by very,

(202) 234-4433

1	very good people, very talented people. Thousands and
2	thousands of hours. A lot of capital has already been
3	spent. A lot going into implementing the mitigation
4	strategies order.

And as we extend it into other areas, it gets me very concerned that we're taking a lot of attention on capital resources and focusing away from the day-to-day operation and reliability stuff that really matters at a much higher level in terms of safety. So I definitely have that very same concern, and I think the committee is sensing that, too.

12 It makes sense to have some of this stuff 13 in place, no question. But if we take too much 14 attention and focus and push it on that, you know, 15 looking there, guess what? We're not making it better, 16 and we're probably making it less safe. So we've got 17 to be careful about this and how we do that.

So, absolutely, I agree 100 percent. Thatshould be our mind set as we move forward.

20 MR. BOWMAN: To address the other part of 21 your question or comment, the phrase of making it 22 generically applicable, it's intended to be а 23 recognition that what we're doing is not merely 24 codifying the words that went out in the order 25 previously. We're taking into account the lessons

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

5

6

7

8

9

10

11

that have been learned and the implementation. That's why we aren't just going forward and keeping in place the interim staff guidance that was issued in 2012, but we're working up the new regulatory guidance to accompany the rule. And that's why the words that we're proposing in the rulemaking don't exactly match what it says in the order.

8 CHAIRMAN SCHULTZ: appreciate that Ι 9 explanation, Eric, because that's not how I think 10 everybody would interpret generically applicable. So that's, it's very interesting that you provided an 11 elaboration which is different than what I would have 12 taken, and I think many others would have taken a 13 14 different interpretation of it.

15 MR. BOWMAN: When you do orders 16 although in this case, in Fukushima's case, we did have 17 quite a bit, I think it was an unprecedented amount of 18 public participation in those orders. Prior to that, 19 I'm not sure that's ever happened in order space. 20 Certainly, a ton of public participation in development 21 of the guidance for the order, but there was actually 22 even public involvement prior to the March 12th, 2012 23 But that's not like -- in rulemaking space, orders. 24 we have a lot of openness and a lot of public 25 External stakeholders get much more participation.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

	43
1	ability to influence the process, and we've learned
2	things in implementation space.
3	All of that factors into it, and so we try
4	to find out did we do it right, did we hit the mark,
5	shouldn't we have done it, can we fix it, can we do some
6	things differently? That's making it generically
7	applicable. I don't like the word codifying because
8	codifying says, hey, we already did it, we're just going
9	to put it in the regulations. No, that's not part of
10	rulemaking and that's not the way we do things. So
11	that's why I'm pretty sensitive to the words
12	generically applicable, and that's what they mean when
13	I use them and that's exactly what
14	CHAIRMAN SCHULTZ: I appreciate that.
15	I'm glad to get it on the record. Thank you.
16	MR. REED: All right. So we're talking
17	about the way this paragraph B is structured, these
18	three guidelines, guideline sets, if you will, and
19	integrating them into what are currently in existence
20	as the symptom-based EOPs that went into place after
21	TMI. And there was an awful lot of work during the
22	1980s. Some of the folks here were involved with that.
23	And the way this is structured is consciously
24	structured to try to leave the EOPs and all that work
25	intact, not unnecessarily or inadvertently cause any

(202) 234-4433

need to go back and basically dig up any of that. That work should stay intact, and we tried to structure it such that we want the, you know, connections, the transitions, and all that to be built into these guidelines such that they are basically one smooth set of, if you will, or one integrated seamless capability across the guideline sets.

So as a practical matter, you heard how the FLEX guidelines are being built right into the station blackout EOP, so you understand how that goes. And I just give you one example.

So that's the idea, to integrate them and leave that work in place and, hopefully, that's what we want to try -- this rulemaking language should be structured in that way. And if it's not, I certainly want to hear about it because there's no intent to revisit the EOPs and that work that's been done in the 1980s. So that's why it's done that way.

I believe previous draft versions, you might have seen them more listed altogether, and that's why you see a little bit of change on the language the way it is today.

And then I think the other thing is to recognize that, once you have this integrated response capability, well, you need to have command and control

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

in place to implement that across these different 1 guideline sets and the way the accident proceeds and 2 3 enough people on the staff to make that happen. In my personal view, I think, and this is another area we want 4 to understand, I believe everything that's been done, 5 in terms of the staffing analysis and that work there, 6 7 should, in fact, be the staffing that we'd require for 8 this entire response capability. And I think that 9 command and control structure that's in place right there should be sufficient, too. And why I'm saying 10 11 that is pretty simple. If you have the command and 12 control structure to deal with a beyond design basis external event for your entire site, damaging multiple 13 14units, and being able to handle that situation, making 15 calls to off-site resource centers and doing all that, 16 I think you could then extend that into a core damage 17 scenario. I think it's actually pretty simple to do In other words, you already have the command and 18 that. 19 control in place. 20 So that's what I'm trying to say there. In 21 other words, there's a little bit of a difference here.

The command and control and staffing right now has been

linked up directly to mitigation strategies, the

mitigation strategies order they implement right now,

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

but will they support that with also SAMGs?

(202) 234-4433

22

23

24

25

(202) 234-4433

It's a

	46
1	slight spread, if you will, in the regulatory into
2	SAMGs, too. But I don't think it makes a real impact
3	on licensees, and I want to make that clear as another
4	area where I would point this out and say, hey, look
5	here, what are your thoughts? So we have to understand
6	what that is there and if, in fact, if it's real.
7	MEMBER SKILLMAN: Have you tested that
8	assumption with a couple of different licensees?
9	MR. REED: Not at this point. I'm doing
10	it verbally right now, and it's something I would want
11	to ask questions about to see if, in fact, that's the
12	reason it's back there. And every one of these areas,
13	this is the great thing about rulemaking, I can put a
14	proposed rule out like that, ask all these questions,
15	try to get all this, and try to hit the mark on the final
16	rule I'm getting right, you know, so I don't do anything
17	that isn't going to necessarily impact. So this is an
18	area where I'm just trying to say I think it looks like
19	it's all in place, and I don't believe it's an impact,
20	but, hey, tell me, tell me what it is.
21	We're going to be ahead of schedule here
22	if we don't start getting this committee to wake up and
23	ask questions.
24	MEMBER CORRADINI: We can start arguing
25	with each other if you'd like.
	NEAL R. GROSS

(202) 234-4433

(202) 234-4433

	47
1	MR. REED: If I have to, I'll try to get
2	that to go. I've been in the ACRS a long time, and
3	that's a strategy I use if I have to.
4	So the next thing I'll I'm going to skip,
5	and you're going to see paragraphs C and E. I'm holding
6	D for the next slide, and that will be George's slide.
7	So this is just convenience to fit it all in one slide.
8	And I'll start off C, but we have the expert here if
9	you want to get into the details. It's Eric on
10	equipment requirements from the mitigation strategies
11	order. But once you see, and if you go to paragraph
12	C
13	MEMBER STETKAR: We do. So I'll just slow
14	you down and stop you right there. The words say
15	equipment relied on for the mitigating strategies
16	required by paragraph B1 of this section must be
17	reasonably protected from the effects of severe natural
18	phenomena that are as severe as the design basis
19	external events in the licensing basis for the
20	facility. That means we design it, we make sure that
21	this equipment as good as but not necessarily any better
22	than any of the equipment that is disabled by the exact
23	event that we're trying to protected against.
24	I have a real personal this is
25	subcommittee, so I can say I have a real personal

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	48
1	problem with that notion. If this equipment is
2	supposed to protect us against events that are more
3	severe than the events for which we've designed the
4	plant, why do we not have assurance that it has margin,
5	and we can define what that margin is in guidance but
6	margin, additional margin against those events.
7	Because I read this, and it just says if the stuff in
8	the plant is going to fail at a 0.5g earthquake, this
9	stuff has equal likelihood at failing at that same 0.5g
10	earthquake. We don't have to design it to have a lower
11	likelihood of failing at that same earthquake, so what
12	are we buying?
13	MEMBER CORRADINI: Can I ask so I'm kind
14	of with John, although yesterday in the discussion with
15	the utilities I had the sense that they felt there was
16	margin. But I think there's a need to somehow quantify
17	it or at least recognize
18	MEMBER STETKAR: In the rule, I'm
19	sensitive in a rule that you do not want to specify how
20	to do that. You want to specify the intent. And to
21	me, the way this reads is the intent is one does not
22	need to design it with any different thought process
23	than I design the safety-related stuff in the plant.
24	Not any worse, certainly; but not any better. It does
25	not need any additional margin. So I'd like to kind

(202) 234-4433

49 of explore that. Again, notwithstanding any other 1 industry guidance because industry guidance can say 2 whatever it is. This is rulemaking. 3 4 MR. BOWMAN: This is an area where we may 5 wind up changing the rule based on the outcome of the draft COMSECY that will be subject to discussion later 6 7 Where we are with this is a direct result of the on. 8 direction that we got in the SRM to COMSECY-11-0093 that 9 told the staff at the outset of the beginning of this 10 regulatory action to take the actions that had been 11 recommended in Recommendation 1, which were -- the 12 major one of concern that would have allowed us to do 13 that was the establishment of an extended beyond design 14 basis limit. Being told, no, you cannot in these 15 regulatory actions establish an extended beyond design 16 basis limit, it took out, essentially, the option that 17 had been recommended in the portions of the NTTF report 18 Recommendation 4.1, in particular where the task force 19 had recommended adding an additional 15- to 20-foot 20 margin for the flooding hazard.

21 So that's where we were with it. If you 22 look at the wording that was in the order, it was a 23 little bit different than the wording here. It just 24 said reasonable protection against external events, 25 and the industry guidance, if you look at it, does point

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	50
1	to other information about hazards. But we're very
2	sensitive to arbitrarily choosing an amount of margin
3	to add to the design basis. And the other thing is,
4	recognizing that if you're safety-related structure
5	systems and components are only protected to a certain
6	level, there may be no benefit to having something that
7	is protected to a greater margin than you require for
8	the safety-related structure systems and components.
9	If I have a generator that's protected to 20 feet above
10	the protection that's afforded the electric power
11	distribution system, it's great. I have a generator
12	that will run, but I don't have anything to connect it
13	to.
14	So that's the dilemma we had, in large
15	part. Tim had mentioned in the beginning of this
16	presentation, if we had the opportunity to accomplish
17	the reevaluation of the external hazards prior to
18	embarking on the mitigation strategies development, we
19	probably would have come up with a different set of
20	requirements. But we are where we are with it, and
21	that's why we've got the proposal that Mr. Reckley's
22	drafted that's going to be presented to the commission
23	to come to a different conclusion.
24	MEMBER STETKAR: Let me stop a moment
25	because you guys are really good about monopolizing the

(202) 234-4433

(202) 234-4433

	51
1	time, so I'll stop right here. I hear what you're
2	saying, and, if I was someone who basically did not want
3	to do something, I could interpret all of what you said
4	the way you said it. I'm now seeing words in a rule.
5	And, again, I am not advocating that a rule should
6	specify how to do it. A rule should the term
7	specify, the intent or what should be done.
8	The rule now says effects of severe natural
9	phenomena that are as severe. That is now an even more
10	strong limit that I don't even have anything more
11	severe. I have to think of things that are as severe
12	as the design basis. So it's even more restrictive
13	than what you said now in the rule language. And,
14	again, in a rule, why can't you say that it should have
15	additional margin against events that are as severe?
16	MR. REED: Because I have to justify that
17	in backfit space, so I need to have a rational backfit
18	justification for imposing that new requirement and
19	that would be a substantial new requirement. So while
20	I understand that rulemakings establish the minimum set
21	of requirements and if I'm going to go beyond that I
22	need to have a very sound basis. I mean, I know that's
23	process. I understand that. But that's the reality
24	in rulemaking space.

MR. BOWMAN: And the other reality is how

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

(202) 234-4433

much additional margin should there be? 1 Is that something that the commission should delegate to me to 2 3 decide, or who is supposed to make that decision? We do have the ongoing reevaluation of the external 4 5 hazards under NTTF-2.1. You see the language as it is because we do not want to get ahead of the decision on 6 7 the part of the commission in changing the language to 8 presuppose a policy decision that they haven't made 9 yet. 10 MEMBER CORRADINI: Can I have you guys 11 repeat everything you just said because what John is 12 suggesting seems reasonable. How you put it in the 13 language, it appears to affect you. So say it one more 14 time of why it can't be because one could think of at 15 least as severe or as severe with margin, and then you 16 said that can't be done. One more time. 17 MR. REED: Sure. I mean, if I were to say 18 let's put in some requirements to say you shall have 19 additional margin on protection of equipment that 20 you've already put in place right now to the tune of 21 \$3 or \$4 billion in EA-12-049. Guess what I just did? 22 I raised the protection level on all the equipment you 23 just implemented. They're going to have to go -- it's 24 going to be an extensive amount of new modifications

Okay.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

and new costs.

25

(202) 234-4433

What's the benefit for health

and safety? Where am I going to be on 50.109 backfit? 1 Where's my safety benefit? Do I have a substantial 2 3 additional benefit with regards to safety, and are the costs, both indirect and direct, justified in view of 4 that? 5 6 MEMBER STETKAR: So because of time 7 constraints, because we have to get orders issued, and

constraints, because we have to get orders issued, and because the industry decided that they will follow their interpretation of a very restricted notion of what I need to do, and they took the risk of that, we're now in the situation where we are. Is that a fair characterization, or is that an unfair characterization?

14 MR. RECKLEY: This is Bill Reckley. 15 We're going to talk about this a little bit later this 16 And I know it's a bit confusing because morning. 17 you'll have basically two things in front of you to write letters about in the early December meeting. 18 One 19 is the rule language. And as Tim and Eric are 20 describing, they weren't constrained because the 21 Commission hadn't made a decision. Their constraint 22 was because, you know, I had failed to get that paper 23 up earlier to ask the Commission to weigh in on 24 basically replacing that language about as severe as 25 the design basis with what we were being asking in the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

8

9

10

11

12

13

(202) 234-4433

	54
1	COMSECY, which the language will become well, I won't
2	say what the language is. I'm not a rulemaker. But
3	the effect will be that the design basis language will
4	be replaced with the reevaluated hazards coming out of
5	Recommendation 2.1, which is the guidance used for
6	citing of new plants.
7	MEMBER STETKAR: But, Bill, that is still
8	I'm glad you said new plants, so let's divorce it
9	from the existing fleet because I don't want to get into
10	words over those. For a new plant, that will become
11	the design basis, right?
12	MR. RECKLEY: Largely, yes.
13	MEMBER STETKAR: Okay. This says, this
14	says for a new plant I do not need to design any of my
15	mitigating strategies with any more additional margin
16	above that design basis. So we'll keep it in the
17	abstract new plant arena because it's a little bit less
18	politically incendiary to do that.
19	For a new plant then where I have the new
20	hazard, I have the new flood level, at least our
21	snapshot of those in time, those become the design basis
22	for that new plant. This says for that new plant I
23	don't need any margin above that, right?
24	CONSULTANT SHACK: If you go to the next
25	bullet under the equipment qualifications, the

(202) 234-4433

equipment has to receive adequate maintenance such that it's capable of fulfilling its function following design basis external event. So you've got one requirement that says you're only protected up to the design basis event, but the next requirement says we ought to work on a beyond design basis event. It seems somewhat contradictory.

8 MEMBER CORRADINI: So I have a question. 9 All of this is deterministic. It seems to me that, if 10 you're going to go down this path, you'd want a 11 risk-informed approach that says, at the very least, 12 it's got to be the design basis, and then we evaluate 13 the risk and the consequence when I go beyond it by some 14 amount. And all of this, to me, strikes me as we're parsing it in a way that makes it very difficult to 15 16 unravel.

17 MEMBER STETKAR: See, that, in some sense, 18 that might be part of how to demonstrate the additional 19 There might be other ways of margin. how to if 20 demonstrate the additional margin. But it's 21 codified in a rule that I don't need to do that, then 22 you never get to the question of how do I demonstrate 23 that additional margin on a site-by-site basis. 24 MR. REED: It's interesting. You know, I

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

personally do --

(202) 234-4433

25

1

2

3

4

5

6

7

1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	56
1	MEMBER CORRADINI: I have smarter people
2	in the committee that
3	MR. REED: I think it's an interesting
4	idea. I view the mitigation strategies order, and this
5	is what we're talking about in these two provisions that
6	you brought up, Dr. Stetkar and Dr. Shack, just as
7	basically providing an additional defense-in-depth
8	capability, recognizing the uncertainties associated
9	with beyond design basis external event. And those
10	words are right out of EA-12-049. And I think it
11	definitely does that.
12	But when you say, okay, I'm going to
13	establish something even beyond that, whatever it might
14	be, you know, twice the seismic event or three times
15	or something 50 feet higher, I don't think that was ever
16	the intent, personally, of that order. It was an
17	additional capability that's there, an all-hazards
18	capability if you will, that's there. And I think it
19	does that, and that's what we're trying to do here.
20	Now, if 2.1 comes along and establishes a
21	new envelope, then we're going to have to deal with that
22	new envelope. And that's another issue.
23	MEMBER BLEY: You had a key phrase there,
24	and that was about the uncertainty.
25	MR. REED: Yes, that comes right out of the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	57
1	order.
2	MEMBER BLEY: But that's going to be in the
3	rule language? I mean, that's the key thing. You
4	know, that takes care, at least for me, the things Ms.
5	Stetkar has raised and it's close to what Mike said,
6	at least from my interpretation of it.
7	MR. REED: Yes. It's in supporting
8	section by section right now. You don't see it here,
9	but I view the extended loss of AC power, loss of
10	ultimate heat sink as a surrogate on-site condition
11	that if you design a capability to address that
12	situation and you give protection to your equipment
13	from external events for your facility, you've
14	developed an additional capability that's sufficient
15	for uncertainties for beyond design basis external
16	events. I don't think you should pretend that that's
17	giving you anything more than that. Just my personal
18	view.
19	MEMBER RAY: Back to the conversation we
20	had earlier, it is a diverse, an additional capability.
21	MR. REED: It is.
22	MEMBER RAY: It isn't a substitute for a
23	
24	MR. REED: It's multiple sets of
25	equipment. It's different. It's located different.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	58
1	I think there's
2	MEMBER RAY: It isn't a, it isn't a way of
3	addressing a hazard that exceeds the design basis
4	because it is, as John was implying by his questions
5	or asking by his questions, how we deal with events that
6	are beyond the design basis. It is an additional means
7	of dealing with beyond design basis events.
8	MR. REED: It doesn't get you margin by
9	more protection, but it does give you something there
10	by additional capability and flexibility. And I know
11	that's a little different way of doing it, but I think
12	it's very real.
13	MEMBER RAY: Well, in deterministic
14	space, that's what defense in depth did, at least going
15	back to my roots. Nobody claimed that you would never,
16	ever have an event beyond the design basis, but you had
17	defense in depth. Well, this is enhancing that
18	tremendously, but it's not changing it to become
19	something different.
20	MR. REED: Exactly.
21	MEMBER RAY: Okay.
22	MR. REED: That's my perception, and
23	that's why I view these things. I'm not sure that's
24	satisfying to the committee, but that's
25	MEMBER STETKAR: That's satisfying to me

(202) 234-4433

because I see people using installed equipment in their 1 plant design and fortified in some cases because they 2 3 haven't done that yet to only the design basis as part 4 of this mitigation strategy. So I'm not talking about 5 dropping diesel generators into the site with I'm talking about taking credit for 6 helicopters. 7 installed equipment that actually exists in the plant. 8 I'm saying I only need to qualify that equipment up to 9 the design basis seismic acceleration to satisfy this 10 requirement. 11 MR. REED: Ι think that's what this 12 accomplishes. And I don't want to advertise it as 13 being anything more than that. People think or are 14 perceiving it's much more, and I don't believe it is. 15 And, yet, this is all in MEMBER STETKAR: 16 the context of things that are beyond that. 17 MR. REED: It's saying words I think -- I 18 think you've got a good point there and I think also 19 Dr. Shack does, too. Maybe we ought to look at these 20 words a little more carefully because they may be not 21 the right words. 22 CHAIRMAN SCHULTZ: I think we do because 23 it seems as if, and we talked about this in general terms and we'll talk about it more, as Bill indicated, but 24 25 we're trying to move forward, put in place a new rule,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

and, yet, we seem to be handcuffed by the way we have 1 done things before and the language that we can use 2 3 because it's already in place. And, yet, we are doing all of this because the Fukushima event happened and 4 caused us to reawaken in a number of different ways. 5 The first recognition was that our regulatory process 6 7 is fundamentally sound, the plants are fundamentally 8 safe. However, there are things that we can do. And, 9 yet, as we're moving ahead to do these things, we find 10 the language is bound up in the way we have done things 11 before, and that's why I question just in terms of 12 timing or in terms of how we do things. And I know 13 things have to be done rapidly or they won't have an 14effect on the current generation of plants. Rapidly 15 is in the eye of the beholder, I guess. But it is 16 important to keep in mind that we shouldn't be 17 constrained by the previous regulatory framework, and 18 we've talked about other frameworks that might be 19 utilized in order to make good decisions in specific 20 areas of improvement that make sense. 21 And I think what John is pointing out here, 22 using the old language with new approaches, it doesn't 23 seem to make sense, in terms of setting the requirements 24 or, not requirements, the expectations. John said the

rule sets expectations, and then it's up to

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

(202) 234-4433

the

	61
1	implementer to determine how that should be done.
2	MEMBER BROWN: I mean, I'm just sitting
3	here listening. I mean, I tend to not sympathize,
4	that's the wrong word, but understand the idea that the
5	mitigating stuff we have on site, that you've got to
6	establish some ground rules for which it's going to be
7	designed. Your comment is if we design it for anything
8	greater, the stuff we've got in there may have broken
9	and, therefore, we have nothing to connect it to.
10	I would extend that a little bit because,
11	while I kind of agree with that, to me, you're looking,
12	if you go beyond that and you have stuff that breaks,
13	you're going to be dependent upon stuff you bring in,
14	not necessarily stuff you have on site, because you
15	don't know what's going to break. You may have to
16	bypass some electrical systems with cables out in the
17	plant where you can. You're going to be doing a lot
18	of stuff like that.
19	That type of stuff you can bypass. A
20	generator with a set of bearings that break, you haul
21	it out of the place wherever it is you want to hook it
22	up. It takes a long time to replace bearings. It
23	doesn't take a long time to do their stuff, and,
24	therefore but if you look at the FLEX equipment, what
25	do you bring in? Pumps. You're bringing in

(202) 234-4433

	62
1	generators, all kinds of stuff for whatever the
2	circumstances are. You're still dependent upon the
3	pipes. All the little fittings, all those pipes,
4	you're assuming in some way are going to still be in
5	place so that you can
6	MEMBER STETKAR: The switch gear that
7	you're plugging into, for example, is there.
8	MEMBER BROWN: No. The pipe that runs the
9	water into the plant you're assuming is going to be
10	there. The electrical stuff you bring in, you may be
11	able to bypass stuff in the electric plant that breaks.
12	The pipes you're still ultimately dependent upon. So
13	there's a lot of subjectivity in terms of how far you
14	go.
15	But if you ask me what you want to beef up,
16	it's not the stuff you're going to haul in or place.
17	It's the stuff that's there, like the fundamental, what
18	I call the blacksmith technology: the valves you have
19	to open, the pipes that have to feed into the plant.
20	Those are the pieces that you are most subject to lose
21	in the bubble and not being able to accomplish your goal
22	of preventing, as opposed to allowing it to get into
23	a severe accident space.
24	So I don't know.
25	MEMBER STETKAR: Let me finish, okay?
	NEAL R. GROSS

(202) 234-4433

	63
1	You have to establish a level somewhere. And if you
2	put yourself I'm taking your side. You're in a
3	never-ending death spiral if you say, okay, now, the
4	mitigating stuff I put in the dome is going to be capable
5	of twice the design basis accident. Well, now, how do
6	you prevent that from keep ratcheting up and ratcheting
7	up? If I'm going to do that, why am I not upgrading
8	stuff in the plant so that I'll be able to use that if
9	I I just think it's a never-ending death spiral and
10	you're somewhat dependent on being able to bring in
11	stuff from outside the plant, put it in, bypass
12	electrical stuff, and hope your pipes are in place where
13	you can run water in. Okay. I'll stop there. Now you
14	can go argue, but I'm going to disagree with you.
15	CHAIRMAN SCHULTZ: Tim, that is
16	objective. Go ahead, Mike.
17	MEMBER CORRADINI: Yes, this is how time
18	marches on. But I think, Charlie, I might reinterpret
19	what you said to be the we'll take piping since you
20	call it blacksmith technology. There's margin there
21	that could be determined by some sort of risk-related
22	analysis that say, for a design basis set of rules and
23	regulations, this is what it can stand, but we know it
24	can stand more than that. By doing some analysis and
25	understanding, I have margin. Now, once I capture that

(202) 234-4433

(202) 234-4433

	64
1	margin, I might choose to not upgrade it. I might just
2	choose to take that reliability and that chance of being
3	beyond that as part of the future way I handle beyond
4	design basis.
5	So I'm not disagreeing with what you're
6	saying. I'm just simply saying the way the rule is
7	written or at least the way the current one is written,
8	it doesn't accept that possibility. That's all.
9	MEMBER BROWN: Naval ships actually have
10	to have a lot of capability that they take, they account
11	for damage. And they have a bunch of junk laying
12	around. That's not junk, by the way. That's a poor
13	choice of words. And they trained on being able to go
14	in and connect stuff right directly, bypassing the
15	entire electric plant, bringing in power separately
16	from another plant and plugging it into special
17	connectors or, you know, whatever you have that are
18	mounted right on the component, still depending on that
19	component still be able to run. There's a fundamental
20	limit as to how far you go.
21	My only point is I think we can get wound
22	up in working too hard on the language because you have
23	to pick something for the industry to design to.
24	MR. REED: This very issue is the one we've been
25	wrestling with for a couple of years, and it's good to

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433
	65
1	hear this interaction because you guys are
2	MR. BOWMAN: The reaction I've got is that
3	is what, as a practical reality, licensees are doing.
4	We're seeing them depending on site-specifics. If
5	they know that they may have a flood hazard of a certain
6	level, they plan for where they can connect the
7	generator to the electric power distribution system and
8	where they're going to have to bifurcate the electrical
9	power system so that it doesn't get inundated. And
10	that's what you will see as an outcome if the Commission
11	goes forward and accepts the recommendations in the
12	COMSECY. We may wind up making that generically
13	applicable as a requirement as part of this. But I'm
14	very hesitant to say in regulatory language that you
15	have to add margin because it's just as bad as using
16	language like you have to provide reasonable
17	protection. Reasonable means something different to
18	me than it does to the rest of you guys, and I do believe
19	you're all reasonable, but I recognize that we all have
20	different opinions. The amount of margin that you can
21	consider margin, somebody may think one millimeter over
22	the reevaluated flood hazard is adequate margin. Some
23	people may think you need 15 or 20 feet.
24	MEMBER STETKAR: Let me stop you for a
25	moment here. How do you answer, and this is from an

(202) 234-4433

actual plant, obviously will not be named, the attitude that says our mitigating strategies take credit for this equipment that we have installed in the plant. Now, that equipment is not currently safety related, so we realize that we have to enhance this equipment and right now we're doing that because we need to meet a certain deadline and we need to absolutely comply with the law or at least our interpretation of the law.

9 So we are enhancing that equipment to be 10 able to withstand our current, our current design basis 11 earthquake acceleration, which I'll use a bizarre 12 number of 0.05g just so I don't identify the plant. And 13 that's what we're doing right now. We need to get that 14 done in this refueling outage so that we satisfy our 15 interpretation of the rule. We've already reevaluated 16 our new hazard, and we know that that's 0.1g. But we 17 don't have to update our equipment right now to 0.1q 18 because we don't know what that's going to mean. We 19 don't need to design additional margin in because we 20 only need to do it to 0.05g right now because that's 21 our interpretation. So no notion of additional 22 margin, and that's installed equipment. That's not 23 helicopter dropped stuff with cables.

And, oh, yes, well, if it's later determined that our design basis hazard is 0.1g in

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

	67
1	regulatory space, yes, we might need to further upgrade
2	that equipment to 0.1g. No more because that's what
3	the rule says. That's the attitude. That's the
4	attitude that's promulgated by words like this, and
5	that's what's really being done by the industry.
6	MR. BOWMAN: The way I would address that
7	is that
8	MEMBER STETKAR: I used seismic because
9	seismic is a continuous spectrum, as opposed to floods.
10	MR. BOWMAN: I recognize that. That's an
11	approach that can be taken by individuals that are
12	working in stove pipes. We looked outside of just what
13	is happening in mitigating strategies. We've also got
14	the Recommendation 2.1, seismic activities, that
15	include the evaluation of the phase one mitigating
16	strategies equipment to the reevaluated seismic
17	hazards, and that's supposed to be taking place in the
18	not very distant future.
19	A licensee that operates in a stove pipe
20	and acts the way you suggest they'd act is setting
21	themselves up to have to redo it in order to comply with
22	future requirements.
23	MEMBER STETKAR: Just remember, stove
24	pipes apply to regulators, also.
25	MR. BOWMAN: Oh, I know. I recognize
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

that.

1

CHAIRMAN SCHULTZ: Here's a concern. 2 So you put the language in here, and there's some level 3 of dissatisfaction somewhere because we're only up to 4 5 the design basis there. So now I can see a tendency to say, well, we need to then handle this with the 6 7 revised definitions or evaluations of external 8 hazards. And as we do that, we come up with a 9 different, really a different conceptual approach to 10 the reestablishment or the establishment, I'll call it a reestablishment because I think it could be a 11 12 different approach, to establishing now what the new design basis is for external hazards. And instead of 13 14 doing what I did 30 years ago, I'm doing it differently 15 using a different philosophy. because I'm I can 16 understand using different data. Data changes. But 17 if you use a different philosophy in order to bump up 18 or increase the design basis because you couldn't 19 handle it here and establishing what one would do and 20 your expectations for beyond design basis, then you 21 really have created a poor situation again for the 22 operating plant you were trying to work with so that 23 they can continue their safe operation, which we've 24 established exists. You say, well, we don't want to 25 do that because it would cost a lot to upgrade that

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

By increasing the design basis 1 equipment. and expecting the compliance to that revised design basis, 2 3 that's going to be extremely expensive. Well, it's interesting because 4 MR. REED: 5 we're mixing two different worlds here. There's a world where you want to establish a new event and 6 7 there's an additional capability, and they're not the 8 And that's what's going on here. So you want same. 9 to talk about a bigger event, okay? That's basically, 10 that's GDC-2 against, make it a bigger event. That's 11 a defined event, a defined damage state, and I would 12 have a defined way I would try to address that. Here 13 we're talking about an additional all-hazards 14 capability that's there for you. They're not the same, and every time we try to mix it it gets really hard and 15 16 it's what's happening right here. If you have a new 17 event and you have the risk information and it's there and it's warranted, then certainly we would take 18 19 regulatory action in that circumstance, no question 20 about it. But until you have that, I think we're in 21 this additional capability thing, and maybe we can 22 stretch it and maybe we can make it work and give that 23 capability for some of these other things, even if we don't have all the risk information available, and get 24 25 a lot of benefit there perhaps. But until there's

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

really sound risk information to take a regulatory 1 action, you're not going to see that. Well, we're 2 going to take your SSE now, and it's two or three times 3 bigger. Before that happens, there better be some 4 sound risk information because I have to do that in 5 backfit space in an order. 6 I mean, so --7 MEMBER RAY: You do have adequate 8 protection as an alternative. 9 MR. REED: Yes. 10 MEMBER RAY: Let's not forget that. 11 MR. REED: Yes, and that's based upon 12 risk. MEMBER RAY: But it's an alternative to 13 14 backfit space. 15 Well, adequate protection MR. REED: 16 means you don't have -think 17 MEMBER STETKAR: Т adequate protection, I believe the case history is whatever the 18 Commission defines it to be. 19 20 MR. REED: Well, that's policy. 21 MEMBER STETKAR: So it's -- don't book it to numerical risk. 22 23 MR. REED: I'm going back to the section 24 for 50.109, but, yes, you're right. 25 MEMBER RICCARDELLA: Just from а

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	71
1	practical perspective, and I'm trying to improve my
2	understanding, what we're trying to address is
3	Fukushima and what happened at Fukushima, and we're
4	talking about adding this extra equipment. Would the
5	rulemaking, as it's written, permit the Fukushima plant
6	to install this emergency equipment at the same
7	elevation as their existing diesel generators? And if
8	they did, would the extra equipment have done any good?
9	MEMBER STETKAR: The answer to that is, I
10	believe, Pete that's a good question because their
11	design basis was whatever that tsunami height was. So
12	I believe this rule would have allowed them to put the
13	additional equipment at, you know, three meters above
14	sea level because that was their design basis.
15	MEMBER RICCARDELLA: And then, you know,
16	again, I'm not enough of a systems guy, but if they had
17	done that, would this additional equipment have done
18	any good to mitigate that accident?
19	MR. REED: No, it wouldn't have been, but
20	if you had the information available to them and we did
21	a 2.1 assessment for tsunamis on Fukushima, what would
22	we have found? A lot of historical information, an
23	analysis saying over 50 feet. If I do that analysis,
24	guess what I end up with? I have an order to
25	immediately shut down all six units and fix them, no

(202) 234-4433

(202) 234-4433

	72
1	question about it.
2	So 2.1 on Fukushima says shut it down
3	immediately. The risk was pegged based on information
4	available. So that would have been a 2.1 situation,
5	Fukushima.
6	MR. BOWMAN: We can ask the same question
7	when we get to the recommendations of the COMSECY that
8	the mitigating strategies be capable of dealing with
9	a reevaluated hazard, which would, if these
10	requirements were imposed on Fukushima, have had them
11	show that they could withstand that particular hazard.
12	And the other thing that I suggest is that
13	if we. As I mentioned before, I love quibbling over
14	words. The phrase beyond design basis, you can take
15	it to mean ever-increasing hazard levels, or you can
16	take it to mean events that happened that are not
17	covered by the design basis. I would prefer the events
18	that happened that are not covered by the design basis
19	because that doesn't put me in the position of needing
20	to figure out when I say in regulatory language that
21	it needs to be able to work in a beyond design basis
22	event just how severe a hazard in the beyond design
23	basis is it. But you're anticipating that in a
24	response to 2.1. The design basis is going to change,
25	and then these plants are going to have to go back and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	73
1	reevaluate this equipment to make sure that the new
2	equipment at least meets the new design basis. Is that
3	what you're saying?
4	MEMBER RICCARDELLA: No, what I'm saying
5	is that, depending on the outcome, it may or may not
6	change the design basis or the licensing basis.
7	MR. BOWMAN: Oh, sure, some plants will
8	still
9	MEMBER RICCARDELLA: But the
10	recommendations to the COMSECY would be more that the
11	mitigating strategies have to be able to operate with
12	the systems of the plant in order to show that they can
13	prevent fuel damage when that hazard or if that hazard
14	occurs.
15	MR. BOWMAN: Clearly, this plant, the 2.1
16	hazards aren't going to change. But, you know, as I
17	understand it, it's about a third of the plants that
18	the response spectra is going to double. So for that
19	one-third of the plants, how are they going to have to
20	address this new equipment that they just put in?
21	MR. RECKLEY: Eric, if I can, again, we're
22	going to talk about this a little later, but I think
23	one of the things that the Committee can think of is
24	to start to think of the COMSECY and this rule language
25	in tandem because what you'll see when you have to make

(202) 234-4433

	74
1	or choose to write a letter on a COMSECY that, if the
2	Commission were to not affirm what we're asking them
3	to, which is that these mitigating strategies should
4	address the reevaluated hazard, this is the outcome.
5	And all the questions you're asking about the
6	limitations, the mitigating strategies, the placement
7	of equipment at the same level being vulnerable to the
8	same event, that's the outcome if the Commission were
9	to choose not to affirm what we're asking them.
10	So when you're looking at these two things,
11	I know we put you in an awkward position basically of
12	saying the rulemaking is on track one and, at the same
13	time, we have another proposal that's actually changing
14	what you're hearing right now that we're going to ask
15	that you also weigh in on. But really what you're
16	seeing here in the rule language is if the Commission
17	were to not act on the COMSECY or to not affirm what
18	we're asking them to do, this is the outcome. So just
19	think of it that way as you're kind of developing what
20	your opinions of both the rule and the COMSECY.
21	MEMBER STETKAR: You were worried about
22	getting done early.
23	MR. REED:
24	CHAIRMAN SCHULTZ: Tim, do a few more
25	slides. I want to call the break at 10:15, so go ahead.
	NEAL R. GROSS

(202) 234-4433

(202) 234-4433

	75
1	I'm going to stop you
2	MR. SHEA: Just a quick comment on that
3	last I'm also in the flood hazards
4	CHAIRMAN SCHULTZ: Oh, identify yourself.
5	MR. SHEA: Jim Shea. I don't think Bill
6	has that quite true. If you look at the flood hazard
7	2.1, they actually have to reevaluate their flood in
8	the flood hazard reevaluation. Interim actions have
9	to address any new level, and, in fact, licensees then
10	are addressing with their FLEX equipment that they
11	still have. And then they would protect it against
12	whatever that new flood hazard is. So really it
13	doesn't, it's quite, you know, it's a little different
14	to what Bill was saying.
15	MR. REED: Let me continue then. I think
16	we're done with the equipment requirement section and
17	gone to training. I hope I can get through this. I
18	may need some help.
19	So what you see right now in terms of
20	training is aligned, I think, with some of the thoughts
21	you heard yesterday.
22	CHAIRMAN SCHULTZ: We did.
23	MR. REED: We're talking about using a SAT
24	process. This would not be required to be
25	INPO-accredited, but it would be site type process

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

looking at basically all the new job tasks, a job task 1 analysis of what's new, what's put in place, and then 2 3 using a SAT process to make sure that folks get trained 4 accordingly. 5 So we're trying to make it as flexible as possible, what makes sense there. 6 Nonetheless, I 7 think people would have to be taking a look at what their 8 already trained on, what's new, do that gap analysis, 9 develop that training, and do the training. So that's 10 the kind of idea.

I'm personally not a training expert, as 11 12 you, I'm sure, can tell. I think that this would 13 largely be -- now, when I say new training, I mean beyond 14 the order, beyond the EA-12-049, okay? There's a 15 substantial amount of training in place for that. 16 There's some training going in place for level 17 instrumentation, as you heard yesterday. What I'm 18 talking about is what's beyond that in terms of what's 19 new in this rule. I think that would be focused, again, 20 presuming SAMGs as requirements in the SAMG area in 21 terms of making sure engineering staff understand the 22 SAMGs, making sure the ultimate decision makers are trained on the SAMGs and understand that material and 23 24 how to use it.

> Don't focus only on the CHAIRMAN SCHULTZ:

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

25

	77
1	SAMGs. It's training on the integrated suite of
2	guidance, directives one through three. So it isn't,
3	it isn't EOPs in isolation. It isn't orders in
4	isolation. It's not SAMGs or EDMGs in isolation.
5	It's now training on the integrated suite of guidance.
6	I mean, that's the way I've
7	MR. REED: That's what the requirement
8	would cover, in fact. I was looking at what would be
9	beyond what's already happening right now. It's not
10	a lot beyond what's happening right now.
11	MEMBER STETKAR: Tim, kind of building on
12	John Stetkar's comment earlier about equipment and to
13	the current design basis, I want to make a comment about
14	the training words where the proposed wording or at
15	least the present wording communicates at F3, "The
16	licensee shall conduct subsequent drills, exercises,
17	or both that collectively demonstrate a capability to
18	use these strategies and guidelines in paragraphs
19	(b)(1), (b)(3), in succeeding eight-year intervals.
20	Getting to the notion that John just
21	mentioned, there really is a suite. It begins with the
22	EOPs and flows into the beyond design basis ELAP, EDMGs,
23	and the SAMGs. The wording doesn't say each of those,
24	and I've spent enough time training and being involved
25	in exercises for years that, unless you say each, then

(202) 234-4433

	78
1	the training can be schmoozed and one element of that
2	can be short sheeted.
3	So if you really want to know that the teams
4	can do SAMGs, you've got to rehearse them on that. If
5	you want to know that they can do the EDMGs, you've got
6	to rehearse them on that. So somehow in that wording,
7	each need to be exercised and the suite needs to be
8	exercised, and you've identified an eight year period.
9	That would probably be reasonable, but that period
10	needs to make sure that all the ships and all the new
11	people on the ships experience the training so everyone
12	is qualified.
13	So I think adding the word "each" assures
14	that no piece of the suite has been unexercised.
15	MR. REED: I'm going to need some support
16	from folks in the room, but a lot of this is in
17	NEI-13-06, which we're going to endorse. A lot of
18	these details are not here. I would say and, in fact,
19	I have a slide here in a bit on paragraph F that we're
20	trying to be as flexible as possible here and allow
21	people to do bits and pieces. For example, you heard
22	yesterday about somebody may illustrate a part of this,
23	the stripping portion separate, and another part, you
24	know, hey, show me you can move debris. That can be
25	done separately. It doesn't have to be all continuous

(202) 234-4433

(202) 234-4433

	79
1	in time or what have you. So we have that flexibility.
2	But I understand what you're saying, too. Hey, you
3	need to show me you can do FLEX, you need to show me
4	you can EDMGs, you need to show me you can do SAMGs.
5	MEMBER STETKAR: Bingo. That's all I'm
6	saying.
7	MR. REED: And we understand that, too.
8	And I believe
9	MEMBER SKILLMAN: It is captured in
10	NEI-13-06, but bearing in mind that that would be just
11	one acceptable method of meeting the requirement. It
12	may be prudent to either say collectively demonstrate
13	a capability to use each of or all of the
14	MEMBER STETKAR: Not each of because we
15	already have experience where we have plants that have
16	fire response procedures and emergency operating
17	procedures. And operating crews are trained and they
18	become proficient on use of each of those, and they have
19	drills on each of those. And we've had events in the
20	plant, real events in real plants, where real operators
21	who were trained on each one and drilled on each one
22	in isolation have gotten hung up and have focused on
23	the wrong things because they're never trained on the
24	integration of all of those in a real event. That's
25	why not each is not the appropriate

(202) 234-4433

	80
1	MEMBER SKILLMAN: It needs to be that each
2	is rehearsed, but the integrated suite is also
3	rehearsed. That's the point I'm making. Words
4	matter. NEI-12-06 is industry guidance, and you're
5	writing regs. So if we want it to happen in the
6	regulatory space, it's got to be written in a way that
7	assures that we get what we're asking for.
8	MR. REED: Yes. I think we want to have
9	that assurance, and we want to touch upon all the
10	different pieces of it. But at the same time, I'm going
11	to be sensitive to the fact that this could be an
12	extensive amount of drilling, too, so we've got to be
13	careful on that, too. And we could do that and then
14	see what folks feel about that, how much of an impact
15	that is.
16	CHAIRMAN SCHULTZ: Tim, I'm going to ask
17	you to move to the next slide.
18	MR. REED: Sure. That will be George
19	Tartal's portion.
20	CHAIRMAN SCHULTZ: Okay. If that's the
21	case, we will stop here, take a break, and be back at
22	10:25, please.
23	(Whereupon, the above-referred to matter
24	went off the record at 10:12 a.m. and resumed at 10:27
25	a.m.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	81
1	CHAIRMAN SCHULTZ: I'd like to call the meeting back to order from recess and
2	move forward on the slides. We've had a request from the bridge line, and you might understand this,
3	that they're having difficulty knowing which slide we're on, so as we move through them we'll just call
4	out the number when you're making the presentation. So, we are on Slide 8, and I'll turn it back over to
5	you, George, for your presentation on this slide.
6	MR. TARTAL: Okay. Good morning, everyone. I'm George Tartal from the Office of
7	New Reactors, and I'm going to be addressing Slide 8 here on the Proposed Rule Language for
8	Paragraph D, the New Reactors Requirements. I'm going to start in the middle of the slide here on the
9	intent. All right?
10	So, the intent of the additional rule language under Paragraph D is really in
11	implementing the Commission's Advanced Reactor Policy Statement. And I've added a couple of clips
12	from that policy statement on the slide here so that in the Advanced Reactor Policy Statement it says
13	that, "The Commission expects at least the same degree of protection of the environment, public health
14	and safety, and the common defense and security that's required for current generation light water
15	reactors." And also, "Enhanced margins of safety and/or the use of simplified inherent passive or other
16	innovative means to accomplish their safety and security features."
17	Additionally it says that, "New reactors should consider the following attributes,"
18	and there's a couple of bullets that I pulled out from the policy statement, such as longer time
19	constants, sufficient instrumentation to allow for more diagnosis and management before reaching
20	safety systems challenge and/or exposure of other equipment to adverse conditions." And also,
21	"Simplified safety systems that where possible reduce required operator actions, equipment subjected
22	to severe environmental conditions, and simplified systems should facilitate operator comprehension,
23	reliable system function, and more straightforward engineering analysis."
24	So, with all of that said in the Advanced Reactor Policy Statement, what we're
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

www.nealrgross.com

	82
1	looking for for new reactors is for new reactors to be better able to address the effects of the extended
2	loss of AC power that we've been discussing here this morning. And in doing so, we're looking for new
3	reactors to have a greater reliance on installed equipment versus the FLEX equipment like we've been
4	talking a lot about this morning. Also, less operator actions, if possible. And also, more time for
5	diagnosis, planning, and preparation like you heard in the Advanced Reactor Policy Statement.
6	Now, I'll also caveat that this rule language would not obviate the need for FLEX
7	equipment. Right? What we're talking about mostly here is the installed equipment that's being
8	considered for Phase 1 that I believe you heard about yesterday.
9	So, with that, with that intent B-
10	MEMBER STETKAR: George, can I ask you B-
11	MR. TARTAL: Yes, go ahead.
12	MEMBER STETKAR: B- just B- and shut me down if you're going to get to this,
13	but if I look at the longer time constants part of that policy statement, and I think about what we were
14	hearing yesterday B- I understand AP 1000 and ESBWR. What I want to look at now are other so called
15	active new reactor designs. We've got a couple in the design certification pipeline right now. And if I
16	look at those designs, for example, they have what I call traditional battery lives, the safety-related
17	batteries have design lives of like two or four hours. If I had an extended loss of AC power at one of
18	those plants, I would need to invoke extensive load shedding like the current operating fleet to extend
19	the lives of those batteries.
20	As part of this for new reactors, are you looking at those types of issues, or are you
21	only looking at dropping a diesel generator in more quickly?
22	MR. TARTAL: I'm going to turn this one over to John McKirgan. He's leading the B- $\!$
23	MEMBER STETKAR: That's part of that time constant.
24	MR. TARTAL: It is. And now you're down into sort of the guidance level of the rule.
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

	83
1	MEMBER STETKAR: Okay.
2	MR. TARTAL: So, I'm going to turn it over to John.
3	MR. McKIRGAN: Thank you, George. John McKirgan again for the New Reactor
4	Staff. Those are exactly the considerations that we're struggling with right now. And that's exactly why
5	we're putting this proposed draft language before the Commission, because we do want to
6	B- historically, we had been following the operating fleet and using the same guidance and following
7	along that. And as we reflected on that and thought about some of the opportunities available for the
8	new reactors, and as you've keenly focused on, the active designs are an area of focus for us in this
9	area. We thought this was enough of a deviation from what we had been doing that we needed to go to
10	the Commission and get explicit approval from the Commission to take this path. But those are the
11	kinds of considerations.
12	In New Reactor space could you simplify some of the actions that are necessary?
13	Could you extend the diagnostic time? So, the short answer to your question is yes. A lot of that, as
14	you'll appreciate, will come in guidance, so we are very much B- the guidance is not, unfortunately,
15	ready yet, but those are the considerations that we want to have, but we felt we needed Commission
16	acknowledgment to pursue that.
17	MEMBER STETKAR: Thanks, that helps a lot. Thank you.
18	MR. TARTAL: So, one other piece before I get into the specifics of the rule text is
19	going back to, I think something Dr. Schultz said about an hour ago, talking about sort of being
20	handcuffed by the way that we are implementing the current orders on the operating fleet. So this
21	would be going outside of those bounds, if you will. This will be going something in addition to what's
22	happening with the orders. And we wouldn't be, necessarily, bound by those restrictions. The operating
23	fleet has already implemented this, so there's some limitations to what we can do in the rule. So, this is
24	outside of those bounds.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	84
1	And in saying that, so let's go to the first sub-bullet under the Assessment
2	Requirements, is we are applying this rule language only to applicants that are listed in Paragraph
3	(a)(4) of the applicability language. So, the intent here is that we're forward fitting this part of the rule
4	language. This Paragraph D would be a forward fit. We're not intending to backfit any current licensees,
5	we're not intending to backfit any of the current design certification holders. This is a forward fit. This is
6	going forward for new reactors.
7	And the other part of this is B-
8	MEMBER CORRADINI: If I might ask, is that because of a technical reason, or is that
9	just B-
10	MR. TARTAL: Backfit justification.
11	MEMBER CORRADINI: Oh, I thought you were going to say something different.
12	AP1000 have a character that are different, so I thought that's what you were going to say.
13	MR. TARTAL: No, I wasn't going to go specifically to ESBWR, ABWR, or any of those.
14	This is more of a generic issue B-
15	MEMBER CORRADINI: Okay.
16	MR. TARTAL: B- that in going forward we can't justify the B- at least the way it's
17	currently drafted we can't justify the backfit for any of the current design certifications to include this
18	assessment piece. So, this would be for any applicants going forward.
19	MR. McKIRGAN: If I could, George.
20	MR. TARTAL: Go ahead, John.
21	MR. McKIRGAN: Going back to B-1 think part of the intent here was to look at
22	design attributes and design features, and so to the extent that we were going to impact design looking
23	at designs going forward, trying to assess the already certified designs had limited benefit. AP1000
24	ESBWR, I think you appreciate the B-
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	85
1	MEMBER CORRADINI: So, you would treat them C-the ones going backward that
2	have certifications on a case-by-case basis then?
3	MR. McKIRGAN: Let me say it this way. I mean, it is B- when you look at the overall
4	rule, those licensees that are referencing already certified designs have the other provisions of the rule
5	applied to B-
6	MEMBER CORRADINI: Okay. Right. Okay, okay. All right, fine.
7	MR. TARTAL: So, the other piece of this that I wanted to mention is, we're really
8	trying to get at implementing this as early in the design process as possible. I talked a few minutes ago
9	about the use of installed equipment. The best time to plan for that is during the design process, so
10	that's why we're going at it at the applicant stage.
11	So, the next sub-bullet here talks about the specifics of the rule language of requiring
12	a design-specific assessment of the effects of an extended loss of all AC power concurrent with the loss
13	of normal access to the ultimate heat sync. And then based on the results of that assessment, we're
14	looking for the applicant to incorporate into the design features that B- and, again, I'm going back
15	through these same concepts, minimizing reliance on human actions, enhancing coping durations and
16	demonstrating the ability to maintain those functions. That's what we're really trying to get, and as
17	well, possibly providing diverse power supplies to support extended coping and recovery.
18	So, with that I'll turn it over to the Committee. The Committee have some ideas,
19	questions about the rule language?
20	CHAIRMAN SCHULTZ: Any comments or questions on this slide? We'll move
21	forward. Thank you.
22	MR. REED: Okay, back to me. George doesn't throw his arms around enough. I'm
23	sure you're getting bored, so get back to me and watch me flail about.
24	MR. TARTAL: Keep them awake.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

86
MR. REED: Exactly.
MR. TARTAL: Thank you.
MR. REED: We've talked about two things on this slide, both probably will be of a lot
of interest to folks. First is the drills and exercises requirements of Paragraph F. We've talked about this
a little bit already. In fact, in that regard, I was talking to some gentlemen out in the audience at the
break and they indicated that the implementation guidance is exactly what you were suggesting, Mr.
Skillman, that the intent is to show all the capabilities. So, I just wanted to get back to that real quick
because you brought that up earlier, so I want to make sure I didn't forget that.
It's structured to first have initial drill that basically would be something that would
show the use and transitions. And if I go wrong on anything, I've got experts in the room to correct me,
but it would be something would be unqueued, so essentially as a licensee you'd have to be able to
basically have the capability to do anything in this suite of guidelines. So, that would basically show us
in a drill form that you can do this stuff. You can use and transition between the different guideline sets
and EOPs. And whether that's in the FLEX, or SAMGs, EDMGs, what have you. And then following that
we have this continuing 8-year calendar period recurrent cycle that you see there. So, that's how it's
structured. It gets very complex, unfortunately, because of all the different circumstances that we could
find ourselves in in licensing space in Part 50, and Part 52. So, I apologize for the complexity, but
depending on who you are and where you are in the licensing process will basically define whether
you have to do a drill prior to getting your license, and then what the periodicity is following that. So,
that's really in a very high level, I'm not getting down into all the machinations of that complex cycle,
what that's really getting to.
I'll hold on that, see if that's B- if the Committee has any questions on that from the drill requirements.
So, then going on to change control. This is another issue I'm sure that's B-I know
some folks have some interest in. We're dealing with beyond design basis event capabilities here. 50.59
NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	87
1	does not work in beyond design basis world. Okay? So, we know B- we knew from the get-go that we
2	needed something to evaluate changes in a beyond design basis regulatory framework, so the idea of
3	Paragraph G is to put in place an additional change control provision that addresses the beyond design
4	basis aspects of a change.
5	Basically, the current structure has B- it's different in terms of every other change
6	control that I'm familiar with. In other words, it doesn't have a threshold criteria against which a
7	licensee would say hey, I might cross this boundary and now I've got to come to the NRC. Okay? What
8	it simply says is you shall comply with the requirements of this section. Okay?
9	Now, obviously, that goes without saying. If you're a licensee you have to comply
10	with these requirements, and so somebody might say what's that? You know, if you were going to
11	change your facility you would have to comply with them, but what it's making people do is evaluate
12	this thing, document it, maintain that documentation for NRC inspection so that we can come and look
13	at it and see whether, in fact, we agree with it.
14	What we did, frankly, is punt on this threshold because it's a very challenging thing
15	to do to try to understand where would I set a threshold to judge changes? Okay. I might be able to do
16	something like that for mitigation strategies, just thinking off the top of my head. Maybe I have a set of
17	criteria says hey, have you done anything to degrade your ability to maintain or restore core cooling, or
18	spent fuel pool cooling, or containment, or reasonable protection? I could go through the B- I could do
19	it almost set that kind of stuff. I haven't tried to do that here because that would be one set of criteria if
20	you could ever get there on mitigation strategies. They would be different for SAMGs. Okay? They
21	would be different for EDMGs, so it's a pretty complex situation.
22	I think it's an area where I'm looking forward to trying to get some feedback from
23	external stakeholders and say hey, this is what we've got. Right now it doesn't have a lot of flexibility.
24	This section, my section supporting this would say hey, if you're making a change and it remains within
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	88
1	basically endorsed guidance, you're good to go. And as you folks heard yesterday, that that endorsed
2	guidance is, in fact, building in all the new information alternatives, so there is more flexibility being
3	built into the endorsed guidance for mitigation strategies, so it would allow that. But right now that's
4	the envelope you're in, the box you're in in change control. And if you get outside of that, okay, you
5	really have really two options here. And it would be up to licensees' own decision.
6	One, if you don't think you meet these requirements, clearly, you have to send an
7	exemption under 50.12. Okay? So, that's just, you know, Regulations 101. That goes without saying.
8	So, you don't meet a regulation, you think you're okay. You come in under exemption space. I don't
9	think B- it's not optimal but that's, nonetheless, the situation we'd be in.
10	The other one is if you're a licensee and you say hey, I'm not B-I don't think I really
11	am in compliance with endorsed guidance, but I think this is a better way to do it. And I think I meet the
12	requirements. Then I think that licensee right now, there's no B- there's really nothing there for that
13	licensee. Under their own volition they could send in something for us to review and approve, and I
14	think we'd have to probably follow something like 50.90 license amendment or process.
15	Now, that's just the way I see it right now real time. We're wrestling with this issue,
16	and I know industry is wrestling with it, too. And I'm very interested in hearing that feedback from
17	industry, and their thoughts on this, too. So, nonetheless, that's where the change control provision is
18	right now.
19	We had some feedback from industry earlier on at one of the public meetings about
20	a negative consent type approach. We thought about that. You don't see a negative consent approach
21	right now in there, so I'm just saying that we've considered that feedback, but right now this is where
22	we're at. So, I will be quiet now and see if B- what the thoughts are on the room.
23	CHAIRMAN SCHULTZ: The example or the sequence that you didn't mention is I'm a
24	licensee and I'm meeting the requirements, but I feel I can still meet the requirements and change my
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	89
1	equipment, change my process in such a way that reduces effectiveness but still meets the
2	requirements. And this would say that is acceptable. I just have to meet the requirements, and I can
3	B-it's not like an emergency planning situation where any degradation to the program needs to be
4	reviewed and evaluated; rather, I could change the program, not get review and evaluation, as long as I
5	meet the requirements.
6	MR. REED: That's correct. That's exactly the way it's structured today, and the
7	licensee that would do would be taking that at their own regulatory risk, so they would have to
8	maintain that documentation. And if we came later and said you reduced effectiveness, of course, we
9	would be looking at that. So, that's the circumstance as it exists today. That's correct. The current draft
10	rule language is, that's correct, I should say.
11	CHAIRMAN SCHULTZ: Any other questions on this area? Let's move forward.
12	MR. REED: Okay. So, we have all these new requirements basically broken into two
13	chunks, if you will. We have a kind of a standalone portion, if you will. It doesn't work quite this way,
14	the 50.XXX portion that you saw. Then we have a separate set of requirements that we've located over
15	into Appendix E. Okay? So, these are, obviously, requirements that relate to EP, and that's why we
16	relocated them there. We thought that was a good place. We had some stakeholder feedback to that
17	regard.
18	So, the way we've done that is kind of two-fold. We've built directly into the current
19	Appendix E, or we're suggesting building in directly into requirements what are called the multi-source
20	term dose assessment requirements. Okay? So, the idea there is a licensee updating that software
21	capability, developing the training, completing that training. Once that's in place, that will be invisible
22	to basic of the EP organization, so that kind of makes sense to build it into the current EP capability, so
23	that's why we did it that way.
24	Then in addition to that, we've built in a new Section 7 that's separate from the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	90
1	current six sections of Appendix E, and which, by the way, it's outside the change control of Appendix
2	E. And that's 50.54(q) would not apply. Instead, the change control I just talked to, 50.54(g), I mean,
3	50.XXX(g) would apply, so that's this Section 7. And that's getting to staffing and communications
4	requirements, the requirements that if you recall were part of the 50.54(f) letter that I mentioned at the
5	very beginning, that's where you see those in Section 7. So, that's how we did that.
6	And then we have a final, I'll call is a clean-up provision. Right now if you go and you
7	look in the emergency response data system portion of Appendix E you'll see a reference to modem
8	technology, and we're going to remove that. Obviously, we're a little behind the times around here in
9	technology but we're trying to B-I shouldn't joke about that, but we're removing the modem reference
10	and making that more neutral in terms of technology. So, that's an easy thing to do. That's already been
11	implemented, so we can clean that up. So, that's the Appendix E portion of this proposed B-draft
12	proposed rule language as it stands today.
13	Okay, then we have B- and I don't have a lot of detail on this. We have application
14	requirements, because until we establish submittal information type of requirements for new
15	applicants, whether that's under a Part 50 or a Part 52-type process. And, you know, essentially if you
16	go and you look at that, you'll see basically what we're requiring in terms of information on this
17	integrated capability, as well as the B- as George Tartal mentioned earlier, this design assessment
18	capability. Depending on what part of that process you're in, if you're early enough in the applicant
19	process you'll have basically all of it, if you're later on the process, and operating license process we'll
20	be asking about this integrated capability. And if you go through that you'll see exactly the language.
21	And we tried to basically make it whether you're in Part 52 or Part 50, it's basically the same kind of
22	situation where that's a parallel part of the process, or a similar part of the process, recognizing they're
23	different. So, there's the application submittal requirements that we have to build into our regulations,
24	also.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	91
1	Okay. Now, the next part of this regulation is a part that you did not get. It's not
2	complete, and that's the implementation section. So, I B- basically, if you're looking at draft language,
3	you'll just see basically a bullet, a list of items that I know that if we, in fact, are going to put into place,
4	this is all the new kind of thing B- all the new stuff the licensee would have to put in place to be in
5	compliance with this new set of requirements. So, this is important from a CER, cumulative effects of
6	regulation process standpoint. We need to understand what that is, how long does it take, get as much
7	information on that as we can, and give people an opportunity, a proper opportunity in terms of
8	implementation schedules to get that done. So, we're working that issue.
9	Right now I see that in several different areas. Licensees would have to develop, or at
10	least supplement the current configuration, change control process to add this new change control
11	provision in there. They would have new training requirements. As we mentioned before, there would
12	be this new basically a gap analysis to understand what new jobs and tasks there are, develop that
13	training, do that training. There may be more command and control, there may be more stuff. As I
14	mentioned, I don't suspect that, but I don't know that for sure, but there may be some impact there.
15	The SAMGs I think would be where most of this, in fact, would occur, basically
16	putting in place plant-specific SAMGs that we would expect to reflect the Owners Group, the most
17	recent Owners Group SAMGs, updating that to be, you know, consistent with the current plant
18	configuration, and then maintaining them within the configuration of the plant. Again, presuming that
19	SAMGs become requirements. The efforts to integrate these guidelines I think are largely done, but I
20	think it would be more thorough and systematic how we work through that guideline integration. That
21	would have to be another area of where licensees would have to work through the process to
22	implement this.
23	Equipment requirements, of course, those could be substantial requirements. I think
24	largely would be in place right now because of the two orders but, nonetheless, it's a potential there
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	92
1	that we could have some new requirements. And, actually, another potential, if some the Commission's
2	actions on Mr. Reckley's paper here that could change the rulemaking and be substantial impact there.
3	Multi-source dose assessment capabilities, again, licensees changing out that
4	software, making it multi-source term capable, develop the training, training the appropriate staff and
5	deploying that. So, these are right now what I see as additional beyond everything that they will have
6	done based on the post-Fukushima orders. These are new pieces that I think we'd have to be sensitive
7	to, and understand what it's going to take to implement this. But those provisions are not written at this
8	time, so working on them as we speak.
9	CHAIRMAN SCHULTZ: The phrase, "will use the cumulative effects of regulation
10	process," that's for B-during the rulemaking, or the rulemaking will establish that this will happen in
11	the future?
12	MR. REED: That's a process we use as part of vulemaking. And the aspect I'm
13	talking about here is, in particular, when it comes to implementation, is during the final rulemaking
14	process, what we do is we have a public meeting where we meet with external stakeholders. We
15	basically at that point have a fairly complete set of final requirements, and what we do is we try to
16	understand as best we can at that point in time what the situation is from licensees, and what they can
17	accommodate in terms of implementation, and then make adjustments, as appropriate. So, that's a part
18	of the current CER process that we have right now.
19	CHAIRMAN SCHULTZ: Late in the process.
20	MR. REED: Yes, that's in the B- that particular piece of the CER process, much bigger
21	than that, but that particular piece is at the final rule. And it supports understanding, implementation
22	impacts, and adjusting implementation periods.
23	CHAIRMAN SCHULTZ: Want to clarify when it occurs.
24	MR. REED: Yes.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	93
1	CHAIRMAN SCHULTZ: Late in the process, is appropriate. Thank you. Any other
2	questions on this slide? Moving to Slide 11.
3	MR. REED: So, you guys have heard me say the word "backfit" a few times. I'm a big
4	fan of backfit if you haven't figured that out. But one of the things that when we consolidated this
5	rulemaking together into one basically consolidated rule, or what we're calling the mitigation beyond
б	design basis events rulemaking now is we recognize very clearly that there are some fundamental
7	different bases for different parts of this rule. Okay?
8	The requirements stemming from the previously implemented orders are not
9	backfits. They have already been imposed, so making those generically applicable, okay, would
10	basically be not a backfit. Presuming you're not stepping way beyond that and, in fact, extending the
11	requirements. So, those are one set of requirements and, in fact, that's right now where we stand in
12	terms of if you look at mitigation strategies order and the way that's been implementing, the intent
13	right now is to basically make that, as you've heard yesterday, part of this framework and in that
14	footprint. So, no intent right now to go beyond that regulatory footprint in terms of mitigation
15	strategies, and neither in terms of the spent fuel pool level. So, those are not "new backfits." Okay?
16	Basically, this is B- that's about making those provisions now putting them into the
17	Code of Federal Regulations, that's basically just good rulemaking practice, making that available in the
18	Code of Federal Regulations.
19	Now, everything else now beyond that does not have a supporting backfit basis.
20	Okay? So, that really is all the portions on the onsite emergency response capabilities rulemaking that
21	we pulled in. Now, it can get rather complicated, and I think it's really B- kind of a better way to look at
22	it is to bin this into kind of a couple of different bins.
23	First of all, it's all the order requirements, not backfits. And then, basically, everything
24	else that really is substantive relates to SAMG requirements from the onsite emergency response
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	94
1	capabilities portion of this. Whether that's the SAMG guideline set itself, whether it's training for the
2	guidelines, whether it's drills to send into SAMGs, it relates to SAMG requirements. So, the way we're
3	structuring the supporting analysis is to be able to basically bifurcate, if necessary. If the Commission
4	directs us and says no, SAMGs will remain voluntary, then I can basically be able to go to what I call
5	Plan B, make the change, switch out SAMGs, and adjust the package accordingly. So, that's the way
6	we've kind of structured that. So, it works pretty much like that.
7	Then we have a few additional requirements that don't really work into that. We
8	have the multi-source term dose assessment, which is a voluntary B- voluntarily being implemented
9	by industry, as I understand, to be complete by the end of this year, I believe. Okay? So, that will be
10	implemented. It's a backfit but it will be no impact in terms of its ultimate impact. So, backfit without
11	impact I believe is how I am calling it there.
12	And then we have B-Mr. Tartal was talking to today what are called forward fits,
13	and that's chosen very nice to say not backfits, so it's not an imposition on a current licensee. It would
14	be going forward, and we can do that without jumping through the hurdle of backfit. So, that's another
15	area.
16	And then what I call a kind of clean-up provision to remove the technology reference
17	currently in the ERDS portion of Appendix E. So, looking through that, that's how the requirements bin
18	B- and I just want to start with that so you understand how they're sorting out, and then we can go to
19	what are obviously the most substantive portion of the backfit, and that's SAMGs. That's the next, and I
20	think probably the most interesting slide in the package, at least in my view, so that's the next.
21	SAMGs, it's a very B-I think B- and it's a very interesting situation we find. I think
22	there are very strong arguments for SAMGs, and very strong arguments against SAMGs. And what we
23	B- our intent is to provide the entire picture to our Commission because this is why B- this is what the
24	Commission is there for, to make these kinds of decisions. So, our job is really to try to completely
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	95
1	inform them, give them the complete picture, and let them make the best decision possible.
2	So, one of the qualitative and I think personally strong arguments for SAMG
3	requirements. Now remember, folks, there are SAMGs. They do exist right now. They've been in
4	existence and implemented at facilities since December 1998, and they were, obviously, voluntary
5	initiatives. Okay? What we'd be doing is making that a requirement.
6	I think it's B- the strong arguments for them are this. Once you get to core damage,
7	and you have fission products, basically, now becoming in existence, obviously, and getting released,
8	now is when containment really matters. This is why the containment exists, so when you're trying to
9	make your best decisions concerning containment, and maintaining that capability, you would be
10	using B- making those decisions informed by this guideline set, the SAMGs. So, in my view, they're
11	kind of like the direct guideline set that informs one of the most important defense-in-depth features in
12	nuclear power plants, the containment. That's a pretty strong argument by itself.
13	At the same time, the same guidelines that would be used, of course, to inform the
14	emergency response organization in terms of the fission product barrier integrity, and whether you've
15	lost that, or you expect to see them, and that could be pretty important in terms of forming onsite and
16	offsite protective actions. So, EP, Emergency Preparedness, is another one of our defense-in-depth
17	foundational portions of our regulatory framework, and I see SAMGs as basically informing that. So,
18	my view is qualitatively I think SAMGs inform two big pieces of our defense-in-depth framework. And I
19	think they have extraordinary value. They have an amazing amount of talent, and expertise, and
20	effort went into these things from the beginning in 1992 when EPRI did the first technical basis
21	document, recently updated in 2012, a lot of great work by the Owners Group here recently to update
22	these things. These things have a lot of good information, pre-planned strategies that would be very
23	useful, and a lot of great supporting information in terms of what you might expect in an extreme event
24	such as this.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	96
1	And, basically, I think the value comes in, is that this is a tool that allows you to make
2	the most optimal decisions and use of all your resources available to you. That is the value. And I think
3	it's a very good value and, like I said, it's an enormous amount of effort over the years with
4	extraordinary people involved, and it certainly is B- in that sense you could say boy, this makes all the
5	sense in the world. Why aren't these things requirements right now?
6	Now, if I go to look at this thing from a quantitative standpoint and I tried to use all
7	of the available risk information that are available to us, and I've been I think rightfully accused of not
8	doing enough risk for this, and I don't forget that. I think you're right, we haven't done enough
9	risk-informed thinking in some of this.
10	Well, I went and looked what's available, and what's available, as this Committee is
11	probably very familiar with, is the work that Marty Stutzke has done for the containment protection
12	and release reduction effort there, and the regulatory basis effort there. He was looking at, of course,
13	the strategies that Mark I containments would take after core damage, and looking at where I can get
14	benefits from those strategies. And if you think about that, those are SAMGs. You're in SAMG space for
15	a Mark I.
16	In a sense, what you're really looking at there is what would SAMGs do for me in
17	terms of safety? And I think what Marty's work is showing is that while they don't do much in terms of
18	quantitatively and safety, and that's B- by the way, that's a good answer. That shouldn't surprise
19	anybody, and if it came out any other way I'd be actually concerned because after 50 plus years of
20	regulation, okay, we've reduced that core damage frequency pretty low, and that's what we do. Okay?
21	And we've pulled in 1980 EP regulations that are pretty effective, and move people out of harm's way,
22	so by both those front end and back end, and I'm in a severe accident situation and I'm doing what I can
23	with SAMGs, basically, stop B- halt the progression of it, or minimize the releases, I shouldn't see a lot
24	of benefit. If I do, then I actually would say whoa, I should not let this thing B- this sequence shouldn't
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	97
1	even get to core damage. You see what I'm saying? And that's the way we've always done it. We see
2	something that's an internal-external event driving something creating risk, we've got to go to SAMGs
3	and use SAMGs to reduce that. Of course not, we don't let it go to core damage. So, I think Marty's work
4	bears out that, basically, the product of all those years, and shows that unfortunately from a
5	quantitative standpoint they don't have a lot of benefit. Okay?
6	Again, from a health and safety perspective, I think it's a great thing for folks to know
7	that. Now, so I have that quantitative information there and says no, I don't think we could possibly
8	meet the backfit. No, you're frankly not even in the ballpark to meet the backfit kind of risk kind of
9	measures we typically look at. And you have a very strong qualitative argument says you really should
10	have these. Okay?
11	I think our thought is B-I think this is the kind of issue the Commission should
12	weigh in on. We would propose B- frankly, I think we ought to get all the folks, external stakeholders
13	to weigh in, too. And that's our proposal. Let's put this to the Commission, and suggest to the
14	Commission hey, let's get everybody's feedback, see what we think, and see what we do with the final
15	rule. So, that's kind of our proposal right now. So, right now you see a draft set of requirements with
16	SAMGs in place. So, I just wanted to talk through some of that work and see what the Committee's
17	reaction is to it.
18	MEMBER BLEY: The one thing you didn't mention here, or at least not directly, is the
19	thing you mentioned earlier, which was defense-in-depth as a measure to take care of our uncertainty,
20	and among other things getting outside of the design basis to a point we haven't looked. So, one thing
21	these offer, as does all of the FLEX stuff, is that should we have an event occur that we don't expect to
22	occur either because we just got unlucky, or because somehow our understanding of the uncertainty of
23	getting outside the design basis in one way or another wasn't complete. And then both the FLEX
24	equipment and the SAMGs give you a way out of that thing you never expected to happen. And you
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	98
1	didn't quite put it that way anywhere, and I wonder if you B- you must have thought along those lines
2	somewhere along the way.
3	MR. REED: Yes, I think B- we did. I think the B- there's a great B- a substantial
4	additional capability to mitigate, basically as you heard to alternate ways to maintain recirc cooling,
5	especially for cooling containment. All those capabilities are now in these facilities have become very
6	real. Guess what, they're also available in a post-core damage environment. So, the SAMGs now with
7	that additional capability, that's another big plus here to build that into the SAMGs, at least give those
8	tools to the folks. And on a bad day, at least they could have that available to them and see whether, in
9	fact, they can make the best use of it. So, that's another good thing about SAMGs, and make them
10	requirements, make sure those are built into.
11	Now, I forgot to mention, and this is another B-I did mention this earlier, and it
12	bears mentioning right here. There's another con to this, it's a pretty significant one depending on how
13	this would be implemented, and to what level of rigor.
14	If you put too much attention on SAMGs B- and, by the way, this was a focus in the
15	original SAMG effort in the '80s and '90s, you are diverting attention away from much more important
16	stuff. So, it was explicitly in the original SAMG B-
17	MEMBER BLEY: Put too much, you said too much.
18	MR. REED: Yes.
19	MEMBER BLEY: And I think another thing you didn't mention was right after
20	Fukushima you had a couple of orders to go out and look at B-
21	MR. REED: Yes.
22	MEMBER BLEY: B- B5B stuff, and at the SAMGs.
23	MR. REED: Right.
24	MEMBER BLEY: And you found at least some deficiencies in almost all of them, and
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

	99
1	some pretty severe, not being kept up to date and that sort of thing.
2	The thing that just I'm pretty convinced of is that you see a lot of credit to the
3	industry and to you guys for going ahead both with what we talked about yesterday with the FLEX, and
4	with the SAMGs, and making sure they're intact. And that is that some day sometime in the future,
5	some poor guy in a power plant is going to be really grateful to the folks who put all this stuff in place
6	because something happened beyond what the designers were thinking about, or what the safety
7	people had thought about, and this going to get them out of the way.
8	I still go back to the little thing I said yesterday that we could have made it a little
9	more flexible to be even more grateful. There might be day they'd say boy, I wish you had put a
10	connection somewhere else.
11	MEMBER STETKAR: Spray the containment, for example.
12	MEMBER BLEY: For example. And I think that idea of making sure B- the issue of
13	how much you train on these and that sort of thing is a different issue, and that does interfere to some
14	extent, although it might not be the same people that we're training. From the things we hear, it would
15	be a lot of other people who aren't every day in the running of the plant who are going to be taking
16	over the running of the plant and making sure they're up to that task, is something that ${ m B}$ -
17	MR. REED: Yes. To some extent, I think you're right. As long as I'm not taking an
18	operator, you know, out there and training him so much on SAMGs versus safe ${ m B}$ -
19	MEMBER BLEY: And the arguments for that have always made sense, but having
20	them so they could give guidance to the operators B-
21	MR. REED: Yes.
22	MEMBER BLEY: B- and for the people who are, if we go that route, taking over the
23	В-
24	MR. REED: I think if we had the guidelines set, you know, as a requirement and it
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
•	1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

	100
1	was maintained and updated over time, I mean, there's I think a substantial improvement in the most
2	recent SAMGs that EPRI put together. You know, Ed can talk to that. He's reviewed them, and so there's
3	a lot B- these things have really improved from 1992 to 2012, and the Owners Group and industry to
4	their credit has done a great job. So, you know, we'd like to make B- you know, get the benefit of that,
5	but at the same time the minute you do that, if you start to get B- say the B- we start to look at SAMGs
6	and now we start to say well, if you think it was difficult doing the mitigation strategies order and trying
7	to figure out how much is enough and what's right, imagine what that would be in a beyond design
8	basis type of scenario with core damage, and how do we get involved with that from regulatory
9	space? That's what concerns me, because that's extremely difficult to do, and we could get very heavily
10	resource-intensive and start driving this into a lot of detail. And then guess what, all our folks and
11	resources now have gone off, you know, basically away from plant safety and over here in the space
12	here, so that's one of the concerns I have.
13	MEMBER BLEY: But I think you can balance that. And the idea that these are out
14	there and you're looking at them to make sure they're up to date, people are doing what they say
15	they're doing with them, makes a lot of sense. I haven't heard, and there might be a tremendous feeling
16	against having some oversight on these SAMGs. And I think it sounds like we're past the point that we
17	will have oversight. We do now have oversight on the FLEX equipment and what needs to be in B5B. It
18	would be a shame to let worries not have us make sure this stuff is available.
19	MR. REED: And that's B-
20	MEMBER BLEY: Now, how much you train on it, most of those situations as they
21	were originally set up, you've got time to work things out. You get lots of help. But not having that
22	guidance available, not having the equipment that can make it work better, just because we haven't
23	kept vigilance on those B-
24	MR. REED: Yes.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

www.nealrgross.com
	101
1	MEMBER BLEY: B- would be a shame.
2	MR. REED: I've got to keep remembering, they do exist, and they're in place,
3	requiring them. And that's why B- that's a good reason to put this thing out there and get the feedback,
4	so folks out there may be able to inform us about how we can get that struck right, get the maximal
5	benefits, minimal impact, get the benefit of all that work and all that thought, and maintain it, and not
6	get us all of our attention, everybody, too much off the rails and over in some place where it's probably
7	not helping any of us in terms of public health and safety.
8	MEMBER BLEY: We don't get to talk to INPO very often. We're going to again soon,
9	and we did not long after the accident occurred, but the folks we talked to at that time were pretty sure
10	they were going to be tracking these a lot more than they ever had just because it's there.
11	MEMBER SKILLMAN: I'd like to reinforce Dr. Bley's commentary here on the
12	importance of these. Thirty-five years ago we were seven months into the TMI-2 accident, and I
13	guarantee to if those crews had had something like SAMGs, I don't know that the outcome would have
14	been radically different, but I believe that the thinking process that was really being done ad hoc would
15	not have been ad hoc. And there would have been some structure to the chaos that was occurring on
16	March 29th.
17	So, I think the thinkers in the industry would say these are worth, I don't want to say
18	codifying. These are worth being created in a very similar fashion as the EP, as the emergency
19	procedures so there's a smooth flow and transition either into the SAMG or into the EDMG, so the
20	teams in the control room really have comfort that they know when to move, and how to move to
21	provide the greatest protection for the containment, for decay heat removal, and for fission product
22	release. I'm with Dennis.
23	MR. REED: And there's been an awful lot of work, and I think that's out there, you
24	know. It's already occurred, and this is basically about making that work a requirement. And I don't
	NEAL R. GROSS
ļ	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

	102
1	know if you want to say B- Ed, we're fortunate enough to have Ed. He's been an expert on this forever,
2	and he's actually looked at the new work that has been done.
3	MR. FULLER: This is Ed B- is this on?
4	COURT REPORTER: Yes, it is.
5	MR. FULLER: Okay. This is Ed Fuller. Forever is a relative term, and permanent is an
6	absolute term. Regarding what Dennis was saying, I think that's very valuable insights, and I don't
7	know your name, sir.
8	MEMBER SKILLMAN: I'm Dick Skillman.
9	MR. FULLER: I appreciate what you said, as well.
10	The thing about the SAMGs is, yes, they've been a voluntary initiative for a long time,
11	officially since 1998 when all of the plants had to be in compliance, but really quite a bit earlier than
12	that, in the early '90s when the EPRI Technical Basis Report was developed and scrutinized very closely
13	by Owners Groups and the utilities. So, it's been an effort all along to find out what the right strategies
14	would be, the high-level actions would be, and put that in the context of the various designs. And in my
15	opinion, the industry did it right, that these SAMGs were quite good. Of course, there's always room for
16	improvement, and improvements are still happening. So, by the time 1998 came, I think we probably
17	were in pretty good position.
18	Of course, after the Fukushima accident, it was realized that certain things were not
19	properly addressed, or not addressed rather at all, particularly regarding spent fuel pool, and alternate
20	water sources. So, when EPRI made its revision to the Technical Basis Report, it added five more
21	candidate high-level actions which made sense. So, I took the time to review the new material, found
22	first of all that, indeed, the 15 candidate high-level actions identified still were valid, and the five
23	additional ones, in my opinion, are appropriate.
24	So, in terms of providing a technical basis for the rule language here which is very
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	103
1	short and simple, you know, protect B- try to prevent the core from melting, and try to prevent B- try
2	to mitigate fission product releases, try to keep the containment integrity as long as possible, those are
3	very simple. And I believe the approach taken is a good one.
4	And the reason why I think it's a good idea to make sure this is a rule is that after
5	Fukushima, some of the Staff went out and found that perhaps these weren't B- perhaps the training
6	wasn't being done as quickly, or thoroughly as it could have been, and perhaps people weren't up to
7	speed on how to deal with severe accidents. So, I believe that we're not asking the industry to really do
8	anything different, just to make sure they keep doing it.
9	CHAIRMAN SCHULTZ: Thank you. Tim?
10	MR. REED: Yes.
11	CHAIRMAN SCHULTZ: Just one comment and I'll make it short, but you mentioned
12	the work that has been done on the Mark I-Mark II plants, and we talk about in this context after core
13	damage, there was a lot of good work done to identify what could be done to prevent core damage and
14	all of that. And I just want to make sure that that's captured going forward, as well. Slide 13.
15	MR. REED: Sure, and I think I apologized once before about not providing draft
16	guidance, apologize again. Basically, our draft guidance is actually fairly extensive. As you can see,
17	we're planning to have a Draft Guide 1301. Principally, we review the most substantial portion of this
18	rule, and that's the mitigation strategies work, was not going to become 12-06 Rev 1. That's under
19	development right now. In fact, there was a public meeting a couple of days ago on that work, and
20	that's rolling into 12-06, the Lessons Learned, and the alternatives, and a lot of good information that
21	has resulted over that time period implementation of mitigation strategies.
22	In addition to that, we have a Draft Guide that would simply endorse NEI-12-02, and
23	that's the guidance that was developed in support of the spent fuel pool level instrumentation order.
24	That's NEI-12-051, and simply endorse that as one acceptable way to combine with the high-level
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

www.nealrgross.com

	104
1	performance-based requirements that we put in this rule, or the draft rule as it exists right now, and
2	that's the wide range spent fuel pool level requirement that you see currently in the draft language.
3	So, that would be an acceptable way.
4	In addition to that, we have several sets of additional guidance. First, there was a
5	staffing assessment set of guidance that we endorse, that's in NEI-12-01. We have guidance in
6	NEI-13-06 which goes to the drills, and gives drills in the EP portion of it. That's there, and we're in
7	good shape. I think we can endorse that guidance. We're basically crossing Ts and dotting Is, but we're
8	close on that.
9	And then we have NEI-14-01, which gets into this integration and SAMGs portion of
10	this. And that's where we have to fight the issue on SAMGs. So, right now endorsement of NEI-14-01,
11	we'd be staying out of endorsement of the Owners Group's SAMGs at this point. We're certainly
12	familiar about other SAMGs, they're in a portal. We've reviewed them, but they haven't been submitted
13	to us for review and approval at this point in time.
14	Again, I think, as presumptive, I think we need to determine, let the Commission
15	determine whether, in fact, SAMGs should be requirements, and then at that point we can move on
16	and see what we want to do with that set of guidance. So, like I said, we're not quite there on the
17	guidance, but we have a lot of work. And I think you heard all day yesterday about, you know, basically
18	in the field what's happening. There's been an enormous amount of work that we're trying to roll up
19	into this. We're just not quite there in providing that draft guidance to the Committee. I again apologize
20	for that.
21	MEMBER STETKAR: And what's the status, and what's the time B-you say we're
22	there. It sounds like these are pretty well ready to issue. What's the schedule? Because they haven't
23	come across our radar at all yet.
24	MR. REED: Yes, 13-06 we've been back and forth several times. I think we're in pretty
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	105
1	good shape. 14-01, I don't believe we actually have had interactions that I can recall yet with industry,
2	so we B- now in terms of our B-
3	MR. BOWMAN: I think we did B-
4	MR. REED: We did one time? Okay.
5	(Simultaneous speaking.)
6	MR. BOWMAN: But that is really dependent on the outcome of whether or not
7	severe accidents should be required. The 12-06 Revision 1, which would be the Draft Guide 1301, we
8	had our first public meeting and we're still working through some portions of it.
9	MR. REED: I've got to also point to the fact that the new provisions for new reactors
10	is an assessment portion, and that needs to be built into NEI-12-06, so that work is ongoing right now,
11	so that also has to occur. So, there's a little bit of a gap right there. But, otherwise, I think that's kind of
12	the lay of the land right now as it exists, so we're not quite there.
13	(Simultaneous speaking.)
14	MEMBER STETKAR: So, like are we talking, you know, a month, six months, 12
15	years? Do you have any kind of time B-
16	MR. REED: Personally, if you ask me right now, I would say a couple of months.
17	MEMBER STETKAR: A couple of months, okay.
18	MR. REED: Maybe two, maybe three at the most. I don't think too far off.
19	MEMBER STETKAR: Okay, that's fine. Thanks.
20	MR. REED: But I want the Committee to have the benefit of all the information if
21	you're going to weigh in on this proposed B-
22	MEMBER STETKAR: Well, I mean, typically we get an opportunity to see whether or
23	not we want a briefing before a Draft Guide is issued for public comments. And I want to make sure
24	that we have that opportunity.
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

	106
1	MR. REED: It's been my experience that, you know, ACRS is more interested in Draft
2	Guidance, actually, so that's why I'm sensitive to this.
3	CHAIRMAN SCHULTZ: It can be that case. Eric, in your remark, did you mean that
4	NEI-14-01 has a dependency on the White Paper and the Commission's views on the White Paper?
5	MR. BOWMAN: No, 14-01 includes some addressing of the severe accident
6	management guidelines B-
7	CHAIRMAN SCHULTZ: Okay.
8	MR. BOWMAN: B- and the extent to which we need to actually endorse it would
9	depend on whether or not those actually become B-
10	CHAIRMAN SCHULTZ: You're going to get into this further on the next slide.
11	Correct? Slide 14.
12	MR. REED: So, going to the status we're working hard, we're making progress, we're
13	meeting as a work group basically every day, and we are making progress. I figure there's an awful lot
14	of complexity, a lot of internal interaction across the Agency on this, so it's certainly created a
15	challenge. So, we're working to complete that, the language, the supporting section by section analysis,
16	in fact, the entire proposed rule package and all the supporting analyses, the reg analysis, the backfit
17	analysis, and also this draft endorsement of the regulatory guides I just mentioned.
18	We're scheduled to provide this proposed rule to the Commission as a practical
19	reality is truly impossible at this point in time, so I don't know exactly what it will take, how much
20	more. I had mentioned in my gut, I think it's a couple of months, two to three months, and I do believe
21	we did that. We still could meet the end date, by the way, of the end date providing the final rule to the
22	Commission by end of 2016. Just so folks know that that's the date. I think our Commissioners have
23	committed external stakeholders that I think that's the important date from their perspective.
24	Now, I would also add that in terms of public health and safety, I think there's
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	107
1	another perspective that needs to be minded here, and that is, in fact, almost entire amount of safety
2	return is already occurring right now in the implementation of the orders. And it's mostly for the
3	mitigation strategies order, okay? So, that in terms of safety, that if you're looking at it from an external
4	stakeholder feedback, you know, and concern about this Agency, they should be concerned about
5	implementing the order.
6	This rulemaking in terms of additional safety, I don't see doing much substantial.
7	Even though I argued qualitatively for SAMGs, I think if you look at it from a quantitative standpoint
8	and safety space, probably not a lot of return for public health and safety. So, that's why I'm saying the
9	orders in terms of public health and safety, I think, where that focus ought to be. And the rulemaking,
10	nonetheless, it's a Tier 1 activity, so you know in terms of external pressure that was a December 2016
11	type of final rule schedule, but I'm trying to make sure people are aware from a public health and safety
12	standpoint, I don't think this rulemaking in that perspective is doing a lot.
13	So, certainly, we're going to have a meeting with the full Committee, which is almost
14	this Committee, with perhaps one more person, I think.
15	CHAIRMAN SCHULTZ: A few more.
16	MR. REED: More, Dana Powers isn't here, so I mean B-
17	CHAIRMAN SCHULTZ: That's correct.
18	MR. REED: Exactly. And that would be on December 4th, which is only actually a few
19	working days from right now. And then we'll have I think, obviously, future meetings with this
20	Committee on the final rule, too. Obviously, that goes without saying, so that's B-
21	CHAIRMAN SCHULTZ: Well, three people are not here today. And as you said,
22	you're working every day, so plenty of time between now and the full Committee.
23	MR. REED: Well, you know, I B- even this week some B-
24	CHAIRMAN SCHULTZ: Other questions on the status? Are we going to have a
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

www.nealrgross.com

	108
1	discussion, Bill, associated with B-
2	MR. RECKLEY: If you can give me a little time.
3	CHAIRMAN SCHULTZ: Sure, that will be fine.
4	MR. RECKLEY: So, this discussion will be the COMSECY. You saw it as a Draft White
5	Paper. We talked about this at a full Committee meeting on October 3rd, kind of high-level discussion.
6	We subsequently provided the Draft White Paper.
7	This topic of trying to integrate these activities, we talked to industry and other
8	stakeholders in a couple of public meetings, and a couple of weeks ago I think NEI dropped by and I
9	know you all talked about the letter that they had sent in on November 4th, where there seems to be a
10	general alignment. There's a lot of details, obviously, that would need to be worked out, but it does
11	seem to be a movement towards an approach.
12	As you saw in this discussion on the rulemaking language, the current status is
13	confusing, but there's a couple of tracks that are going on at the same time. And we apologize because
14	it all kind of comes to a head right now. And I think actually it works out pretty well, you guys ended up
15	being the enforcement function which was pretty good. However, the tracks are not B- the mitigating
16	strategies are good all hazard plans, but not necessarily protection against all reevaluated hazards.
17	Reevaluated hazards on another track under 50.54(f), Requests for Information with
18	the regulatory decision to come after, so it's fairly common NRC practice, issue a Request for
19	Information, a Generic Letter, a 50.54(f) letter, and then determine regulatory action. And that's the
20	track that that is on.
21	The concern that drove the COMSECY was the same concern that Dr. Stetkar and
22	others have brought up that, as Tim has mentioned, the backfit rule. You look at all of these pieces and
23	how they will work, that there could be at the end of a day a real potential that you would have good
24	all hazard plans that would not survive a reevaluated hazard, and we would not have a strong
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	109
1	regulatory basis to make it do that. So, that really becomes the driving purpose of the COMSECY, to ask
2	the Commission to affirm that when they told the Staff to pursue mitigating strategies for beyond
3	design basis external events, that in my language they were serious about the external events part of
4	that title. Otherwise, again, it's a good all hazard plan, it's a good backup to station blackout and loss of
5	heat sync, but the external events part, ahh, not so much. So, that's the reason for the COMSECY, to
6	make sure that there's some minimum action taken.
7	The impact of that, as I mentioned earlier is B-what you heard earlier on the
8	language of the rule would have to change if we went down this approach. And, again, it would have
9	been better had the sequences worked out differently, but it is what it is. So, when we meet with you
10	on the 4th, you're going to have to look at these things kind of together and consider the impact of one
11	on the other.
12	The language that you're seeing is generally consistent with the White Paper. I've
13	had to deal with lawyers and others, so if you saw redline strikeout it looks like it's a lot of changes, but
14	it's not really, changed in words but basically the same concept that you saw in the White Paper.
15	MEMBER RAY: We should tell people on the line that we're on Slide B-
16	MR. RECKLEY: I'm sorry. The second slide.
17	MEMBER RAY: Yes, correct. I'm looking at this language here that I don't know
18	whether the lawyers crafted it or not, but the reevaluated flooding hazards from Recommendation 2.1
19	within, interesting word choice, that are mitigating strategies for beyond design basis external events.
20	What does that mean? I listened carefully to what you were saying, but B-
21	MR. RECKLEY: The change would be that mitigating strategies which would be FLEX
22	plus potentially more than FLEX right now as it would be described, but what the Staff would say falls
23	under the rule of having mitigating strategies would be required to address the reevaluated flood.
24	MEMBER RAY: Okay. Well, the way it's expressed is they need to do this, but now
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	110
1	you said it in a way that makes it more clear, I guess, would be obliged, or required.
2	MR. RECKLEY: I didn't have the benefit of rule people.
3	MEMBER RAY: What?
4	MR. RECKLEY: I didn't have the benefit of rule people to get my words. These are
5	mine, so they may not be the best. But, basically, the bottom line is that there will be a plan in place for
6	the reevaluated flood under mitigating strategies.
7	MEMBER RAY: Yes, but see the word "under mitigating strategies", or within the
8	mitigating B-
9	MR. RECKLEY: Okay.
10	MEMBER RAY: The connection there is what is so hard to really understand. I mean,
11	if you just stopped by saying they need to reevaluate flooding hazards, and didn't say anything more,
12	then that would be B-
13	MR. RECKLEY: Well, that's where we are now. Basically, what we're proposing to
14	change is you need to do something about the reevaluated flood hazard. And you're going to do that as
15	part of mitigating strategies.
16	MEMBER RAY: Okay. And that's where we get to the connection that we B- at least I
17	brought up a couple of times yesterday and today, which is that the mitigating strategies, in fact, do
18	address reevaluated external hazards. You know, I asked the question did it or not, and the answer was
19	well, no, but in this example here the answer is yes.
20	MR. RECKLEY: Well, one way to look at this is that you have a good all hazard
21	plan let's say, and to some degree it's going to address events beyond your normal or existing design
22	basis. By its nature, it will B-
23	MEMBER RAY: By definition, of course it does. yes.
24	MR. RECKLEY: It will. All right.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

	111
1	MEMBER RAY: That's what it's for.
2	MR. RECKLEY: Now what we would be requiring is you take a specific hazard or
3	hazards in the case of flooding because there's more than one mechanism, and you take those
4	reevaluated floods, and as a test against what you've put in place for mitigating strategies you assault
5	the plant with that new hazard. Mitigating strategies will have to address those specific scenarios.
6	MEMBER RAY: Okay.
7	MR. RECKLEY: So, take the case of a connection. The all hazard plan might have
8	connection on Elevation X, but I have a flooding hazard that's X+. This would say you have to address
9	an X+ flood. You can move your connection, you can come up with another plan, but you have to have
10	something within mitigating strategies to address the higher flood.
11	MEMBER RAY: Wait a minute, let me just finish the thought here. Supposing I said
12	oh, I'm going to change the design of the plant so it can withstand this new flood. Now what do I do?
13	MR. RECKLEY: Well, if a licensee were to say that I am going to B-I am as a licensee
14	going to take the reevaluated flood, and then basically call that my new design basis flood, protect all
15	safety-related equipment from the new design basis flood. Right?
16	MEMBER RAY: Right.
17	MR. RECKLEY: Under our current approach, they would then screen out of
18	Recommendation 2.1 because the new hazard is bounded by their design basis flood, in effect. It's not
19	set up this way.
20	MEMBER RAY: Okay.
21	MR. RECKLEY: But in effect B-
22	MEMBER RAY: All right, but that's a choice that exists. Yes or no?
23	MR. RECKLEY: Yes, the licensee could take that approach.
24	MEMBER RAY: It's never mentioned as a alternative. Is it just supposed to be
	NEAL R. GROSS
	COURT REPORTERS AND TRANSCRIBERS

	112
1	obvious?
2	MR. RECKLEY: I suppose. I'll be honest, I didn't think any licensee would
3	contemplate such a B-
4	MEMBER RAY: Well, I don't know why we want to be so dismissive of that, because
5	it could be quite simple, as a matter of fact.
6	MR. RECKLEY: It could be. The dilemma, I guess, when I look at it from my side of the
7	fence is whether we could make a licensee do it.
8	MEMBER RAY: Well, then B-
9	MR. RECKLEY: So, I'm always looking at what can we make them do versus what
10	they might elect to do.
11	MEMBER RAY: You're saying the difference between adequate protection and
12	backfit, perhaps, but let's leave that debate aside.
13	MR. RECKLEY: Right.
14	MEMBER RAY: It's just that this is a case which I've been asking about, because it
15	seemed to be, at least in some people's mind true, that oh, well, yes, I do have this new hazard.
16	MR. RECKLEY: Right.
17	MEMBER RAY: And I'm going to address it with mitigating strategies. Now, that's a
18	profound change in the way we have traditionally done business.
19	MR. RECKLEY: Right. And the way the White Paper is crafted is that it tries to set out,
20	and that the COMSECY is set out, that at a minimum mitigating strategies would address the
21	reevaluated hazard. Then after you establish or re-establish as a regulator that's the minimum
22	requirement, we'll look at the re-evaluated hazards to see if anything else needs to be done.
23	Now, if you had a very high frequency flooding event, the Agency may very well
24	decide the frequency and consequences of that are really B- should be considered in the traditional
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

	113
1	design basis sense, then the Staff would pursue that for that plant under those circumstances.
2	MEMBER RAY: Okay. But let me just assert to you for whatever it's worth that I don't
3	think that possibility is being understood.
4	MR. RECKLEY: Okay.
5	MEMBER RAY: It's assumed that what you say is so, perhaps, by people.
6	MR. RECKLEY: Okay. There's actually in the COMSECY B-there's actually, in
7	discussions with the lawyers there's now actually a sentence that says that.
8	(Simultaneous speaking.)
9	MR. RECKLEY: I know, you will have it this afternoon.
10	MEMBER RICCARDELLA: I didn't see that as a minimum in the B-reading the
11	COMSECY, I didn't get that as a minimum connotation there.
12	MEMBER STETKAR: That White Paper certainly does not convey that notion.
13	MEMBER RAY: Because it is as if we're now going to address something that we need
14	to address by mitigating strategies, which almost says it's okay to let something bad happen, and then
15	mitigate it, instead of avoiding it happening in the first place.
16	MR. RECKLEY: Yes.
17	CHAIRMAN SCHULTZ: No.
18	(Simultaneous speaking.)
19	MR. RECKLEY: Let me just finish. But the difference here is, in flooding in particular,
20	we're taking models and approaches that are used for siting. And I can't re-site a plant. Right? So, I'm
21	taking hazard information that I use in siting, and I'm applying it to an operating reactor. And we have
22	to look at it from a backfit standpoint of what can we require the licensee to do. Obviously, they can't
23	move, and in many cases B-
24	MEMBER RAY: You're not talking about moving. Look, you're talking to somebody
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

	114
1	who changed the SSE from .5 G to .67 G. It can be done.
2	MR. RECKLEY: Yes.
3	MEMBER RAY: You can put seals on doors. you can do things.
4	MR. RECKLEY: You can, yes. I'm not disputing that it can be done. We have to look at
5	it from the standpoint of what's the safety benefit, which means what's the difference in the
6	earthquake between .5 and .75.
7	MEMBER RAY: That's B-
8	MR. RECKLEY: And what does it cost to make those modifications, and try to come
9	up with a balanced view of what we want to put in place as a requirement.
10	MEMBER RAY: But that process I'm just suggesting to you isn't really clearly part of
11	the discussion here, and it should be.
12	MR. RECKLEY: Okay.
13	MEMBER RAY: In other words, mitigating the consequences of something that you
14	can't make some change to prevent may be okay given whatever probability you want to assign to it.
15	MR. RECKLEY: Right.
16	MEMBER RAY: But preventing it from happening in the first place is clearly what we
17	have traditionally viewed as the better choice.
18	MR. BOWMAN: I think one of the things that we see as potentially being missing
19	from the equation is the part that you mentioned, whatever probability you want to assign. So, the new
20	methodologies that are being applied for determining the flood hazards, if they don't assign a
21	probability for the occurrence of that flood hazard, they don't fit in very well with the analysis to figure
22	out whether or not it's justifiable to change the design basis.
23	MEMBER RAY: Look, I'm not trying to do anything other than make explicit and clear
24	that preventing something from happening ought to be on the table, rather than just mitigating the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

www.nealrgross.com

	115
1	consequences of it happening.
2	MR. RECKLEY: Okay, and I'll grant you that. And it's always better to prevent than to
3	mitigate. Just in the terminology, we do need to talk about when we're talking about mitigation here,
4	we're talking about mitigating core damage. I mean, that you're putting in a place B-
5	MEMBER RAY: Preventing core damage is what you mean.
б	MR. RECKLEY: Preventing core damage B-
7	MEMBER RAY: It also includes mitigating the consequences.
8	MR. RECKLEY: I understand.
9	MEMBER RAY: All I'm B-look, all I'm trying to do is get something explicit on the
10	table and make it clear that it is an option that ought to be considered.
11	MR. RECKLEY: Yes.
12	MEMBER CORRADINI: Bill's point is it's there, but it's not clear to you it's there.
13	MEMBER RAY: I may be unique, Mike. It may be clear to everybody but me, that's
14	true.
15	MEMBER SKILLMAN: No, I don't think it's clear at all. I think Harold is right. He's
16	simply saying give as an option the opportunity to adjust your design basis so you do screen out on 2.1.
17	MEMBER RAY: Well, it may be a necessity.
18	MEMBER SKILLMAN: But making that option very clear provides perhaps many
19	owners the ability to say I see a different ray of light through this problem. Just don't underestimate the
20	capability of the owners to be clever and to be compliant. Making that option available opens up a lot
21	of options that right now seem to be very obscure, so I think Harold is right on the money.
22	MR. RECKLEY: Okay.
23	MEMBER BALLINGER: Are you saying you're making an option or having a trip point
24	beyond which you must do something?
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

1	
2	
3	
4	
5	
6	
7	
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	

Ш

MEMBER SKILLMAN: It's an option.

MEMBER RAY: I think it should be part of the process, and I'll just leave it there.

MR. SHEA: Just real quick. This is, again, Jim Shea from the B-1'm actually working in the Flooding Group. I don't see any of my colleagues here but I'm doing the interim actions. But if you look at the 2.1 process as a whole, it actually does what you're talking about. For the majority of the sites, you've got to remember some of these deterministic events that we now evaluate for new plants are very conservative. If you look at the current lip event, for example, which I would say the majority of operating plants do not meet that requirement. A lot of them didn't even evaluate that, but that's basically a Noah flood. It's a Noah-type event. And, you know, one of the thoughts was you build a Noah FLEX, build the ark. So, as you look at that, if you take that into context and you look at what licensees are B- when they do their flooding hazard evaluations and they redo their lip event, in many cases they don't meet that. And then in the Phase 2, I forget exactly the nomenclature in 2.1, but part of their option will be to seal the doors, meet that lip event, and then protect their safety-related equipment.

It's only in some cases where you have band failures that were not part of the original licensing basis that you might have some plants that are going to have to rely on FLEX as an interim B- as a strategy.

Now, I can go back to Bill's concept of, if you put your FLEX pump at your current
licensing basis, you're still going to have to address the dam failure in a reevaluated flood, and then you
may need another FLEX pump in order to pass the hurdle of the 2.1 process. But if you're a smart
licensee, you're going to take your FLEX equipment and try to B- for that specific hazard, and you're
going to site it or protect it against that new hazard.

And I think I B- you know, I can't speak for licensees, but what I've seen as far as looking at some of these plants phase in Category 2 of interim actions, that's what many of them are

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	117
1	doing. And that's what it is, so you've got some plants that can't meet that lip new requirement, they're
2	going to seal their doors, and that's part of their interim actions. And eventually in that last phase to
3	submit their 2.1 information, they would either, you know, change their design basis to those doors, or
4	just keep that as interim actions and say that they're protecting their safety-related equipment in that
5	event. But you've also got to put it in context. These new Chapter 2 events are very conservative.
6	MEMBER CORRADINI: So, can I ask about that? So, that means that you have an
7	estimate of the frequency, or you don't? It's just simply B-
8	MR. SHEA: No, and that's actually B- that's one of the things one could say, that
9	they're not looking B- we don't have any risk frequency when it comes to Chapter 2 events. There are
10	some proposals to look at that in the future to start thinking B-you know, put some probability to
11	B- and it really has to do with if you do the combination events.
12	Right now when you look at deterministically individual events at one time, so
13	then the question is what happens if I put all these events together, what's the flood level there? But
14	we've never gone down that risk path. That's why you take these deterministic events that are very
15	conservative.
16	MEMBER RAY: Well, let's just say the people who put Fukushima where it is didn't
17	do so consciously thinking it was going to be inundated. They believed it was a very rare event, also, or
18	a Noah flood, if you want to call it that.
19	We're taking this too far, if I can say. My only issue is what obligation is there to try
20	and prevent the need for mitigating strategies to be employed in the first place. And it's not clear, and I
21	B- that's I think all we need to say at this point.
22	CHAIRMAN SCHULTZ: That should be clear. And, Jim, thank you for your comments
23	and getting them on the record. I appreciate that.
24	MR. RECKLEY: Okay. Quickly going to the next slide. The second point that the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

www.nealrgross.com

	118
1	COMSECY will be asking the Commission to affirm or acknowledge might be a better word in this case,
2	is that there will be some scenarios, and Jim just mentioned some of these dam failures that may not
3	have been originally considered when plants were sited and licensed, that will involve mitigating
4	strategies, and some unconventional measures.
5	Quickly upon being notified of a dam failure, plants shutting down, changing modes,
6	preparing ahead of time for being inundated which for some scenarios is just a lot of water, and would,
7	I guess in plain English, going to overwhelm the site. But what the regulation as we are proposing it in
8	the paper would say even under those circumstances a licensee needs to be able to show that they
9	have some ability to mitigate.
10	I mean, it will be obvious in these cases the plants are lost, basically, as an electric
11	plant or financial asset, but even in such circumstances that mitigating strategies would have to be in
12	place to prevent core damage, or damage in the spent fuel pools. We thought that was important
13	enough to ask the Commission to acknowledge or affirm that there would be such scenarios. And then
14	B-
15	MEMBER RAY: Of course, you know Watts Bar does today have a wet site strategy
16	which long predates all of this.
17	MR. RECKLEY: Right. Yes, this won't be the case for all plants, but it'll be the case for
18	some plants.
19	MEMBER RAY: My point is, it's a perfectly satisfactory design basis to do what you
20	just said.
21	MR. RECKLEY: Okay.
22	MEMBER RAY: Which is to be aware of impending flood, shut down the plant, and to
23	hook up special equipment to mitigate. And one wouldn't say that that was anything other than part of
24	the design, at least I don't.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	119
1	CHAIRMAN SCHULTZ: Go ahead, Bill.
2	MR. RECKLEY: Okay. Last thing we'll be asking the Commission to affirm is the
3	B-really the point of most internal discussions, and that is actually the integration of these two
4	activities. And the White Paper actually talks about this in some detail and the concerns, but this goes
5	really to the need, or our feel the need to look at the big picture and how all these parts are fitting
6	together, and the possible outcomes, and trying to make sure that we end up with at least a minimum
7	requirement. And to factor in past experience on cases where the technology and the analysis was
8	being developed. And we think flood fits into this category. As Jim mentioned, and Dr. Corradini,
9	probabilities are being introduced to the flooding but it's not as well established as in seismic and some
10	other areas, so it's difficult for us to fit this into our process.
11	Traditionally when that's the case, technologies are being developed, new models
12	are being developed. What that takes is time, and we're concerned that as we get into this mode of
13	analyzing and developing models, and introducing new concepts like probabilistic flood hazards, that
14	we'll miss an opportunity to address the actual reevaluated hazards via what we think is a practical
15	way, which is at a minimum through mitigating strategies. And then as the technologies develop, if the
16	understanding is such that we should do more, that's the normal process. But we don't want to miss an
17	opportunity now to build into the mitigating strategies the need to address the reevaluated flood. And
18	that really is what drives us to try to integrate these at this time in order to look at this big picture, how
19	the different pieces are moving in terms of timing, what the requirements will be, what the chance of
20	ending up with nothing is. I mean, that's the B- if we stayed on the current track and let backfit
21	analyses take their course, is there a chance that we would end up with no protections against the
22	reevaluated hazards? As we look at it, you have to acknowledge that is a potential. So, when we look at
23	it in the big picture, we came up with the proposal in the COMSECY, as it's been provided.
24	Last slide, you will get the COMSECY, if not today, Monday. Then we have the full
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	120
1	Committee on December 4th, I think, where this is also on the agenda.
2	CHAIRMAN SCHULTZ: Okay. I'm going to thank you, Bill, for the presentation and
3	discussion. We are going to see the COMSECY soon, and we'll have an opportunity to talk with you
4	again at the full Committee meeting.
5	And we have other consideration, comments coming up this afternoon on this topic,
6	so I would like to quickly move you folks out from the table, and industry is going to come up. They're
7	on a schedule to finish the morning's presentations. And we've already prepared them to move forward
8	with those quickly, so as soon as we get the slides up we'll begin. I don't want them to move through
9	the presentation quickly. We just need to get started quickly.
10	David, welcome. I understand you're going to be the main presenter for this B-
11	MR. YOUNG: Well, it actually will be Bryan. I'm just going to do quick introduction
12	and turn it over to Bryan.
13	CHAIRMAN SCHULTZ: Oh, I'm sorry. Yes, Bryan. I've got you straight now. Thank
14	you.
15	MR. YOUNG: Okay.
16	CHAIRMAN SCHULTZ: David, please do the introduction.
17	MR. YOUNG: Good morning, everyone. My name is David Young, and I'm a Senior
18	Project Manager in the Emergency Preparedness Department at the Nuclear Energy Institute. With me
19	is Bill Webster, Dave Gambrell, and Bryan Ford. Bryan is the Senior Manager of Regulatory Assurance
20	in Entergy, and will be providing the bulk of the presentation here momentarily.
21	We appreciate the opportunity to provide an industry perspective on the proposed
22	language for the mitigating beyond design basis events rule, and the observations that we're going
23	to share with you here were developed by an industry task force that was formed to foster and
24	promote engagement with the NRC Staff on development of the rule. And we've had, I think you've
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	121
1	heard already, several public engagements on this stretching back into earlier this year. And many of
2	the members of the task force who helped to develop these comments are in the room today, and some
3	are up here with me.
4	So with that, again, Bryan is going to present an overview of our perspective on the
5	rule language and then, of course, we'll be happy to take your questions and have discussion, as well.
6	So, with that I'm going to go ahead and turn it over to Bryan.
7	CHAIRMAN SCHULTZ: Bryan, before you start, because it's coming up on the lunch
8	hour, I am going to B- to members of the public who are on the telephone, we are going to have an
9	opportunity for public comment after B- just after this presentation, so I didn't want people that want
10	to make a comment take a lunch break. We will fit that in before we take a lunch break here. So, Bryan,
11	you go ahead with your presentation. Appreciate it.
12	MR. FORD: Thank you very much. You know, as this process goes on we look
13	forward to the chance to provide our detailed comments in the rest of the rulemaking process, but we
14	have sat down and come up with some initial comments. And our primary one is one that I think has
15	been discussed a little bit, is that for those areas where guidance or requirements already exist, we
16	think that guidance needs to be able to be used as written. And we should only expand the
17	requirements in those areas where we can see a tangible significant safety benefit of adding to those
18	requirements. So, that's our primary comment that you'll see in several of the areas.
19	Some positives with the proposed rule. We think that the right topics are in there,
20	and it's high-level. It supports in most cases the use of the industry-developed guidance and it
21	reflects a significant amount of work that has already gone on. And think that it has a reasonable
22	approach to SAMGs, which as you all have heard, that's been an ongoing industry effort for years.
23	Some areas for improvement. The first one is on the additional requirements, or the
24	requirements for decommissioning plants. Although it wasn't specifically culled out in the list of what
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	122
1	was a backfit or not a backfit, the current order EA-12-49 wasn't issued to plants that were in the
2	decommissioning state. They've been in the decommissioning state for some time. When it came out,
3	the revised rule would add requirements to those plants, it would also add requirements to plants that
4	have been granted some relaxations to these orders since they went into the decommissioning state.
5	As many studies show, once we have permanently defueled, the risk associated with
6	the spent fuel pool decreases relatively quickly over time, and we think that the order, if it's going to
7	require items for decommissioning plants needs to reflect that. So we don't necessarily disagree with
8	requiring a strategy for additional spent fuel pool refill strategy, but it shouldn't go out until all fuel has
9	been removed from the pool. We think the bulk of the risk went away well before that time, and we
10	don't see that those requirements should be added to a plant such as Millstone Unit 1 that has been
11	decommissioned, or in decommissioning for over a decade.
12	There's also requirements in there on secondary containment. The wording of the
13	requirement is kind of confusing. It can be read to be adding significant requirements, it can be read to
14	not add very many. As a minimum it sure needs to be cleared up, but we're concerned with the
15	secondary containment requirement that's in there.
16	Another area is the equipment section, specifically, the A, B, and C section of the
17	equipment. We really think that it' something that would be better addressed at the guidance level, and
18	we think that the thrust of the requirement is already in Rule Element (b)(1) which says that I have to
19	have it readily available and functional equipment to implement the mitigating strategy. And that is the
20	requirement that is being used to insure say for the B- what I think of as the (hh)(2), the extreme
21	damage mitigation equipment. That is what we're using to insure that that equipment is available, and
22	it seems inconsistent to put additional requirements on the mitigating system equipment just for one
23	section.
24	With respect to multi-unit sites, you know, we have some concerns with the wording
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	123
1	for the extreme damage mitigating guidelines, or the B5B requirements, and how it's implementing the
2	previous orders and guidance. Those were for single unit events. It's not real clear, some of these
3	requirements are dual unit events, some of these are single unit events. We think that should be
4	clarified.
5	There's also some ways that the staffing requirements that are in this rule, and how
6	they apply to those specific activities we think really needs to be explored whether or not those are
7	holding the right requirements.
8	MEMBER SKILLMAN: Bryan, let me ask you a question. With regard to your first
9	bullet there, I would have expected industry to have made a comment along the lines, we certainly
10	agree with FLEX, but we would like to have the option to do internal plant modifications that enhance
11	our ability to cool, and to protect against fission product release, and that we can justify it from both
12	the seismic and flooding perspectives. Give you an example.
13	Connecting an alternate power supply to a heater drain pump, or one of the smaller
14	pumps in the plant that you can use to deliver water to a steam generator or to reactor vessel. Actually,
15	making use of the same type of defense-in-depth that you would use to defend yourself in a violation
16	when you show that you have margin. Those of us who have operated plants know you've got all kinds
17	of margin deep within the plant, but we really B-we rarely take credit for it because we say we're
18	constrained by the SSCs that are qualified.
19	Well, there are an awful lot of other devices in the plant that are very robustly built
20	and they can deliver an overwhelming amount of margin, but we don't talk about them. So, I'm
21	surprised industry didn't say we would like to have an ability to justify some of our presently
22	non-qualified equipment that we know for certain is fit for duty and can give us the defense-in-depth
23	that we want to have.
24	MR. FORD: And we're doing that. It's just in a different forum. Where we've been
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	124
1	addressing that is in the revision to NEI-12-06 Revision 1, because one of the things that the plants
2	have found as they've been developing their strategies is places where it would be more appropriate to
3	do modifications, or qualifications, or things to installed equipment that would greatly reduce operator
4	actions, or speed up our response times versus pulling in a staged piece of equipment. So, what we're
5	doing is B- have proposed modifying 12-06 in Rev 1 to clarify how to, you know, use that installed
6	equipment for the transition phase. And after the first when you're using RCIC or something like that.
7	MEMBER SKILLMAN: Are you also considering asking the NRC to adjust the
8	language in the proposed rulemaking so that that option is acceptable under the proposed regulation?
9	MR. FORD: I'll go back and look. I didn't see anything that would prevent me from
10	doing that, because what it said is I had to have a mitigation B- mitigating strategy. So, I didn't notice
11	anything, but I will look to see whether or not anything concerns me to prevent that.
12	MEMBER SKILLMAN: Thank you.
13	CHAIRMAN SCHULTZ: Bryan, I wanted to ask the industry rather than the Staff,
14	what is the schedule for the release of Rev 1?
15	MR. FORD: We have a first draft and we got comments on it day before yesterday.
16	CHAIRMAN SCHULTZ: Understood.
17	MR. FORD: We're supposed to meet it looks like the second week of December
18	internally to try to resolve those comments. I wouldn't be surprised that we get it out first quarter,
19	hopefully with the staff's comments resolved in it. Our goal is to get to the state where the staff is
20	happy with it and doesn't feel the need to take exceptions, and sometimes that can take some back and
21	forth to resolve those concerns.
22	CHAIRMAN SCHULTZ: Thank you. Anything else? We're moving to Slide 5, I just
23	wanted to announce to the B- for the benefit of folks on the phone. Thanks.
24	MR. FORD: Next one is on the change controls. The Staff talked about this a little
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1	bit in their presentation. We agree we need change controls for these beyond design base events. We
2	don't want to try to apply 50.59. We think we need to work to define that process quite a bit better. I
3	think most of that can be done in guidance.
4	One place that we think we need additional guidance is the interface with the
5	change controls for the normal design basis issues. I think my best example is that when we implement
6	these mitigating strategies, we're opening doors, we're potentially going through security barriers,
7	we're taking a lot of actions, and we don't want to get in the state of trying to evaluate those beyond
8	design base actions in the design base world because they really don't B- many of those don't comport
9	too well, so we think we need to provide additional guidance on just how you navigate those change
10	control processes for these types of things.
11	And then we need to define the NRC approval process better. Once we've come to
12	the conclusion we need NRC approval, is it a 50.90, or what is that process?
13	The next thing is to talk about the B- basically, the subject that was the discussion of
14	the COMSECY. You know, one of the items we've discussed quite a bit is the impact of the new
15	B- potentially new evaluated hazards on the mitigating systems, and the plants themselves.
16	Our major focus so far has been responding to the NRC orders and the work
17	associated with the Requests for Information. We think our next big task is trying to integrate the new
18	information from the reevaluated hazards into our plant in the mitigating systems in the work we've
19	been doing.
20	Now, the Staff pointed out that they don't have that in their current draft rule
21	language. We did provide a suggestion from the industry which seemed pretty consistent with what is
22	in the COMSECY, and we agree with that path.
23	You know, as has been discussed here, the current mitigating strategies were
24	developed using a consequence-based approach, because we didn't know the event. So, since we don't
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

www.nealrgross.com

	126
1	know, you know, how big, or what kind of beyond design base event is, we're going to define here's the
2	conditions you have to deal with. So, we assume that we've lost all of our AC power and access to our
3	normal heat sync, and then we define how you would take credit for installed systems.
4	So, we think the difference here is that as you get the B-sorry, I'll finish this slide
5	before I go to the next one. So, the B- from that the current design basis govern the strategies and how
6	we made our designs. And we recognize that that may not be optimum based upon updated hazard
7	information, so we think a key difference going forward is once we have the reevaluated hazard
8	assessment, you know, we don't necessarily have to use the defined here is the conditions that you're
9	in after the event; instead we can use the hazard itself to develop the initial conditions that you have to
10	evaluate against. So, you would know whether or not with this evaluated hazard you have lost your
11	offsite power source because you know what the level is, and you know where the power comes in at.
12	So, you could then develop a specific set of conditions for the new hazard itself, and then determine
13	the impacts on key equipment, availability of equipment, you know, what actions you could take to
14	address it.
15	MEMBER CORRADINI: And you B-just to clarify. So, you would go through all of
16	B- not just flooding, but you go through all of these in a similar fashion?
17	MR. FORD: What I have seen is that we are also looking at how you would go about
18	addressing seismic, let's say. But right now we're focused on flooding and on how to resolve that.
19	So, our suggestion is that we review the impact of the reevaluated external hazard
20	information on mitigating strategies, and the goal being that we can assure that we still have the key
21	safety functions to restore or maintain them, or we may have to develop a hazard-specific mitigation
22	strategy, or a targeted mitigation strategy to go in and address that.
23	Now coming up to a discussion that happened earlier, personally I think it is
24	acceptable to go increase the protection of your plant such that you have protected the normal
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	127
1	safety-related components, and that they provide you the protection you need for the revised hazard.
2	That's what I would personally prefer to do in all of the cases, but the next step would be to make sure
3	that your mitigating strategy works, or modify it to make sure it works, and if that doesn't work you
4	may have to come up with something different to go deal with the specific hazard.
5	MEMBER BROWN: So, is that directly related to Harold's comment earlier. I mean,
6	you'd prefer more the upgrade, increase the licensing basis slightly?
7	(Simultaneous speaking.)
8	MR. FORD: If I can. I mean, this is myself personally, if I can, I want to protect the
9	plant. And I would rather have the B-
10	MEMBER BROWN: Rather than mitigate.
11	MR. FORD: Yes, I'd rather have that big diesel that we keep up all the time. I'd love to
12	have that working and providing me all the power I need, and protect my asset going forward. So, if
13	possible, I think that'll be the path that many people will take, is can I do that reasonably? And in many
14	cases you're going to be able to. I mean, we've already done it at a couple of our plants for the
15	reevaluated hazard because it was pretty straightforward.
16	Other plants, that may not be something that is really viable to do, so they may need
17	to go to the step of making it so that their mitigating systems or strategies work, or coming up with a
18	targeted hazard, and a few plants have identified they need to go to those steps.
19	Well, Slide 9. Now, I think that was it. What other questions do you have?
20	CHAIRMAN SCHULTZ: So, what we're dealing with is a spectrum. You said
21	personally this is what you'd prefer, and then many in the industry, and then a few, so our challenge in
22	terms of evaluating where things stand and making the Committee's B-
23	CONSULTANT SHACK: Let me just add to thought that sort of came up before. Even
24	if you did introduce protection to say the findings to flooding protection, it would seem to me a way
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

	128
1	that the mitigating systems works now, you'd still have to assure that our mitigating system is working,
2	and you postulate your diesel is gone. You don't know why it's gone any more. It isn't gone because of
3	flood, perhaps. But your mitigating system strategy would still have to assume the new revised hazard
4	and be protected against that.
5	MR. FORD: And that's one of the things we need to talk about going forward with
6	the Staff, is how you integrate that in. I mean, today the mitigating strategies are based upon the
7	undefined so you just assume just a set of initial conditions, your diesels are gone, your offsite power is
8	gone. That may not be necessary or the right thing to do when you have more specific information on
9	the hazard that you're evaluating against. And that could severely limit for these people who need to go
10	develop a targeted mitigating strategy, you know, what actions they could go do, because they need to
11	take credit for the equipment that will be available after whatever this new evaluated hazard occurs.
12	MEMBER STETKAR: Bryan, do I hear you starting to focus this effort, though, on yet
13	another very clearly defined set of check boxes that we say yes, we solved that problem, we solved that
14	problem, rather than the more integrated process that I thought was supposed to be the focus of this
15	whole effort? In other words, I thought at the beginning you said well, this is B-we're not trying to
16	define a specific hazard. We're trying to establish mitigating systems and processes that are not specific
17	to a given hazard. And the reason that we're B-you know, the Agency, the whole industry has been
18	accused of getting too pigeonholed in the past, and we've learned that that might not necessarily be
19	good. But what I hear you saying, maybe I'm not hearing it correctly, is well, yes, but we'll define
20	specific strategies for a specific hazard once we can define that hazard for this specific site.
21	MR. FORD: Well, we're not talking about undoing the current work that has been
22	done B-
23	MEMBER STETKAR: Okay.
24	MR. FORD: B- for mitigating systems.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	129
1	MR. YOUNG: You're just trying to recognize the difference between the work that's
2	already been done with mitigating strategies order where we just assumed the consequence-based
3	outcome versus what we're going to know in the future based on the hazards re-analysis.
4	MR. FORD: That's correct.
5	MR. GAMBRELL: We're trying to put this into context.
6	MEMBER STETKAR: See, some of our opinions, individuals, my opinion certainly is
7	that you don't know what the next thing is going to be. And everybody focuses on Fukushima because
8	Fukushima happened. We don't know what the next thing is going to be, so we don't want to define for
9	the things that have happened, and only define for the things that have happened because that's the
10	traditional event-focused reactionary approach. Some of the strategies that have been in place are,
11	indeed, very good because they don't take that event-driven reactionary approach. They say regardless
12	of how we got in this bad place, we want to be able to address it.
13	MR. FORD: And I think what we're saying is we want to keep that current flexibility,
14	but now that we've identified some specific new information we want to insure that we have a method
15	for maintaining or restoring the key safety functions for that new information.
16	MEMBER STETKAR: Okay.
17	MR. YOUNG: Notwithstanding you understand now the impacts from these new
18	hazard reevaluations, I mean, you're still going to have, I think it was Eric or Tim who said that, you
19	know, you're still going to have the tools in the toolbox for a broader response for mitigating strategies
20	capabilities.
21	MR. GAMBRELL: That was the basis for our fundamental approach previously, is to
22	B- since we couldn't identify a specific event, then we bounded it by a specific response, or a generic
23	response that could provide to any hazard.
24	MEMBER STETKAR: And that's good, it's just that some of the words, at least as I
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

	130
1	heard them, sounded like well, once we understand Hazard X precisely, we can back off from that more
2	generalized approach, and have more focus on Hazard X so we can fix that.
3	MR. GAMBRELL: Well, I think functionally we're wanting to assure the same end
4	point to make sure for a specific hazard that we reach the same functional requirements or end point.
5	MEMBER STETKAR: But not B-
6	MR. GAMBRELL: They may not need all of the other elements that are generic.
7	MEMBER STETKAR: Did you say may not need all of the other elements that are
8	generic? I didn't quite hear you.
9	MR. GAMBRELL: The event itself may not necessitate the use of all the tools in the
10	toolkit, so we want to make sure that that generic set that we put in place would be available to
11	respond for any specific event.
12	MEMBER BLEY: But you're not throwing away the tools you don't need.
13	MR. GAMBRELL: We're not throwing away those tools.
14	MEMBER BLEY: Okay.
15	CHAIRMAN SCHULTZ: This is why we need some consensus.
16	MEMBER RICCARDELLA: But you're not guaranteeing that those tools will
17	necessarily work in the case of certain severe events. Right?
18	MEMBER CORRADINI: Well, you don't know what you don't know.
19	MEMBER RICCARDELLA: Because you're saying that those events don't require it.
20	MR. GAMBRELL: An example could be would you utilize water from a non-seismic
21	tank in response to a flooding event? Because you have additional capabilities at the site that may not
22	be affected by that specific event, that you want to be able to apply to that solution.
23	MR. YOUNG: So, you're saying where we have reevaluated hazard information we
24	can use that to inform better how we're going to implement those particular mitigating strategies in
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

	131
1	those cases. Right? But the whole toolbox still remains available at all times.
2	MR. GAMBRELL: Yes.
3	MEMBER RAY: But you also may want to protect your plant from that specific thing.
4	MR. YOUNG: And that's another B-
5	MEMBER BLEY: That's the point that you were making.
6	MR. WEBSTER: As an example, if we have a mitigating strategy or prevention that we
7	want to protect the current diesels because it's easy, smart, right thing to do, you know, then at the
8	same time we don't want to have to go and say well, I have to assume that diesel I just protected don't
9	work, and I've got to make B- so, it's a combination of things that you're looking at with this.
10	CHAIRMAN SCHULTZ: Other questions from the Committee? All right. I want to
11	thank you very much for your discussions today, but again thank you for the discussions and
12	presentations that we heard yesterday.
13	MR. YOUNG: Appreciate the opportunity.
14	CHAIRMAN SCHULTZ: Thank you. At this time, I would like to provide the
15	opportunity for public comments, and we'll open up the phone line, but in order of the business of
16	providing comments I'm going to ask first in the room here. We have a number of people B- for those
17	on the phone line we have a number of people who are in the audience here. I'm going to give them
18	the first opportunity to speak. Any comments from the audience? Yes, please state your name and
19	provide your comment.
20	MR. BUNT: Yes, Randy Bunt with Southern Nuclear, but also the Chair of the BWR
21	Owners' Group Fukushima Response Committee. Just one comment was made earlier that
22	implementing 049, the FLEX items or the rule, i.e., would not have prevented the events at Fukushima.
23	In many of the evaluations we've done, we believe it would have because the blacksmith equipment
24	we talked about, the installed equipment performed for a period of time until your backup equipment,
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	132
1	or even the ones stored on site would have been available. So, the functionality we believe that's given
2	here, and the redundancy and the diversity of it would in most cases, would have prevented that.
3	We understand on Unit 1 there were some other operator issues that would have
4	been addressed through training and more knowledge of their isocondensers, so the thought is that it
5	very likely would have prevented core damage. The plant would have had a significant impact to it,
6	from a core damage standpoint there is a lot of evaluations that this rule and this activity would have in
7	very likely terms prevented that event from going to the point it did.
8	CHAIRMAN SCHULTZ: Thank you for your comment. Any other comments in the
9	room? Then I'll go to the phone line, and I believe the phone line is open, but the way our system
10	works, we'd like somebody to say hello so we know the phone line is open.
11	MR. LEWIS: Marvin Lewis.
12	CHAIRMAN SCHULTZ: Hi, Marvin. If you would like to make a comment, Marvin,
13	the phone line is open to you.
14	MR. LEWIS: Excellent, excellent. Thank you, thank you. First of all, I'm glad you're
15	looking at this stuff daily, something original with the equipment which is what happened at
16	Fukushima. Namely, they had to get very, very original.
17	Secondly, I'm very worried about the spent fuel pool. I feel that even when the spent
18	fuel pool is emptied and the core is out, a lot of these nuclear power plants have storage of spent fuel,
19	storage containers on site. The only way to empty out if they have a problem with the fuel in those
20	storage containers, the only way to empty them out, basically, I hope, is in the fuel pool. There's no hot
21	cell for them to be emptied out in. They have to empty them out, if they have to reprocess them in
22	some way for transit, the only way is in the fuel pool. And they are shutting down fuel pools, emptying
23	them out, and destroying them supposedly at San Onofre. And the people there are very perturbed
24	about this because they have onsite storing wherein if they do get into trouble with the onsite storage
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	133
1	or they have to prepare them in some way for transit, namely by opening them, the only way to do it is
2	in the spent fuel pool, which is no longer in existence.
3	So, I just throw that out as a situation that is not being addressed. And thank you
4	again for allowing me to speak.
5	CHAIRMAN SCHULTZ: Thank you, Marvin. Other members of the public on the
6	phone line who would like to make a comment?
7	(No response.)
8	CHAIRMAN SCHULTZ: Hearing none and just letting everyone know who is out
9	there, that we will have an opportunity at the end of the meeting for additional comment.
10	With that, I'm going to close the phone line and call a recess to the meeting until
11	after lunch, and we'll reassemble at 1:30 for the afternoon presentations.
12	(Whereupon, the above-entitled matter went off the record at 12:23 p.m., and
13	resumed at 1:31 p.m.)
14	CHAIR SCHULTZ: We will call the meeting
15	back in session following the lunch recess. This
16	afternoon well, let's start with this morning.
17	This morning we heard about the draft white
18	paper, which the committee had received on the
19	integration mitigating strategies for beyond design
20	basis external events and its connection to the
21	reevaluation of flooding hazards. And as we know, that
22	white paper has been in various draft forms for some
23	time. And some differing views have been presented
24	regarding the white paper that was out in an earlier
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

1 version. The COMSECY is coming out in final version, 2 we expect, next week. But there were some differing views that had been presented by members of the staff. 3 They made their views known and we wanted to hear about 4 5 those views. And so we have invited first one group to come before us who gathered their thoughts together 6 and are going to be presenting them in concert today. 7 8 And we have another group that is going to present to 9 And since we are going to be moving us afterwards. 10 forward and inviting our views to the attention in our 11 deliberations -- following our deliberations in the 12 full committee, we wanted to get a full picture of the 13 level of concerns and views in order to develop our best 14 position. 15 With that, I would like to recognize 16 Suzanne Schroer, who is going to be leading the 17 Suzanne, before you start, let's hear presentation. at least an introduction from each of the members who 18 19 are available for our discussions this afternoon. 20 Jeffrey? 21 My name is Jeff Mitman. MR. MITMAN: I am a senior reliability and risk analyst with the Office 22 23 of Nuclear Regulatory Regulation. 24 CHAIR SCHULTZ: Thank you. I'm Malcom Patterson. 25 MR. PATTERSON: Т

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	135
1	am a reliability and risk analyst for the Office of New
2	Reactors.
3	MS. PROHIDA: I'm Marie Prohida. I'm a
4	senior reliability risk analyst in NRO.
5	MR. SEE: And I'm Ken See. I'm a senior
6	hydrologist in the Office of New Reactors.
7	CHAIR SCHULTZ: Welcome this afternoon.
8	And Suzanne, why don't you begin with the presentation?
9	Thank you for being here, all of you.
10	MS. SCHROER: Thank you for having us.
11	Good afternoon. My name is Suzanne
12	Schroer. And although my name tent indicates that I
13	am still in NRO, I have made a recent move to the Office
14	of Research. But when this whole process started, I
15	was in NRO but I will not be responding to your letter
16	on 17.4 because I am in research now.
17	CHAIR SCHULTZ: Okay.
18	MS. SCHROER: This morning, we wanted to
19	talk to you about our staff concerns regarding the white
20	paper and it was referred to this morning as a draft
21	COMSECY, so, the same thing. They are not two
22	different documents about integrating mitigating
23	strategies for beyond design basis external events and
24	the reevaluation of flooding hazards.
25	And really before I started, I wanted to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	136
1	clarify a couple of things that were said this morning.
2	One is we wanted to make sure it was clear that for some
3	sites, the design basis floods are not rare events.
4	So, that was kind of alluded to by a commenter. And
5	so we wanted to clarify that.
6	And another thing that was said was that
7	under the current R-2.1 process, if the licensee
8	decided to protect to the new re-evaluated hazard, it
9	would be screened out from the R-2.1 process and that
10	is not correct either. So, I just wanted to make sure
11	both of those were on the record to clarify.
12	So, I guess I should have started saying
13	that I am representing a large group of staff from
14	NRR/NRO in the Office of Research, just a few who are
15	able to be here today. And this doesn't just represent
16	a wide variety of offices within the NRC but also a wide
17	variety of disciplines. The PRA staff, human factors
18	staff, Val Barnes, who is listed on the slide is on the
19	phone with us today as well, hydrology, geotechnical
20	engineers. So, we really have quite a diverse group
21	that share these concerns.
22	So, our plan today, for those of you that
23	have the slides, is not to go through all 27 of them
24	but rather go through the first five and then, if there
25	is time, go through the plant examples. And the other

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433
	137
1	slides are just there for your reference and in case
2	there are questions on any of the specific concerns.
3	CHAIR SCHULTZ: We'll see how the pace
4	goes but we have allocated a good 45 minutes for your
5	presentation. So, let's proceed. Thank you.
6	MS. SCHROER: Okay. So, moving on to
7	slide 2. So, we have 12 concerns that we have
8	documented with the white paper. And in the interest
9	of time today, we have planned to hit on only concerns
10	5 and 6. These represent our fundamental safety
11	concerns with the approach given in the white paper.
12	But as I kind of mentioned, we can talk about the others
13	if there is interest in time later.
14	So, moving on to slide 3. And this is kind
15	of our boiled down version of our concerns for 5 and
16	6. And the first one being that the white paper
17	approach, as it is now, fails to address some important
18	safety issues. It was kind of discussed this morning
19	that the white paper approach will not systematically
20	cover flooding protection of safety related equipment.
21	So, it was unclear to us, as well as it appears it is
22	unclear to you how protection would be handled in the
23	white paper. And from the way we saw things, it
24	wouldn't be considered at all. And we really think
25	that is a big gap.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

138
And the other really big safety issue is
that the white paper approach results in
non-safety-related mitigating strategies, our only
defense for reevaluated flooding hazards.
So, if you will remember under the
recommendation 2.1 process, there were kind of two
steps. The first step was to reevaluate the flood
hazards using present-day guidance and methods. So,
those methods that are used for new reactors. And then
the second step was to do an integrated assessment that
would look at the total plant response to the new
flooding hazard, if it exceeded the current design
basis. So, it would first look at protection, how the
plant does or could protect against a new hazard. And

15 then the second piece would be it would look at the 16 And when we say mitigation, it is a little mitigation. 17 bit different than the mitigating strategies that have 18 been discussed and are discussed in the white paper. 19 Mitigating strategies is more lax and the paper also 20 makes mention of some targeted mitigating strategies. 21 But when we say mitigation, we mean something much 22 broader like maybe you have got a little water in your 23 diesel building and you just need a pump, like a small pump to get the water out. That is the kind of things 24 25 we are thinking of when we say mitigation, not

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

(202) 234-4433

	139
1	necessarily the whole FLEX approach.
2	CHAIR SCHULTZ: Do you mean then
3	mitigating the result of the hazard, of the event for
4	the given hazard?
5	MS. SCHROER: So, when we look at total
6	plant response, we look at one, the protection, so
7	keeping the water out. And then two, mitigation being
8	doing something if the water got in. But you still have
9	your diesel, perhaps. You don't have these assumed
10	conditions like you do under the FLEX approach. So,
11	it wouldn't necessarily be a big thing.
12	I mean, and it could actually be FLEX
13	equipment. That is one of the things that we have
14	allowed for but it doesn't have to be. It could be
15	something small. It could be something that plants are
16	already doing under their design basis.
17	MEMBER CORRADINI: But just to make sure.
18	So, the answer to Steve's question is yes. It is
19	mitigation of the hazard.
20	MS. SCHROER: Yes.
21	MEMBER CORRADINI: Okay.
22	MS. SCHROER: Yes. And when we say that
23	there is a lot of words packed into this one bullet,
24	so I am going to kind of break it down a little. So,
25	when we say non-safety related, it means it doesn't have

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	140
1	to meet the single failure criterion, it is not
2	redundant, and it is not diverse.
3	And Tim Reed kind of talked about this this
4	morning. Not this but kind of a similar concept. He
5	said we don't want SAMGs to be safety-significant
6	because if they are safety-significant, it means we are
7	in a bad place already.
8	And so that is kind of how I think about
9	this. We don't want FLEX to become safety significant
10	in a flooding event because that means we are in a bad
11	place already.
12	Then moving on to the next bolded bullet,
13	without the systematic integrated assessment, we
14	cannot understand the impact of the reevaluated flood
15	hazard on plant safety. So, the way the approach is
16	in the white paper right now is it says you don't need
17	to figure out what happens at your plant because you
18	have FLEX and that should take care of it or you have
19	these targeted mitigating strategy.
20	And with the integrated assessment, the
21	first approach is to figure out what happens to your
22	plant in a flood event and then see how your plant
23	responds, so you can really develop specific strategies
24	for that flood.
25	Without the integrated assessment, you
ļ	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	141
1	won't be able to understand the potential
2	vulnerabilities. So, the integrated assessment, I
3	know several of you are familiar with PRA and those
4	built on PRA tools and concepts. So, I like to think
5	of this as kind of a WASH-1400 we didn't think small
6	break LOCAs would be a big deal. We didn't know until
7	we did the analysis. And similarly, we don't know what
8	could potentially be our vulnerability at a plant
9	without doing the assessment of the flood.
10	Without the integrated assessment, we
11	won't be able to determine whether protection is
12	adequate. And this I am going to veer off a little and
13	this next piece is my personal view. I am not really
14	sure that we would be able to understand whether
15	mitigation is adequate, since the current evaluation
16	in criteria for FLEX is feasible, it doesn't include
17	reliability of the plans. And so, that is something
18	that we really emphasized in the integrated assessment
19	and the plant response would be both feasible and
20	reliable.
21	Without the systematic integrated
22	assessment, we would not be able identify safety
23	enhancements and determine their significance. If you
24	don't look to see if there could be any, then you won't
25	be able to identify them.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

For example, something like this, with those discussed this morning is maybe you can just put another foot of sand bags around your diesels to be okay during a flood event. But through the white paper approach, there really isn't a path for that. And perhaps after the discussion this morning, that will be added.

And then I think most importantly without 8 9 the systematic integrated assessment, we won't be able 10 to gather enough information to support a decision to 11 modify suspend or revoke a license. When we issued the 12 50.54(f) letter to implement recommendation 2.1, the 13 purpose of that letter was to gather information to be 14 able to modify, suspend or revoke a license, if 15 necessary. You know, obviously, this wouldn't be 16 necessary in all cases.

And without the integrated assessment, you are losing a lot of that information. And I will talk about that a little bit more on the next slide as well.

And finally, the staff doesn't have confidence in the undefined approach advocated by the white paper. It seems to rely on an unspecified staff process to initiate new regulatory actions. And it is really not clear what that would be and how you would have enough information to make that decision.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

17

18

19

Another thing that Tim Reed mentioned this morning that if we don't have information to make a regulatory action, then we are not going to. So, if you eliminate all the information that you would gather as part of the integrated assessment, how would you have enough information to initiate some sort of new regulatory action? And if you were to initiate a new regulatory action, 1) what would that be; and 2) it wouldn't be necessary if you kept the integrated assessment that currently is required.

And this is also -- so I feel like I am going to say this is a big one. These are all big ones. But the white paper approach assumes that the NRC already knows which plants will require additional action. If you will look on page 2 of enclosure 1 of the white paper, it says the NRC staff does not expect the reevaluated flood hazard for most plants to affect the design-basis flood against which safety-related SSCs would need to be protected.

20 And so this is already presupposing. Now, 21 we know what is going to happen with the flood. And 22 in fact, we have never assessed it or evaluated it 23 systematically. make those So, how can we 24 assumptions? And I think that some would argue in some 25 cases we already do know that there will need to be some

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

	144
1	sort of action. So, it is not clear why that is the
2	assumption for the white paper.
3	Are there any questions on this slide
4	before I move to the next slide?
5	MEMBER CORRADINI: I guess maybe I
6	misunderstood but let me say it to make sure, just to
7	clarify.
8	So, you are saying that the COMSECY or the
9	draft COMSECY essentially excuses the completion of the
10	1054-3.1 evaluation? That is what I am
11	MS. SCHROER: Absolutely. And that is
12	one thing that I don't think was clear this morning.
13	It was the white paper was discussed as if the only
14	intent was to make sure that mitigating strategies met
15	the reevaluated hazard. And that is actually
16	something that we agree with. We agree that FLEX
17	should be able to meet the reevaluated hazard.
18	What we don't agree with is elimination of
19	the integrated assessment, which is what the white
20	paper approach proposes.
21	MEMBER CORRADINI: So, just one
22	follow-on. So, certainly integrated systematic
23	integrated assessment. Is that not correct?
24	MS. SCHROER: Only one. But certain
25	plans have started but it looks like those will be
ļ	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	145
1	deferred.
2	MEMBER SKILLMAN: I would like to get
3	educated on why a plant can't screen out. There are
4	several plants that are hundreds of feet above nearby
5	water.
6	MS. SCHROER: Oh, right. Yes. So, when
7	I was saying that plants wouldn't screen out, what was
8	said this morning was that if a plant is protected to
9	the new hazard, that they could screen it out. And that
10	is not correct.
11	If the new hazard doesn't exceed their
12	design basis event, they don't have to do anything.
13	But let's say it turns out their new hazard is five feet
14	higher and they say okay, we are going to build a flood
15	wall around the whole plant five feet high, we are
16	protected, we can screen it out. We don't have to look
17	at plant response at all.
18	And while it happened under the integrated
19	assessment, we would say well, we want to look at that
20	flood loss. We want to make sure that is reliable.
21	So, that is what I meant.
22	MEMBER RICCARDELLA: I thought I heard
23	that it could screen it out from the mitigating action
24	for beyond design basis events. I didn't hear that you
25	screened it out from a 2.1 evaluation.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	146
1	MS. SCHROER: Well, I think the white
2	paper would remove the 2.1 evaluation. So, if you were
3	screening it out from the mitigating strategies under
4	the white paper, there wouldn't be a 2.1 evaluation for
5	it to be evaluated under.
6	The only thing that would
7	MEMBER RICCARDELLA: If I make something
8	a design basis event, then I don't have to mitigate
9	against it because it is a beyond design basis event.
10	I thought that is all I heard this morning.
11	MR. MITMAN: So, under the current 2.1
12	rule, if a flood hazard goes off, then there is
13	requirement to do the integrated assessment. The
14	plant has to go in and look at things.
15	Now, if the plant remains a dry site, even
16	though the hazard has gone off, it should be a quick
17	and easy integrated assessment. It is anticipated to
18	not be time consuming or expensive to do but they have
19	to do that. And then that information will come into
20	the Agency and the Agency would make a decision based
21	on that, as to whether to modify the license or not.
22	If the new hazard goes above the current
23	protection, then it gets more complicated and more
24	difficult. So, you have got a flood wall that is four
25	feet high. The new hazard goes up two feet and it goes

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	147
1	a foot over the wall. Now, it becomes much more
2	complicated and now the consequences of that new flood
3	hazard could, for instance, say we will do ECCS.
4	And now that information will come in.
5	The licensee would do an integrated assessment. They
6	would explain why you have added appropriate measures
7	to protect the core and they would submit that. And
8	then the Agency would look at that and decide whether
9	to modify or suspend the license.
10	That whole process, as we understand it,
11	is not going to be done if the white paper COMSECY goes
12	forward. They will simply say, under all these
13	scenarios, you will have the FLEX mitigating
14	strategies. You don't need to do anything else.
15	MR. SEE: There is additional information
16	in what is called the trigger letter. It basically
17	lines out the approach, the different scenarios that
18	are postulated and kind of covers what Jeff just
19	summarized. So, if you are interested in that
20	information.
21	CHAIR SCHULTZ: Ken, what is that related
22	to, this trigger letter?
23	MR. SEE: The trigger conditions for
24	performing the integrated assessment. It was signed
25	out by Dave Skeen December 3, 2012, ML12326A912.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	148
1	MS. SCHROER: Any other questions on this
2	slide?
3	MEMBER BROWN: Trigger letter. You said
4	the trigger letter was lined out. I am trying to
5	connect the trigger letter to
6	MR. SEE: The trigger letter provides
7	guidances for when and how to perform the integrated
8	assessment.
9	MEMBER BROWN: Okay. The details, in
10	other words.
11	MR. SEE: There is four scenarios that are
12	outlined here. Scenario 1 is the reevaluated hazard
13	is bounded by the design basis. You don't have to do
14	anything. You're good.
15	Scenario 2 is then your local intense
16	precipitation value exceeds its design basis. You
17	trigger an integrated assessment that it is a low level
18	of effort, is the way I like to describe it.
19	And then there is a scenario 3 which is
20	called all permanent and passive flood protection.
21	And the scenario I use here is say a berm. So, if you
22	have a berm that is five-foot tall, your design basis
23	flood was three feet previously, your reevaluated
24	hazard goes up to four feet. So, you still have margin
25	on your berm.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	149
1	What you would have to do under the
2	integrated assessment is just demonstrate that that
3	berm can still handle that flood. It has gone up a
4	foot, do some stability geotechnical work to show that
5	berm is good and you are done. It is not a large level
6	of effort. But if it goes up and it goes above your
7	berm, then the level goes up and it gets a little
8	complex.
9	And then scenario 4 is when you just do a
10	full integrated assessment. That is the more complex
11	one.
12	So, it gives industry some more guidance
13	as to that event.
14	MR. PATTERSON: Let me point out the
15	mitigating strategies order still applies.
16	MR. SEE: Yes.
17	MR. PATTERSON: The rule will still apply.
18	So, we are not removing any mitigating strategies just
19	because you are still within your design.
20	MEMBER CORRADINI: But just again a
21	clarification. If I understand, the group's main
22	point is is that you won't have the knowledge of the
23	integrated assessment, even though you have moved
24	forward with the rule.
25	MS. SCHROER: That is correct.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	150
1	MR. PATTERSON: That is correct.
2	MEMBER CORRADINI: So, you want the full
3	knowledge of whatever that turns out to be.
4	MR. SEE: Exactly. There was a lot of
5	discussion here this morning about having the tools in
6	the toolbox. To me, the integrated assessment will
7	help ensure that I have got the right tools and it will
8	help me use those tools in a more effective manner.
9	MS. SCHROER: And I think if you will look
10	back at slide 2, concern number eight is that the
11	current white paper fails to distinguish between the
12	intended purpose of the integrated assessment and
13	activities for mitigating strategies and does not
14	recognize the difference between guidance associated
15	with the two.
16	So, if you want us to speak to more detail
17	in that.
18	MEMBER CORRADINI: I get it fine.
19	MR. MITMAN: One clarification. The
20	concerns that we are expressing today are against the
21	white paper COMSECY. We haven't looked at the rule for
22	the language in the rule. You mentioned the rule and
23	we really haven't started to think about the rule.
24	MEMBER CORRADINI: No, no, but I just
25	wanted to make sure I understood your clarification of
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

4

5

6

7

8

9

10

11

12

13

14

15

16

17

what you felt was missing.

2 MS. SCHROER: Any other questions on this 3 slide?

Okay, moving on to slide 4. Another concern that we had with the white paper is that the have justifications are what we called here The justifications for the white paper questionable. approach include this assumed effectiveness. And although we have assumed only under this first sub-bullet, I would say that assumed applies to all of the bullets.

The efficiency and resources, industry consensus, and I think after the discussion this morning that NEI gave about preferring to have a protection option maybe conflicts with the industry consensus that is presented in the white paper, and then time frame.

And these justifications are, I would say, 18 19 inconsistent with the way we do business at the NRC. 20 They have neither technical nor safety basis. It is 21 all based on schedule and efficiencies. And we would 22 is inconsistent with say that this а culture 23 emphasizing safety over competing goals.

Additionally, this approach may be inconsistent with adequate protection requirements.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	152
1	So, currently, regulatory actions and processes have
2	been subsumed by the R2.1 I don't know what it is
3	it is a whole project and may need to be revisited. So,
4	basically what happened is we had some activities that
5	were ongoing with flooding and when Recommendation 2.1
6	implementation started, we said we will take care of
7	that under Recommendation 2.1. And now if we are
8	getting rid of this whole process with the integrated
9	assessment, it is not really clear. Those would have
10	to be kind of restarted, I guess.
11	And there was some discussion this morning
12	about cost-benefit. But for adequate protection
13	issues, as I think Dr. Bley said, we don't have to
14	consider cost benefit.
15	MEMBER BROWN: Don't have to or not
16	permitted to?
17	MS. SCHROER: Not permitted.
18	MEMBER BROWN: Different set of words.
19	MS. SCHROER: Yes, thank you. And for
20	flooding issues, licensees have not shown adequate
21	protection for flooding at some sites. And that was
22	the whole intent of the R2.1 process was to determine
23	whether the NRC should modify, revoke, or suspend a
24	license modify, amend, or suspend. Too many
25	suspends.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	153
1	And so without going through this entire
2	process, it is not clear that we will be in alignment
3	with our adequate protection requirements.
4	And the claimed efficiency under the white
5	paper approach comes at a significant cost. On page
6	four of the white paper, it states that the planned
7	approach reduces the level of information to be
8	submitted by licensees and the assessments will focus
9	on mitigating strategies, instead of more varied
10	enhancements to protect against a range of flooding
11	conditions.
12	A broader assessment could, for example,
13	identify protective measures for equipment important
14	to safety against some flooding scenarios and,
15	therefore, reduce the reliance on mitigating
16	strategies to address such events.
17	So, the white paper, itself, states that
18	we are going to be reducing the amount of information
19	that we get, due to the elimination of the integrated
20	assessment.
21	Are there any questions on this slide?
22	Okay, slide 5, the integrated assessment.
23	If the white paper approach were modified or
24	disapproved or something, if we kept the integrated
25	assessment we would have a systematic review of all

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 plants with increased flooding hazards and we will know 2 the extent of flooding issues at plants with known issues; the total number of plans that may have issue, 3 including plants not yet identified. I think people 4 5 that have been working in flooding for a while you know you kind of have a handful of plants in your mind that 6 you think oh, that is a flooding plant and that is a 7 8 flooding plant. There might be other plants that we 9 don't know about because we haven't done this detailed 10 assessment. And with the integrated assessment, we 11 would be able to identify those plants. 12 We will know whether all plants can 13 demonstrate adequate protection under flooding

demonstrate adequate protection under flooding scenarios and we will know whether there are efficient and effective flood protection measures that are cost justified substantial safety enhancements. So, essentially, we would have information to pursue a back fit, if necessary.

19 And oh, I've jumped to my last bullet 20 without even knowing it. integrated With the 21 assessment, we will know information needed to support 22 regulatory decisions. And I think this is really --23 the white paper approach, I think we are kind of left 24 in the dark about a lot of these things and we just assume everything is fine or that the mitigating 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

14

15

16

17

18

	155
1	strategies will take care of a lot of these things but
2	we won't really know. And with the integrated
3	assessment in doing a systematic review, we will be able
4	to have confidence in the protection at sites under
5	flooding scenarios.
6	Any questions on this slide?
7	CHAIR SCHULTZ: Hearing none, proceed to
8	slide 6.
9	MS. SCHROER: All right. So now I am
10	going to turn it over to Jeff Mitman and he is going
11	to talk about a couple of plant examples, just to give
12	you a feel of what does this actually mean. Jeff?
13	MR. MITMAN: Okay, I'm Jeff. Go over to
14	slide 7. So, the next three slides are three plants.
15	They are actual plants.
16	CHAIR SCHULTZ: Louder, please, Jeff.
17	MR. MITMAN: Louder? Okay.
18	The next three slides are talking about
19	three actual plants. They are not named because the
20	point is to use illustrations and not to pick on any
21	particular plant.
22	So, the first plant, PWR, under the current
23	licensing basis, I have normalized all the water levels
24	so that the normal water level is zero feet. So, site
25	grades, 13 feet above that. The 100-year flood per the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	156
1	FSAR is about 10.3 feet and the design basis flood is
2	a normalized elevation of 23 feet.
3	So, under the current rules and licensing
4	basis, the plant has a full set of ECCS electrical power
5	systems to protect itself against the design basis
6	flood.
7	There is new information coming in from the
8	reevaluated hazard that indicates that the flood hazard
9	goes up by tens of feet, more than 20 feet. And this
10	will disable the ECCS, the offsite power supplies, and
11	the on-site power supplies.
12	MEMBER BROWN: Is this a reevaluated
13	hazard at that plant?
14	MR. MITMAN: It is a reevaluated hazard at
15	that plant.
16	MEMBER BROWN: Well, I was looking at the
17	parenthesis, based on present-day licensing criteria.
18	So, if you were looking at it fresh today
19	MR. MITMAN: If you were trying to license
20	the plant today under the current licensing
21	MEMBER BROWN: It wouldn't meet the twin
22	feed.
23	MR. MITMAN: Right.
24	MEMBER BROWN: I'm sorry to interrupt you.
25	MR. MITMAN: The flood would go up by more
I	I NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	157
1	than 20 feet.
2	MEMBER BROWN: Okay.
3	MEMBER BLEY: And this was the
4	reevaluation done by the plant.
5	MS. SCHROER: Yes.
6	MR. MITMAN: By a federal agency. I am
7	being a little cagy here because for this particular
8	plant there is some sensitive information involved.
9	And so, I need to be a little bit I can't say
10	everything I would like to say.
11	MEMBER BLEY: Okay.
12	MR. SEE: This is part of the R2.1 effort.
13	MEMBER RICCARDELLA: So, for this plant,
14	the 2.1 effort is done, has been completed?
15	MR. SEE: The flood hazard is not
16	completely done but the design basis mechanism has been
17	done.
18	MR. MITMAN: So, the flood hazard is up by
19	more than 20 feet. It disables everything on the site.
20	Okay? So, of course, they still have FLEX equipment,
21	as is appropriate and is another layer of defense but
22	it raises questions. Are the mitigating strategies
23	under FLEX, under the mitigating strategies, are they
24	appropriate?
25	All right, the next one. Should we really

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	158
1	be talking about efficiency and effective protection
2	options? Should we consider changing the design or
3	licensing basis? Is there an adequate protection
4	issue here?
5	So, under the current regime, where you do
6	a 2.1 and an integrated assessment, the hazard has gone
7	up. They are required to do an integrated assessment.
8	They will come in and talk about how they are going to
9	compensate for this new hazard, what they are going to
10	do and why they are okay.
11	The Agency now has the opportunity to look
12	at what they are planning, decide whether the license
13	needs to be revised, suspended or revoked, and can move
14	forward.
15	Under the COMSECY white paper proposal,
16	all that discussion will stop because there is an
17	assumption that the mitigating strategies are
18	sufficient. And so we ask the question. Do we really
19	want to just jump there without looking a little bit
20	harder based on this new hazard information?
21	MEMBER CORRADINI: So, can I just get a
22	clarification? So, just the numerical values. The
23	100-year flood was 10.3 and now the 100-year flood is
24	23. Is that what am I understanding?
25	MR. SEE: They are higher than that.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	159
1	MEMBER CORRADINI: More than 23.
2	MR. MITMAN: The 100-year flood, which is
3	not the design basis, okay, the 100-year flood, one of
4	the problems we have got coming into is frequencies.
5	Okay? In hydrology space, it is really hard to get
6	frequencies out of the little bit of flood information
7	we have. We can get a 100-year flood data or a flood
8	frequency. You can extrapolate. You can pull that
9	off of the data. When you start to get out beyond 1,000
10	years, the hydrology community gets really
11	uncomfortable with trying to come up with frequencies.
12	So, typically in PRA space, we are very
13	comfortable talking about one in 10,000, one in
14	100,000, one in a million. We are comfortable with
15	that. The hydrology community is not. So, what you
16	will hear when you talk about floods is that people
17	don't want to extrapolate out the flood groups.
18	But put in here is simply a known point to
19	give a little bit of perspective on what the frequencies
20	are. Now, that is not to imply that the design basis
21	flood is a 100-year flood. It is not. It is something
22	smaller. The design basis flood has something at a
23	lower frequency than a 100-year.
24	CHAIR SCHULTZ: But here it is higher, is
25	it not?

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	160
1	MR. MITMAN: Pardon me?
2	CHAIR SCHULTZ: I don't want to get into
3	the details specifically. This is an example. You
4	have a 100-year flood normalized elevation of 10.3 feet
5	and you have indicated the design-basis flood is
6	normalized to 23 feet.
7	MR. MITMAN: So, it is significantly less
8	than that, one in a hundred years.
9	MR. SEE: Yes, significantly less
10	probable.
11	MEMBER REMPE: Okay, so we evaluated
12	hazards. Is that a design basis flood that would be
13	20 feet greater than the prior design basis flood?
14	What do you mean by reevaluated hazard?
15	MS. SCHROER: So, as part of the
16	Recommendation 2.1 process, the first step was to
17	reevaluate the flood, using present-day licensing
18	criteria. So, if this were a brand new plant being
19	built, this would be their design basis.
20	MEMBER BROWN: Forty-three feet?
21	MEMBER REMPE: That is what I'm trying to
22	say.
23	MEMBER BROWN: So, the present design
24	basis is 23 feet. It would have to be 43 feet.
25	MS. SCHROER: Yes.
ļ	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	161
1	MEMBER BROWN: Okay.
2	MR. MITMAN: One of the problems we run
3	into with the old plant is that what they were designed
4	and licensed to skip certain things. All right? So,
5	a lot of the plants, their licensing design basis
6	doesn't include local intense precipitation. So, it
7	is not in the design basis right now. Okay?
8	And so, if a plant has that scenario, then
9	that is new information and the hazard has gone up. And
10	so that automatically puts them into an integrated
11	assessment.
12	So, with the old plants, there is just
13	various mechanisms that are just not covered. A lot
14	of the plants looked at still water levels and they
15	didn't take into consideration wave runoff.
16	A lot of the plants have still water level,
17	they don't take into consideration debris loading.
18	You know you have a flood. All these trees come down
19	and it hits your berm. Is your berm good enough to take
20	the impact from that debris? It is not in the licensing
21	basis because it wasn't considered back in the late '60s
22	or early '70s but under current design requirements,
23	they would have to look at that.
24	These are all the subtleties that you start
25	to see that come out in the integrated assessment that
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	162
1	just simply get pushed aside by the COMSECY that says
2	it doesn't matter. They have FLEX.
3	MEMBER BLEY: Let me ask you a couple of
4	questions because I am a little confused and I didn't
5	study the COMSECY the way you have. And we have an
6	earlier draft, which is probably when you wrote all
7	that.
8	I am kind of where Mike was. I almost need
9	to be walked through the COMSECY. I'm not sure where
10	it says you don't need an integrated assessment or
11	anything else that you assume that the FLEX will work,
12	no matter what is going on with the flood. And the
13	stuff we heard this morning, separate from what is in
14	the COMSECY, the discussions, were that one has to look
15	at FLEX against a place where you have exceeded the
16	existing design basis and show that it can work.
17	And what I am hearing is that regardless
18	of what the reevaluated flood is, the COMSECY says you
19	don't have to look at anything. FLEX will work. And
20	I just didn't
21	MR. MITMAN: You didn't hear what I talked
22	about this morning?
23	MS. SCHROER: Let me read you a quote from
24	the COMSECY on page four. It says focusing the phase
25	2 decision-making on mitigating strategies means that
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	163
1	the integrated assessment in phase 1 is no longer needed
2	in its current form. Instead, the mitigating
3	strategies, equipment, and actions will be confirmed
4	against the reevaluated flooding scenario.
5	MEMBER BLEY: Okay, that is different than
6	what I heard you say out loud. That says it won't exist
7	in its current form. It doesn't say what form it would
8	be in. But it says you have to provide some basis to
9	show that the FLEX would work.
10	MS. SCHROER: And then later on, it says
11	that the planned approach reduces the level of
12	information to be submitted. So, and this was actually
13	one of our concerns.
14	MEMBER BLEY: But it doesn't say how much,
15	either, does it? So, it is a little vague. It is a
16	lot vague.
17	MS. SCHROER: And one of our concerns, I
18	can't remember what number it was.
19	MEMBER BLEY: It doesn't matter.
20	MS. SCHROER: I think it was that it is not
21	the staff didn't think it was clear to the Commission
22	what they would actually be affirming because what we
23	have been told is the integrated assessment would be
24	gone. But then if you read this, you are kind of like,
25	well.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

MEMBER BLEY: Yes, I understand the first half of what you just said. It is vague. And it is not -- well, my interpretation of the words you read and having read this before isn't that it is gone. It is somehow controlled in its extent but that is not defined.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

21

Now, this is one of those Phil was talking about this morning when you get something this wild, wildly different from the current design basis, why wouldn't it be a new design basis? Why wouldn't you have to go into the new design basis, under which you would have to do substantial analysis to show that you were covered.

MEMBER RAY: That leaps to the -- I am only saying make it more explicit that you must consider the process. And determine that the better course is mitigation prevention.

18MEMBER CORRADINI: Well, if I just go back19-- I'm sorry, I have forgotten the gentleman at the far20end.

MS. SCHROER: Ken.

22 MEMBER CORRADINI: Ken, so you had 23 repeated the four potential categories.

24 MR. SEE: It's from the trigger letter.
25 MEMBER CORRADINI: Well, whatever it is

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	165
1	called. This would be in the fourth category where it
2	says a substantial to, it has got to be evaluated. Have
3	I got it approximately right?
4	MR. SEE: Yes, you are correct.
5	MS. SCHROER: Using the current guidance.
б	MEMBER CORRADINI: Right.
7	MS. SCHROER: And so one thing that the
8	COMSECY says is that instead of this integrative
9	assessment, and I would like to mention that the
10	guidance that was created to develop an integrated
11	assessment, JLD-ISG-2012-05, it was created with a
12	variety of technical expertise, a variety of NRC
13	offices, and with significant industry and stakeholder
14	input.
15	So, if we don't use that current form, then
16	we may need to address, and I am quoting from the COMSECY
17	here on page 6, we may need to address some specific
18	flooding scenarios that could significantly damage the
19	power plant site by developing targeted or
20	scenario-specific mitigating strategies.
21	So, it is this whole big we might need to
22	do something maybe if it is significant.
23	MEMBER BLEY: Let me push you a little
24	further. I think what you said, and I haven't recently
25	looked at the guidance for doing the integrated
Į	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 assessment was that there is already substantial 2 flexibility there, that the assessment only needs to be done to the extent to demonstrate whatever the issue 3 is you are trying to look at. 4 5 Yeah, so, the integrated MS. SCHROER: 6 assessment guidance --MEMBER BLEY: Well, this kind of further 7 8 softens it so maybe you don't even need to do that much. 9 Yes, the current guidance MS. SCHROER: 10 provides for a graded approach. So, if you have a cliff 11 around your site -- well, maybe a wall instead of a 12 cliff, --MEMBER BLEY: We get it. Go ahead. 13 14 MS. SCHROER: -- then you can say look, I 15 have a large wall. We're good. But if you say well, 16 I have a kind of small wall and my reevaluated hazard 17 is above that, then you would need to do more. And so it provides for this graded approach that depending on 18 19 what scenario your specific plant finds itself in, it 20 would have a different level of rigor. 21 And what the COMSECY does is kind of 22 softens that even more. And not only softens it but 23 doesn't provide a clear process by which these would 24 be evaluated. In our opinion, we already have that 25 process.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	167
1	MR. MITMAN: Now, this particular plant is
2	on the NRC's radar. And so a lot of people are aware
3	of the issues, aware of the increased hazard, and aware
4	of the consequences of the increased hazard. But
5	without the integrated assessment, it is not
6	necessarily clear that the Agency will know the
7	consequences of the increased hazard. And so that is
8	one of the points that Suzanne made earlier, that
9	without the integrated assessment, all we will have is
10	a hazard and won't necessarily have all the information
11	we need to make sure to understand the significance of
12	that increased hazard.
13	MS. SCHROER: And I just found
14	MEMBER RAY: Let me comment that what you
15	just said was what at least I was intending to try and
16	say about the mere implication that well, oh yes, we
17	could do something other than just impose mitigating
18	strategies. The fact that we don't systematically
19	require that to be done is the issue that I am trying
20	to surface for, our awareness. I guess I will put it
21	that way.
22	MR. PATTERSON: Isn't that precisely what
23	the purpose of the Near-Term Task Force and other
24	post-Fukushima activities has been about, have a
25	systematic method to deal with things that we don't even

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

168 1 know about yet? When a new hazard comes down the pike, 2 we will have an established methodology for dealing with it. 3 MS. SCHROER: And I knew that this was in 4 5 there somewhere and I just found it. And so I think it was you, Dr. Bley, who said it wasn't clear that the 6 integrated assessment would be eliminated. So, if you 7 8 go to Enclosure 2 on the first page it says focusing 9 the flooding reevaluations on the SSCs serving key 10 safety function within the mitigating strategies 11 requirements will, the in many cases, improve 12 efficiency of the NRC's regulatory process by 13 eliminating the need for a broader assessment of the 14 plant response, as described in current plans and staff 15 quidance for integrated assessment. 16 So, it is in there. 17 CHAIR SCHULTZ: But again, it says in many 18 cases. So, that doesn't --19 MS. SCHROER: Well, in many cases, it 20 would improve the efficiency. 21 MEMBER BLEY: What does that mean 22 eliminating some aspects of it? I think I know what 23 you guys are saying. And I think I know what others 24 were trying to craft.

> In ending the example 1, I MR. MITMAN:

> > **NEAL R. GROSS**

1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

COURT REPORTERS AND TRANSCRIBERS

(202) 234-4433

25

	169
1	would like to come back and say should we really be
2	talking about plant efficiencies when, in my mind,
3	there is a real adequate protection issue here. To me,
4	it is adequate protection that a flood of this height
5	I'm not even sure that the FLEX strategies will work
6	under this scenario and how bad this flood gets. That
7	there will be no place to stage the FLEX equipment if
8	the flood is so bad.
9	And so why are we talking about
10	efficiencies when, to me, there is an adequate
11	protection issue that needs to be addressed first?
12	Now, the Agency, in my opinion, needs to
13	look at this, decide whether there is an adequate
14	protection issue. And if there is no adequate
15	protection issue, then you can go forward on the basis
16	of efficiencies. But until you address the adequate
17	protection issue, the court decisions forbid us to look
18	at monetary basis for doing this.
19	MEMBER BLEY: And they still would.
20	MEMBER RAY: Yes, but aren't you saying
21	though that we wouldn't know? Because this is such an
22	egregious example let me finish. But the point is,
23	we wouldn't really systematically know that without the
24	integrated assessment.
25	MS. SCHROER: Correct.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	170
1	MR. MITMAN: For each site.
2	MEMBER RAY: For each site.
3	CHAIR SCHULTZ: And that is what I meant,
4	Jeff, that in terms of efficiency it is eliminating
5	those sites that can be eliminated from
6	MR. MITMAN: Yes, but the integrated
7	assessment allows you to do that. If the flood hazard
8	goes down, you're out. If the flood hazard goes up but
9	you are still dry, you are pretty much
10	CHAIR SCHULTZ: Pretty much. That is
11	what I am
12	MR. MITMAN: It should be a quick, a
13	comparatively quick and inexpensive process to show
14	that you are okay. All right?
15	But when you start to see examples like all
16	three of these examples, it becomes questionable about
17	whether it is so easy.
18	MR. SEE: I would like to point out another
19	document that may inform you. There is a deferment
20	letter that the Agency has prepared deferring the
21	integrated assessments. As you are aware, they had two
22	years. If their design basis flood triggered an
23	integrated assessment, the licensees were required to
24	submit their integrated assessments within two years.
25	The Agency has prepared a deferment letter and I will

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 give you the ML number for you to look at it. It has 2 been changing, so it may inform you. I am just going to give it to you. It is ML14303A465. 3 4 CHAIR SCHULTZ: When you say the words 5 have been changing --6 MR. SEE: Well, it was a suspension 7 letter, now it is a deferred letter. So, they are still working it. 8 9 MS. SCHROER: It is publicly available. 10 CHAIR SCHULTZ: Is this a draft of some 11 kind or something that has bene issued? 12 MR. SEE: Ιt is а draft is my 13 understanding. MS. SCHROER: No. 14 15 MR. SEE: Oh, is it out? MS. SCHROER: It hasn't been issued to the 16 licensees but it has been concurred on within the office 17 18 and is publicly available. 19 MR. SEE: Well, it has been discussed with some licensees, with project managers. I know that. 20 21 It is just something that would further 22 inform you as you make your recommendations. And it 23 is profiled publicly in ADAMS. 24 CHAIR SCHULTZ: Jeff, you mentioned that 25 in R2.1, now we are looking at the reevaluated hazard. **NEAL R. GROSS**

> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	172
1	And that is fully consistent with what is being done
2	for new plant sites, for a new plant site evaluation.
3	Is that correct?
4	MR. MITMAN: Yes.
5	MS. SCHROER: Correct.
6	CHAIR SCHULTZ: And then you said that in
7	the reevaluation this is being done in concert with
8	other agencies. And at this point in time, even though
9	the earlier establishment of design basis was done at
10	least with some understanding of what the 100-year
11	flood was, and then add margin in some way, shape, or
12	form.
13	MR. SEE: I think the 100-year statistic
14	is just that. It is not really raw. I think it is
15	adding some confusion to our discussion. It is
16	information but it is not relevant to the point Jeff
17	was trying to make.
18	MR. MITMAN: The 100-year flood is not the
19	design basis flood.
20	CHAIR SCHULTZ: I can see that.
21	MR. MITMAN: It was simply put in there to
22	give some kind of benchmark of frequency, not a very
23	good one, obviously.
24	CHAIR SCHULTZ: Well, why isn't it
25	because the design basis reflects a much higher number.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433
	173
----	--
1	MR. MITMAN: Right. But I don't know what
2	the frequency of the design basis flood is.
3	MEMBER RICCARDELLA: We don't have the
4	information but in the seismic world, we design to ten
5	to the minus four.
6	CHAIR SCHULTZ: Right.
7	MEMBER RICCARDELLA: So, presumably,
8	there is some kind of a scaling like that in there but
9	nobody wants to write down what the probability is.
10	MR. SEE: If you could figure that out, you
11	would be a wealthy man.
12	MEMBER RICCARDELLA: I'd be what?
13	MR. SEE: A wealthy man.
14	MEMBER RICCARDELLA: I doubt it.
15	MR. MITMAN: There is no frequency on the
16	design basis flood. The staff, as part of an SDP has
17	tried to come up with one and we
18	CHAIR SCHULTZ: That is what I want to
19	know, what the staff's thinking is.
20	MR. MITMAN: But I don't. If I had a
21	frequency for it, I would give it to you. But I don't
22	have it.
23	CHAIR SCHULTZ: Right.
24	MR. MITMAN: And so the 100-year flood
25	there simply is kind of a mile marker to help a little
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	174
1	bit.
2	MEMBER RICCARDELLA: I was just saying it
3	is not surprising that the design basis flood would be
4	greater than the 100-year flood just by parallel.
5	MS. PROHIDA: But it is important to
6	MEMBER RICCARDELLA: It would be a bigger
7	flood than the 100-year flood. That doesn't surprise
8	anybody, does it?
9	CHAIR SCHULTZ: Of course. No, it
10	doesn't surprise me but then you get into discussions
11	about well, you have to add in the PMP and the flood
12	and all of this. And then you get into probability
13	evaluation and we are not willing to do that.
14	But then you indicated that there is
15	thinking going on.
16	MR. SEE: The Agency has a probabilistic
17	flood hazard analysis research project. I think there
18	is a paper going through concurrence as we speak. It
19	is a five-year program. So, we are moving in that
20	direction. We are just not there yet.
21	MS. PROHIDA: But it is really important
22	to note that hazard frequency information is not needed
23	to perform the integrated assessment. Okay?
24	The integrated assessment uses
25	probabilistic concepts but you don't need the hazard
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

	175
1	frequency information to complete the integrated
2	assessment. I think that is very important to note.
3	CHAIR SCHULTZ: Well in this case, somehow
4	the 20 feet greater is determined.
5	MS. PROHIDA: Yes.
6	CHAIR SCHULTZ: R2.1 defines the hazard
7	just without a frequency.
8	MS. PROHIDA: That is correct.
9	MR. SEE: It is a deterministic process
10	through HMRs and physics base models for a flooding
11	scenario.
12	MR. MITMAN: Can I go on to example 2?
13	CHAIR SCHULTZ: Sure.
14	MR. MITMAN: All right, going to slide 8.
15	MS. SCHROER: How much time are we looking
16	at?
17	CHAIR SCHULTZ: Just keep going. We are
18	relatively open-ended. We will see how the next
19	presentations go but go ahead, please.
20	MR. MITMAN: So, Plant 2 is an existing
21	BWR, again, everything is nominalized levels. So, the
22	normal river level is at zero feet. Site grade is 22.5
23	feet above that. The original design basis per the
24	FSAR is a normalized flood level of 17 feet, which the
25	FSAR comes out and says is a 200-year flood and it is

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	176
1	385,000 cubic feet per second.
2	So for the original design basis, we have
3	a full set of EECS, diverse, redundant,
4	single-failure-proof. All this remains available
5	because the flood is below grade.
6	In the FSAR, however, they talk about,
7	because of the SEP program, they went back and they
8	revisited it, and this is in the plant as the current
9	licensing basis. They revised the flood to 29 feet.
10	Okay? So, seven feet, six and a half, seven feet above
11	grade.
12	Now, the next quote comes out of the hazard
13	report that was submitted recently. "There no
14	incorporated/exterior or temporary flood protection
15	features designed to protect the site against a flood
16	greater than the plant grade elevation." So, what is
17	the plant to do?
18	Again, this comes out of the hazard report.
19	The reactor shutdown is followed by a reactor
20	disassembly and the cavity is flooded up. All station
21	loads are de-energized and the plant doors are opened.
22	Again, this is a BWR. So, when they open the plant
23	doors, they are opening up the secondary containment.
24	Gasoline driven pumps provide makeup water to the pools
25	and the reactor.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	177
1	So, we have got a BWR that has no ECCS under
2	this design basis flood. The flood has gone up. They
3	have disassembled the reactor. So, that is one safety
4	barrier gone. They have opened up primary
5	containment. That is a second safety barrier gone.
6	Of course, the deinerted, so we don't have any hydrogen
7	capabilities anymore. And now when the flood waters
8	come above grade, they open up secondary containment
9	and they let water into the reactor building.
10	Now, the reevaluated hazard comes in and
11	the water level goes up some more. So, under the
12	current licensing basis, they have a license to operate
13	with this strategy that is explained under the current
14	licensing basis.
15	Now, the flood hazard has gone up. We get
16	a slightly higher water level at different flows and
17	we get back to the same questions. Are mitigating
18	strategies appropriate for the reevaluated hazard?
19	Are there efficient effective protection options?
20	Should we consider changing the design or licensing
21	basis? Is this an adequate protection issue?
22	The integrated assessment, if it were
23	allowed to continue and be conducted and completed,
24	would address these issues, and it's phase 2 of 2.1
25	flooding, we would get the opportunity to decide

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	178
1	whether to revise, or suspend, or revoke the license.
2	MEMBER BLEY: So now we have a shutdown
3	reactor, pool reactor, with all the water on top of it
4	but no containment.
5	MR. MITMAN: No reactor. No containment.
6	No ECCS. And no class 1
7	MEMBER BLEY: Well, ECCS might be
8	irrelevant because you have got all the water sitting
9	on top of it already. Right? It is sitting there. It
10	is a pool reactor that is shut down but with no
11	containment.
12	MS. SCHROER: Well and disassembled as
13	well.
14	MEMBER BROWN: What do you mean? I was
15	going to ask you that.
16	MR. MITMAN: They shut down. It is a
17	long-term flood. So, there is lots of time.
18	MEMBER BROWN: So, they can watch it build
19	up. Is that what you mean?
20	MR. MITMAN: Yes. It is days to come.
21	So, there is lots of advance warning. So, they shut
22	the reactor down. They go to cold shutdown with RHR.
23	They get to cold shutdown. On a BWR, they take the
24	shield plugs off of the top. They take the dry well
25	head off. They take the reactor vessel head off and

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	179
1	they flood the cavity like they were going into a
2	refueling outage. And then they sit there and to keep
3	the core cool, they use a FLEX-type pump to pump reactor
4	into the reactor vessel cavity. And that is the way
5	they want to deal with a design basis event, a design
6	basis event that looks like it has the frequency
7	somewhere around a small LOCA frequency.
8	MEMBER CORRADINI: What did you mean by
9	that? I don't understand what you mean by that.
10	MR. MITMAN: Again, I can't tell you the
11	frequency, because I don't know the frequency.
12	MEMBER CORRADINI: All right. Something
13	like what then? You've compared it to B
14	MR. MITMAN: Under the thousand years.
15	MEMBER CORRADINI: Okay.
16	MR. MITMAN: Now, some people might
17	probably get really upset by me saying that, but it
18	could be that. Could be a little bit more frequent than
19	that, you know.
20	The integrated assessment would allow us
21	to ask questions about that and go forward and try and
22	understand that better.
23	Under the COMSECY approach, simply it's
24	like they've got a strategy, they've got a FLEX system,
25	what more do you need?

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	180
1	MEMBER BLEY: I'm just curious. Has it
2	been this way for a long time?
3	MR. MITMAN: Yes, since the B the original
4	design B
5	MEMBER BLEY: I mean, when did they figure
6	out that it might be as high as 29 feet? That was some
7	time ago.
8	MR. MITMAN: I want to say in the SEP program
9	probably in the early 80s.
10	MEMBER BLEY: Okay. And this strategy was
11	laid out at that time?
12	MR. MITMAN: Yes.
13	MEMBER BLEY: Okay.
14	CHAIRMAN SCHULTZ: Well, you said it was
15	slowly developing, but apparently not slowly enough for
16	them to unload to the fuel pool.
17	MR. MITMAN: That's not part of their
18	strategy.
19	CHAIRMAN SCHULTZ: That they have
20	described.
21	MR. MITMAN: There are B
22	CHAIRMAN SCHULTZ: They have described.
23	MR. MITMAN: There are procedures in place
24	today to do all this. And they've been in place for
25	a while, okay.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

```
(202) 234-4433
```

	181
1	And so, those procedures are there, the
2	Agency knows the procedures are there, they're
3	inspectible. This is their planned strategy if they
4	need B if they are going to face a flood of above grade.
5	MEMBER BLEY: This has been sitting there
6	and this is the way we do business from the past.
7	MR. MITMAN: It is.
8	MEMBER BLEY: I never saw one like this.
9	MR. MITMAN: But the hazard has gone up,
10	okay. And it, to me, the whole purpose of NTTF was to
11	say based on Fukushima Daiichi, maybe we should go back
12	and look at some of these external events a little bit
13	more.
14	And so, when you go look at it, this is what
15	comes out of the review so far is these types of B this
16	scenario.
17	And this is not unique. This is not the
18	only BWR that has a strategy like this.
19	MR. SEE: And so, Jeff, they would utilize
20	this procedure for floods less than the PMF.
21	MR. MITMAN: Yes. So, the PMF is 29 feet.
22	Any B
23	MS. SCHROER: And PMF is probable maximum
24	flood, for those who might not be familiar.
25	MR. MITMAN: All right. For any flood that
ļ	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

	182
1	goes above grade, which is the 22 and a half foot, this
2	is their strategy.
3	MEMBER SKILLMAN: How could they know they
4	have as much time as they have assumed in order to make
5	provision for this strategy?
б	MR. SEE: Good question. It's a postulated
7	scenario where the precipitation falls in a particular
8	sequence and a particular location. And then it takes
9	time, travel time to come through the rivers and reach
10	the site.
11	So, many plants have postulated these
12	scenarios where you'll have a three-day event that's
13	40 to 50 percent over PMP, three days of no rain, and
14	then three days of the main PMP. So, you have a
15	nine-day sequence.
16	And they will take this storm and move it
17	around the watershed and try to identify what they call
18	the critical location, which will give them the highest
19	flood.
20	MEMBER SKILLMAN: Okay. Thank you.
21	CHAIRMAN SCHULTZ: All right, Jeff. Next
22	scenario. I think you said you had three; is that
23	correct?
24	MR. MITMAN: Three, yes. Plant 3 is on
25	Slide 9. It's another BWR on a river, okay.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	183
1	Current licensing basis, again,
2	normalized water level is zero feet. Site grade is 25
3	feet above that. I probably shouldn't have put this
4	in, but that's nine feet above the thousand-year flood.
5	All right. PMF under the current
6	licensing basis is normalized 34 feet. Current
7	analysis is that the flood will take 12 days to develop.
8	So, lots of lead time. And that floodwaters will
9	remain onsite for 11 days after they come onsite.
10	MEMBER BLEY: You don't have the
11	design-basis up here. This is the B
12	MR. MITMAN: The PMF is the design-basis.
13	MEMBER BLEY: Okay.
14	MR. MITMAN: So, that's the 34 feet. The
15	licensee flood protection procedure requires they shut
16	down the plant, they construct a ring levee to protect
17	the plant.
18	If the construction of the levee is not
19	completed or the levee fails, neither of which are low
20	probability events, station blackout will occur. So,
21	the backup to that is to run RCIC without dc power.
22	So, that's the licensing basis today.
23	That's on the books. That's their NRC-approved,
24	AEC/agency-approved approach to the design-basis flow.
25	Okay. So, they go out and they redo the

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	184
1	hazard and the PMF goes up and we're back to the same
2	set of questions.
3	Now, is it really appropriate to just say,
4	hey, we'll go buy two or three commercial grade pumps,
5	store them in an appropriate condition and use them to
6	deal with this event if it happens?
7	There are three examples. There's
8	others, okay. There's some talk in the COMSECY that
9	for unusual events they can use the targeted B a
10	targeted assessment, you know, how many of these are
11	there out there?
12	I probably can come up with five or six,
13	all right, but I don't know how many others are out
14	there.
15	MEMBER BLEY: Do they give a definition for
16	this targeted assessment?
17	MS. SCHROER: That's another one of our
18	concerns is that it's not clear what the targeted
19	scenario-specific mitigating strategies would be.
20	MR. MITMAN: And then once you find those,
21	it doesn't give you any direction on how you do any kind
22	of a targeted assessment.
23	MS. SCHROER: Or how you ask for that
24	information, even.
25	MR. MITMAN: One of the arguments that we've
ļ	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	185
1	heard raised over the last week or so is, well, there's
2	nothing under the current regulatory regime that would
3	prevent us from using the normal processes to revisit
4	these three plants or any other plants that might have
5	these types of scenarios.
6	And that's perfectly true, but this is B
7	Plants 2 and 3 is not new information and we haven't
8	revisited them over the past years. And it's not clear
9	that they would be revisited.
10	MEMBER BLEY: Just for me to understand
11	this, if, in fact, when they did their B the seismic
12	reevaluation this one and Number 2, it didn't go up,
13	but it stayed at the high level that was already high
14	enough they had to take these special measures B
15	CHAIRMAN SCHULTZ: The flood evaluation,
16	yes.
17	MEMBER BLEY: it would not have
18	triggered an integrated assessment. Would not have.
19	MR. MITMAN: It would not have. If the
20	hazard had gone B
21	MEMBER BLEY: So, the integrated assessment
22	wouldn't have helped us here, because it wouldn't have
23	been triggered.
24	MR. MITMAN: That's true. If the hazard
25	had gone down by half an inch, they would not have done
ļ	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	186
1	an integrated assessment and I couldn't use these B
2	those two plants as examples.
3	MR. SEE: The staff weren't happy about
4	that, by the way. But, you know, you have to make
5	compromises.
6	MEMBER BLEY: The trigger letter that you
7	write to us, is that the thing that set up the criteria
8	for how you do integrated assessments, or it's not
9	related?
10	MR. SEE: It is related. Sue, do you want
11	to take it?
12	MEMBER BLEY: I mean, we're going to see
13	that, but we haven't seen it yet.
14	MS. SCHROER: The trigger letter says these
15	are the conditions by which you have to do an integrated
16	assessment. And then there's the integrated
17	assessment ISG which says, okay, if you've triggered
18	one, this is how you do it.
19	MEMBER BLEY: Okay, against those four
20	categories.
21	MR. SEE: The trigger letter is a clarifying
22	letter that, you know, tells you when you trigger one,
23	it adds some clarifications as to what I would call the
24	level of effort.
25	MS. SCHROER: Right.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	187
1	MEMBER BLEY: Clarifies the ISG.
2	MR. SEE: Yes.
3	MEMBER BLEY: Okay. Thanks. That's what
4	I didn't quite have how those things fit together.
5	CHAIRMAN SCHULTZ: Okay, Suzanne. Do you
6	have additional slides for the presentation? You said
7	there were five, and then the examples.
8	MS. SCHROER: We have B
9	CHAIRMAN SCHULTZ: I know you have backup
10	slides.
11	MS. SCHROER: Yeah, we do have slides that
12	go over all 12 concerns.
13	CHAIRMAN SCHULTZ: I'll poll the members of
14	the Committee to see if they want to follow up on any
15	of the first slides' items besides the ones we've
16	discussed or other questions that you might have.
17	MEMBER RICCARDELLA: Seeking what might be
18	middle ground here, would the group B seems like this
19	integrated assessment is the real sore point.
20	Would the group be comfortable if the
21	requirements came out that while you needed to do an
22	integrated assessment, but that assessment could
23	include the FLEX mitigating strategy equipment?
24	MS. SCHROER: That's what the current
25	guidance says. So, right now the current guidance for
ļ	NEAL R. GROSS

(202) 234-4433

	188
1	the integrated assessment says if you don't have out
2	of B well, that's B if you don't have protection for
3	the flood, the reevaluated flood hazard, and you do
4	mitigate the event, you can credit your FLEX strategies
5	already in place.
6	So, the integrated assessment guidance
7	that's currently on the books and has been for a couple
8	years, already has that kind of language.
9	CHAIRMAN SCHULTZ: No, no, no. But to go
10	back to Pete's comment, though, that would, I think,
11	match up with what you said.
12	The problem is that the systematic
13	assessment is not being required by the COMSECY.
14	MS. SCHROER: Right.
15	MEMBER RICCARDELLA: You know, my
16	understanding is about, you know, from what I heard from
17	industry is that they intend to do mechanistic
18	assessments of these 2.1 reevaluated hazards.
19	Now, you know, and the key difference they
20	were making was mechanistic versus non-mechanistic.
21	In other words, currently the FLEX are based on a
22	non-mechanistic assumption that you lose power and you
23	lose access to your ultimate heat sink.
24	And as they get into considering these new
25	hazards, they're saying, well, we're going to consider
I	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	189
1	them, but we're going to consider them in a mechanistic
2	fashion.
3	And, you know, to me, that almost sounds
4	like at least B I don't know exactly what's in an
5	integrated assessment, but they are doing an assessment
6	of the specific hazard.
7	MS. SCHROER: I think it's a little
8	different. So, right now the order EA-12-049
9	mitigating strategies is for an undefined event. And
10	I could be totally wrong and I'm going to interpret
11	industry slides. So, maybe this is a bad path, but I'm
12	already on it.
13	And what industry seems to say is that they
14	would instead of having this broad, you know,
15	mitigating strategies, they would look at
16	flood-specific mitigating strategies.
17	And I guess to understand maybe the nuance,
18	so the purpose of the R21 hazard was to look at what
19	would be a design-basis event now.
20	So, it wasn't to look at, you know, this
21	really bad day. It was to look at what could reasonably
22	happen at your site.
23	And the purpose of the mitigating
24	strategies was, okay, you have this really bad day and
25	something unknown has happened. And so, I think
	NEAL R. GROSS

(202) 234-4433

	190
1	there's a little different perspective there.
2	So, if you're looking at it as this could
3	happen and having, you know, some unknown frequency,
4	but it's a, you know, probable maximum flood is
5	probable, you know, that's a little different slant
6	than assuming that it's just this unknown, you know,
7	very rare bad day.
8	MEMBER RICCARDELLA: I'm just wondering if
9	we're not necessarily that far apart between what the
10	industry intends to do, which is some form of an
11	evaluation of a specific event, but just take into
12	account the FLEX equipment in addition to their
13	design-basis when they evaluate that.
14	Maybe they need to, you know, maybe you'd
15	need to have some requirements that would increase the
16	level of rigor in that evaluation.
17	MR. SEE: The amount of information that
18	they would be missing, there's an information gap
19	between the approaches, is the big issue, I think, for
20	us.
21	The mitigating strategies is based upon a
22	set of assumptions. You've had a bad day. Whereas if
23	you do the integrated assessment, you're going to be
24	taking actions based upon more information and, you
25	know, smarter actions, cheaper actions, potentially,

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	191
1	you know. This has B
2	MS. SCHROER: And also specifically looking
3	at how the flood would affect your plant. And you
4	wouldn't make this assumption that you're just going
5	to let the water in and then what's the best way to get
6	it out, but you would be really looking at what specific
7	impacts it would have on your plant.
8	MEMBER BALLINGER: What I thought I heard
9	was something similar to what Pete thinks he heard, and
10	that is they're going to do the 049 stuff and that
11	establishes a baseline.
12	Then we're going to go look at reevaluated
13	hazard. In this case, flood. And they're going to
14	evaluate that.
15	Now, they didn't say B I didn't hear them
16	say specifically what they were going to do as part of
17	that evaluation.
18	MR. SEE: Yes, they didn't use the words
19	"integrated assessment."
20	MEMBER BALLINGER: They didn't use the word
21	"integrated assessment."
22	MR. SEE: But it might not be that far from
23	В
24	MEMBER BALLINGER: But, again, it would
25	I would hope that it would B the kind of evaluation,
ļ	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	192
1	the kind of analysis they would have to do would depend
2	on when they got into the flood analysis, what the
3	answer came out to.
4	Am I doing that wrong?
5	MEMBER RAY: I think the issue of how this
6	proceeds on the front end whether it's an integrated
7	assessment or something short of that, is where we need
8	to focus our attention.
9	Don't forget, though, the adequate
10	protection milestone which is if the integrated
11	assessment shows that you should take cognizance of
12	this from a design-basis standpoint, it sort of ends
13	there. You don't go on to, well, maybe I can mitigate
14	it with the flood stuff. And that's all I'm going to
15	say.
16	MEMBER BALLINGER: But that's part of the
17	whole process.
18	MEMBER RAY: Well, it may or may not be is
19	the point.
20	MR. PATTERSON: I would point out that
21	"integration" is being used in several different ways
22	in this conversation.
23	From our point of view, the appropriate
24	integration of mitigating strategies or the integrated
25	approach is that at the end of the day you're assured
	NEAL R. GROSS

(202) 234-4433

	193
1	that the equipment you plan to use for mitigation will
2	survive the reevaluated hazard.
3	MS. PROHIDA: With a reliability component,
4	if I may add. You know, we had a separate Appendix C
5	developed to look at the feasibility of operator
6	actions performed under very extreme conditions to make
7	sure that they were reliable.
8	And I'm, you know, providing an estimate
9	of about, you know, with a greater reliability than,
10	you know, 0.1.
11	We also looked at the reliability or the
12	reliability of the mitigation path. Of all the
13	equipment that needed to change, state, you know, how
14	it was being maintained, what were its support systems.
15	Once again as, you know, we don't need
16	hazard infrequencies to do the integrated assessments,
17	but probabilistic concepts were utilized to evaluate
18	the reliability of the mitigation path in terms of
19	equipment and operator actions.
20	MEMBER CORRADINI: So, can I say it back to
21	you another way? You're saying given some mechanism
22	to get the threat B
23	MS. PROHIDA: Yes.
24	MEMBER CORRADINI: you use
25	probabilistic approaches on how the mitigation would
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

	194
1	function and how successful it would be.
2	MS. PROHIDA: That is correct.
3	MS. REMPE: But also if you have to rely on
4	some equipment that is non-safety-related, you might
5	decide to put some requirements that are not currently
6	there on that equipment, for example, the FLEX
7	equipment, with this integrated assessment evaluation
8	methodology, right?
9	MS. PROHIDA: It would ask about how
10	frequently is this equipment being, you know, tested?
11	Is it common to the maintenance rule, you know?
12	MR. SEE: Right. You could decide to put
13	a second one there instead of just relying on a single
14	piece of commercial equipment.
15	MS. PROHIDA: Right.
16	CHAIRMAN SCHULTZ: Any other questions or
17	comments?
18	(No response.)
19	CHAIRMAN SCHULTZ: Well, thank you very
20	much. We really do appreciate your presentation and
21	the level of detail that you have provided in the
22	discussion. It was very helpful. Thank you.
23	And we're going to move right on to the next
24	presentation. That will likely take us to the break.
25	And, Gary, I didn't mean that you only have
l	NEAL R. GROSS

(202) 234-4433

	195
1	until the scheduled break time. I mean B
2	(Laughter.)
3	CHAIRMAN SCHULTZ: after your
4	presentation, we will have a break.
5	Gary, your presentation fits into my
6	introduction to the afternoon session here. So, you
7	already introduced yourself to the Committee and
8	there's no real need to, but go ahead and introduce
9	yourself for the record and we'll move forward. Thank
10	you.
11	MR. HOLAHAN: I will. I am Gary Holahan,
12	the Deputy Director, the Office of New Reactors. I
13	actually appreciate the opportunity to speak to the
14	Committee today representing Scott Flanders who is the
15	Division Director responsible for all of the seismic
16	and flooding work that you've heard about earlier
17	today. And also on behalf of Glenn Tracy who is our
18	Office Director for New Reactors.
19	You'll see that the title here says
20	"Non-Concurrence." And I know we've danced around the
21	issue of SECY papers and white papers, and I don't care
22	to dance too much.
23	There is, in fact, a SECY paper. It is in
24	concurrence and it has not been concurred upon by a
25	number of people who have reservations about it. And
ļ	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	196
1	I think that's what we should be talking about.
2	This is a serious issue. I think the
3	Fukushima experience is serious. I think not only is
4	the flooding issue serious, but I think part of this
5	non-concurrence and the concerns are about regulatory
6	philosophy and about how to make, you know, important
7	safety decisions.
8	And that's part of the reason why the New
9	Reactor management decided to issue a separate document
10	as opposed to simply endorsing the staff document you
11	heard about earlier.
12	So, my presentation will speak not at the
13	same level of detail that you just heard, but take these
14	issues to a policy and practice level that I think has
15	important implications for flooding, but it has
16	implications for many, many future decisions because
17	it relates to the relationship between or among
18	adequate protection, design-basis, beyond
19	design-basis events, how decisions are made in the
20	light of new information, and I think this is quite a
21	significant issue.
22	And the fact that there's been some change
23	in the proposed approach to it, I think it's important
24	to deal with this issue now when we have a clear example
25	so that the staff, the Committee and the Commission has

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	197
1	a clear view on how to make decisions in the future.
2	Can I have the next slide, or should I do
3	this myself?
4	MEMBER STETKAR: You get to do it yourself.
5	(Laughter.)
6	MR. HOLAHAN: Okay. Well, among other
7	things, I had the privilege of being on the Near Term
8	Task Force although I didn't write the flooding
9	recommendation, but I certainly endorsed it.
10	And I think we should recall that, in fact,
11	the entire chapter of the Near Term Task Force report
12	that talks about the technical recommendations is
13	entitled "Safety Through Defense-in-Depth."
14	And, in fact, the entire set of
15	recommendations are built on a certain concept where
16	you can see Recommendation 2 is targeted at enhancing
17	protection for design-basis floods and seismic events
18	and says "where warranted." Obviously it means
19	something to be studied, evaluated and dealt with
20	appropriately.
21	Recommendation 4, which is also which is
22	the way the mitigation strategy issue is, was also
23	called upon for enhancing mitigation for design-basis
24	and beyond design-basis events.
25	The Committee probably also recalls that
ļ	NEAL R. GROSS

(202) 234-4433

	198
1	there's a Recommendation 8 dealing with severe accident
2	management and how to deal with core melt and beyond
3	in container performance. And there's also a
4	Recommendation 9 dealing with emergency preparedness.
5	I think the original recommendations were
6	seen as a package and that the right way to put
7	regulatory philosophy forward is to deal with important
8	concerns through a defense-in-depth approach where
9	appropriate.
10	Mike, push the button. Okay.
11	Defense-in-depth I will also memorize the button
12	that Mike is pushing. Thank you, Mike.
13	Okay. So, these recommendations were
14	intended to constitute a rational set of enhancements
15	for defense-in-depth and they were targeted on
16	Fukushima issues. This is not the only
17	recommendations you can develop, but these were quite
18	targeted.
19	I think it's important to recognize that
20	the Commission supported all of these recommendations
21	in whole or in part through various mechanisms.
22	So, for example, the mitigation strategies
23	had a very clear order issued, rulemaking was initiated
24	on the number of activities, and the demand for
25	information is the approach that was taken on

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	199
1	Recommendation 2.1, but the Commission is addressing
2	each level of these defenses.
3	So, I'd like to spend a few minutes and
4	you'll hear that there's quite a lot of overlap between
5	the concerns you just heard from staff and that the NRL
б	management has put forward. I would say the major
7	difference is that the concerns are at a different
8	level.
9	We see the integrated assessment and the
10	current approach going on as a systematic and effective
11	way of answering the safety questions about protection
12	for flooding.
13	It may not be the only way. You could
14	probably develop alternatives. You could develop an
15	alternative that involved a research program. You
16	could develop alternatives that were perhaps more
17	streamlined.
18	And I don't wish to defend a specific
19	alternative at the moment. I think if there's a desire
20	to be more efficient to get some of these issues closed
21	in a more timely manner, I think we would be supportive
22	of that, but there are some things that it would have
23	to do.
24	It would have to be systematic. It would
25	have to be consistent with current regulation. It
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	200
1	would have to make some regulatory sense.
2	So, the proposal in the COMSECY or call it
3	"white paper," if you like, it would limit staff and
4	industry's efforts on flooding to a confirmation that
5	the mitigation strategies could cope with the
6	reevaluated flood. And I think you heard quite a lot
7	of discussions of that.
8	Now, at least the way I read the paper, it
9	does involve a commitment that the mitigation
10	equipment, and in most cases that involves at least
11	early on, batteries and turbine-driven system, and
12	later on FLEX equipment, that that equipment would be
13	protected against a reevaluated flood.
14	RECORDED VOICE: Pardon the interruption.
15	(Telephone interruption.)
16	(Off the record comments.)
17	MR. HOLAHAN: So, I think the SECY paper
18	does clarify the relationship between flooding levels
19	and protection of mitigation equipment. And in my
20	mind, that is a good thing and it ended as reasonably
21	clear.
22	What it does is it eliminates and I
23	insert the words "in our view," because I think there
24	is some disagreement about whether what the paper is
25	proposing constitutes a systematic reconsideration.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	201
1	And you've heard a lot of people don't think so, but
2	some claim so.
3	So, I would say at least in my view and in
4	our management view, it does eliminate the systematic
5	reconsideration of external flooding protection for
6	the rest of the plant beyond the just the mitigation
7	equipment.
8	Okay. So, what does it mean to do that?
9	So, the post-Fukushima recommendations then lose their
10	concept as a defense-in-depth collection, because, in
11	fact, you end up focusing on mitigation and you heard
12	quite a lot of discussion about backing away at least
13	to some extent, and in some muse to a very considerable
14	extent, to the plant protection.
15	And I think if you think about it B well,
16	I'll come back to the specific equipment of most
17	concern.
18	Second consequence is that the systematic
19	evaluation of total plant response, both protection and
20	mitigation, and I think the integrated assessment is
21	one way of doing that, that would be cut off and we would
22	really lose the opportunity to understand the plants,
23	their vulnerabilities and the potential for
24	enhancements in the right areas.
25	Third, and I think you heard this before,
	NEAL R. GROSS

(202) 234-4433

	202
1	non-safety-related systems and equipment, in this
2	case, FLEX equipment, but even the safety-related
3	equipment would be only partial systems.
4	So, it may be a turbine-driven aux feed
5	water pump, but not the motor driven. So, there's a
6	loss of redundancy.
7	There's a B batteries would be used, but
8	they would certainly be used well beyond their original
9	design intent. So, there's a lot of load shedding and
10	running batteries out to extreme conditions. There's
11	quite a lot of operator action well beyond what you
12	would see in a design-basis event.
13	So, in total, what that ends up is
14	non-safety-related systems or a collection of systems
15	through the mitigation Phase 1, Phase 2 and Phase 3
16	being used to compensate for potential weaknesses and
17	even non-compliances with the flooding design-basis
18	protection.
19	MEMBER SKILLMAN: Gary, I feel quite
20	comfortable understanding your One and Two, but I think
21	in your Number 3 there is a contradiction from the
22	perspective of when an event really gets going, the
23	operators are going to use every tool at their disposal
24	in order to arrest the trajectory of the issue.
25	MR. HOLAHAN: Agreed. They should.
	NEAL R. GROSS

(202) 234-4433

	203
1	MEMBER SKILLMAN: And we would want them to
2	do that. We would want them to use every piece of
3	equipment that's credited B
4	MR. HOLAHAN: Yes.
5	MEMBER SKILLMAN: and every other piece
6	of equipment or tank or device that they can somehow
7	get access to, to halt the progression of the event.
8	Is the distinction that you're making that
9	in Number 3 if the SECY goes ahead the way it is
10	currently written, Three becomes, if you will, gold
11	plated as part of the ongoing order or a new order or
12	a new rulemaking, or that it is somehow made more
13	important that it diminishes the importance of
14	something else?
15	I just don't appreciate the point you're
16	making in Number 3.
17	MR. HOLAHAN: The point I'm making in Number
18	3 is also alluded to in the earlier presentation.
19	And that is, normally the design-basis
20	protection for the plant, let's say, just form
21	flooding, it would consider general design Criteria 2.
22	You would establish some flooding level like you saw
23	in these examples and you would have plant protection
24	at that flooding level by redundant safety-related
25	equipment that turned up in a Chapter 15 safety analysis

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	204
1	with, you know, with all the pedigrees and requirements
2	and covered and all those things. That's what you
3	would expect for design-basis flooding protection.
4	Now, I think what the SECY paper is
5	suggesting is that whether there are potential
6	weaknesses in that collection of equipment and process
7	of procedures, you would not deal with it.
8	You would step back and say, well, even if
9	there are weaknesses, at least I could survive this
10	flooded condition, because I have the FLEX equipment.
11	I don't need the diesels. I don't need the
12	motor-driven aux feedwater pump. I'm going to rely on
13	the steam-driven pump to give me enough time to get FLEX
14	equipment hooked up and that will be good enough.
15	I think the concern is that's not the way
16	the regulations are set up. That's not our normal
17	safety expectation for protection against design-basis
18	floods.
19	MEMBER SKILLMAN: Now, I understand.
20	Thank you, Gary.
21	MR. HOLAHAN: Okay.
22	MEMBER CORRADINI: And the key point I guess
23	I want to make sure I understand is, given the current
24	methodology to determine a design-basis flood, that's
25	outside of the realm of how business is done in the past.
	NEAL R. GROSS

(202) 234-4433

(202) 234-4433

	205
1	What I'm trying to get at is, the last group
2	got me B I guess I still don't understand how these
3	floods are determined since they're deterministic, but
4	yet of some unknown frequency.
5	But given that structure, your point is
6	that's a design-basis. They've got to be treated in
7	that regard.
8	MR. HOLAHAN: I think the best way to
9	understand, historically they were done in a lot of
10	different ways. And I think you've heard from the
11	examples and their reference in the Task Force report
12	and I think it's quite clear.
13	The way the staff is thinking about
14	currently doing B I'll just call it the reevaluated
15	flood. Don't call it design-basis. Don't call it B
16	just call it reevaluated flood.
17	It is basically using the same data
18	collection, the same analysis, the same methodologies
19	as used for new reactor siting that the Committee has
20	seen for every early site permit and combined license
21	application.
22	It's that technique. It's that approach.
23	So, I would say the same requirements have existed since
24	this general design criteria 2 was probably written
25	in 1971. And I think there was a draft in 1968, to my
ļ	NEAL R. GROSS

(202) 234-4433

	206
1	recollection.
2	That same general design criteria has
3	existed for all these years. Obviously, the state of
4	the art has changed. The guidance documents have
5	changed. It has resulted in some additional
6	conservatism, but we now know things that we didn't know
7	then.
8	And the question is, how do you deal with
9	new information? Some of that new information you
10	might find out in the past you were wrong. Some of the
11	differences, the new information may be I changed the
12	level of conservatism I would like to see.
13	To me, those are two different things and
14	you deal with them differently in the regulatory
15	process, but there are a number of different
16	opportunities.
17	You can see events that weren't included
18	in the design-basis 40 years ago that we think
19	appropriate to consider now. How do I deal with that?
20	So, the questions of how do we deal with
21	new information, it is not simple, because there are
22	different types of information and there are certainly
23	different circumstances for each plant. But unless
24	you look, you won't know how to do it.
25	And the implication is of the word

(202) 234-4433

(202) 234-4433

	207
1	"compliance" means some of those examples even today
2	we would say they don't look like they meet NRC's
3	requirements.
4	Some of them are interpretations and
5	they're a little soft and say, well, that would really
6	be a cost-justified backfit, because you're just trying
7	to get more margin, which is a good thing, but some of
8	them are pretty fundamental.
9	And some of the examples you just heard are
10	a little bit concerning about whether they are good
11	enough or not. And this B the integrated assessment
12	or at least some systematic approach is appropriate to
13	finding out those cases and deciding in a logical way
14	what to do about it.
15	Okay. So, the position that the NRO
16	management would consider is that we do support the fact
17	that the paper is clear about how the flooding level,
18	the reassessed flooding level would be used in the
19	mitigation strategies.
20	That's the B it establishes a benchmark
21	flooding to protect mitigation equipment. And there
22	again I think you could pick other levels. This is B
23	the orders simply say that it should be extreme external
24	events. So, you could probably come up with a
25	probabilistic technique.

(202) 234-4433

	208
1	You might not have it now, but at least the
2	flooding reevaluation levels represent a reasonable
3	and practical way of establishing an extreme flooding
4	event. And what that means, basically you've got to
5	protect your mitigation equipment.
6	It's a limited amount of equipment, but
7	that's the equipment that would be protected. And
8	that's a very good thing. And I think most everyone
9	is supportive. And the industry, in fact, is
10	supportive of that approach. And, in fact, I should
11	say for all our stakeholders.
12	And that's part of what makes you
13	comfortable in taking time to work out is the
14	design-basis exactly where I'd like it to be?
15	Mitigation strategy is not just an order.
16	It also turns out in a way to be an interim compensatory
17	measure if you think about how plants normally deal with
18	issues that they're concerned about.
19	If you're not entirely comfortable with
20	flooding protection, at least we have interim measures
21	and of course they're for fairly unlikely events. So,
22	you have, I think, a solid basis for saying, we're okay
23	today, but this is not necessarily where we want to stay
24	as the safety-related design-basis protection for this
25	plant as we go forward.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433
	209
1	MEMBER RAY: Gary, you haven't yet, and I
2	don't think you will looking at your slides, used the
3	word "backfit." And yet, we heard that word over and
4	over and over again.
5	MR. HOLAHAN: Yes.
6	MEMBER RAY: Would you insert it somewhere
7	in what you're going to say?
8	MR. HOLAHAN: I will. If you will allow,
9	I will insert it at the end, because I think it's a very
10	important word. And I think it's a very important
11	point of confusion in this, or maybe it's a point of
12	different perspective.
13	In fact, I think that's probably the
14	biggest disagreement with how we move forward and how
15	we deal with this. So, let me get there in two steps.
16	CHAIRMAN SCHULTZ: One question, Gary,
17	while we're on the first bullet. Appreciate your
18	comments related to what you're indicating as the
19	reevaluated flooding level.
20	In looking at new reactors, looking at this
21	systematic integrated assessment, flooding is
22	different than seismic.
23	I mean, we talked about what is the
24	likelihood, but there's a time element involved. But
25	we looked at the previous examples and said, oh, my
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	210
1	goodness, the level is above.
2	If that level occurred in an hour, one
3	would have some level of concern. If it happened over
4	the course of 15 days, you'd have a different level of
5	concern.
6	MR. HOLAHAN: Absolutely.
7	CHAIRMAN SCHULTZ: Is that expected to be
8	evaluated within the assessment process?
9	MR. HOLAHAN: Yes. Yes. And I think B
10	CHAIRMAN SCHULTZ: And do you have B does
11	the reevaluated flooding information provide some sort
12	of spectrum associated with timing and levels and B
13	MR. HOLAHAN: Yes, it involves not only the
14	level, but timing. And both are important. And
15	certainly the industry has felt that that was quite
16	important in developing the approach.
17	Whether you are protecting equipment or
18	you are moving fuel or whether you're changing the plant
19	configuration has a lot to do with it.
20	So, reevaluated means not B we talk about
21	it simply as a level, but it's really a full
22	characterization of a flood.
23	CHAIRMAN SCHULTZ: Thank you.
24	MEMBER STETKAR: But don't get trapped too
25	much in this sort of looking at each issue in isolation,
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	211
1	because one can have a seismically-induced failure of
2	dams that affects not only that dam, causes a flood and
3	affects your plants. And the warning time on that may
4	be quite short, you know.
5	You're talking about larger issues, but I
6	caution against necessarily saying that every flood B
7	CHAIRMAN SCHULTZ: No, I didn't mean that
8	you wanted to focus only on one B the long-term flood.
9	You know, obviously talking about the seismic event you
10	have a different likelihood and B
11	MR. HOLAHAN: I think all of those are true.
12	And my experience with staff is that they're quite good
13	at figuring these things out.
14	Even when there is a dam failure, the
15	analysis of how long does it take that flood to get to
16	the plant and how far away and are you talking about
17	two dams, I see that there's quite good analysis being
18	looked at when we give them the chance to do it.
19	CHAIRMAN SCHULTZ: Okay.
20	MR. HOLAHAN: So, I think I'll just finish
21	this slide. Although we support using the
22	reevaluating flood levels for the mitigation strategy,
23	we think it's also necessary to have a systematic
24	evaluation of the protection of what I would say is not
25	just the mitigation equipment, but your normal safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

equipment.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

And in this case, I'm not so concerned about loss of coolant accident in ECCS, but I am concerned about decay heat removal, the normal decay heat removal which is, you know, diesel generators and even reliability of offsite power, although there's probably not much you can do about it, but motor-driven auxiliary feedwater systems and service water and other things.

The question is, should I be looking for opportunities to make that stuff more reliable for a design-basis flood, or should I walk away and say I have a different way of dealing with it?

And not willing to divert too much, but we do look and work with our colleagues in other countries. And, for example, if you see, the French have taken quite a serious view as to how to deal with Fukushima.

You could argue that their approach is 18 19 largely a mitigation approach to build a separate 20 bunkered system to handle all safety features and 21 they're really not relying on the plant's normal 22 equipment. But I think the B so, it is possible to have 23 a mitigation-oriented approach, but that approach 24 doesn't look like FLEX equipment. It looks very much 25 like safety-related equipment. It's just another set

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	213
1	of it.
2	So, I think there are different ways to
3	approach this problem, but you always ought to be
4	thinking about defense-in-depth and have I really done
5	a reliable job.
6	MEMBER BLEY: Gary, before you leave that,
7	a couple related questions. They relate to the
8	integrated assessment. I can't say I'm fully
9	conversant with what the ISG says on that. I know we've
10	looked at it B
11	MR. HOLAHAN: We can both ask for help.
12	Staff is still here.
13	MEMBER BLEY: Okay. But my questions about
14	that are a couple. One is your second bullet.
15	Wouldn't the graded integrated assessment provide that
16	kind of information and also provide information about
17	whether the FLEX equipment will work under these
18	conditions?
19	MR. HOLAHAN: Yes.
20	MEMBER BLEY: And since it's graded, given
21	the stuff they presented to us and talked about, I'm
22	not sure why the COMSECY seems to be backing away from
23	that concept.
24	And I didn't read it that way at first, but
25	it seems to be at least somewhat leading away from what
ļ	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	214
1	you=re suggesting it could be modified.
2	MR. HOLAHAN: I prefer not to put B to
3	speculate about why people have proposed what they have
4	proposed.
5	MEMBER BLEY: That's fine with me, but I was
6	asking about wouldn't the integrated assessment, which
7	is a graded approach, provide that kind of information
8	you're suggesting would be B
9	MR. HOLAHAN: It would provide the kind of
10	information. You would still have to make a decision
11	about what to do with that information.
12	MEMBER BLEY: Of course.
13	MR. HOLAHAN: Yes.
14	MEMBER BLEY: Okay. Thank you.
15	MR. HOLAHAN: Okay. I'm getting closer,
16	Harold.
17	MEMBER RAY: I'm waiting.
18	MR. HOLAHAN: Okay. Good. Simply stated,
19	we, the management of NRO, doesn't believe that
20	mitigation is an appropriate substitute for
21	protection.
22	That consistent with the Commission's
23	defense-in-depth safety philosophy, we ought to be
24	worried about both mitigation and prevention, and we
25	should be treating both of those in some appropriate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	215
1	way.
2	Anything else to say? Good. Let me talk
3	about backfit, because I think it's important. So,
4	what you heard from me and from some of our staff is
5	that they are thinking that there are potential
6	compliance issues, there are potential licensing basis
7	issues.
8	Some of this stuff looked like, well, maybe
9	in 1971 we thought this was a reasonable way of meeting
10	GDC-2. But now that we've learned what we've learned
11	and we know what we know, it's kind of hard to make that
12	decision now.
13	I would say the people who are not in
14	agreement with the COMSECY are worried about whether
15	additional assurance ought to be provided on the
16	protection end.
17	I think the authors of the COMSECY and the
18	staff supporting it are thinking the original
19	design-basis constitutes adequate protection. If I
20	want to change that, I should be in a cost-justified
21	substantial safety improvement backfit process.
22	So, if you lay out the backfit rule,
23	50.109, it addresses adequate protection, redefinition
24	of adequate protection, cost-justified enhancements.
25	Whether you see this issue of new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 information about flooding as supplemental to an 2 adequate design-basis or whether you see it as the necessary action to be sure that the design-basis is 3 adequate, is the difference between compliance backfit 4 5 and cost-justified backfit. And I think when you read the paper and it 6 talks about B the paper is written from the point of 7 8 view that, you know, probably most of these potential improvements wouldn't pass the cost-justified backfit 9 10 So, why am I spending my time working on them test. 11 when I'm busy and I could be doing other things? 12 Okay. So, the staff supporting the SECY 13 paper, they're not ignoring safety, but they are 14 thinking about safety in a different way. 15 They're thinking the plant got licensed, it has a licensing basis, we declared it was an adequate 16 17 protection, we've never declared it as inadequate, and anything I do to supplement the protection now ought 18 19 to be justified by cost. 20 It's not likely to except maybe in a couple 21 of extreme cases, I'll know them when I see them, and I'll just focus on those. 22 23 Not only that, when I've got the mitigation 24 equipment in place, it will make the likelihood of this 25 being a substantial safety enhancement worthy of cost

> **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	217
1	is even less likely. And, therefore, this will not be
2	a bad time to walk away from the integrated assessment,
3	because it probably isn't going to get me where I want
4	to go.
5	I can tell you the Task Force report was
б	written from a point of view, and I didn't write that
7	section, but I know it very well, that perhaps the
8	design-basis protection for these plants does need
9	another look because of new events that we know, new
10	analysis that new facts make it legitimate to ask
11	design-basis adequate protection questions, not just
12	cost-justified questions.
13	And it will also say if you do the
14	integrated assessment or something similar to it and
15	you get sufficient amount of information, you can
16	answer both of those questions.
17	And it may be a few of these and a few of
18	those and a lot of plants that don't need anything more,
19	but it seems to me until B well, until you put the pieces
20	together and have a systematic way of collecting the
21	information and making the logical safety decisions,
22	you're probably not in a place that you want to be. At
23	least that's my perception.
24	Does that help?
25	MEMBER RAY: Oh, yes. I think B I hope my
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	218
1	colleagues, I'm sure they listened closely, as I did,
2	but that's a better way of saying what I tried to comment
3	on earlier from time to time.
4	CHAIRMAN SCHULTZ: Are there other comments
5	or questions from the Committee?
6	(No response.)
7	CHAIRMAN SCHULTZ: Gary, I want to stress
8	the Committee's appreciation for your discussions this
9	afternoon especially given your background on the NTTF
10	document and your other work associated with addressing
11	issues that came from Fukushima.
12	You provide a unique perspective that is
13	very helpful for the Committee's deliberation. So,
14	thank you.
15	MR. HOLAHAN: Thank you.
16	CHAIRMAN SCHULTZ: And I want to thank
17	everyone who participated in the discussions this
18	afternoon.
19	With this at this time, I'd like to declare
20	a recess and we will break until 3:40 and begin B
21	reassume the discussions.
22	(Whereupon, the proceedings went off the
23	record at 3:25 p.m. for a brief recess and went back
24	on the record at 3:42 p.m.)
25	CHAIRMAN SCHULTZ: I'll call the meeting
ļ	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	219
1	back from recess and we will now proceed to the final
2	session portion of the afternoon and at this point,
3	we're pleased to hear from Ed Lyman, Union of Concerned
4	Scientists who would like to present some views
5	associated with the rule and the staff white paper.
6	Ed, welcome. Thank you for being here.
7	DR. LYMAN: Yes, and thank you on behalf
8	of UCS, I appreciate the invitation to give a
9	presentation.
10	When I was first invited to speak it was
11	about the proposed preliminary draft rule language that
12	was a version which was less mature than the one that
13	was circulated recently.
14	There was also no white paper and certainly
15	there was nothing on the schedule about staff
16	nonconcurrence. So, all that was new from, I would
17	have to say, the previous panel was a tough act to
18	follow.
19	And I had to try to interpret what the white
20	paper meant over the course of the last couple of days
21	and I thought I was going out on a limb, but now I feel
22	more confident that I do understand the basis for it
23	and I was right. So, you'll see there's a lot of
24	similarity between some of things I'm going to be saying
25	and some of the concerns we've already heard.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	220
1	MEMBER RAY: Ed, if you could speak up just
2	a little
3	DR. LYMAN: I'm sorry.
4	MEMBER RAY: bit more, that's fine.
5	DR. LYMAN: How's that?
6	MEMBER RAY: Good.
7	DR. LYMAN: So, I think it's clear that the
8	NRC has a big problem and that problem's also the
9	American public's problem because we have a hundred odd
10	nuclear reactors here and it seems that many, if not
11	most, of them currently exceed the or they face
12	hazards which exceed those that they were designed to
13	withstand according to their original design basis.
14	And the question is, what is the NRC going
15	to do about that?
16	The industry and it seems some of the NRC
17	staff apparently maintain that these are beyond design
18	basis hazards and should be treated accordingly. But,
19	in thinking about it, our conclusion is this is a misuse
20	of the term, it's conflating two different things, one
21	was the original licensing basis of the plant in the
22	Stone Age and the other is a legal concept of design
23	basis.
24	So, in our view, the simplest way to think
25	about it is that the reevaluated hazards done according
ļ	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

So, that pretty much sums up where we think the threshold should lie and I'd like to point out that I apologize for the ongoing confusion between design basis, beyond design basis and the cost justified backfits. You may know that the Union of Concerned Scientists versus NRC that led to the Court decision that is being cited here before today and has caused, I think, more damage probably than it's helped matters.

So, with regard to the rule making in general, we don't see a problem with having a mitigation of beyond design basis events rule and maybe it should be called mitigation of extended design basis events rule because we think that that could be a vehicle for addressing some of the concerns that were raised by the Near Term Task Force and were supposed to be remedied with Recommendation 1 which is now God knows where and it's in limbo.

22 So, this rule could actually be a mechanism 23 for doing that if it's done the right way. And so we 24 think the cleanest way to do it at this point, of course, 25 it depends on how you define what the beyond design

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

(202) 234-4433

221

	222
1	basis or what the extended design basis is.
2	So, the cleanest way at this point is we
3	upgrade the design basis to incorporate all the
4	reevaluated external hazards, that's certainly a
5	design basis. It's possibly moving, you know, just the
6	bar line from one arbitrary point to another but at
7	least we know it's being done according to a more
8	consistent set of methods, a more complete set of
9	methods and, therefore, it probably can clean up that
10	heterogeneity that establishes the current licensing
11	basis for some of the plants.
12	And then, more severe events would
13	constitute the extended design basis and those would
14	be addressed by the mitigating strategies, so, simple.
15	But the rule should not be a codification
16	of the current orders and the FLEX guidance. And this
17	is the approach that's been taken by the NRC staff and
18	the industry. I sat in on the meeting marking up the
19	NEI-12-06 and the intent was to turn that into the
20	guidance for the new rule.
21	And since there is not even a draft rule
22	yet, it seems pretty true to me to have guidance in the
23	first place but the fact that it's just being it's
24	a line edit of the FLEX guidance concerns us because
25	we think that's not the way to address the problems with

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

the current approach.

And the current approach, as we've heard already, is that we have some unspecified beyond design basis external event that does not cause damage beyond the design basis to anything other than the AC power sources and normal access to the ultimate heat sink. It's a beyond design basis that magically doesn't cause damage beyond the design basis.

9 And that scenario does not represent what 10 happened at Fukushima given the whole point of this 11 exercise is supposed to be at least to address the 12 circumstances of Fukushima. We think it fell short 13 from the beginning and this has to do with the fact that DC power is assumed to be available as well as the 14 15 electrical distribution systems. So now we've raised 16 very early on the development of the guidance that was 17 ignored.

18 It also contains these confusing concepts, 19 robust and reasonable protection that have been 20 implemented in what seems to be a very unequal way 21 across the fleets. Utilities seem to be building category one seismic buildings for the FLEX equipment, 22 23 others less than that. That was the kind of thing that 24 this whole effort was supposed to avoid because the 25 public still doesn't have the sense of is there a

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	224
1	consistent level of protection now against a Fukushima
2	type accident.
3	And this has happened because the industry
4	tail has wagged the NRC's dog. That started back in
5	2011 when the industry started to buy equipment which
6	they called FLEX before the NRC had even acted on
7	developing or putting in an order of guidance.
8	That made it politically very difficult
9	for the NRC to reject something reject FLEX or, you
10	know, except for tinkering around the edges. And this
11	isn't just a conspiracy theory, but if you read the
12	interim SERs on the FLEX plans, you see this statement,
13	stakeholder input influenced the NRC staff to pursue
14	a more performance based approach, e.g. FLEX, and Near
15	Term Task Force Recommendation 4.2.
16	So, there you have it, it was the tail
17	wagging the dog. And I think part of the problem where
18	we are now with, I would say in an illogical and
19	inconsistent framework of which that's become clearer
20	over the last two days is partly because the NRC was
21	reluctant to really honor the intent of the Near Term
22	Task Force in coming up with a comprehensive framework
23	agree with these things, the industry's approach seems
24	to be they want to make the whole thing go away to the
25	extent they can and get away at least with the minimum

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 amount of expense and difficulty they can. 2 And just another example of the kind of confusion that's coming out of these FLEX plans and the 3 fact the design basis is what the FLEX strategies are 4 5 being designed to. I won't read the whole thing but for Columbia Generating Station is a dry site. Ιt 6 doesn't have to address floods at all. 7 8 Yet, if there were an upstream dam failure, the Energy Northwest itself has reported that some of 9 10 the strategies for bringing in equipment from the 11 staging areas for the SAFER deliveries could be 12 difficult to perform if there were innundation levels 13 that resulted in the airports and roads not being 14 usable. And they raised that concern and the NRC staff replied, well, you don't have to worry about that 15 16 because that event is beyond the design base. 17 So, you have, again, you're talking about

an event which may not represent anything near what the type of event that you need to worry about with regard to the available infrastructure being supporting the delivery of the SAFER equipment.

22 So, as far as consolidation and a few weeks 23 ago, this was still called the consolidated rule, but, 24 you know, we think it does make sense to consolidate 25 the pieces that are being put together, put mitigating

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	226
1	strategies together with the procedures that are needed
2	to carry them out and also consider pre and post-core
3	damage in the same framework. That makes sense.
4	But, it should be noted that we heard
5	before the FLEX equipment would be there and could be
6	used post-core damage but I think everyone recognized
7	that there may be strategies and procedures would have
8	to be a lot different for post-core damage.
9	Deployment, the equipment may have to be modified so
10	it's not that simple. But putting it all together in
11	the same rule might clarify that.
12	The division of the recommendations into
13	these different orders has already listed
14	inconsistencies and the issue of the mitigating
15	strategies being separated from reliable hardened
16	vents which are, in many cases, needed to carry out the
17	mitigating strategies has led to other things I don't
18	understand like why some Mark I and II boiling water
19	reactors need to satisfy the hardened vent order before
20	they can satisfy their mitigating strategies and others
21	don't.
22	Some of them are relying on their existing
23	vent apparently even if it's not a reliable hardened
24	vent.
25	But, after consolidation we thing the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	227
1	station blackout piece of it should remain a separate
2	subrequirement because I think it's getting too
3	confusing by trying to lump everything together in one
4	integrated response. I think focusing on the station
5	blackout related aspects is as important.
6	And so the core of the original proposed
7	rule which was the station blackout focused rule should
8	remain.
9	And we think trying to develop different
10	parts of the rule or subject different parts of this
11	consolidated rule to different backfit requirements
12	sounds like nightmare and maybe the Commission should
13	just step back and say that adequate protection means
14	no Fukushimas in the United States and I think that
15	would cover the entire rule.
16	Now validation was something that was not
17	really present in the original guidance. We were
18	pressing for it for several years. I understand it's
19	now in the proposed revision of NEI-12-06 and that's
20	a good thing but we haven't seen really the details
21	other than how it was presented at the meeting the last
22	couple of days.
23	But if you're going to have a performance
24	based rule, then you need performance evaluations.
25	Otherwise, they're meaningless. So, you know, the
ļ	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1	model we think should be the security rules and
2	performance assessments should be based not unlike on
3	a force-on-force inspection model rather than the
4	emergency planning exercises which we've heard about.
5	So, that would mean something more like a three year
6	rather than an eight year planning cycle.
7	And validation should be scenario driven.
8	And I was very interested to hear that the industry now
9	wants to challenge FLEX scenarios by using a sort of
10	stress test approach where you assume the specific
11	event and follow that all the way through where ever
12	it may lead and be consistent because we were calling
13	for that two or three years ago.
14	The other thing we heard was FLEX has to
15	be flexible. You don't want to tie it to any one
16	scenario because you can't deal with everything. And
17	that makes a certain amount of sense but also the flip
18	side of that is if you choose a specific scenario, then
19	you should be able to show that the FLEX strategy is
20	going to work. And why not at least do that for some
21	select range of initiating events? In other words, a
22	stress test type approach just to validate that the
23	strategy is flexible. You can't do everything but you
24	can do a subset.
25	And so

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

228

(202) 234-4433

(202) 234-4433

	229
1	MEMBER SKILLMAN: Ed, before you change
2	slides, let me ask this. I would like to appreciate
3	UCS's thought that the real validation is
4	force-on-force. Let me tell you why I present that
5	challenge.
6	Security is a potent team at every site but
7	the operations team is a potent team and the maintenance
8	team is a potent team. The organization that has the
9	shift technical advisors is a potent team. And all of
10	those have to work together, for whatever scenario
11	comes at the site.
12	So, it seems to me that by suggesting that
13	just force-on-force inspections will be sufficient
14	DR. LYMAN: Oh, no, I'm sorry
15	MEMBER SKILLMAN: You know, it prevents
16	having the other teams whose excellent participation
17	is essential from rehearsing and it is that rehearsal
18	that really makes the difference when the event really
19	occurs.
20	DR. LYMAN: No, there's a
21	misunderstanding here. I wasn't suggesting you should
22	just test the security portion. I was saying that the
23	model for how force-on-force inspections are
24	conducted.
25	In other words, there's an NRC team, they
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

go to the site, that is a period of inspections. They present scenarios for beyond design or design basis extension events and then the staff, to the extent you can, actually exercises the scenarios and shows that they can do what they're supposed to do. That's what I meant.

CHAIRMAN SCHULTZ: So, that it would be conducted in the same -- but the emergency preparedness exercise will be conducted in a similar fashion that force-on-force security evaluations are done?

DR. LYMAN: Right, it's a distinguish from EP where it's not, you know, you get people together in a room, right, and you do, you know, table tops or role playing, that kind of thing that's short of what we think needs to be done.

Now, security simulates, you know, you have miles here and you simulate the actual combat, probably not to that extent, but the kinds of validation we were hearing about, you know --

In other words, you choose a scenario, you develop the plant state and then you show the FLEX strategy that you have on the books, we work for that plant state and where, you know, you need to do actual physical validation and you can do it then you do it. It will be artificial but I think you might learn a lot

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

	231
1	from that. I mean that's just integrated validation.
2	MEMBER SKILLMAN: I see what you're
3	saying. Thank you. Thanks for that clarification.
4	MEMBER BROWN: Did you want every I mean
5	are you suggesting every three years rather than eery
6	eight years also? I mean that was another thing, not
7	just a model but also the
8	DR. LYMAN: Yes, I mean that's the current
9	frequency of the force-on-force
10	MEMBER BROWN: That's three years?
11	DR. LYMAN: inspections.
12	MEMBER BROWN: Okay.
13	DR. LYMAN: And so, as far as the white
14	paper in which, you know, I only read a couple of days
15	ago but it seemed to me and I think I've heard this as
16	well, that the approach is FLEX is a panacea for nearly
17	all these difficult issues about what to do with plants
18	that are now outside of their design basis. And it's
19	like a get out of jail free card almost. I mean we don't
20	think these difficult issues can be resolved that
21	simply and so I would put in a plug for maintaining the
22	integrated assessments.
23	I think the staff panels made the case made
24	the case pretty clear that that kind of information was
25	valuable no matter where they can go with it. And I
ļ	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	232
1	also, and I know we heard this just before that this
2	approach seems to put too much emphasis on mitigation
3	on the projection rule, I agree with that.
4	And also the question of delay, if this
5	were all farmed off to the rule then we may not be
6	talking about compliance until 2020 or later. If you
7	look at the compliance with the order as in the time
8	it's taking for that, so hopefully staying on the
9	current path might help to resolve some flooding risks
10	with the reevaluated hazards sooner than that.
11	So I think we're worried that there will
12	also be an unacceptable delay in what we think is an
13	acute threat.
14	So, and I put this slide in before. It
15	came up earlier today but I was also struck by this
16	confusion between the draft rule, so I see that I wasn't
17	the only who's confused. So, this is the kind of thing
18	that really needs to be cleared up but hopefully if you
19	had a rule which took, you know, Recommendation 1's
20	approach seriously, tried to come up with a consistent
21	way for treating extended design basis events then we
22	wouldn't get into this kind of confusion.
23	That's all I have, so thank you.
24	CHAIRMAN SCHULTZ: Thank you. Any
25	additional comments or questions from the committee?
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

	233
1	MEMBER RAY: Yes, let me ask this. We're
2	talking about in terms of eternal hazards things that
3	have long intervals between them, presumably they
4	exceed its design. I think that's a fair starting
5	point if it's not, you tell me. But
6	DR. LYMAN: Well, it's an open question.
7	You can ask the question, though.
8	MEMBER RAY: All right. My question is
9	how urgent USC sees this to be? For example, there was
10	a proposition floated at one point in the wake of
11	Fukushima of an every ten year assessment of external
12	hazards.
13	In terms of something with a recurrence
14	interval of a thousand years or so, perhaps every ten
15	years isn't unreasonable. I just wanted you to opine
16	on that in terms of how urgent it was that we get this
17	nailed down or is it something that would take five
18	years to complete or ten years to complete reasonable?
19	DR. LYMAN: Yes, I mean we didn't see a
20	problem with that ten year interval when the
21	recommendations first came out. I think it's not much
22	analysis put into that.
23	But, I think, you know, there's
24	certain probably certain climatic variations are
25	maybe occurring on a time scale that would say ten years
ļ	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	234
1	is reasonable, maybe seismic reevaluations are not
2	something that need to be done that frequently.
3	But, I think we need to keep an eye on
4	climate change and be flexible enough to know when it
5	looks like things are changing and address them. So
6	maybe you don't want to be locked into a rigorous, you
7	know, some sort of a set interval but there are other
8	criteria you can use.
9	MEMBER RAY: But it sounds to me like you'd
10	say some reasonable time for phenomena of the kind that
11	we've been discussing is acceptable or not unreasonable
12	to
13	DR. LYMAN: Right. And in the general
14	question is if you are you going to change the design
15	basis each time? And I think that's a little more
16	difficult. You know, we're suggesting this kind of one
17	time update, but I think you'd really get a lot of push
18	back if you try to say we're going to be changing the
19	design basis for all the safety related equipment every
20	ten years.
21	So, I would have to think about that. But,
22	you know, maybe this is the reset where you could then
23	transition to something less but I think we need a reset
24	at this point at least to clean the slate with regard
25	to the initial design basis issues that aren't being

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

dealt with right now.

1

2

3

4

5

6

7

8

9

10

11

12

13

And as afar as the frequency goes, I think we've heard that the flooding people can't give you a frequency, right, if it's more -- less frequent than a hundred year flood. And the seismic people, they may give you frequencies but I know some people don't believe that could be done with enough precision to be meaningful.

So, I don't think you can conclude. I think one of the lessons of Fukushima was, you know, we suppose that something is a low probability accident when you're dealing with external events and a lot of certainty.

14 And I think the flaw that I keep hearing 15 here in this agency is that's still the bottom line 16 assumption. We heard it yesterday, we heard it today. 17 These are rare events but you don't have to, you know, be wasting money chasing after them and I don't think 18 that's established right now. When you're talking 19 20 about external events, we simply don't know if the initiating event frequencies are well enough you can 21 say in the PRA sense that they're low frequency and 22 23 deserving of less treatment. We don't know that yet. 24 CHAIRMAN SCHULTZ: Well, thank you very 25 I appreciate you being here and we'll much, Ed.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	236
1	certainly take your remarks into consideration.
2	Appreciate it.
3	At this point in time, I'd like to ask for
4	additional public comments and we'll do so within the
5	room. If anyone would like to Jim?
6	MR. RILEY: Thanks, Steve.
7	CHAIRMAN SCHULTZ: You asked for some time
8	at the microphone here. So, why don't you start, Jim?
9	MR. RILEY: Thanks, Steve.
10	My name's Jim Riley, I'm with Nuclear
11	Energy Institute and I'm responsible for our response
12	to the providing 50.54(f) letters.
13	I want to start off with I think what
14	everybody on the panel or the committee fully
15	understand is safety is paramount to the industry.
16	And the concepts behind what we have done
17	to respond to Fukushima including some of the things
18	we're doing to tune our response to 50.54(f) response
19	all relate to that issue.
20	After spending a day and a half or so on
21	FLEX, I know you folks are very well familiar now with
22	the degree of work effort that has gone into the
23	development of FLEX and the thinking on ability to get
24	the equipment to the plants and the analyses that have
25	been done to ensure that it would work.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	237
1	In fact, the existence of FLEX, and it is
2	there, the plants are putting into place now or have
3	already. That's a very significant safety benefit to
4	everybody.
5	And I think any additional actions that we
6	might undertake ought to be looked at from the
7	perspective of the net safety benefit that would be
8	added beyond that that we've already achieved with FLEX
9	in place in addition to the basic safety that the plants
10	already have because of their protection and the other
11	things we're all very familiar with.
12	That being said, one of the reasons that
13	we got, I think to where we are now and some questions
14	about how the integrated assessment ought to be done
15	was some work we did to develop examples for integrated
16	assessment to figure out exactly what would be
17	necessary to do one and what was the amount work that
18	would be necessary to finish the graded approach that
19	has been discussed.
20	And it was becoming apparent that the
21	graded approach was still involving a very significant
22	amount of work. The evaluations that were required by
23	the appendices for equipment and operator response were
24	a complex evaluation.
25	So, the question becomes whatever an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	238
1	intent to do that level of safety of evaluation and
2	is it necessary in light of is the effort, I guess,
3	justified by the increase in safety?
4	So, that led to some questions about how
5	is this integrated assessment being done? And there
6	are ways that we can focus it.
7	As I've already mentioned, FLEX is kind of
8	the foundation of the industry's response to Fukushima
9	and we feel it's really important to ensure that
10	mitigating strategies, whether it be FLEX or some other
11	method that deals with individual hazards is essential
12	to ensure that you can continue to deal with these
13	hazards using FLEX or another mitigating strategy.
14	And so, we felt that if we're going to look
15	at ways to focus our efforts on the integrated
16	assessment, again, from the standpoint of cumulative
17	effects of radiation, or excuse me, radiation sometimes
18	it seems that way, regulation or things of that nature
19	that we ought to be taking a look at where our efforts
20	can best be spent.
21	So, we thought an acceptable way to do
22	this, and this is something that developed into this
23	other approach to an integrated assessment would be to
24	look at the ability to continue to carry out mitigating
25	strategies in the face of flood packets to looking at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	239
1	the specifics of how you can carry out mitigating
2	strategy, focuses the effort.
3	And the things that we were coming up with
4	was a way of doing that that focused the scope in the
5	manner that I just talked about. And also, I did that
б	with a level of rigor that's appropriate for dealing
7	with beyond design basis events.
8	And one thing that is probably worth
9	mentioning and that didn't come out yet is the kinds
10	of things that can cause the utility to do an integrated
11	assessment can be relatively minor, not always. But
12	remember, that anybody that's driven into the
13	integrated assessment then has to follow the procedure.
14	And the kinds of things that would get you
15	to do an integrated assessment, for example, are cases
16	where your design basis was silent on a hazard, in
17	particular here, local intense precipitation,
18	sometimes that can have pretty significant ponding
19	effects but most plants didn't consider local intense
20	precipitation as part of their flooding design basis.
21	The fact that they would now how to
22	consider it as part of a reevaluated hazard would drive
23	you into doing an integrated assessment.
24	The methods for doing local intense
25	precipitation calculations were very conservative.
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	240
1	They used hydrometeorological reports that had very
2	conservative values in them.
3	Some sites are trying to use are using
4	site specific evaluations to reduce that, but it's an
5	example of the hydrometeorological reports would, in
6	some cases, tell you you had to assume 19 inches of water
7	in a rain in an hour with no drainage. Well, you know,
8	that's a pretty conservative approach to doing these.
9	So, it caused, yes, that's what caused some folks to
10	look at site meteorological studies.
11	In addition, here's another example, if
12	your design basis flood level was, pick a number, X
13	feet, and you do a reevaluated hazard and it turns out
14	that your new hazard, that flood level is, I'm going
15	to use numbers.
16	Let's say your design basis was ten feet
17	and there was no information in your design basis as
18	to what was driving the ten feet other than a particular
19	event. You do your reevaluated hazard and it turns out
20	that the hazard was giving you eight feet of water and
21	there was two feet of wind driven waves on top of the
22	water, you're still at ten feet.
23	But you had to do an integrated assessment
24	because there was no mention of wind driven waves in
25	your design basis, whereas, there is one now in your
ļ	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	241
1	reevaluated hazard. That's a trigger for integrated
2	assessment.
3	I'm only saying that not to deride the fact
4	that an integrated assessment is required there because
5	you have to figure out what the hydrodynamic effects
6	of those wind driven waves were.
7	But to give you an idea of what kinds of
8	things captured folks into doing an integrated
9	assessment.
10	So, a fair number of people have to do
11	these. The amount of effort that needs to be provided
12	or to only to do an integrated assessment, again, ought
13	to be taken on in recognition of the net safety benefit
14	of what you're trying to do.
15	And, one other thought, as we considered
16	what we might do with integrated assessment in light
17	of the concepts that are in the draft white paper, the
18	draft SECY, I want to make sure everyone realizes that
19	integrated assessment was not was a fairly rigorous
20	evaluation that we were conceiving. We're developing
21	thoughts on how to do that, we'd have to meet with the
22	staff.
23	But the what we were conceiving was
24	something that would use a methodology similar to that
25	that was used for designing FLEX. There's a pretty
ļ	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

detailed guidance within the FLEX implementation 1 2 guide, NEI-12-06, on how to account for floods. We're also going to rely on the FLEX 3 validation process that, which if you're not familiar 4 5 with, is a way of validating that operator actions can be completed. There's a time line that's laid out what 6 actions are necessary in the evaluation of whether 7 those actions can be done. 8 9 So, the process that we are envisioning 10 would look at, when you say can I still implement FLEX in light of this flood? It would consider all aspects 11 12 of FLEX. Your ability to carry out phase one and phase 13 two of FLEX, your ability to shutdown the plant and 14 deploy the equipment, be able to get it to where it's 15 supposed to be, hook it up, all the operator actions could be done in consideration of the conditions that 16 17 were in place, the flooding conditions that we're 18 weighing or when or whatever's appropriate. 19 But the evaluation to say that I can 20 implement FLEX would include all those things to a level of rigor that we felt was appropriate for the event that 21 22 we were considering again.

Again, remembering what we need to be looking at is what can we do here to prevent distracting our plants from other things that they ought to be doing

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	243
1	that are truly safety significant and the amount of work
2	we're talking about to address all these various
3	aspects of Fukushima response is very significant.
4	So, I think we need to be smart, we need
5	to be spending our efforts where they can bring us the
6	most benefit.
7	CHAIRMAN SCHULTZ: Thank you for your
8	comment.
9	I'm gong to turn to the phone line now
10	because they've been patiently waiting and I want
11	to I'll come back to the room for any additional
12	comments. But at this point, I'd like to go to the
13	phone line and as we did earlier today, if someone would
14	say hello so we know that the line is open, I'd
15	appreciate it.
16	Thank you, we do hear you now. If anyone
17	would like to make a comment at this time, please state
18	your name and make the comment you'd like to provide
19	for the record.
20	I'm not hearing comments. Is anyone
21	trying to get off mute? Not hearing any comments,
22	we'll go ahead and close the phone line and I'll ask
23	for any additional comments from members of the public
24	in the room.
25	Seeing none, then we'll close the public
ļ	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	244
1	comment period and I'd like now to go into the next topic
2	on the agenda which discussion is a discussion by
3	the members of the committee.
4	Bill, are you still on your line? Bill
5	Shack?
6	CONSULTANT SHACK: I'm still here.
7	CHAIRMAN SCHULTZ: Bill, this would be an
8	appropriate time for you to share your thoughts given
9	what we've heard over the last two days.
10	CONSULTANT SHACK: Well, I'll be writing
11	up some notes.
12	CHAIRMAN SCHULTZ: Thank you.
13	CONSULTANT SHACK: You know, on the
14	COMSECY, I think I certainly agree that there's a need
15	to make sure that the FLEX equipment and the mitigation
16	strategies are updated for the flood hazard. And I'd
17	even go so far as to say it should be updated to a current
18	seismic hazard, too. Although, I think the flood
19	hazard is the one that there's a drastic difference.
20	I'm still a little bit concerned about the
21	level of treatment in the rule as in the order for, you
22	know, the beyond design basis is still undefined. I
23	think I'm actually really comfortable with seismic
24	because we do have it so that (telephonic interference)
25	talk about the hardware that there is, in fact, fairly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433
	245
1	significant margin and the equipment itself is fairly
2	robust.
3	But again, the flooding is a greater
4	problem where you're quire sure or you have less
5	confidence that you understand the hazard I think than
6	we do of the seismic base.
7	Again, I think on the white paper you
8	really do have to do the integrated assessment. I just
9	don't see any real choice there. I don't understand
10	the reluctance to do it. It just seems to me it needs
11	to be done whether it changes the design basis or not,
12	it's something I think you decide after the integrated
13	assessment. But it's certainly something that should
14	be considered.
15	And again, in the rule, if you don't change
16	the design basis, I do not I'd certainly like the
17	words design basis disappear from the rule and say, you
18	know, the most recent evaluation of extreme external
19	events just in case we do go through a ten year
20	evaluation or, you know, the curve reevaluation, but
21	we've decided not to change the design basis. I think
22	it still should be taken. The mitigation rule on our
23	best estimate of the extreme hazard that you might face
24	it.
25	Those are the comments that come off the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	246
1	top of my head right at the moment.
2	CHAIRMAN SCHULTZ: I appreciate that very
3	much, Bill.
4	I want to go around the table now with
5	members of the subcommittee and remembering that we
6	have the full committee meeting coming up, let me give
7	you a premier of what I have been thinking related to
8	the conduct of that meeting.
9	We've had three major, well, we've had
10	three major elements of our presentations over the past
11	two days and we have on our agenda placeholders for each
12	of those, that is, the industry and the presentations
13	associated with what has been done with the approach
14	to addressing extreme external events through the FLEX
15	program.
16	We have a placeholder for the discussions
17	associated with the proposed rule.
18	And then we also have discussions
19	associated with the COMSECY and the nonconcurrences as
20	presented this afternoon, that information.
21	And so, we have opportunities for the full
22	committee, three of whom are not here right now, to hear
23	all of that material. Of course, it's much condensed,
24	the time frame is much condensed over what we've had
25	for the day and a half.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	247
1	We have about three hours in the full
2	committee meeting for those topics.
3	So, my thought is, we do need to spend time
4	associated with the COMSECY because we're going to
5	receive that next week and we have not had a chance to
6	examine the wording which we've learned over the past
7	day or so is very important to understand how it's being
8	presented. Is it being presented in a way in which we
9	would interpret a position and then we have to determine
10	what we would agree with or disagree with in regard to
11	that.
12	So, I think that block of time associated
13	with a discussion gives the staff a chance to also look
14	at the document and come back and we have a chance to
15	ask additional questions related to that. And that
16	segment would be fine.
17	I would like the industry to make a
18	presentation. Again, they need to condense it and I've
19	talked with them about how they might do that and they
20	have indicated that they have some experience in doing
21	that because they've made the presentation both in kind
22	of the day long format as well as the hour format.
23	So, they feel that they can accomplish that
24	by providing a prime example instead of several
25	examples of the overall FLEX approach and a summary of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	248
1	how the process would work in a condensed form.
2	Now, we're not going to get additional
3	information associated with the rule making process,
4	the proposed rule making. As Tim indicated this
5	morning, he's not providing us any additional
6	information between now and the full committee meeting.
7	At the same time, we have an opportunity
8	to reflect on what he has presented today and what we've
9	heard and we can perhaps get the transcript by next
10	Friday and look at that if we want.
11	So, I would suggest that we my approach
12	would be to focus the full time we have allocated to
13	that first topic that I've described. Perhaps give a
14	little more attention to having the industry present
15	what they have, in a summary fashion, what they've
16	delivered to us today for the benefit of the other
17	committee members.
18	And then have the staff available to answer
19	any questions we might have, follow-up questions we
20	might have on the rule making.
21	So, that's my perspective and as we go
22	around the table, I'd like you to provide yours as well
23	as comments on the discussions we've have over the last
24	few days.
25	So, Pete, I'd like you to begin in terms
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	249
1	of addressing those two topics as you see fit.
2	MEMBER RICCARDELLA: Yes, well, I guess I
3	could start out with a question I had. Are the plans
4	to write a letter, one letter, two letters or could you
5	clarify that a little bit?
6	CHAIRMAN SCHULTZ: We have not made a
7	commitment we going to discuss and deliberate at the
8	full committee meeting the action that we will take.
9	So that's the answer to your question.
10	MEMBER RICCARDELLA: To be determined in
11	that regard, determined, but can you make a guess?
12	CHAIRMAN SCHULTZ: Well, we need to
13	deliberate and the deliberation may form a position
14	that we would like to follow-up immediately with a
15	letter or we may defer. We have yet to decide.
16	But we certainly have time on the agenda
17	to come back and see if we can't better understand all
18	of this before we would conclude our deliberation at
19	the December meeting.
20	MEMBER RICCARDELLA: It seems to me that
21	the real issue at hand is the COMSECY paper and the
22	nonconcurrence
23	MEMBER STETKAR: Speak up a little bit,
24	Pete, because we're not
25	MEMBER RICCARDELLA: the COMSECY
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433

	250
1	letter and the associated nonconcurrence, were does the
2	committee lie on that issue? I think, you know, a
3	review of the other two topics would be nice,
4	particularly for the members who aren't here but it
5	seems to be somewhat redundant.
б	CHAIRMAN SCHULTZ: Okay. Thank you.
7	Ron?
8	MEMBER BALLINGER: Yes, I think I agree
9	with Pete. And the presentations have been very, very
10	informative. We've had a bunch of other discussions
11	about that.
12	And so, I think that the issue of the
13	dividing line between integrated assessment and what
14	the plan is now and the pros and cons in much more detail
15	I think I'd like to hear about.
16	CHAIRMAN SCHULTZ: All right. Thank you.
17	Dick?
18	MEMBER SKILLMAN: I agree with Pete and
19	with Ron, but I actually have a few additional thoughts.
20	First of all, I think the presentations
21	yesterday and today have been thorough and on target
22	for what we need to consider over the course of the next
23	several weeks. So, I appreciate and thank the
24	presenters and all of the work that went into those
25	presentations.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	251
1	As I sit here at the end of this meeting,
2	I've got a couple thoughts.
3	Number one, protection needs to be at a
4	higher priority than mitigation. Protection needs to
5	be at a higher priority than mitigation.
6	We need to make clear in the documentation
7	that it's okay to change the design basis, whatever that
8	might be, at least for some plants.
9	The public needs to have confidence that
10	the NRC is the agency commissioned to protect their
11	health and safety is able to do that. And if we fail
12	to follow through, in other words, if we water down the
13	NTTF recommendation for an integrated assessment, that
14	will be seen as diminishment of all of that effort that
15	went in to considering the public's protection after
16	Fukushima. I think that will create problems that we
17	will wish we hadn't allowed if we don't require an
18	integrated assessment.
19	So, I think the passion around the
20	integrated assessment is appropriate and valuable.
21	Thank you.
22	CHAIRMAN SCHULTZ: Thank you. Harold?
23	MEMBER RAY: Well, I've commented
24	throughout the time as many others have as well. I
25	agree with most all of what Bill Shack said as I
I	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

1 understood it. 2 The one thing I'll comment and then pass on to others that I found disturbing this afternoon was 3 the proposition that doing an integrated assessment 4 5 could be a distraction because we have limited resources and the benefits of doing aren't measured by 6 the distraction 7 the consequences of it would 8 constitute. 9 That's something that I find -- the idea 10 that we have a potential negative impact by doing a thorough assessment that we're referring to is an 11 12 integrated assessment, I guess, is something I can say 13 I find real concern with. And I think we have to 14 disregard that threat and we want to make a judgment 15 about the need to do what would be involved to 16 systematically define what the hazards are and then 17 disposition them. And I happen to be in the camp that says 18 19 we can take reasonable time to do that because I think 20 that a proper answer in due course is far better than 21 a rushed answer which so far, we've been consumed by 22 it seems. 23 So, those are the things that are on my mind 24 at the moment. In terms of answering your question 25 about what we should emphasize at the full committee

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

252

	253
1	meeting, I wouldn't disagree with anything that's been
2	said so far. I think we ought to focus on the most
3	important things first.
4	CHAIRMAN SCHULTZ: Thank you. Dennis?
5	MEMBER BLEY: Yes, I've given my comments
6	on FLEX earlier on several occasions.
7	I'm going to make three comments about
8	prevention and mitigation and then get on to the topic
9	of the real need for our December meeting.
10	You know it's always better to prevent of
11	course, but if it happens, we want to be able to
12	mitigate. So there needs to be a balance.
13	What was described discussed yesterday
14	was those concepts often get mixed up because anywhere
15	along the scenario, you can think about preventing
16	getting to that point and mitigating having been at that
17	point for the rest of the day.
18	A lot of times, we talk about prevention
19	of core damage and mitigation of release. If we're
20	talking that, then all of the FLEX stuff as designed
21	is preventive strategies rather than the mitigative
22	strategies they're called, because that's what they're
23	aimed at doing. Enough of that.
24	I can't I think we have to write a letter
25	but that's not my decision. I don't know that should
	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C. 20005-3701(202) 234-4433

	254
1	be in it until we get a look at the COMSECY and I hope
2	we really do get it by the first of the week because
3	if we don't, we won't have time to really digest it.
4	I've started looking back through the ISG
5	on integrated assessment trying to understand exactly
6	what that's about and what degradedness of it is and,
7	you know, on the surface, I get a little confused about
8	if, in fact, there's a reasonable graded approach why
9	we need to back away from that at all for anything.
10	One thing I think I really want to hear at
11	the full committee meeting is a little more from
12	industry about what they're doing with respect to
13	playing their FLEX against these reevaluated hazards
14	and how they become convinced that they'll get the
15	benefit that they think they'll get.
16	Just a side comment, the deputy director's
17	slides, I think the folks on the panel could have used
18	those slides and marked their points from them. I mean
19	everybody's focused on kind of doing the right thing.
20	But I think we ought to spend some time really
21	understanding this distinction of what's in the COMSECY
22	that we haven't seen yet, the final one and these
23	questions about the integrated assessment because I'm
24	like most of our colleagues, the integrated assessment
25	seems like it's needed.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	255
1	We have to look at whatever's at the plant
2	and that includes FLEX against these new reevaluated
3	hazards in a way that we're convinced we're good with
4	them whether they're in the brought into the design
5	basis or not. We've got to be sure that they do what
6	we think they're going to do. That's more than enough.
7	CHAIRMAN SCHULTZ: Thank you. John?
8	MEMBER STETKAR: I don't have anything to
9	add. Everything's been said already, I'm not going to
10	repeat.
11	Regarding conduct of the full committee
12	meeting, I'll go out on a limb and say I actually think
13	that it would be useful if the staff could exercise some
14	restraint, you know who you are, to actually have a
15	brief presentation on the rule, but not the whole rule,
16	only sections B, C and D of the rule, that's the meat
17	of the rule.
18	And the only reason for that is it shows
19	in a rule making perspective how some of these notions
20	that we've been discussing in the context of the yet
21	to be presented COMSECY might manifest themselves in
22	actual rule making proposed rule making language.
23	And I think that might be useful at least
24	for the three members who aren't here or at least a
25	refresher after we look at the document that we're

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	256
1	hopefully going to receive.
2	So, I'd advocate carving out not a big
3	piece of time, ten minutes perhaps, because it's only
4	three little sections. We don't care about, you know,
5	the planning, we don't care about all the nuances of
6	change control. But I'd recommend that.
7	CHAIRMAN SCHULTZ: I think we would assume
8	those are going to be covered very nicely, so I would
9	agree and we've got a good presentation on those and
10	that would be of the most interest especially in concert
11	with the other issues that we want to address.
12	MEMBER STETKAR: That's a little
13	different from the need to saying having them available
14	to answer questions. So, I think
15	CHAIRMAN SCHULTZ: Yes, no, that focal
16	point is appropriate that we came to it.
17	Joy?
18	MEMBER REMPE: I think I agree with my
19	colleagues about the need for an integrated assessment.
20	But, I guess I'd like to have a little more information.
21	For example, we heard today that one
22	integrated assessment's been done and could we have
23	some information and see what happened with that one
24	integrated assessment? Because I'm not aware of it and
25	I'd like to have that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	257
1	There were several ML while I'm asking
2	for more information, there's a couple of the ML
3	documents that were mentioned by the staff today that
4	I'd appreciate getting copies of before the meeting.
5	In addition to the COMSECY, the updated
6	version of it, I believe I heard today that the rule
7	has changed, too, the draft rule and if we could have
8	an up to date version, I believe Bill mentioned
9	that oh, that sentence is gone or some one did in
10	the staff. And so, if we could have an updated version
11	for that, I'd like to see it, too.
12	And I think there's been enough discussion
13	about the COMSECY that I would tend to agree with Dennis
14	that I do hope we decide that there's some points that
15	we should mention in a letter.
16	MEMBER STETKAR: Can I interrupt? I'm
17	sorry to keep coming back on this but one thing
18	important for our meeting, certainly if we do write a
19	letter or more than one letter, is we will need to refer
20	to specific documents.
21	We do not refer U-graphs or oral
22	statements, so the staff needs to exercise discipline
23	and get things to us because we're not going to write
24	letters that are based on, well, we heard in some
25	discussion this testimony.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	258
1	MEMBER BALLINGER: By the way, speaking of
2	ML numbers, one of them has to be wrong. When I go
3	through things, I'm accumulating them as we go along
4	and this ML 14303A465 comes up with zero. So, it's one
5	of the letters that was that I think you mentioned.
6	MEMBER STETKAR: They'll get them to us.
7	MEMBER BALLINGER: Yes, we'll get them.
8	I'm just saying that I dialed it in and
9	MEMBER STETKAR: Sorry, Joy, I just wanted
10	confidence in the way that we define them.
11	CHAIRMAN SCHULTZ: Well, just to be
12	clearer, because I think John is always very clear, but,
13	you know, the staff should provide to Mike Snodderly
14	the references that we've discussed in the context
15	here. We'd really appreciate that.
16	MEMBER STETKAR: And the documents which
17	you want the Advisory Committee on Reactor Safeguards
18	to review.
19	CHAIRMAN SCHULTZ: Mike?
20	MEMBER CORRADINI: People have already
21	gone through a lot of things. I guess I thank the
22	industry and the staff for their presentation.
23	I guess I'm more struggling about what to
24	do and when to do it. So, it seems to me that if there's
25	letters going to be written in December, it's got to
ļ	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	259
1	be about the COMSECY, maybe bring the rule in but only
2	to the extent you answer some of the questions the staff
3	was asking which is, do you want a rule?
4	I think UCS suggested that the filtered
5	vent the hardened filtered vent be rolled into the
6	rule. So I think we ought to have some opinion whether
7	it should stay as it is or it should and separate
8	it from the filter vent or not.
9	I think we ought to say something about
10	whether we want SAMGs in it or not. Staff also asked
11	us that.
12	Except for that, I'm not sure if there's
13	much more to talk about the rule because we haven't seen
14	the guidance.
15	On the COMSECY, it seemed to me that if
16	you're going to have so little time in front of all of
17	us again plus the three members that aren't here, I
18	would have the staff explain exactly what they
19	intended, the COMSECY staff, I can't we'll call it
20	the current COMSECY staff what they intend to mean
21	if they're going to excuse industry from an integrated
22	assessment.
23	Conversely, if industry's going to be
24	asked to talk, it seems to me they ought to focus their
25	talk on why it's inappropriate to do the integrated
Į	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	260
1	assessment, what's so bad about doing it and then
2	that'll help us come to some decision as to where to
3	go with it.
4	I think we understand from the two
5	afternoon speakers as to what their concerns were and
6	I assume you're have some sort of summary of that. I'm
7	not exactly sure how you want to handle that.
8	CHAIRMAN SCHULTZ: We will handle it,
9	we'll have the opportunity for them to present them.
10	MEMBER CORRADINI: But it seems to me
11	unless we do that, we're not going to focus on soon
12	enough of that.
13	And the only other thing after that is I
14	think Bill said it, I'm not exactly sure how he said
15	it, I think we want to decide what ought to be in the
16	COMSECY and given we've decided that we want or don't
17	an integrated assessment or some variation of it, what
18	we do with it after the fact is for a later discussion.
19	There's no point in dealing with it now because we'll
20	just argue about it.
21	And I think that the Commission would
22	rather hear about what ought to be in it and what ought
23	not to be in it and why. So, that's it.
24	CHAIRMAN SCHULTZ: Appreciate that.
25	Thank you for your comments and we will
ļ	NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS1323 RHODE ISLAND AVE., N.W.(202) 234-4433WASHINGTON, D.C.20005-3701(202) 234-4433

	261
1	work on making sure that the pieces that we've discussed
2	around the table, I didn't hear anything I would
3	disagree with in terms of the preparation for the
4	meeting.
5	So, Mike, we'll work together to talk to
6	the participants and make sure that their focus is
7	appropriate.
8	MEMBER CORRADINI: And one of the things,
9	it doesn't about this topic, but if there's we can
10	jettison from the December meeting so we have more time
11	because, to me, this is a very important I know, I
12	see the chairman's already grumbling at me.
13	CHAIRMAN SCHULTZ: That's because he's
14	sorry he didn't make it a range.
15	MEMBER STETKAR: It's because we've
16	already published the agenda and no?
17	CHAIRMAN SCHULTZ: The agenda will stay.
18	MEMBER RAY: There is one thing, though,
19	that John and I have touched on, I don't want to say
20	we've agreed
21	MEMBER STETKAR: In terms of what we
22	review, we as a committee, decide what letters we feel
23	we need to write. But in terms of terms of topics for
24	presentations, we're locked in
25	MEMBER CORRADINI: Okay. Fine, fine,
ļ	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	262
1	fine.
2	MEMBER STETKAR: to those time frames.
3	But we have B
4	MEMBER CORRADINI: I don't want to deal
5	with leadership, leadership
6	CHAIRMAN SCHULTZ: As compared to other
7	meetings, we've allocated good time to this discussion
8	already and it's in the published agenda that we need
9	to stick to.
10	MEMBER CORRADINI: All right, thank you.
11	CHAIRMAN SCHULTZ: We don't have the same
12	latitude that we've had today and yesterday.
13	In any case, thank you for your discussion.
14	I would like to close the meeting by, again, recognizing
15	the presentations that we have had from the staff, from
16	industry, the comments that we've received from members
17	of the public. They have been very well developed,
18	very well presented and they are really helpful for our
19	deliberations. I appreciate that very much.
20	I also want to thank Mike Snodderly
21	arranging the two day meeting, especially on a topic
22	like this with as many participants as we have had.
23	It's been outstanding work and I really appreciate,
24	Mike, you pulling this together for us and you've
25	already heard the assignments for the full committee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	263
1	meeting, so we'll
2	MEMBER RAY: Why don't you thank me for
3	putting on off the AP1000 meeting?
4	CHAIRMAN SCHULTZ: Of course, Harold.
5	I also want to thank Kathy Weaver who also
6	participated in preparing this meeting. She wasn't
7	able to attend today which was her focus because she's
8	on travel. But she has really helped with this and will
9	help us also with regard to the full committee meeting.
10	So I wanted to do that officially as well.
11	With that, I will move forward to close the
12	meeting.
13	(Whereupon, the above-entitled matter
14	went off the record at 4:44 p.m.)
15	
16	
17	
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVE., N.W. (202) 234-4433 WASHINGTON, D.C. 20005-3701 (202) 234-4433



Mitigation of Beyond-Design-Basis Events (MBDBE) Proposed Rulemaking

Advisory Committee on Reactor Safeguards Fukushima Subcommittee November 21, 2014

Background



- Consolidated rulemaking (now MBDBE proposed rule)
 - ACRS full committee on July 10, 2014
 - ACRS subcommittee on June 23, 2014
- Previous ACRS interactions on Station Blackout Mitigation Strategies (SBOMS):
 - ACRS full committee June 5, 2013
 - ACRS Regulatory Policies and Practices subcommittee April 23, 2013
 - ACRS Regulatory Policies and Practices subcommittee December 5, 2013
- Previous ACRS interaction on the Onsite Emergency Response Capabilities Rulemaking:
 - ACRS Plant Operations and Fire Protection subcommittee February 6, 2013
- Regulatory bases and public interactions:
 - Station Blackout Advance Notice of Proposed Rulemaking (ANPR) Issued March 20, 2012
 - Station Blackout Mitigation Strategies Final Regulatory Basis issued July 23, 2013
 - Onsite Emergency Response Capabilities ANPR- April 18, 2012
 - Onsite Emergency Response Capabilities Final Regulatory Basis- October 15, 2013

Background



- Consolidation of post-Fukushima regulatory efforts:
 - COMSECY-13-0002: Consolidates 4 and 7 into SBOMS rulemaking
 - COMSECY-13-0010: Consolidates EP-related with EA-12-049 implementation
 - SECY-14-0046 enclosure 6: Consolidates SBOMS and Onsite Emergency Response capability rulemakings
- Scope of proposed rulemaking as it relates to originating Near-Term Task Force (NTTF) recommendation:
 - All of recommendations 4, 7, and 8
 - All of 9.1, 9.2. and 9.3 except long term Emergency Response Data System(ERDS)
 - !0. 2 (command and control/decision maker qualifications) and 11.1 (delivery of equipment to site phase 3 portion of EA-12-049)
 - Includes NTTF 9.4 (ERDS modernization)
- In terms of post-Fukushima already underway:
 - Makes generically-applicable EA-12-049 and EA-12-051
 - Addresses staffing and communications 10 CFR 50.54(f) request
 - May also address feedback from NTTF 2.1 (flooding)

Paragraph (a) - Applicability



- Applicability
 - Current operating reactors
 - New reactors
 - Decommissioning reactors
- All requirements apply to both current and new reactor licensees and applicants
 - Additionally: New reactors have an additional assessment requirement (forward fit)
- Decommissioning provisions:
 - Once fuel is permanently removed from the reactor , no reactor requirements
 - Once irradiated fuel is removed from the spent fuel pool, all requirements cease

Proposed Rule Language Paragraph (b) – Integrated Response



- Integrated Accident Response Capability
 - Beyond-design-basis external event mitigation
 - Would make EA-12-049 generically applicable
 - Formerly referred to as SBOMS (industry's "FLEX" program)
 - Extensive Damage Mitigation Guidelines (EDMGs)
 - Would move § 50.54(hh)(2) requirements to this rule
 - No substantive changes to requirements
 - Severe Accident Management Guidelines (SAMGs)
 - Currently voluntary
 - Regulation would require SAMGs
 - No additional equipment requirements

Paragraph (b) – Integrated Response



6

- Integrate with Emergency Operating Procedures(EOPs)
 - Would not revisit any 1980s EOP work or requirements
- Supporting staffing and command and control
 - Both staffing and command and control should be in place after EA-12-049
 - Recognizes challenge of a site-wide event that could lead to core damage and involve offsite assistance

Paragraph (c) – Equipment Requirements Paragraph (e) – Training Requirements



- Equipment Requirements
 - Would make EA-12-049 equipment requirements generically applicable
 - Would make EA-12-051 spent fuel pool level instrumentation requirements generically applicable
- Training
 - Training of personnel for activities not already addressed
 - Systems approach to training
 - Expect most training already addressed as part of EOPs and EA-12-049 implementation
 - New training should be in the SAMG area

Paragraph (d) – New Reactor Requirements



- Assessment requirements:
 - Only applies to applicants listed in paragraph (a)(4)
 - Would require a design-specific assessment of the effects of an extended loss of all ac power concurrent with a loss of normal access to the ultimate heat sink
 - Based on the results of the assessment, the applicant would incorporate into the design those features that:
 - Minimize reliance on human actions
 - Enhance coping durations
 - Demonstrate ability to maintain or restore core cooling, containment, and spent fuel pool cooling capabilities
- Intent:
 - Implement the Commission's advanced reactor policy statement
 - "...longer time constants and sufficient instrumentation to allow for more diagnosis and management before reaching safety systems challenge or exposure of vital equipment to adverse conditions."
 - "simplified safety systems that, where possible, reduce required operator actions"
 - New reactors would be better able to address effects of extended loss of ac power

Paragraph (f) Drills and Exercises Paragraph (g) – Change Control



- Drills provide assurance that guideline sets are integrated and can be used
 - Initial drill(s) to show use and transitions
 - Follow-on drill(s) to provide assurance of continuing capability
 - Complex drill schedule: Initial drill within 2 refueling outages (RFs) and follow-on in 8 calendar years
 - Current operating licensees/holder of combined license (COL) after 52.103(g) finding:
 - 1st drill within 2 RFs after that 8 year period
 - Applicants for a part 50 operating license (OL) or holder of COL before 52.103(g) finding:
 - Demonstrate use and transitions initial drill(s)
 - Subsequent drills 8 year period
- MBDBE Change Control
 - Facility changes can impact multiple regulatory areas; all change controls must be applied
 - No threshold criterion; must comply with requirements

Appendix E, Application, Implementation



- New Appendix E requirements
 - Multi-source term requirements are incorporated directly into current Appendix E
 - New Section VII requirement for staffing and communications
 - Technology-neutral ERDS
- Application requirements
 - Submittal information to support part 50 and part 52 applications for new reactors
- Implementation: Compliance dates, will use the Cumulative Effects of Regulation (CER) process to inform establishment of dates
 - Change control
 - Training
 - Command and control, staffing
 - SAMGs
 - Guideline integration
 - Equipment requirements
 - Multi-source dose assessment

Backfit Considerations



- The MBDBE rule has different supporting backfit bases:
 - Proposed rule requirements are severable
 - EA-12-049 and EA-12-051 requirements are not backfits
 - All other requirements need justification under Part 50 backfitting provisions (operating reactors) and Part 52 issue finality provisions (new reactors) are "forward fits"
 - Items supporting EA-12-049 are technically backfits without impact
 - SAMGs and supporting requirements (drills and training that involve SAMGs)
 - Multi-source dose assessment (voluntarily implemented): Is a backfit but should not cause additional impact
 - New reactors requirements (forward fit)
 - Technology-neutral Emergency Response Data System (ERDS) remove specification of technology, no backfit

SAMGs Backfit



- Qualitative basis for imposing SAMG requirements:
 - Guideline set used by operators and decision-makers following onset of core damage
 - SAMGs support making optimal decisions concerning containment
 - SAMGs support informing the emergency response organization with regard to protective actions (e.g., fission product barrier integrity)
 - The value of SAMGs, pre-planned guidelines for best use of all available resources to mitigate the accident
- Quantitative analysis: drawing conclusions from recent Mark I and II CPRR effort
 - Measuring the benefit to public safety of strategies for Mark I and II plants implemented after core damage – "SAMGs" for Mark I and II
 - Quantitative results: High level conservative estimate is over an order of magnitude below the Quantitative Health Objectives (QHOs)
- Staff is proposing that Commission issue proposed MBDBE rule for comment with SAMGs as requirements
 - Allow stakeholder feedback to inform final decision

Draft Regulatory Guidance



- DG-1301 "Flexible Mitigation Strategies for Beyond-Design-Basis External Events"
 - Current draft guidance endorses NEI 12-06 rev 0 with clarifications
 - NEI is revising NEI 12-06 to reflect feedback and lessons-learned from implementation of EA-12-049 to develop rev 1
 - Include guidance for new reactors assessments (paragraph (d))
- DG-1317 "Reliable Spent Fuel Pool Instrumentation"
 - Would endorse NEI 12-02 with exceptions and clarifications
- DG-1319 "Enhanced Emergency Response Capabilities for Beyond-Design-Basis Events"
 - Would endorse NEI 12-01 and NEI 13-06
 - Considering endorsement of NEI 14-01
 - Not an endorsement of Owners Group SAGs

Status and Path Forward



- Current focus:
 - Completing the proposed rule package
 - Begin concurrence in early December
 - Scheduled to deliver the proposed rule to the Commission by Dec 19, 2014
- Future ACRS interactions
 - Full committee December 2014 (proposed rule)
 - Full committee TBD (final rule)

Results Suggesting that No CPRR Rulemaking Alternative can be a Substantial Safety Enhancement



= Expedited Spent Fuel Pool (conservative estimate)



Integration of Mitigating Strategies and Reevaluation of Flooding Hazards

Advisory Committee on Reactor Safeguards Fukushima Subcommittee November 21, 2014

Background



- Presentation to ACRS Full Committee on October 3, 2014
- Draft White Paper (ADAMS Accession No. ML14314A063)
- Public Meetings & Letter Dated November 4, 2014 from Nuclear Energy Institute (ADAMS Acc. No. ML14309A544)
Discussion



- Requesting Commission affirm the following:
- Licensees for operating nuclear power plants need to address the reevaluated flooding hazards from Recommendation 2.1 within their mitigating strategies for beyond-design-basis external events (Order EA-12-049 and related MBDBE rulemaking)

Basis: to ensure that some measures are taken to address reevaluated flooding hazards

<u>Impact</u>: Affects rule language and subsequent implementation of the regulation

Discussion



- Requesting Commission affirm the following:
- 2) Licensees for operating nuclear power plants may need to address some specific flooding scenarios that could significantly damage the power plant site by developing targeted or scenario-specific mitigating strategies, possibly including unconventional measures, to prevent fuel damage in reactor cores or spent fuel pools

<u>Basis</u>: To ensure Commission is aware that some scenariospecific mitigating strategies may involve unconventional measures

Impact: May affect rule language, would affect subsequent implementation of the regulation

Discussion



- Requesting Commission affirm the following:
- 3) The staff should revise the Recommendation 2.1 flooding assessments and integrate the Phase 2 decision-making into the development and implementation of mitigating strategies in accordance with Order EA-12-049 and the related MBDBE rulemaking.

<u>Basis</u>: Best overall results involve an appropriate compromise between information gathering and analysis and actual, timely regulatory actions to achieve safety improvements

Impact: No affect on rule language, would affect current plans for integrated (total plant) flooding assessments

Status and Path Forward



- Current focus:
 - Issuance of COMSECY
 - Scheduled to the Commission by November 28, 2014
- Future ACRS interactions
 - Full committee December 2014 (final COMSECY)

Industry Perspective on Draft Mitigating Beyond Design Basis (BDB) Events Rule

Bryan Ford Senior Manager - Regulatory Assurance Entergy Nuclear November 21, 2014 • ACRS Meeting



- Positives
 - Right topics addressed with "high-level" language
 - Supports use of industry-developed guidance
 - Reflects the significant amount of industry work performed to enhance BDB event response capabilities since Fukushima
 - Codifies existing Order requirements
 - Reasonable approach to SAMGs



- Areas for improvement
 - Adds requirements to decommissioning plants that are beyond those intended by current orders and beyond the requirements for operating plants
 - Current permanently shutdown plants were not required to implement EA-12-049/051
 - "Secondary containment"
 - Should need to maintain one spent fuel pool refill strategy/capability for a limited time



- Areas for improvement
 - Equipment section is captured in guidance, and better addressed at the guidance level
 - Rule element (b)(1) would appear to subsume the requirement to have readily available, functional equipment to implement a mitigating strategy
 - With respect to multi-unit sites, ensure that rule wording is consistent with EDMG/B.5.b response requirements from previous orders/guidance



- Change controls for BDB response capabilities
 - Need to define a workable and predictable change control process (at the guidance level)
 - Address the interface with change controls from other programs – fire protection, emergency preparedness, security, etc.
 - Process for obtaining NRC approval of a proposed change (i.e., prior to implementation) in cases where such approval is necessary



Reevaluated Hazards

- Major focus has been responses to NRC orders and the work associated with the NRC requests for information on external hazards
- Next major activity is integration of mitigating strategies with reevaluated external hazards
- Staff position not included in draft rule
- Industry position stated in NEI letter to NRC Chairman (dated 11/4/14)



Development of Mitigating Strategies

- Mitigating strategies were developed using a consequence-based approach
 - Assumed an unspecified BDB external event causes a loss of all AC power and access to ultimate heat sink
 - Credit taken for other installed systems or components designed to meet design basis external hazards
- Design basis external hazards governed the development of the mitigating strategies (e.g., for connections, storage locations, etc.)
- Recognized that these assumptions and strategies may not provide the optimum plant-specific response in consideration of updated hazard information



Industry Approach to Reevaluated Hazards

- A key difference between the reevaluated hazards assessment and the development of the mitigating strategies is the "initial conditions"
 - Instead of an assumed consequence from an undefined event, each site will have a set of specific hazard conditions
 - Assessments can determine hazard impacts on key equipment, and availability of permanent plant equipment, to support a new hazard-specific mitigating strategy, if needed



Industry Approach to Reevaluated Hazards

- Review the impact of reevaluated external hazards information on mitigating strategies
 - Assure that the strategies can still restore or maintain key safety functions in light of the new hazard information, OR
 - Develop a new hazard-specific mitigating strategy or a Targeted Hazard mitigation strategy that can be implemented until recovery actions are initiated



Staff Concerns Regarding White Paper Titled "Integration of Mitigating Strategies for Beyond-Design-Basis External Events and the Reevaluation of Flooding Hazards"

Presentation to ACRS, November 21, 2014

Michelle Bensi, Ph.D., Civil Engineer, NRO/DSEA/RHM1 Suzanne Schroer, Technical Assistant, RES/DRA (formerly NRO/DSRA/SPRA) Marie Pohida, Senior Reliability and Risk Analyst, NRO/DSRA/SPRA Malcolm Patterson, P.E., Reliability and Risk Analyst, NRO/DSRA/SPRA Valerie Barnes, Ph.D., Senior Human Factors Analyst, RES/DRA/HFRB Joseph Kanney, Ph.D., Hydrologist, RES/DRA/ETB Jeffrey Mitman, Senior Reliability and Risk Analyst, NRR/DRA/APHB (on rotation to RES/DRA/PRAB) David Desaulniers, Ph.D., Senior Technical Advisor for Human Factors, NRO/DCIP George Lapinsky, Human Factors Specialist, NRR/DRA/APHB Fernando Ferrante, Ph.D., Reliability and Risk Analyst, NRR/DRA/APHB Kenneth See, P.E., Senior Hydrologist, NRO/DSEA/RHM1 Jacob Philip, P.E., Senior Geotechnical Engineer, RES/DRA/ETB

Staff Concerns with White Paper

- 1. It departs from the intent of NTTF Recommendation 2.1.
- 2. It departs from previous Commission and Congressional direction.
- 3. It deviates from the implementation process currently established for reevaluating flooding hazards and plant response.
- 4. It may create regulatory inconsistencies.
- 5. It presumes a conclusion that adequate protection has been achieved and, in most cases, additional regulatory actions are either not expected or not warranted.
- 6. It does not elicit sufficient information to support a staff conclusion regarding the need for additional regulatory action.
- 7. It does not incorporate lessons learned from operating experience.
- 8. It fails to distinguish between the intended purpose of the integrated assessment and activities for mitigating strategies and does not recognize the differences between guidance associated with the two activities.
- 9. It does not adequately distinguish between consequential floods and the reevaluated flood hazard.
- 10. It is vague in its description of "targeted mitigating strategies."
- 11. It is not responsive to external recommendations by regarded experts.
- 12. It creates inconsistency regarding the manner in which different external hazards are treated by NRC under Recommendation 2.1.

Primary Safety Concerns of Staff

White Paper fails to address important safety issues

- White Paper approach will not systematically consider flooding protection of safety-related equipment (e.g., EDGs, ECCS)
- White Paper approach results in non-safety-related mitigating strategies as the **only** defense for reevaluated flooding hazards
 - Reevaluated flood hazards are based on present-day guidance and methods

Without the systematic integrated assessment (JLD-ISG-2012-05), we cannot:

- Understand the impact of reevaluated flood hazard on plant safety
- Understand potential vulnerabilities
- Determine whether protection is adequate
- Identify safety enhancements and determine their significance
- Gather information to support a decision to modify, suspend, or revoke a license

No basis for confidence in undefined approach advocated by White Paper

- Relies on an unspecified staff process to initiate new regulatory actions
- Assumes NRC already knows which plants will require additional action

Questionable Justifications

Justification for White Paper approach:

- Assumed effectiveness
- Efficiency and resources
- Industry consensus
- Time frame

However:

- Justifications have neither technical nor safety basis
 - Inconsistent with a culture emphasizing safety over competing goals.
- White Paper may be inconsistent with adequate protection requirements
 - Some regulatory actions/processes have been subsumed by R2.1 and may need to be revisited
 - For adequate protection issues, NRC is not permitted to consider cost
 - Licensees have not shown adequate protection for flooding at some sites
- Claimed efficiency under White Paper approach comes at significant cost
 - Important information will not be available due to elimination of integrated assessment

Integrated Assessment

- With the systematic review of all plants with increased flooding hazards via the integrated assessment we will know:
 - The extent of flooding issues at plants with known issues
 - The total number of plants that may have issues (including plants not yet identified)
 - Whether all plants can demonstrate adequate protection under flooding scenarios
 - Whether there are efficient and effective flood protection measures (e.g., sandbags to protect EDG building) that are cost-justified, substantial safety enhancements
 - Information needed to support regulatory decisions

Licensed Plant Examples

Plant 1

Current licensing basis :

- Nominal river level is normalized level of 0 ft
- Site grade elevation is normalized elevation of 13 ft
- 100-year flood normalized elevation is 10.3 ft
- Design basis flood (PMF) is normalized elevation of 23 ft

Therefore: under the current design/licensing basis, the site is protected from a design basis flood by a full set of safety grade ECCS and onsite electrical safety grade distribution system (i.e., diverse, redundant, single failure proof).

Reevaluated hazard (based on present-day licensing criteria to site new reactors):

- More than 20 feet greater than design basis
- Disables the ECCS and Class IE electrical distribution system

Key questions:

- Are mitigating strategies appropriate for reevaluated hazard (including less severe but more frequent events)?
- Are there efficient/effective protection options?
- Should we consider changing the design or licensing basis?
- Is this an adequate protection issue?

Integrated Assessment is needed to answer these questions.

Plant 2

Current licensing basis

- Nominal river level is normalized level of 0 ft
- Site grade is a normalized elevation of 22.5 ft
- Original design basis flood per UFSAR is normalized elevation of 17 ft. (200-year flood, 385,000 cfs)
 - Full set of safety grade ECCS (i.e., diverse, redundant, single-failure-proof) remains available because flood is below site grade
- Later revisions resulted in normalized elevation of ~29 ft

"There are no incorporated/exterior or temporary flood protection features designed to protect the site against a flood greater than [plant grade elevation]."

- Reactor shutdown is followed by reactor disassembly and cavity flood up
- "All station loads are de-energized and all plant doors are opened ..."
- Gasoline driven pumps provide makeup to pools and reactor
- May be similar to "targeted strategies" described in White Paper

Reevaluated hazard (based on present-day licensing criteria):

PMF normalized level slightly higher than 29 ft (1,200,000 cfs)

Key questions:

- Are mitigating strategies appropriate for reevaluated hazard (including less severe but more frequent events)?
- Are there efficient/effective protection options?
- Should we consider changing the design or licensing basis?
- Is this an adequate protection issue?

Integrated Assessment is needed to answer these questions.

Plant 3

Current licensing basis

- Nominal river level is normalized level of 0 ft
- Site grade is normalized level of 25 ft (this is 9 ft. above 1000-year flood)
- PMF is normalized elevation of 34 ft
 - Elevation would be reached in ~12 days
 - Elevation would be sustained for ~11 days
- Licensee flood protection procedure requires construction of a ring levee to protect the plant.
- If construction of the levee is not completed or the levee fails (neither of which are low probability events), station blackout will occur.
- Backup is to run RCIC without dc power.

Reevaluated hazard (based on present-day licensing criteria):

PMF has increased

Key questions:

- Are mitigating strategies appropriate for reevaluated hazard (including less severe but more frequent events)?
- Are there efficient/effective protection options?
- Should we consider changing the design or licensing basis?
- Is this an adequate protection issue?

Integrated Assessment is needed to answer these questions.

Supplemental Information: Summary of Specific Concerns

1—Departs from the Intent of NTTF Recommendation 2.1

Task Force recommends that the Commission direct the following actions to **ensure adequate protection** from natural phenomena...

- NTTF 2.1 Order licensees to reevaluate the . . . flooding hazards at their sites against current NRC requirements and guidance, and if necessary, update the design basis and SSCs important to safety to protect against the updated hazards. ...
- NTTF recognized that flooding hazards must be accurately characterized to determine whether it is necessary to
 - update the design basis
 - modify SSCs important to safety
- For flooding that was not considered in the licensed design, the white paper proposes to *substitute* mitigation for protection in all cases.
- The white paper *assumes* that the mitigation strategy will be adequate and *eliminates* the assessment required to validate that assumption.

2—Departs from Commission and Congressional Direction

- White paper does not clearly describe previous direction
- White paper does not clearly acknowledge that the proposed path forward represents a significant deviation from previous direction

SRM on SECY-11-0093	NTTF Report
SRM on SECY-11-0124	"Identify actionsto address plant-specific
	vulnerabilities"
SRM on SECY-11-0137	NTTF Prioritization
SRM on SECY-12-0025	"necessary to confirm the adequacy of the
	hazards assumed for U.S. Plants and their ability to
	protect against them."
Consolidated Appropriations Act	"The [NRC] shallrequire licensees to reevaluate
	thefloodinghazardThe Commission shall
	require the licensees to update the design basisif
	necessary."

3—Deviates from Established Implementation Process

Current NTTF R2.1 implementation process:

- Phase 1: Information Gathering:
 - Stage 1: Hazard Reevaluation using present-day licensing criteria (i.e., presentday design basis methods)
 - Stage 2: Integrated Assessment if reevaluated hazard > design basis^{*}
- Phase 2: Regulatory Decisionmaking (e.g., change design or licensing basis)

The white paper does not:

- clearly articulate a sound basis, technical or otherwise, for the changes to the implementation process
- completely describe the consequences of the proposed changes to the implementation process

4—Creates Regulatory Inconsistencies

The proposed path forward may lead to several regulatory inconsistencies:

- 1. The treatment of increased flooding hazards from dam failures may differ between:
 - sites for which there is ongoing regulatory activity that may lead to changes in the protection of the plant or other backfits
 - sites for which regulatory activity is not already ongoing
- 2. The treatment of new information about different flood mechanisms may differ.

Ex: NRC may treat new information about increased flooding hazards from dam failures (at some sites) differently than new information about increased flooding hazards from other mechanisms such as storm surge and local intense precipitation.

5—Prejudges Safety Conclusions

- White paper prejudges the outcomes of Phase 2 of the implementation process for NTTF Recommendation 2.1
 - "... the NRC staff does not expect the reevaluated flooding hazards for most plants to affect the designbasis flood against which safety-related SSCs would need to be protected."
- This approach may conflict with NRC's obligation to continually assess whether there is adequate protection of the public health and safety

6—Insufficient Information To Support a Staff Decision

White paper states:

- "Focusing the Phase 2 decisionmaking on mitigating strategies means that the integrated (total plant) assessment in Phase 1 is no longer needed..."
 and
- "There may be circumstances where the staff concludes that the flooding reevaluations warrant investigating the need for additional protection or mitigation beyond that provided by mitigating strategies.."
- A systematic evaluation of the impacts of the flood hazards from different flooding mechanisms on plant safety-related SSCs will not be performed.
- Staff cannot determine whether additional regulatory actions are needed regarding adequate protection or safety enhancements.
- Proposed approach is undefined and sufficient information **will not be** available to systematically know when to pursue further assessments.

7—Lessons Learned from Operating Experience Are Not Incorporated

• Since 2010, there have been:

- 6 actual flooding events
- 9 identified flooding issues related to flood protection or flood mitigation
- 6 non-cited violations or green findings related to flood protection or flood mitigation
- 12 greater-than-green findings related to flood protection or flood mitigation
 - 1 notice of violation
 - 8 white findings
 - 3 yellow findings
- The integrated assessment was developed with knowledge of operating experience.
- The white paper approach would reduce or eliminate the assessment of plant response.

8—Differences Between Integrated Assessment and Mitigating Strategies Are Unclear

	Integrated Assessment	Mitigating strategies
Initiator	Flooding events (e.g., flood height, associated effects, flood event duration)	Extended loss of AC power and loss of normal access to ultimate heat sink
Purpose	Support decision to modify, suspend, or revoke license, if necessary	Provide additional defense in depth
Focus	Effects of flooding on total plant response, including safety-related SSCs	Effects of flooding on mitigating strategies equipment
Scope	Protection and/or mitigation,* as needed	Mitigating strategies only
Review criteria	Rigorous, systematic, and flood-specific assessment of total plant response. Supports regulatory decision regarding needs to change DB/LB.	Relies on considerable engineering judgment. Substantially different from the review of design basis accidents
Review criteria - Manual actions	Feasibility and reliability of manual actions, when used	Feasibility of "representative" manual actions
Outcomes	Confidence that site can withstand reevaluated flood hazard; information to support regulatory decision	Evaluate compliance with Order EA-12-049 to additional defense in depth

*The term "mitigation" in the integrated assessment ISG is not synonymous with the term "mitigating strategies" used in the White Paper

9—Lack of Understanding of Consequential vs. Maximum Credible* Flood

* Maximum Credible Flood = Reevaluated Flood

- NRC flood hazard regulatory guidance currently uses deterministic framework
 - Limited number of stylized event combinations used to develop estimates of "maximum credible" flooding hazard for each SSC important to safety
 - Such combinations are considered appropriate for establishing sufficiently severe flood for design purposes
- Operating reactors may be vulnerable to events that are smaller in magnitude than these "maximum credible" events
 - This insight is important to support regulatory decisionmaking
- White paper focuses on single maximum credible flood but does not address the importance of smaller events that still may be consequential to a site.





10—Vague Description of Targeted Mitigating Strategies

- FLEX guidelines proposed by industry and endorsed by the NRC staff are *function-based*.
 - "The FLEX strategies are focused on maintaining or restoring key plant safety functions and are not tied to any specific damage state or mechanistic assessment of external events." (from NEI 12-06)
- "[T]argeted mitigating strategies" as described in the white paper are described as *scenario-specific*.
 - Scenario-specific strategies are not addressed in
 - existing regulatory guidance related to mitigating strategies
 - NEI 12-06 (FLEX Implementation Guide)
 - JLD-ISG-2012-01 (Compliance with Order EA-12-049)
 - What triggers a targeted strategy is not specified.
- Integrated assessment ISG provides scenario-specific evaluation guidance that is flood-specific and systematic.

11—Responsiveness to External Recommendations

• NRC response to Government Accountability Office report

"The NRC staff will evaluate the licensees' responses to this request for information, and will determine whether additional regulatory actions are necessary to provide additional protection against the updated hazards."

The White Paper reverses, without technical justification, the NRC position documented in response to a recent report from the Government Accountability Office.

• National Academies of Sciences report

"Failure of the plant owner...and the principal regulator...to protect critical safety equipment at the plant from flooding in spite of mounting evidence that the plant's current design basis for tsunamis was inadequate."

Despite key Fukushima-related observations from a National Academies of Sciences report, the White Paper reverses direction from NTTF recommendation.

12—Inconsistencies in the Treatment of External Hazards

- Parallel implementation processes are being used for both seismic and flooding
- The white paper proposes significant changes to the implementation process for flooding
- The White Paper does not describe whether similar changes will be implemented for other external hazards
- It remains unclear why flooding hazards should be treated differently (and potentially less rigorously)
- The impacts of these inconsistencies have not been appropriately evaluated and could result in inefficiencies

Supplemental information— Background
Background: Mitigating Strategies

- Purpose of mitigating strategies:
 - Provide "strategies and guidance for additional defense-in-depth measures to supplement the capabilities of permanently installed plant structures, systems, and components that could become unavailable following a beyond-design-basis [external] event"
- Rigor of staff reviews:
 - Substantially less rigorous than the review of design-basis accidents
 - No diversity
 - No redundancy
 - Single failure criteria do not apply (and all plant equipment assumed available)
 - Relies considerably on engineering judgment and existing knowledge and expertise in determining the acceptability
- Level of review is commensurate with the intended use of mitigating strategies as a defense-in-depth measures for events that are expected to be rare.
 - Note: Consequential flooding is not rare at all plants.

Background: NTTF R2.1

- NTTF Recommendation: Ensure that plants have adequate protection from seismic and flooding hazards, consistent with the current state of knowledge and analytical methods
- Actions are required by Congress
- Implementation:
 - 1. Reevaluate flood hazards using present-day guidance and methods used to site new reactors (i.e., design basis methods)
 - 2. Perform integrated assessment (IA) if reevaluated hazard is not bounded by the design basis
 - IA involves:
 - Complete flood characterization
 - Flood protection evaluation
 - Mitigation evaluation (if needed)
 - 3. Staff makes regulatory decision (e.g., update the design basis, including protection of SSCs important to safety)
- Recognizes that operating reactors cannot be resited/redesigned
 - IA provides comprehensive evaluation
 - IA adequately informs a regulatory decision



Integrated Assessment Concept

Key definitions

- Per Integrated Assessment ISG:
 - Flood protection: An incorporated, exterior or temporary structure SSC (e.g., barrier), or an associated procedure that protects safety-related SSCs against the effects of external floods, including flood height and associated effects.
 - Mitigation: The capability of the plant to maintain key safety functions in the event that flood protection systems fail (or are otherwise not available).
 - Note: The term "mitigation" in the integrated assessment ISG is not synonymous with the term "mitigating strategies" used in conjunction with FLEX or in the White Paper

NON-CONCURRENCE 2014-011 RELATED TO "INTEGRATION OF MITIGATING STRATEGIES FOR BEYOND-DESIGN-BASIS EXTERNAL EVENTS AND RE-EVALUATION OF FLOODING

Submitted by: Glenn Tracy, Gary Holahan, and Scott Flanders

Background

- NTTF recommended "Safety Through Defense-in-Depth", including:
 - Recommendation 2: enhanced <u>protection</u> from design-basis floods and seismic events, where warranted.
 - Recommendation 4: enhanced <u>mitigation</u>, for both design-basis and beyond design-basis events.
 - Recommendation 8: enhanced <u>severe accident mitigation</u> capability, and
 - Recommendation 9: enhanced <u>emergency preparedness</u>

Background

- These recommendations constitute a rational set of enhancements, strengthening defense-in-depth, with each recommendation having a specific nexus to the Fukushima Daichi accident.
- The Commission supported these recommendations, in whole or in part, through various mechanisms: Orders, rule-makings, or information demands.

COMSECY proposal

The fundamental changes being proposed in the COMSECY are:

- 1) to limit staff and industry efforts on flooding to a confirmation that mitigation strategies can cope with the reevaluated flooding hazard; and
- 2) to eliminate (in our view) the systematic reconsideration of any other external flooding protection.

Consequences

- The post-Fukushima recommendations would no longer constitute a full set of potential enhancements consistent with the Commission's defense-in-depth safety philosophy;
- 2. A systematic evaluation of the total plant response to flooding, addressing both protection and mitigation would be curtailed. This would constitute a lost opportunity to identify potential plant vulnerabilities and to implement practical measures to protect key safety-related equipment; and
- 3. A non-safety-related system or collection of systems, intended for beyond design-basis events would be used to compensate for potential weaknesses in or even noncompliances with flooding design-basis <u>protection</u> requirements.

NRO Position

- We support the paper's approach on one specific issue; namely, reaffirming the issue of flooding protection for <u>mitigation</u> equipment (i.e. using the 2.1 re-evaluated flooding levels in the 4.2 mitigation strategy).
- We believe it is also necessary to conduct a thorough and systematic re-evaluation of protection of the normal, design-basis safety equipment used for decay heat removal (e.g. the first line of defense including: diesel generators, electrical distribution equipment, motor-driven auxiliary feedwater, service water and other support systems).

Summary

- Simply stated, we do not believe that <u>mitigation</u> is an appropriate substitute for <u>protection</u>.
- Both <u>mitigation</u> and <u>protection</u> are essential, but separate, elements of the Commission's defense-in-depth safety philosophy and should be treated as such.

UCS Views on the Consolidated Rule and the Staff White Paper

Edwin Lyman Senior Scientist Union of Concerned Scientists ACRS Fukushima Subcommittee Meeting November 21, 2014

NRC has a big problem (and so does the American public)

- It is becoming evident that the reevaluated hazards at many (if not most) U.S. nuclear plants exceed those plants' design bases
- The industry maintains that these are "beyond-design-basis" hazards and should be treated accordingly
- But this is a misuse of the term: the reevaluated hazards are part of the *true* design basis; the original ones were *wrong*

Rulemaking

- A Mitigation of Beyond-Design-Basis Events rule, if carefully done, could address some of the problems that Near Term Task Force Recommendation 1 sought to rectify (and perhaps should be called Mitigation of Extended Design-Basis Events)
- A key question, as always, will be how to define beyond-(or extended-) design-basis events
 - The cleanest way is to simply upgrade the design basis to incorporate the reevaluated external hazards
 - More severe events would then constitute the extended design basis and would be addressed by mitigating strategies

Wagging the dog

- The rule should not merely be a codification of the current orders and FLEX guidance (the approach currently being taken by the NRC staff and the industry), or it will enshrine the inconsistencies and half-measures of the current FLEX approach into NRC's regulations
 - Unspecified "beyond-design-basis" external event that does not cause beyond-design-basis damage other than to AC power sources and normal access to ultimate heat sink
 - The stylized scenario in NEI 12-06 falls far short of the conditions at Fukushima (e.g. DC power and electrical distribution systems are available)
 - Confusing concepts ("robust" and "reasonable protection")
- The industry has already "wagged the dog" once by beginning to spend money on FLEX equipment before the NRC issued the mitigating strategies order and approved guidance; this made it practically difficult for the NRC to later reject FLEX

Wagging the dog

"Stakeholder input influenced the NRC staff to pursue a more performance-based approach [e.g. FLEX] to improve the safety of operating power reactors than envisioned in NTTF Recommendation 4.2 ... " – boilerplate language in NRC **Interim Safety Evaluation Reports**

Typical confusion

- Upstream dam failure at the Columbia Generating Station (from June 10, 2014 meeting summary)
 - "The NRC staff took an action to provide guidance on how Energy Northwest should consider the dam failure analysis results when responding to the Mitigating Strategies Order ... Energy Northwest indicated that some of the strategies for flying equipment into nearby airports from the regional response center could be difficult to perform if the dam failure analysis led to flooding inundation levels that resulted in the nearby airports and roads to the site not being useable.
 - "In response to the above action item, the NRC staff informed Energy Northwest that the response to the Mitigating Strategies Order does not have to consider inundation levels provided in the USACE FHR. The Order requires licensees to develop strategies to address current design/licensing basis external hazards. The NRC staff will evaluate whether to modify the licensing basis flood hazard required to be considered for the Order as part of the broader FHR activities."

Consolidation

- It makes sense to consolidate in a single rule the requirements for mitigating strategies (pre- and post-core damage) with the procedures needed to carry them out
- The separate orders for mitigating strategies and reliable hardened vents have led to inconsistent implementation among licensees
 - Why can some Mark I/II BWRs (supposedly) carry out mitigating strategies that require use of wetwell vents without complying with the RHV order while others do not?
- Mitigation of station blackout (due to any cause) should remain a separate sub-requirement
- The entire rule should be implemented as an "adequate protection" requirement

Adequate protection = no Fukushimas in the United States

Validation

- Compliance with performance-based rules must be demonstrated through rigorous performance evaluations
 - Model should be force-on-force security inspections, rather than emergency planning exercises (e.g. every 3 rather than 8 years)
- Validation should be scenario-driven
 - A range of specific external events leading to an ELAP should be considered; all other consequences of the initiating event on the evolution of the accident should be consistently determined
- If FLEX is indeed capable of dealing with anything that comes, then it should be able to pass any specific validation challenge

White paper and draft rule

- The staff white paper and draft rule appear to invoke FLEX as a panacea for nearly all the difficult issues the NRC faces with regard to the external hazard reevaluations
- This would put too much emphasis on mitigation and not enough on prevention
- As a practical matter, this could cause major delays in resolving situations with unacceptably high risks

More confusion

• From the preliminary proposed rule (can someone please explain this to me?):

(2) The equipment relied on for the mitigation strategies required by paragraph (b)(1) of this section must be reasonably protected from the effects of severe natural phenomena that are as severe as the design basis external events in the licensing basis for the facility.

(3) The equipment relied on for the mitigation strategies in paragraph (b)(1) of this section must receive adequate maintenance such that the equipment is capable of fulfilling its intended function following a beyond-design-basis external event.