

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
 Reliability and PRA Subcommittee Meeting

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Friday, February 20, 2015

Work Order No.: NRC-1400

Pages 1-176

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
(ACRS)
+ + + + +
RELIABILITY AND PRA SUBCOMMITTEE
+ + + + +
FRIDAY, FEBRUARY 20, 2015
+ + + + +
ROCKVILLE, MARYLAND
+ + + + +

The Subcommittee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B1, 11545 Rockville Pike, at 8:30 a.m., John W.
Stetkar, Chairman, presiding.

COMMITTEE MEMBERS:

JOHN W. STETKAR, Subcommittee Chairman
RONALD G. BALLINGER, Member
DENNIS C. BLEY, Member
CHARLES H. BROWN, JR. Member
JOY REMPE, Member
MICHAEL T. RYAN, Member
STEPHEN P. SCHULTZ, Member
GORDON R. SKILLMAN, Member

DESIGNATED FEDERAL OFFICIAL:

MICHAEL SNODDERLY

ALSO PRESENT:

EDWIN M. HACKETT, Executive Director, ACRS

MICHEL CALL, NMSS

MARY T. DROUIN, RES

RICHARD DUDLEY, NRR

JOSEPH G. GIITTER, NRR

DONALD G. HARRISON, NRO*

MARK D. LOMBARD, NMSS

ED LYMAN, UCS*

JOSEPH RIVERS, NSIR

MICHAEL TSCHILTZ, NEI

*Present via telephone

C O N T E N T S

| | <u>Page</u> |
|--|-------------|
| Opening Remarks and Objectives..... | 4 |
| Presentation on Status of White Paper on Responding to Risk Management Regulatory Framework Recommendations..... | 8 |
| Status of Risk-Informed Activities Regarding Common Defense and Security..... | 71 |
| Status of Risk-Informed Activities Regarding Spent Fuel Dry Storage..... | 104 |
| Status of Risk-informed Activities Regarding Nuclear Materials Licensing..... | 110 |
| Industry Comments..... | 115 |
| Union of Concerned Scientists Comments..... | 121 |
| Public Comment..... | 126 |
| Discussion..... | 127 |
| Adjourn..... | 129 |

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

P R O C E E D I N G S

8:33 a.m.

CHAIRMAN STETKAR: The meeting will now come to order. This is a meeting of the Advisory Committee on the Reactor Safeguards Subcommittee on Reliability and Probabilistic Risk Assessment. I'm John Check -- John Stetkar, Chairman of the Subcommittee.

(Laughter)

CHAIRMAN STETKAR: It's cold and the mouth doesn't work well under optimum circumstances. Members in attendance today are Steve Schultz, Dick Skillman, Dennis Bley, Mike Ryan, Ron Ballinger and Joy Rempe. And I've been told we will be joined by Charlie Brown.

The purpose of today's meeting is to continue discussions on the status of the staff's plans for responding to direction from Chairman Jaczko to review NUREG-2150, a proposed Risk Management Regulatory Framework. And provide a paper that would identify options and make recommendations, including the development of a Commission Policy Statement.

The meetings are open to the public. This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 Rules for the conduct of and participation in the
2 meeting have been published in the Federal Register as
3 part of the notice for this meeting.

4 The Subcommittee intends to gather
5 information, analyze relevant issues and facts and
6 formulate proposed positions and actions as
7 appropriate for deliberation by the full Committee.
8 Mr. Michael Snodderly is the designated Federal
9 Official for this meeting.

10 A transcript of the meeting is being kept
11 and will be made available as stated in the Federal
12 Register notice. Therefore, it is requested that all
13 speakers first identify themselves and speak with
14 sufficient clarity and volume so that they can be
15 readily heard. And I'll remind all of you to please
16 silence all of your little beeping devices.

17 We have received a request to make oral
18 statements from Michael Tschiltz of the Nuclear Energy
19 Institute and Ed Lyman of the Union of Concerned
20 Scientists. I understand that there may be
21 individuals on the bridge line today who are listening
22 in on the proceedings.

23 The bridge line will be closed and placed
24 on mute so that those individuals may be listen in --
25 may listen in. At the appropriate time later in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meeting, we'll have an opportunity for public comments
2 from the bridge line and from members of the public in
3 attendance. And also, we'll open the bridge line
4 periodically.

5 I understand that there are members of the
6 NRC staff also on a separate line that we'll make sure
7 that we open that to have comments from you. Also, if
8 any of the presenters want help from any of the staff,
9 just let me know and we'll get that line open.

10 We'll now proceed with the meeting and I'll
11 call upon Joe Giitter of the Office of Nuclear
12 Regulation -- Reactor Regulation, to open the
13 presentation. Joe?

14 MR. GIITTER: Thank you John. I
15 appreciate the opportunity for the staff to come here
16 and discuss their efforts in evaluating a possible Risk
17 Management Regulatory Framework.

18 Since the NRC Commission issued PRA Policy
19 Statement nearly 20 years ago, the staff has been slowly
20 moving towards a more risk-informed approach to
21 decision making. In the oversight area we rely on the
22 significance determination process to determine the
23 appropriate level of inspection.

24 In the licensing area we have made strides
25 in risk-informing fire protection requirements and in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 improving change to allow outage times and surveillance
2 frequencies. However, many of our regulations are
3 still based on deterministic criteria that do not
4 consider risk insights.

5 One of the main recommendations of the
6 National Academy's report on the Fukushima accident is
7 that the NRC should incorporate modern risk concepts
8 into the regulations. And that the NRC and industry
9 should strengthen their capabilities for identifying,
10 evaluating and managing risks from beyond the found
11 basis of that.

12 There may be no better time for the Agency
13 to move toward an approach that would allow us to
14 consistently consider risk in our decisions. We last
15 discussed the Risk Management Regulatory Framework in
16 the Subcommittee on October 17, 2014. At that meeting
17 we described a two-phase effort focusing first on power
18 reactors.

19 Then after obtaining Commission feedback
20 on RMRF Options for power reactors, we planned to
21 evaluate the merits of an Agency wide RMRF Policy
22 Statement. And my understanding is that the
23 Subcommittee was concerned that addressing power
24 reactors first, might ultimately limit or constrain
25 potential options for an Agency wide Policy Statement

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 addressing all NRC regulated program areas.

2 Since last October, we've had a number of
3 senior management meetings on this topic and are now
4 pursuing a slightly different approach. We still plan
5 to propose several RMRF power reaction implementation
6 options to the Commission in the initial RMRF SECY
7 paper. But we've also decided to ask for a Commission
8 decision on whether we should also pursue an
9 overarching Agency wide Risk Management Policy
10 Statement. And you'll hear more about that from the
11 staff today.

12 So, today we plan to present a brief
13 overview of what an Agency wide Risk Management Policy
14 Statement might contain. And an update on our power
15 reactor implementation options. And then finally a
16 summary of our plans to move forward.

17 And also, because we're now considering an
18 Agency wide Policy Statement, we're also providing
19 presentations on the status of risk-informing the
20 program areas of security, spent dry fuel storage and
21 other areas within our regulatory purview.

22 With that I'm going to ask Dick to go ahead
23 and start the staff's presentation.

24 MR. DUDLEY: Thank you Joe. Starting
25 with slide two. What I'm going to talk about is just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the background and the current approach. First I'll
2 describe a little bit of what we're thinking on the
3 Agency wide policy statement. Then I'll discuss the
4 implementation options for Risk Management Regulatory
5 Framework for Power Reactors that we're currently
6 considering. And Then I'll briefly touch on our plans
7 to move forward.

8 After I speak, Joe Rivers will talk about
9 the status of risk-informed activities regarding
10 common defense and security. Following him Michel
11 Call will talk about the status of risk-informed
12 activities regarding dry spent fuel -- spent fuel dry
13 storage. And also Michel Call will speak about the
14 status of risk-informed activities regarding nuclear
15 materials licensing.

16 Michael is sitting in for Dennis Damon who
17 was on official travel. So detailed questions might
18 not be -- if you have a detailed question and we can't
19 answer it, we'll take it down and we'll get the answer
20 back to Mike Snodderly to distribute to the
21 Subcommittee.

22 On slide three, as Chairman Stetkar said,
23 the Chairman's Tasking Memo of June 2012 directed the
24 staff to review NUREG-2150 and provide a paper to the
25 Commission that would identify options and make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recommendations, including the potential development
2 of a Commission Policy Statement.

3 Furthermore, the Commission's May 2004 SRM
4 on Near Term Task Force Recommendation One, directed
5 the staff to reevaluate our proposed Improvement
6 Activities -- Improvement Activity One to establish a
7 new design basis extension category of regulations.
8 And Improvement Activity Two to define and establish
9 criteria for adequacy of defense-in-depth to
10 reevaluate those Improvement Activities within the
11 context of the Commission's direction on a long term
12 risk management regulatory framework.

13 The Commission's SRM also closed Near Term
14 Task Force Recommendation One and it increased the
15 scope of the RMRF SECY paper by adding a requirement
16 that we describe the relationships between the ongoing
17 risk-informed activities. As a result in the change
18 of scope, the staff requested an extension of the due
19 date for the RMRF SECY paper until December 2015.

20 And as Joe said, since we talked to you last
21 in October, management has reevaluated our approach to
22 evaluating an Agency wide risk management regulatory
23 framework. And now we're currently considering three
24 power reactor specific implementation options for a
25 risk management regulatory framework. But we will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 also in parallel with that, this paper will ask the
2 Commission to consider an overarching Agency wide risk
3 management policy statement.

4 The next few slides are sort of an overview
5 of what this policy statement might look like.

6 MEMBER BLEY: Dick, excuse me. Wasn't
7 that part of your original charter?

8 MR. DUDLEY: To?

9 MEMBER BLEY: The Agency wide aspect of
10 this.

11 MR. DUDLEY: I mean, that was -- that was
12 the Chairman's Tasking Memo.

13 MEMBER BLEY: Yes.

14 MR. DUDLEY: Said to make recommendations
15 regarding an Agency wide policy statement. That's
16 correct. Or to consider that.

17 MEMBER BLEY: Okay. But now you're going
18 back to the Commission to say there's a way we could
19 do that or something?

20 MR. DUDLEY: Yes.

21 MEMBER BLEY: Okay.

22 MR. DUDLEY: And so what I'm going to
23 describe in the next few slides are just of -- it's sort
24 of a bulletized summary of what this might look like.
25 We didn't want to spend too many resources developing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a detailed policy statement and find out that the
2 Commission didn't want us to spend all the resources
3 to do that.

4 So, we're sort of walking a fine line
5 between trying to get enough detail to describe to the
6 Commission what such a policy statement might look like
7 to allow them to make an informed decision. But yet
8 not use up all -- expend a lot of resources on something
9 and have them say well no, that's really not what --
10 we didn't want you to do that. So, that's the balance
11 we're trying to strike in evaluating the policy
12 statement.

13 So, what we have is we believe that this
14 policy statement of course would be applicable to all
15 NRC regulated program areas, applying both to
16 radiological safety and to security. We believe that
17 -- a risk management approach would be used to ensure
18 adequate protection of public health and safety and to
19 promote the common defense and security for all Nuclear
20 Regulatory activities.

21 In a risk management approach, safety and
22 security are ensured by understanding the risks and the
23 hazards associated with NRC regulated activities. And
24 using that information to make regulatory decisions.
25 Onto slide five.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The risk management approach would use a
2 structured process to identify issues, develop and
3 analyze options and make decisions and monitor the
4 effectiveness of Regulatory programs to -- and make
5 appro -- go back and make improvements to them if we
6 found that to be necessary. It would ensure
7 appropriate Regulatory controls and oversight are in
8 place that recognize the variety of risks associated
9 with the different uses of radioactive materials.

10 And it would employ risk-informed decision
11 making in which risk insights of both qualitative risk
12 insights and quantitative risk insights would be
13 considered together with other non-risk factors
14 commiserate with their importance to public health and
15 safety and common defense and security.

16 MEMBER SKILLMAN: Dick, may I ask you to
17 go back to slide four please.

18 MR. DUDLEY: Yes.

19 MEMBER SKILLMAN: In your second bullet,
20 you've identified safety independently from security.
21 Isn't security a subset of safety?

22 MR. DUDLEY: There is a safety/security
23 interface where actions that you take to ensure
24 security of a facility from external attacks or that
25 sort of thing, there is a relationship between the two.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Ultimately, a security event, the consequences would
2 perhaps be radiological. Joe, do you want to --

3 MEMBER SKILLMAN: I'm well aware of that.
4 What I'm trying to do is get clear in my mind what I
5 think is a distinction that you're drawing here between
6 safety, in terms of nuclear safety, SSCs, CDF, LERF,
7 that type of thing. Contrasted against force on force,
8 bad guys, terroristic threat to the facility or to fuel
9 facilities. Is that the distinction you're making
10 here?

11 MR. DUDLEY: It would -- well, we would --
12 this policy would apply to both.

13 MEMBER SKILLMAN: But are you trying to
14 have two policies or one policy?

15 MR. GIITTER: Dick, maybe I can take a stab
16 at that. You know, the Agency's traditionally talked
17 about safety and security separately. But of course
18 we understand that security can be a subset of safety
19 especially when you're looking to design basis threats.

20 For some facilities, Cat 1 facilities for
21 example, for reactors it's radiological sabotage. But
22 for Cat 1 facilities, you're concerned about theft and
23 diversion of special nuclear material.

24 So, we do understand the nexus, the point
25 you're raising. But traditionally, the Agency has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussed security, although it can be a subset of
2 safety as you indicated, as something separate and
3 distinct from security -- safety and security is two
4 separate and distinct things. Although we understand
5 the interrelationship.

6 MEMBER BLEY: Mr. Giitter though, it is
7 traditional, I agree with you. But on at least three
8 occasions over the last six, seven years, the
9 Commission has issued SRMs urging the staff to
10 integrate their concerns with safety and security.

11 MR. GIITTER: Yes, we agree.

12 MEMBER BLEY: Okay.

13 MEMBER SKILLMAN: Joe thank you.
14 Understand. Dick, thank you.

15 MR. DUDLEY: Okay. On slide six now,
16 under an Agency wide policy statement, the technical
17 analysis supporting the risk management approach
18 should be based on sound data, information and
19 methodologies, including the consideration of
20 uncertainties. It should use techniques or
21 combinations of techniques that are appropriate for the
22 hazards and the complexity of the issue.

23 It should be as realistic as practicable
24 considering the specific application. And it should
25 promote and utilize advances in science and technology

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as practicable.

2 MEMBER SKILLMAN: Dick, back to six
3 please. Items one and two, at least in my view, have
4 the attribute of metrics. You can measure them. You
5 can figure out what you're talking about. You can put
6 numbers, percentages, some form of measurable scale for
7 one and two. Both three and four have the word
8 practicable.

9 And what I see as practicable and what you
10 see and what the other members of the public might see
11 as practicable, might be vastly different. What can
12 be done to make sure that there's a metrification there
13 so that the measurement standard is understood and is
14 defendable?

15 MR. DUDLEY: I think you've hit on the
16 challenge. An Agency wide policy statement, we have
17 certain programs where we have quantitative tools and
18 safety goals. And we have other programs which rely
19 more on qualitative risk assessments. I can't really
20 tell you how we're going to bring them or even if we
21 can bring them all into a quantitative arena.

22 I don't believe that is likely possible.
23 But what you hit on I think, is the major challenge of
24 an Agency wide policy statement.

25 MEMBER SKILLMAN: Are we pumping against

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the tide? Is this a go nowhere riddle that we're going
2 to be involved in?

3 MR. DUDLEY: No, I don't think so. I mean
4 we can certainly address activities in a quantitative
5 fashion if that's appropriate. In a qualitative
6 fashion if quantitative tools are not yet available.

7 MEMBER SKILLMAN: Okay. Thank you.

8 MS. DROUIN: This is Mary Drouin.
9 Another way to look at that third bullet and
10 interpreting the work practical, is that not every
11 analysis that we do needs to be completely realistic.
12 You know, there will be some analysis because of how
13 you're applying it, you don't need to be as realistic.

14 So this is you know, be as realistic as it's
15 commiserate with the application or the decision that
16 you're trying to support.

17 MEMBER BLEY: That makes sense to me Mary.
18 And if I look up the work practicable, it just means
19 is it possible to do it, right. What you're saying is,
20 does it make sense? Which is a different concept. And
21 if that's where you folks are headed, maybe you ought
22 to polish up the language a little.

23 MR. DUDLEY: I haven't looked up
24 practicable in the dictionary. I need to do that and
25 maybe we want a different word.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. DROUIN: Yes. And recognize that you
2 know, all these bullets that Dick has put up there, we
3 will envision that over time you know, as we have more
4 dialog, among the staff, as we go out for public review
5 and comment. You know, these words are going to be
6 massaged and worked through. This is not the end
7 product that you're seeing here.

8 MEMBER RYAN: One thing that might be
9 helpful, and I'm sure others will have, you know enjoy
10 seeing a glossary that takes all these terms,
11 practicable, practical, you know, any one of two or more
12 dozen words you want to define to help give people at
13 least some idea of what your intention for the meeting
14 is and the document. I think that would be a useful
15 addition.

16 MR. DUDLEY: Again, I want to emphasize,
17 this is our very first draft.

18 MEMBER RYAN: Sure.

19 MR. DUDLEY: It's very early on. There
20 will be multiple levels of management review. Clearly
21 if the Commission supports such an approach, just what
22 you said, we'll have to dissect these words very
23 carefully. We'll have to have them clearly defined.

24 But at this point, we're just not there.
25 We're trying to give the Commission enough of an idea

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of what this policy might look like so that they can
2 make an informed decision as to whether or not they want
3 the staff to pursue it. But yet, not use too many
4 resources to develop a policy statement that perhaps
5 the Commission chooses not to have us do.

6 MEMBER RYAN: Well, that's a fair way to
7 look at it. Yes. And to proceed.

8 MR. DUDLEY: Right.

9 MEMBER RYAN: Thank you.

10 MR. DUDLEY: Great.

11 MS. DROUIN: This is Mary Drouin again.
12 Your point is very well taken. And the working group
13 has started a glossary you know, on this. So, we have
14 anticipated that and there's already some terms that
15 we have defined and we are actually starting a glossary.

16 MEMBER RYAN: Okay, great.

17 MS. DROUIN: And I think Dick has that as
18 a backup slide.

19 MR. DUDLEY: Yes, we have defined a number
20 of terms.

21 MEMBER RYAN: Excellent.

22 MR. DUDLEY: And practicable or perhaps
23 some other adjective would be added to that if that's
24 not the right word.

25 On slide --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SCHULTZ: Dick, before we go
2 forward.

3 MR. DUDLEY: Yes?

4 MEMBER SCHULTZ: In the last -- in these
5 three slide where you've talked about the statement and
6 then the approach and technical analysis, in order to
7 get to the point where this is being utilized beyond
8 the evaluation and then getting into decision making,
9 are we also promoting an approach that would be
10 evaluating comparative risks associated with the
11 technology and the decisions and so forth? In order
12 to make good decisions related to this technology, the
13 nuclear technology versus other technology?

14 MR. DUDLEY: You mean comparing nuclear to
15 this?

16 MEMBER SCHULTZ: Well, establishing the
17 metrics that would allow decision making to happen. We
18 haven't talked about that. It's not talked about here,
19 establishing the goals and objectives.

20 MR. DUDLEY: That's correct. That will
21 be easier to do for some programs then for others. And
22 again, that was Member Skillman's point I think. We
23 clearly have quantitative tools and safety goals for
24 certain regulated areas. We have qualitative tools
25 and goals in other regulated areas.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I am not sure if all regulated areas will
2 ever make it to qualitative tools and acceptable levels
3 of risk.

4 MEMBER SCHULTZ: You mean quantitative?

5 MR. DUDLEY: Quantitative, um-hum.

6 MEMBER SCHULTZ: Quantitative then.

7 MR. DUDLEY: Quantitative, I apologize,
8 yes. I'm not sure that those who have qualitative
9 tools and measures will make it into quantitative. So
10 I can't necessarily -- perhaps your question was can
11 you compare risk from one regulated area to another
12 regulated area using the same scale? Was that where
13 you were coming from?

14 MEMBER SCHULTZ: Well, I'm focusing on the
15 attribute of decision making. And you can do
16 comparative evaluations and analysis. But all of this
17 appears to be in internal focus associated with what
18 is being done within this Agency. And I'm also looking
19 for an understanding of what is done outside the Agency
20 in terms of the same types of decision making. I'm not
21 seeing it here.

22 MR. DUDLEY: I mean, if one -- if you're
23 postulating tools that would allow one to compare the
24 risk to the public from electrical power generated by
25 nuclear versus risk to the public of electrical power

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generated by burning coal, we're not going to be doing
2 that. I personally think that would be very
3 interesting. I have seen some studies on that.

4 But, that's not I think within -- I don't
5 have an OGC representative here. But I don't know that
6 that's within our charter.

7 MR. GIITTER: Yes Dick, just let me try to
8 clarify a little bit. For the harm part of Agency wide
9 policy statement, that was not envisioned. We do that
10 as you know of course, to a certain extent with the
11 safety poll policy. But whether we would do that would
12 certainly -- would be a Commission decision, a policy
13 decision.

14 But it's currently not something that's
15 envisioned for RMRF at this point.

16 MEMBER SCHULTZ: Thank you.

17 MR. DUDLEY: That concludes the very --
18 the preliminary work that we've done regarding an
19 Agency wide policy statement. We -- the management
20 decision to pursue that was made in January.

21 So we haven't been looking at this very
22 long. So it is --

23 MEMBER BLEY: Just last month? January?

24 MR. DUDLEY: Yes. That's correct. So
25 and it is very preliminary.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: You have circulated a
2 draft policy statement back last year, didn't you? For
3 comments? Or did the -- I guess I never -- no, it was
4 released.

5 MR. DUDLEY: There was one published, a
6 risk management. Yes, that's correct.

7 CHAIRMAN STETKAR: Did you get public
8 feedback on that?

9 MR. DUDLEY: Yes, we did.

10 CHAIRMAN STETKAR: Okay.

11 UNKNOWN: And?

12 MR. DUDLEY: I answered the question.

13 CHAIRMAN STETKAR: And I didn't follow up
14 and silence is interpreted as move on quickly.

15 (Laughter)

16 MR. DUDLEY: No, seriously I -- I'm
17 assuming we -- I think this Committee, this
18 Subcommittee was very pleased with the work.

19 CHAIRMAN STETKAR: Yes. We were briefed
20 on it in that October meeting.

21 MR. DUDLEY: Right. So yes, this
22 Committee was pleased with that. There were other
23 members of the public that perhaps were not so
24 supportive. But -- so feedback was mixed. But yet as
25 you say, this Subcommittee was very positive with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 respect to that policy statement.

2 CHAIRMAN STETKAR: Okay. Thank you.

3 MR. DUDLEY: Okay. The slide seven
4 starts the three power reactor risk management
5 regulatory framework implementation options that we
6 are currently considering. Option One is to maintain
7 our existing current regulatory framework.

8 Option Two would be to institute a
9 voluntary, alternative, risk-informed licensing
10 basis. And Option Three would be a plant specific risk
11 management regulatory framework, essentially the
12 framework recommended in NUREG-2150 for power
13 reactors.

14 These three Options were also described to
15 you essentially in the same form when we came here in
16 October. But when we were here in October, we had a
17 fourth option that we have dropped. The option that
18 we had, that we dropped, was to continue to risk-inform
19 our regulations on a generic basis.

20 That activity includes things like
21 finishing up 5046(a), the risk-informed ECCS rule.
22 Maybe looking at the coupling LOOP from LOCA. And
23 under that Option we were going to more aggressively
24 and more thoroughly go through our regulations and see
25 if there are others that could be risk-informed on a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generic basis.

2 I don't know that that would have been
3 successful. Ultimately management decided we would
4 drop that Option to simplify the paper.

5 CHAIRMAN STETKAR: In a sense, one could
6 argue that's part of Option One anyway, right?

7 MR. DUDLEY: You could argue that under
8 Option One, we've gone about as far as we can go.

9 CHAIRMAN STETKAR: Okay.

10 MR. DUDLEY: And I think that probably is.
11 At least that's my view. By the time we complete
12 5046(a), and then perhaps look again at LOOP --
13 separating LOOP from LOCA.

14 Any other questions?

15 (No response)

16 MR. DUDLEY: Okay. So those are the three
17 Options. Our description of these three Options
18 should essentially be similar to the description that
19 we gave you back in October.

20 Under maintain the current regulatory
21 framework, we would not revise our framework. We
22 believe and even NUREG-2150 states, in Chapter 4,
23 Option A, that the current power reactor regulatory
24 framework meets the criteria for a risk management
25 regulatory framework.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We have the Commission Safety Goal Policy
2 statement which sets forth a risk management objective.
3 Our current regulations implement sufficient
4 protection, defense-in-depth and safety margins that
5 they would provide, that would correspond to meeting
6 the 2150 risk management goal.

7 NRR has a licensing instruction, LIC-504,
8 which has a risk-informed decision making process in
9 it very similar to the one recommended in NUREG-2150.
10 And in addition, the NRC has numerous monitoring and
11 feedback mechanisms that we use to gauge the efficacy
12 of our regulatory decisions and to identify new
13 information that should be considered within the
14 regulatory framework.

15 And I believe when I met with this
16 Subcommittee once before to talk about Near Term Task
17 Force Recommendation 1, we had a little over an hour
18 presentation where we talked to you about our existing
19 programs that do this. The Operating Experience
20 Program, the Generic Issues Programs, the Agency Action
21 Review Meeting. So, we have discussed these programs
22 with this Committee before.

23 And finally, we like to always emphasize
24 that maintaining our current regulatory framework is
25 not a do nothing option. Under our current framework,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we have complete freedom to make safety improvements
2 based on risk insights or whatever considerations we
3 would choose whenever it's deemed necessary. And we
4 can make changes using our existing regulatory
5 processes.

6 CHAIRMAN STETKAR: But I think that just
7 for the record that does tend to be more of an ad hoc
8 process, issue specific, rather than a comprehensive
9 integrated Agency wide approach.

10 MR. DUDLEY: It is --

11 CHAIRMAN STETKAR: Even within the narrow
12 focus that you've emphasized here, even within the
13 power reactors area.

14 MR. DUDLEY: I would say that's correct.

15 CHAIRMAN STETKAR: Okay.

16 MR. DUDLEY: I would not disagree.

17 Power Reactor Option Two. Under Option
18 Two, the Voluntary Alternative Risk-Informed Licensing
19 Basis, we would maintain our existing generic
20 regulatory structure as it is, but we'd issue a rule
21 allowing licensees who volunteer or choose to upgrade
22 their PRAs. They could apply for approval of a
23 licensing basis that would support a performance based,
24 risk-informed alternative to certain deterministic
25 regulations that their PRA would show might have low

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 safety benefit at their specific facilities.

2 So these licensees would be allowed to
3 select a plant specific set of design changes or
4 compliance issues, shown to be of low risk, from which
5 they could deviate from our current deterministic
6 requirements. Some of these would require NRC
7 approval. Some of this might allow -- in some cases
8 we might allow licensees to approve low risk changes
9 themselves without our approval, as long as they also
10 search for and mitigate all plant specific risk
11 vulnerabilities that would meet NRC specified
12 criteria.

13 So, if you want to take this approach and
14 do your PRA and try to reduce or eliminate some low risk,
15 significant requirements, you will have had to look for
16 risk outliers and other things that maybe have specific
17 risk at your facilities, even though they're in
18 compliance with the current regulations. You would
19 then have to under this alternative, mitigate that risk
20 before you could then take the benefit of making the
21 facility changes to change the existing deterministic
22 requirements that were not risk significant at your
23 facility.

24 MEMBER BROWN: Isn't this -- the first --
25 the second measure bullet, I guess it -- that sounds

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 like part of the prioritization type stuff where you
2 have -- I mean that's -- I'm just connect -- trying to
3 connect the dots with these. They sound very similar
4 where you can avoid safety benefit, you can then
5 prioritize and do some stuff on a lower level basis then
6 you did as a --

7 MR. DUDLEY: They are. There is a
8 similarity.

9 MEMBER BROWN: Okay. I mean, is that --
10 why is the prioritization separated out? I know we're
11 going to do that this afternoon, but --

12 MR. DUDLEY: These activities are
13 related. Prioritization is the first step.

14 MR. GIITTER: Yes, let me try to address
15 that. What you're going to hear this afternoon is
16 focused primarily on -- at least initially, on
17 scheduling. So if licensing has a modification in
18 front of them, whether it's something they're required
19 to do or something that they are taking it upon
20 themselves to do because they think it's going to
21 improve their reliability at the plant, they will --
22 it provides a methodology for them to make decisions
23 on what should come first. And what can be deferred
24 to later.

25 What we're talking about here, similar in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concept because you're using risk insights to determine
2 what's more important, but fundamentally it's
3 different in that we're looking at actual changes to
4 the license and the licensing basis for the plant. So
5 it's a more permanent and substantial change than the
6 risk prioritization effort that you'll hear about this
7 afternoon.

8 MEMBER BROWN: Okay. Thanks.

9 MEMBER REMPE: If I compare Option Two and
10 Option Three, and I know you've not fleshed out all the
11 details, but in your mind, it would be the same amount of
12 upgrades to the PRA be needed for Option Two and Option
13 Three?

14 MR. DUDLEY: Let's see, I'm -- I'm not
15 sure.

16 MR. GIITTER: That's -- yes, I can talk a
17 little bit about that. We envision that there's going
18 to be upgrades to the PRA required for both Option Two
19 and Three. It may be a matter of degree.

20 For Option Two, certainly you're going to
21 have to upgrade your PRA to a level that is necessary
22 in order to make the right decisions. In other words,
23 if you're looking at what all of the hazards are for
24 the facility, you're going to need to have external
25 event models for example. You'd need to understand how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they play in.

2 Now whether you actually have to do for
3 example, a flooding PRA or something like that, there
4 may be some flexibility in how you do that. You may
5 be able to because right now the state of the art doesn't
6 really support flooding PRA. You may be able to use
7 qualitative insights or some other methods similar to
8 what we did for the IPEEE to make those kind of
9 decisions.

10 But you are going to have to have
11 information necessary in order to make the right
12 decision. Whatever that decision might be.

13 MEMBER REMPE: Okay. Thank you.

14 MS. DROUIN: Let me just also add to that.
15 It's also going to be dependent on what your acceptance
16 criteria is. I mean in Option Two, you may keep your
17 acceptance criteria for example to reactors CDF and
18 LERF. Or maybe you know, just to release those. So
19 then you'd only require you know, a level two.

20 Now the level of detail in the scope that
21 goes with it would probably increase. But when you go
22 to Option Three, you know, if you're starting to talk
23 about using for example a frequency consequence curve,
24 then you're talking about having to do a level three
25 PRA. Versus just keeping your PRA the CDF and LERF.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SKILLMAN: Dick, let me make an
2 observation and then ask a question. Option Two
3 provides what I view as a very great benefit to
4 licensees. But, I spent about ten years consulting.
5 And most of my consulting was engineering effectiveness
6 in relationship of engineering for the plant culture.
7 Whether it's the work management program or operations.

8 And what I observed in those ten years is
9 some plants that were very well run, there was a very
10 strong relationship between the corrective action
11 program, their work management program and just an
12 honest to goodness understanding of Appendix B to 10
13 CFR 50. All 18 points, including record keeping and
14 configuration control.

15 And unless a licensee is firmly set on a
16 configuration control program that ensures the plant's
17 configured the way it's supposed to be and its
18 documentation shows that configuration, unless the PRA
19 model reflects the current configuration, this can be
20 a red herring. Because they can be asking for change
21 under what they believe to be an appropriate PRA model
22 when the plant isn't reflective at all of that model.

23 So my question is, what is the discipline
24 that ensures that before an option like this is granted
25 to a licensee, they are really where they are supposed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to be in configuration control, commitment to 10 CFR
2 50, Appendix B? They are really doing it?

3 MR. DUDLEY: Well, we have a very active
4 reactor oversight program and onsite inspectors. And
5 I think that's the tool that we would use. And that
6 we are using right now.

7 MEMBER SKILLMAN: Do you believe that's
8 effective?

9 MR. DUDLEY: I'm not an expert on the
10 oversight program. I can't speak to that. I assume
11 it's effective or we would be improving it. But I think
12 our existing oversight program is likely adequate for
13 that. If you would like us to get some additional
14 information or if you're at a future meeting, something
15 about that, we can put that together for your. But --

16 MEMBER SKILLMAN: That is not really what
17 I'm driving towards. What I'm driving towards is the
18 notion that if Option Two were to become a viable option
19 that there needs to be part of that Option Two a
20 recognition of the importance of compliance with the
21 other regulations that ensure that the plant
22 configuration and the PRA model are in alignment.

23 MR. DUDLEY: So perhaps what you're
24 suggesting is, if the plant implemented Option Two, one
25 of the conditions of that might be a special inspection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 prior to that approval to make sure that their actual
2 configuration was consistent with the configuration
3 that was modeled in the PRA. Maybe that's something
4 we should consider.

5 MR. GIITTER: Well, yes, Dick let me just
6 -- I agree with your comment. And with any model or
7 PRA model, it's only as good as the understanding of
8 how the systems operate, your ability to model systems,
9 failure modes of course. So, that is critical.

10 And how that's done, it's a very good
11 point. I don't know that we would necessarily want to
12 do a detailed PRA inspection. I mean, that's certainly
13 a possibility we could look at. But there are -- it
14 is something that we would have to have a high degree
15 of assurance that the PRA model is -- represents the
16 plant condition.

17 And there are -- and then Mary can talk
18 about this more. You know, there are peer reviews that
19 are done of course anytime you upgrade your PRA. That
20 doesn't go into the level of detail that you're talking
21 about. But -- so this is a very good point and it's
22 something we'll take into consideration.

23 MEMBER SKILLMAN: Can I just -- let me make
24 one more point. The real concern I have is that the
25 more clever your team is at the site -- the more clever

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the operating team and the engineering team is at the
2 site, the potential for gaming the system increases.
3 And it's that that I'm really both aware of and
4 concerned about.

5 I think it's great to give the licensees
6 freedom to use a PRA tool to reduce perhaps the burden
7 where the value of some of the issues that they are
8 protecting against is very low. I understand that
9 concept. But I also am aware of organizations that
10 have the potential to game the system.

11 And hence there needs to be at least in my
12 mind, the ability to make sure that the rigor and
13 discipline are there. So that a freedom is given on
14 Option Two, we are confident that the licensees are
15 where they're supposed to be. That's what I'm saying.

16 MR. DROUIN: One thing to note is that you
17 know, there is the PRA standard now. You know, we have
18 reviewed that standard and endorsed it in one point or
19 another. If the Commission decided to go forward with
20 Option Two, we would have to relook at that standard
21 you know, in the light of does it provide us enough that
22 we're going to have the right technical acceptability
23 in that PRA to support an Option Two.

24 Now one part of the standard is not just
25 the technical requirement for doing the PRA. A big

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 piece of that standard is the configuration control of
2 that PRA. So the standard does get into requirements
3 you know, of how to you know, maintain the configuration
4 of the PRA such that it appropriately reflects you know,
5 the design and operation of the plant.

6 So we would have to -- we would go back and
7 look at those requirements and make sure that those are
8 strong enough, you know, to support this kind of
9 application.

10 MEMBER SKILLMAN: Thank you Mary, Joe,
11 Dick.

12 MEMBER SCHULTZ: So, again, that gets to
13 the PRA and the analysis portion of the discussion that
14 Dick was raising. And I think what you're saying Dick,
15 is that the other important parts of this are the
16 relationship of that particular analysis to the
17 configuration control, the maintenance, the plant
18 programs, including operations and training and all of
19 those elements that result at the analysis for the PRA
20 for that facility.

21 But also maintain it over the lifetime of
22 the plant, which is what we're asking the licensee to
23 do here.

24 MEMBER SKILLMAN: Yes, let me give you a
25 word picture that might even be more clear. I worked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at a plant where the plant changed from their old
2 electrical load model, I think it was ohms to ETAP.
3 ETAP is the we're told and is a very, very complicated,
4 very detailed program. It's probably on a par with
5 BRA. ETAP is a very complicated program.

6 In this particular plant, ETAP, this
7 Electrical Transient Assessment Program, was being
8 maintained by a college coop three months of the year.
9 And it was the flagship program for protecting the load
10 configuration at this particular nuclear power plant.

11 And so the leadership of that plant had
12 determined that it was acceptable for a part time
13 college student to maintain the database. And that's
14 the program upon which ECCS loading, current flows,
15 breaker protection, breaker relay alignment was
16 established. And that was an alarming finding.

17 But it was so deep in the culture, one had
18 to really dig for it.

19 MS. DROUIN: I think you raise excellent
20 issues. And these are you know, some of the challenges
21 that are going to be faced. I'm not trying to harp on
22 this standard. It does require the licensee to develop
23 a PRA configuration control program. It doesn't get
24 into details.

25 But what that might translate to mean is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we as the NRC may need to come back and write a
2 perhaps a Regulatory Guide to give accept -- you know,
3 our acceptable staff position of what constitutes an
4 acceptable PRA configuration control program.

5 So these are all you know, questions that
6 you know, we're going to have to explore and answer.

7 MEMBER SKILLMAN: Okay. Thank you Mary.
8 Thank you Dick.

9 MR. DUDLEY: Back to slide nine. So,
10 licensees who would choose this alternative would have
11 to go out and look for risk outliers or plant specific
12 vulnerabilities. And meeting NRC specified criteria
13 and mitigate them even if they were in compliance with
14 our existing deterministic regulations.

15 And so things that those licensees find,
16 new information on the mitigation of these events or
17 sequences would have to be documented. And they would
18 become part of their FSAR in accordance with the
19 50.71(2) FSAR update requirements.

20 And we also, licensees taking this option
21 would have to implement mandatory, monitoring and
22 feedback as described in Reg Guide 1.174 to ensure that
23 the changes and risks which were deemed acceptable at
24 the time that they were made, to ensure that they remain
25 acceptable over the lifetime of the facility.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now monitoring and feedback would perhaps
2 catch issues with maintenance. In other words if there
3 are maintenance inadequacies at the plant, licensees
4 would have to track the reliability of certain
5 equipment. And if the reliability of that equipment
6 was different then what was assumed in their PRA, they
7 would have to go back and recalculate and make sure that
8 the change in risk was acceptable associated with this
9 change throughout the life of the plant.

10 And so, that might require them to increase
11 the reliability of certain equipment and change the
12 maintenance. Or make some other corresponding change
13 in the facility to reduce risk to an acceptable level.

14 CHAIRMAN STETKAR: And I realize these are
15 basically pretty high level talking points at the
16 moment. But the -- when I look at Option Two and I think
17 about Option Two that and, which you have appropriately
18 highlighted in red there, meeting NRC specified
19 criteria, that to me sounds an awful lot like the --
20 if you ever get to it, Option Three, the RMRF framework
21 that says well, below some area we feel the risk is
22 acceptable.

23 So therefore, that -- is that the notion
24 of these NRC specified criteria? Or is this left up
25 to the NRC saying well, despite the fact that we know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that large LOCAs aren't important to risk, we still
2 think you need to have certain criteria for large LOCAs?

3 MR. DUDLEY: Well, no, I mean --

4 CHAIRMAN STETKAR: Because that -- so I'm
5 trying to understand what the notion of these NRC
6 specified criteria are. Are you setting the
7 acceptable risk thresholds?

8 MR. DUDLEY: Well I mean -- Joe, can you
9 give your example about the fire protection inspections
10 and the vulnerability that was uncovered under
11 NFPA-805?

12 MR GIITTER: Oh okay. Well, there's --

13 CHAIRMAN STETKAR: I'm not talking about
14 the second point of identifying vulnerabilities. I'm
15 talking about the notion that the NRC is going to
16 specify some sort of threshold criteria.

17 MR. DUDLEY: We would have to -- it
18 actually probably would be two thresholds. We'd have
19 to figure out what's the threshold that you have to take
20 action? And then what is the -- then it might be a
21 different threshold that you have to reduce the risk
22 to.

23 So, that's an implementation detail that
24 we don't have at this point.

25 CHAIRMAN STETKAR: Right, but in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 notion of if I look at 2150, that to me starts to sound
2 like the three kind of bands in 2150, isn't it?

3 MR. GIITTER: There are similarities to
4 2150.

5 CHAIRMAN STETKAR: Okay.

6 MR. GIITTER: The biggest difference
7 John, is that we're looking at Option Two as an option
8 in between the do nothing option and full
9 implementation of RMRF.

10 CHAIRMAN STETKAR: Sure. Sure.

11 MR. GIITTER: And so Option Two does
12 include an incentive if you will for licensees to move
13 towards a more risk-informed framework where I'm not
14 sure that Option Three does that as well. Especially
15 if it requires development of a level three PRA.

16 But there are similarities. And the point
17 there, without getting into a lot of detail, is if
18 licensees are going to identify deterministic
19 requirements of low risk significance, whatever it
20 might be, tornado, missiles, or you know, who knows.
21 Then they should also seek out and look for risk
22 outliers.

23 So we don't -- what we're saying is we
24 shouldn't allow licensees to -- it's an untoward. You
25 don't want them to just take advantage without looking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 holistically at okay, with the clearer picture of risks
2 that I now have, are there things that are treated in
3 a deterministic world in my -- that we might do
4 differently based on some risk insights.

5 CHAIRMAN STETKAR: I understand that
6 completely. And I'm obviously running the NFPA-805
7 stuff in the back of my head. And people who went
8 through that exercise indeed did find vulnerabilities
9 that their deterministic 10 CFR 50, Appendix B stuff,
10 nobody even thought about.

11 MR. GIITTER: Right.

12 CHAIRMAN STETKAR: What I'm curious about
13 though is, if I use that analogy, when you say that they
14 must mitigate all plant specific risk vulnerabilities,
15 meeting NRC specified criteria, do you have an example
16 of what that means in the context of NFPA-805? Because
17 NFPA-805 just looked at Reg Guide 1174.

18 MR. GIITTER: Right.

19 CHAIRMAN STETKAR: It said you know, if
20 you --

21 MR. GIITTER: Right.

22 CHAIRMAN STETKAR: In that context, you
23 use that basically as your metric for determining
24 whether or not the change was acceptable to the state.

25 MR. GIITTER: And really, what we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 envisioning here is something very similar to what we
2 did for NFPA-805.

3 CHAIRMAN STETKAR: Okay. Okay. That's
4 -- I was hoping that's what those words meant.

5 MR. GIITTER: Yes, I --

6 CHAIRMAN STETKAR: And their capability.

7 MR. GIITTER: Right.

8 CHAIRMAN STETKAR: Okay. Because you got
9 into the 1174 in terms of the monitoring and feedback
10 and all of that part of the process. I was just kind
11 of hanging up on those criteria. Thanks.

12 MR. DUDLEY: On slide ten now. This is
13 still Option Two. And this is kind of what you wanted
14 to hear. The regulatory processes under Option Two for
15 self approval of certain plant specific changes would
16 be similar to NFPA-805 approval process.

17 Which I believe risk-informed changes are
18 allowed to license requirements without prior NRC
19 approval if the change in risk -- the increase in risk
20 where changing CDF is no more than minimal, less than
21 ten to the minus seven per year. And changes with risk
22 increases more than minimal would require NRC approval.

23 Plant licensees are expected to have an
24 upgraded, high quality PRAs to support this
25 risk-informed alternative licensing basis approach.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We haven't defined exactly what that is. And we would
2 submit --

3 CHAIRMAN STETKAR: Well, but you have in
4 the sense of Reg Guide or in the sense of NFPA-805. I
5 mean they're basically supposed to comply with Reg
6 Guide 1.200, which you know, endorses the ASME NS
7 standard.

8 So, there is precedent to -- for
9 understanding of what that upgraded, high quality PRA
10 means. In current regulatory space. I mean, this
11 isn't something that needs to be -- you might -- as Mary
12 said, you might want to elaborate on some particular
13 issues. But this isn't something that needs to be
14 crafted out of nothing.

15 MR. DUDLEY: Are there any more questions
16 on Power Reactor Option Two?

17 (No response)

18 MR. DUDLEY: Okay. Option Three is the
19 recommended compliant specific, risk management
20 regulatory framework implementation option from
21 NUREG-2150. Under Option Three we would require
22 operating licen -- all operating plants to have PRAs
23 and upgrade them periodically. And establish -- and
24 use them to establish a plant specific licensing base
25 basis, which would be based on their plant specific risk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 profiles and NRC specified risk management -- an NRC
2 specified risk management objective.

3 We would require licensees to use a
4 structured risk-informed decision making process. We
5 would require that both for licensees and for the NRC
6 under Option Three. And based on the plant specific
7 risk profile, licensees could implement the plant
8 specific licensing basis by determining how they want
9 to meet the risk objective.

10 Then they would have to ensure that the
11 necessary protections are in place to meet the risk
12 management goal. They'd have to establish the
13 risk-informed decision making process. And they'd
14 have to establish the monitoring and feedback process.
15 And there would also have to be a reporting process
16 associated with this plant specific approach.

17 Let me go to the next slide before the
18 questions start. Because I might answer some of them.

19 (Laughter)

20 MR. DUDLEY: So each plant's licensing
21 basis would consist of technical requirements that
22 would be based upon this plant specific attributes.
23 And applicant selected design specific elements. It
24 would include the rationales or the technical basis for
25 why the technical requirements adequately address risk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and defense-in-depth in light of the plant specific
2 attributes and design elements.

3 And FSAR level description of the plant
4 specific attributes and the applicant selected design
5 elements would -- and the input assumptions for the
6 above rationales would also have to be maintained. And
7 the process for maintaining the validity of the
8 rationales, the technical basis through the lifetime
9 of the plant would also have to be included in this
10 plant's licensing basis.

11 So licensees would be required to use the
12 structured process with monitoring and feedback to
13 ensure that the plant specific licensing basis remained
14 consistent with the risk profile of the plant, which
15 could change over time.

16 MEMBER SKILLMAN: Dick, let me ask. Just
17 conceptually, how would this be implemented? There
18 are what about 67 sites, 104 plants, 100 plants? All
19 part 50 plants are designed to Appendix A. Part 50
20 plants are designed to Appendix A at 10 CFR 50.

21 Does the first bullet imply some form of
22 change to that?

23 MR. DUDLEY: This implementation approach
24 could result in I could think significant differences
25 between the design of one plant to another plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Plants that were initially identical might end up with
2 designs that are significantly different.

3 CHAIRMAN STETKAR: Plants have designs
4 that are different. They might have different
5 licensing basis. But because of the differences in
6 those designs --

7 MR. DUDLEY: Their licensing basis could
8 change and they -- that might include changes in the
9 design. In certain aspects of the design.

10 MEMBER SKILLMAN: I'm confused. I don't
11 understand those words. I understand what John said.

12 MR. GIITTER: Yes, let me try to clarify
13 it a little bit. Every plant now pretty much has a
14 unique licensing basis even though we you know.

15 MEMBER SKILLMAN: Right. Sure.

16 MR. GIITTER: So, it isn't as radical as
17 it may sound. But this approach would allow some sites
18 to have a more risk-informed licensing basis then other
19 sites. And so you would have some variability if you
20 take for example two standardized plants, which we
21 really don't have any in the United States, but
22 theoretically if we did, one could have a risk-informed
23 licensing basis, the other one might have a licensing
24 basis that's largely deterministic.

25 And so I -- and we have that today, okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We have plants that have transitioned to NFPA-805 that
2 have made modifications to the plant. They've added
3 additional auxiliary feed water trains, non-safety
4 grade. And then you have plants that are
5 deterministic.

6 Well, so you might have a four-loop
7 Westinghouse plant with -- I'm getting into too much
8 detail here, but with two motor-drive aux feed pumps
9 and a turbine driven aux feed pump. And you might have
10 another plant that because of the vulnerability of fire
11 in a particular area of the plant, they might have an
12 additional non-safety grade aux feed water pump that
13 the other plant doesn't have.

14 So there will -- Dick's right, there will
15 be design differences. But you know, fundamentally
16 you're looking a different licensing basis for a
17 risk-informed plant versus a deterministic plant
18 because you determined based on risk insights that you
19 may need some additional systems or modifications that
20 you didn't have in the deterministic plant.

21 You may also determine that there are some
22 particular design features in the risk-informed plant
23 that aren't as necessary because they're not safety
24 significant.

25 MEMBER SKILLMAN: Okay, let me ask this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 To what extent would Option Three require a rewrite of
2 the FSAR or rewrite of the Tech Specs?

3 MR. GIITTER: Well, we definitely require
4 a rewrite of the FSAR.

5 MEMBER SKILLMAN: Okay.

6 MR. GIITTER: The Tech Specs at a lot of
7 plants are going to be changed anyway because of
8 risk-informed Tech Specs.

9 MEMBER SKILLMAN: Okay, so let's talk
10 about rewrite of the FSAR. Isn't that a swamp that is
11 just -- that is just endless opportunity for error?

12 MR. GIITTER: Well, FSARs are rewritten
13 all the time based on --

14 MEMBER SKILLMAN: In piecemeal based on
15 amendments that are --

16 CHAIRMAN STETKAR: But isn't that a swamp
17 that the piecemeal cannot be tracked correctly so that
18 you get inconsistencies in your FSAR?

19 MEMBER SKILLMAN: If your configuration
20 control program is poor, yes. Exactly.

21 CHAIRMAN STETKAR: Okay but that's --
22 that's the current situation.

23 MEMBER BLEY: I mean I agree with a lot of
24 your points Dick. But I also note as you did with your
25 ETAP plant, this isn't a problem with Option Three or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the PRA, it's a problem that applies to essentially
2 everything in the plant. All the analysis, all the
3 equipment. And if you don't have a good program, it
4 isn't going to be what you thought it was.

5 MEMBER SKILLMAN: I agree.

6 CHAIRMAN STETKAR: If you have a good
7 program, you have a good program. If you don't have
8 a good program, --

9 MEMBER SKILLMAN: That isn't Option
10 Three's fault, that's the plant's fault. And nobody's
11 going to fix that.

12 CHAIRMAN STETKAR: Will Option Three fix
13 it?

14 MEMBER SKILLMAN: Option Three would at
15 least require you to take a comprehensive look at your
16 plant and the licensing basis for your plant. Which
17 currently isn't required. It's done piecemeal.

18 So in some sense it would at least provide
19 that catalyst in my mind that would prompt perhaps you
20 know, comprehensive reexamination of your licensing
21 basis. And given the fact that it's at one time, you
22 know, you wouldn't have this necessarily piecemeal
23 changes over the course of you know, several years.

24 So it could actually provide a catalyst to
25 take some of the -- if you want to characterize them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as marginal performers in terms of comprehensive look
2 at their facilities and give them a shock in a sense
3 to look at things.

4 MEMBER SCHULTZ: It's hard to believe that
5 would not happen given at least this description.

6 MEMBER RYAN: It would seem to me that
7 there'd be some kind of a feedback mechanism too if the
8 staff isn't you know, not just doing this in a vacuum.
9 There's going to be some feedback, the reactor would
10 feedback, they adjust. And that's a cycle that goes
11 on you know, really robust program that's healthy.

12 So I'm just trying to -- so how do you
13 describe a healthy program? And if a program is
14 healthy by whatever measure or structure you send up
15 to make that -- or set up to make that evaluation, you
16 know, you can demonstrate what you're trying to
17 demonstrate.

18 I mean, I take your point that if it's not
19 exercised properly it's probably not worth much. That
20 it could be worth less. So I think it's -- it really
21 gets down to how do you judge the program? How do you
22 decide it's a good program or needs its work? I don't
23 know.

24 Does that make sense Dick?

25 MEMBER SKILLMAN: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DUDLEY: Yes. Are there any more
2 questions on Power Reactor Option Three?

3 MEMBER BROWN: Your next is just a path
4 forward, right?

5 MR. DUDLEY: Yes. Right.

6 MEMBER BROWN: Can I go back to Option Two?

7 MR. DUDLEY: Sure.

8 MEMBER BROWN: The -- I guess the page ten,
9 slide ten is the one of interest. The self-approved
10 certain plant changes list conformed to add to the
11 license requirements without prior NRC approval of the
12 CDF -- Delta CDF is no more than -- is less than one
13 times ten to the minus seven.

14 Which always gives me a little bit of pause
15 for thought. Because somebody's got to model ten to
16 the minus seven to get there. And I guess I was trying
17 to come up with an example that I could phrase my
18 question to make it clear.

19 Right now in my world, the I&C world, we're
20 dealing with the issue of how you transmit data out of
21 a plant and whether it's a unidirectional hardware
22 based or whether it's a firewall which has software
23 involved in it.

24 The initial efforts in some of the early
25 designs when we first looked and we were first talking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about these five years ago, six years ago, the comment
2 was that oh, well because we've got a firewall there
3 and we've got anti-virus software, we've got malware
4 detection, Trojan horse, and everybody thinks this
5 stuff is the hot -- theirs is the hottest stuff that
6 ever walked the face of the earth.

7 So, we've been trying -- there's been a
8 forcing function to try to get people to more consider
9 you know, strictly hardware based transmissions. So
10 there is no external capability to get in.

11 And I'm looking downstream, you get a plant
12 configured like that and now you come along later, five
13 years later and management or somebody in the plant
14 decides gee, we're spending a lot of effort because we
15 have to have people come into the plant, bring hardware
16 down, go down to the cabinets. You know open them up,
17 put you know, a lap top in connection with it.

18 It would be far more efficient to be able
19 to send this from the vendor directly via the internet
20 into the plant, into the server, the network system and
21 then down to the maintenance cabinet. And then into
22 cabinets you know, to change whatever you want to
23 change.

24 So that would require a firewall to
25 software as opposed to a hardware based one way. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I can easily envision the computer weenies that think
2 their virus software and protection software is so
3 perfect that they will easily meet the one times -- it
4 will be easily be one times ten to the minus 12, the
5 way they'll advertise this.

6 They'll change that fire -- that barrier
7 to a software based barrier and nobody will ever see
8 it. And I don't know how as a regulator there are
9 certain boundary conditions I would have a hard spot
10 with allowing free you know, self approval. On the
11 program I came from nobody changed it without
12 headquarters while were the designers as well as the
13 regulator. But we had to be careful of that.

14 So, I just you know, that one just -- there
15 are some things that it would probably work just fine
16 for. But there are others that are fraught with peril
17 in my own mind. So I don't know how you balance that.

18 I'm not saying you don't go forward. But
19 it seems to me there have got to be some look at what
20 somebody's doing. As it chose to without prior NRC
21 approval are very strong words. And self approval
22 means nobody -- effectively nobody looks at it or has
23 to look at it.

24 MR. GIITTER: I can address that Dick.
25 Currently what the process laid out here is exactly what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we do for NFPA-805.

2 CHAIRMAN STETKAR: And other things.

3 MR. GIITTER: And other things, thank you.

4 Yes. I agree with your comment on the degree of
5 precision sometimes when you come up with a
6 quantitative value for core damage frequency. That
7 people who practice PRA understand there are
8 limitations and that you can't you know, when you get
9 really small numbers like that you have to be careful.

10 But the point is that we have to ensure that
11 there would be only minimal increases in risk or even
12 preferably decreases in risk in the modifications that
13 are being made. So it's -- what you're really looking
14 at is the relative order of magnitude. You want to make
15 sure that the risk increase if there is one is actually
16 very small to allow licensees to self approve.

17 And we do audit that. It's not like we're
18 not taking a look at it. We do you know, that is
19 something we will look at. And through the audit
20 process or through our regular oversight process. But
21 at some point you know, we have to kind of let go of
22 things that are of very low risk significance because
23 --

24 MEMBER BROWN: Well, I don't think that --
25 what I -- the example I gave is not a low risk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assessment.

2 MR. GIITTER: No, but what we're talking
3 about is.

4 MEMBER BROWN: Not even close.

5 MR. GIITTER: No and I understand that. I
6 understand that. But what we're talking about is, is
7 items that are clearly of low risk significance. Or
8 preferably if you're even looking at modifications that
9 improve safety and decrease risk. That wouldn't
10 require NRC approval unless it changes the licensee
11 basis of the plant.

12 So, there is precedent here. We're not
13 just making this stuff up. It's based on the you know,
14 the regulatory infrastructure we have in place. And
15 we've implemented it and NFPA-805 in other areas as
16 well.

17 MEMBER SCHULTZ: So would the example that
18 Charlie has brought up, would that be caught in the
19 first bullet where we're talking about maintaining
20 compliance and insuring that NRC's specific specified
21 criteria are met? In other words, what Charlie is
22 saying is there's certain things that you would not want
23 to fall out of the control process because someone's
24 come up with a great idea that reduces a particular
25 system vulnerability they think to a low, low level and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're wrong.

2 So, he's looking for a backstop that will
3 catch that and prevent it from happening.

4 MEMBER BROWN: And I don't think an audit,
5 I mean, audits or spot checks. And I am just not sure
6 that an audit would catch them. And obviously I have
7 strong feelings on this particular incident.

8 CHAIRMAN STETKAR: That's a bit of the
9 problem is that you have strong feelings about one
10 particular aspect of the digital I&C design. A
11 materials guy has one -- has his own strong feelings
12 about one particular materials issue. A pump guy --
13 everybody has their own strong feelings about
14 individual issues.

15 And everybody is not equally got. Now the
16 nice thing about risk assessment is you look at
17 everything under the same umbrella.

18 MEMBER BROWN: Well, and all I'm saying is
19 I got the risk --

20 CHAIRMAN STETKAR: And you see that the
21 risk models may be less, the current risk models may
22 be less capable of evaluating with six significant
23 figure in numerical precision, elements of software in
24 digital I&C programs. And that's true.

25 On the other hand, they can also evaluate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainties. And in many cases the differences
2 don't make any difference.

3 MEMBER BROWN: I guess I would think that
4 -- I understand you point.

5 CHAIRMAN STETKAR: But part of this --

6 MEMBER BROWN: But I think --

7 CHAIRMAN STETKAR: Part of this notion
8 without pointing fingers, is to remove I think in my
9 opinion, a bit of that issue specific focus among
10 designers, you know, maintainers, regulators,
11 everybody and say let's at least use the risk assessment
12 process to look at all the contributors to risk.

13 MEMBER BROWN: My only point is and my --
14 and this again, like you say, I have a very parochial
15 thought process and very focused on the areas for which
16 I have -- my greatest interest. But software is very
17 amorphous. It is not predictable.

18 The way people program it varies from
19 individual to individual. What one guy thinks is
20 satisfactory in terms of how he structures his software
21 is fine. Another guy has a different way of doing that
22 because he thinks the other guy is not doing it the right
23 way.

24 And I think that's a far greater
25 vulnerability then in some of the more hardware, what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I call the blacksmith tech -- I know, I'm not being
2 facetious, I mean the blacksmith you know, materials,
3 et cetera, et cetera. It's a little bit more amenable
4 to looking at small variations because they're just not
5 as intractable as the variability of software is.

6 CHAIRMAN STETKAR: You talk to sump pump
7 designers and they say they'd like to have a factor of
8 three margin or net positive suction head available
9 divided by net positive suction head required. Other
10 people say no, maybe one and a half, maybe you could
11 get down to one. Maybe a little bit of cavitation is
12 okay. What's the difference?

13 MEMBER BROWN: That is not the same. I
14 don't think those --

15 CHAIRMAN STETKAR: That's a -- okay.
16 Okay.

17 MEMBER BROWN: That's like moral
18 equivalence. Okay, I don't think they're totally. I
19 understand your point but they are not equivalent,
20 okay. You can put your hand on that. You can't on the
21 software. It's buried in ones and zeros.

22 CHAIRMAN STETKAR: Okay.

23 MEMBER REMPE: Since you went back to this
24 one --

25 MEMBER BROWN: I'm sorry. Excuse me, go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ahead.

2 MEMBER REMPE: Well there's one point I
3 thought about mentioning and didn't. But more then
4 minimal, ten to the minus seven per year is different
5 for an AP1000 perhaps then an older plant. And so why
6 did you decide to go with something like that to
7 quantify more then minimal then saying like ten percent
8 or five percent or something like that of the frequency?
9 And have you thought about changing that type of
10 statement to have a percentage of the core damage
11 frequency for example?

12 MR. DUDLEY: Well, these are based on what
13 we do for NFPA-805. And Joe, do you want to apply that
14 to -- can you expand that to other new plant designs
15 or any?

16 MR. GIITTER: Well, yes, without getting
17 into new plant designs, it's a metric that's consistent
18 with how we measure risk. So, if you look at a
19 percentage, I mean, you could always do that. But the
20 way that the standards are written and the regulatory
21 guidance is written and the standard practice within
22 the PRA community is to look at core damage frequency
23 or other as measures.

24 So it's -- I understand your point, why
25 don't you look at it in relative terms because you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 --

2 MEMBER REMPE: You may have a small
3 modular reactor coming in.

4 MR. GIITTER: You may have a small modular
5 reactor which has a much lower risk profile then an
6 operating -- currently operating reactor. You know,
7 it's something we will -- you know, we can consider.
8 I understand your point.

9 MEMBER REMPE: Okay. I just thought I'd
10 mention it.

11 MR. GIITTER: Quite frankly I don't think
12 we've given it any thought. But --

13 MEMBER REMPE: It's just something to
14 think about.

15 MR. GIITTER: Yes.

16 MEMBER REMPE: Okay.

17 MEMBER BROWN: Also, don't take my
18 comments that I'm not against some relaxation to allow
19 people to do stuff on their own. I mean that's -- we
20 can over complicate stuff and drive costs out of sight.
21 So I understand that.

22 I just, along with Steve's comment about
23 backstops. I just think that somewhere at the higher
24 level, but not down in the lower levels. I mean, I can
25 look at stuff going on in the I&C where some changes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they make would be perfectly acceptable without going
2 through your thing.

3 But if there's certain boundary conditions
4 I think that ought to be put in place on some things.
5 I quit.

6 MEMBER REMPE: The Charlie Brown software
7 rule.

8 MR. DUDLEY: I had one more slide. And
9 maybe I can just do that before the break. Again, this
10 last slide is on our path forward.

11 We had written a draft white paper that we
12 had hoped we could have made public prior to this
13 meeting. And we were unable to do so.

14 CHAIRMAN STETKAR: We were pretty hopeful
15 that would have occurred too. I'll just put that on
16 the record.

17 MR. DUDLEY: Right.

18 CHAIRMAN STETKAR: And we're pretty
19 disappointed that we didn't get to see that.

20 MR. DUDLEY: Right. Right. That paper
21 is now under review by NRC Senior Management. We will
22 incorporate management comments into an updated draft
23 of that white paper as soon as we can. And we will
24 publically release it and the Committee will get it at
25 that time.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We'll have a public meeting to discuss the
2 white paper probably in April, maybe late April to
3 discuss the white paper. At one point -- at some point
4 along the process we'll solicit written comments on a
5 version of the white paper. It probably won't be the
6 first version. We'll probably want to iterate on it
7 a little -- a time or two so that we have a little more
8 fully developed paper when we go out for public comment.

9 So, I can't tell you exactly when we'll ask
10 for public comments. The paper will be available as
11 it evolves over time on the Regulations.gov, the
12 Federal rule making website. And at some point we will
13 ask for written public comments.

14 We will then receive those comments,
15 summarize those comments and I think that that's
16 probably the best time for us to come back and meet with
17 you. But we're certainly open to discussions as to how
18 you would like the interactions to take place. But we
19 think that can happen sometime this summer.

20 And the due date for the SECY paper we're
21 tasked with providing is December 18, 2015. This date
22 was established before this op -- of this effort evolved
23 to include an Agency wide policy statement. So I am
24 not a hundred percent certain --

25 CHAIRMAN STETKAR: Wait, until you return

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to the original tasking memo, which required an Agency
2 wide policy statement?

3 MR. DUDLEY: Well the SRM 1 recommendation
4 would change the scope also and there were some -- there
5 were some redirections associated with that. But
6 you're right. I -- December 18 is the current date.
7 I will strive to try to meet that date. Depending upon
8 how much detail we get into on an Agency wide policy
9 statement and how long it takes to reach Management
10 agreement on that, will determine whether or not I think
11 we can meet that date.

12 And that completes my presentation on the
13 status of our activities on the risk management
14 regulatory framework.

15 MEMBER BLEY: We'd sure like to see the
16 white paper as soon as we can.

17 MR. DUDLEY: Yes. We understand that and
18 we're providing it as soon as possible.

19 MEMBER BLEY: Do you have a date set for
20 the public meeting?

21 MR. DUDLEY: No.

22 MEMBER BLEY: How far before the public
23 meeting do you have to have the paper?

24 MR. DUDLEY: We generally -- well, I think
25 we're going to have like a 60-day public comment period.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we usually like to have the public meeting right in
2 the middle of the public comment period.

3 MEMBER BLEY: Okay.

4 MR. DUDLEY: So that people have had time
5 to read the paper. And then they can come to the
6 meeting and we can have our discussions and then they
7 can produce -- then they still have time to produce
8 informed comments.

9 So the public meeting should be right about
10 in the middle of the public comment period, about 30
11 days after we've released the --

12 CHAIRMAN STETKAR: So you're looking
13 roughly a month from now at the latest if this late --
14 late April date for the public meeting is --

15 MR. DUDLEY: That is correct. Yes, I'm
16 one of the Senior Managers and I've asked Senior
17 Managers to provide their comments to me on this current
18 draft by next Tuesday. I'm not sure how many
19 iterations we'll go through.

20 That would depend some -- once I see the
21 first round of comments I'll have an idea of whether
22 we're converging or whether we're still -- have
23 differing views that we need to work out.

24 CHAIRMAN STETKAR: Anything else for --

25 MEMBER SCHULTZ: Just to clarify Dick, I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 confused by these different versions that you intend
2 to create. Isn't one version going out for public
3 comment? Or are you going to iterate on the version
4 sometime during the public comment period?

5 MR. DUDLEY: As soon as we get a white
6 paper that is approved by Management, we'll release it
7 to the public, post it on Regulations.gov.

8 MEMBER SCHULTZ: Got you.

9 MR. DUDLEY: Over time, as we work with
10 that, we'll update that white paper so that the
11 publically available version will evolve. And when we
12 get to the point we think it's appropriate that we've
13 got enough detail in that particular version of the
14 white paper, then we will solicit formally written
15 public comments.

16 So the public can follow this entire
17 process on Regulations.gov by looking at -- each white
18 paper will be there. And as it evolves from time to
19 time, members of the public will be able to see that.
20 After --

21 MEMBER SCHULTZ: But they're not
22 providing comment?

23 MR. DUDLEY: Only at one point when we
24 think there's -- we have the proper amount of detail
25 in that paper, then we would solicit written public

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comments. But only one time. But the paper is out
2 there available hopefully, you know, in two or three
3 weeks. And as it evolves over time, we will continue
4 to make the updated versions available on
5 Regulations.gov.

6 MEMBER SCHULTZ: and then there'll be a
7 public comment period of some duration of --

8 MR. DUDLEY: And we will meet after 60
9 days.

10 MEMBER SCHULTZ: And then we'll meet again
11 after the public comments have been provided but not
12 resolved, most likely.

13 MR. DUDLEY: Right. We'll summarize for
14 you the public comment.

15 CHAIRMAN STETKAR: Well, I think the
16 Subcommittee probably would want to meet before that.
17 When you say we, the full ACRS certainly -- well, I can't
18 speak for the full ACRS. But the Subcommittee would
19 want to engage, you know, earlier rather than later.

20 MR. DUDLEY: That sounds good.

21 CHAIRMAN STETKAR: The full ACRS you know,
22 that's up to the Committee.

23 MR. DUDLEY: Yes, this next meeting will
24 be a Subcommittee meeting.

25 CHAIRMAN STETKAR: Anything else for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Dick?

2 (No response)

3 CHAIRMAN STETKAR: Well, what I've done
4 is, I know we have some staff members out on -- we have
5 two bridge lines set up for this particular meeting.
6 And I know we have some staff members on one of them.
7 And I've asked that that line be opened up. We'll open
8 up the meeting for public comments closer to the end
9 of the meeting.

10 But because we're finishing this general
11 discussion on the RMRF and the different Options, I'll
12 just ask if anybody from the staff is out there, if you
13 want to add anything to the discussion, you've been on
14 mute. So this is your opportunity.

15 MR. HARRISON: This is Donnie Harrison.

16 CHAIRMAN STETKAR: Hi Donnie.

17 MR. HARRISON: Hi. As we were going
18 through the slides and the discussion on like backstop,
19 it dawned on me that we need to recognize in both Options
20 Two and Three, at some point the staff's going to have
21 to deal with or struggle with the ideas of
22 defense-in-depth, safety margins and that type of
23 thing.

24 Since we're not risk-based, we're
25 risk-informed. So, the discussions on the slides are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all geared towards risks and there's other factors we
2 need to include.

3 CHAIRMAN STETKAR: That's a good point.
4 I mean you know, 1174 addresses those issues. But
5 perhaps not as quantitatively as you might want.

6 MR. DUDLEY: And the paper on Near Term
7 Task Force Recommendation One had some substantial
8 recommendations for improving our definition and
9 criteria for adequacy of defense-in-depth. So we
10 would likely include that sort of an effort into one
11 of these options if we were to you know, if we were to
12 recommend it. Although so that it would be a
13 risk-informed and not risk-based approach.

14 CHAIRMAN STETKAR: Well, Donnie's right.
15 I mean, it applies both to Options Two and Three as
16 they're --

17 MR. DUDLEY: That's correct.

18 CHAIRMAN STETKAR: As they're cast now.

19 MR. DUDLEY: But we have to have better
20 handle on defense-in-depth, safety margins and other
21 related facets.

22 MR. HARRISON: Right. I didn't want to
23 leave the impression that just because someone could
24 say a large LOCA with one train of safety systems is
25 always going to be a low ten to the minus seven,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 therefore I can get rid of the second train.

2 MR. DUDLEY: Right.

3 MR. HARRISON: We would have a -- we'd have
4 to add defense-in-depth metrics as well to say what's
5 the minimum interpretation of defense-in-depth so
6 those things wouldn't happen.

7 MR. DUDLEY: Right. Right.

8 CHAIRMAN STETKAR: Good. Anybody else
9 from the staff out there?

10 (No response)

11 CHAIRMAN STETKAR: If not, we'll cut you
12 off again and put you on mute. And we'll take a recess
13 until 10:15.

14 (Whereupon, the above-entitled matter
15 went off the record at 10:01 a.m. and
16 resumed at 10:16 a.m.)

17 CHAIRMAN STETKAR: We are back in session.
18 I guess you're up Joe.

19 MR. RIVERS: Okay, we basically thought
20 that it would be a good opportunity to give you folks
21 on the ACRS some insights into some of our activities
22 on trying to risk-inform security. This dates back to
23 probably about 2009 where we started actively working
24 in this area when former Chairman Klein and that time
25 Commissioner Klein gave a talk at a November 2009 ANS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meeting and one of his statements he made in that
2 presentation was that NSIR needs to better risk-inform
3 security.

4 And so the next day I was called into Jim
5 Wiggins' office and Jim said Joe, you have a new area
6 of responsibility. Get to work.

7 And so that sort of -- and we have been
8 doing things related to this before, but not formally
9 talking about it as risk-informed in security. So we
10 can go to the next slide.

11 But one of the first things we did is we
12 worked with the Office of Research to put together a
13 workshop. We had Sandia actually conduct the workshop
14 for us. It was actually held at a classified level.
15 That was held at Sandia in the fall of 2010.

16 And essentially what came out of that
17 workshop was six sort of areas of opportunities were
18 identified to potentially risk-informed security.
19 One was the uncertainty of initiating events. Always
20 the -- one of the bigger challenges in security.

21 Simulation tools, collaboration between
22 safety and security, cyber security, improving metrics
23 and also the possibility of a demonstration project
24 like WASH 1400. So, once that workshop was complete,
25 that was about the time that the Risk Task Force that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was headed up by Commissioner Apostolakis began.

2 And so we decided to lay low a little bit
3 there to see what came of that Task Force before we
4 proceeded in any of these initiatives. Next slide
5 please.

6 One of the things we found from the
7 workshop that Sandia hosted was that it cost us a lot
8 of money. So I came up with the brilliant idea that
9 we ought to get a professional society to host one of
10 these. And essentially it would cost us travel costs
11 and registration fees.

12 And so we asked them to host a workshop
13 on risk-informing security. It was initially
14 scheduled for October 2013. The Government shutdown
15 sort of impacted us there. We rescheduled it for
16 February 2014. And these were the five general areas
17 that we worked on that workshop. Next slide please.

18 MEMBER SKILLMAN: Joe, what is INMM?

19 MR. RIVERS: It's the Institute of Nuclear
20 Materials Management.

21 MEMBER SKILLMAN: Thank you.

22 MR. RIVERS: So it's that along with the
23 American Nuclear Society are probably the two that
24 cover most of the activities, but that this Agency's
25 involved at.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, the area of safety and security risk
2 assessment is we had discussion at PRA and NRC. We had
3 some other presentations, one by Los Alamos on an
4 extensible risk-informed decisions work method.
5 Another lab person presented on implications of
6 security challenges for safety assessment tools.

7 And then DNDO presented on some of its risk
8 models that it actually develops under Executive Order
9 requirements. Next slide please.

10 Then I convened a panel on material
11 attractiveness, an effort that we've got to try to
12 understand what special nuclear material was -- how
13 attractive it is to potential adversaries. We made a
14 presentation on the NRC approach that was under
15 development.

16 DOE provided some technical support for
17 that NRC approach. We had Matt Bunn provided some
18 thoughts on where he thought that approach ought to go.
19 Industry gave some insights that they had.

20 The United Kingdom gave comments on their
21 concepts for dilution, which is the primary focus of
22 our approach. And the French provided a presentation
23 on security in civilian facilities.

24 One thing to make note of is that at the
25 2012 Nuclear Security Summit, the U.S., France and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 United Kingdom gave -- made the commitment to have a
2 workshop on material attractiveness and this workshop
3 and this specific panel actually met that commitment
4 that was made at that Nuclear Security Summit. Next
5 slide please.

6 The likelihood of event --

7 MEMBER BLEY: Before you do that.

8 MR. RIVERS: Yes?

9 MEMBER BLEY: There's a conference coming
10 up in March, is that -- that's associated with --

11 MR. RIVERS: I'm going to talk about it.

12 MEMBER BLEY: Oh, you've got that coming
13 up. I didn't see it when I -- I didn't flip far enough.
14 Okay, I'll wait.

15 MR. RIVERS: Okay. Very good. We've got
16 several conferences coming up.

17 MEMBER BLEY: Okay.

18 MR. RIVERS: So, after we've done that, of
19 course the real challenge we have here is that unlike
20 in the safety world where we tend to think that things
21 will happen randomly and security it's actually a --
22 when the aberrant started to think -- thinks it's a good
23 opportunity to do it and he has the best chance of
24 success. And so, that tends to be somewhat of a
25 challenge.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we had presentations on possible
2 approaches and options. Just how some of those
3 approaches might be used. And then DoD funds an effort
4 out of the University of Maryland on -- at the National
5 Consortium for the Study of Terrorism and Responses to
6 Terrorism Approach that has some insights on how they
7 might consider doing that type of a thing.

8 So there's no clear cut way of doing it.
9 There will be a lot of uncertainty if you try to do that.
10 And that's generally one of the reasons in the security
11 world we either do things based on a conditional risk
12 or focus on trying to look at the consequences that
13 might be associated with an event. Next slide.

14 CHAIRMAN STETKAR: Joe, is some of that
15 thought changing though?

16 MR. RIVERS: I don't think it's changing
17 that much. We're trying to introduce as many risk
18 insights as we can. But for example when DHS is doing
19 its integrated terrorism risk assessment models,
20 especially the Rad Nuc Terrorism Risk Assessment, they
21 go to the intel community and say what is the likelihood
22 that there is going to be an initiating event?

23 And when they do that, what they find --
24 you find is that you get a number. But really, what
25 is the -- I mean the uncertainty around that number,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and it's probably plus or minus 100 or 200 percent.

2 CHAIRMAN STETKAR: Sure. But I mean, you
3 know, in the safety arena we deal with that also. And
4 in some senses, although the uncertainties may be very,
5 very large, you still may be able to rank order threats
6 if you will relative to one another.

7 MR. RIVERS: Yes. We -- you know, we used
8 the -- you know, NRC has the Intelligence Liaison and
9 Threat Assessment Branch and their job is to try to
10 understand, you know, we look at the terrorist
11 activities worldwide. And then we try to assess what
12 is the likelihood that they're going to show up on our
13 doorstep.

14 And so we do some of that and then we inform
15 the Commission. And the Commission makes some
16 determination as to whether or not we need to adjust
17 the design basis threat or not based on that.

18 So there are things that are happening in
19 other parts of the world that we don't assess will
20 happen here in the United States.

21 MEMBER BLEY: I kind of like what you're
22 doing there. Because I -- this guy's done a lot of
23 PRAs. I disagree with many of my colleagues on this
24 part. You can get some kind of comparative stuff that
25 would be useful by doing the whole thing at once. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this is unusual from most of our other kinds of analysis
2 in that that initiating that first strike, is a time
3 varying thing.

4 And trying to keep -- I mean, taking
5 advantage of the government agencies that are tracking
6 that and trying to be up to date on that makes a lot
7 of sense to me.

8 MR. RIVERS: And we have a lot of
9 activities that we work and the interagency with the
10 White House that if certain things become evident in
11 the chatter and things like that and the intelligence
12 understanding of things that we have approaches that
13 we can use to immediately implement certain
14 requirements that we wouldn't normally consider as
15 being appropriate. So, we do work within the
16 interagency to try to be able to effect those types of
17 changes if something pops up.

18 CHAIRMAN STETKAR: My only -- the only
19 reason for my bringing up the topic is that a focus only
20 on consequences and protection against what are deemed
21 to be severe consequences can sometimes overlook I'll
22 call them scenarios that might have not as severe a
23 consequence as your worst possible focus, might have
24 a higher frequency. You know, opportunistic attacks
25 --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RIVERS: Well, and I think that --

2 CHAIRMAN STETKAR: And that's the notion
3 of trying to understand you know, the more integrated
4 some of that.

5 MR. RIVERS: I think we debated some about
6 of that at the Y12 incident --

7 CHAIRMAN STETKAR: Yes.

8 MR. RIVERS: Where it was the protesters.
9 You know, when I think back to the '80s, long before
10 9/11, before Oklahoma City, you know, I can recall that
11 the security -- DOE Security Manager Rafi Flasch used
12 to have all the Saint's Days, she had her little
13 church's calendar up on her door and she highlighted
14 the ones she thought the nuns would be showing up for.

15 And so that was fairly common back in those
16 days. And we really focused a lot back in the '80s on
17 these protests that would take place. At the Nevada
18 test site we had a you know, certain procedure that we
19 worked with the protesters that they would cross a line,
20 they'd get arrested. The next group would cross a
21 line, they'd get arrested.

22 But I think 9/11 and Oklahoma City and
23 other events caused us to put more of a focus on the
24 big major terrorist events. But I think the Oak Ridge
25 event, the Y12 event, caused us to relook that. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I know that we as a government are working closely with
2 the British and the French to try to understand what
3 is the best way to actually prepare for those types of
4 civil disobedience type things and how do we address
5 those in an appropriate fashion.

6 So that's an ongoing challenge right now.
7 Okay, one of the things I know coming from the DOE world,
8 you know, DOE world is very heavily and actively
9 involved in using VA simulation tools. A lot of those
10 tools actually were developed by the same people that
11 developed the PRA tools that we use in the safety world.

12 What I also realized is that my likelihood
13 of getting a regulatory requirement to force them to
14 use these tools was probably slim to none. And so what
15 I did is I worked with the vendor communities who
16 encouraged them to approach the reactor utilities to
17 talk about how their tools might actually be useful.

18 Both ARES Corporation with AVERT and Rhino
19 Corporation with Simajin actually have done that. And
20 so that -- I'll talk about that in a few minutes. But
21 at this workshop we had both of them make presentations.
22 Also Sandia and DTRA on some of their modeling aspects.
23 And then also Pacific Northwest National Laboratories
24 developing a tool that sort of merges cyber and physical
25 type security within the tool. So it's a fairly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interesting development there. Next slide please.

2 Cyber security of course is a new and
3 ever-changing environment. We had some discussion on
4 the pros and cons and challenges of risk-informing
5 cyber security. NRC talked about our regulatory
6 program. And PNNL talked a bit about their cyber
7 model. Next slide please.

8 Okay, basically post that workshop, what
9 we've done is we've you know, I wanted to highlight some
10 of the things that we're working on. Risk
11 prioritization initiative and of course I won't mention
12 that, talk about too much now as we're talking about
13 it this afternoon.

14 CHAIRMAN STETKAR: Joe, I have to
15 interrupt you in deference to Charlie who's not here.
16 If I go back to the cyber security, the previous slide,
17 and you don't have to go back to it. Is that -- that's
18 an ongoing --

19 MR. RIVERS: Essentially the --

20 CHAIRMAN STETKAR: You said PNNL and those
21 --

22 MR. RIVERS: Well, Jim and I talked about
23 cyber risk model, but if we're looking at the regulatory
24 program, of course we put requirements into place.
25 It's big -- it's not fully implemented now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: But if I stay away from
2 the regulatory part of it and just put my sort of
3 engineer hat on, you said PNNL talked about a cyber risk
4 model or they actively --

5 MR. RIVERS: They're actively pursuing
6 this.

7 CHAIRMAN STETKAR: They are?

8 MR. RIVERS: Yes.

9 CHAIRMAN STETKAR: Okay. Thanks.
10 That's what I wanted to -- oh, thank you.

11 MR. RIVERS: So, I'll talk about each of
12 these individually. But this is sort of what's going
13 on right now and what I'm working on in risk-informing
14 security. So you can go to the next slide.

15 Risk prioritization initiative of course
16 we'll talk a bit more about it this afternoon. But one
17 of the things that we find is that they do a really
18 reasonable job on looking at the safety aspects of risk
19 prioritization.

20 But trying to get the industry to better
21 understand how to actually look at the security risk
22 is somewhat of a challenge. And then trying to -- how
23 to integrate that with the safety risk is also not the
24 easiest thing. But it's something that we've
25 committed to work with industry on. Next slide please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SKILLMAN: Joe, before you change.
2 Would you comment on attempting to prioritize emergency
3 preparedness?

4 MR. RIVERS: Well, that also -- basically
5 if we look at the industry initiative, they are looking
6 at safety, security, emergency preparedness and
7 radiation protection, all of those. What you tend to
8 find is that the emergency preparedness and radiation
9 protection tend to be not as risk significant generally
10 as the security and the safety elements.

11 Emergency preparedness of course is trying
12 to mitigate if something does happen. So you've
13 already had an event. So, what --

14 CHAIRMAN STETKAR: We'll hear it -- we'll
15 hear a bit more about this this afternoon.

16 MEMBER SCHULTZ: But your point is that
17 security and emergency preparedness, they are
18 different --

19 MR. RIVERS: Yes, they are different.

20 MEMBER SCHULTZ: In terms of
21 characterization with regard to risk prioritization --

22 MR. RIVERS: Right.

23 MEMBER SCHULTZ: And with regard to the
24 way in which one can benefit from application of
25 risk-informed preparation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RIVERS: Right. Generally the
2 emergency preparedness is how do we mitigate if
3 something actually does happen. Security, what you
4 find is that you can have security events that can cause
5 the same types of things that safety events might cause.

6 And so --

7 MEMBER SCHULTZ: Correct.

8 MR. RIVERS: Trying to figure out how to
9 actually integrate the safety and security things, it's
10 somewhat of a challenge because one of the things I
11 think we found was that the people that were generating
12 the -- initially generating the industry sort of model
13 for risk prioritization didn't actively involve a lot
14 of their security people. So they didn't have the
15 understanding of how security actually fit into the
16 process.

17 But you can ask more about that this
18 afternoon when it's probably a better venue to do that.
19 Next slide, okay.

20 Risk Management Regulatory Framework
21 Working Group, that's what we're here right now for.
22 We've been actively involved with that to make sure that
23 the security aspects of things are appropriately
24 addressed within the working group. Next slide
25 please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay, they used the simulation modeling.
2 Essentially through some of my efforts we have at least
3 two of the vendors, ARES Corporation and Rhino Corp that
4 are actively working with industry right now to look
5 at how simulation modeling can actually help in them
6 securing their facilities and also addressing
7 regulatory issues. ARES Corporation is actually
8 modeled two or three of the nuclear sites to date.

9 And we're trying to work with industry to
10 better understand what is -- what do we need to have
11 here at NRC in the way of oversight of that to allow
12 that to fit into the regulatory program? So, you know,
13 I think one of the concerns, we have to understand how
14 the facilities were modeled, how the data was generated
15 to do that.

16 And I heard earlier this morning about the
17 concern about gaming the PRA type models. The same
18 thing can be done on the security models. And so, we
19 want to make sure that we have an understanding of you
20 know, what's common and data elements drive the models
21 so that we can focus our attention on those elements
22 in our oversight process.

23 MEMBER BROWN: If this -- excuse me. Is
24 this the physical plant? This modeling?

25 MR. RIVERS: Well, I could talk about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fact that at least one of the National Laboratories,
2 Pacific Northwest National Lab is actually trying to
3 develop a cyber risk model. And also one that
4 integrates cyber and physical.

5 MEMBER BROWN: Yes, I see you haven't
6 gotten to that slide yet. I just wanted to see if there
7 was a separate that this was being applied to.

8 MR. RIVERS: Okay, so next slide please.
9 Material attractiveness. This is something I actually
10 worked on when I was at the Department of Energy and
11 when I came here to NRC I was asked to continue working
12 in this area.

13 But it's essentially taking what we -- how
14 we categorize material and security for predominately
15 the fuel cycle facility, but it will also impact the
16 research and test reactor facilities. Where you know,
17 is all uranium and all plutonium the same? And the
18 answer is no.

19 One example would be that if I have five
20 kilograms of high enriched uranium metal in a button
21 versus five kilograms disbursed in soil on a railcar,
22 do they require the same protection? And the answer
23 is no. The adversary is going to focus on the metal
24 button more so than that five kilograms disbursed in
25 a railcar.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so that's what this approach is looking
2 at. Next slide please.

3 To support that we actually conducted a
4 study at Los Alamos National Laboratory. They
5 developed a logic module that sort of put things into
6 four phases. One is acquiring the special nuclear
7 material. Looking at a wide variety of facilities and
8 types of material that might be present in those
9 facilities. What type of processing is required to
10 take that material that's acquired at those facilities
11 to convert it into a weapons useful form.

12 Then weaponization goes from a design of
13 an improvised device to engineering that improvised
14 device. And then one of the questions that I've always
15 been asked over the years by the policy makers is, okay,
16 that's what Los Alamos and Livermore can do, but what
17 can a real adversary do? And so we actually have an
18 approach in that model to perform a yield reduction
19 based on some understanding that they aren't going to
20 be necessarily as skilled as one of our National
21 Laboratories.

22 And then in the end what it does is it
23 provides yield -- an estimate of the likelihood of an
24 actual nuclear detonation and also a yield associated
25 with that detonation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER REMPE: For a minute if you don't
2 mind going back to slide 13 with the material
3 attractiveness and your statement. That's assuming
4 that the adversary is going to do something with the
5 material for alternative uses when you make that
6 assumption about which -- whether they'll go for
7 disbursed materials or not disbursed materials. And
8 they may have other priorities.

9 MR. RIVERS: Well from a security
10 standpoint, when we're looking at this specific
11 approach, we're predominately focused on the theft of
12 that material to potentially be used in an improvised
13 nuclear device. Essentially a mock up of that.

14 MEMBER REMPE: Right. And so what -- are
15 you considering other types of adversaries who may just
16 want to reek havoc? That the disbursed material would
17 be just as attractive to them.

18 MR. RIVERS: Well we -- one of the things
19 we look at and that we're also looking at in this rule
20 making for material attractiveness standpoint is, of
21 course with the radioactive materials, we put in
22 certain requirements in 10 CFR Part 37 to address the
23 potential use of that material in a disbursement device
24 and exposure device or other things. And a lot of it's
25 based on the IAEA Code of Conduct concept of what's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 important.

2 Given that some of these special nuclear
3 materials could also be used in a disbursal device, we
4 as part of the study that we had conducted at Los Alamos
5 and also one conducted at Sandia National Laboratories,
6 we looked at what comparable quantities of special
7 nuclear material could produce similar effects to those
8 radioactive materials?

9 And so trying to align the protection
10 requirements for those smaller quantities of special
11 nuclear material, generally in the category three
12 realm, where if we were just protecting them from an
13 improvised nuclear device threat, we probably wouldn't
14 put a lot of requirements on because you wouldn't have
15 enough to do anything. But you might have enough to
16 actually disburse and cause problems.

17 And so in the rule making that's currently
18 under development, we would actually add some
19 requirements to some of those nuclear materials that
20 could have a radiological fence price. Okay, so the
21 next slide.

22 So essentially, what we've done is we've
23 developed this model and based on a lot of information
24 that we got from this model that Los Alamos developed
25 for us we identified you know, what are the appropriate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 protection mechanisms? It led us to determining that
2 probably the best property of material to be used in
3 an attractiveness concept is probably dilution.

4 And so that's essentially how we you know,
5 developed the material attractiveness approach for the
6 ongoing rule making. Next slide.

7 MEMBER BALLINGER: But you're limiting
8 now this to the special nuclear materials?

9 MR. RIVERS: This is special nuclear
10 material. Cyber security, this panel discussed a
11 number of things that we talked about. We're looking
12 at -- some of the things that we're looking at are
13 reactor cyber security implementation that's underway.
14 Highest consequence, critical visual assets are
15 addressed.

16 And we're trying to use a consequence based
17 approach to consider lesser requirements for critical
18 visual assets with lower consequences. So, in the
19 implementation to meet the NRC requirements, there are
20 eight milestones essentially that all of the plants
21 have implemented for seven milestones. The last
22 milestone is focusing on those lower consequence
23 critical digital assets.

24 And we're in the process of trying to
25 understand do we need to implement all of the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 requirements on those final visual assets that we did
2 for all of the previous ones? And I think the general
3 direction is to try to do it in a more risk-informed
4 approach where you probably wouldn't expect all the
5 same security measures to go into place for these lesser
6 assets then you would in the previous ones.

7 MEMBER BROWN: How do I phrase this? When
8 you say implementation is underway at the plants, what
9 are the elements? What kind of elements of that
10 implementation are there?

11 I mean if -- I mean, we've had absolutely
12 no, I don't think we have, any discussion of that, of
13 how you're looking at implementing the you know, the
14 5.71, Reg Guide 5.71 where it talks about CDAs or
15 critical digital assets. But nobody's gone through
16 and okay, when we're looking at this from the top down
17 and looking at the plant, what are the elements? Where
18 -- is there a level of work through? You're talking
19 about reactor cyber security, what does that mean?

20 MR. RIVERS: Well, basically we right now
21 only our -- have an active requirement at nuclear power
22 plants. All of the other ones were in a process of
23 deciding how much cyber security is appropriate for
24 each of those.

25 MEMBER BROWN: You mean fuel facilities

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and things like that?

2 MR. RIVERS: Just for example there is --

3 MEMBER BROWN: I'm looking -- I'm only
4 asking about reactor -- nuclear power plants right now.

5 MR. RIVERS: Looking at nuclear power
6 plants, Reg Guide 5.71 is what we tend to be using. It
7 tends to focus on essentially the NIST process for
8 addressing cyber security which has several hundred
9 elements that they're supposed to look at for each of
10 these digital assets.

11 They put together a cyber security plan.
12 We evaluate that. We send inspection teams out to
13 assess whether or not they're implementing the plan
14 appropriately. This isn't my area of special
15 expertise.

16 MEMBER BROWN: Okay. So I shouldn't ask.

17 MR. RIVERS: So, I can't give you a lot of
18 detail on that. But I'm sure that if you'd like to talk
19 to our cyber security folks, Barry Westreich is the
20 Director of the directorate. He or his deputy would
21 be very happy to talk to you.

22 MEMBER BROWN: Okay, so we've got a
23 meeting coming up if I remember correctly in a month
24 or so?

25 CHAIRMAN STETKAR: Fuel cycle facilities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. RIVERS: It's for fuel cycle
2 facilities.

3 CHAIRMAN STETKAR: It's not nuclear power
4 plants.

5 MR. RIVERS: But I'm sure that because
6 you'll have the right people there that they can answer
7 your questions on reactors and such.

8 MEMBER BROWN: But we could -- we'll have
9 to talk more.

10 CHAIRMAN STETKAR: Well PNNL apparently
11 is developing some models for cyber security. At least
12 Ocone for example ought to have in place. Remember
13 there aren't too many operating plants in the country
14 that have the integrated safety and you know,
15 protection control systems. Ocone is one though. So
16 if we're interested to find out you know, what they've
17 actually done in terms of hardware and otherwise.

18 MEMBER BROWN: Well, I was interested also
19 not just -- you know, not just looking at the
20 plant/plant type stuff. But you know the other
21 activities that are conducted within you know, what I
22 call the overall governance and management of the plant
23 and how is that looked at if you're not --

24 MR. RIVERS: Right, but I'm not the expert
25 on that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: That's fine. I
2 understand. I'm not going to go -- we're not going to
3 do that.

4 MR. RIVERS: Sorry. So --

5 MEMBER BROWN: We just -- I think we need
6 to.

7 MR. RIVERS: Well I think you can talk to
8 our folks that are involved in that because we have to
9 address all of the things including their business
10 systems and their access authorization systems. All
11 of those things get factored into.

12 MEMBER BROWN: Yes, my concern is how
13 those would integrate down into the configuration
14 control and other plant management to interact. You
15 know, how they interact because right now they're not
16 supposed to electronically interact but they --

17 MR. RIVERS: That's right. They're
18 supposed to be --

19 MEMBER BROWN: But we can pursue that
20 separately.

21 CHAIRMAN STETKAR: Yes. That's a good
22 idea.

23 MEMBER BROWN: All right. We might even
24 have to have a separate meeting on that.

25 CHAIRMAN STETKAR: Another Subcommittee.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: But I'm not sure we'll have
2 enough time if the other one's just a half day.

3 MR. RIVERS: So anyway, on the fuel cycle
4 essentially that's gone to the Commission. We've got
5 I think three of the four votes back on that. So we'll
6 be waiting an SRM on that.

7 We're also had -- there's a paper that was
8 developed on research and test reactors. Then we'll
9 also be looking at radioactive materials as well. So
10 we're trying to look at all of those. But the first
11 initial focus was on power plants because they have the
12 biggest potential consequence. Next slide please.

13 I chair an IAEA Coordinated Research
14 Project in Vienna that's been ongoing for a couple of
15 years right now on the development of essential
16 guidance on how to conduct security assessments. So
17 it fits right into this idea of risk-informing
18 security.

19 So the intent is to develop sort of two
20 levels of guidance. One that is a more complete type
21 guide that would sort of supporting nuclear power
22 plants or category one fuel cycle facilities. And a
23 lesser guide that would be a little bit more
24 straightforward to be able to be used by a wider variety
25 of facilities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 A lot of times for example if I get to an
2 irradiator facility, the person doing the security is
3 a radiation safety officer. And so he's not going to
4 have either the interest or the knowledge to
5 necessarily understand a very complex guide that you
6 might use in a nuclear power plant.

7 To support this we're also doing case
8 studies that help people understand how to implement
9 it within their own type of facility. And the five that
10 we currently have ongoing are nuclear power plant case
11 study, an irradiator facility, radioactive material
12 transport, and LEU fuel fabrication facility and a
13 spent fuel storage facility.

14 To basically figuring that a general
15 guidance document generally a lot of times isn't
16 enough. That you need to have these case studies that
17 can be used to support those guidance documents and also
18 potentially support training activities. Next slide.

19 Also, we've got a number of workshops that
20 will be carried out this year. These are the three
21 workshops. Next slide please.

22 The INMM and Reducing Risk Workshop is
23 actually the seventh in a series of reducing risk
24 workshops that INMM has put on. This one will be put
25 on at GW University next month, the week after the RIC.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It will have four panel discussions. One of them will
2 be on cyber security.

3 I've set the cyber security panel
4 discussion to focus on essentially risk associated with
5 security -- cyber security at a nuclear power plant.
6 It will have panel members from NRC Cyber Security
7 Directorate, three of the National Laboratories and
8 also industry.

9 There will be three other panels during the
10 workshop. One will be on insider mitigation. A third
11 one will be on perception of risk. And a fourth one,
12 because we're doing this in conjunction with the
13 Elliott School of International Affairs, will be on
14 essentially the changing relationship with the
15 Government of Russia.

16 Given with what's been happening in the
17 Ukraine and things like that. So it will be a fairly
18 diverse workshop. Next slide please.

19 MEMBER BLEY: Are you getting mostly the
20 people you interact with anyway? Or are you getting
21 some -- a bigger cross section? You've gotten some
22 good ideas coming out from these?

23 MR. RIVERS: We tend to get a bigger cross
24 section. We also get a lot of international fly in on
25 some of these workshops. I know that one of the names

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I've seen that's registered is Philippe Galland from
2 Russia, not from Russia, from France, from CEA.
3 Usually we get representation from the UK, from Japan,
4 from other governments that will send people to these
5 workshops.

6 We also try to open them up so that we get
7 non-governmental organization participation. For
8 example, on the perception of risk work panel
9 discussion, Ed Lyman will be a participant on that.
10 We'll have a couple of folks from NRC that will
11 participate. And so that -- I think somebody from
12 Monterey will also be on that panel.

13 So, we try -- when I do these workshops I
14 try to do it in such a way that we get a very wide and
15 diverse group up in the panel so that we get a lot of
16 participation from the workshop participants as well.

17 One of the things to come out of both the
18 Sandia and the Stone Mountain workshop were that we
19 needed to really engage the risk, safety and security
20 people. So working with Nathan Su and John Nakoski in
21 research, we identified that an ANS meeting that was
22 being given at Sun Valley, Idaho in April as being a
23 targeted opportunity that will have a lot of the safety
24 risk analysts at that meeting.

25 And so, we are working with ANS to put on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a one day workshop on the day prior to the ANS meeting
2 to have a day of engagement between the safety and
3 security risk professionals. Next slide please.

4 One of the things that has never really
5 taken place is actually a real workshop on
6 vulnerability assessment tools. And since I think
7 when I mentioned it to Chris Lui and my boss that we
8 had set up the ANS INMM one on safety and security, she
9 walked in the next day and said well, when are you going
10 to do one on vulnerability assessment tools.

11 So, we got the INMM to agree to put on this.
12 It will be a three-day workshop in Boston in September.
13 We'll have a discussion of VA tools that will talk about
14 the validation, verification and accreditation of
15 tools, of software tools. It will have a discussion
16 of modeling issues. A discussion of data.

17 We'll have a demonstration by vendors.
18 And this is one where I'm actually pulling in the NUSAM
19 project I mentioned before where there's a case study
20 on nuclear power plants where we'll actually give the
21 vendors that are participating the case study on
22 nuclear power plants. So each of them can demonstrate
23 how their tool assesses the security effectiveness at
24 that nuclear power plant.

25 We'll also give a half day for the vendors

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to actually interact directly with all of the workshop
2 participants. Then we'll have some panel discussions
3 at the end where we'll have users, regulators, industry
4 and vendors discuss these vulnerability assessment
5 tools.

6 MEMBER BLEY: Is DOE coming? Are they
7 part of this?

8 MR. RIVERS: DOE is actively working,
9 supporting me in setting this workshop up.

10 CHAIRMAN STETKAR: I haven't heard of this
11 one Joe, what are the dates in September? Do you have
12 them? That's all right, we can get them.

13 MR. RIVERS: It's mid-September time
14 frame. If you go to the INMM website, www.INMM.org,
15 it has a -- in the upcoming events, you can click on
16 this and get the dates for it.

17 CHAIRMAN STETKAR: Okay. Thank you.

18 MR. RIVERS: And probably in the next week
19 or so, we'll probably put up the draft agenda for the
20 workshop on the website as well.

21 Okay. And I think that's the last slide
22 other than the questions slide. If you have any
23 questions, I would be happy to answer them.

24 CHAIRMAN STETKAR: Anything more for Joe?

25 MR. RIVERS: But basically we're not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sitting idle and you know, we have our initiatives
2 ongoing in the security world to try to better
3 risk-inform security.

4 CHAIRMAN STETKAR: Thank you.

5 MEMBER BROWN: Just one question. You
6 said this earlier and I just probably missed it. The
7 risk-informing security, there's some aspects of that
8 are a little tenuous. I mean how?

9 MR. RIVERS: Well I think it's you know,
10 my training is you know, as a statistician. So you
11 know, risk has certain consequences, expected loss
12 basically is what risk is.

13 But knowing that we can't necessarily do
14 all of that real well in the security world, it's trying
15 to look at those elements of risk that can help us do
16 a better job in security. You know, and I gave some
17 examples of some of the ongoing activities.

18 You know, some of them include trying to
19 get more use of simulation modeling at nuclear power
20 plants. Trying to better understand what can an
21 adversary really do. Trying to understand what
22 consequences can actually be achieved because that's
23 very important to understand. So, all of those types
24 of things.

25 MEMBER BROWN: Is access -- I mean, access

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 points are a big part of maintaining a secure
2 environment.

3 MR. RIVERS: Correct.

4 MEMBER BROWN: And I mean is -- at least
5 that's a high level.

6 MR. RIVERS: Yes.

7 MEMBER BROWN: Is a way to look at it. I
8 mean, is that part of the modeling in terms of trying
9 to look -- I mean, if you're a plant, how many access
10 points do you have?

11 MR. RIVERS: Well, when you look at -- one
12 of the issues that you have at a nuclear power plant
13 or a category one facility is, is you do control access.
14 Adversaries can use a number of approaches to getting
15 into the facility. Some of it can be through deception
16 where they actually fake credentials, steal
17 credentials or whatever to try to get in to get in
18 through certain levels. But you may also just use
19 brute force where you just basically crash through the
20 fences and use explosives to breach walls and things
21 like that.

22 So, all of those have to be considered when
23 you're looking at security risks.

24 MEMBER BROWN: Okay. Thank you.

25 MR. RIVERS: Yes, and one of the things if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you look at the material attractiveness thing that
2 we're working on right now in the fuel cycle facilities,
3 one of the thoughts is that if we actually determine
4 that some materials that are currently put into the
5 material access areas in those secured areas don't
6 really credibly have to be there. Those activities
7 that are performed at those plants can be performed in
8 less secure areas which means that fewer people are
9 gaining access to the most secure parts of the facility.

10 So, we're looking at a lot of those types
11 of elements and risk-informing security.

12 MEMBER SCHULTZ: I think the most
13 important feature that -- well one of the most more
14 important features that you'd be looking at, I didn't
15 see it in a conference, but probably it's in the
16 discussions is barrier evaluation and development.

17 MR. RIVERS: Yes, if you look up -- yes.

18 MEMBER SCHULTZ: Because the consequences
19 are interesting. But in fact minor consequences could
20 have a major impact on industry. So, the important
21 features would be to assure that the event doesn't come
22 to fruition.

23 So, a varied evaluation and opportunities
24 to dissuade.

25 MR. RIVERS: The barrier analysis is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 very important part of this. It's a development of a
2 lot of the things that I talked about.

3 CHAIRMAN STETKAR: I need to keep us
4 moving here a bit because we have time slotted for a
5 presentation by the industry. Another turn by UCS.
6 And I need to get public comments and comments from the
7 Committee. And I need to leave Michael enough time so
8 that he doesn't have to speak too rapidly. So Michael?

9 MR. CALL: Thank you. Just wanted to give
10 you a brief overview of some efforts that we're doing
11 in the area of spent fuel storage in my division, which
12 is the Spent Fuel Management Division in NMSS. This
13 effort is relatively young. And so there hasn't been
14 too much that's gone forward in it yet. So it's just
15 we'll be bringing up to speed on the general outline
16 of what it's like, what we're doing and the significant
17 workshop that we had last month.

18 This effort we're looking to try to set up
19 as a goal, we have a framework -- aiming for a framework
20 to better enable risk-informed regulatory decisions in
21 the areas of us looking at both spent fuel storage and
22 transportation. But with the interest being mainly in
23 transportation right now, we felt it's important to
24 focus our efforts initially in spent fuel dry storage.

25 The reasons you know, like I said, this is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relatively new. Some of the reasons for taking on this
2 effort is partly because of understanding the
3 NUREG-2150. Come out of the follow up efforts that
4 we're talking about here today as well as public
5 interactions where we present but we've received a
6 petition for rule making from NEI where they felt if
7 we made -- they proposed certain changes that they felt
8 would be useful to make Part 72 of the storage
9 regulations more risk-informed.

10 In our reports we're looking at trying to
11 set up this framework through a process -- in taking
12 seven major steps, looking to see what risk information
13 is out there already. For example, you may be familiar
14 with, there are a couple of PRAs that have been done.
15 NRC did their own pilot PRA, which is NUREG-1864 as well
16 as EPRI had done a PRA of their own.

17 So, just trying to identify what
18 information is available. And the next step which is
19 where our workshop from last month comes in, was to try
20 to see where a defense-in-depth, how we would go about
21 defining defense-in-depth for purposes of application
22 and spent fuel storage. I believe that's the next
23 slide. Yes, it's right there.

24 So, we had -- this workshop we had, held
25 it on the 15th. It was well attended by both we had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 NEI participation and a number of public participants
2 both in person as well as through the webinar that we
3 had. In fact we had so many trying to register in that
4 we -- assignment of a system telling people that we were
5 overloaded, we can't take anymore.

6 So, maybe next time we have a public
7 webinar we'll expand the number of lines that we make
8 available for that. The NRC and NEI, we asked NEI to
9 make a presentation on their views of what
10 defense-in-depth would look like as well as presenting
11 our own, and that is discussed a little bit more on the
12 next slide.

13 For NRC we are looking and thinking in
14 terms of threes. We're looking at three layers to
15 ensure performance of three safety functions. And
16 understanding how operations of spent fuel storage
17 occur. Breaking that out as far as how we looked at
18 it in terms of three different phases of operation.
19 NEI's is more a -- applying more succinct way of looking
20 at it in terms of identifying barriers, controls,
21 personnel and so forth to prevent and contain or
22 mitigate exposure to radioactive materials.

23 As I said, we had a number of public
24 comments ranging from you know, in favor of you know,
25 the NRC is looking at this as a good thing because it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can help enhance and make the framework we've got now
2 being more clear. And to help us identify what's
3 really needed to be looked at in terms of certifying
4 casks for storage.

5 There were some questions about the level
6 of detail and some questions about different things
7 such as well how are you going to determine if you have
8 adequate defense-in-depth. And so there were some
9 discussions on those points.

10 So that's where we are at this point. We're
11 looking at taking the comments that we had from that
12 meeting and putting together some kind of brief paper
13 to consolidate that thinking. And then move to the
14 next step which would be like I said, there are seven
15 steps that we're looking at. I think we're looking at
16 what are we going to use of making decisions, decision
17 metrics. And how those would play into a decision
18 process.

19 Eventually we're going to lay out a
20 preliminary framework and then use a pilot -- selected
21 a pilot to run that through and see where we need to
22 make changes to that and finalize our approach before
23 going forward with that.

24 So, if there are any questions? I know
25 that that was a brief presentation. But this is where

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we are in terms of a significant activity in spent fuel
2 storage.

3 MEMBER BALLINGER: Are you interfacing
4 with the folks that are looking at license renewal for
5 these casks and long term dry storage and things like
6 that?

7 MR. CALL: License -- well, I realize --

8 MEMBER BALLINGER: You have a unique
9 opportunity here.

10 MR. CALL: Right. I think I -- when we've
11 been looking at these things as far as looking at what
12 elements might be in each of these layers, we're not
13 just looking at an initial storage period, but also
14 looking at what might be things in a renewal period
15 also. So there is some thinking toward that effort.

16 Like I said, we're relatively -- this is
17 a relatively young and so as we go forward, we can
18 definitely keep those things in mind to make sure that
19 we reach out to that adequately.

20 MEMBER BALLINGER: I would encourage you
21 to do that. Because there's a huge effort on defining
22 what kind of inspections are going to be needed. And
23 expensive. Very expensive inspections and technology
24 which need to be balanced against other types of
25 inspection which ensure that you don't get released

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 material.

2 MR. CALL: Okay. Yes, we will definitely
3 keep --

4 MR. LOMBARD: Actually if I may Ron, Bill
5 Demoross.

6 MEMBER BALLINGER: Demoross, who is that?

7 CHAIRMAN STETKAR: Identify yourself sir.

8 MR. LOMBARD: I need records for a
9 schedule of management. He can schedule management
10 within NMSS and the folks who are developing HMS
11 programs, managing regulatory framework are the same
12 division, same compliance.

13 CHAIRMAN STETKAR: I'm sorry, we need your
14 name on the record too.

15 MR. LOMBARD: Mark Lombard.

16 CHAIRMAN STETKAR: Thank you.

17 MR. LOMBARD: Yes, we deal very closely
18 with NEI, the same folks who interfaced with us on other
19 spent fuel storage issues almost on a weekly basis.

20 CHAIRMAN STETKAR: Any other questions?

21 (No response)

22 MR. CALL: And just moving on, as Dick
23 mentioned earlier, I'm filing in for Dennis Damon.
24 He's the NMSS Risk Analyst that would normally be making
25 this kind of presentation. Just wanted to give you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 again, a brief informational presentation about some
2 efforts that have gone on that are NMSS wide as well
3 as just point to some things that are active in the
4 different divisions within the NMSS.

5 Sometime ago there was a risk task group
6 that was organized and developed a guidance document
7 that's referred to as the Risk-Informed Decision Making
8 document or RIDM. The current revision is -- we have
9 one that was put out in February 2008.

10 But the activity started much earlier in
11 a response to the SRM on SECY-99-0100. In that SECY
12 just to give you a little bit of information, the
13 staff's proposal to implement a framework for using
14 risk assessment in regulating nuclear material uses and
15 disposal was approved along with the proposal for
16 addressing risk management issues in those areas
17 including development of risk metrics and goals. And
18 then there was a joint ACRS/ACNW subcommittee that was
19 established to peer review those staff efforts.

20 The document itself has four objectives.
21 To provide a step by step procedure on how to make
22 risk-informed regulatory decisions. To suggest
23 quantitative health guidelines. And provide a
24 discussion of three regions of risk, which would be
25 considered negligible, acceptable or tolerable I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 should say, not acceptable and negligible are the terms
2 that they were using. And then to discuss how the RIDM
3 method would be applied to nuclear material and waste
4 regulatory areas.

5 In the SRM on SECY-04-0182, the Commission
6 approved staff's plan to continue to apply
7 risk-informed methods to these activities, materials
8 and the waste repository activities and directed that
9 the staff should consider applying the guidance in the
10 document to planned and emergent activities. Next
11 slide please.

12 So as I mentioned, part of the guidance
13 that was developed and in the document itself there are
14 quantitative health guidelines. They developed six.
15 Two of which will look similar to the guideline -- to
16 the goals that are for the reactor safety goals.

17 They're all in terms of individual risk.
18 So that there are six. Three for the public, three for
19 workers. In addition to acute fatality and serious
20 injury or like in cancer fatality, the serious injury
21 guideline was also adopted or suggested.

22 I would note that these are not -- unlike
23 the safety goals for reactors, these are not endorsed
24 by any type of Commission policy statement. And what
25 they are, you'll notice that we've called them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guidelines instead of goals. Instead of conveying a
2 sense that these would be something that would need to
3 be met at some point in the future or at some day, these
4 are more of guidelines which would be anticipated
5 according to the guidance document levels below which
6 do you really need to consider doing much more to ensure
7 that the risks are any lower than this.

8 MEMBER SKILLMAN: So these are thresholds
9 for action?

10 MR. CALL: Kind of. Looking at -- yes.
11 And they're not really -- it's not a hard and fast.
12 It's kind of -- it's like I said, it's a guideline to
13 suggest considering whether any further effort is
14 needed. So whether you're in the negligible risk area
15 and need to do anymore or not. Of course there will
16 be other considerations that may weigh into that. But
17 from a risk values perspective, that's where this is
18 looking at.

19 MEMBER SKILLMAN: Thank you.

20 MR. CALL: On the next slide. To see if
21 you know, since that time we note that these guidelines
22 are not widely known or incorporated into
23 risk-informing applications within the NMSS programs.
24 However, there's various concepts have you know, the
25 different groups are aware of the various other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concepts in the guidance and made use of those as they
2 felt was deemed appropriate. Just describing some of
3 that here with the different organizations. The
4 Economic Directorate, my division in terms of spent
5 fuel storage, the fuel cycle and the materials and
6 decommissioning.

7 And some of these are in terms of ongoing
8 efforts. For example, in fuel cycle they're looking
9 to revise their oversight program. And they feel that
10 some of the milestones that they've set up for
11 activities there would be well suited to employ
12 guidance from, or consider guidance from the RIDM
13 document.

14 On the next slide. In addition to that,
15 just wanted to also make you aware that there have been
16 various activities both past and ongoing within the
17 different divisions that are risk-informing in nature
18 or that support risk-informing efforts. Many of these
19 if not all I would imagine are or have been or are
20 currently listed on the NRC's public website. And it
21 describes the different risk-informing activities of
22 the Agency.

23 And then I've listed here some examples for
24 the different areas. You'll see that this covers the
25 range of what we regulate at NMSS.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then that's the last slide, so if there
2 are any questions?

3 MEMBER SCHULTZ: Michael, are you
4 familiar enough with the fuel cycle effort with regard
5 to the integrated safety -- the overall plan as to know
6 what the schedule is there?

7 MR. CALL: For the revised oversight
8 program?

9 MEMBER SCHULTZ: Yes, exactly.

10 MR. CALL: That I'm not aware of the
11 schedule, no. I just know that they are working
12 towards some. They have an effort engaged in that
13 area.

14 MEMBER SCHULTZ: I'll look it up.
15 Thanks.

16 CHAIRMAN STETKAR: Any other questions
17 for Michael or the staff?

18 (No response)

19 CHAIRMAN STETKAR: If not, thank you all.
20 It's good overview of not only the RMRF initiative, but
21 what's going on in the other areas that would be
22 affected by the integrated policy statement and
23 regulatory framework.

24 With that I'd like -- we have next on the
25 agenda a slot for NEI. If you have some comments to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 come up.

2 Mike, we haven't received any material
3 from the slide or whatever.

4 MR. TSCHILTZ: No. No.

5 CHAIRMAN STETKAR: Or is it just -- okay.
6 It will be on the record.

7 MR. TSCHILTZ: Certainly. I
8 contemplated developing slides for this discussion,
9 but when I was initially asked to come and speak before
10 the Committee, it was under the presumption that the
11 paper would be available and the industry would have
12 an opportunity to comment.

13 And so I think my comments won't be so much
14 aimed at the content or the presumed content of the
15 paper, but more at a higher level as to where we're going
16 with this initiative and where the industry may come
17 out as far as seeing the benefit or not seeing the
18 benefit. I guess just looking at the process for
19 moving forward, you know, Dick Dudley described the
20 white paper followed by a public comment period
21 followed by potentially a meeting to discuss a
22 resolution of comments.

23 One perspective I would offer is that these
24 initiatives seem to be voluntary initiatives. And
25 they're not something that would be imposed upon the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensee, it would be something that they would
2 voluntarily apply for and implement similar to NFPA-805
3 or Option Two was the example that was given there.

4 So, the observation that I would have is
5 that NUREG-2150 was developed and written by an NRC Task
6 Force with little public involvement. The development
7 of the white paper, the Options is being developed with
8 little public involvement. Just one opportunity it
9 appears for stakeholder feedback on the white paper.

10 So, my concern is that there's going to be
11 a lot of effort potentially put into the development
12 of Options that there's no clear identified person or
13 utility that would implement it. So to me, it seems
14 that it needs to be more closely linked to the people
15 -- the development of the Options need to be more
16 closely linked to the people who would ultimately
17 implement that.

18 So, in separation of those two activities,
19 I think is problematic. And the reason that I wouldn't
20 offer more detailed comments I think are the devil's
21 in the details. I think whether these Options are
22 looked upon favorable and then people decide to
23 implement them are largely based upon the details that
24 are going to be developed for the Options.

25 So in that regard I think it's very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 important that you know, we allow sufficient time in
2 the development of these Options for meaningful
3 interactions. And I would say it would be beneficial
4 to look at a potential examples of applications for
5 Option Two.

6 Just looking at Option Three on the
7 surface, it would appear that it's what I would
8 characterize as a heavy lift. And with all of the other
9 activities going on in the post-Fukushima era here,
10 there's a lot to consider. So, someone's volunteering
11 to take that on, at this stage I think that would be
12 questionable. But I think that's something that we
13 need to explore as we move forward.

14 The other observation I would offer is that
15 the industry and the NRC have formed risk-informed
16 steering committees. And there's joint meetings where
17 the industry's steering committee meets with the NRC's
18 steering committee. And they identify the issues that
19 they think are most important to be addressed in the
20 near term as far as risk-informed regulation.

21 And I think if you look at what we focused
22 on in the past year and the things that we're focusing
23 on in the coming year, it's going to identify the things
24 that are really issues that people face right now that
25 they need answers to. For example, this year one of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the issues was PRA realism. And to a large degree that
2 was as a result of some of the issues that arose during
3 the development of fire PRAs for NFPA-805.

4 And the industry has a sense of urgency in
5 the need to resolve those issues with fire PRAs because
6 of the consequences of having these conservatisms. So
7 -- and the potential negative consequences and
8 diversion of resources to things that don't have a true
9 safety benefit.

10 So, I would say the risk-informed steering
11 committee is a good place and this is -- this issue,
12 the RMRP is one of the topics that the staff steering
13 committee has raised as a potential, one to be
14 considered in 2015. But I think the industry is
15 looking at more practical application, things that can
16 be used in the near term. The treatment of uncertainty
17 in decision making. Aggregation of risk and
18 development of external vent PRAs.

19 The flooding PRAs being an issue. I know
20 you've heard of the challenges that the industry and
21 the staff has faced with evaluating flooding hazards
22 to the deterministic methods that are used per site in
23 new reactors and the challenges that are created by
24 that. And not having a risk-informed or accepted
25 risk-informed method for dealing with those hazards.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, I would say that being said, I mean,
2 we're ready. I have a small working group formed to
3 review the paper when it's issued. And we'll provide
4 our comments and engage the staff.

5 I think the general belief out there I
6 think from when NUREG-2150 was initially issued was
7 that the regulatory framework doesn't really need to
8 be revamped at this stage. That our efforts would be
9 better spent encouraging and sustaining the existing
10 policies that have been put in place with the PRA policy
11 statement that exists.

12 And there's still a lot of work to be done.
13 We heard comments today on defense-in-depth. It has
14 just been out there since the initial implementation
15 of misconformed regulation. And people still struggle
16 with how to apply those concepts. So I think we can
17 clearly make progress in those areas in an evolutionary
18 way as opposed to a revolutionary way of reframing the
19 regulations.

20 So I'll stop there and take any questions.

21 CHAIRMAN STETKAR: Any questions for
22 Mike?

23 (No response)

24 CHAIRMAN STETKAR: Thank you very much for
25 your comments. And again, I share your frustration

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about not having something more substantive to actually
2 comment on. But, that's the way it is. We will have
3 that opportunity in the future. And I'm sure you'll
4 be back.

5 MR. TSCHILTZ: Thanks.

6 CHAIRMAN STETKAR: And we have a request
7 from Union of Concerned Scientists. So I believe Ed
8 Lyman is here. Is Ed here? Oh, is he on -- okay. Ed
9 is apparently out there screaming at his communication
10 device. Ed, we'll get the line open for you in a second
11 here.

12 MR. LYMAN: Hello?

13 CHAIRMAN STETKAR: Ed, are you there?

14 MR. LYMAN: Yes. Can you hear me?

15 CHAIRMAN STETKAR: Yes, we can.

16 MR. LYMAN: Yes. I apologize for not
17 being there in person today.

18 CHAIRMAN STETKAR: No. That's fine.

19 MR. LYMAN: So, as always we appreciate
20 the opportunity to provide comments. But I don't want
21 to pile on here. But again, we were also expecting to
22 get the white paper to comment on. And so without
23 having that, my remarks are just going to be reactions
24 to some of what I've heard this morning.

25 With regard to the risk management

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulatory framework, I guess there are two separate
2 aspects here. One is the -- is it appropriate to
3 implement this policy statement Agency wide for all
4 aspects, even those where there may not be a clear or
5 useful application of risk management concepts? And
6 I think the answer to that is no from our perspective.

7 One clear example being security. I am
8 glad to hear that there doesn't seem to be an effort
9 to try to quantify the unquantifiable with regard to
10 initiating events for security. But that's certainly
11 something we would not support.

12 The other aspect is are the -- is what we
13 heard with regard to the Power Reactor Options on
14 appropriate. And I think the answer to that is also
15 no. I think there is a great need for the Agency to
16 clarify the way risk is being used to clear up some of
17 the issues and inconsistencies. And it doesn't sound
18 like this particular vehicle is going to accomplish
19 that. And you may not hear this very often, but I
20 totally agree with the NEI speaker about I think the
21 --

22 CHAIRMAN STETKAR: There's laughing going
23 on in the room Ed, if you can't hear it.

24 MR. LYMAN: But I actually am going to say
25 the same thing. I don't see how what the elements of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the policy statement that were presented are any
2 improvement over the PRA policy statement. In fact I
3 think it may be a step backward.

4 For instance, I'm concerned about the
5 first bullet which sounds to me would perhaps the plant
6 adequate protection or equate adequate protection with
7 the idea that that's really risk management. And I
8 don't think you can really justify and I think risk
9 management is the only aspect of adequate protection.
10 And I'm concerned about the implications, the legal
11 implications of a statement like that.

12 I would say adequate protection is
13 probably closer to risk-minimization. Or that would
14 be our hope then risk management. You could always
15 keep in mind that you know, the public is one of the
16 customers of this policy statement and I think the
17 Agency needs to focus on improving the priority with
18 how it applies in it's decision making. And I don't
19 see that happening here.

20 One aspect I think that highlights it, we
21 heard how NFPA-805 was actually it sounds like it's
22 leading to greater inconsistencies between those who
23 voluntarily choose to implement it and sign
24 vulnerabilities that require correction and those who
25 don't. And that seems to be going in the wrong

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 direction.

2 So until that problem is fixed, it doesn't
3 seem like it's a good model for going forward. And I
4 don't see how Option Two, clearly industry is not going
5 to want to go on a hunt for unrectified vulnerabilities
6 that they're going to have to pay to fix. So that --
7 to expect that that's going to be a reasoned outcome
8 of this process is not a reasonable expectation. So
9 if it were going to happen, I think it would have to
10 be a mandatory Option Three type.

11 We've made pitches in the past for a new
12 vulnerability, you know, systematic vulnerability
13 assessment across the whole fleet so that you can at
14 least get consistency. And it seems to increase
15 inconsistency by allowing this process to be voluntary
16 would make matters worse.

17 So I think that's all I have to say on that.
18 On risk-informing security, we have some views on the
19 material attractiveness rule making that Joe Rivers is
20 well familiar with. I won't rehash them here, but I
21 think Dr. Rempe's comment goes to one of our main
22 concerns, that material attractiveness is not an
23 intrinsic aspect of material properties.

24 But it does imply some modeling or
25 presumption of an adversary, their capabilities and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 their contentions. And that has to be accounted for
2 better in the rule making process to make clear that
3 there is some target adversary in mind when you're
4 talking about what materials are attractive and what
5 are less attractive.

6 The last point I wanted to make has to do
7 with defense-in-depth for spent fuel. I think here is
8 this is an area where there might be some value in
9 considering risk. And we think that if you apply the
10 defense-in-depth, the metric for evaluating the
11 expedited fuel transfer issue as I said before, that
12 that would make expedited fuel transference dry casks
13 look more attractive then if you've done a cost benefit
14 analysis expected.

15 So I would hope that that program would
16 also be applied not just to spent fuel in dry storage
17 but also comparative of risks of densely packed spent
18 fuel pools compared to dry storage.

19 And I think that's all I have. Thank you.

20 CHAIRMAN STETKAR: Thank you very much.
21 I've lost track of what lines are open. Was Ed on the
22 general public line?

23 MR. SNODDERLY: No. Ed was on the staff
24 line.

25 CHAIRMAN STETKAR: Was on the staff line.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay. Let me ask, as long as we have the staff line
2 open, are any other members of the staff out there that
3 wanted to make any comments on anything? As long as
4 we have your line open.

5 MR. HARRISON: No comments here.

6 CHAIRMAN STETKAR: Okay. Thank you.
7 What we'll do then is open up the other line, which is
8 the public line. And while we're doing that, let me
9 ask if is there anyone in the room that has any comments
10 that you'd like to make? Please come up and do so.

11 Now, if there's a member of the public out
12 there, because of our high tech system here, could you
13 just please say something, hello or anything so that
14 we can confirm that your line is open.

15 (No response)

16 CHAIRMAN STETKAR: It's always
17 troublesome.

18 MR. SNODDERLY: There wasn't anybody.

19 CHAIRMAN STETKAR: Okay. We have
20 indications that there isn't anyone on the public line.
21 And if that's the case, then thank you all for your
22 comments. And again, NEI and Ed Lyman, you're on the
23 record for the meeting. So, we have your comments.

24 What we always do at the end of one of these
25 Subcommittee meetings, I'll go around the table and ask

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 each Member if you have any final comments that you'd
2 like to make. And also, if -- ask whether you think
3 that at this stage in the game it merits bringing the
4 issue before the full Committee.

5 I always like to get a little feedback from
6 other Members on that topic in terms of timeliness.
7 And because Joy got a chance to go last a few days ago,
8 you can go first today.

9 MEMBER REMPE: Oh. I wanted to thank you
10 for the presentations and comments. I look forward to
11 the white paper when it's released. I would encourage
12 us to have another Subcommittee -- my viewpoint is we
13 should have another Subcommittee meeting after the
14 white paper is released. And then I would take it to
15 the full Committee. I think at this time that we're
16 going before the paper is released to the full
17 Committee.

18 CHAIRMAN STETKAR: Charlie?

19 MEMBER BROWN: Same comment on the
20 presentations. Got something out of it. And I agree
21 with Joy that we ought to get the white paper done first
22 before we go to the full Committee.

23 CHAIRMAN STETKAR: Ron?

24 MEMBER BALLINGER: Same.

25 CHAIRMAN STETKAR: It's going quick.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Mike?

2 MEMBER RYAN: It's a work in progress.
3 And I agree with the comments from my colleagues.

4 CHAIRMAN STETKAR: Dennis?

5 MEMBER BLEY: I agree with them except we
6 might want to wait until the public comments are in on
7 the white paper before we take it to the full Committee.

8 CHAIRMAN STETKAR: Okay. Dick?

9 MEMBER SKILLMAN: Yes, I agree with Dr.
10 Rempe. I'd like to hear again after we see the white
11 paper, after the public comments, that would probably
12 be better. But I also want to thank Dick and Joe for
13 putting up with my focused questions. Thank you Dick
14 Dudley and Joe.

15 CHAIRMAN STETKAR: Steve?

16 MEMBER SCHULTZ: I appreciate the
17 presentations and also the -- got the involvement by
18 both the staff and the other organizations that have
19 provided input to us today. And would suggest that we
20 have the Subcommittee meeting as we get the additional
21 information and join in with the public comment period.

22 CHAIRMAN STETKAR: Yes. My inclination
23 -- thanks. You have -- well, my inclination is to do
24 that Dick. Is that you're path forward that identified
25 interactions with the Subcommittee I think during the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 summer period. I think we want to probably interact
2 with you earlier than that so that you have the benefit
3 of the Subcommittee feedback in parallel with the
4 public comments.

5 And then see where we go after all of the
6 public comments are in and you have a final version of
7 the paper you know, later in the year. So, I think
8 we'll probably be looking at scheduling a Subcommittee
9 meeting in the April/May time frame. Well have to
10 figure out a slot to put that in. But I think earlier
11 the better I think is what you're hearing from us.

12 MEMBER BLEY: You want to wait until after
13 they have that meeting I would think.

14 CHAIRMAN STETKAR: I think we want to wait
15 until after they have that meeting. But not
16 necessarily wait until they have all of the public
17 comments and are working on the you know, the final
18 draft.

19 And with that, if there are no other
20 comments, we are adjourned.

21 (Whereupon, the above-entitled matter
22 went off the record at 11:30 a.m.)
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1

2



Staff Recommendations Regarding a Risk Management Regulatory Framework

Briefing for ACRS Subcommittee

February 20, 2015

Outline of Staff Presentation on Risk Management Regulatory Framework (RMRF)

- Background and Current Approach (R. Dudley)
 - Agency-wide Policy Statement
 - Implementation Options for Power Reactors
 - Path Forward
- Status of Risk-Informed Activities Regarding Common Defense and Security (Joe Rivers)
- Status of Risk-Informed Activities Regarding Spent Fuel Dry Storage (Michel Call)
- Status of Risk-Informed Activities Regarding Nuclear Materials Licensing (Dennis Damon/Michel Call)

Summary: Background and Current Approach to Evaluate Risk Management Regulatory Framework

- Chairman's Tasking Memorandum of June 14, 2012 directed staff to "review NUREG-2150 and provide a paper to the Commission that would identify options and make recommendations, including the potential development of a Commission policy statement."
- Commission's May 19, 2014 SRM on Near-Term Task Force Recommendation 1:
 - Directed staff to reevaluate objectives of Improvement Activity 1 (new design-basis extension category) and Improvement Activity 2 (adequacy of defense-in-depth) within context of Commission direction on long-term Risk Management Regulatory Framework
 - Closed NTTF Recommendation 1
 - Increased scope of RMRF SECY paper (describe relationships between ongoing risk-informed activities)
- Staff has requested extension of due date until December 2015
- Management has re-evaluated the staff's approach to evaluating agency-wide RMRF
 - Staff will consider 3 RMRF implementation options for power reactors
 - Staff will also ask Commission to consider an overarching, agency-wide risk management policy statement

Overview of Agency-wide Policy Statement

- Applicable to all NRC-regulated program areas (radiological safety and security)
 - A risk management approach would be used to ensure adequate protection of public health and safety and promote the common defense and security for all NRC regulatory activities.
 - In a risk management approach, safety and security are ensured by (1) understanding the risk associated with NRC-regulated activities and (2) using that risk information to make regulatory decisions.

Overview of Agency-wide Policy Statement (continued)

- The risk management approach would:
 1. Use a structured process to identify issues, develop and analyze options, make decisions, and monitor the effectiveness of regulatory programs to make improvements as necessary,
 2. Ensure appropriate regulatory controls and oversight are in place recognizing the variety of risks associated with different uses of radioactive materials, and
 3. Employ risk-informed decision-making, in which risk insights are considered together with other factors commensurate with their importance to public health and safety and common defense and security.

Overview of Agency-wide Policy Statement (continued)

- The technical analyses supporting the risk-management approach should:
 1. Be based on sound data, information, and methodologies, including consideration of uncertainties,
 2. Use techniques or combinations of techniques appropriate for the hazards and complexity of the issue,
 3. Be as realistic as practicable, and
 4. Promote and utilize advances in science and technology, as practicable.

Three Power Reactor Implementation Options

- Option 1 – Maintain Current Framework
- Option 2 – Voluntary Alternative Risk-Informed Licensing Basis
- Option 3 – Plant Specific Risk Management Regulatory Framework from NUREG-2150

Power Reactor Option 1 – Maintain Current Framework

- No overall revision of NRC's regulatory framework
- The current power reactor regulatory framework meets the RMRF criteria in NUREG-2150, Chapter 4 - Option A
 - Commission Safety Goal Policy sets forth the "risk management objective"
 - Current regulations implement sufficient protections (e.g., defense-in-depth and safety margins) corresponding to NUREG-2150 "risk management goal"
 - NRR's LIC-504 sets forth a risk-informed decision process with steps consistent with those described in NUREG-2150
 - NRC has numerous monitoring and feedback mechanisms to (1) gage the efficacy of regulatory decisions and (2) identify new information that should be considered within the regulatory framework
- Not a "do nothing" option -- staff would still make safety improvements (based on risk insights or other considerations) whenever deemed necessary using existing regulatory processes

Power Reactor Option 2 – Voluntary Alternative Risk-Informed Licensing Basis

- Maintain existing generic regulatory structure
- Issue rule allowing licensees who upgrade PRAs to apply for approval of a licensing basis that would support a performance-based, risk-informed alternative to certain deterministic regulations of low safety benefit
 - Licensees allowed to select a plant-specific set of design changes/compliance issues of low risk-significance that would deviate from current deterministic requirements (NRC or self-approval) **and** must search for and mitigate all plant-specific risk vulnerabilities meeting NRC-specified criteria
 - New information on mitigation of risk-significant events and/or accident sequences (risk vulnerabilities) must be documented in an updated Final Safety Analysis Report (FSAR) in accordance with 10 CFR 50.71 (e) requirements
 - Mandatory monitoring and feedback (as described in RG 1.174) to ensure changes in risk remain acceptable throughout the lifetime of the facility

Power Reactor Option 2 – Voluntary Alternative Risk Informed Licensing Basis (continued)

- Regulatory process for licensees to self-approve certain plant-specific changes would be similar to NFPA-805 approval process, i.e., risk-informed changes allowed to license requirements without prior NRC approval if risk increase (Δ CDF) is “no more than minimal” (e.g., $< 1\text{E-}7/\text{year}$)
- Changes with risk increases “more than minimal” (e.g., $> 1\text{E-}7/\text{year}$) require NRC approval
- Plant licensees are expected to have upgraded, high quality PRAs to support this risk-informed alternative licensing basis approach

Power Reactor Option 3 – Plant-Specific RMRF from NUREG-2150

- Require PRAs and establish plant-specific licensing basis based on:
 - Plant-specific risk profiles
 - NRC-specified risk management objective
- Structured, risk-informed decision-making process used by both NRC and licensees
- Based on the risk profile, licensees would implement the plant-specific licensing basis by:
 - Determining how the risk objective is met
 - Ensuring that the necessary protections are in place to meet the risk management goal
 - Establishing the risk-informed decision-making process
 - Establishing the monitoring/feedback and reporting process

Power Reactor Option 3 – Plant-Specific RMRF from NUREG-2150 (continued)

- Each plant's licensing basis would consist of:
 - "Technical requirements" based upon plant-specific attributes and applicant-selected design specific elements/constraints
 - Rationales (technical bases) why the technical requirements adequately address risk and defense-in-depth in light of the plant-specific attributes and design specific elements/constraints
 - FSAR-level description of the plant-specific attributes and applicant-selected design specific elements/constraints that are the inputs/assumptions for the above rationales (technical bases) which must be maintained
 - Process for maintaining the validity of the rationales (technical bases) throughout the operating lifetime of the facility.
- Licensees would be required to use the structured process with monitoring and feedback to ensure that the plant-specific licensing basis remained consistent with the risk profile of the plant, which could change over time.

Path Forward on RMRF

- Draft white paper and outline of policy statement now being reviewed by NRC Senior management
- Incorporate management comments into updated draft white paper and release to public
- Public meeting (late April) to discuss draft white paper
- Solicit written public comments on later version of white paper via www.regulations.gov
- Summarize public comments and meet again with ACRS (summer)
- RMRF SECY paper currently due to Commission on December 18, 2015

Backup Slides

Definitions

To ensure a common understanding of this example policy statement, it is important to know the differences between the terms “risk management,” “risk assessment”, and “risk-informed approach.”

- *Risk management* is the recognition of the threat or danger involved with the use of nuclear materials and establishing controls and oversight to manage the potential threat or danger. That is, it is coordinated activities to direct and control an organization with regard to risk. [From ISO 31000, “Risk Management – Principles and Guidelines”]
- *Risk assessment* is the evaluation of what can go wrong, how likely is it, and what would be the consequences? This consideration may be addressed either qualitatively or quantitatively. [From SRM-SECY-98-144, “White Paper on Risk-Informed and Performance-Based Regulation,” March 1999]

Definitions (continued)

- *Risk-informed approach* to regulatory decision-making represents a philosophy whereby [quantitative and qualitative] risk insights are considered together with other factors to establish requirements that better focus licensee and regulatory attention on design and operational issues commensurate with their importance to public health and safety. A risk-informed approach enhances the deterministic approach which is used to define many of the design and operational requirements for NRC licensees. Risk-informed approaches lie between the risk-based and purely deterministic approaches.
[From SRM-SECY-98-144, "White Paper on Risk-Informed and Performance-Based Regulation," March 1999]

NUREG-2150 Hierarchy and Structured Decision-making Process




Figure ES-1 A Proposed Risk Management Regulatory Framework



Status of Risk-Informed Activities Regarding Common Defense and Security

Joe Rivers, NSIR

February 20, 2015

ACRS Subcommittee Meeting

NRC Sandia Workshop 2010

- Six Areas of Opportunity Identified
 - Uncertainty of initiating events
 - Simulation tools
 - Collaboration between safety/security
 - Cyber Security
 - Improved metrics
 - Demonstration project like WASH 1400

February 2014 INMM Workshop

- Safety/Security Risk Approaches
- Material Attractiveness
- Likelihood of Event
- VA Simulation Tools
- Cyber Security

Safety/Security Risk Approaches

- Discussion of PRA at NRC
- Presentation of an extensible risk informed decision support method
- Implications of security challenges for safety assessment tools
- DNDO risk models

Material Attractiveness

- NRC approach under development
- DOE support for NRC approach
- NGO thoughts on approach
- Industry thoughts
- UK comments on concept of dilution
- French presentation on security at civilian facilities

Likelihood of Event

- Surveys of possible approaches and options
- Discussions of how approaches might be used
- National Consortium for the Study of Terrorism and Responses to Terrorism approach

VA Simulation Tools

- ARES Corporation – AVERT
- Rhino Corp – Simajin
- Sandia modelling
- DTRA modelling
- PNNL tool to address physical and cyber attacks

Cyber Security

- Discussion of pros, cons and challenges of risk informing cyber security
- NRC regulatory program
- PNNL cyber risk model

Current Activities

- Risk Prioritization Initiative
- Risk Management Regulatory Framework Working Group
- Use of Simulation Modelling
- Material Attractiveness
- Cyber Security
- NUSAM

Risk Prioritization Initiative

- Attempt to prioritize plant projects informed by risk associated with safety, security, emergency preparedness, and radiation protection
- Industry Pilots conducted

Risk Management Regulatory Framework Working Group

- Addressing recommendations of RMRF Task Force
- First, focus on reactor safety
- Expand to other disciplines
- Include concept of defense in depth
- Look at beyond design basis accidents

Use of Simulation Modelling

- Industry initiative to incorporate vulnerability assessment modelling tools into regulatory process
- Industry pilot to model a number of NPPs
- NRC staff assessing process to determine requirements for use in regulatory process

Material Attractiveness

- Development of an approach to grade security based on the attractiveness of the nuclear material to the adversary
- Approach allows alternative measures to be applied for varying levels of dilution
- Will apply to fuel cycle facilities and RTRs

Los Alamos Model

- Logic model developed
- Four modules
 - Acquisition
 - Processing
 - Weaponization
 - Yield reduction
- Provides an estimate of likelihood

Cyber Security

- Reactor cyber security implementation under way
- Highest consequence critical digital assets (CDAs) addressed
- using a consequence based approach to consider lesser requirements for CDAs with lower consequences

NUSAM

- IAEA Coordinated Research Project
- Develop guidance on the conduct of security assessments
- Case Studies
 - NPP
 - Irradiator Facility
 - Rad Material Transport
 - LEU Fuel Fabrication Facility
 - Spent Fuel Storage Facility

Upcoming Workshops

- INMM Reducing Risk Workshop
- INMM/ANS Workshop on Safety/Security Risk
- INMMWorkshop on VA Tools

INMM Reducing Risk Workshop

- March 2015 in Washington, DC
- Session on Cyber Security
- Focus on risk approaches that might apply to cyber security

ANS/INMM Workshop on Safety/Security Risk

- April 2015 in Sun Valley, Idaho
- Engage safety and security risk professionals in a discussion of risk applied to their discipline

INMM Workshop on VA Tools

- September 2015 in Boston
- Discussion of VA Tools
- Discussion of VV&A
- Discussion of modelling issues
- Discussion of data
- Demonstration by Vendors
- Discussion by users
- Panel Discussion

Questions ?

A stylized atomic symbol logo is located in the top-left corner of the slide. It features a blue circular nucleus with three intersecting elliptical orbits in a lighter shade of blue.

Risk Informing Spent Fuel Dry Storage

Michel Call

Division of Spent Fuel Management

Office of Nuclear Materials Safety and
Safeguards

Risk-Informing Effort

- Prompted by agency activities and stakeholder interactions
- Goal – framework to better enable risk-informed regulatory decisions
- Focus – initially on spent fuel dry storage
- Approach – 7 major steps

Defense-in-Depth Public Workshop

- Definition and application in dry storage, one major step
- Held public workshop Jan 15, 2015
- Well attended with good public and industry participation
- NRC and NEI presentations

Defense-in-Depth Approaches

- NRC
 - 3 layers (engineered, programmatic, and mitigating controls)
 - 3 safety functions (sub-criticality, radiation exposure, radioactive materials release)
 - 3 operations phases (loading/transfer, storage, unloading)
- NEI
 - Barriers, controls, etc. to prevent, contain, mitigate exposure to radioactive materials



Risk Informing in NMSS

Michel Call

Division of Spent Fuel Management

Office of Nuclear Materials Safety and
Safeguards

Risk-Informed Decisionmaking (RIDM)

- Guidance document developed by NMSS Risk Task Group
- Current Revision (Rev 1) from February 2008 (ML080720238)
- Response to SRM-SECY-99-0100
- 4 objectives of the RIDM document
- Commission Approval in SRM-SECY-04-0182

Quantitative Health Guidelines (QHGs)

- 6 Guidelines

| | Public | Worker |
|------------------------|---|--|
| Acute fatality | $\leq 5 \times 10^{-7}/\text{yr}$ | $\leq 1 \times 10^{-6}/\text{yr}$ |
| Latent cancer fatality | $\leq 2 \times 10^{-6}/\text{yr}$ or 4 mrem/yr | $\leq 1 \times 10^{-5}/\text{yr}$ or 25 mrem/yr |
| Serious injury | $\leq 1 \times 10^{-6}/\text{yr}$ | $\leq 5 \times 10^{-6}/\text{yr}$ |

- Not endorsed by Commission policy statement
- Guidelines vs. Goals

Use of RIDM & QHGs

- QHGs are not widely known or incorporated into risk-informing applications
- NMSS programs
 - Yucca Mountain – risk-informed regulation and guidance in place, pre-dates RIDM and QHGs
 - Dry Spent Fuel Storage – consideration in effort to risk-inform dry storage
 - Fuel Cycle – consideration/application in revised oversight program development
 - Materials and Decommissioning – have made use of various concepts from RIDM

Other NMSS Risk-Informing Efforts

- Variety of Activities past and present
- Current activities described on NRC's website
- Examples of Activities (past and present)
 - NUREG-1556 Series – Guidance about Materials Licenses
 - Part 61 rulemaking – Land disposal of radioactive waste
 - Fuel Cycle – Integrated Safety Assessment, Part 70 Subpart H
 - Yucca Mountain – Part 63, Performance Assessment
 - Spent Fuel Transportation – Fire Studies