

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Public Workshop to Discuss I&C Cyber
 Security-by-design and Associated
 Potential Regulatory Impacts

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Thursday, April 9, 2015

Work Order No.: NRC-1501

Pages 1-97

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

U.S. NUCLEAR REGULATORY COMMISSION

+ + + + +

OFFICE OF NEW REACTORS

+ + + + +

PUBLIC WORKSHOP TO DISCUSS I&C

CYBER SECURITY-BY-DESIGN AND

ASSOCIATED POTENTIAL REGULATORY IMPACTS

+ + + + +

THURSDAY

APRIL 9, 2015

+ + + + +

The Public Workshop met in Rooms 01C03 and 01C05, NRC Headquarters, Three White Flint North, 11601 Landsdown Street, Rockville, Maryland, at 8:30 a.m.

NRC STAFF PRESENT

CATHERINE ALLEN, NSIR/CSD

SUSHIL BIRLA, RES/DE

BERNARD DITTMAN, RES/DE/ICEEB

RUSS FELTS, NSIR/CSD

TERRY JACKSON, NRO/DE/ICE1

MICHAEL JONES, NRO/DARR/ARPB

IAN JUNG, NRO/DE/ICE2

RUI LI, NSIR/CSD

ERICK MARTINEZ, RES/DE/ICEEB

NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

JONAH PEZESHKI, NSIR/CSD

PAUL REBSTOCK, RES/DE/ICEEB

DAVID RAHN, NRR/DE/EICB

JOHN RYCINA, NSIR/CSD

RICHARD STATTEL, NRR/DE/EICB

JOHN TAPPERT, NRO/DE

BARRY WESTREICH, NSIR/CSD

DEANNA ZHANG, NRO/DE/ICE1

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

TABLE OF CONTENTS

Welcome and Meeting Logistics 4

Introductions of Participants 6

NRC Staff Topical Presentation 8

Facilitated Open Discussion 23

Opportunity for Public Comment 91

Closing Remarks/Adjourn 96

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

(8:31 a.m.)

1
2
3 MR. JONES: Good morning, everyone,
4 and thanks for coming to the meeting on I&C Cyber
5 Security-By-Design Discussion.

6 This is a Category 2 Public Meeting.
7 That means that there will be an opportunity for
8 the public to make comments and to ask questions
9 of the NRC Staff at specific times on the agenda.

10 Let's see. We've got some logistics.
11 In case there's a fire or an emergency, we're going
12 to exit this room. We're going to go out through
13 the guard station. We'll muster outside. We'll
14 make sure that everybody on the sign-up list is with
15 us.

16 And there are bathrooms around the
17 corner. Over by the cafeteria on this floor. No
18 escorts required on this floor.

19 The meeting is going to be transcribed.
20 So, we're going to ask that everyone that speaks
21 please use the microphone. I'll be happy to bring
22 one to you at any time. Let's talk one at a time
23 and please put your phone on vibrate or turn them
24 off.

25 For folks on the line, please make sure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that your phones are muted. You can do that by
2 hitting star-6 and I'll cue you in when there's
3 times for the public and for industry on the phone
4 to jump into the discussion.

5 Our agenda is a bit flexible today. It
6 depends on the amount of discussion. We didn't
7 have any industry submittals or presentations.
8 So, after our presentation, we'll go right into NRC
9 and industry discussion Q&A.

10 We've got a couple of speakers to lead.
11 First, I'd like to introduce Russ Felts and he's
12 the Deputy Director of the Cyber Security
13 Directorate from the Nuclear Security and Incident
14 Response Office at the NRC.

15 Russ.

16 MR. FELTS: Yes, I really just wanted
17 to offer a few comments to sort of frame the
18 discussion.

19 I suspect that a lot of folks who are
20 participating in this meeting might be concerned
21 that what we're contemplating here is to require
22 design cert applicants to demonstrate how they will
23 meet requirements of 73.54 and I wanted to clarify
24 for anybody that has that misconception that what
25 we're talking about here is not broad consideration

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of how cyber security is met at the design stage.

2 But more properly a very narrow look at
3 certain aspects of cyber security during the design
4 stage and really looking at finding ways to enable
5 a designer to show that the design that they have
6 proposed is not going to be so challenging to
7 actually implement the cyber security program that
8 the COL applicant would have some outrageously
9 difficult program to have to implement in order to
10 meet requirements of 73.54.

11 So, we're going to get into a lot more
12 discussion of that. But I just wanted to lead off
13 the discussion so folks aren't percolating over
14 that, you know, misconception throughout the
15 meeting.

16 MR. JONES: Next, we have Deanna Zhang
17 who's going to give some introductions and she'll
18 be leading us through the staff presentation and
19 I guess ordinarily we just go around the room and
20 get everybody's name, but why don't we wait and as
21 speakers come, you give your name and your
22 affiliation. We'll get it that way.

23 Okay. We'll go around. So, just pass
24 a mic down and --

25 MR. LI: Rui Li with NSIR/CSD.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MARTINEZ: Erick Martinez, NRC
2 Research.

3 MR. JACKSON: Terry Jackson, Office of
4 New Reactors.

5 MR. JARRETT: Ron Jarrett, TVA,
6 Digital Program Manager.

7 MR. HERB: Ray Herb, Southern Nuclear,
8 I&C Design.

9 MR. BAILEY: Mike Bailey, Duke Energy,
10 Engineering Director for Digital Engineering
11 Support.

12 MR. WESTREICH: Barry Westreich,
13 Director, Cyber Security Directorate, NRC.

14 MR. FELTS: Russ Felts, Deputy
15 Director, Cyber Security Directorate.

16 MR. YEATES: Brad Yeates, Southern
17 Company, Cyber Security Program.

18 MR. CONNELLY: John Connelly, Exelon,
19 Cyber Security Program Manager.

20 MR. GROSS: Bill Gross, NEI.

21 MR. BIRLA: Sushil Birla, NRC
22 Research.

23 MR. RYCINA: John Rycyna, NSIR/CSD.

24 MS. ALLEN: Cathy Allen, NSIR/CSD.

25 MR. DITTMAN: Bernie Dittman, NRC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Research.

2 MR. CLARKSON: Greg Clarkson, NuScale
3 Power, Reactor Protection System Design.

4 MR. GIBSON: Matt Gibson, Electric
5 Power Research Institute.

6 MS. BERGMAN: Jana Bergman, Scientech.

7 MR. JUNG: Ian Jung, NRC, Office of New
8 Reactors.

9 MR. TAPPERT: John Tappert, NRC,
10 Office of New Reactors.

11 MR. REBSTOCK: Paul Rebstock, office
12 of Research.

13 MR. RAHN: David Rahn, Office of NRR.

14 MR. PEZESHKI: Jonah Pezeshki,
15 NSIR/CSD. Also, the leader of the Cyber
16 Assessment Team.

17 MS. ZHANG: Deanna Zhang, Office of New
18 Reactors.

19 MR. STATTEL: Rich Stattel, NRR.

20 MS. ZHANG: Let me move this a little
21 closer than that. Can you guys hear me? Good.
22 Okay.

23 So, good morning. I would like to
24 welcome everyone here to our Cyber Security Design
25 Requirements Workshop and I would like to thank you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guys for traveling here. I know some of you guys
2 had to travel pretty far and also look forward to
3 discussing some the potential options we're
4 thinking about for incorporating cyber security
5 design requirements into the NRC's regulations.

6 Next slide. So, I know that Russ kind
7 of laid out the scope a little bit, but I wanted
8 to go into it a little bit further.

9 We're planning on discussing options
10 for including cyber security design requirements
11 into power reactors into the NRC regulations and
12 we just want to emphasize we're not planning to
13 discuss any other cyber security initiatives such
14 as the NEI petition for cyber security rulemaking.
15 We understand that there are other venues to
16 address those activities.

17 Next slide. So, during today's
18 presentation, we'll be providing an overview of
19 potential options. We're including cyber
20 security design requirements into the NRC's
21 regulations. These options will only apply to
22 power reactors including both new and operating
23 reactors.

24 And keep in mind, these are only, you
25 know, our own initial thoughts. So, we would like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to solicit your feedback regarding these potential
2 options and maybe, you know, if there are new
3 options that we have not considered yet, we would
4 like to listen to them.

5 And also, we're not looking to add new
6 technical requirements, but maybe changing some of
7 our licensing process to see if we can perform some
8 of the reviews of cyber security technical controls
9 during licensing. But, in order to do so, it might
10 entail some rulemaking. So, this is much more of
11 a process change than, you know, any new technical
12 requirements.

13 Next slide. So, before we present the
14 different options we're considering, let me just
15 go off some of the background with respect to, you
16 know, our current regulatory frameworks and the
17 guidance that's available to kind of set the stage.

18 So, the following the events of
19 September 11th, the NRC underwent a comprehensive
20 review of the security requirements and potential
21 vulnerabilities at our regulated nuclear
22 facilities. The NRC issued security orders more
23 to impose requirements to enhance security and this
24 included consideration of cyber security. This is
25 a bubble was already required. What was required

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the regulation at that time.

2 Subsequently, the NRC published NUREG
3 68.47 which provided guidance in methodology for
4 conducting cyber security self-assessment.

5 And following in 2005, the NRC endorsed
6 NEI 04-04 which also provided guidance for
7 developing and maintaining a cyber security
8 program at licensed nuclear facilities and at that
9 time, the licensees had committed to implement
10 voluntarily NEI 04-04.

11 In 2009, the NRC issued 10 CFR 73.54.
12 This is the regulation which required licensees to
13 provide high assurance that digital computers and
14 communicate systems and networks are adequately
15 protected against a cyber attack.

16 And following in 2010, the NRC
17 published Reg Guide 5.71 which provided an
18 acceptable method for complying with the
19 requirements of 10 CFR 73.54.

20 Next slide. In 2010, the NRC endorsed
21 NEI 08-09 which was developed by NEI to assist
22 licensees in complying with the requirements of 10
23 CFR 73.54. So, licensees could either use 10 CFR
24 -- oh, could use NEI 08-09 or 10 CFR or Reg Guide
25 5.71.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In 2011, the NRC issued Revision 3 to
2 Reg Guide 1.152 and just to remind everyone, in
3 Revision 2 of this Reg Guard, the NRC did include
4 guidance to address cyber security because we
5 didn't have any other means to address cyber
6 security at that time.

7 However, since 10 CFR 73.54 was issued
8 along with its complementing reg guide, we removed
9 that, the cyber security portion, guidance within
10 that regulatory guide.

11 We still kept apportioned direct access
12 controls which is to establish a secure development
13 operational environment for digital safety systems
14 where measures should be included to direct any
15 non-malicious vulnerabilities that's in the
16 design. More to insure integrity, reliability and
17 functionality of the digital safety system while
18 it's in operation.

19 And lastly, in 2013, the NRC endorsed
20 NEI 13-10 which was developed to provide guidance
21 for implementing a consequence based approach to
22 implementation of the cyber security controls for
23 the length of these critical digital assets.

24 So, let's go a little bit more into the
25 10 CFR 73.54. I just want to make sure we're on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the right slide.

2 So, 10 CFR 73.54, it provides a
3 programmatic regulatory framework for the
4 licensees and COLs to protect digital computer and
5 communication systems and networks against cyber
6 attacks. So, I want to emphasize it's
7 programmatic based.

8 It requires licensees and COL
9 applicants to submit a cyber security plan that is
10 reviewed by the NRC. However, this regulation
11 does not require licensees and COL applicants to
12 submit any cyber security design information for
13 NRC licensing review. It also does not require
14 design certification applicants to submit design
15 information or provide a cyber security plan.

16 So, really for new reactors, the first
17 opportunity for the NRC to verify compliance of the
18 cyber security programs is after the combined
19 license is issued. Which may be long after the
20 referenced design certification was complete and
21 for operating reactors, the design information
22 becomes available for inspection when the system
23 is entered into the licensee's cyber security
24 program.

25 So, this timing difference increases

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the risk the COL holders or licensees who are
2 ultimately responsible for complying with the
3 NRC's cyber security regulations will have to
4 address any vulnerabilities in this design after
5 the design has been completed.

6 Next please. So, the ACRS has raised
7 concerns regarding control of access to plant
8 equipment and networks in which they emphasize that
9 control of access to critical plan systems should
10 be reviewed as part of design certification and COL
11 application reviews. They have also raised a
12 similar concern regarding the licensing reviews on
13 operating plant digital I&C upgrades.

14 Next slide. So, the ACRS has
15 recommended uni-directional communication from
16 Level 4 to Level 3 and from Level 3 to Level 2 of
17 the cyber security defensive architecture. That
18 is enforced via a communication flow enforcement
19 device and the design of this device would be
20 reviewed during licensing.

21 So, that slide is a picture of a
22 recommended approach that is described in Reg Guide
23 5.71 and previously the ACRS has also raised
24 similar concerns when Reg Guide 1.152 Revision 3
25 was updated to remove the cyber security guidance.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In that case, ACRS believed that cyber
2 security controls should be reviewed during the
3 licensing to demonstrate compliance to 10 CFR 73.54
4 and they did not find that was -- that we should
5 remove the guidance for cyber security from Reg
6 Guide 1.152.

7 In addition, the NRC has received
8 feedback from design certification applicants that
9 the staff should review cyber security design
10 features as part of the design certification
11 application review.

12 For example, GE Hitachi submitted the
13 ESBWR Cyber Security Program Plan as part of the
14 ESBWR design certification application.

15 Similarly, Westinghouse submitted the
16 AP1000 PMS Computer Security Plan.

17 But, since demonstrating compliance to
18 10 CFR 73.54 is the responsibility of the COL
19 applicant, staff was not able to review aspects of
20 the plan addressed in 10 CFR 73.54.

21 And recently, NuScale requested the NRC
22 review cyber security features as part of their
23 design certification application that they're
24 planning on submitting. However, as you can see,
25 we still run into the same challenges that we would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not be able to perform those reviews during
2 licensing or design certification.

3 So, there are international standards
4 that recommend that cyber security requirements be
5 defined as early as possible in a system's
6 lifecycle. For example, IEC 62859.

7 And we do see that consideration of
8 cyber security early in the system development
9 lifecycle can improve both a system's ability to
10 resist a cyber attack and limit the adverse
11 consequences of a successful cyber attack.

12 We do want to recognize that some
13 licensees have worked with vendors to incorporate
14 cyber security controls as part of the development
15 of digital I&C systems. However, this is a
16 voluntary measure.

17 And because design certification
18 applicants are not required to address cyber
19 security, we feel all applicants must address the
20 requirements of 10 CFR 73.54 later during licensing
21 process and as a result, cyber security controls
22 are often not considered during the early stages
23 of system development lifecycles and if a
24 vulnerability exists within the installed system,
25 the licensee would have to either modify the system

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or implement a compensatory measure to mitigate
2 that vulnerability.

3 And this approach may not be as
4 effective as developing a more secure and robust
5 system that's provides inherent protection against
6 cyber attacks.

7 So, another benefit that we see is that
8 incorporation of cyber security design
9 requirements into the NRC's regulation would
10 enable the NRC to review the applicant's or
11 licensee's proposed cyber security measures
12 earlier in the licensing process.

13 So, we see that incorporation of cyber
14 security design requirements into the NRC's
15 regulation would enable the NRC to perform
16 licensing reviews of applicant's and licensee's
17 proposed cyber security measures earlier in the
18 process and that cyber security design
19 requirements will provide an added level of
20 regulatory assurance for new reactor designs and
21 for new safety I&C systems to be installed in
22 operating reactors. In this case, the COL holder
23 or licensee would be able to reference the staff's
24 safety evaluation on the cyber security design
25 controls in their cyber security program.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For example, if the staff review the
2 design of an information flow enforcement device
3 like a data diode during licensing and confirms
4 that this device provides the unit direction of
5 communication flow enforcement via hardware means,
6 then the COL holder and licensee would be able to
7 reference the staff's safety evaluations to
8 support subsequent cyber security inspections.

9 We're currently looking at three
10 potential options to incorporate cyber security
11 design requirements.

12 The first one is to develop cyber
13 security design requirements to complement the
14 current programmatic cyber security regulations in
15 a more holistic manner. This would be applicable
16 to both design certification and COL application
17 as well as licensees seeking approval of digital
18 upgrades for safety and important to safety systems
19 and we want to state that although we recognize that
20 tends to be a part of 73.54 covered systems that
21 are associated with safety and important to safety
22 as well as EP and security functions, the design
23 requirements would only be applicable to systems
24 that perform safety and important-to-safety
25 functions. So, we're not looking at all SSEP

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 functions. Only safety and important-to-safety
2 functions.

3 And also, licensees and applicants
4 could provide -- we see, you know, that one thing
5 that's to be provided would be information that
6 demonstrates that cyber security controls were
7 considered during the design of systems that
8 perform safety and important-to-safety functions.
9 This could be the result of cyber security
10 vulnerability assessments conducted for systems
11 and information on how any vulnerabilities
12 identified are mitigated.

13 Next slide. So, it would be kind of
14 similar to how SDOE reviews are done, but to address
15 cyber security to address malicious acts, too.

16 So, the second option is to develop
17 regulations to require that technical controls for
18 information flow enforcement be submitted to the
19 NRC. So, this is a much more limited review. So,
20 specific to the controls specified in Section B.1.4
21 of Reg Guide 5.71 which is the one-way,
22 hardware-based data communication path between the
23 Levels 4 and 3 and Levels 3 and 2. The cyber
24 security defensive architecture.

25 So, we're limiting the scope to a much

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 smaller review. It only would be targeted at the
2 battery devices between the different levels of the
3 cyber security defensive architecture.

4 Next slide. And, of course, the last
5 remaining option is just to do what we are doing
6 right now which is to continue to verify compliance
7 to the licensees' operational cyber security
8 program via inspection without first conducting a
9 cyber security design review of any system.

10 Next slide. So, just to summarize, we
11 are considering options for incorporating cyber
12 security design requirements for power reactors.
13 This effort is continuing to address concerns
14 raised by the ACRS as well as Design Certification
15 Applicants.

16 We want to emphasize that the NRC is not
17 looking to add new cyber security requirements, but
18 potentially changing the licensing process to
19 enable us to perform cyber security reviews as a
20 part of licensing. This is meant to complement the
21 existing cyber security programmatic requirements
22 and not change that programmatic requirement.

23 We are currently considering these
24 three options and we would like to hear back from
25 industry stakeholders and also, if you have any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recommended options that we have not considered.

2 So, can open it up to discussion right
3 now.

4 (Whereupon, the above-entitled matter
5 went off the record at 8:54 a.m. and resumed at 9:10
6 a.m.)

7 MR. JONES: Okay. Welcome back.
8 Sorry for the technology fiasco here. We're going
9 to shift over to all handheld mics. So, folk on
10 the speaker's table here, may sure you use a
11 handheld mic and in the audience, I'll just bring
12 you a mic whenever or we'll pass it. One or the
13 other.

14 Also, please make sure that when you
15 speak that you give your name and your affiliation
16 please. Thank you.

17 We're going to start off now with a few
18 words from Richard Stattel from staff.

19 MR. STATTEL: Thank you. I just
20 wanted to add a little bit of perspective to
21 Deanna's presentation.

22 There's really two different dynamics
23 that are going on with cyber security. One has to
24 do with the operating plants and that's where I'm
25 being -- I'm representing that side and the other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is the new plants and they're very different
2 dynamics because the operating plants what we're
3 finding is they're doing very few modifications.
4 So, we have very little opportunity to review cyber
5 security features in the systems or those programs.

6 So, for the operating plants, the
7 programmatic requirements from 73.54 are really --
8 we're getting a lot more bang for our buck than we
9 would get if we were relying on licensing review
10 activities and on the new plant side, it's kind of
11 the opposite. Because on the new plants, we're
12 reviewing designs right now and we're not reviewing
13 the programs because the programs don't go into
14 effect until we get the COL applicants involved.

15 So, all those inspections and the cyber
16 security plan implementations are kind of future
17 activities. So, what we're trying to do is we're
18 trying to be consistent between the operating and
19 new plants and try to cover the gaps because I think
20 there are gaps or at least perceived gaps. We're
21 receiving that kind of feedback from ACRS and from
22 industry and we're trying to fill those gaps and
23 that's really what this workshop is all about as
24 far as identifying what the gaps are.

25 I think, you know, the staff has had a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lot of internal discussions. So, we think we have
2 an understanding of it, but we'd also like to get
3 both operating and new reactor perspectives on that
4 as we go forward today.

5 So, I just want to add that perspective
6 and background. Thank you.

7 MS. ZHANG: So, did you --

8 MR. BAILEY: All right. My name's
9 Mike Bailey. I'm with Duke Energy.

10 First off, I want to thank the NRC for
11 the opportunity to participate in these
12 discussions about the design for digital I&C as
13 well as cyber security requirements and processes.

14 We have looked at the information that
15 was provided as part of this meeting. We had some
16 discussions within the industry ourselves trying
17 to better understand and one of the things we wanted
18 to come out of this with is a better understanding
19 of the effort that is under way and what we're
20 trying to address through this effort.

21 We do have several questions to try to
22 address. Trying to clarify some of our
23 understanding of what has been proposed or what is
24 being looked at at this point in time.

25 In the initial discussion and kickoff,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we talked about the fact, I guess, there's no plan
2 for cyber security requirement changes as part of
3 this particular effort. Also, some of the
4 discussions up here talked about the fact that
5 we're looking more at process changed.

6 Some of the information in the slides
7 tended to point towards the fact that we're
8 actually looking at design requirements or
9 regulations. So, we're trying to understand what
10 was actually being proposed in regards to are we
11 actually looking at design regulations or
12 requirements or additional digital requirements
13 that are not currently out there as part of this
14 effort.

15 MS. ZHANG: We are not planning on
16 adding any additional technical requirements, but
17 from a process perspective, we do need new
18 regulations in order for the NRC to perform the
19 design review.

20 So, currently, it's programmatic
21 requirements and as such -- and it doesn't design
22 certification applicants. As such, any
23 information that's -- even if it's submitted
24 voluntarily, we have no means of performing a
25 licensing review for that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BAILEY: And Rich touched on, and
2 Deanna, you touched you it as well, some of the I
3 guess areas that you sort of see this gap that we
4 need to try to cover with these programmatic
5 changes.

6 One of the things as an industry we had
7 talked through is between Part 50 and Part 73.
8 There seems to be a pretty good dovetailing between
9 what is actually covered in the design
10 certification piece as well as the programmatic
11 cyber security area and as a result of that, I mean,
12 there was even some presentations that had been
13 done with ACRS back in 2011 on February 23rd with
14 Jay Amin and Matt Gibson at that time. Covered how
15 those various requirements and regulations that
16 currently exist work to insure safety and security
17 of the existing systems that are being installed.

18 What gaps do we see? And I understand
19 the process gaps. But do we see any gaps in regards
20 to regulations that would not insure security or
21 safety at this point in time with what's currently
22 being done in the design certification or the cyber
23 security review process?

24 MS. ZHANG: I think, you know, NSIR can
25 chime in if what I'm saying is not correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Just to give an example, I guess, we've
2 seen where design certification applications where
3 there's a lot of interconnectivity between
4 different systems, safety, critical -- basically
5 critical systems and systems that, you know, are
6 less critical from a cyber security perspective,
7 but because everything's interconnected in
8 accordance with Reg Guide 5.71, they would all need
9 to be protected at the same level and thus from,
10 you know, when the design certification applicant
11 made that design, you know, it added -- it basically
12 required more systems to be protected from a COL
13 applicant who's going to inherit that design and
14 as such, you know, there would be more risk involved
15 or they wouldn't have to modify the design or make,
16 you know, or protect more systems.

17 MR. STATTEL: I'll add to that. I can
18 speak from the operating plant side again. The
19 perceived gap really has to do with the amount of
20 attention that we give to cyber security during the
21 design review.

22 So, as you know for the Oconee Reactor
23 Protection System design, we actually did perform
24 a cyber security review because it predated the
25 current policies and the rule. So, there wasn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really any transfer to the program that occurred
2 during that review.

3 When we presented to ACRS the Diablo
4 Canyon application, they asked a lot of questions
5 about the design review and what we were
6 considering from the cyber perspective and
7 basically, no, we're not considering that during
8 our review now, but that will be covered later on
9 at the time when these systems get implemented into
10 their cyber security program.

11 So, the way we anticipate that going
12 forward is the plant or the licensee would identify
13 the new system as being a critical digital asset.
14 They would do the assets. They would identify the
15 security impacts of that and then they would take
16 those measures. All future tense. Right? So,
17 the perceived gap is that time frame between when
18 we do our license amendment review and when the
19 system actually gets incorporated into the cyber
20 security program.

21 So, it's a time difference and there's
22 not a direct turnover from what the staff reviews
23 as part of the design and what NSIR would be
24 performing their inspection items for. Okay.

25 So, and I think it's similar, but a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little different for the new plants and, you know,
2 I haven't been receiving the same feedback from the
3 new plants. So, for the new plants, it's different
4 in that they have really no opportunity because
5 they're not seeing the detailed designs. Because
6 a lot of that's deferred to the closure of the
7 ITAACs and the DACs. So, there's currently no
8 emphasis on the cyber security aspects.

9 So, the fear is that they do not get
10 addressed as the design goes forward and then when
11 the COL picks up that design and takes over and
12 initiates their cyber security plan, you know,
13 it'll require new design changes and other like
14 backward type reviews. Backward looking reviews.

15 So, I think that's more of a risk factor
16 with the new plants.

17 MS. ZHANG: And from a new plant
18 perspective, you know, as we had mentioned before,
19 73.54 does not apply to design certification
20 applicants.

21 So, there is a much greater timing
22 difference potentially. So, a design
23 certification might come in with no COL
24 applications to come with it. So, they may not be
25 well informed of the cyber security needs of future

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 COL applicants.

2 MR. HERB: This is Ray Herb, Southern
3 Nuclear.

4 I'd like to ask a question to clarify
5 the scope of this proposed new regulation.

6 Currently, Part 50 is very clear on
7 safety components. It becomes less clear in the
8 non-safety arena.

9 How is this potentially going to cloud
10 that issue even further?

11 MS. ZHANG: So, for new reactors, it's
12 any systems that we would review normally under a
13 design certification for Part 50.52.

14 We would review those systems if there
15 are any cyber security controls implemented for
16 those systems. So, if it's not a system we would
17 normally review as part of design certification or
18 COL application review, then we would not do a
19 review of that particular system.

20 MR. HERB: Okay.

21 MS. ZHANG: And it's something similar
22 if there's --

23 MR. STATTEL: Yes, let me say a couple
24 of words on that. That's a very good question and
25 it's something we've been kind of struggling with.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Because if I hear you currently, your
2 concerned that the -- we're expanding the scope of
3 cyber security review into the non-safety and
4 important-to-safety regimes. Right? Is that
5 correct?

6 MR. HERB: Correct.

7 MR. STATTEL: Okay. And there is some
8 truth to that. So, for example, during the Oconee
9 review, we did do a design review of the device that
10 is basically enforcing the one-way communications
11 from the safety system and that was a non-safety
12 component of that system.

13 So, I think it's true, you know, that
14 cyber security really goes beyond just the safety
15 system. You can't just draw a box around the
16 safety system and say because -- you know, because
17 I did this design review or because it's designed
18 correctly, then it's secure from a cyber
19 perspective.

20 So, you really have to -- you do have
21 to expand the scope beyond that and where you draw
22 the lines, I think that's something that's kind of
23 up in the air. That's something we really need to
24 discuss.

25 MR. BAILEY: Staying on the scope

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 topic, just a follow along question with it.

2 We talked about the interconnectivity,
3 a lot of interconnectivity of digital components
4 or systems at the plant.

5 Now, the scope part sort of pointed to
6 new reactors. Things that would be on the NRO
7 scope. Basically, instrumentation controls that
8 would be looked at.

9 The examples that Rich provided for
10 Oconee and Diablo Canyon were safety specific.
11 Safety system specific.

12 Granted we did go out with a non-safety
13 device to address one-way communication, but most
14 of the interconnectivity that you get into is on
15 the non-safety side where you start getting into
16 control systems that actually control the plant and
17 need to share information as well as your plant
18 computer and plant information systems that
19 interface information out to operators or to
20 maintenance and plant engineering personnel.

21 So, from a scope standpoint, most of
22 your connectivity really happens when it's on
23 non-safety and I would think things that typically
24 aren't reviewed for NRO or NRR from a design
25 certification standpoint.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. ZHANG: And, you know, I think we
2 need to look into how much would extend into
3 non-safety systems. Typically, for new reactors
4 right now, we do look at the control systems.
5 Particularly when it impacts safety. That would
6 be our focus, too. But with cyber security as 10
7 CFR 73.54 defines important-to-safety functions,
8 there might be a little bit of a difference.

9 So, we will need to reconcile that and
10 that's something that we would have to look into.

11 MR. STATTEL: Yes, I would just add.
12 So, for the operating plants, typically, if we're
13 looking at a license amendment, we really get all
14 that's in our purview is that safety system.

15 So, it's really impossible to address
16 all of the cyber security aspects outside of the
17 context of the installation and all the interfaces
18 to the non-safety systems. So, I don't think it's
19 a complete answer.

20 I don't think -- you know, we could
21 expand the scope of our -- of what we do during the
22 design evaluations, but that's not going to get us
23 to where we need to be as far as having assurance
24 of cyber security. So, it really still has to have
25 some programmatic aspect.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, NSIR still needs to be involved.
2 They still need to perform the inspections. We're
3 really relying on the cyber security plans and the
4 implementation of those plans to provide the
5 assurance for security.

6 But, at the same time, I think the
7 technical staff is kind of in agreement. You know,
8 we believe that we're capable of performing
9 additional scope of review during our safety
10 evaluations to kind of help that process along and
11 give some added assurance.

12 So, I don't think there's any one answer
13 to that.

14 Particularly in operating plants, I
15 think that our purview is really limited to the
16 safety system. So, we really can't go outside of
17 that. We're not looking at the system in the
18 context of the installation and all the interfaces.

19 I don't think that's true necessarily
20 for the new plants. I think they do have the whole
21 system in front of them. So, they actually do have
22 a broader perspective on that.

23 MR. BAILEY: And, Rich, on the Ocone
24 example, I know whenever you all -- we went through
25 the efforts on the port tap aggregator to do the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 isolation. I didn't necessarily consider that
2 branching outside the system myself because it was
3 more or less a -- all the issues we've been talking
4 about with the safety-related software and how it
5 dealt with the isolation capacity. That was just
6 another means to address isolation and so it to me
7 was actually -- even though it was a non-safety
8 element, it is still part of the actual system and
9 requirements for the system. So, I didn't see that
10 necessarily as a branching out into non-safety
11 myself too much.

12 MR. HERB: I have an additional
13 question related to scope.

14 The design requirements for a
15 protection system are to protect the health and
16 safety of the public through protection of the
17 barriers to release of radioactivity.

18 In some cases, some of the cyber
19 security design requirements make conflict with
20 that original design purpose of our protection
21 system.

22 How are you going to handle that if you
23 incorporate that into Part 50? Those design
24 requirements and wouldn't it be better to leave
25 those requirements in 73.54 when the cyber security

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 threat picture often changes as time goes on?
2 Where the function of the protection system is
3 static and often remains the same forever and so,
4 I think you see where I'm coming from. Changes to
5 the threat vector could impact your design of your
6 safety system over time if you've incorporated some
7 of these design factors into the design of your
8 safety system.

9 MR. PEZESHKI: Okay. The reason why I
10 wanted to speak first is you had mentioned a
11 transition from 73 space to 50 space and I don't
12 believe that is the goal here.

13 The intent is not to generate design
14 level cyber security requirements to replace the
15 programmatic requirements. The idea is more or
16 less to create cyber security design requirements
17 that will dovetail with the programmatic level.
18 The idea being that industry can tackle cyber
19 security concerns earlier in the process to better
20 meet the programmatic level cyber security
21 requirements.

22 MS. ZHANG: And even in the current
23 guidance in Reg Guide 5.71 as well as Reg Guide
24 1.152, we emphasize that we don't want cyber
25 security features to adversely impact safety. So,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performing the safety function has to always come
2 first.

3 If there are cyber security controls,
4 not necessarily features, that could be adopted
5 when you're designing the system to make it such
6 that it's, you know, less likely that a cyber attack
7 will be successful or reduces the attack vectors,
8 then I think that is what we're looking at. You
9 know, reviewing. Not necessarily that a
10 particular, you know, like something like an IDS,
11 intrusion detection system, is implementing a
12 safety system.

13 So, we definitely want safety -- the
14 safety function to be the priority.

15 MR. STATTEL: Yes, I sure -- I think
16 what you said, Ray, is kind of supporting the idea
17 that we really do need to maintain the programmatic
18 requirements.

19 I always say that, you know, the safety
20 systems, these are the crown jewels that we want
21 to protect. We don't really want to complicate
22 them and add these measures into them and we've been
23 working with international agencies. IAEA has a
24 new safety guide that's out that has guidance to
25 that effect.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, if you're choosing whether or not
2 to implement a cyber security measure, if you're
3 choosing whether to implement that on a -- within
4 a safety system or within a non-safety system,
5 there is guidance out there and we're also working
6 with the IEEE 74.32 group to add to -- include that
7 guidance for the U.S. plants.

8 So, however, the option is still there.
9 So, if there are measures, if there are Reg Guide
10 5.71 measures that you choose to implement within
11 the safety system, I'll use the intrusion detection
12 not that I would ever expect anyone to put those
13 kind of features into a safety system, but if you
14 choose to do that or any of the other measures from
15 the Reg Guide, the idea that we turn a blind eye
16 to that, you know, as part of our safety evaluation
17 review and we rely on the program by itself to
18 evaluate the impacts of that or the effectiveness
19 of that, that's kind of what this -- what we're
20 talking about here. That's what we're trying to
21 cover.

22 I think it's beneficial to have the
23 technical staff review those features if the
24 applicant chooses to implement them in the safety
25 system at the time of the safety evaluation. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think that's beneficial because, you know, we're
2 the ones that would, you know, have the expertise
3 in that area.

4 MR. GIBSON: I don't think I believe
5 the --

6 MR. JONES: Again, for all the
7 speakers, please give your name before you speak.
8 Thanks.

9 MR. GIBSON: Matt Gibson with EPRI.
10 Just want a -- a process observation. You look at
11 this thing technically. Something you should
12 consider is that a design process involves
13 tradeoffs. Right? I mean, so you take all the
14 competing system requirements and you figure out,
15 you know, how I should do this. Well, one of the
16 things you want to keep in mind is that from a cyber
17 security point of view, the designer has a lot of
18 options to address the cyber security requirements
19 of 73.54 that are outside the actual design of the
20 system.

21 So, I think when you think about this
22 problem think about the sequential timing of when
23 the design decisions are made. It's true that a
24 COL applicant or a DCD or vendor has to come up with
25 at least some level of design to get certified.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 At some point though, those design
2 decisions are at a certain point in time in the
3 design certification. Later on when a COL
4 applicant adopts that, one of the things they have
5 to do is continue that process by evaluating that
6 design against their chosen cyber security
7 programmatic implementation requirements.

8 The point I was going to get is let's
9 keep in mind that some of this has a timing -- from
10 a technical process point of view, there's a timing
11 concept and design process that you could disrupt
12 if you go too far with trying to move some of these
13 topics at different places in the design sequence.
14 It can have an unintended consequence and that's
15 just a comment I want to bring to the table.

16 MR. JONES: Other comments?

17 MR. STATTEL: Yes. I do agree with you
18 and, you know, I think a lot of this falls back to
19 engineering judgment, but the fear that we have and
20 when the decision was made to basically shift
21 reliance onto the programs, I had a concern that
22 even back then, you know, six/seven years ago, that
23 the inspection teams that were looking at these
24 cyber programs wouldn't necessarily have the
25 technical background to be able to review the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 impact on the designs and that's where the concept
2 of the SDOE came from.

3 So, when we do our technical reviews,
4 you know, we're looking for if you've implemented
5 any of these cyber measures, we want to have some
6 assurance that it doesn't have any adverse impact
7 on the safety function.

8 So, we have some competing objectives
9 here. So, one of the things is we want your safety
10 systems to be as simple as possible. We only want
11 them to do functions that are safety functions and
12 on the other side, we have these cyber security
13 requirements that are saying make the system more
14 complicated by added cyber security functions.
15 Right?

16 So, you know, the decisions get made at
17 various points during the design process. We just
18 want to make sure if the decisions are made early
19 enough and we have that opportunity during the
20 design reviews to evaluate those designs, that we
21 don't miss that opportunity. Because if we simply
22 defer everything to the inspection teams, I think
23 there's a risk or there's a danger of things falling
24 through the cracks.

25 So, people will implement cyber

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 security measures that don't get evaluated. They
2 don't get properly assessed for impact on the
3 safety functions and, you know, we could have
4 problems down the line without having had those
5 design reviews done up front.

6 Now, SDOE was intended to address that.
7 How well it does that, you know, I guess that's,
8 you know, a matter of, you know -- there are
9 different cases that you could study.

10 MS. ZHANG: Just very quickly. We're
11 not looking at implementing everything within Reg
12 Guide 5.71 or NEI 08-09. This will be selective
13 maybe controls that could be considered earlier and
14 this is more about a consideration of them. Not
15 necessarily implementing those controls and
16 definitely, you know, if you had to implement it
17 within the safety system, I think that a lot more
18 attention needs to be paid for that.

19 We do see a hand off between the design
20 certification applicant and the COL applicant.

21 Now, you know, we -- it's not like
22 everything can be done by the design certification
23 applicant, but if there's something they can do to
24 kind of -- it's a look ahead to enhance the security
25 of their design, I think that could be done earlier

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and I think that would make it a little bit better
2 for the COL applicant.

3 MR. STATTEL: One other point. As
4 Deanna mentioned, we've had several design
5 certification applicants submit cyber security
6 plans or documents, licensing documents and the
7 fact that they are able to create those documents,
8 you know, clearly it's kind of a -- kind of
9 testifies that there are certain cyber security
10 measures that they're incorporating into their
11 designs at the early stages. Which is a good
12 thing.

13 And the fact that our process doesn't
14 really allow us to review that and credit that in
15 those advance stages, kind of points to a problem
16 and I think that's where the ACRS' concerns are
17 really coming forward.

18 MR. GROSS: I have a process question.
19 Is there sort of a time horizon you're working to
20 for the SECY paper? Do you have a, you know,
21 commitment to the Commission to get something to
22 them by a certain date?

23 MS. ZHANG: We don't have a formal
24 commitment to the Commission, but we are looking
25 at completing it by the end of September.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GROSS: Do you expect that there
2 would be additional public workshops to discuss the
3 progress and the development of the SECY paper
4 before September?

5 MS. ZHANG: Well, you know, if that's
6 something that the industry would like, we could
7 definitely set that up.

8 MR. JARRETT: I guess I'd like to -- Ron
9 Jarrett, TBA.

10 Rich, you mentioned Diablo Canyon
11 review. We've discussed 74.32, NUREG 1.152. In
12 those documents, there is cyber-related or
13 security-related requirements.

14 So, I assume when you did Diablo review,
15 you looked at those areas.

16 MR. STATTEL: Not really cyber
17 security. So, our review is really limited to the
18 secure acknowledgement and operating environment.

19 MR. JARRETT: Secure. Yes.

20 MR. STATTEL: So, I guess -- you know,
21 our review guidance doesn't have the word cyber in
22 it.

23 MR. JARRETT: I understand, but
24 there's a lot of aspects in that. There's some
25 aspects in 74.32 that do touch on it and I guess

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm trying to get a feeling of what additional
2 things -- you know, there's -- we've improved
3 74.32, 2010 added more requirements that were in
4 the original Reg Guide Rev 2 and now, we're out to
5 -- with a new version of 74.32 that even expands
6 that area. So, I'm trying to see -- get a feeling
7 of what additional things would be reviewed in
8 addition to what's in that document.

9 MR. STATTEL: Okay. There's two
10 different scopes at hand here. One is the scope
11 of IEEE 74.32 which goes beyond what our review
12 scope for our safety evaluations is. Our intent,
13 because right now kind of the guidance is kind of
14 duplicated in the Reg Guide and in the IEEE
15 standard, these changes we're currently making to
16 the IEEE standard make it consistent, and Deanna
17 can speak to this, too, make it consistent with our
18 current Reg Guide review criteria.

19 Our plan is the next revision of Reg
20 Guide 1.152 would basically delete that section and
21 we would simply endorse the IEEE standard for the
22 SDOE aspects.

23 We do -- right now, until we get some
24 direction from the Commission and that's kind of
25 the purpose of this paper here, our policy is really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to limit the scope of our review to SDOE.

2 So, in other words, we're not ignoring
3 the cyber security requirements. But, again, the
4 SDOE perspective is if cyber security measures are
5 being put into the design, we are evaluating
6 whether those features have any impact on the
7 safety functionality of the system. So, our
8 safety evaluation is still focused on safety.
9 Okay.

10 So, it's a little different
11 perspective.

12 MS. ZHANG: So, for the SDOE review, I
13 just want to remind everyone that it's focused on
14 addressing non-malicious acts.

15 So, if there is anything that, you know,
16 was there to address malicious aspects, too, we
17 cannot make a judgment as far as the -- you know,
18 whether it could be used to address malicious acts.
19 Our safety evaluation would only consider to
20 address non-malicious acts.

21 MR. JARRETT: Just a follow-on
22 question. When we worked on ISG4, it was to allow
23 two-way communication safely. In essence, it was
24 kind of like a data diode, but with two-way
25 communications. You weren't -- if you implement

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that, you should not be able to affect the safety
2 system. You know, that's been relevant to the
3 74.32 and so, where is that headed in this area?

4 MS. ZHANG: Well, what we want to -- you
5 know, so, we do recognize that a lot of things that
6 we do for safety could also be used to address
7 security, but it's not necessarily a complete
8 overlap.

9 So, you know, although some things can
10 be used to credit -- you know, to address cyber
11 attacks, too, but doesn't necessarily mean that
12 that's the only thing that would be effective at
13 addressing all cyber threats.

14 So, that's why you do need the
15 programmatic aspects, a cyber security program in
16 addition to whatever we do for our safety review.

17 MR. PEZESHKI: And also since during
18 the SDOE review malicious acts are not considered,
19 none of that can be referenced or credited for the
20 eventual programmatic 5.71 or 73.54 review. So,
21 as I said, one of the hopes here is that this will
22 give the industry an earlier bite of the apple for
23 ultimately meeting their 73.54 requirements.

24 MR. REBSTOCK: I'm Paul Rebstock from
25 the Office of Research. I was involved in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 development of ISG4.

2 And the bidirectional communication
3 that that allows is extremely limited and I am not
4 sure that it's fully appreciated just how limited
5 that is.

6 That process allows for the non-safety
7 system to send some data to the safety system which
8 the safety system can then read and figure out what
9 to do. It explicitly does not allow the non-safety
10 system to send any commands to the data -- to the
11 safety system. It can send a number and the safety
12 system can be programmed that if that particular
13 number has a certain value, then it can go do
14 something that's already been programmed. But
15 there is no way to send a message into the safety
16 system that would cause the safety system to do
17 something unexpected.

18 So, some of the systems that I've seen
19 under development don't do that. They seem to
20 think that they're following ISG4, but they allow
21 commands to be submitted into the safety system and
22 I think there's some confusion there.

23 MR. GROSS: Hi. This is Bill Gross
24 from Nuclear Energy Institute.

25 And I feel compelled to tell a story

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about cyber security in the early days and I got
2 involved in IT in about 1995 and at that time, it
3 was -- cyber security in IT was a bit -- it was
4 the wild, wild west. It kind of still is, but it
5 was really bad then.

6 And I would imagine for those of you
7 that had been at that game at that time, you
8 remember Windows 2000. The most secure operating
9 system every built. That was the vendor claim.

10 So, let's assume at that time two things
11 happen. First, Microsoft paid an awful lot of
12 developers an awful lot of money to be able to make
13 that claim and those costs were passed on to the
14 purchaser of the product.

15 Second, suppose that NRC had endorsed
16 the safety and security features of that at that
17 time. Right.

18 Now, roll the camera forward 20 years
19 and you take a Windows 2000 box out of the -- you
20 know, out of the box it comes in. It's no longer
21 the most secure operating system ever built.
22 Right.

23 The licensee who's now purchased this
24 thing has to install it and build an operational
25 program to secure it. So, now not only are they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 paying for the vendor to have built a product that's
2 not secure because time has gone by, but now they
3 have to build the operational program that we're
4 currently required to build to protect it. All
5 right. So, the costs are being incurred twice for
6 the same level of cyber security. All right.

7 So, there is a gap as Rich pointed out
8 between when the NRC approves the design of a system
9 and when it's built into an operational program.

10 But I would claim that even if that
11 device was secure at the time that it was certified
12 because of the emergence of and the changing nature
13 of the cyber threat and our understanding of the
14 ability to exploit systems, it's not secure by the
15 time you install it and you still need the
16 operational program to do it.

17 I think, you know, another point is if
18 you claim that if we can't review cyber security
19 features at the time that it's designed or we don't
20 have the capability to do that and that limits our
21 ability to understand how we can secure it when
22 we're -- you know, when we're going to put it into
23 operations, really calls into question whether or
24 not we have the capability to implement 73.54 to
25 protect the plants that we have today that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 replete with digital systems both non-safety and
2 in the balance of the plant that were never designed
3 with cyber security features integrated into them.
4 All right.

5 So, while I appreciate as having, you
6 know, two degrees in computer science the deep
7 desire to integrate cyber security features into
8 the design of systems, it's a temporary -- it's a
9 temporary fix to a problem that gets bigger and
10 harder over time and, you know, as was pointed out,
11 if simplicity is an attribute of safety, simplicity
12 is also an attribute of security.

13 I've never seen a complex system
14 adequately protected against cyber attack.

15 So, if you want to protect something
16 against cyber attack, whatever it is you're trying
17 to protect should be as simple as possible. Makes
18 it much easier to do.

19 MS. ZHANG: We appreciate that remark
20 there.

21 We don't see this as -- that any review
22 we do for safety or important-to-safety system as
23 the end all. That this is going to be a completely
24 secure system.

25 There are going to be additional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 measures that's going to have to be implemented on
2 a programmatic level because of evolving threats
3 and so, what we want -- what we hope to accomplish
4 is that if they do choose, if a design certification
5 applicant or a vendor does choose to kind of
6 consider cyber security earlier in the progress and
7 they want to have the NRC review those particular
8 measures that there is a means for them to do that.

9 But, of course, you know, that doesn't
10 remove the fact that we still need a cyber security
11 program to address evolving threats.

12 MR. STATTEL: I mean, I guess part of
13 the workshop here, one of the main objectives is
14 to kind of solicit feedback.

15 Is there -- I'm not hearing a lot of
16 resistance or push back on the idea of us performing
17 these types of reviews during the design
18 certification process or during the license
19 amendment review process. I mean, am I incorrect
20 in that assessment?

21 MR. GROSS: Yes.

22 MR. STATTEL: Okay. That's what I
23 want to hear. I want to hear, you know, the push
24 back. I'm really -- you know, the discussion's
25 kind of gone around in circles here and we're talked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about two-way communications and we've given a lot
2 of good examples.

3 So, I think a lot of us understand, you
4 know, what the problems are, but we really need to
5 decide on a path forward for our regulations. How
6 we go forward and regulate and insure security of
7 these systems. So, I guess I want to get us back
8 on track as far as getting that feedback from the
9 industry.

10 MR. BAILEY: I think Brad wants to say
11 something and then we'll actually address directly
12 your question or comment.

13 MR. YEATES: Yes. My name is Brad
14 Yeates with Southern Company.

15 So, I'm not going to give you that push
16 back just yet. I'll let somebody else do that, but
17 I did -- I think you're not hearing it yet because
18 we're still trying to understand and really, really
19 seeking to understand. So, my question is still
20 along those lines.

21 So, what I have heard is kind of two
22 different perspectives or there's two objectives
23 you're trying to accomplish.

24 The first one I think is very consistent
25 with the safety evaluation and that is if an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 applicant -- a design certification applicant or
2 a COL applicant chooses to implement cyber security
3 controls into the design of a system, you want the
4 ability to review those controls to insure that
5 they do not have an adverse impact on the safety
6 function and that makes perfect sense.

7 And I would submit that you have that
8 authority today. That is part of the safety
9 evaluation.

10 So that you would not need additional
11 rulemaking to assert that, you know, jurisdiction.

12 MR. STATTEL: And I agree with that.

13 MR. YEATES: Yes. Now, the other
14 aspect that I'm hearing, I'm hearing mostly from
15 Deanna, is that you're seeking the opportunity
16 earlier in the design process, in the time frame,
17 to require the implementation of cyber security
18 controls in the design.

19 And I think that's the area where, you
20 know, we need more understanding of really what
21 does that look like. You know, where is that?
22 What we've seen in the presentation is focused
23 mostly on the isolation aspect. But there's, you
24 know, in the Reg Guide 148 -- or yes, 148 or 146
25 controls --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. STATTEL: I think an example would
2 serve us well at this point. So, let's pick a
3 really simple example that a system developer wants
4 to have a password protection feature in their
5 system. Right? So, and we've seen these systems.

6 So, we could review that during the
7 design evaluation and we could say okay, we can
8 enter different passwords, enter incorrect
9 passwords, make sure they don't work, but that
10 doesn't really give us any real assurance that the
11 system is secure because how they control that
12 password, how they share it, you know, with their
13 staff members when the licensee gets the system is
14 really -- that's -- you know, if they just put it
15 on their public website and give everybody access
16 to it or they make the password a non-strong
17 password, it's just 1, 2, 3, 4, then they're really
18 not accomplishing that security objective.

19 But what I can do during the safety
20 evaluation is I can look at the lines of code or
21 I can look at that actual design features and I can
22 look at the testing that was done on that and I can
23 get that assurance like you say that nothing --
24 entering the incorrect password isn't going to
25 prevent the safety system from tripping the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reactor. Okay.

2 And that's that assessment we currently
3 do. So, we're already doing that. That's
4 correct.

5 Now, I don't -- I think requirement is
6 not really what we're after here. We're not -- to
7 ask me, the technical evaluator, to make an
8 assessment of whether that password protection is
9 going to maintain the security of that system
10 without knowing what the licensee's going to do or
11 how they're going to control passwords, that's
12 asking too much of me.

13 But you have the option, I think. I
14 think if the applicant is willing to put those
15 measures in place, I guess there's some degree of
16 assurance that can be achieved as long as you put
17 the right condition. So, you can establish the
18 rules for setting that password. You can
19 establish limits on what the password can be or how
20 it can be disseminated.

21 So, I think what we're trying to do is
22 give you the option. Right. So, like we said
23 before, you know, we already have applicants,
24 design certification applicants, that want to put
25 those types of measures forward, but we're really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not set up. Our processes aren't really set up to
2 do the cyber evaluation part of that. We're only
3 set up to do the SDOE evaluation.

4 MR. YEATES: So, if I were to restate
5 that, repeating back what I'm hearing, you're
6 seeking the authority then during the design review
7 to certify compliance with 73.54 or at least
8 aspects of it.

9 MR. STATTEL: I guess I'm going to let
10 the -- see we -- right now, we don't have the
11 authority to do that in the safety evaluation
12 processes. So, I guess I'm going to defer to NSIR
13 to answer that question.

14 MR. FELTS: Yes, I tried to -- Russ
15 Felts, Deputy Director, Cyber Security
16 Directorate.

17 As we started off the meeting, I tried
18 to have the early stage dispel the potential for
19 that interpretation. That what we're looking to
20 do is a review that would establish compliance with
21 73.54 at the design cert stage because 73.54
22 requires an operational program and so, there's so
23 much more that needs to be done that would be
24 impossible to accomplish at the design cert stage
25 in order to meet 73.54.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We are --

2 MR. STATTEL: I think it's more
3 intended to set you up so that it would be easier
4 for you to complete that certification.

5 MR. FELTS: Easier to complete and more
6 importantly not impossible to complete. Right.
7 We don't want a design sitting on the shelf that
8 is so potentially interconnected or has features
9 that make it virtually impossible to meet the
10 programmatic and performance requirements in
11 73.54.

12 MR. STATTEL: Right. So, reverting
13 back to our example, if I have done an evaluation
14 and I have reviewed the password protection feature
15 not only from a safety perspective, but from a cyber
16 perspective in terms of how those are controlled,
17 what measures are put in place to control that, we
18 can document that and that becomes information that
19 the inspector that's inspecting your cyber
20 security program can use to verify that those
21 measures are being appropriately implemented and
22 it would -- you know, I think the idea is that would
23 go a long way towards achieving the certification
24 that you need to get.

25 MR. FELTS: Yes, and again, I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's important for us to have this conversation
2 we're having right now keeping in mind the options
3 that -- potential options that we laid out. Right.

4 Option 1 would be to review at the
5 design cert stage the application to verify that
6 the licensee or the applicant has considered cyber
7 security. It's very high level. Essentially to
8 verify that they haven't designed a system that
9 can't be secured. I mean, that's really
10 ultimately what we're talking about.

11 Option 2 is verifying that the design
12 incorporates an architecture that limits
13 communication at certain levels to enable that
14 defense in depth requirement in 73.54 to be met.

15 And then Option 3 is the no action
16 option.

17 And as we said at the beginning of the
18 meeting, we are seeking input here. If the
19 industry or others, other stakeholders, have ideas
20 on other options we should consider, we're
21 interested in your input.

22 MS. ZHANG: Yes, and also, you know,
23 for the -- just the password example, we could look
24 at the design of that feature and say, you know,
25 if you claim it's, you know, a ten-letter password,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we can verify it's a ten-letter password, you know,
2 and that it would only accept a ten-letter
3 password.

4 Stuff that's really on the design side.
5 Not how effective it is at protecting a cyber
6 threat.

7 MR. STATTEL: This also goes back to a
8 lesson we learned with the Oconee review. So, as
9 I mentioned before, when we did the Oconee review,
10 our intention was to perform a cyber security
11 cyber-based review as a part of the design
12 evaluation.

13 And what we found was we really weren't
14 able to get any kind of high assurance that the
15 system would be secure once it went into operation
16 because there was too much that had to happen during
17 the installation and there was too many things that
18 the licensee -- we were relying on the licensing
19 to do in order to establish the security of that
20 system.

21 So, if you look -- if you read the Oconee
22 safety evaluation, there's a section in there
23 called -- I believe it's recommended inspection
24 items. So, we realized that we were not going to
25 be able to complete our cyber security evaluation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 during the design evaluation. So, we kind of
2 kicked that over to the inspectors and they
3 followed up during the installation and during the
4 start-up testing and they were looking at what the
5 licensee -- what measures the licensee was taking.
6 Locking keys, password protection, controlling USB
7 ports, things like that.

8 And so, I mean, that was our really only
9 recourse there. So, we kind of pushed that out to
10 the inspection space anyway.

11 So, I think we're really talking about
12 a similar type of turnover and feed forward program
13 between the safety evaluation -- we want to
14 communicate with NSIR. We want to communicate
15 with the future inspectors who are going to be
16 evaluating the cyber security programs. So, you
17 know, we want to have that early on understanding
18 of the design.

19 MR. YEATES: Yes, and this is Brad
20 Yeates.

21 So, just a matter of making sure that
22 it's on the record here, too, the process that we
23 went through for the COL application for the AP1000
24 at Vogtle 3 and 4, we were required to submit our
25 cyber security plan along with that COL application

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so that that plan was -- received a safety
2 evaluation.

3 Now, the vast majority of plan is
4 programmatic in nature, but there is one aspect
5 that is technical design in nature and that was the
6 defensive architecture. So, within that plan, we
7 laid out a relatively detailed architecture that
8 described the communication of functions within
9 the plant and that was reviewed and approved early,
10 very early in the design process.

11 So, I would just submit that there
12 currently is an early design review of that
13 technical aspect of the cyber security design that
14 is part of the Part 52 licensing process.

15 MR. JACKSON: This is Terry Jackson
16 with NRC.

17 So, just to go along with some of our
18 experience with AP1000, I remember they did submit
19 to us sort of the cyber security plan and so forth.
20 I remember the discussions we had with them as it
21 was in -- it was mixed in with the I&C design
22 information as well.

23 We ended up requesting that
24 Westinghouse take that -- the cyber security
25 information out. The reason was because the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 staff, the I&C staff, couldn't make a call whether
2 it met 73.54 or not and we couldn't leave it in there
3 either because we didn't want someone to think it
4 was some sort of tacit approval if it was left in
5 there and nothing was said about it. So, they
6 ended up having to remove that information.

7 Now, in the cyber security plan review,
8 they may have reviewed some design aspects to a
9 certain degree, but it's probably at a higher
10 level.

11 I think overall when the staff was
12 working on, you know, this SECY paper -- and I think
13 one thing to understand is that, you know, we're
14 talking about different kinds of design controls
15 and stuff. We haven't really sat down and
16 identified which ones may be in the scope and which
17 ones may not be in the scope at this time.

18 We felt it was fairly premature because
19 we wanted to go to the Commission and see do they
20 even want us to go here before we expend a lot of
21 resources on it.

22 Now, in the back of our heads, I think
23 there were some things that we thought would be
24 beneficial and we thought well, maybe the industry
25 may think that this will add to efficiency. So,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for example, we talked about the secured
2 development and operational environment reviews
3 that we do in the safety review and we go through
4 and look at that process.

5 Now, it's very similar to probably like
6 the vulnerability assessments and stuff that are
7 done on the cyber security end. So, they look
8 similar and we -- you know, we were thinking well,
9 if we're doing this and then later on, someone else
10 is going to go out and inspect the same thing, but
11 look at it from a malicious standpoint, is there
12 a possibility for efficiency in combining the two
13 and do that up front?

14 So, I think that's kind of the thoughts
15 we had. We didn't necessary have a concrete idea
16 as to what kinds of design controls may go in here.
17 If the Commission gives us direction later on and
18 say you got to do this, that's kind of like a phase
19 two afterwards.

20 MR. STATTEL: I'm hearing a little
21 mixed message here though because I've heard from
22 industry. So, for example, ESBWR submitted a
23 cyber security plan. My understanding is that
24 they did not -- the NRO did not perform a safety
25 evaluation of that plan or issue a safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluation of that plan. Now, AP1000 preceded
2 that. So, they might have -- that might have been
3 done prior to the current policies becoming --
4 going into play.

5 So, you know, because the feedback that
6 Deanna pointed out is that the design certification
7 applicants want to submit plans and want to get
8 safety evaluations performed by the staff and the
9 staff's unable to do that, but then you're telling
10 me the AP1000, that's exactly what had happened.
11 So.

12 MR. JACKSON: I think that was under
13 the COL applicant versus the design certification.

14 MR. STATTEL: Okay. Okay.
15 Understood. Okay.

16 MR. BAILEY: I guess we've had a lot of
17 discussion here and it's been very beneficial and
18 fruitful to what we were looking at from our
19 industry discussions that we had prior to the
20 meeting.

21 Sort of summarizing all the pieces that
22 you heard and Rich, this goes back to sort of, I
23 guess, your request for some feedback in regards
24 to the various options and we felt as an industry.

25 As I noted earlier, definitely

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 appreciate the opportunity to be involved and have
2 these discussions now with the NRC.

3 One of the things, like I mentioned
4 earlier, we did have some questions. We had an
5 initial opinion based on what we saw in the
6 presentation and so, we had some questions to try
7 to understand and clarify that and really
8 appreciate the information that you all provided.

9 As a result of our initial review and
10 the feedback through these questions and answers
11 at this point in time and it sort of is a summary
12 of what all's been presented between the efforts
13 that currently exist with Part 50 and the efforts
14 that exist in Part 73, as an industry, we prefer
15 at this point in time Option 3 that currently has
16 the fact that there's no additional actions needed
17 because the current regulations cover what is
18 needed to insure a secure and safe operating plant
19 in regards to digital and cyber security.

20 That being said, we definitely still
21 would be interested in further discussions or
22 additional opportunities as Bill noted to be
23 involved in further dialogue to try to see are there
24 other options out there. We were basically just
25 looking at Option 1, 2 and 3 and didn't have a lot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of time to really factor in what are all the other
2 options. What are some, you know, scope and
3 boundary type aspects that could be tied to this?

4 Some of the other -- just to reemphasize
5 the points that have been made, the items to support
6 Option 3 and why we feel as an industry we are
7 providing a safe and secure method by going with
8 Option 3 is that Options 1 and 2 at this point in
9 time don't substantially provide anything
10 additional that's outside of Part 50 or Part 73
11 design and cyber security program aspects that
12 would increase or enhance safety and security
13 beyond what's already being done at the facilities
14 themselves.

15 Part 50 covers the safety design
16 review. There's a lot of industry guidance out
17 there and standards that actually insure that
18 things are safe and the right equipment is
19 installed with the right controls and then Part 73
20 insures that we've got a secure platform and secure
21 program at the operating units.

22 Also, the licensees themselves, one
23 option in here is to do one-way transmissions as
24 part of the cyber security program activities as
25 well as the new operating reactors cyber security

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 programs. Data diodes or isolation devices are
2 already factored into the designs. So, from that
3 standpoint just having additional requirements or
4 policies in place wouldn't change anything that's
5 currently already in the system or in the programs
6 that we have at this time.

7 As far as the burden, this sort of
8 alludes to some of the things that Bill touched on.
9 The aspect of including it, paying for it as part
10 of the design and then paying for it again as part
11 of the efforts of 73.54 programmatically. We're
12 not really seeing a potential to reduce the burden,
13 but we're actually seeing the potential to increase
14 having to deal with it twice as we go through the
15 reviews and the program implementation aspects.

16 And then the last point from a summary
17 standpoint is that at this point in time and the
18 framework that we have both for new reactors as well
19 as current operating reactors, we're not seeing a
20 major gap where we're actually having designs that
21 are insecure, designs that do not factor in safety
22 as well as through the design reviews that had been
23 done and also through the inspections that are
24 being addressed at this point.

25 So, in summary, that would be the -- I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guess, the feedback overall from the industry and
2 that is based on the initial review and just the
3 questions that we had, but we are open to additional
4 discussions.

5 MR. HERB: Again, I'd like to
6 reiterate. This is Ray Herb, Southern Nuclear.

7 When we say industry, we are talking
8 operating fleet and not the vendors and the -- I
9 mean, the design review applicants potentially.

10 MR. BAILEY: Thank you.

11 MR. JUNG: Ian Jung with the New
12 Reactors.

13 Thanks for the feedback. That's
14 exactly the purpose of this workshop. Is to get
15 the industry feedback.

16 Terry Jackson and I are in New Reactors.

17 I just want to share a couple of points
18 for more targeting new reactors and defense
19 reactors. Okay.

20 For Option 1, it's three/four years, I
21 mean, that we have gone through internally as well
22 as externally with the ACRS and some of the
23 applicants.

24 There are multiple letters written on
25 kind of broad ACRS concern regarding the two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 aspects of this whole licensing versus inspection
2 framework of the cyber security. ACRS has
3 specifically wrote letters regarding their desire
4 and recommendation that cyber design element
5 should be reviewed in licensing -- at the licensing
6 stage with the right expertise. That was one
7 concern.

8 So, I think the staff has taken at the
9 office level -- through office level discussions
10 that there were multiple options and one of them
11 was a rule about any terms of inspection element
12 that that has implemented in a joint expertise --
13 inspector -- inspection staff jointly is, you know,
14 participating in inspection activity, That's
15 ongoing.

16 There was a sort of a background that
17 led into this potential option. When the ACRS
18 spoke to the Commission about their concern on this
19 broad brush of licensing versus inspection, the
20 Commission was silent on it. So, I think ACRS
21 eventually kind of gave up on raising additional
22 concerns on that.

23 Option 2 became more of a bigger issue
24 for ACRS last two or three years. Wrote actually
25 multiple letters. Okay. One for mPower DSRS.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Difficulties on this standard. IEEE -- I think
2 IEEE Standard 603 briefing to the ACRS as well as
3 Office of Research plan. I think there was another
4 letter.

5 And for Option 2 to consider at least
6 for practicality perspective is -- is for South
7 Texas and other applicants and US-APWR as well,
8 they ended up voluntarily addressing it to address
9 ACRS concerns to get their license -- licensing
10 application approved.

11 So, in reality, South Texas operating
12 records already have those diode air gap measures
13 in place for those boundary devices. So,
14 practicality-wise, I see either -- the reason we
15 couldn't go back to ACRS, don't worry about it.
16 It'll get done under programmatic element down the
17 road. They simply didn't like that answer.

18 They started -- ACRS, I think, provided
19 that recommendation that we could within current
20 framework interpret the certain regulation in such
21 a way this element can be part of the staff guidance
22 that we can modify and review under IEEE 603 and
23 other elements.

24 So, I think -- so, right now, we are in
25 a stalemate with ACRS on that. So, we'd like to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hear potentially or consider for the industry for
2 new reactors and defense reactors to have that very
3 narrow element to be something that we can put it
4 in the books so that we don't have that stalemate.
5 Because technical solution not only cannot do it
6 and then actually empower NuScale and South Texas
7 MHI. They all have no problem doing -- specifying
8 that element as a part of the licensing now.
9 Right.

10 So, Option 2, I want the industry to
11 consider that element. Otherwise staff and
12 applicant as well as ACRS will I expect to continue
13 to have this unnecessary significant burden on --
14 going back and forth on that. I think it's going
15 to still continue to come to the Commission level
16 on this issue for a while. So, I'm just suggesting
17 that to consider.

18 So, one last item is on the defense
19 reactor policy statement of the 2008. Yes, the
20 Commission -- there's one element regarding cyber
21 security element where it's a policy set up in such
22 a way that these -- among all the other features
23 simplicity and all the easy to analyze, easy to
24 approve licensing predictability and stipulate and
25 all that. There's one element also includes a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cyber security and overall plant system design that
2 are developed from the get go so that it minimizes
3 the implementation challenges. There's some
4 language to that.

5 So, sooner or later, it seems like we
6 need to reconcile that policy against the real
7 practice that's happening. It seems like policies
8 that you have to design it's sort of inherently safe
9 and secure design in the policy. But the practice
10 we are doing right now, it might be okay. That's
11 what you're thinking, but maybe we can continue to
12 have a dialogue on maybe longer term future. That
13 is policy versus real practice and hopefully, it's
14 more economic or more logical since we need to
15 consider that all the way.

16 I just want to share those thoughts.

17 MR. CLARKSON: Greg Clarkson with
18 NuScale Power.

19 I'd like to pause a moment and consider
20 the scope of what we talked about today. We've got
21 new plants, existing plants, protection systems,
22 monitoring and indication systems, control
23 systems, corporate networks, a secure development
24 environment, how they're developed, how they're
25 deployed into the plant, the programmatic aspects,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design attributes. This is a lot.

2 And I've heard a lot of examples and a
3 lot of the examples are very specific to a
4 situation. My concern is, and I think maybe this
5 is the concern I'm hearing, there is no single
6 answer to this whole scope of what we're
7 discussing.

8 So, some of the examples that Rich
9 brought up on specifics of safety system design,
10 that's where I'm at with what I'm doing with NuScale
11 Power. I'm designing a reactor protection system.
12 That the priority is to design a protection system
13 that is safe, protects the health and safety of the
14 public period.

15 In the design of that protection
16 system, we identify hazards and we design a system
17 to mitigate those hazards. Part of that design
18 evolution is to consider malicious and
19 non-malicious hazards, cyber whatever you want to
20 call them. The black box doesn't know any
21 different. How can it be defeated? How can the
22 safety function be defeated whether it be malicious
23 or non-malicious? So, it's a hazard.

24 We design mitigation strategies. We
25 change the design. We sometimes live with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hazard because the effect of a hazard is tolerable.
2 But, at any rate, it's a hazard.

3 As it stands now, my understanding, and
4 when this took effect in 2009 time frame, put into
5 regulation in 2011, the staff was asked not to look
6 at, one, aspects of these hazards if they are
7 malicious cyber hazards. That makes no sense to
8 me.

9 Because as a designer, I'm considering
10 it as a hazard. The staff is reviewing that at that
11 level of detail while the design is being -- well,
12 somewhat shortly after the design has been made.

13 The level of knowledge and the level of
14 detail and the level of review effort to get down
15 to that level is so -- is such a burden, why not
16 do it at that time?

17 So, from that perspective, it makes a
18 lot of sense to me for -- I don't know if it's Option
19 2. I've lost track of the options. But, Option
20 1. Okay.

21 So, in that example, it makes a lot of
22 sense to me, but on the other hand, I've been a part
23 of retrofit or existing plant upgrades for a
24 protection system or an ESFAS system. I've done
25 a turbine control system. I've been a part of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process plant computer upgrade. That's a
2 different situation and that doesn't apply the same
3 as it does in doing a reactor protection system
4 design.

5 So, I think that's -- I guess to boil
6 this all down that's the challenge. Is -- we're
7 talking about very specific scopes and how to
8 understand how any changes would affect those
9 scopes. I think specifically for the NuScale
10 Power situation where we're designing attributes
11 into the protection system to mitigate hazards, I
12 think it makes a lot of sense for the staff to look
13 at those as both malicious and non-malicious
14 hazards and credit the designs that have been in
15 place so that that can be carried forward
16 throughout the full licensing process on into
17 operating a plant and being programmatically
18 implemented.

19 MR. PEZESHKI: First, I really wanted
20 to thank you for your comments. You pretty much
21 hit the nail on the head with what we were trying
22 -- what we are trying to accomplish with Option 1
23 and you put it very succinctly and I really do
24 appreciate that.

25 The main reason for the wider scope was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really to achieve regulatory consistency across
2 newer reactors and existing reactors. When
3 putting this together, we were fully cognizant that
4 this was not really a giant leap forward for the
5 existing fleets, but simply just the sense of
6 achieving consistency. It was I'll say the reason
7 why we're going for -- considered cyber security
8 as oppose to these are controls you must implement
9 which would be insane and I think you can agree
10 with that. What if we started specifying like you
11 must have password protection on all your systems?
12 No, that's nuts.

13 But consideration of access control
14 with us accepting the fact that your answer may
15 simply be that's going to be programmatic. We're
16 going to leave that for programmatic. We've got
17 a lovely room with a lock on it. We're fine.
18 That's fine as well. It was considered.

19 But, yes, it's absolutely not going to
20 have a tremendous impact on operating reactors.
21 It's really directed to the reactors, but we don't
22 want 52 to be completely different than Part 50.

23 MR. STATTEL: The staff had discussed
24 one possibility of basically bifurcating this and
25 making different regulations for operating versus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 new reactors, but I'm really opposed to this idea.
2 I think we need to be consistent. I mean, the new
3 reactors become operating reactors and to have to
4 deal with different sets or different criteria for
5 a reactor depending on when it was designed and
6 built, I think that's a burden that we would be
7 pushing to the future that we would always regret.
8 Okay.

9 So, we're really trying to push for some
10 commonality and consistency between the operating
11 and new reactors even though we recognize that the
12 problems are very different for them.

13 MS. ZHANG: But if you have any
14 suggestions of, you know, maybe not total
15 bifurcation, but if there is something different
16 we do for design certification applicants and COL
17 applicants versus a license amendment request,
18 then definitely we would like to hear that.

19 MR. BAILEY: Mike Bailey again with
20 Duke Energy.

21 I think just from an overall
22 standpoint, I think the last two points from new
23 reactors as well as from the vendors pointed to a
24 couple of things.

25 As you look through the wording and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what's in Option 1 and two and three at this point
2 in time and part of the reason, you know, because
3 our industry discussions prior to the meeting
4 involve utilities that had new reactors under
5 development and also had existing plants as well.
6 So, we looked at it from a consistency standpoint
7 and the overall picture. The things that are
8 stated right now are rather broad.

9 I think we've had some real good
10 discussions about specific examples and I think we
11 could probably get some alignment on specific
12 examples and I think if as we have further
13 discussions, if we can further define the scope,
14 further define where these actual options are.
15 The example on the new reactor side was very limited
16 and very focused were the words used.

17 Whereas, the options currently
18 presented are very broad and encompassing and so,
19 from that standpoint, that was the one big concern
20 we had from a new reactor as well as an operating
21 reactor standpoint.

22 Where exactly do we land? If we say our
23 feedback would be Option 1, then once we get into
24 the details, we're really okay, well, okay, we
25 really like Option 3 now. So, I think that's one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing we probably need to have additional
2 discussions on and get further details so we can
3 actually get some of that alignment between both
4 the NRC and the utility at that point.

5 MR. HERB: Again, one last thing, too,
6 from the industry, from the existing industry,
7 there's already a lot of uncertainty with digital
8 systems and particularly digital in safety and I
9 think that adding additional requirements
10 inspections to consider malicious versus
11 non-malicious when they really result in the same
12 issues may just drive the industry to put in analog
13 protection systems.

14 MR. GROSS: Which you can buy on eBay.
15 It sounds to me digital's not really,
16 you know, nuclear digital I guess is really sort
17 of a strange beast that I don't really have a good
18 understanding of, but it sounds like the measures
19 and the guidance and the requirements that are in
20 place today regarding access control for these I&C
21 systems appear to be more than adequate for
22 non-malicious acts.

23 Is that a true statement?

24 And the concern that we're addressing
25 here is whether or not we should be integrating a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 treatment into the design to thwart or be able to
2 defend against a malicious act against the I&C
3 system for cyber security.

4 You know, the NRC's regulatory
5 framework that incorporates cyber security is in
6 its DBT requirements. Where a cyber attack is one
7 attribute of the radiological sabotage design
8 basis threat. So, it's one tool in the adversary's
9 toolbox and I get a little concerned when we talk
10 about now sort of having this standalone vision
11 that cyber is somehow different and we need to treat
12 it different.

13 My concern is if we start requiring
14 licensees or providing clear expectations on how
15 a licensee should incorporate or treat cyber
16 security, i.e., how the safety system should defend
17 itself against malicious acts just for cyber opens
18 the door for us now to require the system to be
19 designed to withstand a physical act within the DBT
20 as well and I really do think that that is a --
21 that's a tremendous change in the way the
22 Commission has treated safety or, you know, the
23 design of these facilities and the implementation
24 of the cyber security program and the physical
25 protection program.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. STATTEL: I'm not sure I understand
2 your point because I kind of disagree. I think our
3 current policy is actually pretty consistent with
4 the way we have treated, for instance, analog I&C
5 systems in the past.

6 So, for example, we did not -- design
7 engineers did not necessarily consider malicious
8 acts or sabotage-type activities for designs of I&C
9 systems back in the 1970s and the '80s.

10 However, the NRC did require security
11 protection at the plant. So, the physical
12 security was put into place and it was treated
13 separately. It was treated as a separate entity.

14 So, the way I see it is the way we have
15 separated this for cyber security for digital
16 systems, it's actually pretty consistent with the
17 way we treated these systems even before the
18 digital systems were coming into play.

19 So, I'm not quite sure I understand your
20 point.

21 MR. GROSS: I may have misstated. But
22 you accurately characterized my concern. Which is
23 there is and Reg Guide 1.152 Rev 3 makes a very clear
24 demarcation between the safety system as designed,
25 you know, up to this point to address non-malicious

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acts and the Part 73 program as implemented to
2 protect the system against malicious acts.

3 What I see in this paper is throwing all
4 that out the window and saying design features
5 should be incorporated into the I&C system so that
6 it can withstand a malicious act just for cyber and
7 that opens the door to do the same thing for
8 physical and that's where I get concerned.

9 MS. ZHANG: We're not asking for that.
10 It must be -- yes, it's not our intent to specify
11 that cyber security features must be incorporated
12 into the design, but if you were to consider cyber
13 security earlier in the design process, you know,
14 you can submit that information for NRC review.

15 I think it's similar for physical
16 security, but I may be wrong. If they voluntarily
17 submit physical security information, you know, we
18 can review it.

19 MR. GROSS: Thank you.

20 MR. JONES: I think at this point why
21 don't we take just ten minutes and what I'd like
22 to do is come back and then get our industry
23 participants on the bridge line who haven't yet had
24 a chance to throw questions in here. Let's start
25 to bring that in.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, if we could come back at why don't
2 we say 10:45. Thank you.

3 (Whereupon, the above-entitled matter
4 went off the record at 10:34 a.m. and resumed at
5 10:46 a.m.)

6 MR. JONES: Okay. Folks, we're going
7 to try and bring in some questions on the phone from
8 industry. It's going to be really, really
9 difficult to hear them based on how hard it's been
10 to hear the operator so far. So, if we could, let's
11 listen for the question coming in. It's going to
12 come in through the overhead and then somebody gets
13 it or if I get it, we'll repeat the question and
14 then we'll take off from there.

15 OPERATOR: Thank you. We will now
16 begin the question and answer session. If you
17 would like to ask a question, please press star-1.
18 You will be prompted on the earphone to record your
19 name and again, that's star-1 to ask a question from
20 the phone lines.

21 We do have a question in the queue.

22 MR. JONES: Go ahead.

23 OPERATOR: Our first question comes
24 from Mike Berube. Your line is now open, Mr.
25 Berube.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. JONES: Mr. Berube, please give
2 your name and your affiliation.

3 MR. BERUBE: Yes, this is Mike Berube
4 actually with GE Hitachi.

5 And a couple of things I wanted to
6 mention. Earlier, you mentioned that for the
7 ESPWR-certified design that our cyber program was
8 not reviewed as part of the FSER and I'm looking
9 at a section of that now, Chapter 7, that dealt
10 specifically with the SDOE and our LPR for our cyber
11 security program is mentioned in there many times
12 and referenced several times in there as well as
13 some additional LPRs that we have submitted and got
14 NRC approval that relate to our software management
15 plan and SQA plan.

16 So, the NRC is well aware of our efforts
17 to integrate cyber security into the design of all
18 the digital systems that make up ESPWR design.

19 MS. ZHANG: So, to answer that question
20 --

21 MR. BERUBE: The other thing I wanted
22 to point out was or ask a question was
23 EPRI along with representatives from the industry
24 has done a good job in putting together some cyber
25 security procurement methodology and in there,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they even point out the relevant NEI 08-09 or Reg
2 Guide 5.71 controls that would apply or could --
3 you know, a vendor could provide some added benefit
4 to. Kind of a shared type of a responsibility and
5 we are utilizing that guidance as we go forward.

6 So, I think some of what you're
7 concerned about is kind of already being addressed
8 in other areas and cyber definitely is being
9 integrated into the design of the new plants going
10 forward at least in our case.

11 MS. ZHANG: This Deanna Zhang. I'm
12 going to respond to your questions.

13 For the first one, yes, we do recognize
14 that the cyber security program plan that GEH
15 submitted was reviewed, but it was only reviewed
16 for the SDOE portion. There were clear statements
17 that were written in the SER to state that it was
18 not reviewed with respect to 10 CFR 73.54 for
19 addressing malicious acts.

20 And for the --

21 MR. BERUBE: That's true. I agree
22 with that. But I think that his statement earlier
23 was that there was no cyber aspects at all in our
24 review and that I just wanted to clarify.

25 MS. ZHANG: Yes, we just mean to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 address malicious.

2 So, for the second point, we do
3 recognized that industry vendors are taking
4 measures to address cyber security early, but those
5 measures would not be able to be reviewed by the
6 NRC if that was desired by the design certification
7 applicant or licensee.

8 So, we're just looking at means to
9 perform that licensing review so that you can get
10 a safety evaluation on those particular features
11 with respect to malicious acts.

12 MR. JONES: Next question please.

13 OPERATOR: Our next question comes
14 from Ken Scarola. Your line is now open.

15 MR. SCAROLA: Yes, thank you. My name
16 is Ken Scarola from Nuclear Automation
17 Engineering.

18 I just wanted to make a comment. I
19 really don't have a question.

20 And I just wanted to say that many of
21 you have probably seen my presentations or maybe
22 -- or maybe you have heard my discussions about the
23 obstacles to analog to digital migration.

24 And the most significant of those is the
25 unpredictable costs of what digital systems really

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 take to install and I think everyone knows the
2 changes that occur late in the design project for
3 any reason and that would include a cyber security
4 inspection at the plant can be detrimental to cost.

5 So, having an NRC review very early in
6 the project is essential to achieve cost
7 predictability and this is especially important
8 when you have systems that include non-safety to
9 safety by directional data communication.

10 So, I am fully supportive of what I've
11 heard in this meeting today. I think the NRC or
12 NRR and the NRO should be reviewing these safety
13 systems designs for adequate cyber security
14 measures.

15 That's my first comment. Just I'm very
16 supportive of this.

17 Second, I wanted to emphasize the
18 importance of what I heard from Rich Stattel about
19 needing to have the same regulations and the same
20 guidance for both new plants and operating plants.
21 It can be really confusing downstream if we don't
22 have the same guidance because as Rick said a new
23 plant becomes an operating plant.

24 Therefore, it just makes no sense to me
25 that we wouldn't even think about having different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regulations or different guidance.

2 That's all I have to say. Thank you.

3 MR. JONES: Thank you. Next question.

4 OPERATOR: And again, if you would like
5 to ask a question, please press star-1. You will
6 be prompted to leave your phone number, record your
7 name and again, that's star-1 to ask a question.

8 And at this time, I'm showing no
9 questions in queue.

10 MR. JONES: Okay. Would you put
11 everyone back on listen only, please?

12 OPERATOR: Sure.

13 MR. JONES: Okay. Deanna, back to
14 you.

15 MS. ZHANG: Again, I would like to
16 thank you guys for coming here and for those who
17 are participating on the phone. I think we've
18 heard some pretty good feedback from everyone here
19 and we would like to continue to engage industry
20 in gaining more feedback from you as we progress
21 in our -- in the development of our SECY paper.

22 MR. JONES: One last comment, if we're
23 through with the industry NRC discussion, we need
24 to offer the public a chance if there's anyone on
25 the line. So, let me try that again.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Operator, are you still there?

2 OPERATOR: Yes, I'm here. We do have
3 a couple of questions in queue and one moment
4 please.

5 Our first question come from Kelly
6 Deopani (phonetic).

7 MR. DEOPANI: Hello. This is Kelly
8 Deopani from I&C Engineering, GE Hitachi.

9 The question I have is regarding
10 performing static and dynamic analysis. My
11 understanding is that performance of static and
12 dynamic analysis is a security requirement. How
13 the NRC will insure that this requirement is
14 precisely implemented? So, this maybe goes under
15 Option 1. After you identify the security
16 requirements, you still need to perform some
17 programmatic controls like performing static and
18 dynamic analysis and the static and dynamic
19 analysis are listed under 5.71, Reg Guide 5.71.

20 So, how does the NRC plan to enforce
21 this requirement?

22 MR. PEZESHKI: Thank you. This is
23 Jonah Pezeshki, NSIR.

24 So, first, I just want to state that the
25 Option 1 that we've described that talks about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design level cyber security requirements is not
2 intended to replace the current programmatic cyber
3 security requirements nor the cyber security
4 inspections that would occur after implementation.

5 So, to answer your question, those
6 systems would still be subject to the cyber
7 security programmatic level requirements and the
8 corresponding inspections.

9 MR. DEOPANI: All right. Thank you.

10 MR. JONES: Next question please.

11 OPERATOR: Next question comes from
12 Mark. Your line is now open.

13 MR. KING: Thank you. In the
14 presentation materials --

15 MR. JONES: Mark, would you please give
16 your name and your affiliation or general public?

17 MR. KING: Mark King, NuScale Power.

18 In the presentation, it indicates one
19 section of Reg Guide 5.71, Section D.1.4 that would
20 possibly be included during DCA.

21 Are there thoughts on entertaining or
22 are you entertaining thoughts on any other sections
23 being applicable? For instance, Appendix C,
24 Section C.12.5 regarding some very specific things
25 that the licensee would today be required to insure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of their contractors or vendors.

2 MS. ZHANG: That one was particularly
3 called out because it addressed the defense
4 architecture and the boundary device between the
5 different security levels of the cyber security
6 defense architecture. So, it was very specific to
7 Option 2.

8 We have not looked at the wide range of
9 security controls in Reg Guide 5.71 and done a 141
10 analysis of what we would look at. So, that's
11 something we would consider in the -- as we were
12 developing the SECY paper. More -- you know, and
13 also as we -- if we were told that we can go proceed
14 with rulemaking, then, you know, we would probably
15 look at it in more detail, too.

16 MR. KING: Because some of those are
17 specifically activities that would start during
18 design time. So, it would seem appropriate.

19 MS. ZHANG: Yes, we understand. It's
20 more specific to the procurement specifications
21 addressing development. The development of
22 systems.

23 MR. KING: Okay. Thank you.

24 MR. JONES: Next question please.

25 OPERATOR: Our next question comes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from Mike Berube. Your line is now open.

2 MR. BERUBE: Yes, this is Mike Berube
3 from GE Hitachi again.

4 Just as a follow-up from earlier and I
5 think it's been brought up a few times, this
6 difference between non-malicious and malicious
7 acts.

8 Does the NRC have a definition of their
9 scope of what they are going to consider malicious
10 acts that would need to be protected against and
11 incorporate into the design?

12 MS. ZHANG: I think we just called the
13 cyber threat as defined in 73.1. I believe it's
14 the design basis threat.

15 So, I don't know if NSIR would like to
16 add anything else. Okay. No.

17 MR. BERUBE: So, are there specific
18 criteria in 73.1 that they are spelled out?

19 MS. ZHANG: I don't think so.

20 MR. BERUBE: So, that would need to be
21 defined then as part of that SECY paper I assume?

22 MS. ZHANG: Maybe as part of the role.
23 We have -- I don't know if we -- yes, I don't think
24 we would probably be defining that as part of the
25 SECY paper.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BERUBE: Okay. Well, that is
2 obviously important because if we don't know what
3 is considered a malicious act, then we don't know
4 what to protect against.

5 MR. PEZESHKI: Oh, I just wanted to
6 clarify. In this case, the SECY paper would be a
7 request from the Commission to proceed with
8 rulemaking.

9 The specifics of what would be
10 considered a malicious act and the specific
11 controls would be considered once we get permission
12 to proceed with rulemaking as a part of the
13 rulemaking effort.

14 MS. ZHANG: But, currently, you know,
15 to address the cyber threat, I think licensees
16 understand what they need to protect against from
17 a cyber attack. So, you know, I don't know what
18 else we need to define in that case.

19 MR. BERUBE: So, you're saying to the
20 licensees what characterizes a malicious act is
21 already defined? So, can we just adopt that?
22 Where would I look for that?

23 MS. ZHANG: Seventy-three point two.

24 MR. BERUBE: Okay.

25 MR. JONES: Thank you. Next question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 OPERATOR: Again, if you would like to
2 ask a question, please press star-1.

3 MR. JONES: Okay. Hearing no other
4 questions, I guess we'll conclude the meeting.

5 Thank you for coming and I want to point
6 out that there are public meeting feedback forms
7 here on the table or you can get them online
8 underneath the public meeting notice and it's an
9 attachment to the notice.

10 Any other final comments? Then we're
11 done. Thank you.

12 MS. ZHANG: Thank you.

13 (Whereupon, the above-entitled matter
14 was concluded at 11:02 a.m.)

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6