# UNITED STATES OF AMERICA NUCLEAR REGULATORY COMMISSION

Title: BRIEFING ON OVERVIEW OF NRC RESEARCH PROGRAM

Location: ROCKVILLE, MARYLAND

Date: JULY 20, 1993

Pages: 98 PAGES

# SECRETARIAT RECORD COPY

### NEAL R. GROSS AND CO., INC.

COURT REPORTERS AND TRANSCRIBERS 1323 Rhode Island Avenue, Northwest Washington, D.C. 20005 (202) 234-4433

## DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on <u>July 20, 1993</u> in the Commission's office at One White Flint North, Rockville, Maryland. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determination or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of, or addressed to, any statement or argument contained herein, except as the Commission may authorize.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

#### NUCLEAR REGULATORY COMMISSION

- - - -

BRIEFING ON OVERVIEW OF NRC RESEARCH PROGRAM

PUBLIC MEETING

. \_ \_ \_

Nuclear Regulatory Commission One White Flint North Rockville, Maryland

Tuesday, July 20, 1993

The Commission met in open session,

pursuant to notice, at 1:30 p.m., Ivan Selin,

Chairman, presiding.

COMMISSIONERS PRESENT:

IVAN SELIN, Chairman of the Commission KENNETH C. ROGERS, Commissioner FORREST J. REMICK, Commissioner E. GAIL de PLANQUE, Commissioner

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

STAFF SEATED AT THE COMMISSION TABLE:

SAMUEL J. CHILK, Secretary

DONALD HASSELL, Office of the General Counsel JAMES TAYLOR, Executive Director for Operations ERIC BECKJORD, Director, Office of Research CLEMENS J. HELTEMES, JR., Deputy Director, Research THEMIS SPEIS, Deputy Director for Research

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

ľ	3
1	P-R-O-C-E-E-D-I-N-G-S
2	1:30 p.m.
3	CHAIRMAN SELIN: Good afternoon, ladies
4	and gentlemen.
5	We're pleased to welcome the staff to
6	brief us on the NRC research program. The goal of the
7	program is to provide the independent expertise and
8	technical information needed to support our regulatory
9	activities and to develop the regulations and
10	guidelines necessary to implement Commission policy.
11	Commissioner Remick and I went down to OMB
12	about a year and a half ago to try to find all the
13	other places in the federal government where nuclear
14	safety research was being carried out and, folks, you
15	are it, so we're depending entirely on you for our
16	independent basis.
17	Today's briefing will provide an overview
18	of the research program. There are a large number of
19	topics in the handouts, reactor licensing support,
20	reactor regulation support, nuclear material, low-
21	level waste safety, and high-level waste disposal
22	safety assessment. We have two hours, so what we're
23	going to do is we will just take this a topic at a
24	time.
25	Now there's a risk, of course, that the
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVENUE, N.W.         (202) 234-4433         WASHINGTON, D.C. 20005         (202) 232-6600

overview of the research program might be lost in this, but, since we have such an interest in each of the areas, I think this will probably be the most efficient way and we will cut off at 3:30 and if we haven't gone through the material then we'll reschedule a second piece at which point, Mr. Taylor and Mr. Beckjord, we'll expect you to summarize the program and the priorities, but we'll follow this bottoms-up approach if that's acceptable.

We were briefed earlier this month by the 10 11 Nuclear Safety Research Review Committee on many of the activities that will be covered today. We would 12 be interested in any new perspectives or updates that 13 the staff may wish to make regarding the briefing that 14 we received earlier this month regarding what you have 15 to talk about today and other related topics, but we'd 16 17 encourage the staff to emphasize findings that resulted from the research activity as well as closure 18 19 plans on major issues.

Of course, the viewgraphs are available at
the entrance to the room.

Commissioners?

Mr. Taylor?

24 MR. TAYLOR: Good afternoon.

With me today are Eric Beckjord, Themis

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

7

8

9

22

23

25

1	
Ŧ	

.2

3

4

5

Speis, and Jack Heltemes.

I should note that the Commission has been briefed on parts of the research program, but it's been at least several years since we've given a complete overview.

I'll start off by noting that there 6 certainly have been changes in the conditions and 7 emphasis of the program in recent years. There have 8 9 been budget pressures which have increased. We have focused the research effort on the regulatory needs of 10 11 user offices. Completion is now in sight for extensive research in severe accidents and nuclear 12 power plant aging, including aging during extended 13 operation under license renewal. 14

15 There is new emphasis in research on passive and advanced light water reactors. There's 16 increased emphasis on international safety research 17 cooperation, cooperation with Eastern Europe, the 18 successor states of the former Soviet Union. 19

20 Other safety research programs in support 21 of reactor licensing and regulation in connection with nuclear materials and waste continue with occasional 22 adjustments to address emerging issues. 23

The presentation this afternoon will cover 24 25 an overview of the major research programs NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-6600

Ĭ	6
ı	constituting the overall program. We'll identify the
2	issues addressed, note important results and outline
3	the plans for completion.
4	Doctor Beckjord will continue.
5	DOCTOR BECKJORD: Thank you, Mr. Taylor.
6	Mr. Chairman, Commissioners, I'm pleased
7	to be here to present this overview to you. It's been
8	several years, as Mr. Taylor said, since we've done
9	this although we have presented parts of the program
10	in the intervening time.
11	(Slide) Could I have the first slide,
12	please?
13	This is the outline of the presentation
14	and it is in fact the budget as well. It's the
15	current budget structure and so it shows functions
16	that we're carrying out. It's not an organizational
17	slide.
18	I am going to focus on the research
19	program and attempt to get through as much of it as
20	time will permit between now and 3:00. I do have some
21	general observations at the end on the program and on
22	administrative actions that are underway.
23	(Slide) If I could have the second slide,
24	please, this is the budget in dollars in the left-hand
25	column by these same categories and the FTE allowance
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVENUE, N.W.         (202) 234-4433         WASHINGTON, D.C. 20005         (202) 232-6600

for fiscal year 1993 is shown in the columns on the right. There are three columns there: the part of personnel, the part of the FTE budget which is devoted to research on the left of the three; regulation development in the middle column; and the sum of the two in the right-hand column.

7 COMMISSIONER REMICK: Eric, on that slide 8 on regulatory development on nuclear materials and 9 low-level waste, I was surprised to see the number of 10 people in regulatory development in those two areas. 11 What are the type of things -- and I see that's for 12 fiscal year '93 -- what are the type of things that 13 they are doing?

DOCTOR BECKJORD: Well, first of all, since you've called our attention to that, there is a correction which I should make in the distribution on low-level waste. The total of 25 is really 9 on research and 16 on regulation development, so there's a difference of two each way there.

I think the left-hand column is indicative 20 21 of the research, which I will be covering, and the middle column is the people who are working on the 22 23 nuclear material support, which is medical 24 applications, things of that nature, as well as 25 decommissioning. And, by the way, low-level waste is NEAL R. GROSS

> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

> > WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

14

15

16

17

18

19

(202) 232-6600

Ĩ	8
1	low-level waste and decommissioning. The budget says
2	"low-level waste," but when you read on further it
3	says "low-level waste and decommissioning" and that's
4	what's indicated here. So, we have a substantial good
5	effort in decommissioning which is taking place under
6	the low-level waste
7	COMMISSIONER REMICK: Could you give me
8	some examples of that because I just didn't have a
9	feeling for the type of activities in those two areas
10	that we would be doing in the regulatory
11	DOCTOR BECKJORD: Well, that's covered in
12	the I was going to cover that later
13	COMMISSIONER REMICK: Okay. Later on.
14	Okay.
15	DOCTOR BECKJORD: when we get to it.
16	COMMISSIONER REMICK: Okay. I was trying
17	to contrast the research activity and the regulatory
18	development.
19	DOCTOR BECKJORD: Well, the presentation
20	today, the focus is on the research part and not on
21	the regulatory development. So, I don't have a slide
22	which covers the regulation development. But we can
23	comment on that.
24	MR. TAYLOR: I think, Jack, you can
25	probably comment on that when we get to it.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 232-6600

I	9
1	Do you mind waiting?
2	COMMISSIONER REMICK: Whatever. Whatever.
3	DOCTOR BECKJORD: As a matter of interest,
4	the FTE allowance for the end of this fiscal year is
5	240. The actual number of people on board is 244.
6	So, we are approaching that level. The numbers look
7	good, but there are imbalances in skills that are
8	required and it's going to take some time, as I think
9	we've as you've been made aware before, to recover
10	that balance.
11	(Slide) Okay. If I could go on to the
12	third slide.
13	The first topic is the support of standard
14	reactor designs. The issue can be summarized as
15	follows. Operating plants depend on emergency power
16	in the event of such things as station blackout to
17	operate emergency safety systems. The aim of the
18	passive plant design is to remove this dependence to
19	the greatest extent possible and to create designs,
20	nuclear plant designs that after an accident would
21	require only minimal human operator actions to
22	maintain a safe and stable condition, at least for a
23	period of time, several days. This would allow
24	adequate time for planning and preparing whatever
25	additional response might be needed.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-6600

The question is whether the passive plant dependencies on such passive components as check valves and on the low head of gravity pumping systems, which are very simple in principle, but whether that dependence is going to be reliable. One thing that we 6 know is that designs which are simple in concept tend 7 to become more complex in the course of actual design development. So, it is that question of pursuing the detailed designs against the question of reliability that we're looking at. 10

11 (Slide) If I could have the next slide, 12 please.

First, this relates to the design basis 13 thermal hydraulics for the AP600. A careful study was 14 15 done by our thermal hydraulics people beginning some 16 time ago actually, beginning perhaps four years ago, 17 on the thermal hydraulic performance of the AP600. At that time it was for the purpose of -- it had several 18 19 purposes. One was a scaling review and that turned 20 out to be important because we had to make a choice of 21 what size test facility we would go for. The ROSA-V 22 test facility, which will carry out the AP600 test, is at a volume scale of 1 to 30, which is quite a good 23 24 scale size.

The work was also done for the purpose of

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

25

1

2

3

4

5

8

selecting the critical test to be done and 1 to prioritize these tests and for the AP600 we believe 2 that the most important tests are the small break loss 3 of coolant accident, the steam generator tube rupture, 4 the main steam line break, the pressure balance line 5 That's the connecting line between the core 6 break. 7 makeup tank and the pressurizer, and the reactor vessel injection line break and finally a failure of 8 the ADS, an inadvertent opening of the automatic 9 depressurization system valve. 10 11 So, the results of this early analysis came up with this list of tests and it has been very 12 helpful in the plan and designing of the test facility 13 14 at ROSA. Eric, is that 15 COMMISSIONER de PLANQUE: all on schedule? 16 17 DOCTOR BECKJORD: Yes. 18 COMMISSIONER de PLANQUE: Okay. DOCTOR BECKJORD: The facility will be 19 20 turned over for check out in December of this year and if there are no problems that will take about a month 21 and it should start the testing cycle in January. 22 23 CHAIRMAN SELIN: Are there any other clever questions we should ask? Is the test design on 24 schedule? Is the analysis on schedule? You know, is 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005

(202) 232-6600

	12
ı	the whole program doing okay?
2	DOCTOR BECKJORD: The analysis on AP600 is
3	well on schedule. The next slide I'm going to come to
4	I can't make that claim, but it's going very well. In
5	fact, the list the test list has grown somewhat
6	from what you heard a year ago when we were proposing
7	it. So, I think that program is proceeding very well.
8	CHAIRMAN SELIN: Okay. Well, if you have
9	a good one, you ought to polish it up and
10	DOCTOR BECKJORD: Parade up.
11	COMMISSIONER REMICK: Eric, it's my
12	understanding that the Japanese ran some experiments
13	before they modified ROSA-V mocking up the AP600,
14	mocking up core makeup tanks and so forth. Do we have
15	access to that data and have we done any validating of
16	our codes based on that information?
17	DOCTOR BECKJORD: No, we haven't done any
18	code validation. I think we're aware of the test.
19	Yes, we do have the data.
20	COMMISSIONER REMICK: We have the data?
21	On that slide you also indicate that you're still
22	considering a use of the Oregon State University
23	reactor. Why has not a decision been made on that?
24	What's the hold-up on deciding whether to do it or
25	not?
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-6600

l	13
1	DOCTOR BECKJORD: Well, the facility is
2	still in construction and it's a Westinghouse facility
3	and they have their own test series. The testing that
4	we would do on it would be when they are finished.
5	So, when the time comes for that, I think that we will
6	that's the time that we would open discussions.
7	COMMISSIONER REMICK: It's an Oregon State
8	facility, isn't it? I mean Westinghouse is paying for
9	the use of it.
10	DOCTOR BECKJORD: Westinghouse built it at
11	Oregon State University. It's a contract there.
12	COMMISSIONER REMICK: I thought it already
13	no, you're right, it was recently constructed.
14	DOCTOR BECKJORD: I think this fall it
15	will be completed and go into test. There are some
16	things that we're thinking about. What would be done
17	there is the test of the long-term cooling systems,
18	the in-reactor water storage tank and how that
19	provides water over a long period of time.
20	I think that there's a good possibility
21	that we would want to proceed and my understanding is
22	that it's available for it would be available for
23	doing testing on a contract.
24	(Slide) If I could have number 5, please,
25	Bob.
·	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 232-6600

This slide shows the status of the design basis accident work in thermal hydraulics on the General Electric SBWR and the AECL CANDU-3. The first point is that the SBWR is a smaller departure from design practice compared to the latest BWR designs in comparison with the Westinghouse AP600, which is more of a departure from their standard design concepts. So, the program for doing tests and for validating codes on the SWBR is in concept and I think it will be in fact a simpler program to carry out.

11 What's underway now is a review of the 12 design and calculations. We're about perhaps nine months behind the schedule that we had on the AP600. 13 In other words, the status of calculations for the 14 15 SBWR is perhaps about nine months behind the AP600 16 work. We have been observing and will observe future 17 tests that GE is doing on its own, both in Switzerland We are about to award a contract to a 18 and in Japan. 19 university for the test facility itself. I can't yet 20 disclose this in public because the negotiations are not complete. But our intent is to construct the test 21 loop, carry out the test program and improve whatever 22 23 models in the codes need to be improved for the purpose of then turning around and analyzing the full 24 scale SBWR. 25

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

7

8

9

As I say, that program is -- I want to emphasize the program hasn't slipped, it's always been behind the AP600 test program. But the facility is -once the work on the facility gets underway, I think it will be completed in good time and tests will start on schedule when -- about a year.

7 The final point there on CANDU, the Atomic 8 Energy of Canada eliminated CANDU-3. The note here 9 relates to the request of the AECL for certification of the CANDU-3 design as opposed to the preliminary 10 design review of the concept which AECL originally 11 12 requested. The research that we're looking at addresses the matter of the positive moderator 13 14 coefficient considering anticipated trip without scram and also severe accidents for this reactor. 15 The principal difference is the horizontal core and the 16 17 use of the heavy water moderator. So, that will make 18 some difference to severe accident sequences. The program which we are going to outline and present to 19 you late this fall will account for those things. 20

CHAIRMAN SELIN: How much of your plan is postulated on any particular AECL plan as opposed to some other plan? In other words, if you knew that they were going to stay in this precertification indefinitely, would you do one thing, if you expected

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

21

22

23

24

25

(202) 232-6600

Ī	16
1	an application for certification would you do
2	something different?
3	DOCTOR BECKJORD: Well, I think there's a
4	difference of magnitude in the two, yes. I think that
5	in the preapplication you could probably do a lot of
6	analysis. It seems to me that when you're talking
7	certification the question of testing comes up.
8	CHAIRMAN SELIN: What is the assumption in
9	your plan?
10	DOCTOR BECKJORD: Well, we're developing
11	that plan now. I think today I would say that very
12	likely that would call for some kinds of experiments
13	for certification.
14	MR. TAYLOR: This is going to take a
15	Commission decision on what we do here. If we do
16	analysis it's one thing. If we begin to look at in-
17	depth research, then the issue becomes, I think, the
18	line that the Commission has drawn for the research
19	that we're conducting on AP600 and SBWR. This is
20	research not required for certification. It's
21	confirmatory research. Then the question for CANDU
22	will be is this research necessary for a certification
23	process? We're not ready to answer that question yet,
24	but that's an important question that will have to be
25	considered if they decide they are going to come in
	NEAL R. GROSS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

for certification. So, keep that in --1 COMMISSIONER ROGERS: Well, do you have to 2 wait for them to firm up that or document that 3 decision? My understanding is they said they're 4 5 coming in for certification, but to what extent they back that up with paper, I don't know. But do you 6 7 have to have that in hand to be able to decide what 8 research would have to be done if, in fact, they do 9 come in for certification? 10 MR. TAYLOR: I think we can lay out basic 11 plans. 12 Do you all agree? DOCTOR BECKJORD: Yes. 13 14 MR. TAYLOR: Before they make that decision. 15 That's what we'd come to tell you. DOCTOR BECKJORD: 16 It's based on the 17 assumption that they will come in with their request for certification. 18 19 MR. TAYLOR: We will outline the type of 20 program that would be necessary --21 COMMISSIONER ROGERS: Can you put a cost on that? 22 DOCTOR BECKJORD: I'd rather not at this 23 24 point. I mean it just would come off the top of the 25 head. NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005 (202) 232-6600 (202) 234-4433

	18
1	MR. TAYLOR: We're not prepared
2	COMMISSIONER ROGERS: No, I mean not right
3	here today, but I'm just saying that is it possible to
4	
5	DOCTOR BECKJORD: Well, I think when we
6	come in with a plan we'll have a pretty good idea.
7	MR. TAYLOR: We'll have an estimate.
8	DOCTOR SPEIS: May I say something? One
9	of the things that we will ask them to do is for them
10	to do certain experiments or certain tests basically.
11	So, we're not talking about what we will do ourselves,
12	but what we think they should do to support the
13	certification.
14	COMMISSIONER ROGERS: Well, that's a
15	separate question from what we're talking about today.
16	Today we're talking about what we're doing or what we
17	might do.
18	DOCTOR BECKJORD: No.
19	COMMISSIONER ROGERS: No?
20	DOCTOR BECKJORD: What I was addressing
21	was the question of what are the kinds of results that
22	might be needed in connection with the certification,
23	regardless of who does it.
24	MR. TAYLOR: Of who does it.
25	COMMISSIONER ROGERS: Oh, I see.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 232-6600

Ĩ	19
1	DOCTOR BECKJORD: Either us or in Canada.
2	COMMISSIONER ROGERS: Oh, I see. All
3	right. Well
4	MR. TAYLOR: I think there are two pieces
5	to it.
6	COMMISSIONER ROGERS: To whatever extent
7	you can sort those out would be very helpful if you do
8	come to some conclusion that we should do something
9	versus they must do something. That would be helpful
10	to know.
11	MR. TAYLOR: We will make that
12	distinction.
13	COMMISSIONER REMICK: And I'd just like to
14	add to that. On the part that if you determine there
15	are things that we should do for confirmatory reasons,
16	I trust you'll identify what should be done, not
17	necessarily what we can do within our anticipated
18	resources. In other words
19	MR. TAYLOR: Yes.
20	COMMISSIONER REMICK: At least should we
21	identify what should be done from a confirmatory
22	standpoint and regardless of whether the resources are
23	there or not, we should at least know rather than
24	somebody coming and saying, "This is what we'll do for
25	confirmatory, but we didn't know that perhaps we
	NEAL R. GROSS         COURT REPORTERS AND TRANSCRIBERS         1323 RHODE ISLAND AVENUE, N.W.         (202) 234-4433         WASHINGTON, D.C. 20005         (202) 232-6600

Ĭ	20
1	should have done more." I hope you'll include that.
2	DOCTOR BECKJORD: Well, our first step
3	will be to prepare a plan for what we think should be
4	done and then the next step would be to look at it and
5	see what we think ought to be done in one place as
6	opposed to another.
7	MR. TAYLOR: We'll keep you informed.
8	COMMISSIONER REMICK: Yes.
9	DOCTOR BECKJORD: (Slide) If I go to
10	slide 6, please.
11	The next topic is reactor aging and
12	license renewal and the issue here expresses the
13	question of it's the following question.
14	Considering aging degradation, what are the losses of
15	function of key components or systems that could
16	occur? What's the loss of redundancy and redundant
17	systems or the loss of diversity? What is the loss of
18	defense in depth that could accrue from aging? And
19	finally, are there common mode failures in emergency
20	safety systems which are not normally operating which
21	could make a system totally unavailable as a result of
22	aging? I think that's the basic issue.
23	The second point is that there's a lot of
24	experience with plants. We know that the total
25	reactor years are more than 1500, but it's important
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 232-6600

to look at the distribution. Zero to 10 years there's 1 a great deal of experience. Ten to 20 years there's 2 3 considerable experience. Twenty to 30 years there's Thirty to 40 there's a little and 40 to 60 4 some. there's no experience. What we can say is that the 5 frequent and the moderately frequent transients which 6 7 have already occurred will reoccur during a license renewal period, the 40 to 60 year of operation. 8 Ι 9 think we can also assume that the less frequent transients and the sequences that have not occurred 10 11 may occur during the 40 to 60 year period. So, it's in that kind of -- that's the 12 framework for looking at aging research. 13 14 COMMISSIONER ROGERS: Well, that's talking about the challenges though, in a sense, isn't it? 15 16 DOCTOR BECKJORD: Yes. 17 COMMISSIONER ROGERS: Yes. But that doesn't by itself address the question of the aging 18 19 phenomena that might be giving rise to degradation of 20 any piece of equipment such that it can't meet that ١ challenge. 21 22 DOCTOR BECKJORD: No. That's the 23 background. 24 COMMISSIONER ROGERS: Yes. Well, to what extent are you taking that kind of a point of view, 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 232-6600 WASHINGTON, D.C. 20005 (202) 234-4433

that to look where there might be vulnerabilities that have not turned up so far. You've already pointed out that 40 to 60 years there's no data at all in any kinds of equipment as a result of aging phenomenon. Rather than going back and looking to see, well, what's failed in the past.

DOCTOR BECKJORD: Well, I think there are 7 two questions and this was done in the days when the 8 9 program was planned, which was about ten years ago. 10 It's been done at recurring intervals since then, what 11 have we learned, what's the new data, what can you conclude now, are there any changes. As I understand 12 it, the people who worked in planning this program, 13 some of whom are here in the back row, and others of 14 whom are in the agency, but they did take a systematic 15 look at aging mechanisms and asked the question where 16 can these kinds of failures occur. In the course of 17 planning it, then they also started looking at the 18 19 data on component and system failures.

So, I think the two questions reinforce each other. It's a kind of a dialectic process. You look at the one and then you look at the data.

COMMISSIONER ROGERS: Well, it's sort of one starting from a general approach and another one from a specific approach, bottom up versus top down in

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

20

21

22

23

24

25

that sense and to see where they meet and where, for instance, there might be some suggested places that one might look even though they have not turned up yet for possible aging failures.

1

2

3

4

24

25

5 DOCTOR BECKJORD: Well, I think that the phenomena of aging from a practical point of view are 6 7 identified. It's a question of the rate of aging, which there is still going to be uncertainty until we 8 get some more reactor years. It also may be that the 9 combinations in different systems will give different 10 11 rates. That is to say fretting and corrosion is a If you add vibration to 12 good example of that. something, the fretting can make the corrosion go very 13 think there's still 14 much faster. So, Ι new information coming in on rates, but I think the basic 15 16 mechanisms are pretty well identified.

17 COMMISSIONER ROGERS: Yes, but it's -- you
18 have to know something about history of individual
19 components.

DOCTOR BECKJORD: Yes. Well, I think that there's been an effort to bring that into the program and develop component histories and evaluate performance history.

CHAIRMAN SELIN: I'd like to ask you three questions and they're very big questions, so you have

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

<sup>(202) 232-6600</sup> 

to think about these a little bit. Number one, what 1 2 have you found? Where do we see the most significant aging question? What about cables? What about some 3 4 of these large structural elements that are -- where 5 it's hard to get a lot of history? What do you do for 6 relatively low probability, but high impact questions, which you might not find just looking at experience? 7 8 Particularly what about embrittlement, what about ways 9 to deal with embrittlement? So, that's question one. 10 Question two, is the program going to 11 automatically cover aging questions that are relevant 12 to the first 40 years? If we wanted to provide a lot 13 of support to the current inspection program, would we 14 have to do other things? 15 Number three, should we be doing research 16 on mixed components, refurbished components, et cetera? As I understand the theory, it sort of says 17 you take some cable and you look at them for 20, 40, 18 19 Well, what about components that are 60 years. undergoing regular preventive maintenance? 20 These individual pieces we don't really care about. What we 21 22 care about is the super system. You know, how does the system react if -- how does a pump react if, in 23 fact, you're changing each of the cells within the 24 25 pump? These are organisms, not tissues that we're NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-6600

1 talking about. I'm not just interested in the tissue level research, but the organism level. Are we doing 2 3 anything to answer these questions because the 4 touchiest question in licensee renewal are the 5 characteristics of systems that have been maintained regularly along the way. Do they overall age or if 6 7 you keep refurbishing them are you sort of resetting them to zero? Then, when you finish those, I've got 8 9 some easier questions for you.

DOCTOR BECKJORD: Well, I think with respect to your third question about refurbishment and effective maintenance, I think a big part of the answer is the following. In connection with the program, a lot of work has been done on the diagnosis, monitoring and inspection of components.

CHAIRMAN SELIN: That's good.

DOCTOR BECKJORD: In particular developing the analogue to a cardiogram by means of vibration monitoring, by means of looking at motor currents because motor currents tell you a lot about what's happening in a system.

16

(202) 234-4433

CHAIRMAN SELIN: Okay. But --DOCTOR BECKJORD: So the refurbished components subject to the same methods of test and inspection, you'll be enabled to follow the history.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

1 CHAIRMAN SELIN: But let's take the cardiogram. A physician, cardiologist, has some idea 2 about how hearts age even though tissues get replaced. 3 The EKG gives them some feeling that he's going to 4 know how a specific heart compares to the universe, 5 but he can also give you or she can also give you 6 information about how the whole thing ages. 7 Do we 8 have some sense of that? Are we assuming that refurbishment can keep components -- well, a simple 9 definition. Is the probability of failure increased 10 11 with age as it's being refurbished or is the probability of failure -- you know, the mean time 12 is constant as between failure the object 13 is 14 refurbished. Do we have any research that would 15 address that for different components?

DOCTOR BECKJORD: Well, I can't myself give you an answer to that except to say that I think if you take the motor current example you find out whether the -- in the case of a motor driving a valve, you find out when the valve is actually closing and whether there's some kind of interference. When gears are degraded, that interferes with the performance of the valve and that kind of thing shows up very clearly in the --

CHAIRMAN SELIN: That's half the problem.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

16

17

18

19

20

21

22

23

24

25

(202) 232-6600

1 I mean we need to have confidence that if something goes wrong we'll be able to detect this in time and 2 3 then action can be taken, which could be closing down the plant or replacing the whole object. 4 But what 5 about the other half, just the overall characteristics because there's an implicit assumption that preventive 6 7 maintenance will keep -- will basically keep the 8 composite organism from aging. That's basically a lot 9 of what's in the rule and we don't have a basis for 10 it. 11 DOCTOR BECKJORD: As I understand your 12 question. I think the answer is that we have not 13 researched a life cycle of a motor and valve system. We have looked at it as a system, but we have not 14 taken up the question of refurbishment. 15 16 Am I correct on that? 17 DOCTOR SHAO: We haven't looked that much 18 in detail. Let me give you an example. If we looked 19 at a service water system, the service water system 20 consists of pumps, valves, interior structures, heat exchangers and piping. So, we look at piping, what's 21 22 called degradation and valve fouling and so on. We look at the heat exchangers, we look at the pumps, we 23 24 look at the valves, we look at it also intake 25 structures. And also, in some cases we look at a NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-6600

refurbishment. How often do they replace certain parts, certain seals, certain bolts and so on and we have give a general recommendation. We looking pretty details from whatever we know for that component.

5 CHAIRMAN SELIN: But what I'm asking is 6 related, of course, but it's a little bit different. 7 I'd like to know if there's a set of components that in mint condition 8 are hard to keep through 9 refurbishment. It's not does refurbishment work or 10 not. That's much too broad a question. But is there 11 a set, are there motor-operated valves? Are there 12 bends in pipes? Are there bearings? Are there certain devices within the reactor itself where you 13 can do all the preventive maintenance in the world, 14 but you're going to slow down aging, but these are the 15 16 ones we should worry about particularly in license 17 renewal.

DOCTOR SHAO: Okay. Let's say we look at 18 We look at different degradations. MOV can be 19 MOV. erosion, corrosion part of it, can be cracking or can 20 be vibration. For every component we look at 21 different so-called degradation mechanism and we try 22 to address each of them. 23

CHAIRMAN SELIN: But now take the next 25 question. When we look at an MOV through its life

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 232-6600

(202) 234-4433

24

1

2

3

	29
1	cycle where people are doing repairs, they're doing
2	refurbishment, is this as maintained, not just
3	looking at the original MOV, as maintained.
4	DOCTOR SHAO: We do look at the
5	maintenance program too. We look at the surveillance
6	program, maintenance program. Also their inspection
7	program.
8	CHAIRMAN SELIN: Is a ten year old
9	properly maintained motor-operated valve as good as
10	new?
11	DOCTOR BECKJORD: I think of it this way.
12	If you take the analogy of keeping a car maintained
13	and repaired, you know that there's a certain time for
14	the brake pads. They will run maybe 8,000 miles or
15	something like 8 or 10,000 miles for in town traffic.
16	If you find that you're having to replace brake pads
17	more often than that, there may be something more
18	fundamental wrong with the mechanism and then you go
19	look for it. I think that will be the same
20	CHAIRMAN SELIN: Let me try this once more
21	and then I'll drop it. I'm not interested in the
22	brake pads. I'm interested in knowing whether the
23	stopping system of the car is one that will eventually
24	be something that will mean it's just too expensive
25	even if you do everything right, it's just too
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

.

(202) 232-6600

expensive to maintain the car. I know you can keep overhauling an engine. Very few cars last as long as their engines can last. I'd like to know if we have a research program that's trying to identify major subsystems within the reactor plants that say, even with proper refurbishment, each time you fix it you take another eighth of an inch off the metal or you're taking another three months off the life and eventually these -- even with proper refurbishment.

We have one view in the industry that says 10 11 a refurbished component is as good as a new component. 12 That's the implication of saying these are components that are not subject to age-related degradation unique 13 14 to license renewal. There's another view that says if you don't switch out the whole component, you've got 15 16 to do an extensive amount of analysis. It seems to me 17 that someplace in our research program we should be 18 trying to identify -- I'm sure for some components the 19 first view is true and for some components the second view is true, but we really should be -- I don't want 20 21 to be prescriptive in the hearing, but it just seems to me that we ought to be worrying about mechanisms, 22 organisms as properly refurbished rather than just the 23 24 original components.

25

1

2

3

4

5

6

7

8

9

DOCTOR BECKJORD: We'll take a look at

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1 that. I don't -- as I said, I don't think that we have done that in a systematic way in this aging 2 3 research program. CHAIRMAN SELIN: Commissioner de Planque? 4 5 COMMISSIONER de PLANQUE: Really after the analogy is biological versus chronological age of the 6 7 system. 8 DOCTOR BECKJORD: Yes. Yes. And we have 9 not looked at it in that fashion. 10 I think we may have enough MR. TAYLOR: 11 information to pull that together though. 12 DOCTOR BECKJORD: The main point I'm 13 making is we're considering very important rules now which have a couple of assumptions as to the 14 underlying physics and technology. Commissions make 15 16 guesses, but those will have to be verified over time, depending on how we come out on these guesses. 17 18 MR. TAYLOR: Let us come back to you. Yes, but partially 19 CHAIRMAN SELIN: informed decisions --20 21 DOCTOR BECKJORD: (Slide) Let's go on to 22 slide 7. I've summarized a lot of information here 23 24 25 You know you didn't CHAIRMAN SELIN: NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 232-6600 WASHINGTON, D.C. 20005 (202) 234-4433

1 answer my other two questions. 2 DOCTOR BECKJORD: Well, it seemed to me the first question comes up on the reactor pressure 3 4 vessel. CHAIRMAN SELIN: Right. Okay. 5 DOCTOR BECKJORD: On reactor pressure 6 7 vessels we have looked and are in the process now of settling an important question relating to the 8 9 material toughness, the low upper shelf which is 10 indicated by Charpy test specimens. The material toughness decreases under irradiation. As you know, 11 12 embrittlement occurs and it moves the nil ductility 13 temperature to the right. Something like that also 14 happens on this material toughness. The upper shelf 15 of the Charpy test, that is the toughness at high 16 temperature, is reduced by irradiation and that becomes an important question because of crack arrest, 17 in the event of crack growth during vessel use. It 18 applies today to about 17 PWR reactor vessels and it 19 applies to three or more boiling water reactor 20 vessels. 21 22 As you know, the screening test for 23

irradiated vessels is 50 foot pounds for the Charpy test. We know that material can be acceptable at less than the screening value, in fact as low as 40 or even

24

25

(202) 234-4433

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 232-6600

lower than 40 foot pounds. A lot of work has gone in 1 2 in the last few years to developing a technique, measurements and an analysis of elastic plastic crack 3 arrest and that is described in a reg guide which is 4 1.023, which is being completed now and it will come 5 out this fall. That information has been incorporated 6 7 in ASME code cases and that will define the tests and 8. the analysis that should be done on materials that do not pass the 50 foot pound screening test. As I say, 9 that will be out late this year and that's a very 10 important piece of work. 11 12

A second area is pressurized thermal shock for the reactor pressure vessels. We are updating Appendix G, which is fracture toughness requirements, and also Appendix H of Part 50, which is surveillance methods that apply. That will also be done this year.

There's a third effort which has been 17 18 underway which came out of the work on the Yankee-Rowe 19 pressure vessel. There were differences between the fracture mechanics analysis that was done by people in 20 the industry and by people in NRC and we have a 21 22 working group with Electric Power Research Institute 23 to resolve the difference in those fracture mechanics methods. That's coming along well. That actually 24 25 will take another year or more to complete.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

13

14

15

16

1COMMISSIONER ROGERS:Does that deal at2all with this question that was brought up when we3were looking at the Yankee-Rowe pressure vessel of the4effect of grain size?I remember that was an issue5that came up.6DOCTOR BECKJORD:That was another issue.7COMMISSIONER ROGERS:It seemed to me it

was never really quite put to bed, although most of the EPRI experts seemed to agree that that was not much of a mitigating factor, but nevertheless it was there and there were some people who felt that it was important and I don't think we ever really settled that issue. Did we?

MR. MAYFIELD: Mike Mayfield.

Yankee's test data, what of it was completed, indicated that the large grain size was not an issue and in fact the limited test data that they finally developed showed it went quite the other way. The larger grain size gave them a moderately higher level of embrittlement. It was probably more scattered than real, but went exactly the opposite direction.

COMMISSIONER ROGERS: From the claim? MR. MAYFIELD: From the claim, yes, sir. DOCTOR BECKJORD: Mr. Chairman, I've

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24
	35
1	misplaced your second question.
2	CHAIRMAN SELIN: The first question was
3	sort of what have we found as the vulnerable systems
4	to aging.
5	The second is, if we were relatively more
6	interested in aging in plants during their first 40
7	years, would we be doing anything different or in
8	addition to what we're already doing or would we cover
9	that
10	DOCTOR BECKJORD: No, that's covered in
11	the current aging program. The phenomenon of aging
12	apply within the first 40 years and they apply to the
13	40 to 60 year period and we haven't found any aging
14	which occurs only in the 40 to 60 year period which
15	does not appear, any aging phenomenon which does not
16	appear during the operating life.
17	CHAIRMAN SELIN: There haven't been such
18	fast aging things that they've led to conclusions that
19	maintenance programs have to change or just different
20	actions from those that are taken now?
21	DOCTOR BECKJORD: No. I think the
22	maintenance actions which are indicated could occur in
23	the 40 year operating period. Many of them have. So
24	it's the well, your first question, certainly
25	reactor pressure vessels, piping and steam generators
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 233

02) 232-6600

that I'm going to come to, a great deal of work has been done on piping and on the effects of seismic loading.

4 There've been some significant 5 accomplishments. One of them recently completed is 6 work on thermal aging of the cast austenitic stainless 7 steel piping which is in many of the pressurized water 8 reactors and the results of that are favorable, that 9 some of the earlier concerns do not appear as 10 important as they were. We have done extensive 11 testing of the growth of cracks, long cracks in 12 piping, especially under seismic loading. You may 13 have seen some pictures of that. We are working now 14 on testing short cracks in piping to determine what we 15 can about their loadings and what effect that has on 16 rate of crack growth. That work is still continuing.

In connection with the piping, we've done a lot of research and development of the ultrasonic testing methods, the aperture focusing that has much improved the information that you can get from those tests, and the technology transfer of that technique is underway now to industry.

With regard to steam generators, in this past year we have done a lot of work, as you know, on the Trojan shutdown that occurred last fall to develop

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

17

18

19

20

21

22

23

24

25

a method of leak rate evaluation as to what the leak rate might be under unfavorable assumptions. The limiting case turned out to be, as it was suspected, either a break of a main steam line or what has a higher frequency of occurrence, a safety valve opening when pressure goes up but then when pressure comes down after it's been relieved the safety valve sticks open and then the possibility during this transient that because the primary system pressure on the inside of the tubes stays about what it has been and the secondary pressure eventually after a long time would fall and then you would have a higher than normal pressure differential across the tubes.

The question is, given that higher 15 differential pressure, what are the chances that 16 cracks in the tubing will develop large leaks or in 17 fact that you could have a tube rupture. We did a lot 18 of work in that analysis and came to a conclusion on 19 it which I think you've all seen, and we went on and have worked with NRR since that time in developing a 20 draft document for the criteria for the interim 21 22 plugging criteria for steam generators. That is now out for public comment and it will be revised after 23 comment has been reviewed on it. 24

25

1

2

3

4

5

6

7

8

9

10

11

12

13

14

We also organized a meeting for the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

Nuclear Safety Research Review Committee in April on the inspection methods, the testing methods for steam generator tube cracks and specifically what is the probability of crack detection that you can expect now. That was reviewed in some detail and it's been documented and I think you may have seen it. We've just received the Committee's views on that subject. So I think the steam generator issue is going to be getting some more attention and I think we've not come to the end of that.

I heard last week that NRR has received some very interesting information from the French in a very systematic set of measurements and evaluations that they've made on their steam generators which I'm sure we'll apply in considerable part to ours.

CHAIRMAN SELIN: Before we get off that, I have a substantive question. On the reactor pressure vessel, are we looking at ways to rectify some of this aging? Do we have an annealing program going?

DOCTOR BECKJORD: Yes. The information on annealing will be coming out late this year, both the rule and the reg guides, probably by December of 1993, which define the means of recovering early or perhaps even original properties of the pressure vessels.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

n n	39
1	CHAIRMAN SELIN: Do we have a solid
2	research program to back that up?
3	DOCTOR BECKJORD: Yes. That's been
4	underway for a long time.
5	CHAIRMAN SELIN: We also have foreign
6	data, Russian data and other data?
7	DOCTOR BECKJORD: We have the Russian
8	data.
9	CHAIRMAN SELIN: Are you comfortable that
10	we've got a good basis for this?
11	DOCTOR BECKJORD: Yes.
12	CHAIRMAN SELIN: And then the procedural
13	one is, on something like steam generators, is it
14	possible to describe how much of the impetus comes
15	from the research staff and how much comes from NRR?
16	Can you talk a little bit about the interaction
17	between your customers, in this case it's mostly NRR,
18	and the researchers themselves? I understand we have
19	a very large effort on steam generators now or coming.
20	Where does that come from?
21	DOCTOR BECKJORD: Well, it comes from the
22	interaction between Research and NRR. That's been
23	going on for a long time, because steam generator
24	diseases as I think of them have been going on in the
25	commercial industry for a long time. They may have
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 232

been going on longer than that in naval reactors, but at least since 1968. That's when I was first exposed to this. There has been a whole raft of steam generator diseases and each one tends to be unique.

The outer diameter stress corrosion cracking is a somewhat new -- well, it's a phenomenon which was first observed, I think, in the mid-1980s and it has a different characteristic from the other designs. It's related, apparently, to material properties and chemistry, and it has been somewhat slower to develop so there has been less information on it.

13 But now between what we've learned in the 14 last couple of years, and I think the French data has 15 added a lot of knowledge on that, the interaction 16 between the two offices has been very good. Because, NRR has to deal with the problems day to day and 17 that's where the information comes from on tube 18 19 ruptures, which we've had a number of them, and we 20 also get the results of the current inspections on steam generator tubes. 21

And Research has worked since at least and maybe before 1985. I'm not really aware of that, but the work on the first Surry steam generator that was removed and taken to the state of Washington and

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

examined very carefully and that provides a lot of the basis of the information that was used for making the leak rate evaluation. And in connection with that Surry program, a lot of laboratory work was done on electro-machining of cracks in tubes and then doing bursting tests and leak rate tests and that kind of thing and so this interaction has been going on in some detail for at least eight years and I think it's been very productive. I mean, it gets the empirical data in and it gets the empirical and laboratory data together.

The Electric Power Research Institute now has a considerable activity in this area concentrating on inspection results and leak rates.

15 COMMISSIONER REMICK: Eric, to what extent 16 is it possible and to what extent has it been done by 17 industry, presumably, to model the steam generator in detail from a standpoint of thermal hydraulics, 18 19 stresses, chemical reactions? Has there been any attempt to do that and is it possible to really look 20 21 at it other than as a black box or a point value and 22 so forth in thermal hydraulics? Has there been much of really trying to understand the --23

DOCTOR BECKJORD: I don't know the details of that myself. I have understood from conversations

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

14

24

with people in industry that they have looked at these questions in some detail and that they develop new designs, the designs for the advanced concepts, taking into account experience and providing features which will improve the lifetime performance of steam generators. But I can't tell you in detail about that. Maybe some of our people here have --

8 COMMISSIONER **REMICK:** It would be 9 interesting to know because my impression is based on 10 experience changes are made, but I don't know how much 11 actual science based on complete analysis is done from an understanding of the thermal hydraulics and the 12 13 stresses and so forth. I realize it would be a complex problem but no more complex that we currently 14 15 tackle in many areas these days.

DOCTOR BECKJORD: Well, I don't think the manufacturers have been anxious to disclose much of their knowledge for competitive reasons there.

19 MR. SERPAN: Chuck Serpan from the 20 Research staff. The vendors and EPRI have done some 21 model boiler studies in the past in order to understand the relationship between the chemical 22 species and the corrosion. So, EPRI in particular has 23 gotten that information into their steam generator 24 25 quidelines. So, that's primary where that stuff is

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

7

16

17

18

Ĩ	43
1	coming from. So, they have done that kind of work.
2	COMMISSIONER REMICK: Thank you, Chuck.
3	DOCTOR BECKJORD: I was going to move on
4	to the electrical and mechanical area and try and
5	since there's a lot of information there. In fact,
6	I'm giving a presentation on this to the reactor
7	safety course at MIT and that list is going to take
8	about an hour. So, I didn't plan to cover that in
9	detail here, just except to say that the development
10	of that program resulted, as I said before, that is in
11	the electrical and mechanical area as in the rest of
12	the aging program, it developed from a systematic
13	review of components and systems for their
14	susceptibility in each case, case by case to the known
15	aging mechanisms. Then going to examine the failure
16	data for components and knowing what kind of failure
17	occurred, to factor that in. Then to determine the
18	specific aging mechanisms that apply to each of these
19	components individually and to find the locations of
20	where that aging degradation occurred. Then to
21	prioritize how to do testing and inspection to uncover
22	problems as they exist and to develop, as I said
23	earlier, means of getting signatures, getting
24	indications while equipment is in operation of
25	impending troubles, and then developing how a

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-6600

maintenance program as to how you would maintain these 1 2 specific components. And all of that material is reported in the transactions of the workshop that we 3 had a year ago this spring and it was up to date as of 4 that time on each one of these systems. 5 Then finally estimation of residual life. 6 We've done that in some cases and that work is 7 continuing in others. 8 9 I thought I'd move on to the structural 10 area, structural elements. 11 CHAIRMAN SELIN: Are there any show stoppers in the electrical and mechanical? 12 DOCTOR BECKJORD: Well, I think the cables 13 are certainly difficult because of the problems of 14 replacing cables. We have some new information on 15 16 failures from testing that NRR has done, has 17 completed, and we are working with NRR to do some more That program is evolving. It's in 18 testing. 19 development right now and we will be getting that underway hopefully. 20 21 CHAIRMAN SELIN: Is there some nondestructive in-situ way to test the cables without 22 having to dig them up or do you have to just look at 23 a universe of cables and say, this is a problem, this 24 isn't? 25 NEAL R. GROSS

> COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

> > WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-6600

DOCTOR BECKJORD: Well, as I understand it, the problem with cables, there's a lot of experience on cable life in conventional plants out beyond 40 years. The problem with the nuclear plants is not just that kind of aging, it's that kind of aging plus a readiness to accommodate an accident and the conditions that might occur.

8 CHAIRMAN SELIN: I'm sorry. Let me be a 9 little more precise. Are you concerned about how the 10 cables that are irradiated handle the radiation or are 11 you concerned how normal cables which have always been 12 observed under sort of room temperature, how they 13 would react to the high pressures and temperatures and 14 fluids that would go in case of an accident?

15 DOCTOR BECKJORD: Both. It's both. The 16 major effect of radiation on cables is on the insulation, and heat is actually a bigger effect. 17 High temperatures degrade the insulation, make it 18 19 elongate and embrittle and then if there's mechanical work on it, the insulation breaks down and then you 20 21 can have a short.

CHAIRMAN SELIN: This is stuff for which we don't normally have a refurbishment or a replacement program, do we?

DOCTOR BECKJORD: That's correct. That's

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

7

22

23

24

Ì	46
1	correct.
2	CHAIRMAN SELIN: So we're talking about a
3	pure aging question at this point?
4	DOCTOR BECKJORD: Yes.
5	CHAIRMAN SELIN: And you may get the
6	feeling I'm interested in the substance of what you're
7	doing and not just the process, you know, what are the
8	answers, where do we that's too strong, but where
9	are we going on these questions, when will we have
10	are we likely to get answers that are useful in
11	actually evaluating existing plants and future ones?
12	Is this all tied up in the equipment qualification
13	program or do we have a specialize point
14	DOCTOR BECKJORD: Yes, that's right. We
15	can comment. I'll ask
16	DOCTOR SPEIS: We are in the process, Mr.
17	Chairman, of doing a comprehensive testing program.
18	There are a number of questions involved. You just
19	don't take a cable and test it.
20	CHAIRMAN SELIN: Sure.
21	DOCTOR SPEIS: One of the questions that
22	also is on the table is how do you age, what are the
23	appropriate ways or what are the theoretical aspects
24	of it and the experimental aspects of it. Another
25	question is the synergism between radiation and the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 232

(202) 232-6600

1 thermal aspect. You know, if after normally operating 2 for 20 years and all of a sudden you have a thermal 3 load, how do you simulate that, plus the radiation 4 effects?

5 We're not the only ones that are facing 6 those problems. The French and others are facing 7 problems like that. So, we're looking the whole arena right now, what they're doing in France and what we 8 9 might do in the United States. So, in the next -- I 10 think you got a Commission paper from NRR saying that 11 the program is under development. So, we're working 12 with them to structure such a program. One of the 13 things that we have to do is prioritize what are the 14 most important questions to address first cables and 15 so on.

16 CHAIRMAN SELIN: It seems to me there are 17 two different issues. One is what are the properties of the universe of cables that get the kind of stress 18 in a broad sense, not physical sense, that you get in 19 a power plant, et cetera? Then the second is like 20 your motor current thing, what are the diagnostics 21 22 that will tell you where a particular cable is likely to be an outlier compared to the universe? In other 23 words, not just the cable's age, but how do we know if 24 25 some of our cables are aging worse than others? Or if

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

you can't, do you have some remedial process that just assumes you can't test it? In other words, is there an actual test that goes with the cables for aging to find out how a particular cable, a particular set of cables are doing, and you just have to go on universal statistics?

DOCTOR BECKJORD: Well, I think one of the good tests is in -- it's a destructive test because you look at the elongation of the insulation and the elongation tends to be a very good indication of the problems. As to other methods, in-situ, do we know anything about that?

MR. VAGINS: Milt Vagins, Office of
Research.

15 We have spent considerable effort trying 16 to determine an effect of in-situ tests to determine the status of the insulation on the cables, the 17 function of aging. As of this date we have found no 18 really in-situ effect. However, there are some which 19 tend to give us some data. For instance, EPRI has 20 21 developed an indenter, which depends upon the flexibility of the cable, correlation of the physical 22 bending of the cable insulation to its insulation 23 properties with age. 24

Was that the question that was asked?

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

	49
1	CHAIRMAN SELIN: Yes, sir. Thank you very
2	much, Mr. Vagins.
3	COMMISSIONER REMICK: Has industry or have
4	we given any thought, since there are a couple plants
5	now like Trojan and San Onofre, of possibly taking
6	some plants that have had 20 years of getting some
7	point tests?
8	DOCTOR BECKJORD: Yes.
9	DOCTOR SPEIS: We are working with them
10	and that's one of the considerations in developing a
11	test program basically, to use cables from such places
12	a Trojan.
13	DOCTOR BECKJORD: Yes. Trojan has offered
14	the availability of equipment there for that kind of
15	testing.
16	Well, I thought we'd move on to the
17	structural elements. There are about 20 plants that
18	have had various problems with corrosion of the
19	containment, corrosion of liners, tendon corrosion,
20	rebar corrosion and the research on that has looked at
21	what the developed or probabilistic method for
22	estimating the residual structural margin in
23	containments after a given amount of destruction of
24	strength members by corrosion.
25	Also, we've developed guidelines for
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVENUE, N.W. (202) 204 4422 WASHINGTON D.C. 20005 (202) 232

(202) 234-4433

decisions on cathodic protection systems which can moderate the effects of corrosion, and on in-service inspection programs, what should be inspected and how do you go about it, how do you tabulate the results, that type thing. And we are closely following these problem areas in structures which I've outlined.

7 (Slide) Okay, the next, number eight, Bob, shows the closure plans on current research in 8 aging for the primary system pressure boundary, 9 electrical and mechanical components, and so forth. 10 And I think at that time we will have, with the 11 exception of this cable program which has just come up 12 13 which may turn out to have a separate completion date from those indicated here -- this indicates the time 14 when we expect the current research work on these 15 16 items to taper off to a maintenance level.

And I know you're interested in the question of what does maintaining a capability mean, and I thought I'd mention that, and that would apply in each one of these areas and I think it's the following things.

First of all, a clear mission and application for the work that we're talking about. And in the case of aging, it will be both aging in operating plants but as time goes by, you'd expect it

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

22

23

24

25

	51
1	to relate more and more to license renewal questions.
2	So, first is a clear mission and application.
3	Second is a group of dedicated and
4	motivated experts and enough of them so they can
5	interact with each other, a critical mass so to speak.
6	A third thing that we need is good aging
7	failure data specific to components and to phenomenon.
8	I think a fourth thing, I would like to
9	see industry programs such as those that EPRI has
10	undertaken in a number of areas; motor operated valves
11	and steam generators to mention two.
12	And finally, sustained funding. You need
13	funding to keep that activity on. But our aging
14	program in total is very large now and as we scale
15	back, I think it should not be difficult to maintain
16	stable funding for ongoing work. And there may well
17	be new information and new problems, the kind that you
18	raised earlier, that may require more work which
19	hasn't been accounted for here. But I think those are
20	the elements that are needed for maintaining an
21	activity after a very large amount of research such as
22	these programs has been completed.
23	COMMISSIONER ROGERS: Well, how you going
24	to use that? I mean, all right, these are the
25	elements, now what are we going to do with that? I
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 23

1

2

3

4

5

6

7

mean, can that be --

DOCTOR BECKJORD: Well, as these programs taper off, I think it's appropriate this year and next to make a detailed plan as to what we would carry out in each area. I mean, there's a lot of effort going on now, and there's still a lot of work to be done and it's a good time to plan those activities now.

CHAIRMAN SELIN: Mr. Taylor, I think that 8 this a conjecture which we'll think about before we do 9 an SRM, but I think it might be useful to ask some of 10 these same questions to NRR, because they're the 11 customers in the sense of saying given this sort of 12 13 general discussion, what are you depending on that we 14 don't know, where are the technological as opposed to operational weaknesses, what are the questions. 15 I'm 16 sitting here and I can see a billion dollar research 17 budget without stretching. I mean, obviously, we can't do all of those things, on the other hand we 18 19 can't just plunge ahead with some of these programs 20 without answers to the questions that Mr. Beckjord has identified. And for some of the big ticket items on 21 the major programs, the corrosion, the pressure 22 aging, 23 vessel, the some of the equipment qualifications, you know at some point we need to get 24 25 a feeling for are the resources right, are the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-6600

questions/answers in a timely basis, should we slow on some aspects of our policy setting or feel more comfortable and what has to be squeezed to get some of these programs supported.

I wasn't kidding when I said originally, 5 as far as the government goes, you are the safety 6 7 research organization. We have nobody else to depend And even if you get good research from EPRI or 8 on. 9 from the industry groups, at least it has to be confirmed and in many cases it will probably have to 10 11 be reproduced. It's an enormous responsibility on you 12 and on us for you. And we need to close the gap --13 not the gap, but the cycle between what NRR is counting on and what you think is feasible to produce. 14 You can't produce results just on demand. 15 I mean, 16 they have to come out of the research program.

17 COMMISSIONER REMICK: Eric, it's my 18 impression that the NRC has put a considerable amount 19 of resources in aging research. Are there any other 20 countries putting a large amount in and do we have 21 ready access to that information of what is being 22 done?

DOCTOR BECKJORD: Well, it's true, we've put a lot of effort into it because we didn't used to call the reactor vessel work aging, but it really is.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

And including that, the work goes back to the early 1960s, and I haven't totaled up the amount of money that's been involved, but it would be very considerable.

We have cooperative efforts with most of 5 the large nuclear -- the countries that have nuclear 6 7 programs. And I think there's good exchange of 8 information now. And I think that while there have been several occasions when people would tend to 9 10 bargain for information, and I know that in a recent case there was an effort made overseas to sell 11 12 information which they had available to them; not to 13 us but to utilities in the United States. But I think this recent example of the information which Bill 14 15 Russell brought back from France that's a very good 16 indication of cooperation, because I don't think there's anything that they held back on it. And it's 17 very interesting. It's a very interesting package on 18 19 steam generator tube performance.

20 So, I think that people are recognizing 21 that it's to a mutual advantage to exchange 22 information.

COMMISSIONER REMICK: If we summed up all
the rest of the world activity, would it equal, do you
think, what we've done?

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

ţ	55
1	DOCTOR BECKJORD: No.
2	COMMISSIONER REMICK: I wouldn't think so
3	either.
4	DOCTOR BECKJORD: No. I think there's a
5	lot of talk about the United States losing its place
6	in various areas of research, but I really don't see
7	that happening myself. I think certainly it's leading
8	in the aging. I don't think there's any question
9	about that.
10	COMMISSIONER REMICK: And I know we make
11	our information available to everybody.
12	DOCTOR BECKJORD: Yes. Yes.
13	COMMISSIONER REMICK: But you feel we are
14	now getting in return information from those who are
15	doing work?
16	DOCTOR BECKJORD: Yes.
17	COMMISSIONER REMICK: Good. Good.
18	DOCTOR BECKJORD: (Slide) Okay. If I
19	could go on to nine, please, Bob.
20	The next area is plant performance. And
21	I think this, by the way, is an example of a
22	maintenance level effort thinking of it as the follow
23	on to an extensive effort which went into thermal
24	hydraulic code development. And it's used now for the
25	analysis of operating margins, of operating events and
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 232-6600

.

transients. Example would be the BWR instability in natural circulation when their recirculation pumps are off. We used it in connection with the Trojan steam generator tube break analysis early this year to look at the details of the main steamline break and to

determine what the pressure across the tubes would be.

8 And that's an example, of which there are many others. There are two other examples here that are 9 shown which are not for design basis, but for actual 10 11 beyond design basis accidents; and that is the natural 12 circulation of hot gases during severe accidents and 13 in a severe accident the primarily system in a BWR would be relieved through the pressurizer and as the 14 accident proceeded the gases would become hotter and 15 16 hotter and would heat up the piping and the pressurizer or surge line is the one which would be 17 18 most affected because it's a small line. And 19 eventually that would lose strength and break and 20 cause the system to depressurize, and that's a better result than having a reactor pressure vessel fail. 21 But it's the ability to do that evaluation was 22 23 dependent on these thermal hydraulic plant codes, so they've been very important. 24

A second example of that is the last one

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

25

1

2

3

4

5

6

7

(202) 232-6600

on the matter of the lead screws for the TMI control 1 2 rod drives. During the removal of materials from that vessel some years ago, they discovered from the 3 4 metallurgical specimens that were taken that the lead screws were not hot, as just about everything else in 5 the vessel was. And so our people have undertaken an 6 analysis of that and the explanation is, it's been 7 verified, that it's natural circulation within the 8 9 guide tubes that kept the lead screw temperatures 10 down. So, those codes are very powerful. 11 COMMISSIONER REMICK: 12 Eric? 13 DOCTOR BECKJORD: Yes. COMMISSIONER REMICK: In the area of 14 15 maintaining computer codes, do we have within our own 16 organization people capable of running all of the codes that we wish to maintain? To what extent are we 17 reliant on contractors? 18 19 DOCTOR BECKJORD: We've completed one step 20 in the RELAP code and we are undertaking to train our 21 people in the use of all of the codes, both the TRAC-22 PWR and the TRAC-BWR and SCDAP-RELAP. We'll be able to use those within house. 23 And, in fact, they have been used within 24 25 house, some of them, for several years with these NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 232-6600 (202) 234-4433 WASHINGTON, D.C. 20005

	58
1	special parallel processing computing machines that
2	we've had for about three or four years.
3	COMMISSIONER REMICK: Yes. Yes. Do we
4	still have in-house capability in the reactor physics
5	code area? It's another area like criticality
6	engineering and aging.
7	DOCTOR BECKJORD: We have some. We have
8	one person who is an expert in that area who has been
9	working, among other things, on the CANDU-3 transient
10	analysis. So we have limited capability there.
11	CHAIRMAN SELIN: Is that person getting
12	near aging or near retirement?
13	DOCTOR BECKJORD: No, no, no. He's not
14	high on the aging curve.
15	COMMISSIONER REMICK: Do we look at our
16	expertise that way, though, from the standpoint of
17	existing expertise we have which we might eventually
18	lose through retirement and
19	DOCTOR BECKJORD: Oh, we're very mindful
20	of that now because of what I mentioned earlier. We
21	have an imbalance. We've got a lot of skills, but
22	most of them tend to reside at the high end of the age
23	curve, and so they're the people who are retiring. So
24	we have to replace those.
25	COMMISSIONER ROGERS: Well, are you doing
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
	(202) 234-4433 WASHINGTON, D.C. 20005 (202) 232

(202) 234-4433

anything, though, not only about replacing the people but trying to somehow or other collect their knowledge in the form of expert systems and things of this sort? This is an ongoing activity in many, many places and every place I go today I hear more and more about it. And I see the problems that we have here all the time of -- we've just heard that we are the agency that is the safety research, nuclear safety research agency in the country, perhaps the world in some ways, and yet we know that a lot of that expertise is going to retire from the agency in the foreseeable future.

It seems to me that we ought to be making 12 13 every effort that's reasonable and affordable to 14 somehow or other to develop a way of codifying that information and being able to pass it on, not just 15 hire another new Ph.D. to fill an office when the 16 office vacates but somehow or other have a way of 17 18 actually transferring something of the expertise of 19 the individuals, which is not always simply written down in papers and things of this sort. A great deal 20 of it is experience that, perhaps, gets transferred, 21 you know, through conversations and things of that 22 23 sort and perhaps could be captured in an expert 24 system.

25

1

2

3

4

5

6

7

8

9

10

11

DOCTOR BECKJORD: Well, it's a good idea.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

Ĭ	60
1	We haven't undertaken anything like that.
2	COMMISSIONER ROGERS: Well, it seems to me
3	it's worth really giving some hard thought to.
4	DOCTOR BECKJORD: We'll do that.
5	(Slide) The next slide, number ten, is on
6	the plans. I mentioned the four codes there that we
7	are working with. And also I want to mention the
8	international cooperative program on the use of these
9	codes that we have with a number of the nuclear
10	countries around the world who are using our codes.
11	And that CAMP program is a big benefit to
12	us. It provides a dialogue with the users of those
13	codes. We get feedback on their code assessments. We
14	get detailed knowledge of the plant transients that
15	took place that they then proceed to calculate. So
16	it's very helpful.
17	CHAIRMAN SELIN: Are the entrance fees
18	affordable by the folks who sort of have marginally
19	small programs? A couple of times people have said,
20	"Yes, we'd really love to do this," but they can't
21	seem to ante up what don't seem to me to be very large
22	amounts of money, or is that a significant problem?
23	DOCTOR BECKJORD: Well, Mr. Chairman,
24	there's been a lot of negotiation with several
25	countries on that point, but I can't think of a case
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 232

t	61
1	where they didn't come into it. And I don't think the
2	fees are exorbitant.
3	CHAIRMAN SELIN: We don't have a CAMP
4	scholarship program or anything?
5	DOCTOR BECKJORD: Well, I will say,
6	without naming names, that the fees have been
7	negotiable.
8	CHAIRMAN SELIN: Okay.
9	DOCTOR BECKJORD: And the final point here
10	is we intend to maintain certain test facilities. The
11	PWR loop at the University of Maryland, when the SBWR
12	loop, when that contract is settled, the contract is
13	for 3 years construction and operation but I think
14	it's certainly in our interest to extend that beyond.
15	So I think that will be an ongoing program.
16	CHAIRMAN SELIN: What's the program? What
17	are the initials?
18	DOCTOR BECKJORD: SBWR, that's the GE
19	CHAIRMAN SELIN: At the University of
20	Maryland?
21	DOCTOR BECKJORD: No. That one is being
22	negotiated now, but I can't say where because they're
23	not completed with the negotiations. But they will be
24	very soon at Division of Procurement.
25	CHAIRMAN SELIN: Okay.
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 232-6600

ł	62
1	MR. TAYLOR: We're going to advise the
2	Commission as soon as that's releasable.
3	COMMISSIONER ROGERS: Just this last
4	bullet, maintain test facilities at universities,
5	we're all concerned in some way about the future of
6	university reactors. I don't know about all of us,
7	but I think most of the Commissioners are.
8	CHAIRMAN SELIN: All of us. All of us.
9	COMMISSIONER ROGERS: I've been quite
10	concerned about this. And I wonder if you could say
11	anything about just how important university reactors
12	are, and have been, and might be in the future for our
13	needs? Some of these may be unanticipated needs at
14	the moment.
15	DOCTOR BECKJORD: Well, the university
16	reactors are very important. There are a couple that
17	we have done work on over the years. For example, the
18	reactor pressure vessel specimens, the specimens that
19	were used for annealing, that work was done at
20	university test reactors. And I think it's certainly
21	in our interest to see that those continue.
22	At the same time, I'm thinking of one
23	problem that I have right now of a potential rather
24	large bill from one of the university reactors for a
25	cleanup job. And we're going to have to enter a
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-6600

63 1 negotiation with them on how to handle it. This is a 2 matter that refers to work that was done quite a long 3 time ago, but it's possible that it will be an expensive financial proposition. 4 But I favor the maintenance of test 5 6 reactors available for testing. Very important. 7 Apart from that, apart from the test 8 reactors, as I understood there was a question about 9 more general than that, but maybe you were thinking 10 only of test reactors. COMMISSIONER ROGERS: No, I'm thinking 11 12 about all of the non-power reactors. 13 DOCTOR BECKJORD: All of? Right. But not research at universities that is not related to a test 14 15 reactor? 16 COMMISSIONER ROGERS: No, I'm just talking 17 about the reactors. 18 DOCTOR BECKJORD: Oh, okay. 19 We do not spend a great deal of our money at university test reactor work. We pay for the 20 21 irradiations that we carry out, but that's not the 22 large part of our program. 23 COMMISSIONER ROGERS: But if they weren't there, what would you do? 24 25 DOCTOR BECKJORD: If they weren't there at NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 232-6600 (202) 234-4433 WASHINGTON, D.C. 20005

Ì	64
1	all, we would look to the laboratories, Oak Ridge, for
2	example or overseas. We've done some work in Canada
3	at White Shell. We could do it there, we could do it
4	in Europe, possibly in Japan.
5	COMMISSIONER REMICK: I think there are
6	only a couple of DOE reactors operating anymore.
7	DOCTOR BECKJORD: That's right.
8	COMMISSIONER de PLANQUE: True.
9	DOCTOR BECKJORD: There's discussion about
10	a new reactor at Oak Ridge.
11	COMMISSIONER ROGERS: So in effect we'd
12	have to go to some place that is willing to support
13	their reactors, even though we might not be willing to
14	do it in this country?
15	DOCTOR BECKJORD: I think that's correct.
16	COMMISSIONER ROGERS: Yes. I think we
17	ought to keep that in mind.
18	COMMISSIONER REMICK: There is a related
19	question that, too, without the research reactors I
20	think the number of nuclear engineering programs would
21	die in the country and access to that talent for your
22	other research activities when they're not irradiation
23	services but other talent and so forth, whatever area,
24	would also go away.
25	DOCTOR BECKJORD: Well, that's a fact. I
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 232-6600

Ì	65
1	mean, the nuclear engineering departments are
2	restructuring themselves around the country to
3	survive.
4	Okay. Shall we move on then? We've got
5	some time left.
6	CHAIRMAN SELIN: You're doing just fine.
7	DOCTOR BECKJORD: Well, the next four
8	slides have to do with human factors let's see, my
9	count is four and I just wanted to mention what
10	they are because they together make up the human
11	factors program. And the four slides deal with the
12	following topics.
13	(Slide) The first one is personnel
14	performance, and that's looking at the causes of human
15	error.
16	(Slide) The second one coming up is the
17	human-system interface, and today that's primarily the
18	application of digital instrumentation and control
19	systems.
20	(Slide) The third one is organizational
21	factors relating to the effects of a nuclear power
22	plant's organization and management and its policies
23	therein, the effect that that has on the performance
24	of the operating crews.
25	(Slide) And the fourth one has to do with
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 232

232-6600

Ĩ	66
1	human reliability and how that can be used to perturb
2	a probabilistic risk assessment to see what effect
3	human error might have on a plant PRA.
4	CHAIRMAN SELIN: Do we have a program,
5	maybe it's in the fourth one, that is just a black
6	box, it's not really trying to model how human
7	behavior varies with different inputs, but just, you
8	know, what's a reasonable error probability to use for
9	people in certain kinds of situations, an empirical
10	program or anything like that?
11	DOCTOR BECKJORD: Well, that really came
12	up in the first box. There's been a lot of work done
13	there which we have used from other places, Department
14	of Defense, but we've also done work ourselves in that
15	area, which I was going to refer in that slide.
16	CHAIRMAN SELIN: Do we put these into
17	PRAs? I mean, are they subsumed in error calculations
18	and risk calculations within the PRAs or do we assume
19	people don't make blunders? I mean, how do we use
20	these data?
21	DOCTOR BECKJORD: Well, there's a lot of
22	interest on the part of NRR, and has been for some
23	time, in that approach to see if you can say, "Well,
24	for this kind of error if the performers at this plant
25	are prone to errors of a given kind, it's going to
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-6600

67 1 multiply the core damage frequencies by five or by ten 2 or by something like that." 3 Ι don't think we're there in а 4 quantitative way that you can say well for this level of performance at a plant, this is what the impact is 5 6 going to be on the PRA. I think you can put a range 7 it and certainly that approach is used on in 8 evaluations made here at the Agency when individual 9 plant performance is discussed. 10 CHAIRMAN SELIN: Well, the way you put the 11 issue would suggest that one has an expected value for 12 performance and now we're trying to look and see how 13 that would be affected by variations in working conditions or inputs. But, in fact, do we have that 14 I mean, say if operators had to react to 15 much? 16 certain kinds of signals 1,000 times, that they would 17 get it right 997 times? DOCTOR BECKJORD: Well, the detail work on 18 19 this was done not for the kinds of plant operations 20 that we do. There's good data for some kinds of manufacturing operations. 21 22 We have some data, and our people could comment on it if you'd like to. 23 CHAIRMAN SELIN: At some point, yes, I 24 would. I mean, it's obvious that human errors are a 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

T	68
1	big part of everything and it's obvious that they're
2	very, very hard to model and understand. But what's
3	not obvious is what at least to me because I
4	haven't looked at it is what we know today. You
5	know, what's our base and from where are we starting.
6	DOCTOR BECKJORD: Let's see, why don't I
7	go to the first of the slides, which is 10, and then
8	11?
9	(Slide) The issue stated here is the
10	effects on performance of staffing, that is the
11	numbers of people and their qualification that are
12	assigned to a shift. That's the first subject.
13	The second one is the working hours.
14	The third one is the environmental
15	conditions that the human performers work under. And
16	by environmental conditions we're talking about
17	temperature, humidity, noise in the working
18	environment, vibration if they're out in the plant
19	somewhere, and light, whether it's dark or light.
20	On staffing, the studies that we're doing
21	for now for operating plants, the minimum staffing
22	levels that are required for dealing with normal
23	operation plus plant transients, that work is complete
24	now. But we've got a new question from NRR stemming
25	from some work done in AEOD. And they have found some
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVENUE, N.W.
	H (202) 234-4433 WASHINGTON, J.C. 20005 (202) 234

(202) 234-4433

.

(202) 232-6600

cases where they believe that the minimum levels that are being used for staffing are not adequate for all plant transients. So NRR is asking us to look into that, and we're going to, and it will probably take about a year or so to reach a conclusion on that.

Now, we are also undertaking to work on 6 7 the last item on that chart there, effects of advanced designs on staffing levels. And really the question 8 9 is the other way around, how do the staffing levels that are proposed for these designs affect the safety 10 11 and performance there? And this has largely to do with the new control systems, new control rooms and 12 control system designs that will be incorporated. 13 There are some differences and I think the industry 14 feels that they should be able to decrease staffing 15 16 levels to operate as well as they do now with the 17 existing systems which were not designed in a 18 systematic way.

The question is whether and our study is addressed to the question of whether the proposed staffing levels will be adequate for dealing with plant transients. That is getting underway now. We haven't really done more than start on that.

CHAIRMAN SELIN: What's the standard? I mean, do we have some measure of the performance of a

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

24

25

1

2

3

4

5

Ì	70
1	currently acceptable staffing level in some kind of
2	canonical current plant? I mean, do we have numbers
3	for that or do we just say whatever it is? Are there
4	reasons to believe better instruments can reduce this
5	percent?
6	DOCTOR BECKJORD: It varies. It tends to
7	be somewhat plant specific. I think I'd like to ask
8	Frank Coffman to tell you some more about that.
9	The question has to do with the norm for
10	staffing levels.
11	MR. COFFMAN: Frank Coffman.
12	The norm for staffing levels for current
13	plants, or the minimum, is stated in 10 CFR 50.54(m).
14	For advanced reactors I know of no standards.
15	CHAIRMAN SELIN: Well, let's take the
16	current standard. Do we have some measure of
17	performance of, you know, a nominally well-trained
18	crew in a BWR-6 of standard size or is it more of a
19	relative thing that says we can't put a number, but we
20	can see that the better data processing would allow
21	the staff to be reduced 20 percent and still carry out
22	the same performance?
23	I mean, I'm aware of a lot of analytical
24	work where nobody can say what the status quo ante is,
25	but you can't evaluate variations from that base. And
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 233

2-6600

J
in other cases you would just try to measure how often would that crew be handle a particular set of stimuli? I mean, would they blunder one out of a 1,000, one out of 2,000? I mean, what is the state of the art? I have no preconceived views of what we ought to know, but I'd like to know what we do know now.

7 MR. COFFMAN: Well, the concerns on 8 staffing for its adequacy have been generated -- the 9 empirical evidence that we have comes from two sources, two research, but we in research don't have 10 11 an independent source at this point, to my knowledge. But AEOD has been investigating events where the 12 13 adequacy of staffing has been raised. And then there 14 is evidence that comes from the requalification 15 examinations that take place where, in fact, some of 16 the scenarios require supplemental staff to complete the scenarios. 17

18 CHAIRMAN SELIN: That's a kind of
19 deterministic test, isn't it?

MR. COFFMAN: Yes.

CHAIRMAN SELIN: You just need five pairs of eyes to carry out that and there are only four pairs in the room as opposed to you have enough of a crew. I mean, my question is a little different. I mean, in a place where in the deterministic sense

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

20

21

22

23

24

you're okay, you have enough people to do the work, do we have an estimate for how often the crew will just screw up, will not get it right and that's just one of the factors we have to use in PRAs or is that really a much tougher question to answer than my question makes it seem?

7 MR. COFFMAN: Yes. I didn't realize you 8 were focused on crew performance. But there was an 9 effort that is -- I should say there is an effort 10 we're trying to wrap up on looking at measures for the 11 effectiveness of crew performance and how they 12 interact. To my prediction of where we're going to 13 come out on that, is it will not establish any 14 standards.

15 CHAIRMAN SELIN: I mean, my question 16 doesn't talk to a model. In other words, I'm not 17 asking can we predict how changes in crew performance or in stimuli will effect -- I mean, I'm sorry, in 18 crew composition or stimuli will effect. I mean, just 19 do we have an estimate of how a standard well-trained 20 crew in a fairly standard reactor under a standard set 21 22 of circumstances will perform or is that hard, or is it just sort of irrelevant? You know, what I call a 23 black box estimate without being able to model it and 24 25 predict it, just say empirically we've observed that

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

(202) 232-6600

crews get their tests right 99.9 percent of the time.

DOCTOR BECKJORD: I think that there is an answer to that because the requalification exams divide the population in two; there are those who pass and there are those who don't pass. And this is based, in part, on it's partly written and partly simulated.

CHAIRMAN SELIN: Sure. But my question is 8 9 a random one. I mean, let's say everybody passed the 10 I mean, presumably the exam gets rid of the exam. guys who are defective. Now take the universe that's 11 12 not defective. I mean, even a properly operated diesel won't start occasionally, and we have good 13 figures on that. How about a properly trained crew? 14 15 How often will they -- I mean, is that an irrelevant 16 question or is a hard question or is it just one that's hard --17

18 MR. COFFMAN: It is a hard question 19 because of the number of parameters that are involved 20 in performance of crews. Training would be one of 21 them, but it's very tough to run an experiment where 22 you hold everything else constant and vary the training with the crew. So it tends to be empirical 23 24 evidence that comes from the integration of many 25 factors and become tough to sort out.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

7

(202) 232-6600

1 We have an effort underway to try and look at the requal examination data that the Agency 2 3 collects, sort out what might be extracted from that 4 data for the purpose of estimating error rates. And 5 that would be an empirical base, but it's a difficult question because of the number of parameters. 6 7 CHAIRMAN SELIN: Fine. Thank you. 8 MR. TAYLOR: Mr. Chairman, I believe, and Themis, you'll have to fill in, though, in the various 9 PRAs there are error rate values used in the 10 sequences, right? 11 12 CHAIRMAN SELIN: For human performance? 13 MR. TAYLOR: Yes. DOCTOR SPEIS: Oh, yes. This information 14 has been collected basically from other industries. 15 There is, in fact, a classic example in studies done 16 by David Swain, but that information is kind of 17 18 approximate number of errors. 19 Let me give you an example. Some of the 20 older plants, the way they coded for, when you had a 21 LOCA the water would go directly into the vessel, but then of course it will empty because you had a LOCA. 22 So after the RWS tank emptied, then somebody had to 23 24 manually turn the pumps to get the water from the 25 sumps back into the reactor, so that was a manual NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-6600

operation. So Mr. Swain used the information and extrapolations from other sources and he came up with an error rate, when would somebody make an error improperly, initiate this system.

But these are the type of things. You have to focus on a specific operation. One of the key things that France had was training and training involves procedures, so all these things have to be integrated before some reasonable value can be assigned in these type of operations.

So PRAs address specific operations. There are many other things that are very subjective and PRAs basically do not address most of those.

COMMISSIONER REMICK: On the matter of the 14 current staffing standards in 50.54(m), isn't it fair 15 to say that that was a deterministic matter based on 16 the fact that the TMI accident it was determined there 17 weren't sufficient staff there to handle the accident, 18 this was decided that this seemed like 19 so an improvement over what was in existence before that 20 time, and the only different it doesn't distinguish 21 between BWRs or PWRs, it distinguishes between single 22 units and multiple units and whether those multiple 23 24 units have a common control room or a signal control It was a judgment call --25 room?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

7

8

9

10

11

12

13

76 1 MR. TAYLOR: Yes, it was. 2 COMMISSIONER REMICK: -- that was made after TMI. 3 4 MR. TAYLOR: Yes. NRR's nodding at me, too. 5 COMMISSIONER **REMICK:** Eric, 6 Ι was 7 surprised to see that you still had the question of 8 hours in there. Certainly that question goes back eight or ten years. I thought it was put to rest. 9 There were hours on the number of hours that people 10 can work consecutively. There was a question of 11 12 whether 12 hours versus eight hour shifts, but I thought all that was put to rest some years ago. 13 Ι 14 was surprised to see it. Am I wrong? DOCTOR BECKJORD: Well, there's been some 15 16 ongoing work, and that is coming to a conclusion now. 17 COMMISSIONER REMICK: I see. 18 DOCTOR BECKJORD: And the quick finding is that in looking at eight versus 12 hour shifts, the 19 20 response of the average response on 12 hour shifts is 21 slower, but it is at least as accurate. So it may be somewhat better, which is kind of interesting, than 22 23 the eight hour shift. 24 The other finding is that the fatigue is 25 cumulative and when people have been working extended NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 232-6600 WASHINGTON, D.C. 20005 (202) 234-4433

Ĩ	77					
1	hours for a long time, they have to have recovery.					
2	COMMISSIONER REMICK: But aren't those all					
3	old findings? I think Frank wants to add something.					
4	MR. COFFMAN: No, I was just prepared to					
5	answer, but yes they are old. It's old research that					
6	is being wrapped up. I wouldn't call it old research,					
7	but it's at the stage in this research that we're					
8	wrapping it up.					
9	COMMISSIONER REMICK: I see. Okay.					
10	MR. COFFMAN: And sometimes the					
11	conclusions of the research get out and get					
12	implemented before the formal wrap-up of the research.					
13	COMMISSIONER REMICK: I see. Okay.					
14	DOCTOR BECKJORD: The next point, the					
15	environmental conditions, there's a handbook which is					
16	coming out this fall, November, on the findings on					
17	temperature, humidity, noise, vibration and so forth.					
18	And it defines the levels or the thresholds beyond					
19	which you can degraded performance, and we will turn					
20	that over NRR this fall.					
21	(Slide) And I think we've covered number					
22	11 and move over onto 12. As I said, this relates to					
23	the new digital instrumentation and control systems					
24	that are on the horizon for advance reactors, but in					
25	fact they are coming into use now in replacements for					
	NEAL R. GROSS					

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-6600

1 things like feedwater control systems. And the benefits, there are important 2 benefits for these systems, whether they 3 are replacements in operating reactors or for new ones. 4 They can reduce the safety system challenges, and 5 that's a direct input on core damage. Secondly, the 6 7 digital systems and software can integrate the data for higher levels of information that's referred to in 8 the trade parlance by chunking of data. And an 9 example would be in a pressurized water reactor an 10 operator has to watch the temperature and the 11 12 pressure. And they can combine those variables of temperature and pressure to give a variable in which 13 they will show that the combination is in 14 an acceptable range, which is okay, or if it moves to an 15 unacceptable range, it's not okay. If it moved, for 16 example, toward saturated conditions in a PWR system, 17 18 that would be not okay.

And the third is that these systems can advise operators on all parameters and advise actions which should be carried out, and can track the success of the operator in carrying out those actions and prioritize these things, say which should be done first.

Our work at Halden is related largely to

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

19

20

21

22

23

24

25

	79
1	this. And at Halden the people on the Halden project
2	are very important leaders in this area.
3	There are, of course, concerns that relate
4	also to these new systems. How to accept the computer
5	products in the software; what are the criteria that
6	they should satisfy? That's one.
7	A second one is the problem of the
8	unintended function; how do you test the system to
9	assure that there is nothing written into it which
10	could cause a problem? There are important examples
11	of that, which I think everyone's aware of. The AT&T
12	telephone crash which depended on a software error and
13	the refueling machine in Canada, which caused an
14	accident by shifting when it should not have. And
15	that was a software program error.
16	And the question here is how to find the
17	errors and also how to assure that the system
18	specifications are correct and that the software will
19	meet those system specifications.
20	So those are the concerns.
21	There is a workshop in September 13 and 14
22	sponsored by NRC. The National Institute of Standards
23	and Technology is helping us with getting ready for
24	that. We have speakers coming, experts from around
25	the U.S. and overseas. And one of the important
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-6600

80
themes in that workshop is going to be the draft
standard review plan which NRR has written. And
that's going to be presented to the people who are
giving papers there and it will be up for discussion.
And, as I say, it's one of the main themes of the
workshop to do a review of that draft standard review
plan.
So, I think this will be a very important
meeting. Commissioner Rogers is going to kick it off.
So, I think that covers this area.
CHAIRMAN SELIN: We've got eight minutes,
so I'll try to ask a short question because I predict
a long answer.
When you go into an existing control room,
which when I did two years ago I was just shocked at
how complicated they were and how poor the human
factors, et cetera, is there anybody in the industry
who believes that they can do an analysis of the
reduction in risk by replacing one of these control
rooms with a more logical control room? Because any
time you ask the shift supervisor, he will tell you,
"Oh, it looks pretty bad to an outsider, but once
people are trained on it they can run these centers as
well as a well designed center."
Has there been any work on I don't mean

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

٢

present versus future control rooms, but sort of standardized simplifications of existing control rooms and some quantification of the improvements, either reduction in training time. I'm not saying things to the point where you could get by with three people where you otherwise need four because there are so many meters, but with a given staff, what improvements could --

9 DOCTOR BECKJORD: To my knowledge, what's 10 being done in existing plants is replacing particular 11 systems, not the whole works. Now, if there is 12 somebody who knows of a place which is going forward 13 in that, speak up.

Well, I'm sure you can 14 CHAIRMAN SELIN: 15 redesign the control room sensibly if you look at them 16 and say, this is clearly better than that. But has 17 anybody gone a step further and tried to do an evaluation of what's the payoff? Do you get shorter 18 19 training time or higher recertification rates or 20 better performance in a crisis or anything like that? DOCTOR BECKJORD: Well, I know something 21 about one example, which is replacement of feedwater 22 control systems, which tend to be troublesome at low 23 power when a system is just going into operation, 24 25 either after coming out of a -- coming from a reactor

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

7

8

81

start-up or possibly even a short time for a shutdown. 1 2 And feedwater control systems have been troublesome for years and years and years and the digital systems 3 provide -- well, to give you an example, the intuitive 4 thing to do when the water level falls is you say, 5 "Well, what I should do is open the feedwater valve 6 and let more feedwater in," right, and that will raise 7 the level. Well, that's wrong. That's not the right 8 answer. You put cold water in with feedwater, which 9 is what you're doing, and that suppresses boiling. 10 Boiling is what takes a lot of volume in a steam 11 generator and so it avoids collapse and the water 12 13 level falls even further. 14

Well, digital control systems address that problem and arrive at a control strategy which maintain the right amount of fluid in the steam generator or the reactor, as the case may be. So, that's a big improvement because you get a lot of trips from the conventional systems. I don't know if we --20

DOCTOR SPEIS: Well, Frank is going to say But Mr. Chairman, after TMI the question something. the way you posed it, it was a hot item for many years and many studies were done about synergism between the operators in the control room and what's the optimum

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

15

16

17

18

19

21

22

23

24

25

1 configuration and so on and so forth. A number of 2 things were done, but because of backfit 3 considerations and the expense, you couldn't just throw everything away and start over again. 4 Maybe Frank can tell us some of the things that were done to 5 improve --6 7 CHAIRMAN SELIN: I'm not interested in the redesign of the control room. I'm asking if anybody 8 9 has done some evaluation of how operators in better 10 control -- you know, quantify how much better they are 11 or are not than acceptable, but more complicated control rooms. 12 13 DOCTOR BECKJORD: You can quantify for an individual system because in the case of the feedwater 14 15 controller, the new controllers will eliminate the 16 feedwater trips. 17 MR. COFFMAN: Ι understand As the question, it's what's the total effect on the operator 18 19 or crew performance given the new control rooms. Well, to my knowledge there's nobody who has a 20 21 complete picture on this and we are chipping away at 22 it on several fronts, one of which is to try to first look at what the impact on error rates has been in 23 those plants that have, in fact, implemented pieces of 24 So, we're kind of creeping up on it. 25 it. And the

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-6600

other aspect --

1

2

#### CHAIRMAN SELIN: We are doing that?

MR. COFFMAN: Yes, sir. The other aspect 3 4 that we're doing, and this is through the Halden Project, is that the Halden Project evaluates given 5 computer operator support systems, these different 6 7 aids, computer-based aids that they put in. They evaluate those individually, but they have an effort 8 9 underway to look at an integrated control room and the 10 integration of these different causes and what effect that has on overall performance, not only performance 11 in reacting to specific systems, but to the total 12 13 plant state. It's a difficult question because you 14 have to be able to get some measure of what the 15 operator's awareness of the total situation is. So, 16 there is that effort that is underway. Both those efforts are underway, but to my knowledge no one knows 17 at this point what the net effect is. 18 19 CHAIRMAN SELIN: Forrest, you had a

question?

(202) 234-4433

20

21 COMMISSIONER REMICK: How did you notice? 22 I couldn't resist a facetious remark 23 because I was going to say DOE must have done this 24 work because of some of the proposals they've made for 25 staffing of the MHTGR and PRISM plants where they're

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 232-6600

Ì	85						
1	talking about one operator for three units and so						
2	forth. They must have done this type of that's a						
3	facetious comment you don't have to respond to.						
4	DOCTOR BECKJORD: Commissioner, I think						
5	the designers made the proposal. I don't think it was						
6	ever systematically reviewed.						
7	COMMISSIONER REMICK: I'm thinking back to						
8	some days when DOE people did push it, before ACRS, as						
9	well as designers.						
10	DOCTOR BECKJORD: Well, Mr. Taylor, we're						
11	a little over a third of the way through and						
12	CHAIRMAN SELIN: Why don't you go through						
13	the other human reliability charts. That would be a						
14	natural stopping place and then we'll call a pause at						
15	that point.						
16	DOCTOR BECKJORD: You've got a few						
17	minutes?						
18	CHAIRMAN SELIN: Yes.						
19	MR. TAYLOR: Go ahead.						
20	DOCTOR BECKJORD: (Slide) Okay. The next						
21	one is 13, human reliability and organizational						
22	factors.						
23	The points to make on this chart are the						
24	following. First of all, we have done research on						
25	organization and management. We've spent a						
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 232-6600						

considerable sum of money on it in the last five 1 2 years. The result of it was that three techniques were tried of sending people to a plant and doing 3 4 observation. These were teams of skilled observers in 5 the human performance area. At the same time, individual interviews were done of the operators at 6 7 the plant and then also surveys were taken. These 8 were prepared surveys which everyone was asked to fill 9 out and the results of these three investigations were 10 correlated and what we found out was that they track each other pretty well. Now, the information is not 11 12 the same in each case, but what it said -- the 13 conclusion is that you can learn things from 14 interviews and from surveys which will track with 15 observation.

Now, the most important of these is the observational technique. That's a very expensive thing because the teams are expensive, and they have to be at the plant for some long period of time, maybe a couple of months. It uses both the time of the team and of the people who are at the plant. So, it's very resource intensive.

Further, we tried to translate these results into a perturbation of a PRA and that work was not completed and it was not very successful. This

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

23

24

25

(202) 232-6600

was reviewed broadly by senior management at NRC last fall. There were a couple of meetings on that and the decision at that time taken was to close out the work and to report on it and to not continue it. Some of it was applied and it's been reported in documents which have been made available to NRC inspectors for their use on this technique of observation.

Now, that's the second point, that the management reviewed it with that conclusion.

10 The third is that we still have some work 11 going on at the University of California at Los 12 Angeles by George Apostolakis, whom you know. What he 13 has been doing is a work process analysis of the jobs, the various jobs needed to run a plant, and then to 14 15 classify what the attributes are of job performance 16 and then to do a performance evaluation. And also to 17 attempt to relate what the effect of company 18 organization and management policies are on operator 19 performance. Then when he accomplishes this, the idea is that he can then give a quantitative perturbation 20 of what the effect of organization is on the plant PRA 21 22 through the individual performance multiplier.

We're reviewing that now to determine whether and how to continue to work. I believe we're giving a recommendation to Mr. Taylor in October on

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

7

8

9

23

24

25

1 that point. So, the work is -- we haven't reached a conclusion on whether to carry on with it or not. 2 So that's where we stand -- but we will do 3 That's where we stand on the 4 so in October. 5 organization and factors. There are some other aspects of this which I think you're aware of which, 6 7 if you are, I won't repeat. But following a meeting 8 with the Commission in January of a year ago we undertook to convince industry to pick up in this 9 area, in the organizational area. I think we've 10 described this to you. It came down to INPO because 11 12 INPO is the group that is responsible for it. Several of us went to INPO. I went with the idea that I could 13 14 convince them to pick up work in this area and that 15 was not successful.

What we found was that they had developed 16 their own technique for doing corporate management 17 18 evaluation and they were conscious and had -- they were well aware of what we were doing and they had 19 20 applied that and some other kinds of things that 21 they'd learned from the management, the Booz-Allen 22 Organizations, I guess, and perhaps McKinsey. I was very impressed with what they did and felt that there 23 24 wasn't really a great deal they could pick up by 25 carrying the work on. So, that was not a successful

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

effort.

1

2

3

4

5

6

7

There is an ongoing work at MIT in a program that Professor Hansen started several years ago which is a broad program in reactor safety, but they are working in this organizational area. In fact, I recently received a report of the work that they've done in the past year on that.

The next one is the next and 8 (Slide) 9 last, 14, on human reliability analysis and its effect The first point that's mentioned here 10 again on PRA. is the effect of cognitive error or a failure in 11 12 awareness on the part of operators as to what is going on that would be important for them to know about. 13 The evaluations in this area, as I understand it, are 14 now based on expert opinion and the project that is 15 underway in research under Frank Coffman is to 16 generate a database from reactor simulator reruns of 17 18 actual events and these are being done in the course 19 of reactor regualification. The purpose is to determine from those simulator runs which situations 20 21 are demanding of the operators and then to attempt to infer from that information what the cognitive error 22 rate might be. That's the first project. 23

The second one is this one that refers to methods for risk impacts of technical specifications.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

24

25

What this is about is evaluating the effect of taking equipment out of service for repair or for maintenance while a plant is operating and relating the lack of the unavailability of that equipment to the PRA.

The group that's working on this, Carl 5 Johnson is working on it and some others, are writing 6 7 a handbook for NRR. That will be completed in April 8 of 1994 and it's being written for the specific use of the Technical Specification Group in NRR. 9 It's attempting to develop a systematic way for the 10 11 reviewers to review requests for exemptions from the 12 tech specs on these matters of removing equipment. That will deal with such things as the allowed outage 13 14 time and surveillance intervals and that kind of thing and that's going well. 15

COMMISSIONER ROGERS: Why is this a human reliability topic? Maybe I'm missing something. Is it when you substitute a human for a system which is out that then the comparative reliability of those situations? Is that what --

DOCTOR BECKJORD: Well, I guess it's the -- my understanding, Commissioner Rogers, it's related to the PRA application and it's -- the purpose of it is to be able to make a judgment as to whether a specific request for exemption is going to unduly

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

16

17

18

19

20

1 change the risk at the plant where it's requested. 2 COMMISSIONER ROGERS: Yes, but --3 DOCTOR BECKJORD: Why is it human --COMMISSIONER ROGERS: Yes, why is that a 4 human reliability issue? 5 DOCTOR BECKJORD: Well, that's a good 6 7 question. I guess it's more PRA than it is human reliability. 8 COMMISSIONER ROGERS: I mean I could see 9 10 if you were substituting a human for a system --11 DOCTOR BECKJORD: This is one of these organizational --12 13 COMMISSIONER ROGERS: -- you know, that's out of service, then you might want to understand, 14 well, is the risk equivalent or different? 15 DOCTOR BECKJORD: I guess the only answer 16 17 18 COMMISSIONER ROGERS: But just taking it out of service and changing the PRA, I don't see it as 19 20 a human reliability issue. 21 MR. COFFMAN: Excuse me. I don't think there's a rational answer because it was inherited. 22 23 COMMISSIONER ROGERS: I see, it's an organizational question. 24 MR. COFFMAN: Yes, sir. 25 **NEAL R. GROSS** COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 232-6600 WASHINGTON, D.C. 20005 (202) 234-4433

Ĭ	92
1	DOCTOR BECKJORD: That's what I was going
2	to say.
3	MR. COFFMAN: The branch was formed in '87
4	and it was called the Human Factors and Reliability
5	Branch.
6	COMMISSIONER ROGERS: I see, that's where
7	it wound up. Okay.
8	DOCTOR BECKJORD: The people who were
9	doing it happened to be in that branch.
10	COMMISSIONER REMICK: Along this line,
11	Eric, a couple months ago I heard a paper that was
12	quite thought provoking. I'm not sure I believe it,
13	but it was a paper presented that indicated that when
14	you took one diesel generator out of service, the core
15	damage frequency was actually less with one diesel
16	generator available than two. The reason being that
17	when you take the one out of service you pay a lot
18	more attention to the support systems and so forth.
19	As a result, reliability of that diesel goes up and
20	the overall risk goes down. It was, as I say, kind of
21	thought provoking.
22	DOCTOR BECKJORD: I'd certainly agree with
23	that, if you take the right one out of service.
24	COMMISSIONER REMICK: And maybe we could
25	take both of them out
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 232-6600

	93
1	COMMISSIONER ROGERS: That's an
2	interesting path to go down, isn't it?
3	CHAIRMAN SELIN: We won't have the wrap-up
4	on the overall research point, but if the
5	Commissioners care to make any other comments on the
6	human reliability stuff, we'll do that and then we'll
7	just pick up at the next
8	COMMISSIONER ROGERS: Well, just one point
9	and that is that maybe I'm out of date, but I know a
10	few years ago in talking to the B&W people, it was my
11	understanding that the B&W owners group had decided
12	that eventually they as a group would change out their
13	whole control room, the core of it. Not just piece by
14	piece, to some kind of a digital system. I'm not sure
15	whether it was a combination digital and analogue or
16	what, but at any rate a totally new system. It was my
17	understanding that they had a date by which they were
18	going to start to put this into effect and so on and
19	so forth. I don't remember what that date was, but I
20	haven't heard anymore about it and the other day when
21	I asked the Research Committee about replacement of
22	the total control room, they seemed to indicate that
23	they weren't aware of anybody thinking of anything
24	like that. So, I don't know whether B&W owners group
25	has changed their position or if they haven't changed

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

I	94
1	their position how aware we are of their thoughts.
2	MR. TAYLOR: Let's try to find that out.
3	Frank Miraglia is signaling from the sidelines.
4	MR. MIRAGLIA: Frank Miraglia from NRR.
5	I believe what you're referring to, Commissioner
6	Rogers, is as part of the B&W reassessment that was
7	done several years ago was going to be a reexamination
8	of an integrated control system and that is being done
9	by B&W and that would result in different kinds of
10	control systems, but it was not going to result in a
11	whole different new control room. It was the system
12	by which they would control the reactors, integrate
13	the feedwater control with the other non-safety
14	related systems. So, it was that aspect, I think,
15	that
16	COMMISSIONER ROGERS: But that would
17	result in a different look at the
18	MR. MIRAGLIA: In certain parts of the
19	control room, yes.
20	COMMISSIONER ROGERS: Yes.
21	MR. MIRAGLIA: And also different kinds of
22	digital and control systems within a plant
23	COMMISSIONER ROGERS: Right.
24	MR. MIRAGLIA: but not a whole new
25	integrated design of a control room. So maybe that's
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 232-6600

	95
1	
2	COMMISSIONER ROGERS: Well, all right.
3	Maybe I read a little bit more into
4	MR. MIRAGLIA: I'm just inferring based
5	upon what you said in the time frame, which is
6	COMMISSIONER ROGERS: Yes, but maybe there
7	would be some implications there where there's some
8	human factors implications of that changeover that
9	perhaps we ought to take a look at.
10	CHAIRMAN SELIN: Do you have anything,
11	Forrest?
12	COMMISSIONER REMICK: I don't have a
13	comment on what we heard, but looking ahead to the
14	fact that we will continue, I agree, Mr. Chairman,
15	it's helpful to know not only the topics that we have
16	done or are doing, but some of the interesting results
17	and those interesting results sometimes can be that we
18	haven't found anything that's helpful to us. Also in
19	two cases it was helpful to me to know that Professor
20	Apostolakis and Professor Hansen were doing it where
21	appropriate. It would be helpful if you indicated
22	this was being at Oak Ridge or this was being done at
23	Idaho just to give us a feeling, as you think that's
24	appropriate, so we get some feeling of who is doing
25	the work.

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-6600

1 The other thing is in all of the research that you were doing, you must have some interesting 2 visuals, whether they're videos. I remember seeing 3 some of the dramatic ones and blowing up containment 4 out at Sandia. The EDO recently mentioned the work 5 being done in Russia on the melting of corium that's 6 7 spreading. I don't know if there are videos of that, but you might think about either in the next 8 presentation or perhaps at some other time if you have 9 something interesting for us to see, a visual, to give 10 11 us a little better feeling for the type of research, I personally would find that quite interesting. 12 DOCTOR SPEIS: We have all kinds of them. 13 14 CHAIRMAN SELIN: Well, we don't want all kinds of videos. We want certain kinds of videos. 15 MR. He didn't mean 16 TAYLOR: that literally. 17 COMMISSIONER REMICK: That helps us, 18 rather than dealing in the abstract, of some of the 19 results and who is doing it. 20 21 MR. TAYLOR: Maybe we can get something 22 for the next portion of the presentation. CHAIRMAN SELIN: MTV is the most popular 23 24 network in the world, for good reason. Commissioner de Planque? 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 232-6600 WASHINGTON, D.C. 20005 (202) 234-4433

COMMISSIONER de PLANQUE: I didn't pursue this area earlier because I assumed you probably didn't have a lot of information right on hand, but I am interested in the impact of our fee system on the university reactors and how dependent the research program is on the existence of those reactors, both for the reactor research and possible materials research. Maybe you could give us a better handle on that when we do our continuation session.

10MR. TAYLOR: We'll give you a list of all11the places.

#### COMMISSIONER de PLANQUE: Okay.

13 CHAIRMAN SELIN: I don't mean to be 14 unkind, but this presentation was a little bit like 15 what you would do for your budget examiner. Here are 16 the programs and here are the kind of activities. Ι 17 think the Commission would be interested in having a more substantive and less -- I mean if we had to 18 19 choose to have it more substantive, even if less programmatic as we continue. 20

We'll try to schedule this in the not too 21 22 distant future. This is really the core of the future of the Agency and the support for an awful lot of the 23 addition things that do. In 24 we to our 25 responsibilities for overseeing the research program,

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 232-6600

97

(202) 234-4433

1

2

3

4

5

6

7

8

9

	98
1	we need to understand, at least I need to understand,
2	and my colleagues are more aware than I am of the
3	research program, the basis on which some of the
4	regulatory decisions are made. So, it's both the
5	substance of what comes out and also how we're
6	investing our taxpayer and ratepayer money in carrying
7	it out.
8	It was an illuminating discussion. Thank
9	you very much and we'll pick this up in the not too
10	distant future.
11	(Whereupon, at 3:45 p.m., the above-
12	entitled matter was concluded.)
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS
	1323 RHODE ISLAND AVENUE, N.W.
	(202) 234-4455 WASHINGTON, D.C. 2000 (202) 232-0000

#### CERTIFICATE OF TRANSCRIBER

This is to certify that the attached events of a meeting of the United States Nuclear Regulatory Commission entitled: TITLE OF MEETING: BRIEFING ON OVERVIEW OF NRC RESEARCH PROGRAM PLACE OF MEETING: ROCKVILLE, MARYLAND

DATE OF MEETING: JULY 20, 1993

were transcribed by me. I further certify that said transcription is accurate and complete, to the best of my ability, and that the transcript is a true and accurate record of the foregoing events.

Carol Lynch

Reporter's name: \_\_\_\_\_PETER\_LYNCH

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

•

(202) 234-4433

## **OVERVIEW OF NRC RESEARCH PROGRAM**

ERIC S. BECKJORD, DIRECTOR Office of Nuclear Regulatory Research

COMMISSION BRIEFING

JULY 20, 1993

## OUTLINE

INTRODUCTION

REACTOR LICENSING SUPPORT Advanced Reactors Reactor Aging

REACTOR REGULATION SUPPORT Plant Performance Human Reliability Reactor Accident Analysis Regulatory Improvements (seismic)

NUCLEAR MATERIAL AND LOW-LEVEL WASTE SAFETY

ASSESSING SAFETY OF HIGH-LEVEL WASTE DISPOSAL

CONCLUDING REMARKS

# **NUCLEAR REGULATORY RESEARCH BUDGET - FY 93**

	<u>M\$</u>	Res/R	<u>FTE</u> Res/Reg Dev/Total			
REACTOR LICENSING SUPPORT Standard Reactor Designs Reactor Aging & Licensing Renewal	46	67	1	68		
REACTOR REGULATION SUPPORT Plant Performance Human Reliability Reactor Accident Analysis Safety Issue Resolution & Reg. Improvements	42	80	34	114		
NUCLEAR MATERIALS	3	8	18	26		
LOW-LEVEL WASTE	6	11	14	25		
HIGH-LEVEL WASTE	6	6_	1	7	_	
TOTAL	103	172	68	240		

# STANDARD REACTOR DESIGNS: AP600 AND SBWR DBA THERMAL-HYDRAULICS

### **ISSUES**

- Reliability of passive systems
- Acceptability of new technology & features
- Computer codes for NRR

# **DBA THERMAL-HYDRAULICS -- AP600**

**RESULTS -- AP600** 

Preliminary analysis of thermal-hydraulic characteristics in accidents, including containment feedback.

PLANS -- AP600

- Complete ROSA-V modifications and run confirmatory test program in FY94 and FY95.
- Improve code modeling and assess accuracy.
- Consider possible use of Oregon State University facility for lowpressure testing.

### **DBA THERMAL-HYDRAULICS - SBWR & CANDU-3**

**RESULTS -- SBWR** 

Data from the GE gravity-driven cooling system integral system test (GIST) facility were reviewed and inadequacies for code assessment were identified to NRR.

PLANS -- SBWR

Construct test loop; carry out test program. Improve code modeling and assess accuracy.

PLANS -- CANDU-3

Prepare research program for Commission consideration.

## **REACTOR AGING & LICENSE RENEWAL**

### ISSUE

- WILL AGING OF SAFETY-RELATED EQUIPMENT AND STRUCTURES RESULT IN COMMON-MODE FAILURE? REDUCE DEFENSE IN DEPTH? RENDER EQUIPMENT NEEDED FOR ACCIDENT MITIGATION INOPERABLE?
- How to assure reliability and readiness of safety-related systems and components
  - DURING INITIAL 40-YEAR LICENSE
  - DURING EXTENDED PERIOD UNDER LICENSE RENEWAL
## **REACTOR AGING & LICENSE RENEWAL**

## RESULTS

- PRIMARY SYSTEM INTEGRITY
  - **REACTOR PRESSURE VESSEL**
  - PIPING
  - STEAM GENERATORS
- ELECTRICAL AND MECHANICAL COMPONENTS
  - PUMPS, VALVES
  - BREAKERS, RELAYS
  - DIESELS
  - CABLES
  - **REACTOR PROTECTION SYSTEMS**
  - SERVICE WATER SYSTEMS
- STRUCTURAL ELEMENTS
  - CONCRETE DURABILITY, CORROSION OF REINFORCEMENT
  - STEEL CONTAINMENTS

# **REACTOR AGING & LICENSE RENEWAL**

### **CLOSURE PLANS**

•	Primary System Pressure Boundary	1998
•	Major Electrical and Mechanical Components	1996/1997
•	Aging of Concrete Structures	1994
•	Aging of Steel Containments	1996/1997

# PLANT PERFORMANCE

### ISSUE

Maintain assessed computer codes for staff analysis of events and regulatory issues in operating reactors.

### RESULTS

- Analyses for steam generator tube plugging criteria.
- Natural circulation of hot gases during severe accidents: transport of heat to the hot-leg and pressurizer surge line.
- The unexpectedly low temperatures in the TMI-2 lead screws explained.

# **PLANT PERFORMANCE**

- Maintain codes (RELAP, TRAC-PWR, TRAC-BWR, and RAMONA) for use by staff and contractors.
- Complete user training for NRC staff in FY94.
- Continue international program (CAMP).
- Maintain test facilities at universities to provide needed data.

## HUMAN RELIABILITY PERSONNEL PERFORMANCE

ISSUE

Effects on performance of staffing, hours, environmental conditions, and advanced designs

RESULTS

Method to investigate causes of human errors

PLANS

Effects of advanced designs on staffing levels

## HUMAN RELIABILITY HUMAN-SYSTEM INTERFACE

### **ISSUE**

Technical basis for acceptance of advanced instrumentation and controls

### RESULTS

- Verification and validation guidelines for expert systems
- Reviewed existing standards on high-integrity software

- Guidelines for acceptance of advanced control rooms
- Evaluate alternative facilities for conducting research

## HUMAN RELIABILITY ORGANIZATIONAL FACTORS

#### ISSUE

Effects of nuclear power plant organization on safety

### RESULTS

Initial approach used plant data to estimate effects

- Current-year projects are being wrapped up
- Senior Management review of interest in additional effort.

## HUMAN RELIABILITY HRA/PRA APPLICATIONS

#### ISSUE

- Effects of cognitive errors in PRAs
- Methods for risk impacts of Tech Specs

### RESULTS

- NUCLARR
- Methods to evaluate allowed outage times, configuration control, and surveillance test intervals
- Methods already being used to review Tech Specs

#### PLANS

**Regulatory guide on reliability methods for Tech Specs** 

# **SEVERE ACCIDENT RESEARCH PROGRAM**

## **GENERAL ISSUE**

- Is early containment failure a likely consequence of severe accidents? (E.g., direct containment heating, hydrogen combustions)
- Closure of severe accident issues on existing plants.
- Support licensing and rulemaking on future LWRs.

### **GENERAL APPROACH**

- Small-scale experiments about phenomena of severe accidents.
- Conduct scaling analysis when appropriate.
- Develop/assess analytical models (codes).
- Use probabilistic framework to couple the different stages of an accident.

# SEVERE ACCIDENT RESEARCH PROGRAM IN-VESSEL CORE MELT PROGRESSION

### ISSUE

What are the characteristics of the melt released from the core and the vessel? Threshold for ceramic pool meltthrough? Melt drain or core blockage in BWR?

## RESULTS

- Blocked cores give large ceramic melt release like TMI-2. Low metal content in blocked core ceramic melts
- Ceramic and metallic melt behavior

- Post-irradiation examination, analysis of results, and DEBRIS modeling (complete December 1993).
- Analytical modeling of melt pool thermohydraulics (complete March 1994).
- Review group to consider need for further research (late 1993).

# SEVERE ACCIDENT RESEARCH PROGRAM DIRECT CONTAINMENT HEATING

### ISSUE

Is early containment failure a likely consequence of high pressure melt ejection (DCH)?

## RESULTS

- Containment compartmentalization was a dominant mitigator of debris/gas heat transfer.
- Autoignition of hydrogen on DCH time scale is not likely.
- SNL and ANL database is prototypic.
- Simplified models (CLCH, TCE) provide a reasonable conservative estimate of DCH loads for the Zion and Surry plants.

### **PLANS**

Complete the last integral effects and separate effects tests. Assess DCH loads for selected plants and accident sequences. (Late 1993). Peer review.

# SEVERE ACCIDENT RESEARCH DEBRIS COOLABILITY

### ISSUE

Whether core debris can be cooled ex-vessel to avoid debris/structure interactions and substantial generation of noncondensible gases.

### RESULTS

Results inconclusive: no firm demonstration of debris coolability.

### **PLANS**

Currently assessing usefulness of additional testing versus accepting current uncertainty.

# SEVERE ACCIDENT RESEARCH PROGRAM SEVERE ACCIDENT CODES

### ISSUE

Development of codes to calculate severe accident consequences for all nuclear plants licensed or proposed to be licensed by the NRC.

- As models are developed and validated, assessments are made on: -Inherent limitations of codes and experiments
  -Need for further accuracy
  -Ability to obtain further accuracy
  -Peer review results
- Overall plan is to bring codes to a degree of validation where further major experiments are not justified (FY 1996)
- Efforts will continue at lower level to ensure capability to understand and analyze severe accidents is maintained.

## TMI-2 VESSEL INVESTIGATION PROJECT (VIP)

ISSUE

Challenge of severe accident conditions to reactor vessel integrity at TMI-2

### RESULTS

- Benchmark to validate computer codes that model in-vessel severe accident phenomena
- Improved understanding of TMI-2 accident to determine impact on potential vessel failure
- Insights for possible accident management strategies

### PLAN

**Project nearly completed - final report September 1993** 

# LOW POWER AND SHUTDOWN PRAs

#### ISSUE

Implications of shutdown events (e.g., Vogtle) for plant safety.

#### RESULTS

- PWR mid-loop PRA shows that time-weighted CDF is comparable to full power CDF
  - Actual CDFs during periods of mid-loop operations are substantially higher.
- Early results for BWR at cold shutdown appear similar.

#### PLANS

PWR PRA scheduled for end of FY93. BWR cold shutdown PRA is scheduled for completion by mid CY94. Analysis of other operational modes is to be determined.

## EARTH SCIENCES, PLANT RESPONSE TO SEISMIC EVENTS

#### ISSUE

CHARACTERIZE SEISMIC HAZARD CHALLENGE TO NUCLEAR POWER PLANTS TO STRENGTHEN THE TECHNICAL BASIS FOR SAFE SITING, DESIGN, AND OPERATION.

#### RESULTS

- METHODS FOR SEISMIC PRA, SEISMIC MARGINS, IPEEE
- PIPING: REVISED DAMPING VALUES REDUCED NUMBER OF SUPPORTS/SNUBBERS, PROVIDED SAFER PIPING SYSTEMS
- PROPOSED REVISION OF SEISMIC SITING CRITERIA (10 CFR PART 100, App. A)

#### PLAN

**RESOLVE DIFFERENCES BETWEEN SEISMIC HAZARD METHODS** 

## **NUCLEAR MATERIAL SAFETY**

- Radiation protection of workers and members of the public
  - Improved health effects data and models
  - Hot particle characterization and clarification of threshold for ulceration
  - Dose calculation methodology for embryo/fetus
  - International cooperative efforts with former Soviet Union to obtain health effects data from Chernobyl and other facilities
- Residual radioactivity
  - For decommissioning
  - Monitoring for release of facilities & equipment
  - Recycle/reuse dose pathways

# **MATERIALS LICENSEE PERSONNEL PERFORMANCE**

### ISSUE

Sources of human errors in performing remote afterloading brachytherapy (RAB) and teletherapy

### RESULTS

Function and task analyses for RAB and teletherapy at representative sample sites provided to NMSS

- Evaluate manual brachytherapy
- Prioritize significance and evaluate alternatives

# DECOMMISSIONING

- Parametric assessments of costs associated with decommissioning including sensitivity to levels of residual contamination and LLW disposal costs
- Characterization of hazards presented by reactor facilities following permanent shutdown and preparations for decommissioning

# LOW-LEVEL RADIOACTIVE WASTE RESEARCH

## ISSUE (NMSS, AGREEMENT STATES)

Improve technical basis to evaluate LLW disposal safety

### RESULTS

Models developed & tested for source term, engineered barriers, radionuclide transport

- Use iterative performance assessment (PA) to focus program on addressing uncertainties with greatest impact. Develop improved models; tests to support.
- Larger-scale field confirmation of site characterization and PA strategy
- Complete improved models; field scale data to test them FY98.

## **HIGH-LEVEL WASTE RESEARCH**

### **ISSUES**

Provide technical basis for

- Safety review of DOE site characterization
- Assessing natural features of site, performance of engineered barriers, performance for times of 300 to 10,000 years.

### RESULTS

- Methods and techniques for site characterization (unsaturated, fractured rock)
- Measurement and modeling of sorption properties of zeolites
- Began studies of volcanism and tectonics
- Seismic & thermal stability of tunnels
- Performance assessment methodology develop/improve

# **HIGH-LEVEL WASTE RESEARCH**

- Support review of DOE Exploratory Studies Facility and surface testing programs
- Complete Engineered Systems and Geochemical Programs FY95; Containment and Geology '96; Hydrology and PA '97.

- Cooperative activities with most of world's nuclear power users
  - 54 agreements in effect, incl. 14 signed or extended FY 93
- Russia, Ukraine:

-

- Research Working Groups of Joint Coord. Committee for Civilian Nuclear Reactor Safety
- Expanding NRC activities to provide safety analysis code capability for Russian-design reactors
- Participating in evaluation of RASPLAV test program (core melt/PV interactions)
- Japan: ROSA V AP600 integral testing

### **RESEARCH MANAGEMENT**

- CRITERIA FOR INITIATION, CONDUCT, AND CONCLUSION OF RESEARCH PROJECTS
  - Part of Research Philosophy in Five-Year Plan
  - Criteria aid decision making; do not replace knowledgeable, informed, competent, involved management
- STRENGTHENED ATTENTION TO NEXUS OF RESEARCH TO REGULATORY ISSUES IT SUPPORTS
- CLOSURE OF MAJOR PROGRAMS WHEN COMPLETED
  - Maintenance-level efforts to enable NRC to respond rapidly when need arises
- NSRRC, ACRS REVIEWS
- INTERNATIONAL SAFETY RESEARCH COOPERATION

## **ADMINISTRATIVE ACTIONS**

• DOE voucher approvals

\_\_\_\_\_

- Upgraded computer capability
- Closeout of completed DOE projects
- DOE property inventory disposition
- **Project file management**
- Project management training
- Plans for improved efficiency/effectiveness

## **REACTOR SAFETY RESEARCH IN TRANSITION**

- Research management
- Completion in sight
  - Aging
  - Severe accidents
- Continuation
  - Licensing support, regulatory standards
  - Seismic hazards
  - Controls, operations, human factors
- New Emphasis
  - Passive advanced reactors
  - Cooperation with Eastern Europe and CIS