

UNITED STATES OF AMERICA NUCLEAR REGULATORY COMMISSION

Title: BRIEFING ON NRC RESEARCH PROGRAMS ON
HUMAN FACTORS

Location: ROCKVILLE, MARYLAND

Date: NOVEMBER 10, 1993

Pages: 71 PAGES

SECRETARIAT RECORD COPY

NEAL R. GROSS AND CO., INC.

COURT REPORTERS AND TRANSCRIBERS
1323 Rhode Island Avenue, Northwest
Washington, D.C. 20005
(202) 234-4433

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on NOVEMBER, 10 1993 in the Commission's office at One White Flint North, Rockville, Maryland. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determination or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of, or addressed to, any statement or argument contained herein, except as the Commission may authorize.

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

(202) 234-4433

(202) 232-8600

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

- - - -

BRIEFING ON NRC RESEARCH PROGRAMS
ON HUMAN FACTORS

- - - -

PUBLIC MEETING

Nuclear Regulatory Commission
One White Flint North
Rockville, Maryland

Wednesday, November 10, 1993

The Commission met in open session,
pursuant to notice, at 2:00 p.m., Ivan Selin,
Chairman, presiding.

COMMISSIONERS PRESENT:

IVAN SELIN, Chairman of the Commission
KENNETH C. ROGERS, Commissioner
FORREST J. REMICK, Commissioner
E. GAIL de PLANQUE, Commissioner

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

STAFF SEATED AT THE COMMISSION TABLE:

JOHN HOYLE, Assistant Secretary

KAREN CYR, Office of the General Counsel

JAMES TAYLOR, Executive Director for Operations

WILLIAM RUSSELL, Associate Director for Inspection and
Technology Assessment, NRR

THEMIS SPEIS, Deputy Director, Office of Research

THOMAS KING, Deputy Director, Division of Systems
Research, RES

GARY HOLAHAN, Director, Division of Safety Programs,
AEOD

FRANKLIN COFFMAN, JR., Chief, Human Factors Branch,
RES

FRED COMBS, Chief, Operations Branch, NMSS

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

P-R-O-C-E-E-D-I-N-G-S

2:07 p.m.

COMMISSIONER ROGERS: Good afternoon,
ladies and gentlemen.

Chairman Selin is not here and has asked
me to open the meeting.

I am pleased to welcome members of the
staff to brief the Commission on the NRC Research
Program on Human Factors. The research program is
intended to provide improved understanding of the
capabilities and limitations of personnel involved in
the operation of nuclear power plants.

A large number of safety-related events
continue to involve human performance. It is
therefore important that the non-engineering
activities which relate to safety in nuclear plants
and operations be given proper consideration.

The Human Factors Research Program is
divided into five interrelated areas: One, personnel
performance; two, human system interface; three,
reliability assessment; four, organizational factors;
and five, material's licensees' performance. An
important element of the research program also
includes the development of standards for reviewing
and evaluating advanced control systems.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 The Commission was briefed on the
2 organizational factors portion of the research program
3 in January 1991 and the results of a comprehensive
4 review of the organizational factors research was
5 provided in a SECY paper earlier this year. I
6 understand that research products from this research
7 are being considered for possible use in routine
8 inspections and diagnostic evaluations. The
9 Commission is interested in hearing about the progress
10 you are making in this area.

11 Today's briefing will focus on users'
12 needs, research products, and the future outlook of
13 the research program. The briefing will concentrate
14 on significant research accomplishments over the past
15 two years.

16 I understand that copies of the viewgraphs
17 are available at the entrances to this room.

18 I think the Commissioners would very much
19 appreciate to hear specific results that have come out
20 of the program and anything that has actually been
21 completed would be very good to hear a little bit more
22 about.

23 Are there any other opening comments?

24 Mr. Taylor?

25 MR. TAYLOR: Good afternoon. With me at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the table are members from the Office of Research who
2 will give the major presentation this afternoon, but
3 in addition there are members of the Office of NRR,
4 AEOD and NMSS who are user offices of the results of
5 this research.

6 Doctor Speis has some opening remarks.

7 DOCTOR SPEIS: Thank you.

8 Commissioners, Mr. Chairman, it might be
9 useful to provide some background regarding NRC's
10 Human Factors Regulatory Research Program. If you
11 recall back in 1981, RES established a branch to
12 conduct human factors research. In 1985, budget
13 limitations and completion of several projects led to
14 a sharp reduction of resources dedicated to human
15 factors research, leaving only work on human
16 reliability analysis from 1985 to 1987.

17 But by 1987 the persistence, as you
18 mentioned, Commissioner Rogers, of human errors in
19 reportable events and the recommendations of the
20 National Research Council's National Academy of
21 Sciences led to a revitalization of human factors
22 research.

23 In 1987 then, RES reestablished a Human
24 Factors Regulatory Research Program. Research
25 projects were initiated based upon user needs request,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 past research experience and, where applicable,
2 recommendations of a second report from the National
3 Research Council in 1988 entitled, "Human Factors
4 Research in Nuclear Safety." The research projects
5 addressed the regulatory office needs at that time and
6 most of the National Research Council's specific
7 recommendations. By 1989, all of the National
8 Research Council's applicable recommendations were
9 being addressed. Basically, they had a number of
10 recommendations, I think somewhere around 50, and the
11 majority of them really overlap with our regulatory
12 needs. So, that's why we went ahead and addressed
13 most of their recommendations.

14 Since then, the Human Factors Research
15 Program has been mostly directed toward addressing
16 regulatory needs identified by the user offices.
17 Progress and experience has served to stabilize the
18 funding level for this research and we'll be talking
19 about the funding level in our presentation.

20 I would like to mention to you one area
21 where our research has reached an impasse and that is
22 in the area of organizational factors research. As
23 Commissioner Rogers said, we reported to you on this
24 issue in SECY-93-020 in February of this year. The
25 ultimate objective of that research was to see whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 and how we can translate organizational performance
2 into risk. That is, whether we're able to explicitly
3 account in PRA management effectiveness as explicitly
4 as possible.

5 Even though the research on organizational
6 factors has provided some insights, the direction we
7 took turned out to be very resource intensive and we
8 have reached the point where we have to decide where
9 we go from here basically.

10 At the present time we are still trying to
11 decide if there is something practical or physical
12 which we might do in this area. Mr. Coffman will
13 discuss this topic further in his presentation.

14 Again, the briefing will focus mostly on
15 recent progress from the research program and the
16 current plans for the future. Mr. King and Coffman
17 will proceed with the detailed presentation.

18 MR. KING: Thank you, Themis.

19 (Slide) On page 2 is an outline of the
20 content of the briefing. Basically I'm going to
21 provide a little background and introductory material
22 on the Human Factors Research Program. Frank Coffman,
23 who is the Chief of the Human Factors Branch in
24 Research, will then talk about the content of the
25 Human Factors Research Program broken into the five

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 topical areas that Commissioner Rogers mentioned in
2 his opening remarks, and he'll focus on the issues,
3 the approach to research, the products so far and then
4 our plans for the future in those areas. Then at the
5 end I'll say a few words about the long-term plans for
6 human factors research.

7 (Slide) Beginning on page 3, as Doctor
8 Speis mentioned, the Human Factors Branch was formed
9 in 1987. It is in the Office of Research and Frank
10 Coffman is the Branch Chief.

11 The overall objectives of the Human
12 Factors Branch, there are basically three. The first
13 is to develop technical bases for regulatory
14 requirements and guidance in areas related to human
15 performance. Basically that means generate
16 information that can be used to establish and support
17 regulatory positions in the human factors area. That
18 includes looking at a range of issues involving human
19 performance, both reactor and materials licensees in
20 those areas, man/machine interactions, and that
21 includes the use of advanced instrumentation and
22 control systems, human factors generic safety issues,
23 and it covers both current and future plant issues.

24 Secondly, an objective of the branch is to
25 develop techniques and data that accurately measure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 human performance. That includes development of human
2 reliability, analysis techniques and a database on
3 human performance.

4 Thirdly, the branch provides staff
5 expertise on human performance. Basically they're a
6 resource of human factors talent that supports the
7 program offices in licensing activities and responding
8 to questions.

9 Currently, all of the human factors
10 research is driven by regulatory needs or user needs,
11 as we sometimes call them, that come from the program
12 offices. We received 100 user need requests over the
13 past five years, of which 42 are currently active.
14 These user need requests are usually specific requests
15 in scope, schedule and desired end product. The
16 breakout of how many of those came from the various
17 program offices is shown at the bottom of page 3. But
18 I do want to mention that in receiving those user need
19 requests, we do -- it's been our experience that
20 there's been good cooperation and coordination among
21 the offices to provide requests that meet maybe
22 multiple needs and are not contradictory to each
23 other.

24 COMMISSIONER REMICK: Would these offices
25 have any technical assistant efforts in human factors

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 also, in addition to research? Would it be extensive
2 or --

3 MR. KING: Maybe Bill wants -- NRR has a
4 branch that has human factors --

5 MR. RUSSELL: We have a Human Factors
6 Branch and we have technical assistance. Most of it
7 relates to activities associated with design
8 certification, current licensing review activities
9 that are ongoing. But there is some significant
10 interface back and forth between the two and we
11 conduct frequent meetings with research to ensure that
12 these are coordinated and they're done at least at the
13 division director level quarterly.

14 COMMISSIONER REMICK: Do we know if NMSS
15 and AEOD have any?

16 MR. HOLAHAN: AEOD has, in effect, one
17 section dedicated to human performance and it has
18 contract assistance at INEL. Most of that is used to
19 have human factors experts go out to plants to follow-
20 up on specific events and we're also developing a
21 database of human performance and that's on the order
22 of a few hundred thousand dollars a year.

23 MR. COMBS: NMSS has two human factors
24 specialists involved in coordinating with Research and
25 also with some contractor support with Lawrence

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 Livermore and INEL for human factors and risk work.

2 COMMISSIONER REMICK: Thank you.

3 CHAIRMAN SELIN: I would like to follow-
4 up.

5 First of all, I'd like to thank you on a
6 different topic, for the preparation you gave me
7 before I went overseas. You tripled my knowledge of
8 breeder reactors in about three minutes, which was not
9 much of a challenge, but it was very helpful.

10 On this topic, following up on
11 Commissioner Remick's questions, I'm sort of concerned
12 about what looks superficially at being either not the
13 right placement or some duplication of some of the
14 database and some of the empirical work. A lot of the
15 data come in through AEOD and you would expect that
16 the toting up of the empirical data would be sort of
17 a natural function for the AEOD section to carry out
18 and that Research would have two functions. The first
19 is to do what I'll call non-heuristic, you know,
20 synthetic research on the factors, experiments or what
21 have you to supplement the information that comes in
22 from our licensees. The second is to try to be the
23 single source of contact and knowledge on everything
24 the Agency knows in this area and some other points.

25 But, you know, we've been running this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 large database for a long time at quite a significant
2 expense. I hope today you'll address whether we still
3 think that's a good idea and, if so, how does that
4 compare to what's going on at AEOD and, if not, what
5 we should do about it.

6 The second question I have you haven't
7 really gotten to yet, but something we addressed last
8 February or March and that was where to do the PRA
9 work or the human factors work that's part of the PRA.
10 I know these are more organizational and management
11 questions than they are research questions, but they
12 do have to do with the management of the research
13 functions. So, I hope you'll address those as we
14 continue our discussion this afternoon.

15 MR. KING: All right. Perhaps when we get
16 to the right part of the briefing --

17 CHAIRMAN SELIN: However you wish to do
18 that.

19 MR. KING: -- we can come back to this.

20 (Slide) Let me continue on page 4.

21 I need to mention that user needs change
22 with time. I think it's a fact of life that as
23 research results come in, other new issues are raised
24 and so forth, that user needs will change. To some
25 extent, our research program has been an evolving

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 program over the past several years to respond to
2 these changes. Currently, we have 51 projects or
3 separate contracts, if you will, that are being
4 directed by the Human Factors Branch. There are ten
5 project managers in that branch, mostly with human
6 factors backgrounds. It involves 26 contractors that
7 include a broad spectrum of organizations, both
8 domestic and foreign.

9 In addition to formal contract work out of
10 the branch, the branch does maintain extensive
11 interactions with other organizations on human factors
12 subjects. Those are both formal and informal. By
13 formal I mean they participate in formal information
14 exchange agreements or participate in committees,
15 working groups, standards committees and so forth in
16 the human factors area. By informal, they maintain
17 good working relationships with a number of
18 organizations that provides for a free exchange of
19 information. All of this results in most of the
20 active regulatory needs being addressed in accordance
21 with the priorities from the user offices. I put the
22 word "most" in there because we've had to negotiate on
23 schedule sometimes due to work load in other areas and
24 priorities in other areas.

25 Page 5 shows the FY '94 funding for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 branch, broken out by the five topical areas. The
2 five year plan shows pretty stable funding in the
3 human factors area. We have about the same level of
4 funding in there for FY '95 and anticipate
5 approximately a \$6 million program in the years beyond
6 that.

7 Now I'd like to turn it over to Frank
8 Coffman who will go through each of these five topical
9 areas and try and highlight the major points and focus
10 on the progress and plans. I do want to emphasize the
11 slides are not a comprehensive list of everything that
12 they've done, but we tried to pick out the more
13 visible and important items.

14 MR. COFFMAN: For each of the five topical
15 areas I'll cover the issues and then kind of a
16 characterization of the research program, then focus
17 in on recent products and then what our plans are. In
18 the first area, which is personnel performance, this
19 deals with the issues, primarily the fact that has
20 been mentioned already, that a large number of
21 operating events involve human errors. The Agency is
22 aggressively pursuing a determination of the causes.
23 So, there was a need determined for a method, a
24 standardized method to be used across the Agency for
25 investigating events to determine what, in fact, are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the root causes of those that involve human
2 performance.

3 Then there's also the need to characterize
4 the predominant areas of human error. This might be
5 an appropriate place to mention briefly what we're
6 doing, how the Office of Research is involved with the
7 databases. That is that we're involved with AEOD and
8 NRR on task force looking at the possibility of a
9 coordinated database. In addition to that, the Office
10 of Research maintains the NUCLAR database, which is
11 not so much data on causes as it is data for human
12 probability, human error rates for comparison with
13 those human error rates that are used in probabilistic
14 risk assessments. Then we're also trying to provide--
15 trying to automate a technique to get the data that's
16 collected from one of our projects, which I'll
17 mention, the human performance investigate process, to
18 get the data that's collected from that and fold it
19 into the database that NRR uses as HFIS, Human Factors
20 Information System.

21 Another issue addressed in the personnel
22 performance area has resulted from the review of
23 recent events. More specifically, the New Years Eve
24 event where there was a simultaneous scram of both
25 Units 1 and 2 at Sequoyah and there were questions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 raised about the adequacy and the utilization of
2 staff. So, the research program is addressing that
3 issue also.

4 Then the next item is the regional offices
5 have requested guidance on the effects of plant
6 environments on performance. This is short of the
7 health effects, but how does specific things like
8 heat, light, lighting -- heat and lighting, noise and
9 vibration, how do they affect performance short of
10 having health effects.

11 Then there remains some uncertainty about
12 the fatigue effects of shift length and overtime as
13 far as it might affect safety. So, the research
14 program is addressing that also.

15 COMMISSIONER REMICK: Frank, hasn't that
16 research been going on for a decade, the eight hour,
17 12 hour shift question and so forth on fatigue?

18 MR. COFFMAN: It has been going on for
19 some time, yes, sir.

20 COMMISSIONER REMICK: When do you foresee
21 that some resolution of the question --

22 MR. COFFMAN: We didn't list that. On
23 page 8 I'll touch on -- at the top of page 8 I'll
24 touch on that.

25 COMMISSIONER REMICK: Next a facetious

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 question on the bit of noise and so forth. Is music
2 included in that? You need not answer that.

3 MR. COFFMAN: No, sir.

4 COMMISSIONER REMICK: Has there been a
5 report on the staffing to handle significant events?
6 Is there a report out on it yet? I think an
7 information notice went out, but does Research have a
8 report on that?

9 MR. COFFMAN: We do not have a report on
10 that.

11 COMMISSIONER REMICK: AEOD? Does AEOD
12 have a --

13 MR. HOLAHAN: I believe it has come up as
14 an issue on some individual diagnostic evaluations and
15 IIT teams, but I don't think there's a specific study
16 on the subject.

17 COMMISSIONER REMICK: Okay. The reason I
18 ask, on some recent foreign visits I felt some
19 staffing was minimal and if there was a report, I'd
20 like to be able to send it to the people.

21 MR. RUSSELL: I recall we have recently
22 sent a SECY paper to the Commission where we addressed
23 issues of staffing, particularly the role of the STA
24 and the dual role STA or the stand-alone STA and we
25 identified some events which occurred and the approach

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 was essentially that we would follow-up on events and
2 where necessary we would look at allocations of tasks
3 to staff. If we concluded that there were
4 insufficient staff to meet and carry out the existing
5 regulatory requirements, then that would be a basis
6 for concluding potentially that they would need
7 staffing beyond the minimums that are required by the
8 regulation.

9 We are also waiting for, and Frank will
10 mention this later, in FY '94 there is supposed to be
11 a report that's completed, which we'll talk about in
12 just a moment, in which we agreed to provide feedback
13 to the Commission once we receive that report.

14 MR. HOLAHAN: It may be worth mentioning
15 that in some of the operating experience we've looked
16 into it's not so much the number of people on shift as
17 the task allocations. You might find one individual
18 that is simply overloaded and can't do the tasks
19 assigned when there might be other people available,
20 but they're just not trained or assigned to the right
21 tasks.

22 COMMISSIONER REMICK: Yes. But there's
23 not a document available yet that one could send out?

24 MR. RUSSELL: Not yet.

25 COMMISSIONER REMICK: Yes. Okay. Thank

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 you.

2 MR. COFFMAN: (Slide) I think we're on
3 page 7.

4 To characterize the research program as
5 involving learning from the experience of others, both
6 inside and outside the nuclear industry and then to
7 perform some individual studies of our own. To
8 emphasize recent product, as was requested at the
9 beginning by Commissioner Rogers. We have been quite
10 successful in the development of the human performance
11 investigation process as a standard method for
12 investigating events that involve human error. This
13 has been used and is currently being used in Region I
14 and by Headquarters personnel.

15 MR. RUSSELL: In fact, if I could expand
16 on that, we've been using it in the Human Performance
17 Evaluation Branch where we provide assistance in
18 follow-up of events in the regions. But in the last
19 two months it's been used at the Vermont Yankee AIT in
20 October, Comanche Peak special team inspection in
21 November, McGuire AIT in September, Big Rock Point
22 special inspection in October and Susquehanna in
23 November. In each case the feedback that we've been
24 getting is that this has been helpful in looking into
25 the contributing factors to the human performance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 problems. So, this is one where we have seen a
2 benefit in organizing our approach to evaluating
3 events.

4 COMMISSIONER ROGERS: But is that process
5 used in the absence of an event that triggers a look
6 at --

7 MR. RUSSELL: No. It is oriented to
8 follow-up to events.

9 COMMISSIONER ROGERS: Well, that's fine,
10 but we always ought to be striving to anticipate
11 things rather than simply react to them. I just
12 wonder what processes we have that might possibly
13 discover causes that would be unearthed by this human
14 performance investigation process that we have in
15 place.

16 MR. HOLAHAN: Well, AEOD is using, in
17 effect, the same process from the same research.
18 Although I think you might say we're following events,
19 it's not necessarily a reactor scram or some
20 significant event like that. We're looking for
21 situations in which you can learn something about
22 human performance. It might be as simple as
23 miscommunications in the control room that didn't
24 really result in a significant reactor event. But we
25 have found that the best way to get this kind of human

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 performance information is to go and talk to the
2 people who did something right or something wrong very
3 shortly after they did it. But that's also a very
4 resource intensive way to collect information.

5 MR. COFFMAN: I think the research program
6 gets ahead or the Agency gets ahead of some of the
7 areas by looking at some of these events. For
8 example, we have been requested to look into those
9 events that specifically communications has been
10 called out as a contributing element to really clarify
11 what is meant by the communications, how did it in
12 fact contribute to the event. I mentioned that part
13 of the research products on this effort was
14 development of training material because training was
15 done for some of the regions and at headquarters and
16 that material is being incorporated in the curriculum
17 at the technical training center.

18 (Slide) The plant on the next viewgraph,
19 number 8, this shifts over to take a look at our plans
20 and we're doing the study of shift duration and
21 overtime. There are two studies involved. One is
22 looking at the experience that has occurred in the
23 industry and the other is a laboratory experiment,
24 actually we're wrapping this up, where we looked at
25 performance degradation between eight hour and 12 hour

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 shifts at the Institute for Circadian Physiology.
2 Basically there was no difference discovered, no
3 significant difference discovered in the performance
4 on different tests by the operators, actual operators
5 during that laboratory experiment on a part test
6 simulator.

7 The next is the second quarter of '94 we
8 expect to have completed this handbook for the
9 inspectors on the effects of environment and we're
10 supporting -- on that next item we're supporting AEOD
11 in their study looking at the effects of high-
12 intensity lighting. Actually it's programmed high-
13 intensity lighting at the operations center and how it
14 might be advisable or unadvisable to use such a
15 system.

16 There are no existing reports, but the
17 reports are planned that is minimum staffing levels
18 and the utilization of the staff and that's the last
19 item there. Our work is to provide a technical bases.
20 We were asked to provide a technical bases to either
21 confirm or that could be used to modify 10 CFR
22 50.54(m) for both the operating staff and the
23 functions that are required to directly the support
24 the operating staff.

25 I'd like to change to a new topical area,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 if I could.

2 COMMISSIONER REMICK: Frank, before you
3 leave that, on the bit of the lighting for the Op
4 Center, how do we decide whether we're going to do or
5 sponsor independent research versus hiring outfits
6 that are expert in these areas? One that comes to
7 mind is Circadian, that the staff had work done a
8 decade ago in some of these areas, I believe. How do
9 we decide whether we're going to conduct research or
10 call in people that that's their area of expertise to
11 help us?

12 MR. COFFMAN: I think there are two parts
13 to your question. One is how do we decide on what
14 research we're going to conduct. It's basically
15 driven by the user offices. When they have an
16 interest or a need, then that's primarily what drives
17 us. As far as who does the research, that is -- we
18 have several contracting processes and it's a rather
19 rigorous process for determining who might be the best
20 for doing the research. Perhaps I didn't address the
21 question.

22 COMMISSIONER REMICK: Yes. I guess my
23 question is is research needed in the effects of
24 lighting on Op Center personnel? I thought there were
25 outfits that specialize in that knowledge as basically

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 consultants and you need not do research, but --

2 MR. COFFMAN: Well, these are the folks
3 that are involved. They approached --

4 MR. TAYLOR: Do you want to answer it?

5 MR. HOLAHAN: I'll give you my best
6 understanding of the situation. I wasn't there at the
7 time the user need was written, but my understanding
8 is in effect this is AEOD asking Research to run such
9 a contract because of their expertise in dealing with
10 the contractor. So, the contract is being let by
11 someone who understands the technology better than
12 just those of us who are trying to put together the
13 operation sector.

14 COMMISSIONER REMICK: It's really not a
15 research project.

16 MR. HOLAHAN: It's not really research in
17 the sense of most other ones, but it's a service that
18 they're providing.

19 MR. COFFMAN: (Slide) The next topic area
20 is the human system interface, which is our largest
21 area in the branch and is the highest priority area
22 for us. We've continued to work closely with NRR and
23 their activities on digital INC.

24 The overall issues you can see as we
25 characterize them as the digital systems are being

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 included in the plants. There is a need for technical
2 bases for the review and certification of advanced
3 designs and also for the upgrading of current plants.
4 The technical bases work that we're doing is in two
5 areas. One is the first being on the systems
6 themselves, what should be the regulatory positions on
7 systems, and then for the effects on the operator.
8 So, we're working on both aspects of that.

9 We're headed toward -- the research
10 program is headed toward the development of standards
11 for both the software and the interface design or the
12 displays and the effects they might have on personnel.

13 COMMISSIONER REMICK: You'd be a good one
14 to understand now, how would that contrast with the
15 technical assistance that NRR is seeking to help, I
16 assume, in these same areas versus what is being done
17 for Research and will the Research results be helpful
18 to NRR in their evaluation --

19 MR. RUSSELL: Let me illustrate with some
20 background. We briefed you on what we had learned
21 when we visited France and the Bugey simulator for the
22 N-4, which is an advanced simulation facility. Some
23 of the work that they did comparing operator
24 performance in normal control rooms, the advanced
25 control rooms and looking at the tasks they had to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 perform, they found that there was a significant
2 difference in how an operator would spend their time,
3 navigating through menus, et cetera, to gather
4 information as compared to walking over to a panel and
5 having a lot of information displayed at one time.
6 That had the potential for change.

7 We've also talked about some of the work
8 that's been done at Halden, at the research facility,
9 where they are specifically looking at some of the
10 implications for human performance of using displays
11 and advanced technology. In most cases the perception
12 has been that introduction of advanced technology is
13 always a good thing to do and improves the situation.
14 But there has not been a lot of good research done and
15 so we have some requests that are supporting us in
16 those areas broadly.

17 We also have work going on which is
18 technical assistance which is assisting us in review
19 of the process of how they are developing control room
20 design reviews, in particular, how they have handled
21 the layouts of displays and things and we've used
22 guidance that currently exists, much of which is being
23 updated and we have requests to research to update
24 that guidance based upon information display
25 technology and things that are happening. So, the old

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 guidelines that we had are in the process of being
2 updated.

3 So, one I would characterize is trying to
4 understand broadly how the roles of the operators may
5 change with the introduction of new technology, what
6 they may be doing with their time, how that might
7 affect things. Secondly, how are they interfacing
8 with the displays, how is the information portrayed?
9 In both cases, research is providing information which
10 is then being incorporated into publications which we
11 then factor into the reviews as we're applying them on
12 a case basis.

13 COMMISSIONER REMICK: So it is coming in
14 a timely manner that you can incorporate in the
15 current reviews?

16 MR. RUSSELL: We've incorporated the
17 processes in the current reviews and in most cases we
18 have put the standards in what we have called tier 2
19 materials, so that if there are improvements in the
20 standards or changes in technology, we've been careful
21 in the advanced reactor reviews not to lock in a
22 particular technology, but to rather focus on a
23 process for how that technology is proven and how the
24 operator interfaces with it and what their roles are.

25 So, we've been very cognizant of that and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 there's been a lot of interaction back and forth
2 between the staff and the Human Factors Branch doing
3 those reviews and the Research staff.

4 COMMISSIONER REMICK: Thank you.

5 MR. COFFMAN: (Slide) If I could go to
6 page 10 and talk about the recent products in this
7 area. There are a lot of items actually on pages 10
8 and 11 and I was just going to hit the highlights of
9 them, which basically are the first three items on
10 page 10. That is that the staff has developed draft
11 guidelines for the human engineering reviews of
12 advanced control rooms and these have already been
13 used for the review of the ABWR and the System 80+ for
14 the design certification. They will be used for
15 evaluating upgrades of operating plants.

16 The second item deals with the fact that
17 in the past, coming out of the Halden project has been
18 reports on the development of computer-based operator
19 support systems. What we have motivated is reports on
20 the insights and the guidelines that might be used by
21 regulatory organizations of which there are some
22 members in the Halden project. The first report that
23 we've received is this one on lessons learned out of
24 ten years of experience at Halden at the test and
25 evaluation methods that they've used on computer-based

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 systems. There are two more reports scheduled and
2 we've asked them actually for a total of six reports
3 and I'll mention the other two here in a few minutes.

4 Also, the staff held a workshop in
5 September on digital system reliability and nuclear
6 safety. From that workshop we received feedback from
7 those experts that the Agency had not previously heard
8 from concerning the potential safety issues. We also
9 provided them proposed regulatory -- well, frameworks
10 for proposed regulatory positions and then we heard
11 from them also on research. So, this was a way of
12 continuing the in-depth interaction with experts in
13 the state-of-the-art. The experts pointed to some
14 potential sources of errors for us. We knew about
15 these, but it was the emphasis that was given to them.
16 One is in the ability to capture specifications for
17 software, the need for tools for computer-aided
18 software engineering tools during the design and
19 during the audit. There is a trend toward the use of
20 modules or blocks of previously developed and used
21 code and that appears to be something that is growing
22 in use. Then they suggested the need for an error
23 collection and tracking and analysis system or
24 activity so that characterization of what kind of
25 errors have been occurring and where the emphasis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 should be put could have a solid basis.

2 These points are being considered
3 primarily for what should be the relative emphasis in
4 the regulatory activities and in the research
5 activities. And then the other products are there,
6 are listed there.

7 (Slide) I was going to go on to page 12,
8 which begins to discuss the plans. The plans are
9 broken up into two areas. One is the systems area,
10 which is covered on page 12, and then the operator
11 effects is on the next page.

12 Again, the emphasis is on technical bases
13 and one of the requests that we received was what
14 should be the technical bases or what is the technical
15 bases for requirements on software error analysis.
16 There are two parts to this, both of which the
17 research program is addressing. One deals with the
18 classification of errors to guide the acquisition of
19 error data and then the other is the study of
20 detection and analysis techniques, how one might
21 detect and analyze the errors that might occur during
22 the life cycle development of the software.

23 The next area is to develop guidelines for
24 verification and validation of expert systems. This
25 has focused primarily upon application of verification

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 and validation for the knowledge-based portion of
2 expert systems.

3 I'll go on. There are --

4 COMMISSIONER ROGERS: How are you doing
5 that? How are we getting at that basic knowledge that
6 you want to fold into the expert system?

7 MR. COFFMAN: Let me call on an expert.
8 Let me ask Leo Beltracchi, who is our project manager
9 on this project.

10 MR. BELTRACCHI: What we actually did was
11 to conduct an experiment and we had a control group
12 and an experimental group. We actually had seated
13 errors in two expert systems and compared the
14 performance of these two groups in terms of being able
15 to determine errors. We found that through the use of
16 the experimental system where they had equivalent of
17 case tools, they were actually able to detect most but
18 not all of the errors. We found it was an effective
19 way of assessing the knowledge base.

20 COMMISSIONER ROGERS: Well, I was really
21 thinking of how you develop your -- you know, how you
22 get your original collection of material that you're
23 building the knowledge base on.

24 MR. BELTRACCHI: Oh, you're talking about
25 knowledge acquisition then.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 COMMISSIONER ROGERS: Yes, right.

2 MR. BELTRACCHI: Okay. We did not look
3 into that aspect of it with regards to this -- in this
4 program. We were looking at the existing expert
5 systems and how we would verify and validate them.

6 COMMISSIONER ROGERS: I see.

7 MR. COFFMAN: Thank you, Leo.

8 The second report from Halden is mentioned
9 there in the middle and that's on lessons learned from
10 verification and validation experience that they have
11 had at Halden over the last ten years and it will
12 address such things as the use of formal methods and
13 testing techniques and the use of testing.

14 One project we have is to develop a
15 software audit tool or the prototype of a software
16 audit tool for use by NRC reviewers where they would
17 be looking for common code within the element that's
18 supporting different functions, different outputs from
19 that code. Then a project which we're trying to get
20 underway which has been requested is to look at
21 programming languages, looking at their
22 characteristics and how, in fact, the unique
23 characteristics of the language might be problematic
24 in a safety application so that coming out of this
25 would be guidance for the reviewers that when a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 program comes in in a given language that they would
2 have some hints as to what could be the potential
3 problem areas for that language.

4 (Slide) Then to look at the plans on page
5 13, for the effects on operator workload. A
6 typographical error in that first line is that it's
7 the fourth quarter. It's not the first quarter of
8 fiscal '94, it's the fourth quarter of fiscal '94 that
9 we'd expect to complete draft guidelines for human
10 engineering reviews. These are -- this is because we
11 will be going through CRGR and public comment. A lot
12 of the material coming out of Halden was used in the
13 development of these guidelines.

14 We have reports, two reports on the
15 effects of computerized procedures on human
16 performance. We're assessing the effects of digital
17 systems on operator workload and the third lessons
18 learned report from Halden deals with what they've
19 learned over the ten years on man/machine interfaces.
20 It summarizes their experience with workload and how
21 they have made decisions between allocating tasks to
22 automation versus to the operator. It includes other
23 things such as large screen displays.

24 COMMISSIONER REMICK: Since those items
25 have to do with staff review, and I look at the time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 scale, how is that going to help NRR in its review of
2 the evolutionary and passive plants?

3 MR. RUSSELL: I believe the comments I
4 made earlier, we are not locking in a particular
5 technology, we're using design acceptance criteria as
6 the approach to the control room design and to the INC
7 system designs so that there is the capability to
8 incorporate both newer technology from the standpoint
9 of types displays, et cetera, and also to factor in
10 the lessons learned from the standpoint of how you
11 display those on the instrumentation and tools that
12 you use. So, we have been careful not to specify
13 particular man/machine interface technology, but
14 rather a process for evaluating that and going through
15 a V&V, and how you do testing, including man-in-the-
16 loop testing with simulation.

17 Now, we concluded for the evolutionary
18 plants that the role of the operator was not going to
19 substantially change from the standpoint of their
20 involvement, use of systems, et cetera. That is the
21 approach to emergency procedures are still pretty much
22 the same, but we did feel that for the passive plants
23 that they were sufficiently different in the context
24 of using non-safety systems, et cetera, that we would
25 require more extensive man-in-the-loop testing as a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 part of the V&V process, where they would be using the
2 actual displays and information.

3 COMMISSIONER REMICK: So, you do not need
4 this information for reviewing the DACs themselves?

5 MR. RUSSELL: That's correct.

6 COMMISSIONER REMICK: It's the
7 implementation of the DACs that you'll need this for.
8 Is that it?

9 MR. RUSSELL: We did review standards and
10 information that's available based upon current
11 technology that would be used and to the extent that
12 technology is used, we have approved the standards
13 associated with that technology. But as we did that
14 review, we put it into a tier 2 status, that it's
15 resolved if that's used, but we did not lock it in to
16 the point where we'd need to go back to a rulemaking
17 if they wanted to introduce new technology. So there
18 is a process for handling that.

19 COMMISSIONER REMICK: Okay. Thank you.

20 MR. RUSSELL: I might comment, and I know
21 some of you have been to Halden. But I think it's
22 probably one of the better research facilities from
23 the standpoint of conducting these types of
24 experiments. They have a simulator that they can
25 reconfigure quite easily to different display

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 technologies using projection screens, et cetera.
2 They have access to operators that operator the plant
3 that is simulated and they've done quite a bit of work
4 in alarm reduction and other things. So, it's an area
5 where I think from a program office standpoint we get
6 a lot of results for relatively modest cost and it's
7 one that is not duplicated here in the U.S.

8 MR. COFFMAN: (Slide) I'll shift to the
9 next area, which is organizational factors, a topical
10 area on page 14 and just mention that by
11 organizational factors we mean such things as the
12 quality of communication of the organizational
13 internally and externally, coordination of the work,
14 that is the degree to which the coordination of the
15 work is formalized, decision making, such things as
16 the degree to which the decisions are centralized, the
17 making of the decisions are centralized, assignment of
18 personnel and resources and then some more vague
19 things more difficult to measure, like culture, the
20 values and practices.

21 The initial issue, as was mentioned, was
22 to measure these factors and then fold them into PRAs.
23 The products to date have -- well, we've identified
24 factors. We've kind of somewhat got convergence among
25 our contractors on the factors and we have developed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 methods to qualitatively measure those factors. The
2 methods at this point have been used by behavioral
3 scientists. We've tried these methods at two plants.
4 They've been good performer plants and documented our
5 results. We've got some preliminary attempts at
6 developing a method for the quantification of the
7 risk, and this is what I might call the creative step
8 in the process and it's very difficult. We have been
9 able to discover how organizational factors can create
10 dependencies across systems so that you can have
11 dependencies that occur between dissimilar components
12 and dissimilar systems. So, there has been some
13 progress. But as was mentioned, we did this
14 comprehensive evaluation of the program and concluded
15 that there was progress but it's resource intensive,
16 that the current project should be focused on what
17 might be useful for inspections and diagnostic
18 evaluations. We should monitor the work of others and
19 that NRR and RES should continue to coordinate on what
20 further work might be done.

21 (Slide) So, on page 15 that's what you'll
22 see. That's what we've been doing. The monitoring of
23 the work of others has been even the activities of
24 Institute for Nuclear Power Operations, looking at
25 their activities. They do not have any research going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 on, but basically their activities are to do plant and
2 utility evaluations using peers. We've been aware of
3 NUMARC's activities in this area to survey the
4 industry on this topic. We're aware of what MIT is
5 doing in their program. We're aware of what SKI is
6 doing in Sweden and U.K. AEA technology work. Then
7 there's work going on at the National Research
8 Council.

9 The plans are to develop the training
10 materials for incorporating the organizational
11 factors, measures into diagnostic evaluations, but
12 that will in all likelihood require some
13 demonstrations. But the key questions in this area
14 are the validation of the methods and the resource-
15 intensiveness of collecting the data. So, we're in
16 the process of meeting across the offices and trying
17 to prepare recommendations for senior management later
18 this calendar year.

19 COMMISSIONER ROGERS: What's the smallest
20 organizational unit that you can focus on in this
21 program?

22 MR. COFFMAN: The unit has been the power
23 plant, not to go beyond the power plant. Within that
24 power plant we have focused on departments and I don't
25 think we've gone -- it's just departments.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 COMMISSIONER ROGERS: Just departments.

2 MR. COFFMAN: Yes, sir.

3 COMMISSIONER ROGERS: It doesn't include,
4 say, the operating crew as an organization?

5 MR. COFFMAN: No, sir. I guess I misheard
6 the question. It includes the operating crew, but --

7 COMMISSIONER ROGERS: As an organizational
8 unit.

9 MR. COFFMAN: The answer is yes. What I
10 was thinking is we also have -- we had another project
11 looking at trying to evaluate the performance of the
12 operating team itself, which is a separate project.

13 COMMISSIONER ROGERS: Would that be in
14 this --

15 MR. COFFMAN: It would be in this area,
16 yes. It's not tied in with the attempt to quantify
17 the risk.

18 COMMISSIONER ROGERS: It isn't? Why not?
19 Isn't that one of the biggest things that you ought to
20 be looking at?

21 MR. KRAMER: Joel Kramer, Human Factors
22 Branch in Research.

23 Some of our work at Brookhaven looked at
24 measuring operator crew performance and the
25 organization factors associated with that and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 developing an algorithm to play that into risk to
2 recalculate core damage based upon the organizational
3 influences on both operations and maintenance errors.

4 COMMISSIONER ROGERS: So you are trying to
5 get a quantitative risk measure out of an examination
6 of the operating team as an organizational unit. Is
7 that correct?

8 MR. KRAMER: Right.

9 MR. COFFMAN: (Slide) To go to the fourth
10 area, human reliability analysis with the
11 probabilistic risk assessment methods and
12 applications, page 16. The issues here are focused
13 primarily on two items. One is to develop methods
14 that can be used in the evaluation of the tech specs,
15 and the other is to try and improve or validate human
16 reliability estimates. The program has focused on the
17 development of these methods for looking at changes in
18 such things as surveillance test intervals and the
19 effects of dependent failures, the configuration of
20 systems and the methods that are applicable to low
21 power and shutdown -- application of the methods to
22 low power and shutdown operations.

23 That's on the tech spec aspect. As far as
24 the issue dealing with the validity and ways to
25 improve human reliability estimates, we're finishing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 up some projects on evaluating the errors of
2 commission where we're trying to model the errors of
3 intent, the formation of these intentions by the
4 operators and what might contribute. We've looked at
5 28 teams by way of trying to validate that model and
6 we're trying to analyze at this point the empirical
7 evidence from those evaluations.

8 The last item there is to determine the
9 feasibility of inferring error rates from the data
10 available to the NRC through the simulator portion of
11 the requalification examinations that take place.

12 By way of recent products in this are
13 covered on page 17 --

14 MR. RUSSELL: Frank, if we could go back
15 to the last one for just a moment because this came
16 about as a request from NRR. We were seeing -- after
17 we made revision to the simulator portion of the
18 scenario reevaluating crew performance, we were still
19 seeing a fairly high failure rate on some scenarios,
20 indicating that human performance, even in a crew
21 environment, was not satisfactory. If you just look
22 at the number of exams that we give and the number of
23 times that they fail, particularly if you're in a
24 requalification examination scenario, it gave an
25 indication of an error rate that was much higher than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the typical error rates that are used in probabilistic
2 risk assessment analyses. Maybe an order of magnitude
3 higher or so.

4 So, we started collecting this data
5 through our examination activities. Where there were
6 critical tasks that were not performed that were crew
7 critical tasks, collecting that data, and trying to
8 understand because these scenarios were scenarios that
9 had been validated, reviewed by management prior to
10 administration and given to crews that were qualified
11 crews.

12 So, we've been collecting that data,
13 putting it into a database and we've asked Research to
14 look to see what they can discover from that and what
15 it might imply by way of error rates or what it might
16 imply by way of potential regulatory changes either in
17 how you address some of these, are we putting too much
18 reliance on operators and should there be some design
19 changes. So, this was an area that we were exploring
20 where we wanted to make use of our data from
21 examinations and see what we could learn from it. So,
22 we thought this was as close as you can get to the
23 actual scenario. You've got the tension, the stress,
24 the sweaty palms and everything else from the
25 standpoint of the operators being evaluated, and we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 were finding that the error rates were different than
2 that which you would get out of handbooks or
3 cookbooks.

4 So that's why this is being investigated.
5 We feel that this is one that should be completed
6 relatively quickly to see what we can learn out of it
7 and whether it makes sense to continue to collect the
8 data from our exams on failure rates and compare
9 scenarios, et cetera.

10 MR. COFFMAN: (Slide) On page 17 there's
11 a list of reports which compose methods or rules for
12 use in improving the way the tech specs are evaluated
13 using risk-based evaluation methods. The first two of
14 these, on allowed outage times, surveillance test
15 intervals were used already on the ABWR on the South
16 Texas reviews. In addition, there have been over ten
17 topical reports from the vendors on individual systems
18 that these method were used in the evaluation. The
19 dependent failures is a method to sort information
20 available to us about different events for there being
21 candidate, common cause events. So, it's a screening
22 methodology.

23 The item there mentioned as checklists is
24 for evaluating -- it came out of this work on trying
25 to model the errors that occur during operator

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 formation of intent to act and it's a checklist for
2 what makes events mentally or cognitively demanding.
3 For example, such things as the sequence of queues
4 that the operator receives, the time interval between
5 the queues and maybe his predisposition to focus on
6 safety systems when problems occur in the balance of
7 plant. Then we're also maintaining this human error
8 database that I mentioned before. By the way, the
9 human error database, NUCLAR, also contains hardware
10 failure rates, just for convenience of use or review.

11 COMMISSIONER REMICK: Just for
12 clarification, I can conclude the way the words are in
13 here that the Human Factors Branch is doing the risk-
14 based tech spec improvement program. I assume that
15 Research is doing that and you're talking about the
16 human factors input to that. Am I correct?

17 MR. COFFMAN: No. Most of that work was
18 done actually in the branch.

19 COMMISSIONER REMICK: It was?

20 MR. COFFMAN: And the branch used to be
21 called Reliability and Human Factors Branch.

22 COMMISSIONER REMICK: Ah-ha. I see.
23 Okay. But it's broader than human factors.

24 MR. COFFMAN: Yes.

25 COMMISSIONER REMICK: All right. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. COFFMAN: (Slide) As far as our
2 plans, they're listed there. Report on the risk
3 perspective of tech specs that require shutdown. We
4 plan to complete the documentation of a report on the
5 study of the risk impact of diesel generator
6 maintenance experience that has occurred during --
7 actually it's already been used where we evaluated
8 experience during power operations and we plan to
9 complete the work by looking at experience during
10 outages.

11 We plan to issue a handbook because these
12 methods might -- because there might be an inventory
13 of methods or there will be an inventory of methods on
14 how to evaluate tech specs using risk-based
15 methodology. We plan to issue a handbook to guide the
16 reviewers as to which method might be appropriate.

17 Then if we analyze -- as we complete the
18 analysis of the simulator portion of the
19 requalification data, we're going to have
20 characterized that data and then we're going to
21 determine the feasibility of making inferences on
22 human error rates. If that's successful, then there
23 would be more work planned to follow-on and actually
24 use a more empirically-based approach. If not, then
25 that would define the limits, the capabilities of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 information we have.

2 (Slide) I'd like to go the last area,
3 which is on page 19, which is a topic called
4 performance of materials licensees and it addresses
5 issues relating to actual and potential human errors
6 in medical misadministrations and in unnecessary
7 exposures during industrial radiography processes.

8 The research program at this point
9 involves studying the functions and tasks performed
10 during the medical application as remote afterloading
11 brachytherapy, manual brachytherapy and teletherapy,
12 and then the industrial radiography. This would
13 include -- the research includes looking at
14 procedures, the human system interface itself, the
15 training involved, the organization and the management
16 involved and then the impacts of malfunctions. We
17 have draft reports on teletherapy and remote
18 afterloading brachytherapy. Those have been
19 completed.

20 If you look over on the next page at the
21 plans, the plans include --

22 COMMISSIONER REMICK: Excuse me. Before
23 you go to the plan, any major findings in the draft
24 report?

25 MR. COFFMAN: Well, no, I don't think so,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 but Jay, do you want to -- there are major findings,
2 but whether they're surprises or not is --

3 MR. PERSENSKY: I'm Jay Persensky of the
4 Human Factors Branch.

5 Yes, there are a number of findings in
6 each of the areas that Frank mentioned as far as some
7 weaknesses in training, weaknesses in the human system
8 interface. One of the things that has come out,
9 particularly because of the remote afterloading
10 brachytherapy incidents that have occurred lately, is
11 issued related to the treatment planning, the
12 treatment planning computer and how it interfaces with
13 the other systems. That seems to be across all the
14 different types of therapy. So, there will be a
15 number of recommendations that come out of these
16 reports and issues that should be followed up on or
17 addressed in the near future.

18 COMMISSIONER REMICK: Thank you.

19 COMMISSIONER ROGERS: How do you see a
20 follow-up taking place? Say once your report is out
21 and the findings are there, what do you see happening
22 after that?

23 MR. PERSENSKY: Well, that will be
24 dependent on the user office primarily, the follow-up
25 in terms that we will provide the information to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 user office, NMSS in this case. We've talked about
2 different kinds of things. Some might include further
3 research. Others might include the use of voluntary
4 standards or voluntary changes on the part of the
5 industry. But perhaps Fred can address that better.

6 MR. COMBS: Right. We're currently
7 reviewing the draft report on remote afterloading
8 brachytherapy at this particular point. Where we
9 don't have the results of that review yet, but what we
10 envision is that by taking a look at the human factors
11 aspects, it gives us another perspective to somewhat
12 validate some of the things that we've seen or would
13 see empirically. It could very well be that we may
14 end up having to change procedures. We may end up
15 requiring additional training, depending on exactly
16 what we're finding as the source of serious error in
17 the field of brachytherapy.

18 COMMISSIONER ROGERS: Well, I guess the
19 question is is this work stimulating any kind of
20 companion activities in the industry itself that would
21 follow-on on this, or are we the sole players in this
22 game?

23 MR. COMBS: At this particular point we
24 appear to be almost the sole players. A member of my
25 staff has worked with the Association for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 Advancement of Medical Instrumentation in looking at
2 the human factors aspect of the design of medical
3 devices. We understand that that work which is done
4 by Amy will soon be the source of a new ANSI standard.
5 So, there is work going on and we are a part of it,
6 albeit a small part of this particular point.

7 COMMISSIONER ROGERS: Okay. Thank you.

8 MR. COFFMAN: There are always research
9 findings, whether they're surprises or not.

10 (Slide) By way of completing this, on
11 page 20, to discuss the plans, is to in fact complete
12 the results on remote afterloading brachytherapy and
13 teletherapy. But we have plans to do the work on
14 manual brachytherapy, but that's pending some
15 confirmation of the user need that has occurred
16 recently, that has come up recently.

17 There has been an interest expressed in
18 the development of an inspection method somewhat of
19 the type like the human performance investigation
20 process for use by materials licensees. So, that's
21 potential work that is planned. NMSS is reconsidering
22 the need for any future work on industrial
23 radiography. The user need on that came out about the
24 same time that the rule changed and so there's been
25 evidence to show that might be effective, the rule

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 might be effective and no further research is needed.

2 I've covered a lot of items because the
3 program is quite diverse. But if I were to emphasize
4 the major items, I think I should say that this human
5 performance investigation process has been a useful
6 product that's come out of the work and it is
7 affecting the way we do business, the way the Agency
8 does business. The guidelines for the review of the
9 human engineering aspects of advanced control rooms
10 and displays has come out of the work and is currently
11 being used for those reviews and then the methods for
12 the risk-based evaluation of the tech specs as major
13 products.

14 MR. KING: Thank you, Frank.

15 Let me just take two minutes and complete
16 the briefing with a few words on the long-term
17 outlook. We see a stable budget as projected over the
18 next several years at about \$6 million per year, as I
19 had mentioned before. We anticipate over the next
20 couple of years that the work in the branch is going
21 to be dominated by user need requests. Beyond that
22 point in time we think there will still be some user
23 need requests, but like other research programs we
24 need to start thinking about the long-term goals once
25 we get over this hump of being dominated by user need

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 requests, things like identifying the long-term human
2 factors needs, looking at what are the issues in front
3 of us, human performance, advanced instrumentation
4 control, man/machine interface, whatever it may be,
5 what kind of staff and contractor expertise do we want
6 to maintain, what kind of facilities do we want to
7 have access to or maintain ourselves, what do we want
8 to do with the human reliability database and also do
9 we want to continue on and is there a need for
10 additional work in the human reliability analysis
11 development and methodology in that area. And
12 continue to look at our involvement in standards
13 activities and international programs. I think at
14 this point these items are more questions on the
15 table. We don't have any answers yet, but we would
16 anticipate over the next year or to to be working on
17 these and trying to come up with our long-range plans
18 in this area.

19 With that, we complete the briefing and
20 respond to any questions you have.

21 CHAIRMAN SELIN: Commissioner Rogers?

22 COMMISSIONER ROGERS: Well, have you ever
23 suggested any studies or any additional information
24 that might be brought to bear on our application here
25 in NRR or NMSS that did not come from a user need

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 request?

2 MR. COFFMAN: I don't think so. I can't
3 think of any. So much of this area kind of couples
4 together that sometimes the user need will be focused
5 in on one thing and through the conduct of the
6 research and maybe even experiences that occur it will
7 finally refocus a little to get at the heart of an
8 item that wasn't explicitly called out in the user
9 need. But no, I think most of it's driven by user
10 needs and most of the items have been identified as
11 user needs.

12 COMMISSIONER ROGERS: Do you say anything
13 about the human cognitive reliability techniques that
14 some people have been using and their possibly
15 application here to some of these studies, in
16 particular the one I noticed with respect to some
17 question about the -- on page 11 of your report,
18 research plan report, you mentioned the human system
19 interface, that you couldn't seem to see a difference
20 between different display types. I think that was
21 where it was on page 11, but at any rate someplace in
22 here. Have you thought about actually doing some
23 studies using human cognitive reliability techniques
24 there?

25 MR. COFFMAN: The work you're referring

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 to, I believe, is the work done at University of
2 Illinois where we were looking to find a measure that
3 would be used to evaluate the displays themselves.
4 Those measures would be tied to how they affect
5 operator performance. That was partially successful.
6 It was not -- we were not able to tie it to the
7 quantitative recall of the operators, but there was
8 some indication it could have affected his ability to
9 diagnose a problem.

10 So, that's going to complete it. But the
11 work that is ongoing and appears promising is the work
12 at Halden, looking at measures for the ability of the
13 operator to remain aware of the status of the plant
14 systems. It's referred to as situational awareness.
15 So, there is work underway at Halden to explore a
16 means, a method, to assess this and use it as a way to
17 then evaluate designs.

18 COMMISSIONER ROGERS: I guess I'm just
19 puzzled about this diesel generator testing program,
20 where that fits in. I've often wondered why we
21 couldn't ever come to closure on that thing. I see
22 that it still turns up as part of your studies, the
23 plans for the future report on the risk impact of
24 diesel generator maintenance strategies. What's
25 involved?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 MR. COFFMAN: I'd like to ask Carl
2 Johnson, who is project manager on that, to explain
3 it.

4 MR. JOHNSON: I'm Carl Johnson. I believe
5 we did come to closure on that. This report that's
6 referenced here is to document some work which was --
7 the bulk of this was reported to you in a SECY paper
8 last February on the proposed diesel generator rule
9 where the question came up AEOD observed substantially
10 higher maintenance unavailability of diesels than was
11 used or was estimated at the time the original
12 blackout rule was developed and what about that? NRR
13 collected the data. This project evaluated it, found
14 that there is a substantial amount of time out of
15 service during operation and evaluated the risk of
16 that. That was summarized in the SECY paper that
17 showed that although maintenance unavailability is
18 important, that diesel reliability is more important.

19 The thing that has not been done or it was
20 not done at that time was what about the maintenance
21 unavailability during plant shutdown and the risk
22 significance of that. The data that NRR collected
23 showed that diesels were out of service about 12
24 percent of the time during shutdown. The shutdown
25 PRAs which are being done in another branch in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 research have reached completion and this project and
2 a couple of related projects are looking at what's the
3 risk significance of that and, in particular, when is
4 the better time to do different kinds of maintenance.
5 That's being wound up now.

6 So, I think we are -- yes, we have reached
7 closure on that.

8 COMMISSIONER ROGERS: Okay. I guess I
9 understand what you're looking at.

10 That's all I have.

11 CHAIRMAN SELIN: Commissioner Remick?

12 COMMISSIONER REMICK: I found the use of
13 the requalification exam error rates quite
14 interesting, although those are not necessarily
15 validated data. I don't know any better source of
16 data than that perhaps. But it raised a question in
17 my mind. Do we ever use our own simulators at the
18 training center to do any research, although I realize
19 we don't have certified or licensed operators there?
20 We're probably using trainees most of the time. But
21 do we ever use our own simulators for data
22 acquisition?

23 MR. COFFMAN: Yes, we have and it was an
24 attempt to again look for measures of how the design
25 would affect performance. So, we have on a past

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 project. There are difficulties in scheduling and in
2 reconfiguring simulators that are intended to retain
3 a high --

4 COMMISSIONER REMICK: Yes. Okay.

5 Jim, I found it very helpful to have the
6 various offices here at one time so we can get some
7 specific examples or responses to questions. I found
8 that very helpful.

9 As a general matter in all the research
10 presentations, I'm always interested in knowing what
11 you're doing. I become more interested when I hear
12 why you're doing it and I become almost excited when
13 I hear about results and uses. So, just as a general
14 matter, I would ask that in the future you plan on
15 giving us more specific results and how they're being
16 used. I continue to be impressed how the Human
17 Factors Branch, I think, is an excellent example of
18 using a variety of research providers. You don't go
19 just to one laboratory, national laboratory, but I
20 think through the years you have used a variety of
21 research providers, depending on what expertise they
22 offered and I compliment you on that.

23 Thank you for the presentation.

24 COMMISSIONER de PLANQUE: I would also
25 second the notion. If you can give us some nice juicy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 results occasionally, I think it would be very
2 interesting to all of us.

3 I'm wondering if you can give me a general
4 impression. It's clear that some of the problems
5 you're dealing with are unique to a power plant
6 situation, whereas others are extremely general, like
7 the effects of lighting, the effects of noise,
8 sequence of computer commands and things like that.
9 Can you give me some qualitative idea of how much of
10 what you do can draw from research that's already out
11 there and be applied versus research that has to start
12 from scratch for your particular application?

13 MR. COFFMAN: Well, obviously, the first
14 step we always take is to try and assess what is out
15 there --

16 COMMISSIONER de PLANQUE: Right.

17 MR. COFFMAN: -- so we don't reinvent
18 anything. I'd say in most cases, in the majority of
19 cases that we find information available out there,
20 but sometimes it has to be adjusted.

21 COMMISSIONER de PLANQUE: Given the fact
22 that -- I'll follow-up on Commissioner Rogers'
23 question, I guess. Given the fact that you often do
24 this, comb the literature, it's also a little
25 surprising to me that there's not more information

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 going back in the opposite direction, that most of
2 what you're doing is coming from a user request rather
3 than, "Oh, look what we discovered out there in the
4 literature and you folks ought to know about it."

5 MR. COFFMAN: Well, I think it may not
6 have come out in the briefing, but I think what you'll
7 find is that there's a lot of interaction in the draft
8 products and results as they come in are shared with
9 the user offices and that's why we find ourselves
10 sometimes in -- we're still finishing up the formal
11 documentation of the report when the method is already
12 being used. So, I think there is a lot of flow.

13 MR. RUSSELL: Let me add one other thing.
14 That is I think as a result of the interactions, and
15 I'm speaking now to the NRR/Research interactions,
16 that there are a lot of times when you're not able to
17 point to which individual in the dialogue back and
18 forth identified the need, but once there's an
19 agreement on our part that this is something that
20 needs to be done, we generally document that and
21 provide it to them in a user's request.

22 COMMISSIONER de PLANQUE: So your user's
23 requests are easier to count than their ideas that
24 come to you. Is that sort of what you're saying?

25 MR. RUSSELL: Well, no. I think part of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 it also maybe goes back in the past in that there was
2 a perception that was important to have the program
3 office endorsement of the activity. So, what its
4 genesis was is less important than the fact that both
5 agree that this is something that needs to be done.
6 So, the fact that there are a lot of user requests
7 from NRR doesn't mean that we're sitting over here and
8 thinking up all the research that needs to be done.
9 It's more a two way street and there is a standing
10 frequent meeting back and forth where they talk about
11 the research products, what's going on and many of the
12 people that are over there now used to be in NRR and
13 it works both ways.

14 So, I would characterize this as one area
15 that has been working well between the program office
16 and Research. So, I'm sure that they could point to
17 sentences and things that are in NRR user requests --

18 COMMISSIONER de PLANQUE: That sound
19 familiar.

20 MR. RUSSELL: -- that were written by
21 folks from Research.

22 COMMISSIONER de PLANQUE: Okay. Fine.
23 Thank you.

24 CHAIRMAN SELIN: I have to admit to being
25 a little bit puzzled at the end of this discussion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 I agree with my colleagues' remarks, particularly
2 Commissioner Remick's remarks about on one hand the
3 utility of having users and researchers here, although
4 according to Mr. Russell you guys keep switching
5 places, so I'm not sure who is who.

6 On the other hand, the characterization of
7 the program I really find very confusing. Sometimes
8 it sounds as if we have a budgety kind of -- oh, what
9 shall I call it. It's not petty, but a cash fund.
10 We've got \$6 million to answer users' requests and the
11 objective of the program is to do what we can within
12 a given budget, which on the one hand is not a trivial
13 amount of money, on the other hand if we're able to
14 get some real insight into these very concrete
15 questions on the human factors, given the enormous
16 amount of work that goes into the engineering and the
17 maintenance, it's certainly a justifiable amount of
18 effort.

19 On the other hand, we talk about the
20 program, about long-term goals and the program is
21 years old. We still don't have the long-term goals
22 and that makes it sound more like a self-starting
23 research program that has a number of objectives which
24 might be put out. But there aren't many results that
25 are long-term results that are on the table. A lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the discussion about the objective is to validate
2 methods. It's basically internal, validate methods
3 and establish a database, et cetera. I wouldn't say
4 it's research for research sake, but it is research,
5 building up both methods and a database that could
6 then be applied afterwards.

7 So, I really don't know, I don't know
8 today, I didn't know when we had the meeting almost a
9 year ago, exactly what kind of a human factors
10 research program we have. Obviously it's some
11 combination of these two, but it's still not clear to
12 me the top down approach. A different kind of a
13 discussion that talks a little bit less about the
14 researchers speaking to research junkies and more from
15 a point of view, "Here are the objectives we're trying
16 to carry out. Some of it is customer satisfaction,
17 some of it is internal. Here's how we're putting the
18 resources together. Here's what we have found out.
19 Here are the issues," would eventually be very
20 helpful. In particular, there are some of these
21 activities, particularly the database activities, that
22 have been going on for a very long time. How do we
23 know when we're done? Maybe we're never done. Maybe
24 the idea is that we're just continually investing in
25 a better database so we can gather the answers to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 users and as long as the users are satisfied, if they
2 had to pay the bill themselves, then we have a good
3 program or maybe we have some concrete objectives.
4 But I have to admit that it's not that much clearer to
5 me now than it was two years ago what kind of program
6 we have, what drives it and how do we measure
7 satisfaction. How do we know that we're doing a good
8 job? How do we know that we're doing a reasonable job
9 but could do better? It's just not that clear.

10 Now, this is not a huge program, so I'm
11 not so much concerned about how we're spending one
12 percent of our budget, although it's a fair amount of
13 money. I am more concerned that everybody has
14 identified management and human factors as the huge
15 uncharted area at least of reactor performance and now
16 with Mr. Combs here on the material side. The real
17 question is how much of a dent are we making this
18 area? Should we be doing more or less or are we doing
19 the right thing by responding to the users' requests
20 or should we have more of a research-driven program?
21 At some point we really have to address those
22 questions. Or maybe you just have to explain to me
23 why it is clear to everybody else and it's not clear
24 to me and then I'll go away happy. But I still have
25 sort of -- it's an hour after a Chinese meal. It was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 very tasty, but I have this empty feeling in my -- not
2 stomach, but my mind at this point because I really
3 don't know what we have in front of us and it's not
4 the highest priority.

5 MR. TAYLOR: We'll take that challenge.
6 We'll take that.

7 CHAIRMAN SELIN: Doctor Speis, did you
8 want to add something?

9 DOCTOR SPEIS: No. We'll take the
10 challenge.

11 I just want to add one point that you
12 mentioned earlier, tell me more about the PRA aspects
13 of human factors. The only thing I would like to say,
14 that there are two aspects to a PRA. One of them is
15 human errors in performing operations and doing tasks
16 and what errors could be made that could lead to an
17 event, and also during the event itself, what wrongful
18 interventions can take place that could lead you to
19 the wrong result.

20 In that area, the classic work that has
21 been around for a long time has been a handbook by
22 Swain, a cookbook as Bill mentioned earlier, and this
23 has been based on Air Force data which was adopted to
24 some extent to nuclear operations. So, one of the
25 programs -- in fact, the bulk of our effort has been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1 to improve on that handbook, to come up with human
2 errors that are more relevant to what's going on in
3 the nuclear industry basically.

4 CHAIRMAN SELIN: But before you get off
5 that, I had a question last year --

6 DOCTOR SPEIS: I was going to say one more
7 thing about that.

8 CHAIRMAN SELIN: Okay. Sure.

9 DOCTOR SPEIS: The other thing was the
10 other aspect is the organizational factors, whether we
11 can point --

12 CHAIRMAN SELIN: I want to talk to the
13 first part because you --

14 DOCTOR SPEIS: Go ahead. All right.

15 CHAIRMAN SELIN: And that is that I asked
16 you last year, I didn't really get an answer then, I
17 didn't get an answer now, what happens if we went
18 away? Is the industry doing this work and are we
19 doing -- are we just doing sort of regulatory
20 confirmation or are we trying to do basic work that
21 you would have expected the operators to be doing? If
22 you can run a power plant, you're going to train
23 dozens of operators, you would think that you would
24 want the best factors yourself. Why does this fall
25 upon us? Why is there such a gap out there or is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 there a bigger program to which we're just doing the
2 last ten percent?

3 DOCTOR SPEIS: I think quite a bit of
4 improvements and understanding has been gained to make
5 this data more relevant to nuclear plant operations.
6 But even though that experience and that feedback goes
7 back to the plants, we still see errors and problems
8 coming up. The objective, I guess, like in every
9 other area, is to keep improving and seeing --

10 CHAIRMAN SELIN: But I'm missing
11 something. Is there a major industry-funded research
12 program in this area and we're just trying to validate
13 it or are we doing front line research that no one
14 else has done?

15 DOCTOR SPEIS: I'm not so sure that there
16 is any coherent and concentrated effort on the part of
17 the industry.

18 MR. RUSSELL: I'm not aware of any.

19 DOCTOR SPEIS: We're doing most of the
20 work in this area basically, yes.

21 MR. RUSSELL: In fact, because of the
22 concern about human error rates, and this came up --
23 we had some very interesting information presented to
24 us by the French regulatory authorities where they had
25 spent literally 100 staff years or better running

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 experiments for the advanced control room and then
2 running them on a hybrid control room and then on the
3 Bugey control room simulators and looked at the error
4 probabilities under normal conditions and under
5 stress, and we found that these were significantly
6 different than the kinds of numbers that were coming
7 out of the handbooks that you would generate from the
8 process of using either Alan Swain's methods or other
9 HRA methods with the handbook data.

10 As a result of some of that uncertainty,
11 what we've done is we've essentially requested that
12 they do sensitivity studies as a part of the PRA
13 reviews that are being performed for the advanced
14 plant designs to try and look at the importance of the
15 particular human actions, to see which ones are really
16 important from a risk perspective. So, we're
17 essentially varying the error rate from zero to one to
18 try and get measures of the importance to overall risk
19 of these tasks that have to be performed and then
20 we're looking at it from the standpoint of whether
21 that task should be automated or not to eliminate it
22 and so we're using this as part of task allocation and
23 that's the way we're using the tool because there is
24 a great debate over what you use for numbers and what
25 is the uncertainty when you're putting human error

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 probabilities in.

2 So, because of this lack of good data, we
3 find that often we have to look beyond that, do
4 sensitivity studies, look at other alternative
5 approaches because you cannot put high reliance on
6 recovery actions or some of these other things.

7 CHAIRMAN SELIN: Well, I'm not surprised
8 to hear that say the vendors come up with some
9 analyses and we have to do a lot of work to check
10 that, to look at some sensitivities, to explain that.
11 I am more surprised to hear that in terms of the
12 operation of today's plants there isn't a lot more
13 work than there seems to be going on funded by the
14 industry itself to take a look at the effectiveness of
15 their own training methods. I mean they spent a
16 fortune on the training and the operations that
17 result.

18 So, the question is is there more going on
19 than we know about, is there not going on? Have they
20 tried it and it just turns out to be very hard to
21 invest money usefully?

22 DOCTOR SPEIS: No. We know that there
23 isn't that much work because, for example, we're
24 reviewing the IPEs now and the information that the
25 people are using are that derived from this classic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 Swain handbook. Okay?

2 CHAIRMAN SELIN: I see.

3 DOCTOR SPEIS: So, the reason I mentioned
4 it is because a sizeable part of our work is focused
5 in this area and trying to understand and improve
6 better on human errors and then translate them into
7 quantitative attributes.

8 CHAIRMAN SELIN: I'm very glad you brought
9 that out. Obviously the less confidence you have in
10 the supply of information, the more you have to be
11 sensitive to the sensitivity of the use, the way these
12 figures figure into the PRA. But if the situation is
13 as you describe it, I guess I'm sort of concerned that
14 we have this rather large research vacuum out there
15 that we're trying to fill ourselves rather than also
16 encouraging the license community to take steps to
17 fill that on their own.

18 I did interrupt you, Doctor Speis. You
19 were talking about organizational factors also.

20 DOCTOR SPEIS: Well, that's another area
21 that there is nothing in PRAs right now as far as
22 quantifying the effectiveness or non-effectiveness of
23 organizational factors. That's where we discussed
24 today we spend a sizeable amount of money, for
25 example, something like between \$4 and \$5 million the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 last three or four years and we have basically reached
2 an impasse. That's the area that we're kind of taking
3 an step back and trying to decide where we go now
4 basically.

5 The point I was trying to make, that in
6 some of these areas the work was kind of exploratory.
7 It wasn't -- the answer wasn't obvious the moment we
8 started pursuing those areas. So, unfortunately this
9 work has those attributes, the human factors work. I
10 guess I'm not trying to justify everything, but those
11 things have to be taken into account.

12 MR. RUSSELL: I guess I could just
13 illustrate how extreme the situation is. At the time
14 we had our senior management meetings to review plant
15 performance, one of the facilities that ultimately
16 ended up identified as a facility that needed
17 additional attention by the NRC has, if you believe
18 point estimates, the safest plant based upon their IPE
19 in the United States. So, you have the two extremes
20 where the IPE is telling you one thing and yet on the
21 other hand here's a facility that we're extremely
22 concerned about from the standpoint of management
23 performance errors and other things. So, that
24 situation is one that exists and has for some time.
25 We've seen that even back at the time of Zion, Indian

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 Point action plan and the concerns there where we were
2 doing the PRA reviews at Indian Point and looking at
3 the difference between the two units and there were
4 very different performance between the two units and
5 yet you could not recognize that through the PRAs that
6 were being done.

7 CHAIRMAN SELIN: They must have hired the
8 same people who did the RBMK PRAs.

9 Look, in addition to the point that I
10 first threw out, which is what's the motivation of the
11 program, I continue to be quite concerned about if
12 this stuff is so terrific why are we the only people
13 doing it, to put it in simple terms. So, I would add
14 to Commissioner de Planque's consideration about the
15 general literature on human factors not specific to
16 nuclear plants, a concern about whether there is or if
17 there isn't, why isn't there more work being done and
18 sponsored not by other federal agencies but by the
19 industry on the human factors work as applied
20 specifically to nuclear power plants?

21 Maybe one of the alternatives is not so
22 much to try to do this all ourselves. Maybe it is the
23 most efficient way for us to do it and then in effect
24 charge this back out to the industry through our fee
25 structure with all its overhead. But maybe a better

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 way would be for the industry to take on some of these
2 questions themselves directly and see if they can
3 satisfy us with their results as well as our doing the
4 work.

5 Fine. Thank you very much, Mr. Taylor.

6 (Whereupon, at 3:38 p.m., the above-
7 entitled matter was concluded.)
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

CERTIFICATE OF TRANSCRIBER

This is to certify that the attached events of a meeting
of the United States Nuclear Regulatory Commission entitled:

TITLE OF MEETING: BRIEFING ON NRC RESEARCH PROGRAMS ON
HUMAN FACTORS

PLACE OF MEETING: ROCKVILLE, MARYLAND

DATE OF MEETING: 11-10-93

were transcribed by me. I further certify that said transcription
is accurate and complete, to the best of my ability, and that the
transcript is a true and accurate record of the foregoing events.

Carol Lynch

Reporter's name: PETER LYNCH

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

**COMMISSION BRIEFING ON
HUMAN FACTORS
REGULATORY RESEARCH PROGRAM**

NOVEMBER 10, 1993

CONTENT

BACKGROUND

CURRENT RESEARCH ISSUES, APPROACH, PRODUCTS, AND PLANS

- **Personnel Performance**
- **Human-System Interface**
- **Organizational Factors**
- **HRA/PRA Methods & Applications**
- **Performance of Materials Licensees**

FUTURE OUTLOOK

BACKGROUND

- **HFB formed in 1987.**
- **Overall Objectives of HFB:**
 - **Develop technical basis for regulatory requirements/guidance in areas related to human performance**
 - **Accurately measure human performance**
 - **Provide staff expertise on human performance in commercial nuclear activities**
- **Human factors research driven by regulatory needs. Have received 100 regulatory need requests of which 42 are currently active.**

AEOD	2 active requests
NMSS	4 active requests
NRR	36 active requests

BACKGROUND

Continued

- **Regulatory needs change with research results and regulatory circumstances**
- **Current research program consists of 51 projects directed by HFB/RES (10 Project Managers) and involves 26 contractors (Gov't agencies, Nat'l Labs, private firms, universities) and international organizations**
- **Maintain interactions on human factors subjects:**
 - **formal (2 foreign countries plus domestic industry and government organizations)**
 - **informal (5 foreign countries plus domestic industry and academic organizations)**
- **Currently most of the active regulatory needs are being addressed in accordance with priorities from user offices**

HUMAN FACTORS RESEARCH FUNDING

Topic	FY 1994
● Personnel Performance	\$1,037K
● Human-System Interfaces	2,919K
● Organizational Factors	308K
● HRA/PRA Methods & Applications	1,258K
● Performance of Materials Licensees	<u>976K</u>
Total	\$6,498K

PERSONNEL PERFORMANCE

- **Issues**
 - **Over 50% of reportable events involve some form of human error:**
 - **Need for a standard inspection method to determine root causes of events involving human error**
 - **Need to characterize predominant areas of human error**
 - **Adequacy of plant staffing to handle significant events**
 - **Effects of plant environment on human performance**
 - **Fatigue effects of shift length and overtime**

PERSONNEL PERFORMANCE

Continued

- **Research Program**
 - **Involves learning from experience both in and outside the nuclear industry and studies of human performance**
 - **Will broaden staff's knowledge in areas related to human performance**
- **Recent Product**
 - **Human Performance Investigation Process; NUREG/CR-5455 (being used by inspectors during event inspections)**

PERSONNEL PERFORMANCE

Continued

- **Plans**
 - **Study of effects of shift duration and overtime on human performance; 2Q/FY94**
 - **Handbook on effects of environment on human performance; 2Q/FY94**
 - **Study of effects of hi-intensity lighting on Ops Center personnel; 4Q/FY94**
 - **Reports on basis for minimum staffing levels for current and advanced designs; 4Q/FY95**

HUMAN-SYSTEM INTERFACE

- **Issue**
 - **Digital control/display systems are being developed for use in current and advanced plants**
 - **What should be the technical basis for regulatory positions on the use of digital control/display systems in safety-critical functions**
 - **What are the effects on operator workload/performance**
- **Research program is directed toward the development of standards and guidelines for both software development and interface design, and considers existing standards/guidelines and experience (nuclear and non-nuclear)**

HUMAN-SYSTEM INTERFACE

Continued

- **Recent Products**

- **Draft guidelines for human engineering reviews of advanced control rooms (Draft NUREG/CR-5908)**
- **Report on lessons learned from test and evaluation experience on computer-based systems at Halden; HWR-336**
- **Workshop on digital systems reliability and nuclear safety**
- **Report on review of current standards for development of safety-critical software; NUREG/CR-5930**

HUMAN-SYSTEM INTERFACE

Continued

- **Report on evaluation of conventional software verification and validation techniques; NUREG/CR-6018**
- **Resolution of human factors generic issues on annunciators, local control stations, and procedures; NUREG/CR-5458 and 5572**
- **Graphic display software developed at Halden is being used at Technical Training Center to create displays of simulation data**

HUMAN-SYSTEM INTERFACE

Continued

- **Plans**
 - **Technical basis for digital systems in safety-critical functions**
 - **Develop technical basis for requirements on software error analysis; 2Q/FY94**
 - **Develop basis and guidelines for Verification and Validation of Expert Systems, 3Q/FY94**
 - **Report on lessons learned on verification and validation during software development at Halden; 4Q/FY94**
 - **Develop software audit tool prototype for use by NRC; 1Q/FY95**
 - **Report on safety attributes of programming languages; 4Q/FY95**

HUMAN-SYSTEM INTERFACE

Continued

- **Effects on operator workload/performance**
 - **Complete guidelines for human engineering reviews of advanced control rooms; 1Q/FY94**
 - **Reports on effects of computerized procedures on human performance; 3Q/FY94**
 - **Assess effects of digital systems on operator workload; 3Q/FY95**
 - **Report on lessons learned on man-machine interfaces with computer-based systems at Halden; 4Q/FY95**

ORGANIZATIONAL FACTORS

- **Issue involves the feasibility of (1) measures and criteria to consistently evaluate nuclear power plant organizational performance and (2) methods to translate organizational performance into risk**
- **Research Program reviewed work of others and focused on identifying organizational factors important to safety and their impact on risk**
- **Products**
 - **Identified organizational factors and developed methods to rate their relative importance. Tried at two plants; NUREG/CR-5538**
 - **Preliminary attempt at developing a methodology to quantify risk**
 - **Evaluation of research program; SECY 93-020**

ORGANIZATIONAL FACTORS Continued

- **Plans**
 - **Monitor work of others in this area**
 - **Develop training for incorporating organizational factors into diagnostic evaluations**
 - **RES/AEOD/NRR are evaluating the feasibility and practicality of further research. Key questions:**
 - **Validation**
 - **Resources required for application**
 - **Recommendations to senior management this calendar year**

HUMAN RELIABILITY ANALYSIS/ PROBABILISTIC RISK ASSESSMENT METHODS AND APPLICATIONS

- **Issues include the need for methods to evaluate Tech Specs from a risk perspective and for means to improve and validate human reliability estimates**
- **Research Program**
 - **Focused on developing methods to evaluate Technical Specifications using risk assessment in the areas of surveillance test intervals, dependent failures, configuration of systems, and low-power/shutdown operations**
 - **Evaluating factors important to errors of commission.**
 - **Inferring error rates from data available from requalification examinations**

**HUMAN RELIABILITY ANALYSIS/
PROBABILISTIC RISK ASSESSMENT METHODS
AND APPLICATIONS
Continued**

- **Recent Products**

- **Methods to improve Tech Specs using risk based evaluations:**
 - **(NUREG/CR-5425), allowed outage times**
 - **(NUREG/CR-5775), surveillance test intervals**
 - **(NUREG/CR-5993), dependent failures**
 - **(NUREG/CR-5641), configuration management**
- **Checklist for evaluating conditions that could lead to human error in cognitively demanding events; NUREG/CP-0126**
- **A computerized library of error probabilities; NUREG/CR-4639**

HUMAN RELIABILITY ANALYSIS AND PROBABILISTIC RISK ASSESSMENT Continued

- **Plans**
 - **Report on risk perspective of Tech Specs requiring shutdown; 2Q/FY94**
 - **Report on risk impact of diesel generator maintenance strategy; 3Q/FY94**
 - **Handbook of methods for evaluating Tech Specs; 4Q/FY94**
 - **Analysis of operator requalification data for error rates; 4Q/FY94**

PERFORMANCE OF MATERIALS LICENSEES

- **Issues relate to identifying actual and potential human errors leading to medical misadministrations and unnecessary exposures associated with industrial radiography**
- **Research program involves studying the functions and tasks performed during remote afterloading brachytherapy, manual brachytherapy, teletherapy, and industrial radiography**
- **Recent Product**
 - **Draft reports on human performance in teletherapy and remote afterloading brachytherapy**

PERFORMANCE OF MATERIALS LICENSEES

Continued

- **Plans**
 - **Reports on potential errors and preventive actions on remote afterloading brachytherapy and teletherapy; 2Q/FY94**
 - **Report on potential errors and preventive actions on manual brachytherapy; 3Q/FY95 (Pending confirmation of continuing user need)**
 - **Develop human error inspection methods for materials licensees; 4Q/FY95**
 - **Reconsidering the need for further research on industrial radiography in light of experience with the rule change to 10CFR 34**

FUTURE OUTLOOK

- **Five year plan projects stable budget at approximately \$6 million per year**
- **User need requests will continue to dominate research program in FY94-96 time frame**
- **Beyond FY96 some user need requests are still expected**
- **Development of long term goals**
 - **Identify long term NRC human factors needs**
 - **Technical issues**
 - **Staff and contractor expertise**
 - **Facilities**
 - **Human reliability data base**
 - **Assess level of involvement in standards and international programs**