

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

Title: BRIEFING ON STATUS OF OPERATOR LICENSING ACTIVITIES
IN THE AREA OF REQUALIFICATION EXAMS

Location: ROCKVILLE, MARYLAND

Date: MAY 10, 1989

Pages: 26 PAGES

~~SECRETARY'S RECORD COPY~~

NEAL R. GROSS AND CO., INC.

COURT REPORTERS AND TRANSCRIBERS
1323 Rhode Island Avenue, Northwest
Washington, D.C. 20005
(202) 234-4433

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on May 10, 1989 in the Commission's office at One White Flint North, Rockville, Maryland. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determination or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of, or addressed to, any statement or argument contained herein, except as the Commission may authorize.

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

* * *

BRIEFING ON STATUS OF OPERATOR LICENSING ACTIVITIES
IN THE AREA OF REQUALIFICATION EXAMS

* * *

PUBLIC MEETING

* * *

Nuclear Regulatory Commission
One White Flint North
Rockville, Maryland

Wednesday, May 10, 1989

The Commission met in open session, pursuant to notice, at 2:00 p.m., the Honorable LANDO W. ZECH, JR., Chairman of the Commission, presiding.

COMMISSIONERS PRESENT:

LANDO W. ZECH, JR., Chairman of the Commission
THOMAS M. ROBERTS, Member of the Commission
JAMES R. CURTISS, Member of the Commission

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STAFF AND PRESENTERS SEATED AT THE COMMISSION TABLE:

SAMUEL J. CHILK, Secretary

STUART TREBY, General Counsel's Office

VICTOR STELLO, JR., Executive Director for
Operations

JACK ROE, Director, DLPQ, NRR

KENNETH E. PERKINS, JR., Chief, OPLB, DLPQ, NRR

RALPH COOLEY, Chief, RSOS, DLPQ, NRR

FRED MIRAGLIA, NRR

P R O C E E D I N G S

(2:01 p.m.)

1
2
3 CHAIRMAN ZECH: Good afternoon, ladies and
4 gentlemen.

5 Commissioners Carr and Rogers will not be with
6 us today.

7 This afternoon the staff will brief the
8 Commission on the status of implementation of the
9 operator requalification examination program.

10 After a September 10th, 1987 public meeting
11 between the NRC staff and the industry representatives,
12 the staff decided to suspend further NRC involvement in
13 the administration of requalification examinations for
14 NRC licensed reactor operators.

15 This decision was made to assure that there was
16 no adverse impact on the safety of licensed power
17 reactors as a result of the NRC requalification
18 examination process.

19 The staff has worked to improve the
20 requalification examination process, and demonstrated its
21 effectiveness by conducting pilot requalification
22 programs at five utilities, which they briefed the
23 Commission on in December of 1988.

24 The staff has now conducted requalification
25 examinations at a number of plants, and will inform us

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1 this afternoon of the results of the program to-date.

2 Copies of the slide presentation should be
3 available at the entrance to the meeting room.

4 Do my fellow Commissioners have any opening
5 comments to make?

6 (No response.)

7 If not, Mr. Stello, you may proceed.

8 MR. STELLO: Thank you, Mr. Chairman.

9 In the way of a general observation, I think
10 the overall training of the operating people over the
11 past ten years has improved significantly, and that was
12 summarized this morning in the Commission's briefing by
13 the industry. I think, in my judgment, a great deal of
14 the credit for the improvement we've seen in the nuclear
15 plants directly ties back to the adequacy of the
16 training, especially of the operators.

17 One particular part of that training leads, of
18 course, to two times when they're tested -- one when they
19 get their initial exams, which we think has been going
20 along very well and we've not had significant problems,
21 although I think there's clearly room for improvement
22 there, but we, as you had indicated, found significant
23 problems in terms of administering requal exams and, as
24 you point out, we did suspend it.

25 We went out to try to understand the problem as

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1 best we can. We had some public meetings, and in a
2 moment Jack Roe will summarize this in more detail, but I
3 would look at the experience we've had with it and I--
4 in seeing the regulatory problem, hitting it head-on,
5 making the changes that were necessary, I think we have,
6 again, come a long way in demonstrating the willingness
7 of the regulators to go out, when we're off on a tangent
8 and we ought not to be, to be willing to change our
9 course and do the right thing, and I think we have.

10 And I think the overall feedback that I've
11 heard from the industry now has been very, very positive.
12 So, I think we've gotten the requal program running now
13 reasonably well.

14 I'll ask Jack Roe to give you a more
15 comprehensive picture and snapshot of the background
16 because I think it is important -- has a very important
17 lesson to how we can regulate better when we have a
18 problem, and deal with it quickly and efficiently.

19 Jack?

20 MR. ROE: The Commission requested a briefing
21 on our new requalification program after it was running
22 smoothly. I'm pleased to report to you that we have
23 fully implemented our new requal program and, indeed, it
24 is running very smoothly.

25 Late in '88 we briefed the Commission on our

1 current approach, which corrected the problems that Mr.
2 Stello has spoken of. At that time, we had conducted the
3 five pilot programs, and we had made some revisions based
4 on what we learned in the pilot programs, and implemented
5 our new requal program in October of '88.

6 Recently, the staff has sent to the Commission
7 two papers on alternatives to our requalification
8 program, which makes further refinements in the way that
9 we conduct it. We will make the changes based on the
10 guidance from the Commission, after you have an
11 opportunity to address those.

12 Ken Perkins is Chief of our Operator Licensing
13 Branch, will discuss the status of our current program.

14 Ken?

15 MR. PERKINS: Thank you.

16 As we begin to talk about the status of the
17 requal program, I'd like to refresh your memories on the
18 composition of the requal program. Recall that it is a
19 four-part examination that we administer at the sites.

20 The first part is a dynamic simulator
21 examination in which we focus on crew performance as well
22 as individual performance, individual weaknesses. We
23 evaluate the time critical and team dependent behavior
24 during the simulator scenario runs.

25 The critical tasks to plant safety that are

1 contained in each of the scenarios then, provide us with
2 a basis for evaluating the satisfactory performance of
3 the individuals and the teams.

4 The second part of the operating exam is the
5 walkthrough part. And in the walkthrough exam, we assure
6 proficiency of individuals and plant systems which are
7 important to safety. We emphasize the requalification
8 subjects, the subjects out of their requalification
9 programs, as well as recent licensee and industry
10 experience, and probability risk assessments.

11 We utilize job performance measures to
12 determine satisfactory performance of individuals during
13 these walkthrough examinations.

14 In the written exam, which is all open
15 reference, we conduct a portion of that in the static
16 simulator and, in the static simulator, we evaluate the
17 individual's knowledge of plant systems, integrated
18 operations, instrumentation and controls, technical
19 specifications, and limited conditions of operation.

20 In the classroom portion of the written exam--
21 again, remember that this is open reference -- we
22 evaluate the individual's ability to analyze conditions
23 and to determine proper procedures and administrative
24 practices.

25 So, these are the four sections of the exam as

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1 we've been administering them.

2 If I may have the first slide, please. (Slide)
3 I'd like to now discuss with you a summary of the requal
4 program status since implementation -- that is, since we
5 began implementing the program October of 1988, about
6 seven months ago.

7 I'd first like to say that the start has been a
8 little slow. The number of facilities' exams in the
9 first few months was somewhat below our projection, but
10 that the number of exams that we have been administering
11 have been picking up in the last three months. We're now
12 within 60 percent of our projected level of examination,
13 and we expect to meet our examination projection for the
14 year, by the end of the fiscal year.

15 There are 12 facility programs which we have
16 evaluated to-date. Two of those final evaluations are
17 still pending. Two of the 12 have been found
18 unsatisfactory.

19 We have found no significant problems with the
20 NRC requalification program implementation. In fact, the
21 NRC's requalification program is identifying problems
22 with facility programs, as well as with individuals who
23 need remedial training.

24 Next slide, please. (Slide) The facilities at
25 which we have conducted requalifications examinations and

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1 where we have evaluated the facilities' programs are
2 listed on this slide. The two facilities for which the
3 results are still pending are Braidwood and Palisades.
4 The Braidwood exam is still being graded. The Palisades
5 exam has been graded, but in order to complete a program
6 evaluation, we must have a minimum sample of 12
7 examinations, and we did not have the full 12 at
8 Palisades.

9 CHAIRMAN ZECH: Which are the two that were
10 unsat?

11 MR. PERKINS: The two programs that were
12 unsatisfactory are Turkey Point and Point Beach.

13 COMMISSIONER ROBERTS: Point Beach was
14 unsatisfactory?

15 MR. PERKINS: Yes. If there are questions, we
16 can speak to that a little later.

17 COMMISSIONER ROBERTS: What was the basis for
18 selecting these 12?

19 MR. PERKINS: It depends on the -- we intend to
20 get to all facilities.

21 COMMISSIONER ROBERTS: I understand.

22 MR. PERKINS: It was based on the facilities'
23 training cycle schedule and our -- and their availability
24 in order to conduct these examinations.

25 CHAIRMAN ZECH: I might say that it's

1 disappointing to hear that Turkey Point was unsat. This
2 kind of indicates a continuing problem with Turkey Point.
3 I'm kind of tired of seeing Turkey Point on the bottom of
4 our list, and so forth, and all the attention the staff's
5 given it, and the region's given it the past few years.
6 It's very disappointing. What were the results of that
7 unsat? Can you give us just a little bit on that before
8 we move on?

9 MR. PERKINS: Certainly. There were 24 people
10 -- 24 individuals examined at Turkey Point. The criteria
11 that we have set up in our exam --

12 CHAIRMAN ZECH: This is by our own people, by
13 NRC?

14 MR. PERKINS: By NRC.

15 CHAIRMAN ZECH: Our new requalification
16 program.

17 MR. PERKINS: Examined by NRC and the facility
18 evaluators. So, it was co-graded.

19 CHAIRMAN ZECH: But the requalification program
20 -- just to refresh my memory -- this is the one that the
21 industry worked with us on this program --

22 MR. PERKINS: Yes.

23 CHAIRMAN ZECH: -- and contributed
24 significantly to the new program, so this is the one that
25 they also recognize as a valid, good requalification

1 program, is that correct?

2 MR. PERKINS: I'm stealing my own thunder for a
3 later slide, but, yes, both Point Beach and Turkey Point
4 have told us that they thought that the exam was a good,
5 fair, operationally-oriented examination.

6 CHAIRMAN ZECH: Well, we can go on then. Thank
7 you. Tell us some more about Turkey Point, though; why
8 did they do so poorly.

9 COMMISSIONER CURTISS: Just a quick question
10 while we're on that point. What do we do when a program
11 is unsatisfactory?

12 MR. PERKINS: Okay. A facility -- we have
13 criteria in the examiner standards that we use to
14 determine when a program is unsatisfactory. It can be on
15 the basis of the percentage of individuals examined that
16 fail the exam. In other words, if less than 75 percent
17 of the people pass, this is a reflection on the program,
18 and they may have an unsatisfactory program.

19 If a certain number of crews, certain
20 percentage of the crews that we examine fail, then their
21 program may be found unsat. If a certain number of their
22 evaluators are found unsat, then the program may be found
23 unsatisfactory. So, there are a longer list of criteria
24 that are considered.

25 The facility, once the program has -- the

1 individual who fails the exam is removed from shift and
2 put into remedial training. The facility's program, when
3 it is found to be unsat, no longer has the authority or
4 the power to re-examine that individual and return them
5 to shift. If it was a satisfactory program, we allow the
6 facility to re-examine the individual and return them to
7 shift, knowing that we will come back and conduct another
8 exam prior to renewing their license. With an unsat
9 program, that power does not exist.

10 Also, there is a case-by-case determination by
11 the regional administrator working in conjunction with
12 ourselves and his staff, on whether or not that facility
13 should continue to operate. And the number of
14 individuals in whom we have confidence as operators to
15 operate that plant, to constitute the required number of
16 shifts, is one factor, but SALP ratings and other factors
17 go into that determination.

18 COMMISSIONER CURTISS: What if a crew fails the
19 test, what happens?

20 MR. PERKINS: If a crew fails the shift, they
21 are taken -- if a crew fails the exam, they are taken
22 off-shift and must receive remedial training prior to
23 being returned to shift.

24 CHAIRMAN ZECH: Can you tell us just briefly a
25 little bit more about Turkey Point, before we move on

1 then?

2 MR. PERKINS: Okay. There were a total of 24
3 individuals who took the examination. Of those, 12 were
4 on-shift personnel and 12 were off-shift personnel. By
5 off-shift, I mean staff licensed individuals.

6 The number of on-shift personnel who failed the
7 exam was four. The number of off-shift personnel who
8 failed the exam was eight. The failures that occurred
9 were across all three parts of the examination -- the
10 written exam, the walkthrough, and the simulator, the
11 dynamic simulator part of the exam.

12 Those individuals were taken off-shift and have
13 been put into a remedial training program. And as I
14 believe you are aware, the facility shut down in order to
15 provide training to those individuals who continue to
16 have active licenses, so that they could provide crew
17 performance training to those people prior to restarting.

18 We conducted operational assessments which are
19 like the dynamic simulator part of the exam, on those
20 crews.

21 CHAIRMAN ZECH: Do we consider their program
22 satisfactory?

23 MR. PERKINS: No, we do not. We consider their
24 program as unsatisfactory.

25 CHAIRMAN ZECH: The whole program is

1 unsatisfactory at Turkey Point?

2 MR. PERKINS: Their requalifications program is
3 unsatisfactory at this point, and there is going to be a
4 meeting in⁴ Region III on Monday, the 15th, to discuss
5 their plan for correcting their program.

6 CHAIRMAN ZECH: What's the operational status
7 of the plant?

8 MR. PERKINS: The operational status of the
9 plant is that they have returned -- we have conducted our
10 operational assessment and determined that the four
11 crews, after --

12 CHAIRMAN ZECH: Qualified operators.

13 MR. PERKINS: -- of qualified operators, are
14 satisfactorily qualified to operate the facility. This
15 was a determination made about a week ago. It's my
16 understanding that the facility has returned to -- has
17 gone to hot stand-by today.

18 MR. MIRAGLIA: It's on its way.

19 CHAIRMAN ZECH: I presume we're monitoring that
20 performance very closely, though, Region II, and perhaps
21 headquarters. What do we do in that regard?

22 MR. MIRAGLIA: It's a joint -- the operational
23 readiness that Ken alluded to was a joint evaluation by
24 region and headquarters. We've had --

25 CHAIRMAN ZECH: Make a determination that they

1 could operate with those four shifts.

2 MR. MIRAGLIA: Yes, sir, and there's been some
3 additional looking at the crews, concerns relative to
4 both of the units. There's a meeting, as Ken indicated,
5 to discuss the long-term plans, and region and
6 headquarters will continue to watch that operation.

7 CHAIRMAN ZECH: Please do that; watch them
8 closely.

9 MR. MIRAGLIA: Yes, sir.

10 MR. STELLO: I should add, Mr. Chairman, since
11 this conversation thus far has a very, very negative
12 tone, and perhaps somewhat justified, but on the other
13 hand we have had intense interactions with this licensee,
14 and they have made significant management changes at the
15 plant, and the feedback --

16 CHAIRMAN ZECH: I know they've made changes --

17 MR. STELLO: -- the feedback we're getting,
18 that the individuals that are coming there, are starting
19 to make a difference, but we must be patient. It will
20 take a long --

21 CHAIRMAN ZECH: Well, we've been patient a long
22 time with Turkey Point, that's my point. The plans are
23 good always. I've been down there. I've seen it. I
24 remember when they told me about the improvement programs
25 they had. I asked him why the others didn't work. I

1 didn't get a very good answer. They're all enthused
2 about their new programs.

3 I recognize they've had management changes. I
4 recognize the staff has done a very good job of watching
5 them closely. They haven't performed very well. They
6 have not implemented very well.

7 I expect to see results. I expect we deserve
8 to see results. We should see results. So, all I'm
9 saying is, watch them closely, and I hope that we'll see
10 results soon because we should.

11 All right. Let's move along.

12 MR. PERKINS: All right. If I may have the
13 next slide, please. (Slide) The results that we have to-
14 date are presented on this slide. We have conducted
15 since program implementation -- that's since this past
16 October -- 149 individual license examinations.

17 Each of the three examination categories are
18 broken out for you there. I will tell you that of the
19 149, 119 individuals have passed the exams, which
20 represents about 80 percent. In other words, there's
21 about an 80-percent pass rate across all of the
22 facilities that we have done to-date. Now, that includes
23 Turkey Point and Point Beach.

24 If I remove Turkey Point and Point Beach, then
25 the total pass rate is 89 percent. So, the point I'm

1 trying to make with you here is that the unsatisfactory
2 programs do have a marked impact on the overall
3 statistics for this program.

4 Also, at the bottom of the page, it reveals
5 that we have examined or evaluated 37 crews. Of those,
6 31 have passed -- that is 84 percent overall -- and 91
7 percent of the facilities with satisfactory programs.

8 Next, I'd like to provide you with some
9 observations with respect to the satisfactory programs.
10 In general, the facilities' programs have been well
11 prepared. Recognize that this is a first round with each
12 facility, and this is a different type of examination
13 than we have administered before, and so there has been
14 some need for shepherding but, in general, the facilities
15 are well prepared.

16 The examination is recognized to be a practical
17 one versus academic questions. We believe that we're
18 seeing good performance. That approximately 90 percent,
19 or 89 percent, that I showed to you on the previous page,
20 I think, is a good indicator that we're looking at the
21 operational qualities of these operators.

22 A few generic -- very few generic problems have
23 been identified. Some improvements have been identified
24 that would help to tune the program. Several of the
25 facilities have just made our minimum requirement with

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1 respect to having questions in their question banks, and
2 job performance measures and scenarios, and they need to
3 go on and develop additional material and refine the
4 quality of that.

5 There's also some need to gain more experience
6 on open reference question writing. There's a skill to
7 writing open reference type questions, so that the
8 candidate doesn't believe he has to look up every
9 question.

10 That also relates to the last bullet on that
11 page, and there is a certain amount of exam-taking
12 technique involved in this exam, and that is because it's
13 open reference, individuals sometimes feel that they
14 should look up every answer. The exam is not designed
15 that way. The open references are provided to see how
16 the individuals use their references, and how familiar
17 they are. Not every question is expected to be looked
18 up.

19 With respect to the unsatisfactory programs, I
20 mentioned to you before that we used the criteria
21 contained in our examiner standards. The specific
22 examiner standard is 601. We believe that the NRC
23 program is effective in identifying facility program
24 deficiencies.

25 Licensees have concurred in the validity of the

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1 exam. Both Point Beach and Turkey Point have made that
2 comment. Point Beach did it in a public forum of about
3 300 people.

4 We've also received an individual letter that
5 -- where the individual stated that they thought the--
6 that he thought that the exam was operationally-oriented
7 and he got an operational benefit out of it when he
8 returned to watch. It's an individual who had not passed
9 the exam the first time around. I think that's
10 remarkable.

11 With respect to the unsatisfactory programs,
12 just to reiterate a little bit, when the program is
13 unsatisfactory, the NRC must re-examine the operators
14 before they can go back on-shift, as well as prior to
15 their licenses being renewed.

16 In addition, the facility must describe the
17 actions that it plans to take to remedy the program
18 problems. And the NRC must, in subsequent examinations,
19 evaluate an appropriate or a prescribed sample of that 12
20 operators in order to re-establish that the facility's
21 program is, in fact, satisfactory.

22 So, if we had an unsatisfactory program, we
23 have to do 12 exams, or a sample of 12 people, to
24 determine that the facility's program is, in fact,
25 satisfactory.

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1 In summary, I'd like to report that I believe
2 that the operational nature of the current requal program
3 has corrected the problems previously identified by the
4 industry and by ourselves.

5 I believe that the program is going well.
6 There's still some additional opportunity for fine-tuning
7 and improvement, but I believe overall the program is
8 working very well.

9 We intend to continue with the program on its
10 present course. With respect to the manner or the
11 approach that we use in implementing it, the standards
12 and the like, I do not anticipate changing, but as the
13 Commission makes its decision on the alternatives paper,
14 which is presently before you, we will modify the
15 specifics on how we implement the program.

16 That concludes the prepared remarks that I had
17 to present to you today.

18 MR. STELLO: We're through, Mr. Chairman, and
19 ready for questions.

20 CHAIRMAN ZECH: All right. Thank you very
21 much.

22 Commissioner Roberts?

23 COMMISSIONER ROBERTS: No.

24 CHAIRMAN ZECH: Commissioner Curtiss?

25 COMMISSIONER CURTISS: No, I don't have any

1 questions. I'm just -- I'm pleased to see that the
2 shortcomings in the program around that final ruling, as
3 to problems that I think existed, have been addressed. I
4 think the staff's made good progress generally, on the
5 programmatic issues that they focused on.

6 I, too, I guess, am disappointed in any
7 instance where a licensee performs as badly as some of
8 them apparently have, but I think that continued
9 attention that the Chairman has alluded to, hard-hitting
10 attention, is important, but I am pleased to see that the
11 program generally is moving forward, and that the
12 concerns have been resolved, and that you've worked
13 carefully with those who have an interest in this
14 program, to make sure that we're testing for the right
15 things and in a fair and objective manner, and achieving,
16 I think, a general improvement in this area. Thank you.

17 CHAIRMAN ZECH: What is the staff's schedule
18 for implementation of the requalification program at the
19 other facilities?

20 MR. PERKINS: For the remainder of this fiscal
21 year, as I mentioned, we're looking at somewhat higher
22 than our projected -- our initial projections. And for
23 the remainder of this fiscal year, we expect to get to 22
24 more facilities. That will bring us to a total of 36 in
25 this fiscal year. And I should also mention, we can take

1 some credit for the five pilot exams, the five exams that
2 we conducted at pilot facilities because the individuals
3 that we examined there, and passed those exams, who had
4 six-year licenses, have satisfied the exam requirement.

5 So, I suppose we could take credit by the end
6 of this fiscal year, for having gotten to 41 facilities.

7 CHAIRMAN ZECH: Does the schedule you've just
8 described and your projected schedule, permit us to get
9 to the objective that we have for examining all the
10 operators once every six years?

11 MR. PERKINS: We believe so; with good
12 management and hard work, we'll be able to accomplish
13 that, yes, sir.

14 CHAIRMAN ZECH: Very good. Well, I think
15 you've done a fine job, and I'll tell you, it's a
16 tremendous improvement from the requalification program
17 of several years ago, there's no question about it.

18 I remember in my early plant visits, why, I
19 almost consistently received complaints from the
20 operators about the requalification program, and I think
21 that this effort that you've undertaken jointly with the
22 utility support, has really been something that we can
23 all be proud of.

24 I think your comments that the acceptance of
25 this program by the utilities -- and it's my

1 understanding that that has been accepted very well -- as
2 appreciating the fact that the program is a valid
3 program; it's a much better program. Now, that's very
4 important.

5 So, let me thank you very much for a fine
6 briefing. I thank all of you involved in this program.
7 I think it's important that we, as independent
8 regulators, do have confidence the operators that we're
9 licensing continue to man a high level of technical
10 competence and operational proficiency throughout their
11 licensing tenure.

12 I'm disappointed to hear that Turkey Point is
13 continuing to have problems. I might ask Mr. Stello,
14 have you thought about a diagnostic examination, or some
15 kind of an examination for Turkey Point, that would kind
16 of look across the whole spectrum?

17 MR. STELLO: In our upcoming meeting, we're
18 going to be looking at that plant very closely, and
19 trying to sort out the types of changes they made -- are
20 they right, or do we need to look to understand more.
21 We'll be prepared to answer that question in June.

22 CHAIRMAN ZECH: All right. Fine. Thank you.
23 I do think it's important because we've just focused on
24 one aspect of it, the training, here today, but we all
25 know that there have been other problems at Turkey Point.

1 So, I think the Commission would be very interested in
2 hearing your views, after you've had a chance to discuss
3 them with your senior management people. I know that
4 meeting is going to take place next week, I believe.

5 MR. STELLO: Correct.

6 CHAIRMAN ZECH: So, perhaps when you come back
7 to the Commission -- I believe it's in early June -- that
8 you'll be able to give us your thoughts on this. It's a
9 continuing concern, I think, to the Commission, and we'll
10 look forward to your views on it.

11 I think it's also important that the methods
12 that you use to judge competence in these requalification
13 exams, and the proficiency that we assess from our
14 operators in your examinations, is -- do we have the
15 confidence it's a very valid assessment of the skills
16 that are required for safety, and that's why I, for one,
17 am so encouraged by the progress you've made in this area
18 because this exam for these operators is a
19 requalification exam. We know it's not the initial
20 examination, but these are operators that are supposedly
21 qualified.

22 They are operating our plants. We have reason
23 to believe that they're doing so safely, but this check
24 is very important, and I think we've upgraded the
25 examination itself. You have obviously made it much more

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1 professional, as I understand it, and much more on the
2 level of what one might expect from qualified operators.

3 I appreciate the fact you're using simulators
4 as well as oral and written examinations, too, and you're
5 doing it with team concept and so forth. I think those
6 are all good things because individual exams are
7 important, but when they've been operating the plants for
8 a while, it's important to know that they are using
9 teamwork, they're working together, they communicate
10 well, and they are respectful of those important parts of
11 the operations.

12 So, I think that you have done an excellent job
13 in revising this requalification program, and it's a
14 terrifically important program. It does give us a check
15 on whether those licenses we've issued are being
16 respected, and whether the operators continue to keep
17 updated on current operational incidents that happen,
18 whether they're knowledgeable about their profession.
19 So, I commend you for an excellent job that you've all
20 done in this regard.

21 You've asked the Commission to give you some
22 guidance in the paper, SECY 89-055, on this subject, in
23 the conduct of NRC-administered requalification
24 examinations, and I'm sure the Commission will be coming
25 back to you in the very near future, on that matter.

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1 Do any of my fellow Commissioners have anything
2 -- any other comments to make?

3 (No response.)

4 If not, thank you for an excellent
5 presentation, and keep up the good work.

6 We stand adjourned.

7 (Whereupon, at 2:34 p.m., the meeting was
8 adjourned.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF TRANSCRIBER


This is to certify that the attached events of a meeting
of the United States Nuclear Regulatory Commission entitled:

TITLE OF MEETING: BRIEFING ON STATUS OF OPERATOR LICENSING ACTIVITIES
IN THE AREA OF REQUALIFICATION EXAMS

PLACE OF MEETING: ROCKVILLE, MARYLAND

DATE OF MEETING: MAY 10, 1989

were transcribed by me. I further certify that said transcription
is accurate and complete, to the best of my ability, and that the
transcript is a true and accurate record of the foregoing events.



Reporter's name: Phyllis Young

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

OPERATOR REQUALIFICATION STATUS

PRESENTED BY:
JACK ROE, DIRECTOR
DIVISION OF LICENSEE PERFORMANCE
AND QUALITY EVALUATION

KENNETH E. PERKINS, JR., CHIEF
OPERATOR LICENSING BRANCH

INTRODUCTION

- ° BACKGROUND
 - PROBLEMS WITH PREVIOUS PROGRAM
 - CORRECTIVE ACTION
 - PILOT PROGRAM
- ° STAFF PROPOSAL ON REQUAL ALTERNATIVES
- ° CURRENT PROGRAM STATUS

REQUAL PROGRAM SUMMARY

- ° STATUS SINCE IMPLEMENTATION
- ° 12 FACILITY PROGRAMS EVALUATED
- ° 2 PROGRAMS FOUND UNSAT
- ° 2 PROGRAM RESULTS PENDING
- ° NO SIGNIFICANT PROBLEMS WITH PROGRAM

PLANTS EVALUATED

FORT CALHOUN	TURKEY POINT
INDIAN POINT 2	LIMERICK
BEAVER VALLEY 1	PALISADES*
BRAIDWOOD*	SUMMER
MONTICELLO	SUSQUEHANNA
POINT BEACH	PALO VERDE

*RESULTS PENDING

REQUAL PROGRAM SUMMARY

<u>EXAM</u>	<u>ADMIN</u>	<u>PASSED</u>	<u>PERCENT</u> (TOTAL)	<u>PERCENT</u> (SAT PROG ONLY)
WRITTEN:	149	129	87%	94%
ORAL:	149	144	97%	100%
SIMULATOR:	149	134	90%	93%
CREW EVALS:	37	31	84%	91%

SATISFACTORY PROGRAMS

- ° WELL PREPARED
- ° PRACTICAL VERSUS ACADEMIC QUESTIONS
- ° GOOD PERFORMANCE (APPROX. 90% PASS)
- ° FEW GENERIC PROBLEMS
- ° SOME IMPROVEMENT NECESSARY
 - JOB PERFORMANCE MEASURE QUESTIONS
 - OPEN REFERENCE QUESTIONS
 - EXAM-TAKING TECHNIQUES

UNSATISFACTORY PROGRAMS

- ° PROGRAM EFFECTIVE IN IDENTIFYING DEFICIENCIES
- ° LICENSEES CONCURRED IN VALIDITY OF EXAM

SUMMARY

- ° PREVIOUS PROBLEMS CORRECTED
- ° PROGRAM GOING WELL
- ° CONTINUE PROGRAM
- ° MODIFY IN ACCORDANCE WITH COMMISSION
DIRECTION