UNITED STATES OF AMERICA NUCLEAR REGULATORY COMMISSION

Title: BRIEFING BY GE ON STATUS OF ABWR APPLICATION FOR DESIGN CERTIFICATION

Location: rockville, maryland

Date: JANUARY 26, 1994

Pages:

44 PAGES

SECRETARIAT RECORD COPY

NEAL R. GROSS AND CO., INC.

COURT REPORTERS AND TRANSCRIBERS 1323 Rhode Island Avenue, Northwest Washington, D.C. 20005 (202) 234-4433

DISCLAIMER

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determination or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of, or addressed to, any statement or argument contained herein, except as the Commission may Authorize.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

- - - -

BRIEFING BY GE ON STATUS OF ABWR APPLICATION FOR DESIGN CERTIFICATION

- - - -

PUBLIC MEETING

Nuclear Regulatory Commission One White Flint North Rockville, Maryland

Wednesday, January 26, 1994

The Commission met in open session,

pursuant to notice, at 10:00 a.m., Ivan Selin,

Chairman, presiding.

COMMISSIONERS PRESENT:

IVAN SELIN, Chairman of the Commission KENNETH C. ROGERS, Commissioner FORREST J. REMICK, Commissioner E. GAIL de PLANQUE, Commissioner

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

STAFF AND PRESENTERS SEATED AT THE COMMISSION TABLE:

SAMUEL J. CHILK, Secretary

WILLIAM C. PARLER, General Counsel

S.R. SPECKER, Vice President, GE Nuclear Energy

J.R. QUIRK, Project Manager, ABWR Certification Program, GE

S.A. HUCIK, Manager, ABWR Projects, GE

D.R. WILKINS, General Manager, Nuclear Services and Projects, GE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

1	P-R-O-C-E-E-D-I-N-G-S
2	10:05 a.m.
3	CHAIRMAN SELIN: I'm sorry we're late, Mr.
4	Specker. We'll, of course, give you the time at the
5	end of the presentation to make up.
6	In any event, we're very pleased to have
7	you here today. The status of the ABWR application
8	for design certification is an important point. We're
9	getting down close to the end and we're interested in
10	your views of just how close, what other issues are
11	out, et cetera. A number of significant issues have
12	been dealt with the first time and in some sense it's
13	a little unfair that your application was the first
14	because you ended up solving both generic and specific
15	problems along the way. But I think it's been
16	certainly been a valuable experience for the
17	Commission and the staff and I hope GE has also done
18	okay in this sense.
19	I would like to reiterate one point that
20	I've made to both GE and Combustion Engineering. At
21	this point there is no order anymore. Well, let's
22	rephrase that. You each have your own airplane, you
23	have your own controller, your own runway and your own
24	gate. So, each of the two applications is on its own

NEAL R. GROSS

schedule. Neither one will affect -- once the generic

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

25

(202) 234-4433

3

issues were addressed almost a year ago, neither one 1 will affect the status of the other one. 2 I understand the staff will be briefing 3 the Commission this Friday on the overall progress of 4 the design certification review. So, 5 your presentation is particularly timely. 6 Commissioners, did you have any opening 7 remarks? 8 9 COMMISSIONER REMICK: No, thank you. Mr. Specker, thank you CHAIRMAN SELIN: 10 again for coming. We look forward to your 11 presentation. 12 DOCTOR SPECKER: Okay. Thank you. It's 13 a pleasure for the GE Nuclear Energy Team to be here 14 again today to brief you on our ABWR programs. 15 I was 16 just told this is our eighth such briefing in this series. 17 With me today are Doctor Dan Wilkins, who 18 I believe you all know, and Joe Quirk, who is the 19 project manager of ABWR Certification. And a new face 20 at the table is Mr. Steve Hucik who is our recently 21 22 appointed manager of ABWR Projects. Steve has about 20 years of experience with GE Nuclear Energy, the 23 last 12 of which have been intimately involved with 24 25 the ABWR in design and project management.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1 (Slide) Our agenda for today's briefing 2 is shown on the next chart and should be on the screen 3 I'll provide just a brief overview of GE's here. overall ABWR activities. Then Dan Wilkins will 4 5 discuss the safety improvements of the ABWR and the 6 status of the design certification activities, and Joe Ouirk will then review the design certification 7 process issues. If this agenda is satisfactory, we'll 8 9 move on with a few of my comments then. 10 Since the beginning of the ABWR, which was 11 in the late 1970s, GE has remained committed to the 12 design, the development, the testing, the licensing and the commercialization of the ABWR in the U.S. and 13 internationally. We pursued this commitment with a 14 15 lot of persistence and prudence. Our commitment today 16 is stronger than it's ever been before to see it 17 through the commercialization. 18 In Japan, the ABWR is licensed and under construction at the Kashawazaki site of TEPCO, Tokyo

19 construction at the Kashawazaki site of TEPCO, Tokyo 20 Electric Power. Just as a progress report, I'm 21 pleased to report today that of the two units 22 Kashawazaki 6 is now 52 percent complete. K-7 is 23 about 25 percent complete, and the construction 24 schedule of 51 months is being adhered to and it's 25 right on schedule. I also would like to report in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

recent months the Japanese utilities have announced plans for 11 additional BWRs over the next decade. GE is currently involved in preliminary studies on a number of these projects and we expect to have a key role as these move into final design and construction.

6 I also wanted to update you. As you know, 7 we decided late last year not to submit a bid for two ABWRs for the Lungmen Project in Taiwan. This 8 difficult decision was based on a careful assessment 9 of the potential financial risk and rewards of this 10 project. We simply determined that it was not in the 11 best interest of either GE Nuclear Energy or GE 12 shareowners to participate in this project 13 by 14 submitting a bid. We will approach any other 15 opportunity for the ABWR on a case by case basis, 16 subject to the same rigorous scrutiny of the potential financial risk and rewards. We, GE Nuclear Energy, is 17 very strong financially and we intend to stay that 18 19 way.

20 CHAIRMAN SELIN: Well, that's a very 21 interesting topic. We could easily spend the time on 22 that, but we are sort of obligated to stick to our 23 agenda. So, we'll forego asking you questions. 24 DOCTOR SPECKER: Fine. I thought I should

25 at least comment on it.

1

2

3

4

5

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

Switching now to the U.S., we GE are very committed to preserving the option for nuclear power going into the 21st Century. As a result of that, we have been very active in the overall licensing certification activities and the commercialization activities that follow on.

7 Just to brief you on this, as you know 8 we're a very active participant in NPOC's strategic 9 plan for building new nuclear plants. We've been 10 intimately involved in the development of the advanced light water reactor utility requirements documents to 11 12 which the ABWR fully conforms. The ABWR is leading the way in the design certification activity, as you 13 14 just mentioned, and the ABWR was selected as the 15 evolutionary design for the first-of-a-kind engineering program. Our goal is very straightforward 16 We intend to have a fully licensed, 17 in all this. standardized, proven commercially competitive ABWR 18 19 ready to go to battle in what we think will be the very competitive electric generation market of the 20 21 late '90s and the early 21st Century. That's our clear commitment and our clear goal. 22

To achieve this goal, we're resolved to obtaining an FDA for the ABWR that's free of open issues or conditions and we're committed to working

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

6

8 closely with the industry and the NRC to resolve the 1 2 last of the design certification process issues so 3 that the path will be clear to proceed in the design certification rulemaking. 4 5 Thank you. If there are no questions on those comments, I'll pass it on to Dan Wilkins. 6 7 CHAIRMAN SELIN: I do have a question on 8 that, procedural question. That is your views on the 9 relative timing of the final design approval of the 10 design control document, not so much the certification 11 itself. I'm going to address that 12 MR. OUIRK: 13 later in the presentation. 14 CHAIRMAN SELIN: Okay. Fine. 15 DOCTOR SPECKER: Any other questions? I'll turn it over to Doctor Wilkins. 16 Okay. 17 DOCTOR WILKINS: Okay. As we've mentioned, we believe we're entering the home stretch 18 19 on the final design approval. I thought it might be 20 worthwhile to take a few minutes this morning and give 21 you some of our GE perspectives on what we've achieved both in the safety area and in the process area to 22 date and then we'll finish up by talking -- Joe Quirk 23 will talk about a relatively small number of remaining 24 25 issues that we see before us.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

	9
1	Let me start with a safety perspective.
2	I have noticed I have a number of acronyms in these
3	charts. I'll define them as I go.
4	(Slide) But if I could have the next
5	chart, please.
6	Perhaps the most significant change in the
7	ABWR relative to our past plants is the reactor
8	internal pumps, what we call the RIPs. These are
9	really the basis of many of the improvements in the
10	ABWR. They've eliminated large pipes and many valves
11	in the containment and by eliminating large pipes low
12	in the vessel they've enabled us to design the ABWR so
13	that there is no core uncovery for any design basis
14	event. The core always remains covered, which means
15	it doesn't go through the heat-up and cool-down cycle
16	of the earlier designs.
17	Pipes in the drywell have always been the
18	source of major radiation in the drywell. By
19	eliminating those pipes and putting the pumps right on
20	the vessel we've greatly reduced the radiation fields
21	in the plant. By having ten pumps rather than our
22	previous two pump designs, we can maintain 100 percent
23	power and flow with one pump completely out of
24	service, which is a reliability improvement.
25	(Slide) If I go to the next chart, the
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

second major area of improvement is the use of the FMCRDs, fine motion control rod drives, in the ABWR. These have eliminated the scram discharge volume which has been troublesome. At some plants in the past they've eliminated half of the plumbing inside the containment.

7 They have given us an extra level of diversity in that we can now insert the control rods 8 9 either with electric motors or hydraulically as in the 10 past designs. Through the design of the fine motion drive, we have designed the housing so that you cannot 11 eject the drive from the vessel and that has enabled 12 13 us to eliminate that huge grid of shootout steel that 14 we have below the drives in all the current plants so 15 that it's easy to get to the drives. They're readily accessible for maintenance. 16

And finally, through design improvements in both the drive and the way it's mechanically put together, we've eliminated both the rod drop and the rod ejection accident from the list of things we have to consider.

(Slide) If I go to the next chart on the
emergency core cooling systems, we've gone to three
complete separate mechanical and electrical divisions,
which is a higher level of redundancy than we've had

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

4

5

in past designs. Because of the lack of large pipes 1 low in the vessel, these systems are much smaller than 2 3 they are on current plants. In spite of the fact they're smaller, they still can keep the core covered 4 for any design basis accident. For all transient 5 events and almost all accident events, we've achieved 6 7 an N-2 design, which means we can have one system out for service and also be able to have a single failure 8 9 and meet all the requirements, which has opened the 10 for major improvements in the technical way specifications for the plant in terms of relaxing the 11 burden on the operators and stretching out of some of 12 13 the equipment out of service times.

14 We have also in our ECCS designs greatly 15 simplified the operation of the ECCS systems. In our past designs, we've had to have the operator shift 16 17 realign the system for core cooling or containment cooling or other functions. In the way we've designed 18 these systems, there is much less modes of operation 19 20 that the operator has to worry about. In effect, 21 we've kept the heat exchangers in the loop all the time so that the cooling function is always there 22 whether or not you're injecting into the vessel. 23 The fact that we don't uncover the core 24

for any design basis event, we've eliminated the core

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

spray spargers, which were always kind of a tricky 1 design element and have been the source of maintenance 2 3 issues in the field, and so they're gone. And we've separated the injection level for the reactor core 4 5 isolation cooling system and the high-pressure core flooders so that if you don't have a major drop in 6 7 water level or a major pipe break that the event will be handled by the normal isolation cooling system 8 9 without activating the safety systems. COMMISSIONER REMICK: 10 Dan, what's the 11 difference between the N+2 concept and N-2 other than N is defined differently? is there any other --12 13 DOCTOR WILKINS: Same. It's just basically level redundancy. 14 Go to the next chart. 15 (Slide) 16 Another area that we're quite proud of the 17 improvements we made is the instrument and control We've gone to multiplexed fiber optic cabling 18 area. networks throughout the plant which has eliminated 19 20 miles and miles of wire and cable pulling late in the construction process and enabled us to shorten the 21 22 construction. We've gone for all the safety systems the full digital two out of four logic and for all the 23 control systems we've gone to triplicated self-testing 24 25 fault tolerant control systems with enough redundancy

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

> > WASHINGTON, D.C. 20005

(202) 234-4433

1 that if you have a failure first of all it's announced 2 because of the self-testing feature and there's enough redundancy to change the failed board on-line without getting into a scram situation.

We've made some improvements in the 5 6 neutron monitor and scram protection system. The 7 automated rod block monitor eliminates the possibility of rod withdrawal errors. And by the manner in which 8 9 we hook up the control rod drives in the start-up mode, we can move 26 in a gang, which has greatly 10 reduced the start-up time for the plant. 11

The man-machine interface in the control 12 room is another area that we're quite proud of with 13 the ABWR. It's the first plant that has been designed 14 by us at least with all the lessons of Three Mile 15 16 Island at the beginning. The emergency procedure 17 quidelines, which were certainly one of the most important lessons learned in improvements that came 18 19 out of Three Mile Island, have in this plant been 20 reflected into the whole layout and arrangement and choice of displays in the control room, so that the 21 22 symptom-based approach to operating the plant during 23 an emergency is now not just in the procedures but the displays and controls in the control room have been 24 25 engineered to go along with those.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

3

4

	14
1	COMMISSIONER REMICK: Dan, what's the
2	difference between the rod block monitor in this
3	design in past because I thought the purpose was to
4	eliminate is it the number of errors that permitted
5	it or what's the difference because you've had rod
6	block monitors?
7	DOCTOR WILKINS: Joe, can you
8	MR. HUCIK: This one is automated.
9	DOCTOR WILKINS: It's automated is the
10	main difference.
11	MR. HUCIK: This one updates as you go,
12	updates so that you can actually follow and not hit
13	the operational transients and the current one tries
14	to go to the safety limits, whereas this one protects
15	against the operational limits and provides a
16	continuous update as you go.
17	COMMISSIONER REMICK: Okay. So it's
18	basically a refinement of what you've had in the past?
19	DOCTOR WILKINS: Yes. It continuously
20	keeps track of how far you could move a rod without
21	getting in trouble and then make sure you can't go
22	past that.
23	COMMISSIONER REMICK: Okay. Thank you.
24	DOCTOR WILKINS: (Slide) Next chart.
25	On the ATWS events, we've made another
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

major step forward in that in addition to having the 1 2 control rods can in either electrically or qo hydraulically, we have retained the standby liquid 3 4 control system which can inject boron and that is 5 automatic in the ABWR. When we look at station blackout, we now have three diesel generators plus the 6 7 diversity of a gas turbine generator which gives a backup means of electrical protection against loss of 8 9 off-site power.

(Slide) Next chart.

11 Finally in the severe accident area, we have provisions for AC independent water addition to 12 13 the vessel as a feature that goes well beyond 14 requirements, but we felt was an easy and prudent thing to do in this design. We've also designed, even 15 though our probabilistic risk assessments tell us the 16 probability of core damage in the ABWR is extremely 17 low, down in the 10^{-7} range, we have arbitrarily 18 designed such that if you just assume a core melt 19 without worrying about how it happens, we've designed 20 21 so that the lower drywell would be flooded and any core debris would land in the water in the lower 22 drywell and provided a containment over pressure 23 protection feature to ensure that you do not have a 24 25 failure catastrophic or uncontrolled of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

10

containment.

1

Those two features combined give us a capability where in the event of a core melt we believe there would be no observable off-site health effects. The dose off-site would be less than 25 rem at a mile, or at a half a mile.

7 One other feature that I should mention is if you put all this together the ABWR is designed to 8 handle any design basis event for 72 hours without 9 operator action. That was one of the objectives of 10 our effort on the passive plant designs and when we 11 looked at the ABWR we found with relatively few 12 additional automation steps we could achieve the same 13 goal in the ABWR and we've, in fact, taken those steps 14 and done that. 15

16 So. we look at the ABWR as a major technological and safety step forward from our past. 17 I mentioned core damage frequency in the 10⁻⁷ range. 18 19 We believe it will have a capacity factor capability We look to occupational exposure 20 of 85 percent. annually to be below 100 man rem. We look for 21 significant reductions in rad waste volume and we 22 believe that the ABWR is going to be the most 23 economically competitive BWR we've ever had in the 24 25 So, we're quite pleased at this point with market.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

	17
1	how far we've come with it.
2	Let me shift and talk a little about the
3	COMMISSIONER REMICK: Dan, before you
4	leave that, I assume your core damage frequency of 10 ⁻⁷
5	is for internal initiators only, not including
6	external initiators.
7	DOCTOR WILKINS: It's
8	MR. QUIRK: Let's see. Our commitment is
9	10^{-6} , including external events and 25 rem in a half
10	mile, both internal and external. Now, Dan said 10 ⁻⁷
11	and I think that's an internal event.
12	COMMISSIONER REMICK: Yes. Even 10 ⁻⁶ , the
13	return frequency on pretty large earthquakes is much
14	smaller than that. I don't know how you can make your
15	claim of 10 ⁻⁶ on an external, but we'll pass on that at
16	the moment.
17	DOCTOR WILKINS: This is designed for a
18	very high seismic region in Japan.
19	COMMISSIONER REMICK: But your U.S. design
20	is for .5 g, .3 g?
21	MR. QUIRK: .3 g, yes. Evaluated
22	probabilistically at twice that.
23	COMMISSIONER REMICK: I just raise a
24	question about that for external initiator list pass.
25	DOCTOR WILKINS: (Slide) Listed on the
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

next chart, the next two charts for that matter, are 1 some of the major steps along the road. But as Doctor 2 3 Specker mentioned, this is our eighth meeting. I'm proud to say I've been at all of them over the years 4 5 starting back in '86. Major events along the way have been the utility requirements document. Early on in 6 7 '87 we developed with the staff a licensing review basis which I think served us very well in guiding us 8 9 through many of the issues that we've dealt with in 10 this program. The standard safety analysis report was in in submittals starting in '87 and continuing up 11 In the '88, '89 time frame, the 12 through '89. 13 Commission requested us to expand the scope of the 14 submittal to include the whole plant. At the early 15 stage of this program we were planning to do the nuclear island only. We took that advice 16 and 17 submitted the whole plant in '89. We were in the question and answer process with the staff through 18 19 '89, well into '91, and then into amendments which The most recent have gone up to very recently. 20 21 amendments, what was it 30? MR. OUIRK: 22 33. 23 DOCTOR WILKINS: 33, was an integrated

24 25

NEAL R. GROSS

amendment where we took all of the loose ends and open

issues that had come out of the review to date and

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

	19
1	folded them into a completely new integrated version
2	of the SSAR rather than the original plus amendments
3	that you had to try to piece together.
4	We worked hard in '93 on the tier 1, the
5	design certification material. In parallel to all of
6	this, of course, the staff was developing what now is
7	going to end up as five major drafts of the safety
8	evaluation report and we believe that we are basically
9	on track with final design approval in May and design
10	certification process beginning after that.
11	(Slide) If we again next slide,
12	please look at the certification process a little
13	differently, I think certainly we at GE are proud and
14	I
15	CHAIRMAN SELIN: I'm sorry. Say that
16	again. I didn't hear what you said.
17	DOCTOR WILKINS: I want to look at some of
18	the things we've covered in the certification process
19	in terms of issues that have been dealt with and
20	resolved. I said we at GE are quite pleased with the
21	way these have been resolved. We think as we've gone
22	through the integration of our effort with the utility
23	requirements document, the resolution of the major
24	technical issues, particularly severe accident and in
25	three SECY documents that are mentioned here, the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

manner in which we've dealt with the level of detail, 1 2 the environmental the ITAACs, issues and the 3 rulemaking process to the extent it's been dealt with, 4 our feeling is in all cases that these were difficult, lengthy discussions but we got to good answers and 5 6 good workable, practical solutions that will make the 7 certification be useful in the future. So, it's been 8 a long, hard struggle, but we're pleased with the 9 outcome.

10 There are currently 14 open issues in the draft of the final safety evaluation report and Joe 11 Quirk will talk about some of these in a little more 12 detail and give you our perspective. Four of them are 13 still in the staff's hands. Nine of them are in our 14 15 hands. One of them is before the Commission. We see 16 no reason that all of these shouldn't be fairly easily 17 resolved in the coming weeks or months.

COMMISSIONER REMICK: Dan, I don't think that is literally before the Commission. If I recall, the staff has indicated that they're going to handle-in the final SER we did have a paper indicating a staff leaning. But if I recall, the Commission was not asked for a decision.

DOCTOR WILKINS: Okay.

COMMISSIONER REMICK: I could be wrong,

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

24

25

but that's how I recall it. So, I don't think it's actually sitting on the Commission's desk at the moment.

That is different than we MR. OUIRK: 4 understand. We were told that there was an internal 5 memo from the staff to the Commission outlining the 6 7 basis for their requirement of a diverse RPV water level system and that they asked for the Commission 8 9 endorsement. And along with that, they had a copy of 10 the ACRS letter that heard the GE presentation on why no change was needed beyond that which is in existing 11 operating plants and the ACRS confirmed the GE 12 That package was sent to 13 position in their letter. the Commission for your input and we're very anxious 14 15 that the Commission promptly resolve this.

 16
 COMMISSIONER REMICK: I could be wrong.

 17
 I remember the draft and it was marked a draft -

MR. QUIRK: Yes, it was. It was.

19 COMMISSIONER REMICK: -- with indication 20 it was going to be resolved in the FSER. When that 21 came out, I purposely looked at that. It's not 22 addressed in there and I was told it would be 23 addressed in the final, but I could be wrong. Maybe 24 there's something I missed. I could be wrong.

MR. QUIRK: Could we encourage the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

3

18

25

1 || Commission to please --

4

2 COMMISSIONER REMICK: One way or the 3 other, yes.

MR. QUIRK: Thank you.

So, I guess, just to 5 DOCTOR WILKINS: summarize, I believe we have a design here that's a 6 7 dramatic step forward in safety. I suspect it is the most thoroughly reviewed design that we have ever 8 9 brought before the Commission. It has been through the reviews by General Eclectic, Hitachi, Toshiba, 10 11 TEPCO and MITI in Japan. It has been through extensive U.S. utilities their 12 review by and 13 consultants. Many features of it, particularly the 14 process approach, has been reviewed by the U.S. industry led by NUMARC, the NRC staff and consultants, 15 16 very extensive ACRS review.

17 We've been down an eight year road that has pioneered a new regulatory process with, as I 18 said, good solutions to the issues that came along the 19 The lead plant is 50 percent built in Japan. 20 way. It's the lead plant for the first-of-a-kind program 21 22 here in the U.S. I think there's been a lot of hard work by certainly GE and the staff and we think we're 23 in the home stretch and we'd like to move on and wrap 24 25 up the FDA on the current schedule and get on with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

certification step.

1

2

Joe?

MR. QUIRK: (Slide) Next chart, please. 3 chart shows the intensive ACRS This 4 5 involvement that has occurred. As you can see from this chart, the activity intensified in '92, which was 6 7 the high water mark for the ACRS meetings. If one breaks down the two year period over '92 and '93, they 8 find that we met with the ACRS on an average of about 9 10 two meetings per month. That's both subcommittee and full committee and that's quite an ambitious active 11 undertaking. We look forward to receiving a favorable 12 ACRS letter in the near future. 13 Next chart, please. 14 (Slide) 15 While Dan's comments were very ringing and

gracious as to the progress that's been made on design 16 17 certification process issues, and Ι agree wholeheartedly with those, there are however a few --18 I'm going to call them loose ends, if you will, items 19 that came up under discussion of the advanced notice 20 21 of proposed rulemaking during which there was a workshop and input received from 22 industry. In particular, NUMARC commented extensively on 23 the advanced notice of proposed rulemaking. 24 General Electric and other vendors provided comments. In GE's 25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

24 case, we fully endorsed the NUMARC comments and 1 emphasized a few issues that were still needing to be 2 resolved. 3 (Slide) I would like to go into the next 4 There are four issues I'd like to 5 couple charts. highlight to you for your attention. Some of these 6 are in the resolution mode and some we would like to 7 urge Commission decision. 8 As I said, tremendous strides have been 9 made by the industry and the staff in all the design 10 certification process issues. Only a few remain to be 11 discussed. 12 The first such issue is the (Slide) 13 design certification process issues that impact the 14 15 If you could go back to page 14, please. This FDA. is the final design approval in design control 16 document separation. Now, industry has proposed that 17 the staff issue the FDA prior to completion of the 18 design control document. Design control document is 19 Resolution of design only needed for rulemaking. 20 21 control document issues will not effect the safety 22 completeness of the staff review, and issues would allow 23 separation of these two an important milestone achieved, namely 24 to be а conclusion of the staff review and issuance of the 25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1 || final design approval.

2

3

4

5

6

7

8

9

10

11

12

We understand that the staff is considering this position and will soon be forwarding the essence of this position to the Commission for approval. We were delighted in the progress and we look forward to the ultimate resolution of this.

COMMISSIONER REMICK: Joe, I agree with what you said here factually. What is the importance of that? I guess I better understood it when you were considering bidding in the Taiwan case. But what is the importance to your company of what I presume would be a several month delay?

MR. QUIRK: It could be even more than 13 14 But the importance is the achievement of a that. 15 major program milestone. And for no real good reason 16 not to, other than a subject that was going to be 17 dealt with next. That shouldn't affect attainment of that important goal. So, nothing other than we've 18 19 been at this a long time, we need to show progress, we 20 need to show completion and for that reason we would 21 like to separate them and deal with them.

22 COMMISSIONER REMICK: Do you have any 23 position if when the design control document, when it 24 came out did reveal some apparent need for a change to 25 the FDA, do you have any views on that, whether that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

should be possible or not possible and how restrictive that change should be, considering Part 52?

MR. QUIRK: You know, I would be surprised 3 if there was an issue. I don't think that's possible 4 and the reason is that the design control document is 5 two parts, tier 1 and tier 2, and tier 1, of course, 6 7 as you know, includes the certified design description and ITAAC and interfaces and site parameters extracted 8 from the SSAR and packaged. Tier 2 is, in fact, the 9 SSAR minus proprietary information and minus some PRA 10 detailed information. So, it's not a new review 11 that's being done, it's repackaging what's already 12 been approved. So, there should not be changes in the 13 DCD apart from anything that's in the SSAR. 14

COMMISSIONER REMICK: Okay. Thank you.

16 MR. QUIRK: Okay. With regard to secondary reference issue, this is the first of three 17 issues that I would like to talk about that impact 18 design certification. I'd like to up front say that 19 this one I believe is in hand. I think we are --20 well, I know we are awaiting staff guidance to 21 22 satisfactorily resolve this and I think it is, 23 therefore, closed. It just hasn't been finalized and documented. If you'd like to go into this anymore, 24 25 I'd be happy to, but --

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

15

	27
1	COMMISSIONER REMICK: Just explain it a
2	little bit more, just
3	MR. QUIRK: Okay.
4	COMMISSIONER REMICK: what the problem
5	is without going into a lot of detail.
6	MR. QUIRK: Let me try to do that. The
7	design certification rule will reference the DCD.
8	Therefore, the DCD by definition is the primary
9	reference. But as you know, in tier 2 of the DCD
10	there are thousands of secondary references and the
11	question is what is the regulatory requirement
12	embedded in each of those references that must be
13	pulled out and put in the design certification rule.
14	We believe that there should be no secondary
15	references embedded in the design certification rule.
16	Rather, those references contained in tier 1 be
17	embedded. We believe this is consistent with the
18	philosophy of the two tier concept and consistent with
19	Commission guidance.
20	COMMISSIONER REMICK: Thank you.
21	MR. QUIRK: And we understand that that's
22	in essence been agreed to by the staff.
23	The next item affecting design
24	certification is treatment of PRA information. Let me
25	say that we received staff guidance in August that
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

1 described what this PRA report would consist of. Now, 2 let me back up a minute. Chapter 19 of our SSAR is 3 the PRA and the severe accident evaluation. It is some four volumes long and includes event trees and 4 5 fault trees and all the probabilistic voodoo, black 6 magic I call it, that comes about. You can see my 7 biases. Anyway, and a lot of that information is not appropriate to be in the SSAR and the staff recognizes 8 9 So, the recipe, if you will, the that as well. 10 equation for what tier 2 and the DCD would be, tier 2 11 would be equal to the SSAR, minus proprietary 12 information, minus the PRA but plus, put back in, a 13 PRA report that summarizes the key PRA features and insights and we agree with that. 14 We have no 15 difficulty with that.

As I mentioned earlier, in August we got 16 some guidance from the staff that further asked for 17 18 very specific and quantitative information to go back 19 in as well. We believe that that will put a burden on 20 the Part 50.59 change process, that we may be required 21 to run the PRA and determine the effect of that change on probabilistics. If we increased the core damage 22 10^{-12} 10-11, to 23 probability minutely, say from nevertheless that is an increase in safety and could 24 25 be considered an unreviewed safety question which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

would put us back in a formal process for resolving that.

So, we do not intend to use the PRA in 3 that manner and we don't think anyone should. 4 So, what we would like the staff to do is reach agreement 5 on what constitutes a PRA report, what do you put back 6 7 in, and we're in the discussion modes of that right now and it's going pretty well. I don't mean to say 8 it's all lost. We just need to keep it on the table, 9 be mindful of it and make sure that it gets concluded 10 in a satisfactory way. 11

The next item is applicable regulations. 12 On this particular matter, the staff proposes that the 13 rule design certification adopt 14 as applicable various Commission 15 regulations approved staff 16 positions that they have passed on over the years. 17 These are policy positions, if you will, that go beyond the staff's SRP and reg. guides which had been 18 19 brought to the Commission and approved by the 20 Commission. And our design has been conformed to that position. Features have been added, analysis has been 21 22 provided demonstrating compliance with the position. So, we're not at odds here in any way, shape or form 23 with regard to complying with the Commission policy. 24 What the issue here is is must all those SECY 25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

documents and Commission policy statements be compiled in an applicable regulation section of the design certification rule? Those positions would have to be redrafted, restated and we're worried about additional interpretations and downstream interpretations that could complicate proceedings. And so we believe that that shouldn't be the case, that the design is correct.

9 It will be certified as conforming to the 10 Commission policy and it's imbedded in tier 1 and tier 11 2 and this is rather moot, and we hope that the staff 12 does not continue in this direction to make applicable 13 regulations out of Commission policy statement.

COMMISSIONER REMICK: So, if I understand 14 your position, those requirements will be codified in 15 the design certification rulemaking, in that rule. I 16 17 thought your argument was, but perhaps I misunderstood it, that it should not then also therefore be put 18 19 into, let's say, a requirement of Part 50. Am I -you're basically saying something different than I 20 21 thought.

22MR. QUIRK: Maybe I said -- let me try23again.

COMMISSIONER REMICK: Okay.

MR. QUIRK: The design has been approved

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

24

25

1

2

3

4

5

6

7

8

31 as meeting the Commission policy statements and that 1 2 will manifest itself in tier 1 where appropriate and 3 tier 2 where appropriate. COMMISSIONER REMICK: So it is codified. 4 MR. QUIRK: So it's codified. The design 5 is right. 6 7 COMMISSIONER REMICK: Yes. And you're saying that's the only place --8 MR. QUIRK: That's all one needs to worry 9 about. 10 COMMISSIONER REMICK: I thought that was 11 12 the argument. MR. QUIRK: There is an item that I do not 13 14 have a chart for that we have talked about and I think 15 that it's worth raising here to the Commission, and 16 it's an item referred to as "tier 2 asterisk." 17 Industry refers to it as "tier 2 star." These are 18 items that came out as a result of the staff's safety evaluation. They're not tier 1 items, but they're 19 important tier 2 items and the staff has defined a 20 21 limited set of these items, like 11 areas, and they 22 will require that these items not be changed without 23 review by the staff, and so it's not tier 1 and it's a little more than tier 2. We're eroding somewhat the 24 simplicity of the two tier structure, however industry 25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

has acquiesced in this instance because it has been defined and limited to just a few.

Where we have a problem on tier 2 star 3 items is in the process to resolve. The staff says 4 that these items cannot be changed using just 50.59, 5 6 that these items must be reviewed and approved by the 7 staff. That is okay from the industry point of view. The process that is used in closing that out is all 8 9 that remains to be defined and we would hope that we could get from the staff a review and a letter back 10 saying they have looked at the evaluation performed by 11 the applicant, it is consistent with what they hoped 12 for and it all right, and send a letter back, as 13 opposed to a formal amendment to a license or an 14 exemption or something that may be subject to 15 16 rulemaking or hearings later on.

17 CHAIRMAN SELIN: Which you would argue is 18 essentially tier 1.

MR. QUIRK: Yes, exactly. And I apologize for not putting this on a chart. On the way to the meeting we thought that it was important. This issue was identified in the detailed industry comments provided by NUMARC, was also emphasized in GE's comments, and we think to be consistent we should raise it at this time.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

1

2

	33
1	(Slide) Please move to the summary chart.
2	In summary, as Dan walked through, we feel
3	very proud that the ABWR incorporates major
4	technological and safety improvements. We know and
5	we've heard from both the staff and the ACRS members
6	that the review conducted on the ABWR has bee the most
7	thorough and rigorous ever conducted on a plant,
8	period. We believe that statement to be true, and
9	much progress has been made such that we're at the
10	threshold now for issuance of the first FDA under Part
11	52. We are holder of an FDA under Part 50 and we
12	thought we knew what was involved in achieving an FDA
13	under Part 52. Little did we know what was actually
14	involved. And, as Dan said, it's been a long road.
15	It's been a difficult road, but one in which meaty
16	issues have been dealt with and resolved in an
17	acceptable lasting way, we believe.
18	There are remaining items, just a few,
19	that need to be done.
20	Number one, we need to complete the ACRS
21	review and obtain a favorable letter.
22	We need to complete the Commission's
23	review of the advanced copy of the SER that was sent
24	to them by the staff in December.
25	We look forward to issuing the final
	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

safety evaluation report and the FDA, and of course initiating then a design certification rulemaking.

3 We also want to encourage the Commission 4 from comments that we've made today to follow-on with 5 the good start and progress that's been made on the 6 advanced notice of proposed rulemaking. The 7 Commission guidance to the staff earlier was to go through the workshop, factor in comments received and 8 9 issue the advanced notice of proposed rulemaking in 10 final form. We agree with that direction. We urge 11 that it be done and that it be done in a timely way to 12 enable orderly and transition easy into the 13 certification process.

CHAIRMAN SELIN: Doctor Specker, did you have anything else that you wanted to add?

16 DOCTOR SPECKER: No. That concludes our 17 presentation.

CHAIRMAN SELIN: Thank you.

Would you, whoever is the appropriate person, sketch out what the implications would be in a technical sense if GE were required to provide an alternative source of pressure vessel water level, an alternative water level measurement?

MR. QUIRK: Yes.

CHAIRMAN SELIN: I mean, I understand the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

1

2

14

15

18

24

25

1	1
	35
1	argument of why you don't think it's necessary, but,
2	if some arbitrary terrible person required you to do
3	it anyway, what would you have to do?
4	MR. QUIRK: Well, there are a number
5	well, the staff has told us that there are some
6	options being developed in Europe. Heated junction
7	thermocouple is one and acoustics is the other. We've
8	looked into that. We believe neither of those are
9	qualified for this application and in fact wouldn't
10	serve the purpose that the staff really wants them to,
11	and I need to just explain that.
12	The staff agrees that the delta-P water
13	level measurement system in the ABWR and in earlier
14	plants is adequate and safe. They underscore that
15	statement for steady-state conditions. On conditions
16	where there is rapid depressurization, they think
17	there can be some artificial heat-up, for example, or
18	flashing of non-condensibles that could alter the
19	reading and make it erroneous. We've felt we dealt
20	with both those issues. Heat and flashing due to LOCA
21	energy we've dealt with, as well as non-condensible
22	generation upon rapid depressurization. We know of no
23	other issue that could common mode fail the water
24	level.
25	So the question then is, if you want

So the question then is, if you want

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

36 1 anyway to have a diverse system, is there something out there that would deal with this transient 2 situation, and we've looked at the two I've mentioned 3 and feel that they would not in fact do it. 4 So, this will be a show 5 CHAIRMAN SELIN: 6 stopper then? 7 If the Commission MR. OUIRK: No, no. 8 said, whatever, we want you to do it, the staff has outlined requirements that this system would have to 9 meet. It does not need to be safety grade. It should 10 be redundant. It does not need to be seismically 11 qualified. A whole list of things that we could work 12 with and incorporate and not at an overriding cost to 13 14 the plant. 15 CHAIRMAN SELIN: So there are solutions, 16 plausible solutions to this additional requirement? MR. QUIRK: There are things that we could 17 do to comply with the staff request. Whether they're 18 solutions or not is argumentative. 19 20 COMMISSIONER de PLANQUE: Does the staff say that those solutions meet their requirements? 21 22 MR. QUIRK: They really haven't said that. They haven't COMMISSIONER de PLANQUE: 23 said that. 24 Okay. 25 CHAIRMAN SELIN: Let me go back to your NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

	37
1	statement. You're saying well, what are you
2	saying? You're saying that you could comply with the
3	request.
4	MR. QUIRK: Yes.
5	CHAIRMAN SELIN: Whether that provides
6	further redundancy or not is subject
7	MR. QUIRK: Whether that provides a
8	reliable indication during the conditions of interest.
9	CHAIRMAN SELIN: Don't read anything into
10	my sentence other than I need to know the answer.
11	MR. QUIRK: I understand.
12	CHAIRMAN SELIN: Okay. If the staff
13	required and the Commission supported the staff's
14	position, what would GE do and what would the
15	implications be in terms of cost or time or what have
16	you in your design?
17	MR. QUIRK: We would in terms of cost,
18	we think it would be manageable and we could proceed
19	and do it. In terms of time, it would depend on what
20	the staff would require. We think that we could
21	commit to meet the requirements and show a simplified
22	diagram of how we would do that with a brief textual
23	description that would describe the functionality and
24	rapidly get approval of that and then require
25	detailing that design at the COL application stage.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

	38
1	We think that would be a rapid way to proceed.
2	CHAIRMAN SELIN: Okay. Thank you.
3	COMMISSIONER REMICK: Do you think it's
4	technically justified?
5	MR. QUIRK: Absolutely not. No, we do
6	not.
7	COMMISSIONER REMICK: While we're on that
8	subject, I'd like an update on the discussion of
9	whether before the Commission or not. The best
10	information I've received from the senior staff is
11	it's before the Commission only in the form as an open
12	item in the FSER and the fact we've received the ACRS
13	letter, which we have. But the staff apparently has
14	not pulled that together with specific request for the
15	Commission for a decision and the staff will do that
16	promptly. That's the word I get from the reaches of
17	the auditorium.
18	CHAIRMAN SELIN: Okay. Commissioner
19	Rogers?
20	COMMISSIONER ROGERS: Well, no. I thought
21	this was a very interesting briefing. I don't have
22	any technical questions, but I wonder if you could
23	comment or would care to comment on what you've seen
24	the role of the Commission, the Commissioners as the
25	Commission, in moving this ahead. Five years or so

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

ago when the Commission really stepped in, I think, to 1 the process because we felt we did not know what was 2 happening and were concerned about policy issues that 3 might be somehow or other inadvertently overlooked 4 because they were embedded in technical matters, there 5 was some unhappiness about the Commission's action at 6 7 that time, particularly from General Electric. Ι wonder in retrospect whether you see the Commission's 8 decision to be more actively and proactively involved 9 with this review process as positive, negative or 10 neutral? 11 DOCTOR SPECKER: Dan, you do want to --12 CHAIRMAN SELIN: If you want to separate 13 between Commissioners still serving and --14 DOCTOR SPECKER: We'll let our historian 15 16 here comment. DOCTOR WILKINS: Well, I think when we set 17 out on this program in '86, I believe, and Joe, 18 correct me if I'm wrong, that our target for the FDA 19 at that time was like September of '90. 20 MR. QUIRK: Yes, sir. 21 So, it's now early '94 22 DOCTOR WILKINS: and so certainly the process from our perspective has 23 gone much slower. 24 COMMISSIONER ROGERS: Yes, but you didn't 25 NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

40 1 have Part 52 when you laid that out. So, you have to take that into account, that it was a big change. 2 DOCTOR WILKINS: We didn't have Part 52, 3 but we did anticipate it. 4 I think though I'll go back to my earlier 5 6 comments. We are quite pleased with the resolutions 7 that have occurred on the policy issues and how long it's taken us to get there is kind of behind us at 8 this point. I think the result that we see coming out 9 of this is going to be a high quality certification 10 and it's going to be a certification that I think will 11 establish the effectiveness and workability of Part 12 13 52. So, we're quite pleased with the outcome and then 14 I guess therefore with the process that has led to it, 15 assuming that we have an FDA in May and a timely 16 certification after that. CHAIRMAN SELIN: Let me ask you a follow-17 up question a little more towards the future. 18 Are there things in the process as it stands today as it 19 will affect the small boiling water reactor that you 20 21 have problems with or do you think we sort of have it 22 pretty much consistent with law where it ought to be at this point? 23 DOCTOR WILKINS: I would say that this has 24 25 paved the trail very nicely for the small boiling NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

(202) 234-4433

1 water reactor and other than the technical issue of 2 passive safety and how that goes through, I think 3 everything else we have done here ought to apply 4 directly.

CHAIRMAN SELIN: Sorry.

5

COMMISSIONER ROGERS: No, that's fine. 6 7 CHAIRMAN SELIN: Commissioner Remick? COMMISSIONER REMICK: Yes. 8 Along that 9 line, I'd just say it's been a learning process for 10 all of us. A new part of our regulation, a very 11 important one. I think we've stumbled along the way and vendors have stumbled along the way, but I've been 12 very pleased with the fact that people have worked 13 closely and I think the Commission has tried to 14 15 resolve the issue. So, I agree very much with what 16 you've said, but it is a new process. It's different 17 than the Japanese process, which is closer to what we used to do. I think it's an improved process. 18 Ι 19 I think your design is a much improved design agree. 20 with the things that you've gone over.

One thing that I'd like to clarify why I raised the question about 10⁻⁷, I'm not a seismic expert. I don't claim to be a PRA expert, but I have on a number of occasions asked our seismic expert what is the probable frequency of an SSE in parts of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

(202) 234-4433

United States that you envelope in your design? 1 The answer is somewhere probably around 10^{-3} , 10^{-4} per year. 2 If you get up to maybe a couple times the SSE, 3 probably 10^4 or 10^{-5} . So, if it is possible to get an earthquake of several times the SSE, in that range, I 5 honestly don't know how people can claim if they 6 7 include seismic how you can guarantee that the core damage frequency is less than that. 8

I've taken this message not only in the 9 United States but in other countries where vendors 10 seem to be, each one, pushing a number lower than the 11 other and trying to get people to explain when you put 12 13 numbers do you mean internal or external out initiators or both or what, just so we at least know 14 what's being -- so that's the purpose of my comment. 15 16 I don't claim to be an expert. I'm not questioning your numbers, but I must admit in my mind there always 17 question when Ι see numbers like 18 is а that. 19 particularly if they include external initiators in 20 countries where seismic frequencies are relatively high and your envelope incorporates some parts of the 21 22 United States where there's reasonable expectation of earthquakes. That's the basis for it. 23

If you have anything further on that after the meeting and want to supplement it, I would greatly

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

(202) 234-4433

24

25

4

	43
1	appreciate it, just for clarification.
2	I thank you very much for the briefing.
3	I think it's been very helpful and timely.
4	CHAIRMAN SELIN: Commissioner de Planque?
5	COMMISSIONER de PLANQUE: Yes. I have
6	just one question on the issue of approving the FDA
7	before the DCD. I think I heard you said you wouldn't
8	expect that to affect or feed back into the SSAR. If
9	that turned out not to be the case or the staff saw
10	that a change needed to be made there, do you see a
11	problem with that?
12	MR. QUIRK: No, I do not. If it's to an
13	extreme, of course. If it's a very limited area and
14	something that came up, no problem.
15	COMMISSIONER de PLANQUE: Okay. I have no
16	further questions. I found the briefing extremely
17	helpful. Thank you very much.
18	CHAIRMAN SELIN: Thank you. So have I.
19	We've been waiting for this presentation for a long
20	time. The Commission will obligate itself to address
21	the issues before it or better to be imminently before
22	us and get them settled. We also, now that the main
23	safety issues are well behind us, we are also desirous
24	of getting on with the certification both on the
25	procedural issues that Mr. Quirk raised and on the one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005

	44
1	technical issue which either is or isn't or is about
2	to be before the Commission, depending on your
3	definition of that.
4	Thank you very much, Doctor Specker.
5	DOCTOR SPECKER: Thank you.
6	(Whereupon, at 11:04 a.m., the above-
7	entitled matter was included.)
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	
-	NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. (202) 234-4433 WASHINGTON, D.C. 20005 (202) 234-4433

U

CERTIFICATE OF TRANSCRIBER

This is to certify that the attached events of a meeting of the United States Nuclear Regulatory Commission entitled: TITLE OF MEETING: BRIEFING BY GE ON STATUS OF ABWR APPLICATION FOR DESIGN CERTIFICATION PLACE OF MEETING: ROCKVILLE, MARYLAND

DATE OF MEETING: JANUARY 26, 1994

were transcribed by me. I further certify that said transcription is accurate and complete, to the best of my ability, and that the transcript is a true and accurate record of the foregoing events.

Carol Ayul

Reporter's name: _____ Peter Lynch

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVENUE, N.W. WASHINGTON, D.C. 20005



<u>GE</u> Nuclear Energy

Advanced Reactor Programs

Presented to Nuclear Regulatory Commission

S. R. Specker, Vice-President & General Manager D. R. Wilkins, General Manager, Nuclear Services and Projects S. A. Hucik, Manager, ABWR Projects J. F. Quirk, Project Manager, ABWR Certification

January 26, 1994

COMMISSION BRIEFING WEDNESDAY, JANUARY 26, 1994

<u>AGENDA</u>

10 Min.	Introduction	S. R. Specker					
30 Min.	ABWR Features and Certification Activities • ABWR Safety Improvements • ABWR Certification Status	D. R. Wilkins					
15 Min.	Design Certification Process Issues	J. F. Quirk					
5 Min.	Summary						

ABWR Safety Improvements

<u>RIPs</u>

- Eliminated large pipes, valves
- No core uncovery LOCAs
- Reduced radiation
- 100% flow with one pump out

FMCRDs

- Eliminated scram discharge volume, 1/2 containment plumbing
- Two ways to insert drives
- Drive support eliminates shootout steel
- Rod drop, rod ejection accident eliminated

<u>ECCS</u>

- 3 separate mechanical and electrical divisions
- 1/3 less piping and valves
- N-2 for transients
- Nearly N-2 for accidents
- Simplified number of modes
- Eliminated core spray spargers
- RCIC and HPCF initiation levels separated

<u>1&C</u>

- Multiplexer fiber optics
- Digital 2/4 for safety, voting mid of 3 for control
- Fixed wide range neutron monitor
- Period based scram protection
- ARBM eliminates rod withdrawal error
- Ganged rods (up to 26) in startup mode
- Advanced MMI

<u>ATWS</u>

• Automatic for SLCS and other operator actions (RIP runback, FW runback)

Station Blackout

- 3 diesel generators
- Gas turbine generator

Severe Accident Features

- AC independent water addition
- Lower drywell flooder
- Containment overpressure protection

ABWR INCORPORATES MAJOR TECHNOLOGICAL AND SAFETY IMPROVEMENTS

Summary of ABWR Certification

	86	, 87	88	, 89	, 90	91	, 92	93	94	95	96
 UTILITY (EPRI) REQUIREMENTS 			.	.	•	A	.		.		<u></u>
DOCUMENT											
• LICENSING REVIEW BASES DOCUMENT											
• STANDARD SAFETY ANALYSIS REPORT		-									
(SSAR) SUBMITTALS											
• SCOPE EXPANSION											
— TURBINE ISLAND				L							
— RADWASTE FACILITY											
 REQUEST FOR ADDITIONAL 						•					
INFORMATION (RAI)											
• SSAR AMENDMENTS									_		
									•		
AFFIRMATION											
• DESIGN CERTIFICATION MATERIAL (TIER	1)										

/		•											
	_86	<mark>. 87</mark>	, 88	, 89	90	91	92	93	94	95	96	1	
• SAFETY EVALUATION REPORT													
PDSER				_	▲								
— DSER													
— DFSER			A										
ADVANCED COPY OF SER		▲											
FSER*	▲												
• FDA*		▲											
• DCD SUBMITTAL													
 DESIGN CERTIFICATION* 									_				

Summary of ABWR Certification (Continued)

* per SECY-93-097

10 of 18

Certification Process Status

- ABWR design certification and ALWR requirements are well integrated
- NRC review essentially complete
- All major technical issues resolved (SECY-89-153, SECY-90-016 and SECY-93-087)
- 10 CFR Part 52 first time process issues resolved
 - --- Level of detail
 - ITAAC inspections , tests, analyses, and acceptance criteria
 - Environmental (NEPA) considerations

Certification Process Status (Continued)

• Advanced copy of FSER issued: 14 open items identified

- ---- 4 issues undergoing Staff action
- 9 issues GE preparing response in January 1994
- 1 issue (RPV water level instrumentation) pending Commission decision

NOW AT THRESHOLD OF FDA ISSUANCE



SIGNIFICANT ACRS REVIEW ACCOMPLISHED

13 of 18

Design Certification Process Issues Impacting FDA

FDA/DCD SEPARATION

- Proposal for staff issuance of FDA prior to completion of DCD approval process
- Resolution of DCD format issues will not affect content and completeness of safety review and findings supporting approval of FDA
- DCD relates only to DC Rulemaking
- Separation of two issuances would allow design review process to be completed within a time frame consistent with NRC-approved schedules
- ---- Understand that staff supports separating FDA and DCD issuance

INDUSTRY URGES COMMISSION TO ENDORSE SEPARATING FDA AND DCD ISSUANCE

Process Issues Impacting Design Certification

SECONDARY REFERENCES

- Preliminary Staff guidance on DCD treatment of SSAR secondary references caused serious Industry concerns regarding practicality and schedule impacts
- Further interaction has clarified Staff and Industry understanding

AWAITING NEW STAFF GUIDANCE TO SATISFACTORILY RESOLVE MATTER

Process Issues Impacting Design Certification (Continued)

TREATMENT OF PRA INFORMATION

- Staff proposes DCD include PRA details, including probabilities
 - Would make 50.59 evaluations burdensome and divert licensee and staff resources from more important operating issues to handling of license amendments or exemption requests for trivial increases in PRA probabilities

ONLY IMPORTANT DESIGN INSIGHTS FROM PRA SHOULD BE INCLUDED IN DCD AND SUBJECT TO 50.59 REVIEW PRIOR TO CHANGE

Process Issues Impacting Design Certification (Continued)

APPLICABLE REGULATIONS

- Staff proposes DC rule adopt as "applicable regulations" various Commission-approved staff positions on severe accidents and other technical issues
 - Industry believes that Commission-approved staff positions will be embodied in Tier 1 and Tier 2 DC rule requirements

THIS PROPOSAL SHOULD NOT BE ADOPTED BY COMMISION

SUMMARY

- ABWR incorporates major technological and safety improvements
- Much progress made . . . @ threshold of first FDA under Part 52
- Remaining actions
 - --- ACRS letter
 - --- Commission review of advanced copy of SER

 - Early commission action on ANPR process issues needed to maintain schedules for initiating ALWR rulemakings