

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

**Title:** BRIEFING BY STAFF ON STEAM GENERATOR  
ISSUES - PUBLIC MEETING

**Location:** Rockville, Maryland

**Date:** Tuesday, February 27, 1996

**Pages:** 1 - 79

SECRETARIAT RECORD COPY

**ANN RILEY & ASSOCIATES, LTD.**  
1250 I St., N.W., Suite 300  
Washington, D.C. 20005  
(202) 842-0034

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on February 27, 1996 in the Commission's office at One White Flint North, Rockville, Maryland. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determination or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of, or addressed to, any statement or argument contained herein, except as the Commission may authorize.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

- - -

BRIEFING BY STAFF ON STEAM GENERATOR ISSUES

- - -

PUBLIC MEETING

Nuclear Regulatory Commission  
One White Flint North  
Rockville, Maryland  
Tuesday, February 27, 1996

The Commission met in open session, pursuant to notice, at 10:00 a.m., Shirley A. Jackson, Chairman, presiding.

COMMISSIONERS PRESENT:

- SHIRLEY A. JACKSON, Chairman of the Commission
- KENNETH C. ROGERS, Commissioner
- GRETA J. DICUS, Commissioner

1 STAFF SEATED AT THE COMMISSION TABLE:

2 JOHN C. HOYLE, Secretary of the Commission

3 MARTIN MALSCH, Deputy General Counsel

4 PRESENTERS:

5 JAMES TAYLOR, EDO

6 WILLIAM RUSSELL, Director, NRR

7 BRIAN SHERON, Director, Division of Engineering

8 NRR

9 JACK STROSNIDER, Chief, Materials and Chemical  
10 Engineering Branch, NRR

11 ASHOK THADANI, Associate Director for Inspection  
12 and Technical Assessment, NRR

13 MICHAEL MAYFIELD, Chief, Electrical, Materials &  
14 Mechanical Engineering Branch, RES

15

16

17

18

19

20

21

22

23

24

25

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1250 I Street, N.W., Suite 300  
Washington, D.C. 20005  
(202) 842-0034

## P R O C E E D I N G S

[10:00 a.m.]

CHAIRMAN JACKSON: Good morning. I'm pleased to welcome members of the Staff to brief the Commission on steam generator issues and risk and performance based rule activities.

As you know, steam generator tubes constitute a significant portion of the reactor coolant pressure boundary and therefore the structural and leakage integrity of these tubes is of particular importance because tube failure allows primary coolant into steam generators where its isolation from the environment is not fully assured.

However, steam generator tubing continue to exhibit widespread degradation mechanisms and these degradation mechanisms have caused several tube ruptures, steam generator tube leakage, steam generator replacements and personnel exposures.

Key issues associated with steam generator tube integrity include, first, the detection and sizing capabilities of the techniques and procedures used to inspect, second, the effects of both primary and secondary side environments on the degradation and cracking of steam generator tubes, and, third, the analysis methods used to assess tube integrity and the potential radiological releases associated with steam generator tube leaks and

1 ruptures.

2 The Staff's ongoing rulemaking activities are  
3 designed to improve the technical and regulatory aspects for  
4 ensuring steam generator tube integrity. The current  
5 regulatory approach is prescriptive and I guess one could  
6 say lacks some effectiveness -- I won't say it's -- in  
7 dealing with some of the types of degradation, and this is  
8 what you have told me, the Staff has told me yourselves.

9 Degradation specific inspection and repair  
10 criteria will form the basis of the Staff's regulatory  
11 approach and so we are looking forward to hearing what you  
12 have to tell us today, and if I am right I understand  
13 viewgraphs are available and we have Exhibits A through G or  
14 something here -- so do any of my fellow Commissioners have  
15 any opening comment?

16 [No response.]

17 CHAIRMAN JACKSON: If not, please, Mr. Taylor.

18 MR. TAYLOR: Good morning. As the Commission may  
19 recall, the Staff did brief the Commission on these issues  
20 this past June. Since then substantial progress has been  
21 made in developing generic guidance more appropriate for  
22 certain forms of degradation being experience.

23 Unfortunately, new forms of degradation are being  
24 detected and other previously-known forms are being more  
25 widespread. In my opinion, this is one of the more serious

1 challenges facing the industry today, and you will hear  
2 about that today.

3 At the table with me from NRR are Bill Russell,  
4 Ashok Thadani, and Brian Sheron, Jack Strosnider -- where is  
5 Jack? Okay -- and from the Office of Research, Mike  
6 Mayfield.

7 Ashok Thadani will begin the briefing.

8 MR. THADANI: Good morning. May I have the  
9 Viewgraph Number 1, please?

10 Actually, Chairman, you have very well covered  
11 some of the things that I was going to say, I'm sure better  
12 than I would have done, but nevertheless it would probably  
13 be useful --

14 CHAIRMAN JACKSON: I probably learned it from you.

15 MR. THADANI: -- to go through some of the  
16 background as to the importance of the issue and generally  
17 the approach that we are using and then Brian Sheron is  
18 going to go through the recent inspection findings, some of  
19 the implications, short-term actions that we have taken, and  
20 where we are proceeding in terms of long-term actions.  
21 Finally,, he will also briefly describe the discussions that  
22 took place at an international conference on steam generator  
23 tubes in Chicago last October -- because it is clearly as  
24 Mr. Taylor noted -- this is a big issue not only here but in  
25 other countries as well.

1           May I have Viewgraph Number 2.

2           Again, as Mr. Taylor mentioned, the integrity of  
3 the steam generator tubes is not only an important safety  
4 issue but it has significant economic implications as well.  
5 If a large number of tubes are degraded, they have to be  
6 plugged or sleeved. If a significant number of tubes are  
7 plugged, that could impact the ability to generate full  
8 power because of loss of heat transfer area, and sleeving of  
9 course is an expensive process in itself and could become a  
10 critical item during outages, so there is significant  
11 economic implication.

12           In addition to that, up to now 12 plants have  
13 actually replaced steam generators because of various forms  
14 of degradation and --

15           CHAIRMAN JACKSON: Let me stop you for a quick  
16 minute. Can you tell me what rough costs for replacement?

17           MR. THADANI: To replace them? Yes. In fact --

18           CHAIRMAN JACKSON: If you are coming to it, I can  
19 wait.

20           MR. THADANI: No -- no, no. I wasn't planning to.  
21 We have got some estimates from Electric Power Research  
22 Institute. Technically, the cost appears to be if they are  
23 two loop plants, two steam generators, they run \$50 million  
24 and up -- in some cases, significantly above that.

25           Typical costs seem to be on the order of about



1 \$100 million. Now I say typically because you can see some  
2 cases where the cost has been well above \$100 million, in  
3 other cases somewhat below \$100 million, but that is  
4 generally what we are talking about.

5 CHAIRMAN JACKSON: And some of that, does it not,  
6 have to do with how the containment itself has to be dealt  
7 with?

8 MR. THADANI: Yes, that certainly impacts.

9 CHAIRMAN JACKSON: Whether the hatches have been  
10 designed to remove them --

11 MR. THADANI: Yes.

12 CHAIRMAN JACKSON: -- versus having to do -- what  
13 is it, ginnae?

14 MR. THADANI: Yes.

15 CHAIRMAN JACKSON: To actually have to --

16 MR. THADANI: They have to actually cut a big hole  
17 in the containment in fact, so this can be a tremendously  
18 intensive activity. It takes a fairly long time period and  
19 it is quite expensive.

20 Twelve plants have actually replaced the  
21 generators so far, and as I understand it, again talking to  
22 Electric Power Research Institute, that 10 plants have  
23 placed orders to replace their generators in addition to the  
24 12 plants.

25 So I think it's clear that it is -- besides the

1 important safety issues there are economic issues, and our  
2 focus, of course, is safety, and as you, Chairman, noted,  
3 the steam generator tubes do form a significant portion of  
4 the reactor coolant pressure boundary and we are talking  
5 about tens of thousands of tubes that have to be monitored  
6 to make sure that the integrity is maintained.

7           Again, as you noted, the integrity of the tubes  
8 play a critical role in terms of overall safety.

9           First, these tubes form the boundary of the  
10 reactor coolant pressure. Failure of those tubes can also  
11 lead to bypassing containment because you can get leakage or  
12 whatever flow you get from primary side to the secondary  
13 side into the steam generator, and normally if the pressure  
14 is high enough the safety relief valves will open on the  
15 secondary side of the steam generators and now you have  
16 created a pathway directly to the environment from the  
17 primary side, so in this case you have lost two barriers.  
18 The whole concept of defense in depth is to maintain a  
19 number of barriers. With one of these accidents you can  
20 lose two barriers -- the primary system as well as the  
21 containment boundary, so it is a very important safety  
22 issue.

23           Now we also know that really a significant impact  
24 on the public health would be if there is substantial fuel  
25 damage as well, but that would require failure of additional

1 systems that are in fact provided to mitigate an accident of  
2 this type.

3 If those failures were to occur, then clearly the  
4 pathway exists for significant releases to the environment.

5 Now in the U.S. up to now there have been nine  
6 steam generator tube rupture events. It seems as though we  
7 see one event about every two to three years.

8 MR. TAYLOR: Those are individual, right?

9 MR. THADANI: Yes, single. Yes, yes -- single  
10 tubes in this country. In all those cases the safety  
11 systems functioned and the operators have taken appropriate  
12 action, so the consequences have been minimal in terms of  
13 impact.

14 CHAIRMAN JACKSON: So following up, there has  
15 never been a multiple tube rupture that has occurred at one  
16 time?

17 MR. THADANI: That's correct, that's correct.

18 MR. TAYLOR: There have been other ruptures in  
19 other countries too.

20 CHAIRMAN JACKSON: Of more than one tube?

21 MR. THADANI: No, one tube.

22 CHAIRMAN JACKSON: Always one tube.

23 MR. THADANI: Always one tube. We don't know of  
24 any case where there have been more than one tube failures  
25 and we know of at least two such events in other

1 countries -- single tube ruptures, that is.

2 So the challenge really I think is simply to -- it  
3 would be worthwhile to see if there is a way the frequency  
4 of these events can be reduced, but the real concern is are  
5 these new degradation mechanisms such that the potential for  
6 such failures may in fact increase with time? That is an  
7 issue that needs careful attention.

8 Could I have Viewgraph Number 3, please.

9 I thought I'd very briefly go over what our  
10 current requirements are because that will then tie in to  
11 what we are trying to do in the future.

12 There are basically design requirements and then  
13 there are operational constraints. In terms of design  
14 requirements under Part 50 of the Code of Federal  
15 Regulations, we have a number of general design criteria.  
16 The real thrust of these criteria basically is to make sure  
17 that the likelihood of leakage from steam generator tubes is  
18 maintained at very low levels and that there are enough  
19 margins built into the design so that even from  
20 consequential failure point of view -- that is, if you have  
21 an event that causes increased pressure or pressure  
22 differential from primary to secondary side, that the  
23 integrity of the primary system is maintained, so the  
24 general design criteria go to a very general set of  
25 requirements.

1           These requirements then are followed up on through  
2 inspection, period inspection and testing.

3           Again the general design criteria do call for a  
4 capability for inspection and testing.

5           COMMISSIONER ROGERS: Do the general design  
6 criteria specifically address steam generators?

7           MR. THADANI: Yes, it does.

8           COMMISSIONER ROGERS: Specifically steam  
9 generators rather than the pressure boundary?

10          MR. THADANI: In the context of inspections, yes.  
11 They address the whole reactor coolant pressure boundary.

12          CHAIRMAN JACKSON: In each part of it you are  
13 saying?

14          MR. THADANI: Yes. Yes, that is, they address the  
15 whole reactor coolant pressure boundary. That picks up the  
16 steam generator tubes as well.

17          COMMISSIONER ROGERS: Specifically mentioned in  
18 there?

19          MR. THADANI: In the GDC, steam generator tubes --  
20 I don't believe they are specifically mentioned.

21          COMMISSIONER ROGERS: I am under the impression  
22 that they are not.

23          MR. THADANI: I do not think they are specifically  
24 mentioned but they are picked up as part of the reactor  
25 coolant pressure boundary.

1                   COMMISSIONER ROGERS: But it is just in general  
2 terms?

3                   MR. THADANI: Yes. It is in general terms, and  
4 this is where then you go from general design criteria to  
5 the technical specifications wherein then you pick up  
6 specifically what you have to do with the steam generator  
7 tubes, so it is implicit, but I don't believe it is explicit  
8 in the GDCs, yes.

9                   There are two parts. They are the design criteria  
10 and then the steam generator tube rupture in itself is  
11 considered one of the design basis accidents, which means  
12 that you postulate in this case -- I think that is a rather  
13 foolish word for me to use, postulate. We have seen a  
14 number of events that have happened.

15                   So you can see the steam generator tube rupture.  
16 You have conservative methods to analyze what would happen  
17 and these conservatisms are not only in methods but also in  
18 terms of initial conditions. That is, you do assume a  
19 certain amount of leakage from primary to secondary and so  
20 on.

21                   The whole idea there then is to make sure that the  
22 consequence to this accident when analyzed conservatively  
23 would not exceed the guideline values in 10 CFR, Part 100.

24                   CHAIRMAN JACKSON: I think Mr. Taylor, you have  
25 looked up the --

1 MR. TAYLOR: I was going to read it. It's very  
2 short but I think I have the right criterion and you guys  
3 correct me -- it's Criterion 14, and it is reactor coolant  
4 pressure boundary: "The reactor coolant pressure boundary  
5 shall be designed, fabricated, erected, and tested so as to  
6 have an extremely low probability of abnormal leakage, of  
7 rapidly propagating failure and of gross rupture."

8 COMMISSIONER ROGERS: That's right, but it doesn't  
9 say steam generators --

10 MR. THADANI: No, it does not.

11 COMMISSIONER ROGERS: It applies to both BWRs and  
12 PWRs.

13 MR. THADANI: Right.

14 COMMISSIONER ROGERS: There is one more level of  
15 detail one might be able to go into.

16 MR. THADANI: Yes, and then GDC 32 picks up on the  
17 inspection and testing aspects.

18 CHAIRMAN JACKSON: Mr. Russell.

19 MR. RUSSELL: In this case, we typically endorse  
20 the ASME Code and so the differential pressure criteria that  
21 is used, which in this case got embodied into some  
22 regulatory guides which then are incorporated in the  
23 technical specifications, we typically use 1.4 times the  
24 maximum differential pressure under a steam line break or a  
25 three times of normal differential pressure are the two

1 structural criteria and they flow from the Code into  
2 regulatory guidance, which goes into the technical  
3 specifications.

4 MR. THADANI: Okay, and then in the technical  
5 specifications of course is the requirement for performing  
6 inspections and their acceptable limits if those limits are  
7 exceeded. In this case, generally the acceptance limits are  
8 a way stage -- the way stage of thinning of tube walls,  
9 which is very easily picked up through any current testing,  
10 and if that limit is exceeded then they have to take  
11 corrective action.

12 The other aspect that is picket up in the  
13 technical specifications again relates to making sure that  
14 if there is a certain amount of leakage from primary to  
15 secondary that the plant is shut down, because that is  
16 clearly an indication of problems that could grow and get  
17 worse with time.

18 Also, the limit that is allowed, leakage limit  
19 that is allowed, is consistent with the calculations that  
20 are done in terms of meeting 10 CFR 100 guideline values.

21 In addition to that, there are limits on the  
22 activity level in the primary system which would be  
23 indicative of if there is any fuel problems with the fuel.

24 If the activity level goes up above a fairly low  
25 level, then the plant has to be shut down again, so those



1 are operational considerations.

2 Now these -- at least in terms of the two  
3 degradation and inspection activities, the criteria are  
4 fairly old. They were developed over 20 years ago and they  
5 were based on an understanding at that time as to what kind  
6 of degradations were being seen, and as you have heard and  
7 you will hear again -- Brian Sheron is going to go into some  
8 details of what the inspections are showing the forms of  
9 degradation -- and it's clear that those technical  
10 specifications that we have in place are not sufficient in  
11 addressing these new forms of degradations.

12 In some cases, quite frankly, these criteria are  
13 probably conservative actually because when you take into  
14 consideration structural capability and leakage requirements  
15 in some cases one could actually permit some, certain types  
16 of cracks could be well beyond the 40 percent limit that's  
17 used today in the technical specifications, so we do need to  
18 make our requirements consistent with our best understanding  
19 today of the degradation mechanisms as well as safety  
20 factors.

21 May I have Viewgraph Number 4, please.

22 The issue has been around for quite some time,  
23 particularly when steam generator tube rupture events took  
24 place from the mid-'70s on, concern was mounting as to  
25 potential safety implications of these events, and the

1 Agency initiated what was then called unresolved safety  
2 issues -- Unresolved Safety Issues 3, 4 and 5, related to  
3 the steam generator tube rupture events.

4 Fairly extensive evaluation was conducted. The  
5 evaluation included consideration of spontaneous tube  
6 failures as well as consequential tube failures --  
7 spontaneous tube failures as an initiating event;  
8 consequential tube failure -- that is, postulating certain  
9 other accidents, like if you have a steam line break event,  
10 which will cause fairly large pressure differential across  
11 primary and secondary, what is the potential for tube  
12 failures?

13 Another accident that was considered was  
14 anticipated transients without scram. There the primary  
15 pressure will go fairly high, again the focus being large  
16 pressure differential from primary to secondary.

17 Not only that evaluation, which was documented in  
18 NUREG-0844, but also some of the recent individual plant  
19 examinations that we have looked at, they all basically  
20 concluded that the risk from these tube ruptures, either  
21 spontaneous or consequential, from those design basis events  
22 was not very high. In that sense, that is the estimates are  
23 coming out somewhere around 10 to the minus 6 per reactor  
24 year of having a potentially significant release.

25 If you look at the individual plant examination,

1 the range appears to be 10 to the minus 5 to 10 to the minus  
2 6, but generally clustered around 10 to the minus 6 per  
3 reactor year.

4 CHAIRMAN JACKSON: This is looking at the  
5 probabilities for both spontaneous as well as consequential  
6 tube ruptures?

7 MR. THADANI: Consequential tube failures from the  
8 events I am describing because I am about to come to an  
9 issue that we have not addressed in the cost.

10 CHAIRMAN JACKSON: I will wait and hear you  
11 because I was going to ask a question.

12 MR. THADANI: Yes, there is -- to me this is -- it  
13 was the best evaluation we could have done given the  
14 understanding we had, but I think there are some new issues  
15 that we have to deal with.

16 So since then, since these studies have been done,  
17 there are at least two new issues. One is the degradation  
18 mechanisms and Brian is going to discuss some of the results  
19 that we have seen recently and the types of degradations  
20 that have been seen.

21 CHAIRMAN JACKSON: Let me ask you that. Is he  
22 going to speak then in terms of the consequential tube  
23 failure?

24 MR. THADANI: I am going to --

25 CHAIRMAN JACKSON: Let me finish -- in terms of

1 the impact of degradation on the risk probabilities?

2 MR. THADANI: I will briefly cover that and then  
3 Brian will go into the specific mechanism aspects.

4 CHAIRMAN JACKSON: Very good.

5 MR. THADANI: If you stand back and look at some  
6 of the -- many of the studies that have been done to date,  
7 it does appear that the biggest risk to public health and  
8 safety comes from accidents that lead to substantial fuel  
9 damage where the potential exists for either early  
10 containment failure or bypassing the containment.

11 There are sequences when you can bypass the  
12 containment. Intersystem LOCAs have been ones that gotten a  
13 lot of attention in the past because they bypass  
14 containment. They also lead to damage of mitigating  
15 systems, so they can lead to large releases.

16 Early containment failure takes place following  
17 substantial fuel damage -- again there is the potential for  
18 significant releases.

19 Now the other pathway is the steam generator  
20 tubes. You would in fact if you have substantial fuel  
21 damage and you have lost integrity of the steam generator  
22 tubes, you would in fact calculate fairly significant  
23 releases also.

24 So what are those conditions then where if you do  
25 have fuel damage, substantial fuel damage, you want to be

1 careful, you want to know would the steam generator tube  
2 integrity be maintained, because if it is not then I think  
3 you would get substantial releases.

4 What we have found is that there are certain  
5 accident scenarios where the potential certainly exists that  
6 the tubes' integrity may be lost, particularly if the tubes  
7 are significantly degraded.

8 The kinds of accidents we are worried about, those  
9 that lead to high pressure and high temperature condition in  
10 the primary system, we have been so worried about these  
11 types of accident sequences that we as an agency have done  
12 extensive research, many years of research, on how the  
13 containment would behave, and we have at many national  
14 laboratories done lots of experiments to make sure we have a  
15 good understanding of what would happen.

16 What we have not done has been to see -- while we  
17 gained confidence in terms of containment performance for  
18 these accident conditions, we don't have the same level of  
19 understanding or information on the steam generator tubes  
20 and so that has become the key issue now.

21 There are a number of factors that we have to look  
22 at -- if I may go to Viewgraph Number 5.

23 There are a number of factors that we have to look  
24 at and I will touch on each of those factors, but it is  
25 clear to us that we do need to come up with an approach that

1 fully considers risk aspects. It is today -- up to now I  
2 think it's captured most of it but not all of the factors,  
3 and we need to also capture the new degradation mechanisms,  
4 so that has been the driving force for saying let's take a  
5 fresh look at the issue and come up with something that is  
6 consistent with today's thinking.

7 In terms of trying to make this approach risk  
8 informed, we had to look for some guidance and the guidance  
9 we looked at is the Commission's safety objectives, which  
10 are of two forms. One is to make sure that the core damage  
11 frequency is low enough. In this case, that's a value of  
12 about 10 to the minus 4 per reactor year. I don't see that  
13 as a problem at all in this case we are talking about.

14 But there is another consideration that is limit  
15 the potential for large releases to something like 10 to the  
16 minus 6 per reactor year is the other subsidiary objective.  
17 That is a challenge. That is the real issue that I think we  
18 have to carefully assess, so in order to get an  
19 understanding of risk implications, we need several pieces,  
20 we need to develop several pieces of information.

21 First is what is the frequency of spontaneous tube  
22 ruptures? I don't see that as a problem. I think we know  
23 fairly well. Unfortunately, it's higher than what we would  
24 have liked, given the experience that we have, but we also  
25 need to understand what's the probability of these tube

1 failures if some other events take place.

2 I describe that design basis type accidents have  
3 already been addressed. What has not been addressed has  
4 been these high pressure, high temperature scenarios that  
5 could lead to consequential failure of the tubes, and the  
6 tubes' integrity is pretty sensitive to these conditions.

7 May I have Viewgraph Number 6, please.

8 MR. RUSSELL: Ashok, it might help to just  
9 illustrate with one example what kinds of scenarios we are  
10 talking about. Station blackout, where you lose AC power,  
11 followed by a loss of secondary heat sink -- for example, a  
12 turbine-driven aux feedwater pump -- so on a typical PWR if  
13 you were to have a blackout scenario and then lose your  
14 turbine-driven aux feed pump, you would have a situation  
15 where you would not have the heat sink. The steam generator  
16 would relieve through the atmospheric dump valves or through  
17 the relief valves and then you would have a boil-off from  
18 the primary side through the safety valves and you would  
19 have a very high differential pressure across the generator.

20 Under that condition you could proceed into a high  
21 pressure melt type scenario --

22 COMMISSIONER ROGERS: What is the --

23 MR. RUSSELL: -- and that is the consequential  
24 failure of the generator. The events going on was not the  
25 spontaneous rupture, and now you are challenging the

1 generator, and then if you have a generator that has  
2 significant degradation, cracking, et cetera, what is the  
3 potential for bypassing through that generator?

4 COMMISSIONER ROGERS: What is the design for the  
5 pressure differential, primary-secondary pressure  
6 differential? What is the design --

7 MR. RUSSELL: The design is three times the normal  
8 differential pressure, so you are typically talking about  
9 1100-1200 pounds of the normal differential pressure, and so  
10 three times that would be about 3600?

11 MR. THADANI: Right, about 3600.

12 MR. RUSSELL: Would be the design --

13 MR. THADANI: Yes.

14 MR. RUSSELL: Typically the actuals for testing  
15 are much greater than that.

16 CHAIRMAN JACKSON: Yes, they are like 9000.

17 MR. RUSSELL: 8000-9000 or greater.

18 MR. THADANI: So the key again --

19 MR. RUSSELL: It's when they are degraded that you  
20 don't have that same margin.

21 MR. THADANI: Yes. I think, Bill, that is -- I am  
22 glad you brought that up because what you are worried about  
23 is really loss of secondary cooling, because when you lose  
24 secondary cooling, primary pressure and temperature is going  
25 to go up, and if it is elevated and you are not able to



1 provide some high pressure make-up capability, with time  
2 you'll uncover the core, damage fuel, and you'll create very  
3 challenging flow paths because the center of the core is  
4 going to be very hot. You'll create internal recirculation  
5 paths and that, incidentally, does play a part, because the  
6 key point is to get an understanding of the temperature that  
7 the steam generator tubes see, and so it is important to  
8 understand these phenomena from a thermal hydraulic point of  
9 view.

10           The first piece that we have to be sure we  
11 understand is what is the frequency of these types of events  
12 that lead to elevated pressure and temperature in the  
13 primary system. It is generally, from the IPEs and PRAs  
14 that we have looked at, the frequency is in the range of 10  
15 to the minus 4 to 10 to the minus 5 per reactor year.

16           That is, it is high enough to say we are concerned  
17 about it. We have got to probe further to see where we go.

18           Then the second part is for these -- we need to  
19 understand pressure temperature conditions for these  
20 scenarios.

21           As I said, phenomena are complex and we also know  
22 upfront that there is sensitivity -- the behavior of the  
23 tubes to temperature and pressure, so we do need to make  
24 sure we have good understanding of that.

25           Once we identify the profile in terms of

1 temperatures and pressures, then we want to take a look at  
2 all the reactor coolant pressure boundary, not just the  
3 steam generator tubes, because there may be competing  
4 effects, different parts of the primary system may in fact  
5 be more susceptible to these conditions than the steam  
6 generator tubes.

7 But then steam generator tubes play kind of a  
8 unique part in that we allow a certain amount of degradation  
9 to take place and it is permitted, so we want to try and  
10 understand under these conditions different -- starting with  
11 clean, brand new tubes all the way to significantly degraded  
12 tubes -- we need to understand how they behave.

13 The Office of Research has initiated activities at  
14 Argonne National Laboratory, where experimental work will be  
15 beginning fairly soon. In fact, Brian and I are going there  
16 I think this Sunday, I believe, to see where they stand and  
17 experiments should be beginning the middle of next month, I  
18 think, or perhaps a little later.

19 CHAIRMAN JACKSON: This is on which aspect of  
20 these?

21 MR. THADANI: This is going to be high  
22 temperature, high pressure conditions and different types of  
23 tubes with different flaws, to run through and get an  
24 understanding of the behavior.

25 It is an issue, as you will hear later on, it's

1 very important. We want to do it right, do it as well as we  
2 can, and it is the pacing item and it is impacting the  
3 schedule.

4 CHAIRMAN JACKSON: Let me ask you this question.  
5 You are talking on, you know, our side in terms of what the  
6 Staff is doing and this is significant --

7 MR. THADANI: Yes.

8 CHAIRMAN JACKSON: How sensitized is the industry?  
9 What are they doing?

10 MR. THADANI: It's the next viewgraph that has a  
11 thought on it, but I might as well address it now.

12 CHAIRMAN JACKSON: I promise you I didn't peek.

13 MR. THADANI: It is an issue where industry has  
14 only recently begun to take it more seriously than they had  
15 up to now. Bill Russell and I at many of the steering group  
16 meetings have been pushing the industry. I mean there is no  
17 question in my mind that they have been very slow.

18 Even today I think there is a great deal of  
19 apprehension on the part of the industry as to are we  
20 bringing in the issues, the severe accidents into licensing  
21 considerations, and our view simply has been that as we go  
22 forward into new rules, regulations and so on, we do need to  
23 make them fully risk-informed consistent with the level of  
24 safety that we would like to see out there.

25 I would say recently the industry has begun to

1 initiate a fair amount of work of their own. They have  
2 resolved some technical issues. There were issues on  
3 fission product deposition and so on, some severe accident  
4 issues. They have come in and addressed some of the  
5 uncertainties on estimating pressures and temperatures, and  
6 again there are some key technical issues that they have  
7 focused attention on.

8 I am seeing signs of moving in this direction, for  
9 whatever purposes -- maybe it is defensive -- but  
10 nevertheless they have initiated a number of studies of  
11 their own.

12 CHAIRMAN JACKSON: Mr. Russell.

13 MR. RUSSELL: I would like to go back to one issue  
14 that was mentioned earlier so that we don't leave a wrong  
15 impression with the Commission.

16 It would be a favorable outcome if there were some  
17 other portion of the reactor coolant pressure boundary which  
18 would fail before the steam generator tubes, because then we  
19 would be back with it contained within containment because  
20 that would be a release into containment.

21 So for example, if a reactor coolant pump seal,  
22 which has to have water to really function, if the seals  
23 provided enough of a let-down path for the gases such as you  
24 did not have the pressure and the temperatures in the steam  
25 generator tubes, that would be a favorable outcome -- or if

1 the pressurizer surge line were to fail, you would  
2 depressurize into the containment and you would contain the  
3 high pressure melt scenario within a large, dry containment.

4 I didn't want to leave the impression that the  
5 work we are doing -- we are focusing on the tubes to  
6 understand whether the tubes are going to fail before some  
7 other component under this scenario, and we would really  
8 prefer to have something else be the weak link rather than  
9 have the bypass.

10 What we are not sure of is when you get  
11 degradation in cracking that you will hear about or you may  
12 have a few thousand tubes which have cracking, how will  
13 those cracked tubes behave under conditions of high  
14 temperature, high pressure? That is really the focus of the  
15 research, to get us some hard information on the behavior of  
16 the tubes under these conditions as well as determine what  
17 are the likely conditions which would exist in a steam  
18 generator under one of these scenarios.

19 MR. THADANI: There's some very interesting  
20 challenges. Pressurizer surge line clearly is one  
21 potentially weak area. Pump seals may be another one. But  
22 these are not only -- there are really three variables.

23 I have been talking about pressure and temperature  
24 but time is another critical variable in this, and so there  
25 can be competition and timing may become a very important

1 factor and it could become -- it could be either fairly  
2 clear what will go first, or it may get pretty difficult to  
3 come to grips with what is going to fail first, and these  
4 are really some of the difficult issues.

5 We are still working on it, and --

6 CHAIRMAN JACKSON: Some of this is going to come  
7 out of this program that you are talking about?

8 MR. THADANI: Yes. We are doing two things -- a  
9 program -- what that would lead to would be development,  
10 because we cannot literally do thousands of experiments but  
11 we will develop a model from these experiments. We will use  
12 the model to evaluate different combinations and conditions.

13 In parallel, we are doing a number of thermal  
14 hydraulic analyses to try and make sure we have a reasonably  
15 good understanding of these conditions.

16 Now industry has also done calculations. My  
17 understanding is we are coming together, we are getting  
18 closer. We were a bit apart a couple of months ago, but we  
19 are coming closer to agreeing on what these conditions would  
20 be, so at least we have made some good progress in that  
21 area.

22 MR. TAYLOR: I was going to say just one or two  
23 things.

24 As I understand it, this research will be done and  
25 we will try to model defects by machining and our otherwise

1 instituting the defects in this testing.

2 I consider this to be very, very important  
3 research and support it fully, financially and otherwise, to  
4 try to get this research.

5 CHAIRMAN JACKSON: But you are saying -- let me  
6 make sure I understand. At this point, though, the industry  
7 itself does not have any comparable kind of research  
8 program?

9 MR. RUSSELL: Not that I am aware of it --  
10 actually looking at the behavior of degraded tubes under  
11 these conditions.

12 MR. THADANI: I would like Jack to address that.

13 MR. STROSNIDER: The industry evaluations up to  
14 this point were based on a limited amount of material  
15 properties data at the kind of pressures we are looking at  
16 and trying to extrapolate fracture mechanics models that are  
17 used at lower temperatures to these higher temperatures to  
18 see if they really work, so they have done evaluations using  
19 the limited data that are available but we need to confirm  
20 the applicability of the models and to get more data at  
21 these higher temperatures, so the only work I am aware of at  
22 this point in time would be that it is going to be performed  
23 by the NRC Research Office.

24 MR. RUSSELL: There is one other aspect that I  
25 think it is important to understand, and that is that

1 different plants may have different susceptibility to loss  
2 of secondary heat sink. The ability to depressurize is  
3 quite important so having power operated relief valves where  
4 you can use the power operated relief valves to potentially  
5 depressurize can be helpful.

6 In fact, the new designs are actually going to the  
7 point of complete depressurization, AP-600 for example, and  
8 we look at the reliability of the depressurization systems  
9 as well as the capability to mitigate high pressure  
10 scenarios.

11 Some plants don't have power operated relief  
12 valves. For example, Palo Verde, the CE design, which we  
13 did have the one event, does not have power operated relief  
14 valves. They use pressurizer spray, and so there you would  
15 not be able to use this to depressurize, so there may be  
16 different classes of plants which have different  
17 susceptibilities, so we need to also evaluate this in the  
18 context of various plant designs -- so there is not a  
19 generic PWR. You also need to apply the plant-specific  
20 design features.

21 CHAIRMAN JACKSON: Right.

22 MR. THADANI: In that viewgraph under "frequency  
23 of relevant sequences," the part that says design factors,  
24 that is really the issue.

25 I think we will end up with probably two classes



1 of plants, ones that do have PORBs and ones that do not have  
2 PORBs, because it may be that in the context of accident  
3 management the depressurization capability would be very  
4 important.

5 Now even beyond AP-600, under System 80-Plus,  
6 which was the Combustion Engineering advanced light water  
7 reactor design, they -- the design includes in fact a  
8 safety-related depressurization system which was -- the  
9 design of which is in fact based on high pressure melt  
10 sequences, so today we are actually dealing with it in a  
11 fairly upfront, straightforward way.

12 CHAIRMAN JACKSON: I had one last couple of  
13 questions. Is the schedule for the research program that  
14 you just described such that it will be able to provide  
15 timely input to the rulemaking activities?

16 MR. THADANI: You had asked me that question  
17 earlier and I indicated to you that what we are doing right  
18 now is systematically going through each of the technical  
19 issues and seeing what is the best we can do, and I had  
20 indicated to you that we were going to put together a paper  
21 on that.

22 In fact, what we will probably end up with is  
23 going to be, while the research program can go on for a  
24 longer time period, but we want to get some of the critical  
25 information upfront that we can use.

1           You see, the reason -- and I don't want to come  
2 back with a change in schedule unless I have some confidence  
3 that we are really going to meet that schedule -- what we  
4 have to do is not only generate this information, it's  
5 critical information, for us to then go do our regulatory  
6 analysis and it's clear to me this issue is so significant  
7 that it is going to take fairly extensive interactions with  
8 the Advisory Committee as well on Reactor Safeguards. There  
9 is no question in my mind it's going to be a very extensive  
10 dialogue.

11           What I have asked the Staff to do is to take each  
12 of the issues, clearly state what we can and cannot do by  
13 what time period, and then that is the information we will  
14 provide to you in a paper.

15           CHAIRMAN JACKSON: Consistent with doing it in the  
16 way that you said?

17           MR. THADANI: Yes, it will be consistent --

18           CHAIRMAN JACKSON: Careful and so on.

19           MR. THADANI: Yes, indeed.

20           COMMISSIONER ROGERS: Just before you move on,  
21 just on this research project, to what extent are your  
22 sample tubes going to have some kind of a water chemistry  
23 history that at least looks at maybe the worst cases that we  
24 have seen in the industry?

25           MR. THADANI: I think I would like Mike, perhaps,

1 to answer.

2 MR. MAYFIELD: Let's separate the program if we  
3 can into the work that is being done to support the severe  
4 accidents research and then the balance of the research  
5 program.

6 The work being done to support the severe  
7 accidents issue will use machine defects as a first cut  
8 because we know that at these kinds of conditions the  
9 notches simulate what goes on because of the plastic  
10 deformation near the real crack tips. That is not much of a  
11 concern.

12 In the balance of the research we are going to  
13 some lengths in fact to create water chemistry conditions  
14 that look like what we think we see in service to create  
15 defect structures that look like what we see in service and  
16 going to some lengths to replicate conditions so that the  
17 defects we generate that are used in the subsequent testing  
18 look like what we see coming out of service.

19 We are also building, the intention at least is to  
20 gather tubes from retired generators and perform testing on  
21 those.

22 CHAIRMAN JACKSON: Are you also going to be  
23 looking at crack growth mechanisms and rates?

24 MR. MAYFIELD: Not so much rates.

25 MR. RUSSELL: We'll ask Jack to address that when

1 we get into that portion of the discussion.

2 CHAIRMAN JACKSON: Okay.

3 MR. RUSSELL: Because what we are focusing on now  
4 is what I will characterize as the safety significance side,  
5 and I would state that we need to make progress on the  
6 rulemaking and if we are not able to get all the answers  
7 through a research program we still have real issues with  
8 respect to our structure.

9 We are back at a draft regulatory guide, tech  
10 specs which vary from plant to plant. We are not doing this  
11 in a consistent manner, so there are a number of things we  
12 need to address and we believe we have a regulatory  
13 structure that we are posing that would allow new types of  
14 degradation, new information to be factored into the  
15 process, so I am interested in getting a process in place  
16 that can be a living process as well, so if we are not able  
17 to get all the research done to support the rulemaking, we  
18 still want to be on a fast track for the rulemaking.

19 CHAIRMAN JACKSON: Okay.

20 MR. THADANI: Okay -- if I may go to Viewgraph  
21 Number 7, which in the interests of time I would say that we  
22 have actually discussed this already and Brian is going to  
23 really go into some of the details of some of the  
24 degradation-specific management activities that we have  
25 ongoing as well as describe the framework of the rule and

1 where we are.

2 MR. SHERON: Let me talk quickly about tube  
3 inspections.

4 Next slide, please.

5 As Ashok said, most plants have tech specs which  
6 were developed probably back in the '70s when wastage and  
7 thinning was their predominant form of degradation  
8 mechanism.

9 The probes that were capable of detecting that was  
10 considered to be like a standard bobbin coil probe. Since  
11 then, with these newer forms of degradation that we're  
12 seeing, predominantly in the form of cracks, the industry  
13 has responded. There have been improved probes developed  
14 for detecting these kind of cracks both in axial and  
15 circumferential orientation as well as improved data  
16 analysis.

17 This is a standard three-coil RPC probe which has  
18 two pancake coils on it and what you may have heard as a  
19 plus-point. I could pass that around.

20 This is put on the end of a long plastic tube,  
21 which we have actually got one here to see, and it goes  
22 right up into the steam generator tubes and as it passes by  
23 a defect it works on the impedance principle, where you  
24 measure the impedance of the coil in there and by looking at  
25 the phase angle of the impedance, if you remember your

1 electrical engineering, you can actually distinguish a crack  
2 versus, say, a geometry difference or something, and that is  
3 how one determines whether or not we have a defect in a  
4 tube.

5 Using these improved probes like you have seen  
6 there, one of the consequences is we are capable of  
7 detecting degradation earlier than previously.

8 Before, for example, a regular rotating pancake  
9 coil in general has a sensitivity threshold of about 40  
10 percent through-wall so in other words usually it was  
11 capable of detecting cracks once they exceeded a 40 percent  
12 through-wall depth.

13 Some of the newer probes we have seen, like plus-  
14 point probe which is on that coil there, seem to be able to  
15 detect may down as early as 20 percent, 30 percent through-  
16 wall.

17 While these cracks may not be structurally  
18 significant, one of the difficulties is that the ability to  
19 accurately size them is still eluding the industry in terms  
20 of being able to correlate them. As a consequence, they  
21 have to assume that the indications that they see in fact  
22 exceed their tech spec criteria, and therefore they either  
23 have to plug or repair the indications.

24 The other thing that we are learning is that  
25 stress corrosion cracking continues to be the dominant

1 degradation mechanism in the steam generators.

2 MR. RUSSELL: Certain kinds of cracking --

3 MR. SHERON: Well, I think it's both the axial and  
4 the circumferential.

5 We see it in various places. The circumferential  
6 cracks usually occur at the top of the tube sheet where  
7 there is an expansion. Axial cracks typically can occur in  
8 a free span of some tubes. They can also mostly occur in  
9 the Westinghouse generators at the tube support plates where  
10 they pass through, if you'll see on these tubes here, the  
11 metal rings that you see around are what are used to  
12 simulate the tube support plate locations. That will give  
13 you an idea of the clearance. These are drilled hole  
14 support plates, as opposed to other kinds like a quatrefoil  
15 and so forth where there is maybe -- the metal is like in a  
16 mesh and the tube sits between it.

17 There is not much clearance in there and you get a  
18 buildup of corrosion products which aid in both the cracking  
19 as well as the phenomenon called denting.

20 Circumferential cracks -- and we have some  
21 machined examples here which you can see, which were  
22 machined in -- this right here is actually a 360 degree  
23 through-wall crack. The reason you see this is here is so  
24 that the tube doesn't fall apart.

25 This is used so that when they put a probe up to

1 see how well it can detect the circumferential cracks, we  
2 have seen large indications at some plants just in this  
3 recent fall outage at Arkansas Unit 2, Braidwood, Sequoyah,  
4 Salem -- Byron has seen at their recent outage something on  
5 the order of 2700 indications in the generator.

6 CHAIRMAN JACKSON: What would have been the  
7 implication for a main steam line break at Maine Yankee?

8 MR. SHERON: Maine Yankee went in after they  
9 detected the circumferential cracks and they did pressure  
10 test, where they actually go in and they put a blotter in  
11 the region where the crack in, right above the tube sheet  
12 where the circumferential crack is, and they actually  
13 pressurized it to above the 5000 pounds or so, which is the  
14 design Delta P across the tubes, and they did not fail.

15 One of them I believe did exhibit some leakage,  
16 okay, but what they showed was that even though these tubes  
17 had circumferential cracks, they did retain their structural  
18 integrity and did retail the margins required by the ASME  
19 Code, so they were considered to still meet the structural  
20 limits.

21 MR. STROSNIDER: Brian, excuse me. I just thought  
22 I might mention that they also did a leakage analysis and  
23 with regard to Part 100 dose limits and concluded that they  
24 would not have exceeded or reached that under-postulated  
25 accident conditions.



1           MR. SHERON: One of the reasons is that the type  
2 of circumferential cracks which they observed were not a  
3 single coplaner crack but they actually exhibit sort of a  
4 micro-crack feature over a very short band, and what you see  
5 is ligaments in between which give greater strength.]

6           As I said, right now the industry has not really  
7 been able to quantify depth sizing of circumferential cracks  
8 as well as growth rates, which you mentioned earlier. As a  
9 consequence, since they cannot really tell you how deep a  
10 crack is or how much it will grow during the next cycle,  
11 they are basically required to plug or repair these kind of  
12 cracks upon indication.

13           The other thing is that because they can't really  
14 quantify the depth of the rate of growth, a number of plants  
15 we have put on a mid-cycle inspection because they cannot  
16 really justify that they can go a full cycle of 18 or 24  
17 months and demonstrate that cracks will not initiate and  
18 grow to an excess of the tech spec or the structural  
19 requirement.

20           CHAIRMAN JACKSON: This is where you have seen  
21 significant indications?

22           MR. SHERON: Yes.

23           CHAIRMAN JACKSON: All right.

24           MR. SHERON: Braidwood, for example --

25           MR. RUSSELL: Or the result of events.

1 MR. SHERON: Braidwood for example was really  
2 unable to justify being able to continue another 18 months,  
3 so right now they will be shutting down in September, I  
4 believe, to do a midcycle inspection.

5 CHAIRMAN JACKSON: I see.

6 MR. SHERON: The next slide, please.

7 Dent inspections -- we've seen axial cracking due  
8 to primary water stress corrosion cracking and  
9 circumferential cracking have been found at dented  
10 intersections at a number of plants.

11 There is a tube out here -- I believe the one you  
12 have -- which actually -- no, I'm sorry, not that one.  
13 There is one here which actually simulates some dents which  
14 are -- as the tubes pass through the tube support plates to  
15 get corrosion products which actually build up and have a  
16 volume which increases and actually crushed the tube, you  
17 might say, so it closes down.

18 We have seen in the past some dents so large that  
19 you can't even pass one of these probes through the tube.  
20 We have seen now though that some tubes which have minor  
21 denting, which means you can still pass a probe through, are  
22 now exhibiting cracks.

23 Diablo Canyon, Sequoyah and Salem, for example,  
24 are some plants that have seen this kind of cracking.  
25 However, prior to that I think only North Anna was the only

1 plant that we had seen this kind of phenomena.

2 Axial primary water stress corrosion cracking is  
3 also being found at intersections with small dent signals  
4 and this is occurring, unlike the Westinghouse plants where  
5 we just issued this Generic Letter which had an alternate  
6 repair criteria for outside diameter stress corrosion  
7 cracking -- these cracks are occurring on the inside, the  
8 primary water side and some of the cracks are extending  
9 beyond the tube support plate which is different because in  
10 the Westinghouse case for the outside diameter stress  
11 corrosion cracking the cracks were pretty much confined to  
12 within the tube support plate region.

13 CHAIRMAN JACKSON: This somewhat relates to  
14 Commissioner Rogers' earlier question about chemistry.

15 The materials that are used, that's a well-  
16 documented, well-known what the materials are?

17 MR. SHERON: Yes, it's alloy 600 in most steam  
18 generator tubes.

19 CHAIRMAN JACKSON: Okay.

20 MR. SHERON: Alloy 690 is now being used, I  
21 believe, for replacement generators as well as for sleeves.  
22 This is much more resistant to stress corrosion cracking.

23 Jack?

24 MR. STROSNIDER: I just wanted to point out one  
25 thing. As Brian mentioned, this is different because it is

1 primary water stress corrosion cracking.

2 Getting back to the chemistry issue, this is  
3 significant because primary water chemistry is very well  
4 controlled and what this tells us is that in these areas  
5 where you have high residual stresses, basically it is just,  
6 stress corrosion cracking is a time-dependent phenomenon.  
7 It is catching up with some of these plants and it is not as  
8 dependent upon secondary water chemistry control, so it  
9 could affect plants regardless of how well they have  
10 controlled their chemistry. That is not a good trend but  
11 that is something we have to be aware of.

12 MR. SHERON: Yes. One thing we do see is where  
13 this cracking usually occurs -- and I say usually, not in  
14 all cases, is where there are high residual stresses.

15 Where they expand the tube into the tube sheet  
16 there is a slight expansion -- there is a transition  
17 region -- and usually there is a high residual stress where  
18 the tube was physically bent.

19 Anywhere we see these high residual stresses is  
20 where we are now seeing cracks start to occur.

21 The next slide, please.

22 Sleeve joint cracking -- as a result of the Maine  
23 Yankee inspection, we issued Generic Letter 9503, which  
24 basically documented the experience that Maine Yankee had.  
25 It pointed out that when one uses more sensitive probes such

1 as the plus-point and more advanced probes, that one will  
2 actually see degradation that one does not see using the  
3 more conventional probes, and indicated that when Maine  
4 Yankee went back and looked at a previous inspection result,  
5 what they found is that using the newer techniques that they  
6 had at that time -- I mean at the current outage from the  
7 previous outage -- they found that there were indications  
8 that they probably should called as cracks that they did  
9 not, and so we have through the Generic Letter asked the  
10 industry to make sure they go back and look at previous  
11 outage results and make sure they have not missed any  
12 indications that they originally thought might not be a  
13 crack.

14 We also see indications now at sleeves where they  
15 have been installed -- the way, for example, in a  
16 Westinghouse hybrid expansion joint sleeve, and there is an  
17 example here on the table I believe --

18 CHAIRMAN JACKSON: Oh, the --

19 MR. SHERON: Actually, if you feel it, you can  
20 feel -- if you run your hand down, you'll feel where the  
21 expansion is.

22 CHAIRMAN JACKSON: We'll look at it afterwards.

23 MR. SHERON: But again they are seeing cracks now  
24 in the parent tube, not in the sleeve but in the parent  
25 tube, where it was expanded. The way they put these in and

1 sealed them is they first go in and do a hydraulic expansion  
2 so they get the sleeve to just contact the parent tube, and  
3 then they go in with a hard roll device which actually rolls  
4 the sleeve and expands it into the parent tube, so there is  
5 sort of an expanded region where it is of larger diameter.

6 They are seeing cracks at these transition regions  
7 between the hard roll and the hydraulic expansion.

8 What is critical about that is where these cracks  
9 occur. If they are occurring in the lower part, then there  
10 is still a lip that exists so the tubes can't physically  
11 separate, but if these cracks occur above that, then there  
12 is no lip that will hold it in place and they could  
13 theoretically just slide apart.

14 Plants that are seeing that are Kewaunee, Point  
15 Beach and Cook. We have been in discussions with them.  
16 They have proposed criteria where some sleeves that exhibit  
17 these cracks, if they can convince us that the cracks are  
18 occurring below this lip so that there is still basically a  
19 lip to hold them in place, then they would propose to leave  
20 those tubes in service.

21 However, if they find the cracks go above this,  
22 then they would take them out of service either through  
23 plugging --

24 CHAIRMAN JACKSON: So at this point most of the  
25 sleeves are mechanical essentially?

1 MR. SHERON: Yes.

2 CHAIRMAN JACKSON: What about electro-sleeve?

3 MR. SHERON: Well, there are several different  
4 kind of sleeves right now under development by the industry.  
5 Westinghouse, for example, has been looking at a thing  
6 called a direct welded repair in which you put actually a  
7 small laser up in the tube and you basically melt the tube  
8 and remelt it and reform it right on the spot.

9 There is another one which you will see some  
10 examples there and which is a weld overlay, which you  
11 actually go in and put a weld overlay over the cracked  
12 region. That small sample down there, you'll actually see  
13 two cracks that were machined in and then you will see the  
14 overlay on the inside.

15 That is another possibility and then we also  
16 understand that there is an electro-plating proposal I think  
17 by Combustion -- I'm sorry, B&W.

18 Again we need to see -- none of these have really  
19 been used in service in any U.S. plant -- oh, no, I take  
20 that back, I'm sorry. I think there's a couple of them.

21 MR. STROSNIDER: The nickel-plating process has  
22 been used in Canada and anticipating that we will get that  
23 submitted, I think we're going to take a look at that and  
24 see how it is working.

25 MR. SHERON: But we have no submittal in-house yet

1 with regard to these advanced methods. The vendors are  
2 working on the process controls and implementing this, you  
3 know, field implementation of these techniques and making  
4 sure they have something that is inspectable, but we  
5 anticipate that we will see this in the near future.

6 MR. THADANI: In fact, yesterday we chatted about  
7 it a little bit. It turns out that at Pickering they have  
8 applied this and they have about a year and a half's  
9 experience roughly I think, but we are going to look into  
10 this further.

11 MR. SHERON: One of the problems, you know, why  
12 this hasn't been implemented widespread is that there is  
13 still process control problems. I think there are some  
14 examples in testing where they have actually burned through  
15 the tube when they have gone around with the laser, and then  
16 there is a question of how well you can reinspect it after  
17 you have, for example, a weld overlay. What does that show  
18 up as when you put the probe back through and so forth.

19 Next slide, please.

20 Free span cracking -- this is where one sees  
21 actually axial cracks -- in the free span, not in the  
22 vicinity of a tube support plate. Historically we have seen  
23 this at Palo Verde in what is called the arc region, which  
24 is actually the name of a region high in the tube sheet. It  
25 is the outer part of the steam generator, or you might want



1 to think of it as if the tubes are in an arc, in a circle,  
2 this is the outer region.

3 Then McGuire have seen it -- which were cold leg  
4 burnishing marks on the tubes. It was observed at ANO-2 in  
5 the Fall of '95, last year. They are still looking at the  
6 root cause. We haven't heard yet. They have seen it. It  
7 is in a different region than the Palo Verde cracks.  
8 However, I think for ANO-2 deposits may be a factor.

9 What is of concern about axial free span cracking  
10 is that if -- because if you look at the stresses involved a  
11 free span crack in the axial direction that is not  
12 constrained, say, by a tube support plate, will burst at a  
13 lower pressure than in, say, an equivalent type of  
14 circumferential crack and so these would be a real  
15 vulnerability compared to other types of cracks.

16 COMMISSIONER ROGERS: Have you seen those in any  
17 of the once-through vertical steam generators, axial cracks?

18 MR. SHERON: I'm not aware of any free span axial  
19 cracks in B&W steam generators at this point.

20 MR. STROSNIDER: I am getting word from my staff  
21 that --

22 MR. SHERON: Sorry about that. Don't want to  
23 mislead you. We'll dig up some more information on that.

24 COMMISSIONER ROGERS: Yes. It would be  
25 interesting to know whether there is any difference there of

1 the once-through vertical steam generators with respect to  
2 this axial --

3 MR. SHERON: Well, in general, the once-through  
4 steam generators seem to perform much better in terms of  
5 having fewer degradations and one of the reasons I  
6 understand is they have stress relieved the entire  
7 generator, okay? It was heat treated, so there's none of  
8 the residual stresses at these expansions.

9 Next slide, please.

10 One thing I do want to point out is while the tech  
11 specs at most plants, which were developed maybe back in the  
12 '70s, called for plugging when one exceeds a 40 percent  
13 through-wall. This has not ever prevented the industry from  
14 coming in and proposing different tech specs or alternative  
15 tech specs.

16 One of the reasons I think that the industry has  
17 not done this is that there was never an incentive to do it.  
18 Right now -- in other words, in order to go out and get the  
19 data necessary to properly characterize cracks, get growth  
20 rates, et cetera, to pull tubes out of steam generators is a  
21 very, very expensive thing to do.

22 The industry I'm sure from a cost benefit  
23 standpoint would say it wasn't worth it at the time, it was  
24 easier for me to plug the few tubes that I happened to find.

25 Now that they are seeing widespread degradation,

1 which is requiring substantial plugging, which could even  
2 impact the economic viability of a plant, there is much more  
3 incentive I think to get the appropriate data to develop  
4 alternative repair criteria. I wanted to point out we have  
5 never prevented the industry from proposing it. I just  
6 don't think there has been an incentive until recently.

7           Some of the implications of this, recent  
8 inspections have identified many more indications than were  
9 anticipated. What we are seeing is that when a plant now  
10 may go in and find a few indications on one outage, they'll  
11 go in the next outage and maybe find tens or maybe a couple  
12 hundred and then the next outage or two they are going to  
13 see thousands. So what you are really seeing is that this  
14 is a time-dependent phenomena, and it is as they go out in  
15 time they are moving the distribution -- you know, they are  
16 catching up with it.

17           MR. RUSSELL: One important safety aspect of that.  
18 While there is a distribution we are controlled by the tails  
19 of a distribution. That is, a few tubes that have  
20 significant cracking that might be a tube that you could  
21 have a spontaneous tube rupture at would be of concern or  
22 having just a few tubes crack, and so what Brian is  
23 describing where you typically see a few tubes that have  
24 crack-like indications on one outage, on the next outage you  
25 might see tens, the next outage maybe up to a hundred. We

1 are now seeing some cases where we are finding a few  
2 thousand with crack-like indications.

3 This is more than just a change in technology.

4 Corrosion is going on and it may have some time  
5 lag between when the chemistry, the conditions occur, et  
6 cetera. There may be some incubation period. There is some  
7 type of normal distribution associated with it and even some  
8 of these repair reliefs where we may provide some relief may  
9 only give relief for a cycle or two until more tubes catch  
10 up and you may have to then repair additional tubes, and so  
11 this issue is one until they understand the phenomena and  
12 what is causing it, it really is going to be one where it's  
13 just a period of time.

14 The issue that is very important is to make sure  
15 that the inspections that are done, that they carefully  
16 review them. These are very dependent upon human performance  
17 to look at these figures. They are done in an intense  
18 period of time. That is, when they are in an outage they  
19 want to review 10,000-15,000 tubes' worth of data, looking  
20 at the data with analysts -- two people checking it.

21 The human factors aspects of how they do these,  
22 with concerns for fatigue, et cetera, missing indications --  
23 our guidelines and our tech specs establish when a repair is  
24 necessary. If they don't do a quality job, if they miss  
25 indications, if they leave tubes in service that should have

1 been repaired, our requirements are performance-based. That  
2 is, tubes that don't meet the criteria are to be removed  
3 from service. If they are left in service and they operate  
4 with them, then they are in violation of the technical  
5 requirements.

6 We have not in the past taken enforcement for  
7 these. As a result, at Maine Yankee we put people on notice  
8 that we will be in the future. We have now started to take  
9 enforcement where people have missed prior indications and  
10 continued to operate.

11 CHAIRMAN JACKSON: Let me ask you two questions.  
12 One is technical and one has to do with what you just  
13 mentioned about enforcement.

14 I learned and saw in action that some licensees  
15 have a remote analysis and I guess including using the plus-  
16 point probe, which is the more recent type of probe. Is  
17 that an accelerating phenomenon, that more are going to  
18 that, and what are the implications of it relative to the  
19 issues you raised?

20 MR. RUSSELL: You can collect the signals on-  
21 site, digitize them and send them basically to wherever you  
22 wish to do the analysis. You can use computer screening  
23 techniques. You can do mappings to try and visually display  
24 what the phenomena looks like, but you are also typically  
25 back to looking at Lissajous figures, trying to decide what

1 is a signal and what is noise and what is not, and these are  
2 difficult.

3 So it also relates to growth rates, and if you  
4 look at one outage to the next and you map a particular  
5 indication of what you saw this time the next time, you find  
6 that there is a distribution associated with that and you  
7 will see some that appear to have negative growth rates and  
8 others that have very high growth rates.

9 We want to make sure that cracks are removed from  
10 services based upon what you are projecting the growth rate  
11 is so that you don't have a flaw that grows to the point  
12 where you could have a corrosion tube rupture.

13 CHAIRMAN JACKSON: I guess what I am really trying  
14 to get at is whether or not these off-line analyses, remote  
15 analyses, there is no gain necessarily one way or the other  
16 as opposed to the onsite?

17 MR. RUSSELL: No. In fact, it may be that where  
18 they send it that they are better set up to perform the  
19 analyses there than they would be onsite. Electronic  
20 information exchange in steam generator inspection is here  
21 and it's a reality today.

22 CHAIRMAN JACKSON: Okay.

23 MR. RUSSELL: It's no longer just keeping a  
24 magnetic tape of what your eddy current signals were and  
25 then sitting and re-looking at them. They are becoming

1 quite sophisticated.

2 CHAIRMAN JACKSON: Now you mentioned enforcement  
3 in steam generator tube integrity space. I mean this is  
4 just a question of using existing, our existing regulatory  
5 base and being more vigorous about it, or is there any  
6 change you are going to be proposing or considering in that  
7 regard?

8 MR. RUSSELL: We did that with the Generic Letter  
9 that we issued after Maine Yankee -- to put people on notice  
10 that they are in fact responsible and we had some concerns  
11 that some licensees may not be following current industry  
12 recommendations as it relates to conduct of inspections.

13 We don't specify what particular inspection to  
14 perform. We require that they detect flaws and, once  
15 detected, if they are greater than a certain size to repair  
16 them.

17 I don't wish to -- if someone were to have a flaw  
18 and they hadn't done an adequate job in looking at it and it  
19 were to rupture, the review after the fact if you will look  
20 at the prior records, that is not the time to discover it.  
21 You want them to review the records, identify the defect and  
22 take corrective action for it.

23 We gave them an opportunity with the Generic  
24 Letter and said go back and relook at your records. Make  
25 sure that you are not outside of your tech specs as it

1 relates to operability, that you have not in fact operated  
2 with defects left in service.

3           Some licensees did that and identified that they  
4 had some cases where they missed some indications. I have  
5 concern that there may be some facilities that are still in  
6 that category and we are pursuing that based upon some  
7 information that we received from EPRI last week that  
8 indicates that there may be a few plants that are continuing  
9 to operate where they may not be in conformance with their  
10 tech specs. We are following up on those plants on an  
11 individual basis.

12           CHAIRMAN JACKSON: So when you get into  
13 enforcement space, it has to do with the plant's knowingly  
14 operating outside of their tech specs, as opposed to missing  
15 something because of --

16           MR. RUSSELL: No.

17           CHAIRMAN JACKSON: I am trying to understand where  
18 the enforcement issue comes in.

19           MR. THADANI: I think one issue needs to be made a  
20 little bit clearer.

21           Clearly Appendix B calls for appropriate root  
22 cause and corrective action if you find a problem but here  
23 the issue on Maine Yankee when we issued the Generic Letter  
24 was once they had a significant problem and they went back  
25 and looked at prior data, they realized that they may have



1 made a mistake in some cases, so that was not knowingly  
2 leaving out some information.

3 But now that we have that information that those  
4 kinds of problems may have occurred other places, we wanted  
5 to make sure that the whole industry was basically put on  
6 notice. In the Generic Letter we identified this issue and  
7 our expectation from that Generic Letter was that the  
8 industry would go back, look at prior inspection data to see  
9 if they had some indications that they may have overlooked.

10 CHAIRMAN JACKSON: So the point is it's going  
11 forward from here.

12 MR. THADANI: Right. Exactly.

13 CHAIRMAN JACKSON: All right.

14 MR. STROSNIDER: Ashok, I might add something on  
15 what we are doing programmatically. In fact, we had a task  
16 group made up of regional people and some of my staff which  
17 have developed an enforcement guidance memorandum with  
18 assistance from the Office of Enforcement.

19 That is out for comment in the regions right now,  
20 and we expect to issue that shortly.

21 One of the things it does, one it forces us to do  
22 is decide what cases would merit enforcement and which  
23 wouldn't, and in fact the enforcement guidance memorandum  
24 has case studies and that sort of thing in it so that we  
25 decide what is appropriate and what's not appropriate.

1           It goes out to the industry when it is issued so  
2 we should have that out soon.

3           The other thing is in the development of the  
4 performance based rule. We are trying to be very conscious  
5 of the fact that we want to build enforceability into that  
6 rule because that would be working with a different  
7 framework than what we are currently working with.

8           CHAIRMAN JACKSON: Okay.

9           MR. STROSNIDER: Those are some of the things that  
10 are going on.

11           COMMISSIONER ROGERS: Do you have much information  
12 on how successful a licensee might be in re-analyzing those  
13 earlier probe results? I mean in Maine they had the early  
14 results but then they had the plus-point probe and then they  
15 could look and see -- aha, now, you know, knowing that there  
16 is a flaw there now with the better probe I can see that  
17 there is a little bend and a wiggle on a wiggle that maybe  
18 should have given me some suggestion.

19           MR. STROSNIDER: I would suggest that hindsight is  
20 almost 20/20 -- not quite. There are some indications  
21 obviously which were just too small to be detected and grew,  
22 but in many cases they are going back and seeing that they  
23 could pull them out using improved procedures or with  
24 increased sensitivity because they know there is something  
25 there.

1           MR. SHERON: One thing they did use at Maine was  
2 the thing called a terrain plot, which they did not use  
3 previously, and this makes it much clearer for the analyst.  
4 Here is an example -- if I could have backup slide number 9,  
5 that may help.

6           This will give you an idea of what an analyst has  
7 to see and use.

8           What you see at the top -- this is I think from a  
9 plus-point coil, so you are seeing the two orientations of  
10 the coils at the top. Those are the Lissajous figures that  
11 the analyst would see. Below is what is called a terrain  
12 plot and this is for a crack which is a circumferential --  
13 this is a machined in crack which has two components, two  
14 crack components.

15           You can see which one is easier to distinguish  
16 from a terrain plot versus a Lissajous figure, what you are  
17 dealing with.

18           MR. RUSSELL: The issue that I see from a policy  
19 standpoint, if the company is performing analysis and they  
20 are using gains which are not sufficient to detect the  
21 cracking, if they are not doing a high quality inspection,  
22 that is more or less a head-in-the-sand type of an approach.  
23 That is the type of case that I want to take to Enforcement.

24           If, on the other hand, there is an inspection  
25 excursion, I don't wish them to be penalized because they

1 have used a more sophisticated probe provided once they find  
2 the problem, they deal with it at that time. We are seeing  
3 some instances, though, where after you have identified the  
4 crack in the current inspection, and you go back and you  
5 look at it, and you see, well, that crack has been there all  
6 along -- it is not growing that rapidly and so you had a  
7 condition that was outside the tech specs. We need them to  
8 be reported. We may or may not take enforcement action but  
9 we need to understand whether these things are growing more  
10 slowly, whether they are growing more rapidly, to gather  
11 information, and there are explicit reporting requirements.

12 The fact that the plant shut down at the time that  
13 you do the inspection and therefore the generator is not  
14 required to be operable does not relieve the company of  
15 reporting if they previously operated at power outside of  
16 their tech specs, so that is an issue that we are currently  
17 dealing with.

18 MR. SHERON: Just to continue, some of the  
19 implications of going into these inspection transients is  
20 when they are not anticipated -- one is that there is  
21 sometimes nonavailability of repair materials, for example  
22 sleeves and the equipment necessary to go into the  
23 generators and do the sleeving.

24 If there is only a limited number of vendors and  
25 everybody is in a Spring or a Fall outage, these vendors may

1 be contracted elsewhere and doing work elsewhere so to try  
2 and get the equipment and everything moved from one site to  
3 another usually can put delays in terms of the restart  
4 schedule, which means that the outages sometimes go well  
5 beyond their planning horizon.

6 Then also it may require a mid-cycle outage which  
7 was not really planned or scheduled. For example, with  
8 Braidwood, they could not really justify going beyond five  
9 months of operation before they would have to shut down.  
10 This would have brought them down sometime around the  
11 beginning of June, which really kind of gave them some grief  
12 because that is the middle of their peak season,

13 They came in with the Byron tube pull data. They  
14 pulled 10 tubes out of the Byron plant and made a technical  
15 argument why they believed that Braidwood could run for at  
16 least nine months and get them through the summer, to  
17 September. We are evaluating that right now. I think their  
18 analysis looks pretty good, however we have to complete the  
19 review, but this is just an example of the kind of problems  
20 that occur when one goes in and finds this widespread  
21 degradation that was not planned on.

22 Next slide, please.

23 The cost of this, as I said before, the industry  
24 is focusing right now on developing alternative repair  
25 criteria. The Generic Letter 9505 was issued. This allowed

1 the voltage based repair for tubes that are in a  
2 Westinghouse generator which have the drilled hole tube  
3 support plates, and what it does is it allows cracks, axial  
4 cracks, to remain in service if they are within the confines  
5 of the tube support plate and they meet certain voltage  
6 limits from the eddy current probes.

7 The reason we can do this is we have now a  
8 database which correlates the voltage from the eddy current  
9 probe to a burst pressure. One can show that if the  
10 voltages remain below a certain value that the structural  
11 integrity is maintained.

12 One of the problems is that when we look at these  
13 alternative repair methods it takes a lot of Staff resources  
14 to look at a specific one and if everybody is coming in with  
15 their own little glitch for their plant we basically run out  
16 of resources to review them because everybody wants it done  
17 while the generator is down and they are in an outage and  
18 the like, and it is usually everything happens in the Spring  
19 and in the Fall.

20 Next slide, please.

21 I just talked about Generic Letter 95-05. We also  
22 went a step further for Byron and Braidwood. They had  
23 requested going to higher voltages for the ODSEC and the  
24 tube support plates and to justify that they proposed  
25 locking the tube support plates in place by expanding

1 certain tubes in the generator above and blow the tube  
2 support plates so the support plates physically could not  
3 move.

4 The concern was in a steam line break, the  
5 differential pressure loads across the tube support plates  
6 would flex them which would allow them to move and expose  
7 these cracks, these axial cracks, that were normally within  
8 the confine of the tube support plate. The concern was if  
9 these tube support plates flexed and then did not return to  
10 their original position and then one had an overpressure  
11 event between the primary and secondary, you would burst the  
12 tubes. So, by locking the tube support plates, this keeps  
13 the tube support -- this keeps the cracked region within the  
14 tube support plate at all times.

15 COMMISSIONER ROGERS: Doesn't this introduce a  
16 constraint, you know, overconstrained system problem here  
17 with respect to thermal expansion and things like --

18 MR. SHERON: Well, they were -- yes, yes, that was  
19 extensively looked at. The stresses that would be induced  
20 by this and it was all found acceptable.

21 MR. RUSSELL: It is also only being done on tubes  
22 that are plugged. We are not creating stress rises on tubes  
23 that are being rolled to lock the support plate in service  
24 or tubes that are removed from service. So they are just  
25 being used as tie rods, essentially, not as heat transfer

1 media.

2 MR. SHERON: Several licensees have indicated the  
3 desire to leave certain cracks in service, however we have  
4 told them that they need to provide a database to  
5 substantiate this. None have really been able to do that so  
6 far. Basically what they can tell us is that they can size  
7 these cracks and they understand the growth rates and, to do  
8 that, you need a database. EPRI is actively working right  
9 now to try and develop such a database and correlations and  
10 the like.

11 We just recently had a workshop on steam generator  
12 tube integrity. We discussed the regulatory criteria,  
13 industry practices. This was held in Charlotte, North  
14 Carolina, where the EPRI NDE center is. And, as Jack said,  
15 we discussed enforcement guidance and this was -- this  
16 workshop was attended by all of the regions, the inspectors  
17 as well as their supervisors that are responsible for the  
18 steam generator area.

19 We had representatives, I believe, Chairman, your  
20 staff was represented, the EDO staff, AEOD and the ACRS also  
21 had representation at the workshop. There were about 40  
22 people there.

23 MR. THADANI: That was Office of Research as well.

24 MR. SHERON: I'm sorry, Office of Research as  
25 well. They gave presentations on the research program.



1           Ashok has already told you about the steam  
2 generator rulemaking. I don't -- for the sake of time, I  
3 think I can skip on that.

4           CHAIRMAN JACKSON: Well, before you skip, when you  
5 are talking about performance criteria, performance-based?

6           MR. SHERON: Yes.

7           CHAIRMAN JACKSON: And this goes back to some of  
8 the earlier discussions. How dependent on that is that on  
9 qualified, whatever that means, NDE techniques?

10          MR. SHERON: That is part of -- yes. In other  
11 words, it is a combination, okay, of making sure that one  
12 uses qualified methods when one applies it to meet the  
13 criteria.

14          CHAIRMAN JACKSON: And so that is going to be  
15 included in --

16          MR. SHERON: That will be basically, I believe, in  
17 the reg guides. Is that correct?

18          MR. STROSNIDER: Yes. The need for reliable NDE  
19 methods is emphasized in the words of the rule but the  
20 regulatory guide also gives a lot of detail on how to  
21 qualify methods.

22                 Again, we are not trying to be performance-based,  
23 so you can qualify any method you want. But you have to  
24 have certain statistics with real defects and that sort of  
25 thing.

1           It is also possible, however, to use, and since  
2 you are testing your tube pools where you don't have a  
3 qualified method, to look at the end of cycle and say, we  
4 still have margin here. And that is a lot of what is going  
5 on today and, unfortunately, until the industry can build up  
6 a large enough database or qualify inspection methods, that  
7 may be something that has to continue.

8           CHAIRMAN JACKSON: So what you are saying is that  
9 your reg guide will talk about how to qualify inspection  
10 methods?

11           MR. RUSSELL: Exactly, yes.

12           MR. SHERON: And the industry is developing their  
13 own guidance document which we are working with them, we are  
14 reviewing it. It is hoped that it will be found acceptable  
15 such that perhaps we could reference it in the reg guide as  
16 an acceptable guide.

17           COMMISSIONER ROGERS: The emphasis there is on the  
18 methods that have to be used to qualify the NDE technique  
19 rather than specifying the NDE technique themselves.

20           MR. RUSSELL: That's correct. The hierarchy would  
21 be the rule would establish the objectives, the structural  
22 integrity criteria, et cetera, and require inspection. The  
23 regulatory guide would identify how you qualify so that a  
24 vendor could qualify his particular probes or could be done  
25 by a utility.

1           We would expect the reviews against that  
2 regulatory guide could take the form of topical reports.  
3 And so, as a new type of degradation is identified, you may  
4 come up with a new inspection technique to look for that  
5 degradation and we see the two being done together. But  
6 with the systematic process very similar to the process we  
7 used for Westinghouse for outside diameter stress crossing  
8 cracking which we have now gone out with the generic letter  
9 and approved.

10           So we would like to take and institutionalize that  
11 process and do it through rulemaking.

12           COMMISSIONER ROGERS: It is very important that we  
13 not lock the technology into an archaic system.

14           MR. RUSSELL: We would also like to encourage  
15 improvements in NDE techniques so that where you improve the  
16 capability and sizing and characterizing a flaw, that would  
17 allow you to potentially leave a flaw in service for a  
18 longer period of time before it gets to the point where it  
19 must be repaired to ensure structural integrity.

20           CHAIRMAN JACKSON: Isn't that somewhat also true  
21 in terms of leakage monitoring? I mean, isn't there some  
22 variability in the industry in terms of how that is done?

23           MR. RUSSELL: Yes.

24           CHAIRMAN JACKSON: And so you are going to kind of  
25 try to treat this in an analogous --

1 MR. THADANI: Yes. Leakage monitoring is a very  
2 important part of this activity as well. You are quite  
3 correct, that a variety of methods are used today. Some of  
4 them are much more effective than others.

5 MR. RUSSELL: It is important both prior to an  
6 event and it is also important to assist the operators in  
7 responding to an event to identify the faulty generator  
8 because it makes a difference as to what you do in your  
9 emergency procedures as to which generator actually has the  
10 fault or the leakage.

11 MR. SHERON: I think again for the sake of time, I  
12 will skip to slide 21.

13 [Slide.]

14 MR. SHERON: Once we have the draft rule and it  
15 has gone through the internal review in the CRGR process, we  
16 would issue it for public comment and then, which is kind of  
17 a standard procedure, we would then take the public  
18 comments, incorporate them as appropriate. We would go back  
19 through CRGR and then issue the final rule.

20 I do want to point out that one of the key aspects  
21 of the rule that we were just talking about in terms of  
22 specifying, for example, the statistics needed, the  
23 database, et cetera, it is not clear that even if we did  
24 have the rule in place today that there would be any great  
25 additional benefit that would be seen. The reason is that

1 one wants to use it for these other forms of degradation  
2 that we are seeing and to develop alternative methods.

3 The biggest one right now that is of concern is  
4 circumferential cracks. The industry is not yet there in  
5 terms of having a database and a correlatable method, I  
6 guess, for predicting circumferential crack sizes and growth  
7 rates. So while, if we did have the rule in place it would  
8 certainly provide the framework against which we would  
9 expect such correlations and databases to be developed, they  
10 are still not there yet.

11 CHAIRMAN JACKSON: Given that, where does that  
12 leave us in the space having to do with alternative repair  
13 criteria?

14 MR. SHERON: Well, right now, the only alternative  
15 repair criteria that is approved would be for the voltage  
16 based, for the Westinghouse steam generators. We are also  
17 on the verge of, I think, approving for like Kewaunee, the  
18 sleeves. Remember, I talked about the cracking of the  
19 parent tubes?

20 MR. STROSNIDER: I think the current regulatory  
21 framework allows for licensees to propose alternate repair  
22 criteria to be reviewed and approved and typically require  
23 an amendment to the technical specifications. The idea of  
24 the rule is that the industry would be able to do that on  
25 their own within the framework of this rule as long as they

1 satisfy the performance criteria. All right, so from the  
2 regulatory process point of view there is a difference.

3 I think the point that Brian wanted to make is  
4 that there is no immediate solution to the problems. It  
5 still requires developing the same sort of database and the  
6 same sort of reliability in the NDE methods before you can  
7 go implement it.

8 The challenge we have is, in the framework of the  
9 rule, drawing a box around what the industry can do on their  
10 own, such that we are comfortable with it and not making it  
11 prescriptive. So you will see things like, if you want to  
12 use a correlation of some NDE parameter versus burst  
13 pressure, in order to demonstrate that it is correlation, it  
14 has to meet some statistical test of the right P factor.  
15 Again, you have to consider uncertainties in the correlation  
16 parameters. That is the sort of guidance we are given in  
17 the reg guide. We are trying to put boundaries on it such  
18 that they would be able to go do those things and once they  
19 have an adequate database that satisfies that they could  
20 implement it.

21 But in the current regulatory framework people can  
22 propose and we can review and approve ultimate criteria.

23 MR. SHERON: In fact, it is the case-by-case  
24 review that is really consuming resources right now.

25 This would take the staff out of the critical path

1 for implementing this. Once the industry has -- as Jack  
2 said, once they have done their homework and developed the  
3 stuff in accordance with the criteria, they could implement  
4 it and then we would follow up with inspection, okay? But  
5 we would not be on a critical path for them to use it.

6 CHAIRMAN JACKSON: But my understanding is from  
7 your second bullet that, in fact, there is a lead lag time  
8 here in terms of the techniques and the databases being in  
9 place to --

10 MR. STROSNIDER: Most definitely and I think it  
11 creates somewhat of a dilemma for the industry and everyone  
12 else. Typically what you see is, in the advances in any  
13 current method, the detection sensitivity is achieved before  
14 the ability to size, to size the defects. So when you try  
15 to develop criteria for leaving defects in service it is  
16 very difficult and, at this point, most of them are being  
17 taken out of service because they don't have a database or a  
18 qualified method.

19 MR. RUSSELL: Let me illustrate with one other  
20 example. When we were doing the outside diameter stress  
21 corrosion cracking and you are looking at axial cracks  
22 within a support plate, if you pulled a tube, you might get  
23 three or four intersections and you might be able to see  
24 several axial cracks within that one-inch space because they  
25 would be radially spaced around it, so you could pull one

1 tube and you could get quite a bit of data.

2 If, on the other hand, you are only looking at one  
3 location and it is a relative narrow roll transition at the  
4 top of the support plate, you may spend a half a million  
5 dollars to pull one tube and get one data point. And so the  
6 cost of generating the data and having different generators  
7 that you use the data, et cetera, and filling in this  
8 database is not insignificant. Just the setup alone to pull  
9 the tube. So if it is a rolled tube, it is not as easy to  
10 drill the support plate, pull the tube out and not damage it  
11 in pulling it.

12 So there are a number of issues that make the  
13 circumferential cracking problem harder and more expensive  
14 to gather sufficient data to justify leaving them in and  
15 that is one of the things the industry is saying now. And  
16 so when they are in a critical path outage, if they have got  
17 a short outage planned, they don't want to take time to go  
18 in and pull tubes to support an industry database. They may  
19 choose to just repair their tubes and go on and, well, the  
20 next guy will pull the tubes. We are now starting to see a  
21 change where licensees are starting to pull a few more tubes  
22 and develop the database to support EPRI coming in with some  
23 correlations. Unfortunately, the early results don't show  
24 good correlation between sizing and signals.

25 CHAIRMAN JACKSON: Let me ask two questions. Tell



1 me a little more about your schedule for the rulemaking and  
2 you talked about the reg guide. My assumption is that your  
3 plan is to have that track with the rule itself?

4 MR. THADANI: Absolutely, yes.

5 CHAIRMAN JACKSON: Okay, and what -- you talk  
6 about enforcement guidance accompanying. What about  
7 inspection guidance, since then we are over to a big part of  
8 our monitoring the implementation has to do with our  
9 inspection but you say that but I don't hear inspection  
10 guidance specifically referenced?

11 MR. THADANI: No, certainly when we go to CRGR for  
12 the review, the more important piece they would want to  
13 focus on is going to be actually what is the agency going to  
14 do so the inspection guidance has to be part of that. We  
15 have to lay out what we are going to do as well.

16 So, but the stuff we must get out because there is  
17 a lot of time involved is proposed rule and proposed  
18 regulatory guide for public comment period.

19 CHAIRMAN JACKSON: What is your schedule for this?

20 MR. THADANI: We are currently assessing the  
21 impact on the schedule. You have indicated in your tracking  
22 issues list that this is scheduled in September but, quite  
23 frankly --

24 CHAIRMAN JACKSON: You may not be ready?

25 MR. THADANI: That's right. That's right. And we

1 need to really lay out a clear basis as to what we can  
2 achieve, what we cannot achieve.

3 Now, I, again as Bill was saying earlier, we want  
4 to get this rule out as early as we can.

5 CHAIRMAN JACKSON: Right, but you have to do it  
6 the right way.

7 MR. THADANI: We want to do it the right way.

8 CHAIRMAN JACKSON: So let me just say the  
9 following. You're right, it is in September but what we  
10 need is, because of the importance of it and the need for  
11 you to think this through, is for you to come back, come  
12 back, but we want a date from you as to when you think you  
13 can come back and give us a revised schedule.

14 MR. THADANI: Absolutely. We are going to be  
15 preparing a paper. What we are currently doing is going  
16 through each issue, trying to see when information would be  
17 available and what would it take to finish up, including the  
18 interactions that we have to make sure we have with other  
19 sections of the agency and we will be sending you a paper  
20 that will lay out all of these issues and --

21 CHAIRMAN JACKSON: How soon?

22 MR. THADANI: -- like a basis for the paper.

23 CHAIRMAN JACKSON: How soon?

24 MR. THADANI: I think that paper we talked about  
25 getting out in May.

1 CHAIRMAN JACKSON: So this is the new date?

2 MR. THADANI: To get a paper up to you, that will  
3 give you the schedule, right. And because there are some  
4 uncertainties --

5 CHAIRMAN JACKSON: I understand.

6 MR. THADANI: -- we are trying to get a better  
7 understanding of that.

8 CHAIRMAN JACKSON: The point is I am -- the point  
9 is not to force you to do something that is not careful  
10 because you have a lot to do in putting it all together. It  
11 is a very sensitive issue, important as we have been talking  
12 about for the last two hours. So it has to be done right  
13 when it is done.

14 At the same time, it is important to have some  
15 sense of how things are going to come along. So this is the  
16 bargain. We will leave it as September and put a note about  
17 this paper and then when we get that we can move the date  
18 appropriately.

19 MR. RUSSELL: It is also important to recognize if  
20 we have another fall like we had last fall, or spring, we  
21 end up with a lot of case-by-case activity in kind of a  
22 crisis mode --

23 CHAIRMAN JACKSON: And that impacts your  
24 resources.

25 MR. RUSSELL: -- and that impacts our ability to

1 work on generic issues if we are fighting fires.

2 CHAIRMAN JACKSON: Absolutely.

3 MR. RUSSELL: If that occurs, we will just have to  
4 keep you informed as to what has happened.

5 CHAIRMAN JACKSON: But at least you can have a  
6 schedule that shows the timeline for the activity that can  
7 be ongoing. It is just important because it is something  
8 that, as you can imagine --

9 MR. RUSSELL: I agree.

10 CHAIRMAN JACKSON: -- the industry is very  
11 concerned about and people are concerned about and they come  
12 to the Commission about these things.

13 MR. RUSSELL: Yes.

14 CHAIRMAN JACKSON: Are there any particular  
15 comments that you want to make about the NEA steam generator  
16 workshop?

17 MR. SHERON: Only that I think it was very  
18 successful. I think it showed that this is not just a U.S.  
19 concern but it is an international one, based on the number  
20 of participants and the number of countries that attended  
21 and I think the major conclusion sums it all up which, what  
22 we have been saying, I think most of the foreign  
23 participants agree and that is that we have to get more data  
24 in order to develop these alternative methods of allowing  
25 tubes to remain in service if they do have a degradation.

1           We do plan, through NEA, to sponsor these  
2 workshops about every two years and I think everybody was  
3 enthusiastic and thought that was the appropriate time  
4 frame.

5           So, with that --

6           MR. RUSSELL: Just a general comment on  
7 international activities as it relates to steam generators,  
8 this is probably an area where the NRC has benefitted  
9 significantly from both multinational and bilateral  
10 exchanges, particularly some of the information that we  
11 received from the French, we have had teams go over and  
12 review that data. This has been going on.

13          MR. THADANI: And Belgium.

14          MR. RUSSELL: And Belgium as well. But with other  
15 countries.

16          The NEA activities are very beneficial, I think,  
17 because it allows the regulators to get together and  
18 understand what are the differences in approach and reasons  
19 for them and it has been an exceptionally valuable part of  
20 our international exchange because there are more  
21 pressurized water reactors operating overseas than there are  
22 in the U.S. and many of them are U.S. designs using alloy  
23 600. So the operating experience aspects of it are very  
24 important. So it is one that we want to continue to  
25 encourage and I think whether it is through vehicles such as

1 NEA or bilateral, we need to keep in tune with our  
2 counterparts overseas as to what they are observing and  
3 seeing.

4 CHAIRMAN JACKSON: I agree with you completely.  
5 Commissioner Rogers, anything further?

6 COMMISSIONER ROGERS: Well, we've been at it about  
7 two hours here. It's been a very good briefing and I think  
8 very helpful.

9 Just one small point and that is that we didn't  
10 talk very much about preventative measures, particularly the  
11 water chemistry situation. I know it is a matter of  
12 considerable interest and concern but I am a bit concerned  
13 that once we get into a mode and the industry gets into a  
14 mode such as it is now that the big issue is detecting  
15 cracks, measuring cracks, being able to deal with some  
16 mitigative features of repairing steam generators, the  
17 emphasis on the preventative end of things may start to drop  
18 away.

19 It is obviously very important but the focus will  
20 be on how do we keep going making repairs and there should  
21 be a continuing effort to try to find methods to prevent the  
22 formation of these cracks. I didn't hear very much about  
23 that, although it is in your briefing --

24 MR. STROSNIDER: Yes, I would make two comments in  
25 that regard. First is that the industry does have extensive

1 programs through EPRI looking at water chemistry and  
2 preventive measures. Personally, I think that will continue  
3 because they have a large economic incentive. I think that  
4 is what will drive them. They don't want a forced outage,  
5 they don't want to plug tubes if they can avoid it. And  
6 that gets back to water chemistry.

7 The second comment, and we didn't go into any real  
8 detail on it, but in the steam generator rule, we explicitly  
9 call out a need for the licensee's program to include  
10 preventive measures and in the reg guide we don't specify  
11 what the water chemistry needs to be but we specify that  
12 there needs to be a water chemistry program and that it  
13 needs to identify proper parameters and monitoring systems,  
14 et cetera.

15 So, again, trying to put in a performance-based  
16 framework, encourage it. And I think the industry won't  
17 lose sight of that because they have a real financial  
18 incentive.

19 MR. THADANI: Right. And I think, in fairness,  
20 EPRI and others are doing really first class work in many  
21 areas, including we went through the issue of monitoring and  
22 instrumentation issue fairly quickly here. But EPRI has  
23 sent out guidelines to the industry which are fairly --  
24 fairly tight including an evaluation of various monitoring  
25 systems and their effectiveness and so on so they are

1 actually -- I think in many areas they are being proactive,  
2 at least now.

3 CHAIRMAN JACKSON: Commissioner Dicus.

4 COMMISSIONER DICUS: Just a couple comments.

5 Certainly it has been extremely helpful briefing  
6 to me. My knowledge on steam generator tubes has been  
7 rather limited and fairly specific to implications in  
8 accident scenarios and previous responsibilities, so I thank  
9 you very much. It was very helpful. The exhibits were  
10 good, too.

11 CHAIRMAN JACKSON: I want to thank you for what  
12 has been a very informative and complete briefing. I just  
13 encourage you to continue proactively in as timely a manner  
14 as you can and we look forward to getting this paper with  
15 your plans because I think, you know, I was looking back at  
16 some SECYs that predated me. It is an area where the ground  
17 is shifting as we speak. At the same time, we want to come  
18 to some concurrence on this. Mr. Russell said some of the  
19 basic regulatory issues, as soon as we can and then a lot of  
20 the rest is going to depend -- and I encourage you to  
21 continue working with industry.

22 I mean, there are two pieces to it. One has to do  
23 with the regulatory framework obviously and that is what our  
24 concern is but, given the safety and the engineering and the  
25 financial significance of what we have been talking about, I



1 mean it is a challenge for the industry and one that I would  
2 hope that they would redouble their efforts to take up.

3 So, again, I guess we can finish looking at  
4 Exhibits A through -- I counted them -- J.

5 Thank you. We are adjourned.

6 [Whereupon, at 11:52 a.m., the briefing was  
7 concluded.]

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

This is to certify that the attached description of a meeting of the U.S. Nuclear Regulatory Commission entitled:

TITLE OF MEETING: BRIEFING BY STAFF ON STEAM GENERATOR  
ISSUES - PUBLIC MEETING

PLACE OF MEETING: Rockville, Maryland

DATE OF MEETING: Tuesday, February 27, 1996

was held as herein appears, is a true and accurate record of the meeting, and that this is the original transcript thereof taken stenographically by me, thereafter reduced to typewriting by me or under the direction of the court reporting company

Transcriber: Rosalie L. Heron

Reporter: Michael Paulus

# **Steam Generator Tube Integrity**

**February 27, 1996**

**Ashok C. Thadani, Associate Director  
for Technical Review  
Office of Nuclear Reactor Regulation**

**Brian W. Sheron, Director  
Division of Engineering, NRR**

## Outline

- Importance of Steam Generator Tube Integrity
- Approach for Addressing Tube Integrity
- Tube Inspections
- Examples
- Implications
- Short Term Regulatory Actions
- Steam Generator Rulemaking
- NEA Steam Generator Workshop

## Importance of Steam Generator Tube Integrity

- Steam generator (SG) tubes constitute a significant portion of the reactor coolant pressure boundary (RCPB)
- Loss of SG tube integrity has important safety implications:
  - ▶ Small LOCA bypassing containment
  - ▶ Additional failures of mitigating systems could lead to direct release of significant radioactive fission products

## Importance of Steam Generator Tube Integrity (cont'd)

### Regulatory Requirements

- Design and Operating Requirements
  - ▶ General Design Criteria; 10 CFR Part 100 Guideline Values
  - ▶ Technical Specifications:
    - Inspection and Repair Criteria; Leakage Limits; Activity Limits
- Present technical specifications (TS) developed about 20 years ago when prevalent forms of degradation were wall thinning and wastage
- TSs do not reflect either current degradation modes or inspection technology and are inappropriate for some forms of degradation

## Importance of Steam Generator Tube Integrity (cont'd)

- Previous studies (NUREG-0844)
  - ▶ Acceptable level of risk
    - Spontaneous tube rupture
    - Consequential tube failure
- New degradation modes
- If a severe accident produces conditions under which degraded tubes can fail, significant radiological releases may occur

## Approach for Addressing Tube Integrity

- Staff is developing a risk informed/performance based approach to address steam generator tube integrity
- Safety goals subsidiary objectives
  - ▶ Core damage frequency
  - ▶ Containment performance (potential for containment bypass)
- Key elements
  - ▶ Frequency of spontaneous tube ruptures
  - ▶ Probability of tube rupture
    - Postulated accidents (e.g., steamline break)
    - High pressure/temperature severe accident sequences



## **Approach for Addressing Tube Integrity (cont'd)**

- Need better understanding of safety significance of high temperature challenges
  - ▶ Frequency of relevant sequences (IPEs, PRAs, design factors)
  - ▶ Thermal hydraulic analyses to develop pressure/temperature profiles
  - ▶ Material engineering (RCPB response)
  - ▶ Flawed tube failure probability
- Outcome will ensure compliance with General Design Criteria and defense-in-depth consistent with desired level of safety

## **Approach for Addressing Tube Integrity (cont'd)**

- Industry and the NRC are addressing tube integrity
  - ▶ Industry is developing degradation specific management proposals for ensuring tube integrity
  - ▶ Staff is developing a rule and associated regulatory guide
  - ▶ Staff and industry are interacting on tube integrity issues
    - Industry hesitant on incorporating severe accident issues in rule and regulatory guide

## Tube Inspections

- Inspection technology has continually been improving
  - ▶ Improved technology (probes, software)
  - ▶ Improved data analysis criteria
- Inspections using improved technology generally result in detecting degradation earlier
  - ▶ Unless structural significance of these indications can be quantified, licensees must plug or repair all indications per depth-based repair criteria
- Recent inspection results indicate that stress corrosion cracking continues to be dominant degradation mechanism

## Examples

- Circumferential cracking

- ▶ Several large circumferential indications detected this fall
  - ANO-2, Braidwood, Sequoyah, Salem
  - Tubes with circumferential indications are plugged or repaired
- ▶ Mid-cycle inspections may be necessary

## Examples (cont'd)

### ○ Dent inspections

- ▶ Axial primary water stress corrosion cracking (PWSCC) and/or circumferential cracking has been found at dented intersections at a number of plants
  - Diablo Canyon, Sequoyah, Salem
- ▶ Prior to this fall, North Anna was only plant which had experienced this phenomenon recently
- ▶ Axial PWSCC found at intersections with small magnitude dent signals

## Examples (cont'd)

### ○ Sleeve joint cracking

- ▶ As a result of GL 95-03 and recent industry experience, industry has been performing more extensive inspections (plus-point, Cecco)
- ▶ Indications being found at B&W kinetic sleeves and Westinghouse hybrid expansion joint (HEJ) sleeves
- ▶ Long term integrity of sleeved tubes continues to be an issue
- ▶ Alternate repair criteria are being proposed for Westinghouse HEJ sleeves
  - Kewaunee, Point Beach, Cook

## Examples (cont'd)

### ○ Free span cracking

- ▶ Historically observed at Palo Verde (arc region) and McGuire (cold leg manufacturing burnishing marks)
- ▶ Observed at ANO-2 in fall 1995
  - Root cause is still being investigated
  - In different region than Palo Verde cracks; however, deposits are believed to be a contributing factor
- ▶ Point Beach and Farley have also detected a limited number of free span indications

## Implications

- Option to propose alternate tube repair criteria exists
- Recent inspections have identified many more indications than were anticipated. Some utilities were not prepared for large tube repair campaigns
  - ▶ Unavailability of repair material/equipment
  - ▶ Outages extended well beyond planning schedule
  - ▶ Mid-cycle outages may be necessary



## Implications (cont'd)

- Recent trends have resulted in industry focusing on development of alternate repair criteria
  - ▶ Outside diameter stress corrosion cracking at tube support plates (e.g., Generic Letter 95-05)
  - ▶ Supporting data base is essential
- Expenditure of staff and industry resources to assess tube integrity and to develop alternate repair criteria
  - ▶ Time-frame for reviews is sometimes very limited

## Short Term Regulatory Actions

- Generic Letter 95-05 permits axial cracks to remain in service provided
  - ▶ Cracks located within region where the tube passes through the tube support plates (TSPs)
  - ▶ Eddy current voltages remain below specified values
  - ▶ Conditional probability of tube burst remains below a specified value during next operating cycle
  - ▶ Other structural and leakage integrity concerns are satisfied
- Staff recently approved a modification to GL 95-05 which permits higher eddy current voltage indications to remain in service
  - ▶ Involves locking of the TSPs in place

## Short Term Regulatory Actions (cont'd)

- Generic Letter 95-03
  - ▶ Highlighted significance of using appropriate inspection technology
- Several licensees have indicated desire to justify leaving certain circumferential cracks in service
  - ▶ Staff has indicated that it will not entertain such proposals unless adequate data base exists (i.e., an adequate technical basis)
- NRC workshop on steam generator tube integrity
  - ▶ Regulatory criteria
  - ▶ Industry practice
  - ▶ Inspection and enforcement guidance

## Steam Generator Rulemaking

- Staff is developing risk informed/performance-based rule to address numerous shortcomings with current regulatory framework. Rule to require:
  - ▶ Development/implementation of a SG program
  - ▶ Monitoring tube condition against accepted performance criteria to ensure tubes can perform safety functions
  - ▶ Corrective action when performance criteria exceeded
- Rule to contain high level performance criteria on
  - ▶ Structural integrity of tubes
  - ▶ Primary-to-secondary leakage monitoring
  - ▶ Accident dose consequence evaluations

## Steam Generator Rulemaking (cont'd)

- Accompanying Regulatory Guide to contain specific guidelines on performance criteria and on meeting performance criteria
  - ▶ Condition monitoring assessment - assessing as found tube condition against structural and leakage criteria
  - ▶ Operational leakage monitoring, limits, and response
  - ▶ Radiological dose assessment

## Steam Generator Rulemaking (cont'd)

- Regulatory Guide to contain guidelines on other related areas of the required SG program
  - ▶ Severe accident risk assessment (depending upon results of ongoing risk studies)
  - ▶ Operational assessment - assessing tube integrity for next operating cycle
  - ▶ Preventive measures that should be developed/implemented including secondary water chemistry, loose parts control and measures to mitigate active degradation mechanisms
  - ▶ Tube inspection and repair criteria
  - ▶ Corrective actions
- Regulatory Guide may reference industry documents

## **Steam Generator Rulemaking (cont'd)**


- Schedule for issuance of the draft SG rule for public comment
- Even if the rule were in place today, benefits would be minimal because the industry has not yet developed structural and leakage integrity data bases and qualified NDE techniques for all forms of degradation
- Industry implementation of rule will be monitored through inspection activities
- Accompanying enforcement guidance to be developed


## NEA Steam Generator Workshop

- Hosted by NRC/RES in Chicago, Illinois from 30 October to 2 November
- ~ 100 participants from 15 countries including regulators, utility personnel, vendors, and R&D personnel
- Exchange of information on:
  - ▶ Degradation mechanisms
  - ▶ Inspection technology
  - ▶ Tube integrity evaluations
  - ▶ Preventive/corrective measures
  - ▶ Operations and risk assessment
- Major conclusion: More data from examination of tubes removed from service are needed
- NEA proposes to sponsor SG workshops approximately every 2 years



# EXAMPLES OF SG TUBE DEGRADATION MECHANISMS





United States Causes of Steam Generator Plugging