

ORIGINAL
OFFICIAL TRANSCRIPT OF PROCEEDINGS

OPEN SESSION

Agency: Nuclear Regulatory Commission
Office of Enforcement

Title: Management Meeting with Duke
Power Company

Docket No.

LOCATION: Clover, South Carolina

DATE: Wednesday, January 31, 1990

PAGES: 1 - 56

ANN RILEY & ASSOCIATES, LTD.

1612 K St. N.W., Suite 300

Washington, D.C. 20006

(202) 293-3950

9003090524 900223
PDR ADOCK 05000269
T FDC

COPY 6 OF 7

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

OFFICE OF ENFORCEMENT

-----X

In the Matter of: :

MANAGEMENT MEETING :

WITH DUKE POWER COMPANY :

-----X

OPEN SESSION

Catawba Nuclear Station

Catawba Branch of the National

Academy of Nuclear Training

Classroom No. 4

Clover, South Carolina

Wednesday, January 31, 1990

The above-entitled matter commenced at 10:58 o'clock
a.m., pursuant to notice.

PARTICIPANTS:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

- JAMES LIEBERMAN, NRC/Office of Enforcement
- STEWART D. EBNETER, NRC/Regional Administrator
- RICHARD P. ROSANO, NRC/Office of Enforcement
- GEORGE R. JENKINS, NRC/Enforcement and Investment
Coordination Staff, Region II
- CHARLES HEHL, NRC/Deputy Director Projects
- KAHTAN N. JABBOUR, NRC/Catawba Project Manager
- HAL B. TUCKER, Duke Power Company
- ROBERT L. GILL, Duke Power Company
- TONY B. OWEN, Duke Power Company
- MICHAEL TUCKMAN, Duke Power Company

P R O C E E D I N G S

[10:58 a.m.]

1
2
3 MR. LIEBERMAN: Good morning. This meeting is being
4 held today at the request of Duke Power Company by a letter
5 dated January 10th, 1990. They requested the meeting to
6 discuss two enforcement cases, EA-89-151 and EA-89-178. Both
7 of these are proposed civil penalty cases.

8 Since we've already put the proposed cases in the
9 public record, it's appropriate in accordance with our practice
10 to transcribe this meeting so that if there's information
11 that's relevant to making the final enforcement decision on the
12 cases, we'll have a record of that.

13 In due course, we'll put the transcript in the Public
14 Document Room after we've reviewed them to make sure there's no
15 safeguards information. So with that, Mr. Tucker, we look
16 forward to hearing your concerns.

17 MR. TUCKER: Thank you.

18 I'm Hal Tucker, vice president of Nuclear Production
19 for Duke Power Company. Let me say, I appreciate your
20 responding to our request by giving us the opportunity to
21 discuss these two cases with you.

22 First I would like to address the incident involving
23 the auxillary feedwater pump turbine at Catawba Nuclear
24 Station. Really, I've got two objectives in this discussion.
25 One is I want to clarify any misunderstandings that may exist

1 in your mind as to what transpired during the week in question
2 relative to the auxillary feedwater pump turbine event to
3 assist you when you evaluate my request that will be submitted
4 in written form in which I will specifically request mitigation
5 of the civil penalty.

6 We will submit a written response. It will have all
7 the detailed information in it but I'd like to provide you some
8 comments that kind of put that in perspective. It may not be
9 quite that clear just reading the written report and that was
10 the purpose of having this discussion. Then another point I
11 would like to make beyond that is discuss what I see as a
12 weakness in the enforcement policy in terms of practice, using
13 the process of determining enforcement. So we will address
14 that after we've talked about the specifics on this event. By
15 the way, that particular point will be applicable to both of
16 the issues that we're talking about.

17 Now in reading the notice of violation, there are
18 several key issues that stand out which led me to believe that
19 they are some misunderstandings relative to this event and I'm
20 not sure how those misunderstandings came about but I would
21 like to clear them up. First, it's implied that we placed the
22 Unit II auxillary feedwater pump turbine in service while still
23 having concerns as to its operability. That's a little bit
24 more than implied. It's actually stated in the report. It's
25 also implied that we took little action to ensure a thorough

1 understanding of this event and it's those two main issues that
2 I want to clear up.

3 Let me begin by saying we in our written response,
4 are not going to deny the violation. When we looked at the
5 violation in its total context and we are not going to deny the
6 violation but I think in putting it in perspective, we want to
7 make some specific points relative to the violation.

8 First, in the beginning when this event initiated, it
9 was associated with surveillance tests on the pump. In that
10 process of going through the sequence of events we were outside
11 our normal procedural manner of handling these things and
12 that's understood, I think, by both of us in the beginning. We
13 went through the process and as our report will reflect, there
14 were three occasions in attempting to start the turbine that it
15 did not run. It tripped out. Then the fourth time was
16 successful.

17 Now, in the investigation and report and our previous
18 discussions, it was pointed out that normally when we had a
19 malfunction of something like that, we would use our work
20 request process and our maintenance and we failed to do that
21 and that was a part of our earlier discussions. The
22 determination made by the individuals involved at that time,
23 based on previous experience and information available to them
24 at the time, they declared the pump operable when it
25 successfully ran on the fourth attempt.

1 Between the third and fourth attempt and they did
2 make the more complete inspection of the linkage and everything
3 associated with it particularly looking for lubricant to make
4 sure that it was lubricated because at that point, it was the
5 opinion that the lubrication was our problem.

6 Now having relieved themselves of any question as to
7 the connections of the linkage and things like that and plenty
8 of lubricant available, then they attempted to run the pump the
9 fourth time which it successfully ran. Then they declared it
10 operable. Following that, we recognized the situation and went
11 back into our normal process of dealing with a problem of that
12 nature. There was a conscious review made of the event and
13 looking beyond that, previous experience that we had had on
14 both units with these turbines and it was concluded that if we
15 had continued to test the turbine, then it probably would have
16 run.

17 That was further substantiated later when we actually
18 did the pre-maintenance tests and the work that we did later.
19 The first time that we attempted to run the turbine, it tripped
20 out. It went overspeed. It was restarted from control room
21 and ran successfully. Our experience had indicated that we had
22 something which at that time again was associated the best we
23 could determine then with the lubrication. It's the
24 lubrication with whatever else was involved -- at that point we
25 did not know -- would create a drag on the stem such that it

1 would not respond as it should but once you exercised it,
2 cleared it up, then it would respond.

3 That was the kind of thinking that entered into the
4 decision following that fourth and successful start on the
5 event -- the day that the event actually occurred. The next
6 day in the conscious review not only by the people who were
7 involved, by other members of the Catawba Management Team and
8 people that are knowledgeable in that area, reviewed it and
9 concluded that based on successful testing and previous history
10 that we had experienced as well as what we knew about others,
11 that that was a valid conclusion. It was operable immediately
12 but recognized that because of this particular occasion, we
13 really had a long-term problem that we had to deal with.

14 So they conscientiously went about designing a
15 program that concluded the necessary tests, the involvement of
16 all the details as to what you would measure, what you would
17 analyze, to determine the root cause so that we could deal with
18 it on a long-term basis. As is pointed out in our report, the
19 sequence of events and I'd like to walk you through these and
20 it's going to become evident to you as was indicated in the
21 notice of violation, when we had completed this, we had gone a
22 step up the learning curve and if we had known when we got into
23 this situation what we know today, we would have taken a
24 different approach but we did not know that at that time.

25 Let me walk you through these and kind of put it in

1 perspective for you. The same day that it actually happened,
2 that's when they conducted the visual inspection of the
3 components, the observations of the linkage, making sure it was
4 free and so forth, manually exercising the linkage to ensure
5 the freedom and then they had a successful start. That's when
6 they concluded based on the completion of the monthly
7 surveillance tests that the pump was operable.

8 The following day -- that occurred on July the 31st,
9 1989 -- and the following day, August the 1st, the event was
10 discussed at the morning plant status meeting and that was the
11 initiation of further evaluation which involved the maintenance
12 engineering services engineer which is our maintenance support
13 organization on-site, met with station management. The
14 situation was evaluated to determine the steps that should be
15 taken, again, looking at the event and what needs to be done
16 relative to that event immediately or in the future. Past
17 problems were reviewed in that discussion. At that point,
18 nothing indicated that we had a stem corrosion problem. In
19 fact, lubrication, as I indicated previously, seemed to be the
20 major cause of the slow control valve response.

21 Nothing that we had in the equipment history led the
22 station to believe the problem was stem corrosion and when we
23 made our presentation down in Atlanta for the Region then we
24 tried to make it clear with some of the information provided
25 and slides used that lubrication of different components had

1 different effects and that was our attempt to show why we were
2 involved with the lubrication question but apparently we didn't
3 convey our message as completely there as I would like to have.

4 On that particular day, our attempt to contact the
5 vendor was unsuccessful. We could not reach them. The
6 operability of the auxillary feedwater pump turbine that was
7 specifically discussed and a conscious decision was made that
8 the pump was still operable. The second day, we brought the
9 site inspectors in, briefed them on the status of the station
10 efforts to that point to be sure that they were on board and
11 understood what was going on. The turbine vendor was
12 contacted, discussed with him -- with them and they recommended
13 a dry film lubricant instead of the paste but the vendor also
14 verified in that discussion that the control valve and linkage
15 was of the latest design. We were questioning maybe they had
16 changed that linkage.

17 Even after that discussion, lubrication continued to
18 appear as the root cause of the slow valve stem response.

19 On the third day, after those discussions and
20 reviewing with the vendor, as well as some other details within
21 the station, then a follow-up meeting was held with the
22 resident inspectors to discuss their concerns and alleviate
23 what appeared to be some misunderstandings with them, still,
24 and the decision was made to go ahead and pursue this, to
25 resolve any questions on a long-term basis, in terms of

1 reliability of these pumps, because of course, both units were
2 in question as long as this single pump was in question.

3 Work requests were written on that day to disassemble
4 and clean the leakage and inspect the control valves for both
5 units. The work was scheduled to begin August the 10th.

6 Now, we went ahead and inspected Unit 1. We visually
7 inspected it to see that the lubrication there indicated any
8 problem or if it was normal. The lubrication was considered to
9 be a long-term problem and not an immediate operability
10 concern, if that was really our problem.

11 But in looking at all of this and pursuing
12 information with other utilities, searching NPRDS and trying to
13 find whatever history we could use to help in pursuing this,
14 then we decided to move the schedule up from August the 10th to
15 August the 6th, to begin our process.

16 In discussing the details of what we were planning to
17 do with the residents, they recommended a pre-maintenance
18 operability test be conducted prior to going into the program
19 we had outlined. The station concurred with that. In fact, we
20 think that kind of exchange is beneficial, and that's what I
21 alluded to earlier in our discussions today, that I think it is
22 helpful and beneficial to have this kind of open communication,
23 because we recognize the experience of the site inspectors as
24 valuable to both of us.

25 With that discussion, we felt that the residents

1 understood the thorough and programmatic approach that was
2 being taken, and that is spelled out in detail in our report.
3 We felt that our approach was reasonable and appropriate and
4 timely.

5 Now, the fourth day, which is August the 4th,
6 procedure changes were made to perform the auxiliary feedwater
7 pump turbine tests or starts with the speed control set on
8 maximum, so that we could really test it, and plans were made
9 to perform the pre-maintenance testing run prior to working on
10 the linkage. We would not disturb the pump in any way before
11 starting.

12 The people, the functional areas involved in all of
13 this included operations, planning, performance, and
14 maintenance engineering services personnel, to ensure that all
15 groups understood the test and inspection process and that we
16 had management agreement as to what we were going to do.

17 Then on the fifth day, August the 6th, the Unit 1
18 auxiliary feedwater pump turbine was successfully started.
19 This kind of confirmed the station's assumption that
20 lubrication was not a short-term operability issue.

21 The Unit 1 turbine control valve linkage was then
22 disassembled, cleaned, lubricated, and reassembled. The
23 turbine was retested and returned to service on August 7, 1989.

24 Now, one week after the initial test failures on the
25 Number 2 unit, then we began the program. The first attempt to

1 start the Unit 2 auxiliary feedpump turbine, it tripped on
2 electrical overspeed. It was reset from the control room and
3 successfully ran on the second attempt.

4 Having done that, then the pump was secured and the
5 linkage disassembled. The valve stem was noted to have
6 excessive drag while in the valve assembly. The work scope
7 expanded and stem corrosion was found to be present.

8 Now, corrective maintenance was performed, and the
9 turbine successfully tested on August the 9th and returned to
10 service.

11 Now, let me give you some of the conclusions that we
12 came to after the first week.

13 Although Unit 2 pump turbine was proven to be
14 operable on the July the 31st, there was a clear understanding
15 to our folks that were involved that the condition of the pump
16 did not meet our own standards of performance with regards to
17 the long-term reliability, and that's the reason we began
18 immediate actions, and those actions were taken right away, as
19 I alluded to earlier, to review the event, including station
20 management, and the scope of that review included our past
21 problems, as well as some outside information we could get, and
22 we concluded to go ahead and set up a test to determine the
23 root cause.

24 As I said, work requests were written. We involved
25 the site inspectors.

1 Now, the corrective actions that were taken after the
2 actual root cause was determined -- let me mention some of
3 those -- but this was a planned and a conscious effort to
4 design a complete test program so that we could obtain any
5 information necessary to determine the actual root cause of the
6 problem.

7 The comprehensive testing program that we set up
8 included force required to stroke the control valve and
9 linkage, timed starts of the turbine, recorded and graphed the
10 rpm, the speed versus time.

11 As I said, we continued our reviews of industry
12 experience of similar phenomena, both in searching data and
13 telephone conversations.

14 A station working group was formed to evaluate all
15 aspects of the system operation: procedure reviews, including
16 the maintenance procedures; startup characteristics of the
17 system; material changes that had taken place -- the stem, the
18 packing, lubricant, etc; industry problems factored into that,
19 as they related to our experience; and the training available
20 to the people involved.

21 All of that went into it.

22 Now, since then, bi-weekly pull tests have been
23 conducted until the valve stem corrosion can be determined to
24 be under control. We've done that on a biweekly basis, to
25 determine the frequency of it. It is now performed on a

1 monthly basis.

2 MR. OWEN: Now, one addition to your comprehensive
3 testing program proceeding from turbine operability was to
4 include, as part of the testing process, the time for the CA
5 pump turbine to develop head pressure. This was -- had been an
6 annual test performed during refueling, but that test was added
7 because we felt that whatever we did may, in fact, affect that
8 parameter. So, that included in the testing process, as well.

9 Tony Owen, Station Manager, Catawba.

10 MR. LIEBERMAN: Now, I understand what you're saying
11 is that on July 31, at that time, you had recognized that you
12 didn't meet the standards for the long-term reliability that
13 you desired.

14 Was that decision made independent of discussions
15 with the NRC residents, or was the NRC residents involved in
16 encouraging the long-term program?

17 MR. TUCKER: That came about following our discussion
18 at the plant status meeting the morning of August the 1st.

19 Now, Tony, you will have to address the involvement
20 of the site inspectors, since I was not actually here. Can you
21 clear that up for us?

22 MR. OWEN: The effort to look both broader and deeper
23 at the problem began immediately, as Hal indicated --
24 immediately by a great number of personnel in our staff, as
25 well as myself. Our inspectors were involved in the process,

1 in the communication flow, understanding the work that was
2 being done relative to lubrication, and they not only were
3 talking with our maintenance management, were talking with our
4 engineers, as well.

5 Our mindset regarding the approach was somewhat
6 driven by techniques employed earlier to help understand root
7 cause problems associated with components, where the root cause
8 was very difficult to find and pin down.

9 We knew, as Hal indicated, based on experience and
10 work history of the component, that once we started the pump,
11 tested it, and it was operating properly, as indicated that
12 evening, when the problem first occurred, that that wasn't good
13 enough.

14 If something occurred that would cause the pump to
15 fail, without indication or perhaps between its normal
16 surveillance times, anything like that may occur, we wanted to
17 get to the bottom of it, and we were driven by the idea that we
18 had to look hard and deep to solve the problem.

19 We agree that, in hindsight, we should have done some
20 things differently, but our point here is we were doing a lot
21 of things to try to understand the problem.

22 So, we didn't want to just be satisfied with the
23 linkage manipulation in the testing that was done. We were
24 looking to develop a program that would help us enhance
25 reliability of that component for the long term, and that was

1 the process that we began that week.

2 MR. HEHL: I think Jim's question really focused more
3 on the extensiveness of the programs identified or planned.
4 Were those in place, already planned prior to the resident
5 involvement?

6 MR. OWEN: The work that Hal mentioned was being
7 developed throughout that week. The residents were in
8 communication with a great number of our personnel throughout
9 that week and I know there was a lot of discussion regarding
10 lubrication. Whether or not the residents fully understood the
11 total extent of the program test throughout that week, I can't
12 say. It was our intent to understand what we were doing
13 because our posture is one of being open and communicating.

14 MR. TUCKER: If I understand your question
15 specifically comes down to and if I may paraphrase it, would we
16 have done it had the site inspector not urged us to; is that
17 your question?

18 MR. OWEN: Is that the question?

19 MR. HEHL: I think there are two perceptions.
20 There's two sides of every question and answer and from a
21 perspective -- from your perspective, I think based on your
22 statement that it appears that you felt like you aggressively
23 pursued and attacked resolution of this problem. From the
24 other standpoint, I think as identified in our report, as I
25 think discussed and I wasn't at the October 12th enforcement

1 conference that took place although I was involved during the
2 evolution of this particular issue and my perception of what
3 the residents relayed to us at that point in time was that --
4 two basic problems.

5 One, and it has to do with a philosophical problem
6 with declaring something operable based on a successful
7 surveillance test recognizing and I think you will agree that a
8 surveillance test is only one parameter or indicator that goes
9 into a determination of operability as defined, a capability of
10 performing an intended safety function of the equipment and in
11 that regard, that was one of the key concerns on the part of
12 the residents initially.

13 The second concern was with the depth as they
14 understood it of your evaluation and review. On the surface,
15 it appeared that after three unsuccessful attempts at
16 performing the surveillance test on this piece of equipment,
17 some very minor adjustment or manipulation of the linkage
18 occurred which resulted in a successful test which was then the
19 basis for declaring this pump operable. That was an initial
20 concern.

21 The second concern was if in fact there was
22 continuing concern on the part of the plant management with
23 regard to operability and root cause determination of the
24 unsuccessful performance of this pump, then it was not evident
25 in the timeliness evaluation of the known information with

1 regard to lubrication on the other unit at Catawba and
2 subsequent testing of components.

3 So those are the issues at least as far as I
4 understand that perhaps is a different perception of the data
5 that you presented.

6 MR. OWEN: Given what we learned throughout the
7 testing process and the root cause of this failure, we have I
8 think recalibrated, if you will, as to what should have taken
9 place at that point. We said out front there was an error in
10 judgment. We said that we're not denying the violation because
11 of that. There was -- what is at question here was whether or
12 not we were taking sufficient corrective action to effect the
13 -- your decision regarding civil penalty.

14 What we did based on our understanding and previous
15 experience and work history, knowing that the issue was not as
16 simple as the work with the linkage, we established "comp"
17 measures to perform extensive maintenance on the test in a very
18 -- in a short period of time, extensive maintenance on the pump
19 in a short period of time. We agreed to a pre-maintenance test
20 with very clear conscience that our thinking was appropriate
21 and did not have concern for operability.

22 We established a program that week and to what extent
23 it was communicated to the residents at all levels at all
24 times, I can't answer but I know in passing conversation and in
25 discussion with our staff, residents were involved. What we

1 were doing was patterned somewhat after the program we
2 established to help understand the problems that we were having
3 with our diesel.

4 We pulled together all of our resources, assigned
5 different areas of research, if you will, for people to look
6 deeply at different parts of the problem so we could bring this
7 information, bring this research and study and judgment to bear
8 on a test that we would run just as quickly as pulled this
9 together and create a new beginning for understanding this
10 problem and fix it once and for all and that's what was driving
11 us.

12 Again, we admit error because we should have gone
13 into the work request and torn it down and we would have
14 learned about this problem which we hadn't seen before, this
15 accelerated corrosion due to the interaction of the stem
16 material, the leaking valve and the packing contamination --
17 grossly accelerated corrosion rate we experienced because of
18 the combination of those three, but that effort appeared that
19 we weren't -- apparently appeared, we weren't doing anything
20 and we didn't care which is 180 degrees from our mind set.

21 MR. HEHL: I don't think that was --

22 MR. OWEN: That's what we read in the --

23 MR. TUCKER: The judgment exercised relative to the
24 surveillance test was that that was a surveillance test. It's
25 a little too early -- our experience has shown if you had any

1 dragging on that stem, once you exercised it a couple of times,
2 within -- you repeat the test, it'll run. That was validated
3 again just before we tore it down. First time it tripped,
4 reset it, start it again and it ran. Still, the indication is
5 lubrication.

6 Now the citation for violation specifically addressed
7 the corrosion problem as if we knew that at the time. We did
8 not know that but it expressly says, caused by corrosion of the
9 stem circuits and then goes on to say, however the corrosion
10 problem persisted and caused the valve stem to bind again. We
11 did not know that at that time -- none of us, inspector or us
12 -- that we had stem corrosion.

13 MR. HEHL: I don't think the words here or the intent
14 or the words in the report that accompanied this action are
15 intended or do relate a willfulness or a knowledge at that
16 point in time on July 31st as to the root cause and that I
17 think is the focus of this action is the fact that --

18 MR. TUCKER: You may not have meant that but that's
19 -- I'm quoting you the words and it does not say anything about
20 assumed problem with lubrication. It addresses the cause as
21 being corrosion. When we did the test on July the 31st, 1989,
22 now we learned that after we went through our test program but
23 on July the 31st, 1989, we did not know we had a corrosion
24 problem. There had been no indication of a corrosion problem
25 with this type of turbine control anywhere we knew of at that

1 time in the industry so we had no indication or reason to
2 conclude other than what our history showed us that we had
3 lubrication problems particularly when you consider, you loosen
4 it up and it works. Normally if you've got a severe problem
5 with corrosion, it's going -- generally will present a more
6 intermittent type operation than we experienced. That's been
7 my personal experience and the reference that we make
8 specifically in my appeal to remit the civil penalty, to
9 emphasize the importance of aggressive problem resolution and
10 conducting corrective actions within established programs and
11 procedures have been authorized and so forth.

12 The reason given for imposing the civil penalty was
13 failure to take prompt action and we're saying we went through
14 a systematic timely evaluation to determine what kind of
15 program was necessary to get to the root cause including the
16 specific things I alluded to that we would perform. When we
17 found the problem, then we dealt with it and we have some plans
18 beyond that that right now as I said, we have a program
19 implemented to assure us that that stem remains free.

20 Now we're going to replace the type of material.
21 We're going to do some other things that we worked out to put a
22 final conclusion to this. The point we want to make is, from
23 our perspective, we were systematic and timely in our response
24 and evaluation and taking corrective action and we changed our
25 original schedule from August the 10th back to August the 6th

1 because we concluded what we needed to do in that time frame
2 and went ahead and did it.

3 MR. LIEBERMAN: So, you were satisfied that when you
4 made the decision, when it passed the fourth test, that that
5 was an appropriate operability decision at that point in time.

6 MR. TUCKER: Based on what we knew then and our past
7 record of performance on these tests.

8 And then, as I went on and said, during this time in
9 which we were evaluating Number 2, we tested Number 1, and
10 there was no problem there. We disassembled Number 1, and we
11 didn't find the corrosion.

12 MR. HEHL: Our perception that, in fact, you did, in
13 fact, schedule additional investigative efforts, scheduled
14 with, I guess, a culmination of testing on August the 10th,
15 it's my understanding that that schedule revision took place
16 because of concerns that were identified and brought to your
17 attention by the residents or concern with the operability of
18 the other unit because of the, really, indeterminant route
19 cause for this particular problem.

20 MR. OWEN: There were really three different
21 dialogues taking place. The conversation that I personally had
22 with the superintendent of maintenance dealt with expediting
23 testing. The test was, I would say, in part, initiated by the
24 residents being involved in this thing.

25 There was discussion with Bill and Mark, with our

1 maintenance management members, to move that test forward.
2 They were a part of that discussion. That had input. I wasn't
3 in that discussion at that time. I can't say who was driving
4 it. But there was certainly agreement, as Hal indicated. Once
5 we figured up what we needed to do, we moved that test back.

6 We wanted to know -- or we wanted to have a good plan
7 going into the test, but we were agreeable to do the test prior
8 to maintenance, because we think we could learn from that. We
9 certainly agreed with that.

10 So, there was interest on our part; there was on the
11 part of the residents, clearly, to move the test back.

12 Two other pieces of information that need to be
13 brought to light here: Hal mentioned a number of things that
14 we were doing with the pump itself.

15 As a part of the investigation, we learned that the
16 steam-emission valves to the CA pump turbine were part of the
17 problem. We put our design engineering people to work to find
18 a replacement valve, which had been difficult for us to do. We
19 actually sent people to Germany to help expedite purchase and
20 procurement of valves, so that we could change those valves out
21 in a reasonable timeframe.

22 In the research we did that week, we learned that the
23 drain configuration for the governor valve packing housing was
24 different than at McGuire, and we modified the packing housing
25 drains on Units 1 and 2 here at Catawba, expeditiously.

1 We removed drain valve internals, as an interim
2 measure, to complete in that modification so that we could
3 improve the drain capability immediately.

4 These were other ongoing pieces of work in a very
5 short timeframe to improve the reliability of that component.

6 MR. JABBOUR: When did you find out about the steam-
7 emission valves, that they could be affecting the stem
8 corrosion, and what day and what timeframe did you find out
9 about those?

10 MR. OWEN: I can't tell you the exact date, but it
11 was part of this overall process in looking at everything that
12 would affect operability of that pump, in detail, again and
13 again, those issues came up and we dealt with them.

14 MR. HEHL: I think that noting the absence of the
15 residents, at least on our part and people that were directly
16 involved in this, I really don't feel comfortable with us
17 getting into too much of the detail of it. I think what we
18 need to do is perhaps listen to your comments.

19 MR. EBNETER: Yes, I agree with that, but I would
20 like to understand a little more.

21 Essentially, you are saying that we made the wrong
22 call on prompt corrective action. That's what you're saying.

23 I just need to understand a little more.

24 July 31st is when you found the Unit 1 start. This
25 was Unit 2. Is that right?

1 MR. TUCKER: That's correct.

2 MR. EBNETER: Unit 2 wouldn't start. So, you made
3 three attempts, didn't start. The fourth attempt, it started.

4 MR. TUCKER: Well, between the third and fourth
5 attempts --

6 MR. EBNETER: I know, you did some inspection.

7 MR. TUCKER: Right.

8 MR. EBNETER: I understand that.

9 That was July 31st. You made a comment that you
10 started the Unit 1 pump. Was that the same day?

11 MR. TUCKER: No.

12 MR. EBNETER: I took another note before that you
13 started Unit 1 pump on August the 5th.

14 MR. TUCKER: On August the 6th.

15 MR. EBNETER: All right. But I'm really interested
16 in this timeframe between July 31 and August 4.

17 So, July 31st, you made three attempts, didn't work.
18 You inspected it; you made another attempt. It started. Based
19 on all visual inspections and whatever you could see at that
20 point, you felt that a judgement call was operable.

21 Next morning, you discussed it at the plant meeting.

22 MR. TUCKER: Correct.

23 MR. EBNETER: It was decided, I guess, by you, Tony,
24 that you needed some long-term action on that pump.

25 MR. OWEN: On that day --

1 MR. EBNETER: Well, let me go on. Do you agree with
2 me or disagree with me?

3 MR. OWEN: It was not decided by me personally.

4 MR. EBNETER: Well, somebody.

5 MR. OWEN: I was in a meeting with Hal all day that
6 day.

7 MR. EBNETER: But the comment that Hal made was --
8 August 1st, we discussed it at the plant status briefing.

9 MR. OWEN: That is correct.

10 MR. EBNETER: It was decided -- I don't know who
11 decided this, but it was decided that we needed a long-term
12 plan, and then some bullets under that I have marked down -- we
13 did review past problems.

14 MR. TUCKER: That's correct.

15 MR. EBNETER: That's correct. And we did that by,
16 what, looking at maintenance history on these pumps?

17 MR. OWEN: Equipment history.

18 MR. EBNETER: Equipment history.

19 MR. OWEN: That's correct.

20 MR. EBNETER: Based on that, there was no indication
21 of a stem-corrosion problem, which sort of gave you more
22 confidence -- my words, now -- that it was operable, there was
23 no corrosion.

24 MR. TUCKER: That's correct. The equipment history
25 review led us to that conclusion.

1 MR. EBNETER: Then, on that same day, apparently, at
2 least, my note says under August 1st that you attempted to
3 contact the vendor and you were unsuccessful.

4 MR. TUCKER: That's correct.

5 MR. EBNETER: And that was on August 1st.

6 MR. OWEN: A point about that, Stew, that ties those
7 things together: The maintenance engineering staff, the
8 engineers involved, and, I believe, our resident had
9 discussions throughout the day on August the 1st regarding
10 proper lubrication. Our manual was saying one thing about
11 lubrication, and there was problems of note, other utilities,
12 regarding lubrication, which was coming into play at this time.

13 So, there was discussion over lubrication, and folks
14 were focusing in on whether or not lubrication was
15 appropriately applied and in the right places, and that is why
16 the vendor was contacted, to clarify whether or not --

17 MR. EBNETER: But you couldn't get him.

18 MR. OWEN: That's correct.

19 MR. EBNETER: So, that concludes the activities that
20 I have on August 1st.

21 Still on August 1st, you made a conscious decision --
22 somebody on Duke's staff -- that it was still operable, but you
23 were still going to pursue other avenues.

24 End of August 1st.

25 So, you did take some actions to follow that problem

1 on August 1st.

2 August 2nd, I noted that you briefed the residents on
3 the issue and that you re-contacted the vendor, and the vendor
4 verified that the linkage configuration was current. There had
5 been no changes or redesign of the linkage mechanism.

6 MR. TUCKER: Right.

7 MR. EBNETER: And that he recommended to you to go to
8 a dry lubricant.

9 MR. TUCKER: That was based, I believe, Tony, on our
10 discussions with him of problems that we were experiencing.

11 MR. OWEN: That is correct, and that was one vendor
12 contacted. We later contacted another vendor that had a
13 different opinion.

14 MR. EBNETER: And was the resident involved on August
15 2nd with you at all in this linkage configuration, or did you
16 inform him of anything? Do you know, just offhand?

17 MR. OWEN: Our residents were involved on August the
18 2nd in discussions with our MES personnel.

19 MR. EBNETER: Then on August 3rd, so far we've still
20 got the one Unit 2 pump --

21 MR. TUCKER: I also said that we looked outside,
22 began searching with industry history.

23 MR. EBNETER: Okay. I have that under August 3rd.
24 Did that occur on August 2nd.

25 MR. TUCKER: We began that on the 2nd, didn't we,

1 Tony?

2 MR. EBNETER: The NPRDS searches.

3 MR. OWEN: We began the history search, according to
4 these notes, on August the 1st.

5 MR. TUCKER: That's what I've got.

6 MR. OWEN: Equipment history searches.

7 MR. EBNETER: Internal equipment history.

8 MR. OWEN: That's correct.

9 MR. EBNETER: Okay. And I had on August 3rd, and it
10 may be out of sequence now, but I had listed under August 3rd -
11 - checked NPRDS and other utilities. Is that an accurate
12 sequence? It doesn't make any difference, as long as I get
13 them in the right timeframe is all.

14 MR. TUCKER: My notes indicate we actually began the
15 process on the 2nd. It continued on into the 3rd.

16 MR. EBNETER: Okay.

17 MR. TUCKER: We were trying to ascertain what
18 experience there might be outside of our own.

19 MR. EBNETER: What I'm trying to do is get this in a
20 framework and see if can decide if those were reasonable
21 corrective actions within that timeframe, and that's why I just
22 wanted to make sure I understand it.

23 MR. TUCKER: Right. Okay.

24 MR. EBNETER: You started the process of a utility
25 review?

1 MR. TUCKER: Right.

2 MR. OWEN: Still, on the morning of August 2nd,
3 following our meeting, I met with all our maintenance people,
4 compliance people, operations people. And we revisited the
5 plan that our maintenance engineering services engineer had
6 laid out the day before.

7 MR. EBNETER: We keep talking about this plan. Was
8 that just a verbal direction?

9 MR. OWEN: It was a revisit of the work done to date
10 and a summary to ensure that our efforts to bring this together
11 would address all the different aspects of the problem.

12 MR. EBNETER: But was it similar to what we did
13 today? We had some comments, and I told him to follow up on
14 something of somebody else. Is that how you did it?

15 MR. OWEN: Verbal.

16 MR. EBNETER: Sort of a verbal direction?

17 MR. OWEN: It was a meeting specifically to discuss
18 progress and understand directions.

19 MR. EBNETER: The resident wasn't at that meeting, I
20 take it?

21 MR. OWEN: No, sir.

22 MR. EBNETER: Because see, on the August 3rd is the
23 comment I have, where you wrote "work request." And I was
24 trying to figure out the formality that you were going through
25 here. And it may very well be reasonable that you did it that

1 way. But I want to understand exactly how the process works.

2 At any rate, August 3rd, you did have a follow-up
3 meeting with the resident. That is what I have here.

4 MR. TUCKER: That is correct.

5 MR. EBNETER: And August 3rd, you wrote a work
6 request, to disassemble and inspect the Unit 1 pump, the Unit 2
7 pump.

8 MR. TUCKER: At that time, it was scheduled for
9 August 10.

10 MR. EBNETER: And it was scheduled for 8-18.

11 MR. TUCKER: Right.

12 MR. EBNETER: After you worked that, did you have the
13 work order, work request written before you talked with the
14 residents? Is that how you discussed it with him? Is this the
15 work order we're working on? Because the next comment is that
16 the resident recommended a pre-maintenance operability test.

17 MR. OWEN: I can't specifically answer your question
18 whether we had the work request in hand at that time or not.

19 MR. EBNETER: But the resident specifically
20 recommended that you do a pre-maintenance test to verify
21 operability.

22 MR. TUCKER: Yes.

23 MR. EBNETER: Okay. And when you discussed that with
24 the resident, was he aware you had moved the schedule up to 8-
25 6, at that time?

1 MR. OWEN: At that time, it is my understanding that
2 the schedule -- I wasn't in that meeting. But I understand
3 that as a part of that discussion, the schedule was moved,,
4 with input from the residents and input from our personnel.

5 MR. EBNETER: So you think the date was moved as a
6 result of talking with the resident, or in conjunction?

7 MR. OWEN: I would say in conjunction. Because I
8 think it was a concurrence that we now, that with what was
9 developing that we could bring that test forward, and should
10 move it forward.

11 MR. EBNETER: And then I had a final remark on August
12 3 that you were under the impression that the resident at that
13 point understood your approach. Is that right?

14 MR. OWEN: Yes.

15 MR. TUCKMAN: Just a point of clarification. The
16 next surveillance was probably not due for three months or so.

17 MR. TUCKER: Based on the frequency surveillance
18 tests?

19 MR. EBNETER: But it wouldn't be due for
20 approximately 20 days?

21 MR. TUCKER: It wouldn't be due until the end of the
22 month.

23 MR. EBNETER: On August 4, then, you did do this pre-
24 maintenance test before you started it, before you started
25 maintenance on the linkage?

1 MR. TUCKER: Not on August 4. We made our plans,
2 which included a pre-maintenance test run, prior to adjusting
3 or working on the linkage. So we could run it as is, as final.

4 MR. EBNETER: So what did you do on August 4, then?
5 I'm out of sequence.

6 MR. TUCKER: On August 4, that period of time from
7 the 4th on was spent in developing the specifics of what we
8 were going to be doing.

9 MR. EBNETER: Okay.

10 MR. TUCKER: In a comprehensive test and evaluation.
11 Going through the process.

12 MR. OWEN: And preparing to do the Unit 1 test.

13 MR. TUCKER: Yes.

14 MR. EBNETER: August 5 you did the Unit 1 test.

15 MR. TUCKER: That is correct.

16 MR. OWEN: But we were prepared to do that test as
17 well.

18 MR. EBNETER: And then one week later, which would
19 have been what, August 12?

20 MR. TUCKER: August 7.

21 MR. EBNETER: August 7. One week from the original
22 test on Unit 2.

23 MR. TUCKER: That's correct. Right.

24 On the 6th, we tore down the Number 1, cleaned it,
25 did not find corrosion. The evidence we had on the Number 1

1 unit led us to believe that the assumption relative to
2 lubrication was a valid assumption. So as soon as we got the
3 Number 1 back in service, the next day, on August 7, then we
4 took the Number 2.

5 MR. EBNETER: And you found no corrosion on Unit 1?

6 MR. TUCKER: That is correct.

7 MR. EBNETER: Just for completeness, on August 7, you
8 made the attempt to start the Unit 2 pump, you did the pre-
9 maintenance test. That is what you were calling, that test you
10 were really doing was a pre-maintenance test.

11 You first attempted to start it, but then tripped on
12 overspeed?

13 MR. TUCKER: That is correct.

14 MR. EBNETER: That was the second try from the
15 control room?

16 MR. TUCKER: Control room reset it. Started it
17 again. It ran.

18 MR. EBNETER: And it ran. And then you went into
19 your work request and looked at it.

20 Okay. I guess I understand what you did.

21 MR. JENKINS: There is one other point while you are
22 on this chronology, Steve. I know in our letter we talked
23 about, at some point in time, and I don't know when it was, one
24 of the motor-driven pumps was taken out of service.

25 Do you know when that was?

1 MR. TUCKER: That is, I think, mentioned in the
2 report.

3 MR. OWEN: The motor-driven pump was taken out of
4 service.

5 MR. TUCKER: August 1.

6 MR. OWEN: August 1.

7 MR. TUCKER: About 4:50 a.m. Repaired oil leak on
8 the bearing housing drain plug.

9 MR. LIEBERMAN: I am trying to get a better
10 understanding of this matter. You say you accept the
11 violating. And there is a sentence in the Contrary 2 portion
12 of the violation that says that the pump failed surveillance
13 test, after the pump failed a surveillance test, the shift
14 supervisor did not assure that the proper cause of action was
15 taken to return the equipment to optical status.

16 Do you agree with that portion of the Citation 2?

17 MR. OWEN: Our shift supervisor, in discussion with
18 the engineer, who was a backup person for our component
19 engineer on this component, were collectively involved in
20 making that decision and were saying that that decision was an
21 error in judgment and that that is indeed a part of the
22 violating.

23 MR. LIEBERMAN: Hindsight is obviously 20/20. You're
24 saying that you're response to a contributing cause to this
25 event was a failure to initiate a work request when the pump

1 tripped during surveillance tests of July 31.

2 If you had initiated a work request, would you have
3 perceived your corrective actions to be different?

4 MR. OWEN: Yes.

5 MR. TUCKER: If we had disassembled that linkage,
6 like we did on the Number 1, we would have found the corrosion
7 problem.

8 MR. OWEN: If we had only disassembled the linkage,
9 we would not have.

10 MR. TUCKER: Well, that's true, not just the linkage,
11 we would not have.

12 MR. OWEN: Yes.

13 MR. TUCKER: We would have had to go into the valves.

14 MR. OWEN: And because the valve had been cycled at
15 that point, and it moved freely once it was unlocked from the
16 corrosion process, and without going into the governor valve
17 itself, and tearing it down, then we may not have found the
18 problem, even if we went into the work request.

19 We would like to think we would. But there is a
20 strong possibility that just splitting the linkage and governor
21 valve stem free, we would not have taken that step.

22 MR. HEHL: Can you expand on the error of judgment on
23 the part of the shift supervisor; what in your opinion was the
24 error in judgment, what he should have done differently?

25 MR. OWEN: In hindsight, in considering lessons

1 learned, even though we had previous experience to show that
2 the problem was complicated and that it would take a strong
3 involvement on a great number of people to bring together the
4 resource to bear to fully understand the problem, even though
5 we know that and that is still very true, we would immediately
6 go into a work request process to see what information we could
7 glean from that part of our program as well.

8 MR. EBNETER: That's paperwork.

9 MR. OWEN: No, that's a philosophy.

10 MR. HEHL: What you're saying then is the shift
11 supervisor's error in judgment was that he did not promptly
12 initiate the process that would have resulted in a more in-
13 depth and complete evaluation of this event.

14 MR. OWEN: The error in judgment was that even though
15 it successfully passed the operability test, we had not entered
16 the work request program and done sufficient work to understand
17 the maintenance problem so that operability could be counted
18 on.

19 MR. EBNETER: You would not have accelerated the
20 sequence of events other than initiate the work request on
21 August 1st.

22 MR. OWEN: Had the work request taken us to the point
23 of understanding that there was a problem which we had
24 previously not foreseen with that valve stem, then we would
25 have immediately gone in to tear down the pump and establish

1 compaction and whatever necessary based on lessons learned from
2 that involvement.

3 MR. TUCKER: As a point of clarification, Stewart,
4 the priority given the work request when it's initiated will
5 really determine the timing of that and we've got the power to
6 identify those that you would do immediately. It's Monday
7 morning quarter backing to say what kind of priority we're to
8 put on the work report.

9 MR. EBNETER: Corrective action always has two
10 components to it, the remedial action which you thought was
11 effective, the manipulation of the linkage for the short term
12 and then the long-term corrective action which is the second
13 component but was going to be handled through the work request
14 process.

15 What I see is the residents saying that you did not
16 do the longer term corrective action promptly and is
17 questioning the judgment you made on the short-term operability
18 but I am not sure you would have done that any differently even
19 instituting the work request process but I'm just trying to
20 understand what really is the problem.

21 MR. OWEN: There are two processes that could have
22 occurred if we had entered the work request program
23 immediately. One scenario would take us to an examination of
24 the linkage, disassemble, clean, re-lubricate the linkage,
25 manipulate the valve shaft which would have worked fine, shown

1 no indication of the type of corrosion we later found.

2 MR. EBNETER: But that would have only saved you two
3 days. Is that significant on an issue like this? I mean the
4 real issue he's questioning here is the operability of that
5 pump. That's what he's questioning.

6 MR. OWEN: Unless we tore into the packing housing
7 itself, then that action wouldn't have helped us.

8 MR. HEHL: Would that have been the appropriate thing
9 to do?

10 MR. TUCKER: The point we're making is we looked at
11 the situation and did a thorough evaluation to determine what
12 really needed to be done.

13 MR. EBNETER: That's what I'm saying.

14 MR. TUCKER: If we had filled out a work request, I
15 can't say precisely what we would have done or what results we
16 would have gotten.

17 MR. EBNETER: I maintain you probably wouldn't have
18 done it much differently. The only thing you would have done
19 is gained two days on the problem. Now, is it unreasonable for
20 you to delay two days to do the work request? I don't think
21 you'd have done it much differently because there's not an
22 awful lot you can do with it. The only thing you can do with a
23 work request is go out and tear it down; right? You did some
24 interim things to try to determine if you should speed it up.
25 If you had found corrosion in your industry search or the NPRDS

1 or your equipment maintenance history, I guess it would be
2 reasonable to assume that if you had found that, you would have
3 accelerated the work request process but you had no other
4 indications to do that.

5 That's my view any way. Jim, I don't know. What do
6 you think? It's centering on reasonableness of the time frames
7 we're working with and the actions you took in between. That's
8 why I wanted to get the sequence straight.

9 MR. OWEN: I see our thoughts on timeliness changing.
10 Recent activities associated with finding this screw in the
11 contactors with the screw loosened in certain contactors in
12 certain safety-related breakers. We begin a process which we
13 follow around the clock until we looked at every breaker
14 without stopping.

15 The situations we got into on the X breakers, we set
16 up a problem resolution process that didn't stop. In this
17 case, had we known the problem associated with the corrosion or
18 if our past experience had not driven us to think that the pump
19 was indeed operable and that manipulation of the linkage for
20 the short term, the pump would be operable, then we would have
21 worked on the sucker around the clock until we found the
22 problem there. We were delayed or derailed from that thought
23 process because the test which had gotten us there which we
24 depended on so many times before for operability had given us
25 short-term indications that the pump was indeed operable and we

1 believed that and we set about looking at a long-term
2 correction.

3 Regardless of other pump operation or unit operation,
4 if we felt that there was a problem with that pump, then we
5 would have taken whatever action necessary to correct it.

6 MR. TUCKMAN: Another point that you brought up
7 earlier about whether the resident know or did he lead or
8 suggest or whatever. I guess my experience has been in dealing
9 with resident inspectors the way Duke has been doing it is we
10 get so involved so early that it's almost a joint thing. It's
11 not like we come to a resolution and present it to him and say
12 this is where we're going, do you see anything with it?

13 It's really an evolutionary process and they
14 participate as much in the process as we do. So it's very
15 difficult to --

16 MR. EBNETER: I think that's very valid but I think
17 what I hear here is you think you had an agreement with the
18 resident that this was an appropriate approach to this problem
19 and then a few days later it turns out that it's not an
20 appropriate problem.

21 MR. OWEN: I've had a number of discussions with Bill
22 about this very point and it is clearly our responsibility to
23 make the call. As Mike mentioned, I see us -- we're all in --
24 we all have the same interest. So we want to make sure that if
25 someone feels that we're not proceeding in a proper direction,

1 we certainly want to have that understood.

2 MR. EBNETER: Yeah, but you didn't have that
3 indication here and my staff has guidance and direction that if
4 they feel there's a safety issue, they should not be -- they
5 should tell you immediately that there is one and if you
6 disagree with it, you should call me or Bill Hehl but the
7 resident should not be saying, yes, I agree that this is the
8 proper way to go and then three or four days or a week later
9 say, well I disagree because it didn't turn out the way that
10 you had anticipated it.

11 MR. JENKINS: Or make recommendations.

12 MR. EBNETER: If he felt back here on August 2nd that
13 you had made the wrong call, he's obligated to tell you then
14 and not agree with you, well, do this, this and this and then
15 we'll see how it turns out. I just want to make that clear
16 that he does have an obligation to tell you that.

17 MR. TUCKER: I concur with you that, now.

18 MR. HEHL: I think that communication took place. I
19 think there was ongoing communication.

20 MR. OWEN: The evidence in my mind that indicates to
21 me that we were together is that we agreed on the phone a time
22 frame for a test and we agreed on a pre-maintenance test which
23 was the resident's idea and we had no problems whatsoever in
24 going forward with the test and if there was anything we could
25 learn from a pre-maintenance test regardless of what it told us

1 about operability, then we would find that out and we were
2 together. We ran the test. That was my perception.

3 MR. EBNETER: Okay, I've heard enough. I understand.
4 I probably don't understand but I think I understand. Does
5 anyone have any further questions on this?

6 MR. JENKINS: I would like to get a little
7 clarification from Hal. In his response, he discusses the
8 misunderstanding, lack of understanding on the part of the NRC
9 on this issue and I guess I'm still not clear where you think
10 -- I understand there's a disagreement on your part with our
11 conclusions but I'm not sure where you say that we
12 misunderstood.

13 I know you made a point about the wording of the
14 letter which could be read as indicating that you knew up front
15 what the cause of the problem was and that was never a
16 misunderstanding. We may not have worded the letter in the
17 best way but we never thought you knew that there was stem
18 corrosion in the early stages.

19 So can you help me understand what the
20 misunderstanding perception is?

21 MR. TUCKER: I can't pick that point specifically
22 from the letter, the notice of violation. It clearly in the
23 explanation of the violation talks about surveillance test
24 failures on July the 31st, valve stem sticking caused by
25 corrosion on the stem surface and following these failures we

1 needed corrective action relative to that. Again in that same
2 paragraph, it makes reference to corrosion problems and that
3 led me to believe that you were of the impression as expressed
4 here in a public document that our problem was corrosion on
5 July 31st implying that we knew that.

6 MR. HEHL: No, no. It says here that you failed to
7 identify the ongoing corrosion problem. That to me says that
8 -- and that is the thrust of this violation is that in fact,
9 you know, you had an opportunity on July 31st at least in our
10 opinion that if in fact your controls that are set in place for
11 dealing with equipment failures were properly and aggressively
12 implemented, then it is our contention that you would have
13 identified the root cause of this component failure which
14 turned out to be stem corrosion if you had aggressively pursued
15 that issue.

16 MR. JENKINS: But at no time did we think that you
17 knew up front that it was corrosion, nor was our action --
18 neither our severity level nor the civil penalty mitigation
19 escalation considerations based on any such belief.

20 MR. WHEELER: In fact, on page 2, in the last
21 sentence of the second paragraph you say, "Though it was
22 initially thought that the problem was caused by using the
23 wrong lubricant on the valve linkage, you failed to follow it
24 up." Words are sometimes -- even the clearest words are
25 sometimes subject to more than one view but it certainly wasn't

1 our intent.

2 MR. TUCKER: You're absolutely right, that point of
3 disagreement but a part of that disagreement as we tried to
4 explain here today, I think, was some misunderstanding
5 collectively -- your part and ours. You questioned Stewart and
6 Stewart tried to explain. In the discussions involving the
7 site inspectors throughout this whole thing they were involved
8 and we did not get the impression that the NRC's position was
9 we had exercised inappropriate judgment and were not timely.
10 We were under the impression that we had an understanding of
11 what we were doing and I don't know whether anyone ever stated
12 concurrence.

13 MR. HEHL: We have a difference, I guess, of opinion
14 then.

15 MR. TUCKER: That's the area of misunderstanding.

16 MR. HEHL: I'm not sure how far we are off because I
17 do think we do agree that we worked together and communicated
18 on this issue. I think we will disagree at least based on my
19 knowledge and discussions with the resident at that point in
20 time during this event that in fact that they had communicated
21 to you a concern with regard to the adequacy of the testing
22 that was performed that night as far as manipulation of the
23 linkage and that is an adequate corrective action and the fact
24 that this was not included, incorporated into your work request
25 system to facilitate extensive and effective corrective action,

1 that during the ensuing days of discussion that in fact
2 lubrication concerns that you were aware of existed and were
3 discussed with the residents, that based on concerns that they
4 identified with the timeliness of corrective action to include
5 looking at the other units' lubrication on linkage, that that
6 in fact prompted the reduction or the change in schedule from
7 August the 10th to August the 6th based on those discussions.

8 So I think there was an interaction and I'm not sure
9 how much misconception there is, at least on our part of our
10 participation in this activity. Well, that's enough.

11 MR. TUCKER: Let me make one further comment.

12 MR. HEHL: Let me make my last statement.

13 MR. TUCKER: Go ahead.

14 MR. HEHL: We're talking about the resident and what
15 he knew or didn't know and he's not here and I don't want to
16 get any further into that. I think I've got enough on that.
17 You can make your last statement, Hal. The staff -- I think
18 we've got enough.

19 MR. TUCKER: I want to make two statements, one about
20 this, a point of clarification. Mike made a comment, when we
21 get into these discussions, we don't necessarily say it's my
22 idea or your idea. We work together to try to pursue
23 resolution of identified problems.

24 Perhaps that's part of my concern a misunderstanding
25 that we formed the wrong impressions of the process we went

1 through but in the report which I gave you a copy, we make the
2 statement and it's underlined for emphasis.

3 Under no circumstances would any of Duke's stations
4 declare a safety-related piece of equipment operable without a
5 firm belief that their assessment of the situation was the
6 correct one and the piece of equipment in question would
7 function as necessary to fulfill its designed basis and I think
8 our past history demonstrates that.

9 MR. EBNETER: I don't think we're questioning that at
10 all, Hal. I do think there's several things in here that we
11 need to look at from the NRC side and we'll certainly do it.

12 MR. TUCKER: Well, you heard our comments and our
13 perspective relative to response timeliness and thoroughness.
14 The other point that I wanted to make had to do with the
15 enforcement process. Bill, you and Stewart both, more of you
16 than that are aware, most of you around the table, we have made
17 it a standing practice, we visit with you for enforcement
18 discussions, my last request, if there's any question or
19 misunderstanding or further questions or clarification, give us
20 the opportunity to provide that clarification.

21 We have yet to be given that opportunity when we see
22 the final result and from our perspective there may be some
23 misunderstandings or some uncertainty that we could have
24 provided additional information and I will propose to you that
25 in the process when you are pursuing enforcement discussion

1 first, we will be glad to send a single senior knowledgeable
2 person relative to that specific event to participate with you
3 in your evaluation, not to try to influence you but to provide
4 you with information that you may not have access to, to help
5 clear it up.

6 Then when it comes to discussions between the regions
7 and NRR, I think it is a mistake in that process to leave the
8 licensee out of that discussion when serious decisions are made
9 relative to violations of safety. I think the process should
10 include the licensee and I'm not saying you're going to have an
11 army there but you need a knowledgeable person associated with
12 the event that can then speak to clarify questions and that
13 would be the function, a point of clarification, not trying to
14 specifically influence the direction but we would make a point
15 of sending a person very knowledgeable that could address
16 questions or perhaps clear up points that are developed during
17 the discussions that are relative to our responsibility of
18 safety.

19 That's my concern with the process.

20 MR. EBNETER: Hal, with regard to the process, that
21 is the intent of holding the enforcement conference, is to get
22 your side of the story at the conference.

23 Now, if you leave the conference and the staff feels
24 they need more information, then it should be so stated in the
25 enforcement conference, and then we can follow up on it.

1 I'll leave the rest of it to Mr. Lieberman, but
2 agency policy is these are pre-decisional beyond that point.

3 Jim, you can adjust it, but there is no opportunity
4 at that point, since it's draft and pre-decisional, for
5 licensee input.

6 Is that right?

7 MR. LIEBERMAN: Well, that is correct. The process
8 is you have the inspection, then the exit, and then we have the
9 enforcement conference after the inspection reports have been
10 written, to discuss the issues.

11 Some have suggested that we should issue the proposed
12 enforcement action, and then have the enforcement conference
13 after the proposed action, because then the issues are more
14 joined, and you get the benefit of the licensee's views and
15 discussions before we make the final decision.

16 Since it is a public process, I have always thought
17 that it is more important to have that done before we go public
18 on a proposed enforcement action and get that input on the
19 front end.

20 I guess what you're saying is that you don't think
21 that enforcement conference system is working effectively to
22 get the exchange of views into the process.

23 When we look at an enforcement action at Office of
24 Enforcement and discussions with NRR and discuss with the
25 region, we think that we understand, and we are not aware that

1 there are misunderstandings.

2 If we are unclear on something, then we ask the
3 inspector to go back and get some more information, or we have
4 a dialogue, or we get the information, but we don't knowingly
5 go forward with an enforcement action thinking that we have a
6 misunderstanding.

7 So, it's hard to say we should be having more
8 discussions to resolve misunderstandings if we are not aware we
9 have a misunderstanding, and the only way to find out whether
10 we have a misunderstanding is to really present our view and
11 then see what type of reception you have.

12 MR. HEHL: As the process is right now, we conduct an
13 inspection, document the issue in question. We send that to
14 you in a report that identifies that we feel that this is an
15 item that perhaps is proposed as a violation of requirements,
16 that in fact, we are asking you to come in to discuss this
17 issue in greater detail at an enforcement conference.

18 We within the region hold a pre-panel, where we
19 discuss this issue, brief upper senior management on the issue,
20 to include participation, in most cases, from NRR and some of
21 the other offices. There are questions, areas for further
22 clarification.

23 We hold the enforcement conference with you, after
24 you have had an opportunity to be aware of the issues, and in
25 most cases, I think you have been in possession of the report

1 which outlines our understanding of those issues.

2 After the enforcement conference, we hold an internal
3 pre-panel within the region, again to discuss any additional
4 areas of concern and evaluate the information that we've heard
5 and the clarifications that we have gotten during the
6 enforcement conference.

7 Now, on occasion, where there have been requests or
8 misunderstandings, we have, in fact, then gone back through the
9 resident inspector, in most cases, to ascertain and clarify
10 details of a particular issue.

11 All those take place prior to this issuance of the
12 proposed violation.

13 So, I understand what you're saying.

14 MR. TUCKER: My point is this: I don't disagree with
15 your process of going through that prior to issuing a notice of
16 violation with proposed civil penalties. In fact, I think that
17 is the appropriate thing to do.

18 My point is -- and you have just made it -- we have
19 an opportunity to make a presentation to you. People are
20 assembled for that purpose. They are not always the
21 decisionmakers. In fact, in most cases, they are not. They
22 provide information to the decisionmakers, and we have no
23 direct path, as it's presently practiced, to provide additional
24 information directly, unless specifically requested.

25 You said you go back to the inspector. The inspector

1 is funnelled through someone within NRC to the decisionmakers.

2 We have one chance in direct discussion with the
3 panel to present our position.

4 Any point of clarification thereafter is pursued
5 through another process.

6 Again, we are depending on a "messenger" to convey
7 our message.

8 I had rather present my own message to the
9 decisionmaker, along with those people presenting the views,
10 too, and when I say that, I'm using the term in expression of
11 an individual knowledgeable.

12 MR. JENKINS: I think that opportunity exists, Hal,
13 when you get the inspection report, which Bill talked about,
14 with a letter that says this is under consideration for --

15 MR. EBNETER: That's not what Hal is saying. I know
16 what he is saying. He is saying that I am not at the
17 enforcement conference, or my deputy is not at the enforcement
18 conference to hear the full story, that it gets processed
19 through some junior-level managers and then funnelled up to me,
20 and it's already -- the messenger's message may be colored by -

21 -

22 MR. JENKINS: But I think he also said that Tom
23 Murley is not there.

24 MR. EBNETER: Tom Murley has very little to say about
25 these enforcement actions. It's the region and Lieberman,

1 primarily, unless we really get into a real hassle. Right?
2 It's almost always at my level and Jim Lieberman's.

3 MR. LIEBERMAN: That's right. And unfortunately, I
4 do not go to all of the enforcement conferences. Frequently, I
5 have someone from my staff go, or they listen in my telephone,
6 but I hear what you're saying, and information is always
7 filtered through the various steps, and I know when I look at
8 these cases, I value the regional administrator's
9 recommendations, and I value input from -- I do -- and I value
10 NRR's input, and I look very carefully at the slides that the
11 licensee has provided, to try to make sure we have the whole
12 picture, because the last thing we want to do is go forward on
13 an enforcement action without the right factual underpinnings.
14 That serves no one's purpose.

15 Maybe we can give some consideration to getting to
16 more of these conferences, and maybe transcribing the
17 enforcement conferences so you get a better flavor of the
18 discussion might be another way to do that, though I'm not
19 perfectly sure that transcribing is necessarily the right way
20 to go, because I think that may choke some of the interchange,
21 so I probably don't really favor that.

22 But the point is, in some cases, and I asked the
23 regions, which cases are the ones that we should really attend,
24 that might be particularly controversial. Maybe we need to get
25 to more of those type conferences.

1 But with the current process, we're not staffed nor
2 set up to go to every one.

3 MR. TUCKER: Well, please understand, I am not
4 pointing the finger at any individual. I've been through this
5 process numerous times, and I think the process is what I'm
6 talking about, not individuals.

7 MR. LIEBERMAN: I realize that.

8 MR. EBNETER: No. The individuals are involved in
9 the process, though, because I may have been at the opening of
10 this particular one, but I don't think I attended that full
11 conference.

12 MR. JENKINS: You were there for part of the time.

13 MR. TUCKER: I understand that you were not there for
14 the discussion of the turbine, and I wasn't there. I was out
15 of the country at the time.

16 MR. EBNETER: I know, and your comment is probably
17 correct. Perhaps too many decisions are made that are at the
18 lower level and then get processed up, but I got the message,
19 and I'll work on it, and I'm sure Jim will work on it. We'll
20 look at that. There is some validity in your comment.

21 MR. TUCKER: I make the comment because I think we
22 indicated previously that we take this extremely seriously.
23 The \$50,000 proposed civil penalty, in my budget, is not a drop
24 in the bucket. I can't find it. It's not the money. We can
25 afford to pay the bill, but it's what's behind the violation

1 and the principle associated with civil penalty. It's cost me
2 a lot more than the \$50,000 to get to this conference. So,
3 that's not the question.

4 It's the principle and the sincerity associated with
5 that.

6 MR. EBNETER: I agree with you. We'll have to work
7 on the decisionmaking process, and I will look at it myself and
8 make sure that I am more attuned to it and that Jim Milhoan, my
9 deputy, is, if I am not there, and you need to help us, George.
10 Sometimes it's the planning and the scheduling of these that
11 gets us -- same as you Hal. If you're not available, after the
12 fact sometimes -- once it gets settled, then it's very
13 difficult to change.

14 MR. TUCKER: It is.

15 MR. EBNETER: But we will look at it.

16 MR. TUCKER: Thank you.

17 MR. LIEBERMAN: I realize we are talking about
18 enforcement. But take the SALP process. That is another
19 action that NRC take that has a great impact on the company.
20 There it works somewhat similar. We have a proposal and there
21 is input and then there is a final. Do you see differences
22 between those two process?

23 MR. TUCKER: I don't think you want me to start
24 discussing that.

25 [Laughter.]

1 MR. EBNETER: I don't think this is the appropriate
2 place. Maybe we should skip to the next issue.

3 MR. OWEN: Could we go off the record for a moment?

4 MR. LIEBERMAN: Do you want to take a break for a few
5 minutes?

6 MR. OWEN: If we could, please.

7 MR. LIEBERMAN: Certainly. Let's take a 10-minute
8 break.

9 [Whereupon, at 12:30 p.m., the open portion of the
10 meeting was concluded.]

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission

in the matter of:

NAME OF PROCEEDING: Management Meeting Duke Power

DOCKET NUMBER:

PLACE OF PROCEEDING: Clover, South Carolina

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



MARILYNN NATIONS
Official Reporter
Ann Riley & Associates, Ltd.

ORIGINAL

OFFICIAL TRANSCRIPT OF PROCEEDINGS

CLOSED SESSION

Agency: Nuclear Regulatory Commission
Office of Enforcement

Title: Management Meeting with Duke
Power Company

Docket No.

LOCATION: Clover, South Carolina

DATE: Wednesday, January 31, 1990

PAGES: 57 - 94

ANN RILEY & ASSOCIATES, LTD.

1612 K St. N.W., Suite 300

Washington, D.C. 20006

(202) 293-3950

U.S. NUCLEAR REGULATORY COMMISSION

2

3 In the Matter of:]

4]

5 MANAGEMENT MEETING]

6 WITH]

7 DUKE POWER COMPANY]

8

9

CLOSED SESSION

10

11

Catawba Nuclear Station

12

Catawba Branch of the

13

National Academy of

14

Nuclear Training

15

Classroom Number 4

16

Clover, South Carolina

17

18

Wednesday, January 31, 1990

19

20

The above-entitled meeting convened in closed
session, pursuant to notice, at 1:00 o'clock p.m.

22

23

24

25

PARTICIPANTS:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

JAMES LIEBERMAN, NRC/Office of Enforcement

STEWART D. EBNETER, NRC/Regional Administrator

RICHARD P. ROSANO, NRC/Office of Enforcement

GEORGE R. JENKINS, NRC/Enforcement and Investment

Coordination Staff, Region II

CHARLES HEHL, NRC/Deputy Director Projects

KAHTAN N. JABBOUR, NRC/Catawba Project Manager

HAL B. TUCKER, Duke Power Company

ROBERT L. GILL, Duke Power Company

MICHAEL TUCKMAN, Duke Power Company

P R O C E E D I N G S

[1:00 p.m.]

1
2
3 MR. LIEBERMAN: Back on the record. Now we turn to
4 the second enforcement action involving the safeguards issue.
5 Would you like to continue?

6 MR. TUCKER: All right. I have some information here
7 I want to give you. There are only four copies available that
8 I have and if you'all can spread those out, I think they will
9 be helpful. But I will be making reference to that as part of
10 my discussion.

11 But in this particular case, we have a specific
12 objective in mind, also, and that is to provide you with
13 sufficient information to encourage you to reconsider the
14 merits of this proposed enforcement action.

15 I take a little different position on this than I did
16 the previous discussion and we will respond in writing.
17 Specifically what we have, we have -- do they have copies?

18 MR. GILL: No, sir. I have six copies here.

19 MR. TUCKER: Now this is safeguards information.
20 What we propose to do is to let you use it during our
21 discussion and then we would take it back so you won't be
22 burdened with the requirements of dealing with safeguards
23 information. During our conference, you may have it for
24 reference.

25 MR. EBNETER: Well, I may ask you to send me one.

1 MR. TUCKER: We will.

2 MR. GILL: They are in the mail today.

3 MR. EBNETER: All right.

4 MR. TUCKER: You will have exactly what we are
5 handing you.

6 MR. EBNETER: Fine. I agree with you though. We
7 should pick them up when we get done here.

8 MR. TUCKER: You can follow all of that and all of my
9 comments and you can find them specifically in there. They are
10 contained in there and what I say is based on that information.
11 There are a few key points that I want to make.

12 In the Notice of Violation and proposed imposition of
13 civil penalty reference is made to management involvement and
14 actions and I want to show, I think, that actions have been
15 taken by management that perhaps either were not known by NRC
16 in consideration or not completely considered in the decision.

17 I think in looking at this particular area,
18 functional area of operating a nuclear power plant in the
19 security area, we see this from an enforcement point of view
20 being handled a little bit differently than the other
21 functional areas.

22 The people we deal with conduct their inspections and
23 response to us relative to those inspections a little
24 differently. We don't see quite as clear and reasonable
25 standard of acceptance of performance on a continuous basis in

1 this area like we do in others and perhaps that is due to the
2 specific documents used in terms of how you conduct the
3 inspections and things that you conduct. I don't know.

4 But my point here is, we don't see it being the same
5 level of two-way communication process in the security area
6 that we do in other areas and I think there is a relative
7 significance associated with this in terms of public health and
8 safety that is different than the other functional areas.

9 My comments that I made in the previous discussion
10 relative to the enforcement process, I would say, apply in this
11 case, too, and that was more a generic comment that I just
12 mentioned that as a part of this conference and won't pursue
13 that particular point any further.

14 Now what we have done, we reviewed all of the events
15 identified in your citation of violation. We looked back over
16 the determination of causing those events, corrective actions
17 taken. We viewed the history relative to that. We reviewed
18 the past inspection history, the violations cited during the
19 time we are talking about, inspector follow-up items and
20 unresolved items that were identified in the process. We
21 reviewed all of that.

22 As we look at it, we came to the conclusion that the
23 inspection history does not support the decision to propose
24 enforcement action as stated in the letter. We reviewed all of
25 the security inspection reports for the period from October 19,

1 1987 through August 1989 which is the timeframe we are dealing
2 with and in your letter of December 21, 1989 which is the
3 Notice of Violation and Proposed Civil Penalty, it specifically
4 identifies nine security violation areas that are cited in
5 that.

6 I want to address those specifically as relates to
7 all three sites. But then in the inspection review itself and,
8 I believe, do they have this chart?

9 MR. GILL: There are three attachments, one for each
10 station and near the end of each attachment, there is a chart.
11 You might be able to pull those out. It is probably the last
12 page or the next to last page. There should be a similar chart
13 for each station and the first thing you will notice is that
14 the areas are different at each site.

15 MR. TUCKER: We tried to put that in a form so that
16 you could get in a picture the events we are talking about and
17 timeframes relative to quarter of the year beginning with the
18 fourth quarter of 1987 going through the third quarter of 1989.
19 That is the timeframe which the citation deals with.

20 If you lay those out beside each other you will see,
21 for example, Catawba, violations were previously cited in only
22 four areas. Five areas had not previously had violations cited
23 and we have a little bit of difficulty understanding when they
24 were previously inspected with no citations, no violations
25 cited.

1 At McGuire, for example, there were only four areas
2 that were cited, five less than Catawba. Of these four, no
3 violations were previously cited. At Oconee, there were only
4 five violation areas were cited in this one and three of those
5 areas, violations had not previously been cited.

6 So based on a review of the past inspection reports,
7 we concluded that many of them in the security plan
8 implementation were considered acceptable when we read those
9 reports associated with the violations that had previously been
10 cited.

11 Yet when read the one dated December 21st which
12 covers this period of time, we don't detect the same
13 acceptability and that is why I say that we need to have some
14 clearly established reasonable standard of acceptance in this
15 area more similarly to what we have in other areas.

16 Perhaps I can illustrate my point a little more
17 clearly or it will become more clear if you look at the
18 information given to you here and this is Catawba we are
19 looking at here and Stewart, I want to use this to make my
20 point I did this morning in the SALP meeting about we see it
21 changing differently than declining as indicated in the SALP
22 report.

23 If you take these reports, really to get the whole
24 picture if you can kind of get them all out in front of you at
25 one time, but what we tried to do is to take these different

1 areas and put them together so we can observe what is taking
2 place with trend in time.

3 One is safeguards information control and this is the
4 area where I see we have maintained a level of frequency of
5 events that is unacceptable in my opinion. So that is the
6 area, as you see we had two at Catawba, two in the fourth
7 quarter of 1987 and none in the first quarter of 1988 and one
8 in the second quarter of 1988 and none in the third and fourth
9 quarters of 1988 or the first quarter of 1989 and then back up
10 to the level of two in the second quarter and back up to the
11 level of two in the fourth quarter of 1989.

12 I see that as being something that we have to deal
13 with but in looking at that, I think a large part of our
14 problem is our own plan when we identify information that is
15 safeguards information that doesn't necessarily have to be
16 declared safeguards information and by our plan and I had to
17 deal with this myself, if I take a document that is declared
18 safeguards information home with me, I have to keep it in my
19 possession all the time. I can't leave it in my briefcase
20 locked in the house while I go eat dinner at a restaurant. By
21 our plan, I can't do that.

22 I think we have more flexibility in the regulations
23 that we can exercise, one. Second, we can re-define our own
24 program of what is safeguards information and eliminate a lot
25 of that and we did this in some cases and took some of the

1 specific information, took it out of the safeguards category so
2 I could use it without having to go through the process of
3 locking everything up every time I wanted to leave my office or
4 something. That is part of it.

5 But that as we have it defined now and as you look at
6 us relative to that plan, that is a problem and we are going to
7 deal with it.

8 Let's take tailgating, for example, at Catawba. It
9 peaked in the first quarter of 1988 at four and we began taking
10 some corrective action, got it down to a level, started back
11 again, additional corrective action, and you see the last three
12 quarters, zero. That is why, Bill, I say there is a trend, a
13 positive trend that this shows and you have the information
14 attached to that of the details associated with those.

15 You have one that has three categories on it,
16 escorting, inadequate search, standby shutdown facility and
17 these relate to the nine areas that you identified in there. I
18 said certain ones were flat. The category of standby shutdown
19 facility, the violations associated with that is what I call
20 "flat." You are going between zero and one.

21 The inadequate search, only one date point in that
22 entire time. It is kind of hard to say you have a negative
23 trend with that and then escorting, again, between zero and
24 one. Now you can argue about the frequency and we are going to
25 address that and try to deal with it but my point is, it is

1 flat.

2 Then when we look at persons entering a protected
3 area, again looking at mis-issued badge and failure to issue
4 badge, mis-issued peaked again. Since then, the trend is
5 definitely down, the last quarter, none, and we look at failure
6 to issue, one in the fourth quarter of 1987 and zero since.

7 So when I put that in that perspective, I see it
8 differently than indicated in your SALP report but these trends
9 went this way as a result of management involvement relative to
10 corrective actions.

11 You can see a different degree of effectiveness in
12 some cases but in each case there was corrective action taken.
13 Where we have a flat situation and the frequency continues,
14 that says we have to do some more.

15 But the level we are talking about when I look at
16 mis-issued badges, for example, and you will find in the
17 written report, in the case of Oconee, for example, it was
18 estimated during this period of time there were approximately
19 one and a half million times badges were issued. Seventeen
20 times totally both at PAP and inside containment mistakes were
21 made. What is that? Four times 10 to the minus fourth or
22 something like that?

23 MR. EBNETER: You were around 10 to the minus fifth
24 errors and that is terrible!

25 [Laughter.]

1 MR. TUCKER: You got my point.

2 [Laughter.]

3 MR. EBNETER: The human error would be ten to the
4 minus four when you put them in a PRA.

5 MR. LIEBERMAN: If you plotted this for the other two
6 stations, would you get similar results?

7 MR. TUCKER: These, you can take that information
8 that is on that and you can do the same thing with it.

9 MR. LIEBERMAN: Would you find a similar declining
10 trend?

11 MR. TUCKER: You will find a little different trend.
12 The point I want to make, all of them will show you corrective
13 action was taken, we see a change. If it were to occur again,
14 then we would depending on the individuals involved and the
15 circumstances as to what kind of corrective action was taken
16 but we would take corrective action.

17 MR. TUCKMAN: You also have to remember that at the
18 beginning of this period, that is when we really started the
19 logging process and all that, so that is when it really came
20 out. It took a little while to get this program in place.

21 MR. EBNETER: Well, I agree. The logging thing was
22 more or less of a historical look-back and they saw things over
23 selected events without seeing all the other things. Right?

24 MR. GILL: The logs are done quarterly. The first
25 quarter started October 1987 and were submitted thereafter. We

1 MR. TUCKER: You got my point.

2 [Laughter.]

3 MR. EBNETER: The human error would be ten to the
4 minus four when you put them in a PRA.

5 MR. LIEBERMAN: If you plotted this for the other two
6 stations, would you get similar results?

7 MR. TUCKER: These, you can take that information
8 that is on that and you can do the same thing with it.

9 MR. LIEBERMAN: Would you find a similar declining
10 trend?

11 MR. TUCKER: You will find a little different trend.
12 The point I want to make, all of them will show you corrective
13 action was taken, we see a change. If it were to occur again,
14 then we would depending on the individuals involved and the
15 circumstances as to what kind of corrective action was taken
16 but we would take corrective action.

17 MR. TUCKMAN: You also have to remember that at the
18 beginning of this period, that is when we really started the
19 logging process and all that, so that is when it really came
20 out. It took a little while to get this program in place.

21 MR. EBNETER: Well, I agree. The logging thing was
22 more or less of a historical look-back and they saw things over
23 selected events without seeing all the other things. Right?

24 MR. GILL: The logs are done quarterly. The first
25 quarter started October 1987 and were submitted thereafter. We

1 will get into how we, in fact, looked at the results of the
2 logs internally. I have quarterly summaries that we can go
3 over.

4 MR. ROSANO: Let me understand before we go much
5 farther. The numbers in the inspection reports which came from
6 your logs don't really agree with the numbers that you have
7 just presented in here.

8 MR. GILL: Sometimes there are errors there.

9 MR. ROSANO: Like by factors of two or three in some
10 cases.

11 MR. GILL: For tailgating, they were tailgating into
12 security access areas sometimes as opposed to vital areas and
13 we have explained that in our violation response. Where there
14 is a difference in numbers or dates, we have explained that in
15 each one of the violation areas. Sometimes, it is just a
16 matter of miscounting how many occurred. Sometimes, it is
17 interpretation and that type of thing.

18 MR. ROSANO: For example, incorrect badge issues,
19 from your logs from which the inspection report is written, I
20 get 13 examples and that is over the course of time which was
21 also augmented by yours.

22 MR. GILL: In some cases we have added events that
23 occurred in the third and fourth quarter of 1989 which were not
24 included in the citation. In some cases the citation added one
25 and we couldn't find out which one it was. It depends on which

1 area it is.

2 We didn't try to argue too much about numbers. We
3 point out where there is a factual difference but in some cases
4 there were two events but the dates were different so we still
5 responded on that but we do note that area.

6 In some cases like in tailgating, of the events you
7 listed only eight really involved entry into the vital area
8 access and even though the citation says 13 or 15 go into vital
9 area access, others involved in the security area access, for
10 example, where there is no vital equipment. So it is the
11 attention to detail that we started looking at in going through
12 this.

13 MR. HEHL: One of the key things, I guess, as
14 identified in our transmittal, in our notice of proposed
15 violation, was the, I guess, the acknowledgement that, in fact,
16 you did take corrective action as events occurred but there was
17 not the evidence of a program or aggressiveness in trending
18 and, therefore, identifying perhaps more comprehensive
19 corrective action to alleviate recurrence of these types of
20 events.

21 MR. TUCKER: Let me address that.

22 MR. HEHL: Is what you are saying that, in fact,
23 those efforts were underway at and during the time of the
24 inspections that took place and that that was not adequately
25 communicated?

1 MR. TUCKER: We evidently did not make that clear.
2 We did not have a process to make a curve like this and kept it
3 running together. Now what actually happened and in checking
4 with our folks, the people responsible for the security area
5 and in all cases those are Duke employees.

6 Now we have a contractor that provides the security
7 service at the other two sites, here the entire security force
8 is Duke Power Company, but the people that we hold responsible
9 for making sure our security program is what it should be are
10 Duke employees and they did keep the quarterly logs.

11 They would compare one with the previous and we have
12 what we call functional area meetings. Periodically the three
13 sites get together and they would compare that experience as it
14 related.

15 MR. TUCKMAN: They are also even doing further than
16 that. There is an organization of the southeast security
17 managers and they were sharing information trying to see if are
18 we in the right area or not in the right area. Do we have many
19 more tailgating events than another station or vice-versa?

20 MR. LIEBERMAN: So what you are saying is though you
21 might not have had a fancy graph with numbers on it, people
22 were looking at the trends and taking action as appropriate to
23 try to reduce the deficiencies noted.

24 MR. TUCKER: Right. Now we have underway in a larger
25 sense utilization of computer technology to improve us in

1 getting the right information to the right people at the right
2 times so they can make better decisions.

3 Now that program is very comprehensive. We are in
4 the process of getting this information through Bob's group
5 will be accumulating the information at all three sites,
6 trending that with the information being available both to our
7 corporate staff and to the stations so they can continuously
8 monitor it on the computer with the trend process and make it
9 much easier and much quicker. We just put the information in.
10 So that is underway.

11 MR. HEHL: But back in July and August of 1989 and
12 prior to that through 1988 and 1987 timeframe, there were
13 mechanisms in place that were providing an oversight
14 identification of these trends and aggressive action to reduce
15 the occurrences.

16 MR. TUCKER: There was a very definite monitoring
17 process and as Mike alluded to comparing with others and this
18 is another point that is a part of my statement about
19 acceptable level of performance.

20 We see from our perspective this particular case of
21 citation an abrupt change in level of acceptance by NRC both
22 from our experience and what we understand from taking to other
23 utilities.

24 MR. EBNETER: What do you mean?

25 MR. TUCKER: We think this particular case and let me

1 give you some bases for that, the statement in there that the
2 adjustment of civil penalty was considered due to the fact that
3 Duke had not had any escalated enforcement action in the last
4 two years, however this was not warranted because had the
5 information in all the logs been known to NRC, the enforcement
6 history at Duke Power sites might have been different.

7 Well, to begin with, the information was there. The
8 reports were submitted. So all the logs and LERs were there.
9 Now we have had specific cases and in that information you got
10 we quote the times of the events and everything.

11 Let me quote you some of the inspection reports and
12 information provided to us from NRC during this period of time
13 that influence our thinking in this area. Oconee, inspection
14 87-46 dated 12/11/87, inspector J. Ennis stated on page two,
15 number five, "Management effectiveness security program. No
16 violations were identified in this area. The licensee had
17 established a security management structure and chain of
18 command to provide operational direction and control of
19 security force actions. A management system had been
20 established to provide for the development, revision,
21 implementation and enforcement of physical protection
22 procedures. The licensee plant management exhibited an
23 interest in and a very favorable attitude towards physical
24 protection requirements."

25 Again, at Oconee, inspection 89-10, May 23, 1989,

1 inspector A. Tillman stated on pages one and two, section A,
2 "Management support. Review of security program functions and
3 observation of security operational activities revealed that
4 the program was effectively managed and that security resources
5 were utilized in an efficient manner. The established
6 management program provided for development, revision,
7 implementation and enforcement of security plans and
8 implementing procedures. Licensee management demonstrated an
9 awareness of and supportive attitude towards physical
10 protection requirements. The security organization consists of
11 a proprietary security management function which included a
12 security manager and two security specialists and a contract
13 guard force with a total strength of approximately 130
14 personnel provided by Glove Security Company. Based on
15 observations and discussions with Security personnel during the
16 course of the inspection, it appeared that the security
17 organization was adequately managed and that communication
18 between station management and the contract guard force was
19 sufficient to ensure the maintenance of good working relations,
20 morale and motivation of the guard force."

21 I have some others I could quote but you see my point
22 about the language used as you fed back to us, your perception
23 of our managing this area during this period of time and then
24 on December 21, we get this letter combining all three
25 locations in a citation of a civil penalty and a level of

1 violation that we don't think was reflected in the degree of
2 concern expressed and the relationship up to that point.

3 I do feel that you have a regulatory obligation as
4 soon as you see a concern to inform us of that concern. It may
5 be in the form of a violation, whatever form it may be, but my
6 point is, up to this time we did not see that tone of concern
7 in any of the written documents, inspections or review of our
8 quarterly logs. It came very abruptly and we don't understand
9 that.

10 MR. HEHL: I think we agree with you that there is a
11 regulatory obligation and there is an obligation on our part to
12 inform you of deficiencies that we identify or concerns that we
13 have but I think our inspectors attempt to do that.

14 This particular case though, I think, deals not so
15 much on the individual importance or consequence of the
16 individual items that occurred looking at each one in an
17 isolated instance.

18 The area of concern was really with the overall
19 numbers and the effectiveness of your efforts in eliminating
20 those occurrences and not attempting to make any excuses for
21 our inspection staff, but I think that there is a period of
22 time and perhaps pulling all this data together to look in the
23 aggregate at these activities may not have occurred on an
24 inspection-by-inspection basis.

25 MR. ROSANO: It is important to remember that, of

1 course, the logs are not reviewed on every site visit or every
2 inspection effort and as you pointed out, these items were put
3 into logs which constitutes an report and you will notice in
4 the NOV, there was not a citation for reporting although there
5 was some discussion about what level of reporting would have
6 been appropriate for each of the events that were logged but
7 that was not addressed in the NOV.

8 The inspectors review logs as often as resources
9 permit and these items were not necessarily identified by an
10 inspector during an earlier visit because he or she didn't look
11 at the logs at that time.

12 MR. TUCKER: In some cases they were. They are
13 mentioned in the violation cited for that we make reference to.

14 MR. ROSANO: There are some earlier citations that
15 are referenced in the inspection report that were not
16 necessarily included among these that were later found in
17 addition to those earlier ones.

18 MR. GILL: Every one of these violations was, in
19 fact, a logged event or a licensee event report.

20 MR. ROSANO: Right, but we are distinguishing between
21 those that were earlier cited and those that were logged after
22 that.

23 MR. GILL: And in some cases, some of the ones cited
24 go back before a violation in which case you bring forward
25 history that should have been corrected by the violation

1 response. There is one in particular at McGuire and let me see
2 if I can recall the one.

3 That was the mis-issued badges and the citation
4 occurred the first quarter of 1989. We felt that the
5 corrective actions that we had taken at that time which would
6 again have been reviewed by an inspector in May of 1989
7 effectively resolved that and yet the December letter goes back
8 and picks up occurrences that occurred well before 1989.

9 MR. ROSANO: There were 41 examples of mis-issued
10 badges across the three sites mentioned in the inspection
11 reports as Bill pointed out. We are not attacking each
12 particular violation but the fact that there seemed to have
13 been a trend or a continuing problem that was not corrected in
14 spite of the recurring nature of the problem.

15 MR. JENKINS: The issue here is not the different
16 things. The issue or our perspective was you were finding
17 them, you weren't fixing them and maybe that is subject to
18 question but that basically our position.

19 MR. GILL: We felt that the inspectors had looked at
20 those areas and frankly, I have looked at the inspection
21 reports and there is no assessment. They have reviewed logs
22 that say so many occurred and they, in fact, highlight that.

23 MR. EBNETER: I don't think that has anything to do
24 with that, whether they found it in that time or anything else.
25 I guess the way I view it and you did a good job on your

1 homework, Hal, however, you should have brought that in the
2 office when you came to the enforcement office.

3 MR. TUCKER: Well, we presented it, not graphically.

4 MR. EBNETER: Not that way.

5 MR. TUCKER: Not that way.

6 MR. EBNETER: You see, the inspector when she did
7 this and this was Orysia, I believe, I don't know all the
8 details on it and I don't know who she talked with or whether
9 she talked to your staff or whether she talked to the
10 contractor staff.

11 MR. GILL: She talked to our staff.

12 MR. EBNETER: All right. They should have told her
13 if they were tracking this and I went to part of this
14 enforcement conference, George.

15 MR. JENKINS: Yes, sir. I think you were at all of
16 it.

17 MR. EBNETER: I might have been there for all of it
18 but, in fact, I specifically asked you how the three sites
19 compared remember and you guys had that little chart you
20 weren't going to show me until I asked and you put it up there.

21 MR. TUCKER: That was on the other area, wasn't it?

22 MR. EBNETER: No, it was security.

23 MR. TUCKER: All right.

24 MR. GILL: We did have 14 areas at that time.

25 MR. EBNETER: In looking at your analysis, it

1 certainly puts a different light on it but the primary problem
2 the inspectors had or the inspector had was that they saw this
3 repetitive pattern and you know as well as I do, they are
4 looking at numbers and they don't put this in a probabilistic
5 sense of well, this is only two out of a million or something.
6 They just see it recurring month after month the same type of
7 issue.

8 Now these certainly give you a much better view of
9 what is happening and I would think that surely if your staff
10 at each station is tracking something like this, that is what
11 they should have presented to the inspector and that is what
12 you should have presented to the regional enforcement
13 conference.

14 Now I recognize that you did do some of that but it
15 certainly wasn't as clear as the problem comes out in this
16 analysis.

17 MR. TUCKER: I agree with you and that is part of my
18 point when I said in the beginning, the two-way communication
19 in this area is not as effective as it has been.

20 MR. EBNETER: I agree with that. I do agree with you
21 also on what is an acceptable level of performance is not very
22 well defined in the enforcement area and it does cause some
23 difficulties not only in enforcement but in the SALP process,
24 too. I will see what we can do with it.

25 MR. HEHL: But you look at some of this and when you

1 look back at when the inspection occurred and perhaps the data
2 that was being reviewed at the time of the inspection, it is
3 not quite so clear that there is a flattening of the line at
4 this point, that probably she was looking at data that existed
5 from the first quarter which showed a return to an increasing
6 trend on this particular chart.

7 MR. TUCKER: It is also, Bill, like Stewart just
8 said, how many opportunities for tailgating existed.

9 MR. EBNETER: That is part of the performance
10 criteria and I do agree when we talk about personnel, a lot of
11 these are probably personnel errors and I think there is an
12 asymptotic line where you can't get below and we need to
13 recognize that something at that level is not of any specific
14 safety concern and that is part of this performance standard
15 though. What is that?

16 MR. LIEBERMAN: Remember, the reg requires a high
17 degree of assurance. The enforcement policy previously was
18 very prescriptive on what is severity level three. Any access
19 violation of vital area was essentially a severity level three
20 if, I guess, two out of the three elements were missing and we
21 had many more security violations. Then we have dropped that
22 to be more general to try to focus on the bigger picture.

23 In doing that, we became more general and this is one
24 of the situations of we don't want to be prescriptive because
25 then we have too much detail. On the other hand, we want to be

1 general but when you are general, you leave more room for
2 judgment and then we don't have enough detail and it is
3 somewhere in between.

4 As other have already said today, the reason why we
5 took this enforcement action is because it was our impression
6 that these matters are being trended, I mean, were being
7 recorded in logs and appropriate corrective action was not
8 being taken.

9 MR. HEHL: Or the corrective action was isolated,
10 appeared for the event and was not because of the repetitive
11 nature of these things was by default not effective.

12 MR. LIEBERMAN: That is a better statement.

13 MR. TUCKMAN: I can only address one plant because
14 that is all I was involved with at the time but my security
15 manager came to me early one in this period that you are
16 talking about and said that we on the basis of logable events,
17 we are having a problem with tailgating, we are having a
18 problem with mis-placed badges, that sort of thing and we
19 started working out corrective actions.

20 With any corrective action, you do something and then
21 it takes some period of time to wait and see how it does
22 particularly on something this statistically small like this.

23 MR. EBNETER: It is statistically small. There is no
24 question about that.

25 MR. TUCKMAN: It takes a while and we went out on

1 tremendous employee involvement campaigns and all sorts of
2 things and after those campaigns were mounted, you could
3 definitely over the next couple of quarters, you could see that
4 drop off and continue to pay attention. So it is not like we
5 were oblivious to what we were logging.

6 We were aware of what we were logging, the security
7 manager identified, one, we have trends here, tried to compare
8 us to the rest of the industry to see if we are at outlier, are
9 we doing about what the industry is doing or where are you at
10 because as you indicated, Stu, getting to zero events in
11 security is an impossible task.

12 MR. EBNETER: It is difficult.

13 MR. LIEBERMAN: What was the result of your looking
14 at the other facilities? Are you an outlier in some areas?

15 MR. TUCKMAN: In some areas we were and those were
16 the ones we really paid some attention on.

17 MR. TUCKER: What we have done, you will notice, that
18 went to zero. The process we have now to enter the plant has
19 been changed so that we put another mechanical process in there
20 that reduced the human element to get that human error down to
21 another level. You can't get in the plant today the way you
22 could during this period of time.

23 MR. TUCKMAN: And I will be the first to admit that
24 the attention that the NRC put on this and I don't want to
25 implicate myself but the attention to this helped get us more

1 focused in making those changes.

2 MR. ROSANO: This was one of the things we were
3 looking for. We were looking for the process. We were looking
4 for the trending. We were looking for the tools that not only
5 identified the problems but focus your attention on certain
6 areas and we looked at the events and the logs and over a two-
7 year period we didn't see that because we saw that events that
8 were reported in 1987 were still being recorded in 1989.

9 But, you are right, if you look at things like that,
10 that can show you where there are weaknesses in the program and
11 then you get the results that you might expect and it goes to
12 zero but that is exactly the point in the package. That is what
13 we were looking for.

14 MR. LIEBERMAN: Does your submittal demonstrate that
15 over time you were taking actions? We obviously haven't read
16 your submittal here.

17 MR. TUCKER: In each case, we identify that
18 corrective action was taken and this information we gave you
19 with these, the specific information about each of those
20 points, what constituted the event that that point refers to,
21 as you look at the total thing, then you have different people
22 involved.

23 At one area you are talking about going inside
24 containment where you give up your badge and coming back out
25 and getting the wrong badge which is a different situation than

1 when you come into the protected area, a different process.

2 But they are mis-issued badges so you have different
3 circumstances and the corrective action that we have now taken
4 as Mike alluded to, he was very much aware that it was and he
5 took about three different steps to try to get on top of it and
6 then each proved to be less than totally acceptable to we would
7 do something else.

8 That is clear in these things. You can read that in
9 the document that we took corrective action. We have learned
10 that the more we can put in a modification that is physical,
11 either mechanical or electronic or something, then the greater
12 we can reduce the probability of the human error.

13 There is a point where it begins to decrease and
14 there is also a point in my opinion that it becomes an
15 interference. We do not want the people to turn off their mind
16 when they walk in the door.

17 MR. LIEBERMAN: There has to be a balance.

18 MR. TUCKER: You have to exercise some judgment
19 there. We were dealing from the human aspect of it up to the
20 point and then put the mechanical in at the PAP to stop.

21 MR. LIEBERMAN: Was your corporate security looking
22 at the performance of the three plants and doing any studies or
23 analyses of how the various plants were doing as a company as a
24 whole?

25 MR. TUCKER: In terms of monitoring the trend and

1 data information on the reports as part of the functional area
2 meeting I referred to earlier, the information all comes into
3 our compliance group and Bob has an area there of monitoring
4 for the total.

5 The one thing that did influence actions in this
6 period of time, you made mention in your SALP, I believe, at
7 both McGuire and Catawba, that we had reduced resources. One
8 thing that we did in that timeframe, part of our conscious
9 decision associated with the work activities review as we
10 called it, that exercise, we re-assigned some of the
11 responsibilities in most of the major functional areas and
12 security was one of them.

13 So we re-assigned the general office function for
14 that review, not the station, but the general office in that
15 timeframe. So there was an interruption and introduction of
16 transition from one group of people to another. I don't see
17 any evidence that that influenced it but that is a fact.

18 MR. EBNETER: Let me clarify your answer a little bit
19 and you can correct me if I am wrong.

20 MR. TUCKER: All right.

21 MR. EBNETER: Jim, in answer to your question, I
22 don't believe there was a corporate oversight at this time. As
23 you said, you had given this the site responsibility and this
24 was one of the major concerns that sort of developed from this.
25 Each station was doing it individually and each station had a

1 pattern and it didn't appear that there was some corporate
2 oversight to look at those patterns. That is really how a lot
3 of this came out.

4 MR. GILL: In the first part of this two-year period
5 we are talking about, that is correct.

6 MR. LIEBERMAN: These functional meetings, when did
7 they begin?

8 MR. GILL: We started our first one in January of
9 1989, about a month after the restructuring.

10 MR. TUCKER: But you had functional area meetings
11 before then.

12 MR. TUCKMAN: The security managers from all three
13 plants had been meeting together on some basis for several
14 years.

15 MR. GILL: They had one person involved from the
16 corporate office prior to that.

17 MR. TUCKER: Right. We now added that in there but
18 the three sites getting together as Mike just alluded to, that
19 has been our practice for several years.

20 MR. TUCKMAN: And not just in the security area
21 either.

22 MR. LIEBERMAN: But in looking at problems, say in
23 the logging of issues and is there a problem that we need to
24 work together on and things of this sort which I presume is
25 what the functional meetings area.

1 MR. TUCKMAN: Those meetings are among the security
2 managers at all three stations plus the security representative
3 from the general office would range in a full spectrum of
4 things. "I am having this problem. Are you guys having this
5 problem? How are you fixing it" and that sort of thing.

6 MR. EBNETER: Let me ask you something. What is Mr.
7 Tuckman's role going to be? Is he going to have a bigger role
8 in that since you are the general manager of nuclear support
9 services? Is he going to be looking, say, maybe, instead of
10 Bob, Bob, I guess, you are supposed to look at these logable
11 events.

12 MR. GILL: The program we are developing will have my
13 folks supporting you. I have a security specialist for each
14 station under me.

15 MR. TUCKER: The answer to your question directly is
16 yes. Mike in his responsibility is going to look at how we
17 support and manage the technical areas of the station within
18 our department and the support from other departments. We
19 specifically had a recent discussion about all of the areas
20 that were involved in our work activity review.

21 We have changed and you see evidence of it with the
22 site engineering group we have, the division design engineering
23 department. A number of changes have taken place in our
24 corporation that involve different people and different
25 relationships relative to this support and Mike is going to be

1 pulling that into focus including this kind of stuff, how we
2 monitor all three sites.

3 It is a part of what I alluded to earlier, the
4 broader scope of utilization of computerization so we can get
5 the right information in and those programs are underway right
6 now.

7 MR. TUCKMAN: As an example of an activity like that,
8 we just started and had our first kickoff meeting on looking at
9 reactivity management at those three plants.

10 MR. EBNETER: Does that mean how you react to us?

11 [Laughter.]

12 MR. TUCKMAN: No, no, no, no. Nuclear reactivity.
13 We pull together the reactor engineers from all three sites,
14 the general office design engineering, people who maintain our
15 computers and all those sorts of activities and it was amazing
16 to me that we had not incorporated all the lessons learned from
17 one plant to another and that was one area that I wanted to
18 start in. We intend to try to do much more on that.

19 MR. TUCKER: When you pull all of the information
20 together on seven units and you find zero at one place and
21 higher numbers in another place, then that raises some
22 questions.

23 MR. EBNETER: So you have given me all of the
24 statistics and they do tell a story. What is your bottom line
25 here? Do you think we are way off base, I take it?

1 MR. TUCKER: I think the severity level is
2 inappropriate and I certainly think the civil penalty is
3 inappropriate for the circumstances evaluated across the board
4 and as I mentioned to you in our original conversation, I have
5 some concerns from my point of view the abnormality of it of
6 bringing all three sites into one citation.

7 When I look at the review, there is a little bit of
8 difference in the trend at each location. Well, we tried to
9 point out, we were monitoring this not in the same sense that
10 you see it presented there.

11 MR. EBNETER: I know, and that is my problem. I
12 certainly think these set of statistics paint a different
13 picture than the way we have seen it, you know, just by reading
14 letters and things but I understand that. The abnormality of
15 the approach here, I think, Jim Lieberman ought to tell you how
16 that came about.

17 MR. LIEBERMAN: Yes, and it is unusual to consider
18 the activities of more than one site in developing enforcement
19 action. In looking at that and remembering that our basic
20 concern was a lack of effective corrective action being taken
21 in response to the various findings in the logs which may need
22 to be re-evaluated in view of the information provided today
23 but recognizing that we considered a separate enforcement
24 action at each site.

25 We said to ourselves, "Well, maybe if you did that

1 and applied the enforcement policy, that would come up
2 \$150,000.00" and we thought that was not the appropriate amount
3 of money for a case like this so we exercised some discretion
4 and put it all together in one package at \$50,000.00.

5 So that was the logic for putting together into one
6 package. It is not the routine way of doing it. In most cases
7 I wouldn't expect to see that but we thought it was the right
8 way to package our concern.

9 MR. HEHL: But the enforcement policy does and
10 correct me if I am wrong, Jim, does, in fact, address that
11 events that occur at other units that are owned by the same
12 utility are, in fact, issues that are perhaps pertinent to the
13 enforcement process.

14 MR. EBNETER: I don't think it says that but I think,
15 Jim, you ought to tell them how we arrived at this. You did go
16 through the legal process with OGC.

17 MR. LIEBERMAN: That is true. Bill is right that the
18 policy does allow us to consider activities at the other sites
19 and we thought that there was a basis to take action at each
20 site independent given the numbers.

21 So we thought we were on firm foundation to go with
22 three separate actions but we combined it to get the amount of
23 money that we thought was appropriate. That is how we got to
24 where we got. Now what we have to do is to look at the
25 information you have provided us to see if the basis that we

1 said in the letter is, in fact, valid and if we are wrong on
2 the facts, we will have to re-group.

3 MR. TUCKER: Let me do this. Let me take a quick
4 time-out and I will come back and we will respond to that. I
5 had some other comments I wanted to make relative to why, I
6 think, it is inappropriate if you will give me just a few
7 minutes.

8 MR. LIEBERMAN: Sure. Off the record.

9 [Brief recess.]

10 MR. LIEBERMAN: Back on the record.

11 MR. TUCKER: Jim, let me respond to your comments in
12 that we thought probably you did take such an approach in that
13 decision and I realize the exposure both ways associated with
14 that, but we didn't see that in any other functional area and
15 again, I would say this area seems to be from our perspective
16 treated a little bit differently.

17 One other point that I think I need to make and I
18 alluded to in the very beginning but to put this in perspective
19 in relative significance of safety of the plant, the badge
20 mis-issue, nobody got in an area they were not authorized in
21 terms of people that had badges and they were mis-issued. They
22 were authorized to go into the areas they went in.

23 It was not a question of safety involved or some
24 outsider getting in.

25 MR. EBNETER: I might agree that that is probably so

1 but did you actually verify that? You don't know where those
2 people actually went.

3 MR. TUCKER: They had access to get into the areas
4 they were authorized to go. Then when you get into a cad lock
5 if you don't have your badge, you can't get in. So they were
6 authorized to go into the protected area where they went.

7 MR. LIEBERMAN: But in none of these cases at the
8 three plants had any situation where unauthorized persons
9 obtained access to locations?

10 MR. TUCKER: In the case of badge mis-issue.

11 MR. LIEBERMAN: All right.

12 MR. TUCKER: In other words, I gave you your badge or
13 I gave you the wrong badge. Now there was one case at McGuire
14 where an area had not been and we changed the designation of
15 it, one of the ladies associated with the Haymack Group, the
16 Pinto group, who worked there all the time was recognized. Was
17 that at Oconee?

18 MR. GILL: The cleaning woman who got into the
19 protected area.

20 MR. TUCKER: Any way, she didn't have a badge and she
21 got into an area that used to not be included protected and was
22 changed but she was known to security people. My point is, I
23 don't think there is any way you could take these events and
24 create a situation where somebody could take that information
25 and get into our plant and create any problem.

1 MR. ROSANO: I would like to point out that in
2 security very often and I am sure it is true in the other
3 areas, also, we are concerned mostly with vulnerabilities, not
4 necessarily simply the event, and a procedure or system that
5 would allow the wrong badge to be issued to a person sometimes
6 it is just fortunate when it happens to be given to the wrong
7 person who happens to be authorized so we are concerned about
8 the vulnerability involved that would have given out the wrong
9 badge. It may have been fortuitous that no unauthorized people
10 actually went in.

11 MR. TUCKER: You have to realize also, there is a
12 degree of familiarity. That is exercising your own security
13 program.

14 MR. ROSANO: Yes, but in most sabotage scenarios,
15 actual and those proposed, it is the recently terminated
16 employee or it is another familiar individual who causes the
17 biggest problem so we can't rely on that. We have to have
18 physical authorization like a key card and a badge.

19 MR. TUCKER: I understand that.

20 MR. ROSANO: Those are important.

21 MR. TUCKER: I understand that but I am making a
22 point. I understand the absolute aspect of it but I also raise
23 a point as to the question of the need for absolutes. That is
24 another element of security that is different from the rest of
25 the functional area and an aspect of public health and safety.

1 In my review of this, I think that has to be a
2 factor, how much at risk was public health and safety in this
3 review.

4 MR. LIEBERMAN: The question is, do you believe that
5 there is an insider and the insider may do some damage.

6 MR. TUCKER: If I have an insider, he is not going to
7 make that kind of mistake. He will follow every rule and
8 regulation to get to where he wants to go. He will sure he has
9 the right badge. He will make sure I know he is in there.

10 MR. LIEBERMAN: I guess we really don't know what
11 will happen in that situation. Hopefully, we will never have
12 the situation to worry about.

13 MR. TUCKER: Again, this is getting into the
14 philosophical area of it but the security aspect of the license
15 part of a nuclear power plant is more militaristic, associated
16 with military type, which I think is essential when you are
17 dealing with a weapons facility or something like that.

18 But they are different situations and yet the
19 security measures are patterned from my perspective after the
20 military program rather than a commercial power plant and when
21 you approach the reality of it --

22 MR. EBNETER: That is another when you need to recall
23 the "Serenity Prayer."

24 [Laughter.]

25 MR. TUCKER: I will accept your advice and get off my

1 soapbox.

2 [Laughter.]

3 MR. TUCKER: But I am trying to put into perspective
4 the public health and safety which I think is viewed
5 differently in this area and it raises some questions in that
6 respect.

7 I realize your comments about grouping the three
8 together but I hope we have shown you that we did have in place
9 some reviews, we did take some corrective actions and we have
10 taken some more.

11 Each case we found or each violation that was pointed
12 out in that sequence of time and in the inspection reports
13 prompted our attention and, of course, this one heightened the
14 attention the way it was expressed. But I honestly feel based
15 on our review of the situation and the time covered by this
16 inspection that the severity level and the civil penalty is
17 inappropriate. I guess I rest my case.

18 MR. LIEBERMAN: We will give due consideration to
19 your comments and your submittals and hopefully we will make
20 the right decision.

21 MR. TUCKER: I trust you will.

22 MR. LIEBERMAN: I guess this meeting is over.

23 MR. TUCKER: Thank you.

24 [Whereupon, the above-entitled meeting was concluded
25 at 2:10 o'clock p.m.]

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission

in the matter of:

NAME OF PROCEEDING: Management Meeting Duke Power

DOCKET NUMBER:

PLACE OF PROCEEDING: Clover, South Carolina

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.

Marilynn Nations

MARILYNN NATIONS
Official Reporter
Ann Riley & Associates, Ltd.