

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
 Future Plant Designs Subcommittee

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Wednesday, September 9, 2015

Work Order No.: NRC-1868

Pages 1-80

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY
COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

FUTURE PLANT DESIGNS SUBCOMMITTEE

+ + + + +

WEDNESDAY

SEPTEMBER 9, 2015

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B1, 11545 Rockville Pike, at 8:30 a.m., Michael
Corradini, Chairman, presiding.

COMMITTEE MEMBERS:

MICHAEL L. CORRADINI, Subcommittee Chairman

RONALD G. BALLINGER, Member

DENNIS C. BLEY, Member

CHARLES H. BROWN, JR., Member

DANA A. POWERS, Member

JOY REMPE, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

HAROLD B. RAY, Member

STEPHEN P. SCHULTZ, Member

GORDON R. SKILLMAN, Member

DESIGNATED FEDERAL OFFICIAL:

MAITRI BANERJEE

ALSO PRESENT:

GREGORY CRANSTON, NRO/DNRL/LB1

JEFFREY SCHMIDT, NRO/DSRA/SRSB

MARK E. TONACCI, NRO/DNRL/LB1

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

TABLE OF CONTENTS

Opening Remarks, Michael Corradini, ACRS	4
Introduction, Greg Cranston, NRO	5
Emergency Core Cooling System DSRS Section	
6.3, Jeff Schmidt, SRSB	16
Public Comment (No public comment)	51
Committee Discussion	52
Adjournment	

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

8:31 A.M.

1
2
3 CHAIR CORRADINI: This is a meeting of
4 Future Plant Designs Subcommittee of the ACRS. My
5 name is Mike Corradini. I am chairman of the Future
6 Plant Designs Subcommittee of this subcommittee.
7 ACRS members in attendance are -- let's see who's
8 here today -- Harold Ray, Steve Schultz, Dick
9 Skillman, Dana Powers, Ron Ballinger, and Joy Rempe.
10 A couple other members will join us later.

11 Ms. Maitri Banerjee is the Designated
12 Federal Official for this meeting.

13 Today, we have members of the staff to
14 brief the subcommittee on the staff's development of
15 the Design-Specific Review Standard, DSRS, for the
16 NuScale Small Modular Reactor. This document is
17 being developed in anticipation of the NuScale Design
18 Certification Application for the integrated
19 pressurized water reactor technology.

20 The discussion topics of today's agenda
21 will be DSRS Section 6.3, ECCS systems.

22 The rules for participation in today's
23 meeting were announced in the Federal Register. The
24 meeting was announced as an Open Public Meeting. No
25 request for making a statement to the subcommittee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has been received from the public.

2 We have one bridge line established.
3 That bridge line and password were published in the
4 agenda posted on the NRC public website.

5 To minimize disturbances, the public line
6 will be kept in listen-only model and the public will
7 have the opportunity to make a statement or provide
8 comments at the designated times at the end of the
9 subcommittee meeting.

10 Dr. Rempe has a conflict of interest in
11 the area of NuScale severe accident consideration
12 because of her prior work as she completed it with
13 NuScale in this area. And Dr. Rempe will recuse
14 herself from discussion in this area.

15 Okay, let me invite Mr. Greg Cranston,
16 the NRO Project Manager, to introduce the presenters
17 and we'll start from there.

18 Greg?

19 MR. CRANSTON: Good morning. My name is
20 Greg Cranston. I'm the Senior Project Manager for
21 the NuScale project. This is the second in a series
22 of meetings on selected draft DSRS sections for the
23 NuScale project.

24 Since our last meeting, we've started to
25 receive comments. The vast percentage of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 comments received so far are from NuScale, so just
2 under 700. And we did receive some general comments
3 from NEI and we are told that there are some more
4 comments that are going to be coming in as soon as
5 they're processed through document control that we
6 haven't seen yet. So we're currently putting those
7 into a comment matrix and we're going to be getting
8 them out to the respective technical branches for
9 incorporation.

10 This will give us an opportunity for
11 updates during the comment and incorporation, where
12 appropriate, based on the comments that we've got and
13 any other information that we've received since the
14 DSRs were originally drafted.

15 Some DSRs sections may revert back to
16 Standard Review Plans after we've had a chance to see
17 what the comments look like, what we know now about
18 the design compared to what we knew previously. So
19 that's something that's just out there, but no
20 decisions have been made specifically in that area.

21 What we want to do is provide ACRS with
22 the approach staff took in developing the DSRs
23 sections and you can see there what the presentations
24 intended to cover, as far as what change between the
25 SRP and the DSRs, why the change was made and any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions that you may have on the design information
2 available to date.

3 This is a brief history which I did cover
4 last time, but the only thing that's really changed
5 is that we do have comments in-house that we are
6 processing.

7 That's all I have as far as the
8 introduction. If there are no questions or comments,
9 I'd like to turn the meeting over to Jeff Schmidt who
10 is going to cover Section 6.3, Emergency Core Cooling
11 Systems.

12 CHAIR CORRADINI: So let me just give a
13 comment to the subcommittee and get your guys'
14 reaction so you can see where I'm coming from. So I
15 am sure you're reading this word for word in great
16 detail. My problem with this is it's so much detail
17 I can't see the forest for the trees. So I've kind
18 of alerted Greg that what I'm looking for is some
19 sort of connection so that we understand the key
20 innovations, unique features of the NuScale design
21 and how it's being reviewed so we can map that on to
22 the safety issues, whether it be for high pressure
23 decay heat removal or low pressure decay heat removal.
24 Right now we're going to look at ECCS systems. But
25 if you have general comments like that to me that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see ways to improve how we look at this, I'd welcome
2 it from the committee members because I see a lot of
3 trees, but I'm having a hell of a time seeing the
4 forest.

5 MEMBER SKILLMAN: Mike, I appreciate your
6 comment, but let me direct my question right to Greg.

7 CHAIR CORRADINI: Sure, go ahead.

8 MEMBER SKILLMAN: Greg, I read 6.3 very
9 carefully and in order to understand the changes from
10 the SRP and get a fix in my mind on the type of thing
11 that Mike is talking about, I also reviewed 4.4 which
12 is thermal-hydraulic design and 15.6.5 which is the
13 loss of coolant accident.

14 What I was looking for in 6.3 was an
15 overwhelming direction towards confirmation that the
16 thermal-hydraulic capabilities of the passive system
17 would be successful. The overwhelming direction was
18 towards the passive functions. And I would agree
19 that that is very slightly provided in 6.3, but not
20 as firmly or as I would say articulately as it needs
21 to be.

22 We're dealing with another passive issue
23 on another design, and what we found is the
24 assumptions for heat transfer, the assumptions for
25 the rate of condensation, the collection of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 condensation are critical in the success of the decay
2 heat removal function. My sense is that that issue
3 will be on the NuScale design on steroids.

4 So I would just comment that what I read
5 in 6.3 doesn't firmly communicate the sensitivity of
6 the passive thermal-hydraulic function that is the
7 heart of decay heat removal. And I'll be glad to
8 give Dr. Corradini my specific comments, but that is
9 my over-arching comment. Where is that fully
10 communicated? It isn't really there in the current
11 draft.

12 CHAIR CORRADINI: We're going to -- I
13 think Jeff is going to address 6.3, but I want to
14 make sure I understand your point, Dick. Is it that
15 you're looking for some sort of over-arching play
16 book as to this is what we're concerned about and
17 here's where we're referring each of the pieces? Is
18 that what you're after?

19 MEMBER SKILLMAN: I would expect that the
20 Design-Specific Review Standard would force the staff
21 to interrogate the passive features to the same extent
22 that they would have examined a hardware type system
23 for decay heat removal.

24 On this design, the decay heat removal is
25 really tied up to opening two valves, but a complete

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 passive process. And it is the effectiveness of that
2 passive process that removes the decay heat as opposed
3 to the size of the pumps, the redundancy of the pumps,
4 the size of the heat exchangers, the UA of the heat
5 exchangers, literally down to the ultimate heat sink.

6 6.3 is an SRP section that once had all
7 of those details. 6.3 has been changed for NuScale
8 and it doesn't have that same level of rigor down on
9 the passive pieces that are essential for decay heat
10 removal to be successful.

11 MEMBER RAY: Mike, that triggers a
12 question that I wouldn't have asked at this point in
13 time, but let me ask. Thank you, Stephen.

14 That triggers a question that I would
15 have probably postponed, but I think it fits here now
16 in terms of what Dick is saying, at least in my mind
17 it does.

18 Does Appendix B apply to the work that is
19 done to support the information that's provided by
20 the Applicant?

21 MR. SCHMIDT: I'm not sure I understand
22 the question.

23 MEMBER RAY: You don't understand the
24 question?

25 CHAIR CORRADINI: I don't understand the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question either, so help.

2 MEMBER RAY: Okay, Appendix B calls for
3 a lot of things to be done like Dick is asking about,
4 to validate and verify the information that's used in
5 the design. And I'm just asking at this stage, the
6 information provided by the Applicant, will it have
7 to comply with Appendix B?

8 CHAIR CORRADINI: You've got to get
9 closer.

10 MR. CRANSTON: Yes, Appendix B, Appendix
11 A from the general design criteria or whether it's
12 getting into quality issues, they both apply to
13 NuScale as they would for any application from a
14 pressurized water reactor.

15 MEMBER RAY: All right, things that are
16 asserted are subject to being challenged on the basis
17 of whether or not adequate design verification, for
18 example, has been done to satisfy Appendix B?

19 MR. CRANSTON: Correct.

20 MEMBER RAY: All right, thank you.

21 CHAIR CORRADINI: Do you want to take up
22 Dick's comment now or wait until we go through your
23 presentation and then come back to it?

24 MR. SCHMIDT: I would say that there's -
25 - I think there's some truth to that. There is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 another component which you have to look at which is
2 the containment portion. I don't think you listed
3 6.2 -- I can't remember if it said 6.2.5 or 6.2.2 off
4 the top of my head. Because that has a lot to do
5 with the condensation which we were referring to which
6 is true, I think that's an important piece.

7 So I would just ask you to look at that
8 component as well because it's not clear, it's not as
9 straight forward how you separate out the ECCS
10 function from the containment function in this
11 design, right? The containment is crucial to the
12 ECCS system, so it's -- it might be split in two
13 different spots.

14 MEMBER SKILLMAN: Jeff. Thank you. I
15 accept that, but I would respond by saying that
16 subtlety should be made clear in probably both 6.2
17 and 6.3.

18 MR. SCHMIDT: Right, agreed.

19 MEMBER SKILLMAN: Thank you. I would
20 like to reinforce Harold's question. What I am
21 really getting at is the validity of the analyses and
22 the assumptions of the analyses to ensure decay heat
23 removal under emergency core cooling conditions. And
24 if Appendix B applies, then that would apply to the
25 codes, to the calcs, to the record keeping, so that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when the NuScale design is complete, we've got
2 confidence that the functions that they communicate
3 will be performed, are performed.

4 MR. SCHMIDT: Yes, they're currently
5 doing testing or trying to do testing with basically
6 the ECCS system probably as we speak. They're
7 running tests. When we went out for inspection, I
8 guess it was two weeks ago, and they were going to
9 run an ECCS test. Unfortunately, they weren't able
10 to because of some hardware problems. But all that
11 is under Appendix B program.

12 CHAIR CORRADINI: You mean the whole
13 testing program?

14 MR. SCHMIDT: Yes.

15 CHAIR CORRADINI: I think we should let
16 you go forward, but let me -- I think we're all kind
17 of going around the same issue which is everybody is
18 trying to find a way to get their hands on it. But
19 if it were just me, I'm looking for when we had the
20 initial presentation, I think it was in June or May,
21 I can't remember when, from NuScale. As Dick
22 mentions, they essentially have -- they look through
23 a series of potential accident scenarios and they
24 have to have a certain set of functions which were
25 either active valve functions or the equivalent of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the passive behavior, just natural circulation.

2 I'm trying to figure out in the review,
3 okay, this is how the system behaves, now you're going
4 to look at this part of the system here, and this
5 part of the system here and here and somehow we're
6 down here into the pieces and I'm having a hard time
7 connecting back up to everything else. I think
8 that's kind of what you're saying.

9 MEMBER SKILLMAN: Correct.

10 CHAIR CORRADINI: Right? Because at
11 least in this design, the ECCS requires the action of
12 four valves to one set of valves and a redundant set
13 and life is good. But then we have to see things
14 that I would expect and I'm not sure when we'll see
15 it is since it's all passive, they're going to have
16 to have a scaling logic for all their thermal-
17 hydraulics so we can understand when they tested, you
18 feel the integrated response really matches up and is
19 scaled appropriately. So if it's not here, where is
20 it? If they're going to look at needing some sort of
21 DC power for valve actuation, we already brought this
22 up in the meeting in August. Where are you looking
23 at it and where is it being tested? That's where I'm
24 -- I'm kind of down here in these individual pieces
25 and I'm having a hard time coming back up and around

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to where it connects. I kind of repeated myself, but
2 I can't -- I was struggling this weekend, to put it
3 mildly.

4 MR. CRANSTON: And I think that's
5 something that when we talk this afternoon, I think
6 that fits right in to what we were looking for to try
7 to bring to you the right DSRs and put a package
8 together.

9 CHAIR CORRADINI: So I'll ask my first
10 question and then I'll let you start. So my first
11 question was how does the accident -- how do the
12 various accidents evolve relative to high pressure
13 and low pressure? Because I understand the way the
14 system behaves that if I'm able to remove decay heat
15 at high pressure, the DHRS, the Decay Heat Removal
16 System, is the key system and all individual
17 functions. And then if I can't maintain it, then I
18 depressurize, I essentially cause myself to have a
19 LOCA or I have a LOCA of some size. And now the ECCS
20 systems have to behave.

21 And so when we walk through this one
22 today, I'm kind of curious about details how the two
23 interaction, right?

24 MR. SCHMIDT: You know, this is really
25 for loss of coolant accident. The decay heat removal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system is primarily for the non-LOCA loss heat sync
2 incident. And that's their primary function.

3 CHAIR CORRADINI: If they fail to do it
4 there, then they cause essentially just like the
5 AP1000 --

6 MR. SCHMIDT: Right, they have a back-up
7 capability effectively which it says in the first
8 paragraph here that if you don't have the decay heat
9 removal system, you can use the ECCS system to remove
10 decay heat.

11 CHAIR CORRADINI: Why don't you go ahead
12 and we'll ask some other questions. Go ahead through
13 your presentation. We won't stop you now for a while.

14 MR. SCHMIDT: This is the NuScale ECCS
15 system. Probably the presentation isn't really set
16 up for what you're looking for, unfortunately.

17 CHAIR CORRADINI: That's all right, we
18 have questions. I'm ready.

19 MR. SCHMIDT: So there's no change in the
20 applicable GDCs. No change in the acceptance
21 criteria. Major changes were due to NuScale design
22 specifics. Major changes included eliminating BWR
23 material, eliminating references to active flow
24 systems and references to piping and added a general
25 description of the RVV and RRV function.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We talked about nine public comments.
2 People recommended deletions, one a rewording, and
3 preliminary staff review of those questions or those
4 comments, staff would agree with those changes.

5 CHAIR CORRADINI: Okay, so I have a
6 question. So as I understand it, we have to have --
7 we have a pair a RVVs and RRVs that have to actuate
8 to essentially initially ECCS either because I want
9 to depressurize because I haven't been able to do it
10 at high pressure or I have some sort of line break,
11 right?

12 MR. SCHMIDT: Right.

13 CHAIR CORRADINI: Feeding into the
14 integral vessel.

15 MR. SCHMIDT: Right.

16 CHAIR CORRADINI: Are those the only
17 valves that need to be closed or check valves that
18 need to operate properly? Where in the review is
19 containment isolation specifically, the staff is
20 looking at containment isolation to make sure that
21 everything closes appropriate? Or is this design
22 such that I don't need everything to close? I can
23 essentially still remove decay heat at low pressure
24 with leaky valves. Where is that in 6.3? Or is it
25 somewhere else?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCHMIDT: I think it's in 6.2
2 something.

3 CHAIR CORRADINI: Let him answer.

4 MR. SCHMIDT: Containment isolation is
5 in 6.2.4, I believe.

6 MR. CRANSTON: Yes, 6.2.4 is containment
7 isolation.

8 CHAIR CORRADINI: So in this design, do
9 I need to have all the connective systems isolated
10 for effective ECCS operation? Or can I get away with
11 leakage through a check valve of CVCS and still
12 essentially remove decay heat? Is that being checked
13 in 6.2 or going to be checked in 6.3?

14 MR. SCHMIDT: I would say it's probably
15 going to be checked in 6.3.

16 CHAIR CORRADINI: Okay. Can you point
17 to where it is in there because I had trouble. We
18 can come back to that.

19 MR. SCHMIDT: CVCS will talk about the
20 check valve related to the CVCS system. This
21 discusses the check valves related to the ECCS system.
22 So I guess what I would say is it's probably in the
23 CVCS system if you're talking about the CVCS slide.

24 CHAIR CORRADINI: Okay. But is staff --
25 I don't know how to ask the question. But so is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 function separated such that -- or is one individual
2 or one group looking at the whole concept of it for
3 NuScale? Because as I understand it, you could have,
4 as I understand the design, you don't necessarily
5 need to have complete containment isolation to remove
6 decay heat. Or am I wrong about that?

7 MR. SCHMIDT: I have not heard that
8 before.

9 CHAIR CORRADINI: Okay, so I'm probably
10 misinterpreting.

11 MR. SCHMIDT: I have not heard that.

12 CHAIR CORRADINI: So CVVS is done in
13 where, I'm sorry?

14 MR. SCHMIDT: 9.3.4.

15 CHAIR CORRADINI: Okay. And all of
16 containment isolation discussion here is only for the
17 ECCS system.

18 I have another question, unless members
19 have others. Are the CVCS lines normally open to the
20 reactor coolant system piping connections?

21 MR. SCHMIDT: Yes.

22 CHAIR CORRADINI: So they would have to
23 isolate or the check valve would have to function?

24 MR. SCHMIDT: I think the CVCS, if I
25 remember correctly, the one safety function of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CVCS is isolation.

2 CHAIR CORRADINI: Okay. What about the
3 -- you have other systems which I'm not familiar with.
4 The CFDS, Containment -- I can't remember what all
5 these -- Containment Flooding and Drain System and
6 Containment Evacuation System. Is that part of the
7 necessary isolation for operation of ECCS?

8 MR. SCHMIDT: I'm not sure. I don't
9 really know.

10 CHAIR CORRADINI: Is 6.3 the place
11 they're supposed to worry about that?

12 MR. SCHMIDT: Again, I would probably
13 think it would be isolation for containment
14 isolation.

15 CHAIR CORRADINI: So it's not clear, but
16 it should be in here where it's checked?

17 MR. SCHMIDT: Yes.

18 CHAIR CORRADINI: So let me ask my
19 question in general then. So there should be no, at
20 least as you understand the system design, there
21 should be no open lines connected to containment
22 volume. There's either got to be what I remember as
23 double isolation or check valve isolation for the
24 CVCS?

25 MR. SCHMIDT: Right. I'm not aware of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any identified leak path in the pre-application
2 information that I've been given.

3 CHAIR CORRADINI: Okay. Let me ask a
4 different question. So going back to the CVCS, if
5 the check valve leaked, we would have containment
6 bypass essentially an interfacing systems LOCA?

7 MR. SCHMIDT: Right.

8 CHAIR CORRADINI: So it's in 6.2 where -
9 - or it's in 9.3.4 where that -- the reviewer would
10 have to worry about that and verify?

11 MR. SCHMIDT: There's an isolation valve
12 -- if there is a check valve in the system, you're
13 saying?

14 CHAIR CORRADINI: Yes.

15 MR. SCHMIDT: Inter-system LOCA is
16 usually covered in 6.3.

17 CHAIR CORRADINI: Okay.

18 MR. SCHMIDT: At least it has you look
19 for inter-system LOCA potentials. But I think the
20 CVCS person would also be looking at potential
21 bypasses.

22 CHAIR CORRADINI: And that's
23 both probably here in 6.3 and in the CVCS?

24 MR. SCHMIDT: Right.

25 CHAIR CORRADINI: I'm just making notes.
I'm sorry. If others have questions, feel free to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 jump in.

2 MEMBER SKILLMAN: I do. At the areas of
3 review which is the draft one, you've deleted SAR and
4 replaced SAR with technical submittal. And I
5 question why you removed SAR. I would think SAR is
6 a required component of NuScale's submittal.

7 MR. SCHMIDT: Could you point to where
8 that --

9 MEMBER SKILLMAN: Sure. It is the draft
10 6.3. It is Roman numeral I, areas of review, and it
11 is the first sentence.

12 MR. SCHMIDT: Oh, first sentence.

13 MEMBER SKILLMAN: "The reviewer reviews
14 the information presented in the Applicant's
15 previously SAR, now technical submittal." Why is SAR
16 removed?

17 MR. SCHMIDT: I'd have to get back to you
18 on that. It is probably a legal change. I don't
19 think it's a change that I made.

20 MR. TONACCI: Jeff, this is Mark Tonacci
21 on the side. I think this also applies to topical
22 reports as well which goes beyond just Safety Analysis
23 Report?

24 MR. SCHMIDT: Usually 6.3 is just the DC.

25 MR. TONACCI: But they're submitting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 topicals.

2 MR. SCHMIDT: Yes, they are submitting
3 topicals.

4 MR. TONACCI: So as written, it's broader
5 and covers both aspects.

6 MEMBER SKILLMAN: But wouldn't the SAR
7 identify a topical as a reference?

8 MR. TONACCI: If it comes in -- if the DC
9 comes in first, but if the topical comes in first,
10 I'm just looking at this just grammatically. If Jeff
11 gets a topical report in next month and the DC is not
12 submitted yet, he would use this DSRS if it were
13 approved to review the topical if he needed it.

14 There are a number of topical reports on
15 the order of 15 to 18 coming in prior to the DC
16 application.

17 MEMBER SKILLMAN: Then it would seem as
18 though the sentence should reflect the capability to
19 either address the topical or the SAR, whichever is
20 the -- if you will, the final document for the design
21 cert.

22 MR. TONACCI: I agree. I mean you could
23 write it several ways, but just writing it broadly as
24 the submittal allows you to -- the way I read it,
25 allows you to do it either way.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SKILLMAN: Thank you. I
2 understand. One of the -- I'll tell a story and then
3 I'll ask a question. In April of '79, we stopped the
4 reactor coolant pump at the TMI-2. We didn't know
5 whether or not one loop or both loops would go into
6 natural circulation. That had never been done before
7 and certainly not full-scale tests and certainly not
8 a full-scale test with a LOCA. And I was involved in
9 that and I will tell you we held our breath. We
10 stopped that reactor coolant pump and we didn't know
11 what was going to happen. And after about 45 to 50
12 seconds, we began to see the trace and both loops
13 went into forward natural circulation and what drove
14 that was the difference in density between the hot
15 core and the cold water and the same elevations in
16 the cold legs in steam generators.

17 I was one of probably several hundred
18 people that were holding our collective breath. We
19 didn't know what was going to happen. We shouldn't
20 be in that situation here. We should know that these
21 loops will go into natural circulation and we should
22 also know that gas binding cannot threaten the success
23 of that function. So as Dr. Corradini pointed out,
24 kind of having this angst around at least several of
25 us, how this DSRs applies to NuScale because of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 essential passive nature of this decay heat removal
2 which is last stand system or last stand function to
3 protect the core, we should have confidence that when
4 this system is called upon it can't be cast-bound.
5 It is a thermal driving head system, so it really is
6 a thermal siphon. It needs to function as long as
7 the core is not blocked.

8 It seems that the essential elements of
9 those words ought to be perhaps the front piece of
10 6.3. I guess that's my -- that's the comment that I
11 would ask that you hear me communicate.

12 CHAIR CORRADINI: Can I ask Dick's
13 question a little bit differently? Is this a
14 separate function or is there a separate review of
15 the experiments that are going to be the basis of the
16 scaling logic that shows the system functions or is
17 it in 6.3 that you're asking the reviewer to go look
18 at these tests that show at some scale, like the scale
19 we saw, we both saw when we toured NuScale that gives
20 us confidence that everything is going to function as
21 expected.

22 MR. SCHMIDT: Well, there are topical
23 reports that inform the 6.3 review. There's going to
24 be a scaling report. There's going to be a natural
25 circulation report. There's going to be probably

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 LOCA will have its own reports.

2 CHAIR CORRADINI: So it's a normal set
3 of state of affairs that you write the review under
4 the assumption that somewhere else there's a topical
5 staff has already looked at, audited, and done some
6 we'll call check calculations or review, right? But
7 it isn't called out in the review stint. That's what
8 I guess I'm getting at. Do you know what I'm asking?

9 MR. SCHMIDT: That's typically true of
10 the DCs in general is that there will be 15.6.5 is
11 usually supported by multiple topical reports and
12 those reports are reviewed. And a lot of the details
13 of code applicability and methodology are all covered
14 in those topical reports.

15 CHAIR CORRADINI: Okay. So we shouldn't
16 have expected this -- what I'm trying to get at is
17 just the specific. Dick's worried. How do we allay
18 his worry? Your answer is there's a separate set of
19 topical reports that will be reviewed, audited and do
20 check calculations that will give confidence to the
21 staff to check off in 6.3 that life is good.

22 MR. SCHMIDT: You're right, absolutely.

23 CHAIR CORRADINI: All right.

24 MR. SCHMIDT: There has to be.

25 CHAIR CORRADINI: But there's no word

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 linkage to that effect. It's expected. And that's
2 the way it was done in the past?

3 MR. SCHMIDT: Right, that's correct.

4 MEMBER BLEY: Can I follow that up just
5 a little to understand better. For the ones we've
6 already done, you have the SRP as written which was
7 used as a basis, but there we had the submittal first.
8 We had the application and in the design cert.
9 document, these things are called out, are
10 referenced. I take it that's really the link that
11 ensures that we cover these reviews that we've been
12 talking about for the last 15, 20 minutes.

13 MR. SCHMIDT: I guess I'm not sure I
14 followed your question.

15 CHAIR CORRADINI: I think what he's
16 asking is in some sense we're going in a different
17 order than we're used to which is we're looking at
18 the review standard. We've yet to see the
19 application that would say gee, I want to see that
20 topical report. I want to see that calculation. I
21 want to see that experiment so I feel comfortable.

22 MR. SCHMIDT: Right.

23 CHAIR CORRADINI: Before we come back to
24 if staff's comfortable or in some simultaneous. So
25 we're kind of ahead of it. We've never done this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 before.

2 MEMBER BLEY: I go back to the first one
3 we did since -- when I got here, the ESBWR. And as
4 we were looking at that we started asking some more
5 questions and on some of the details, people told us
6 if it's not in the DCD, we don't have to have to look
7 at it. And we had long discussions and that went on
8 for many, many months. And eventually, yes, in fact,
9 everybody agreed that it needs to be reviewed in
10 detail.

11 I'm not sure what the link is that makes
12 that happen other than good management and the ACRS
13 chiming in at some point in time. Or is there a
14 process that makes that happen? That's all. And
15 it's kind of following up the same thing. Somebody
16 new comes in and they're doing the review. How do we
17 make sure -- how does this review guidance make sure
18 they look at all the things that are going to be --

19 CHAIR CORRADINI: So I'm going to broaden
20 this question. So this is my ultimate worry. You
21 guys have looked through it. You think you
22 understand the system. You've taken the Standard
23 Review Plan and said okay, we've got to change this,
24 this, and this, so we catch all the features of this
25 -- we'll call it innovated design. Fine. You send

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it out. You get multitudinous hundreds of comments
2 from the vendor that says wait a minute, that's not
3 right. This is not right. But there's a
4 completeness part of this which is not them looking
5 over it in this detail. It's somebody looking over
6 to make sure there's the integral behavior is still
7 being looked at.

8 And I don't think -- so I'm speaking for
9 myself but I'll include a few of us. I don't think
10 most of us here have (a) the time, nor the -- I'll
11 use me personally, the patience, to go into that
12 detail, but I need some sort of confidence that the
13 integral behavior is being looked at. And the only
14 way to do that is wait, get the design certification
15 in and say wait a minute, you forgot about this. But
16 in some sense that's going to cause -- that's like
17 the horse has gone out of the barn and we're trying
18 to drag them back in. So I'm trying to catch it now,
19 but I'm having a hard time.

20 So I think that's what Dennis is saying.
21 Where, at this point, can we put in the input that
22 we're missing something? Or at least we don't
23 understand where you're looking at. Am I making
24 sense?

25 MR. SCHMIDT: I'm having a little trouble

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 following it, to be honest.

2 CHAIR CORRADINI: Okay.

3 MR. SCHMIDT: You can put it -- I mean
4 one place to put it if there's concerns about the
5 interactions say between the containment branch and
6 reactor systems branch, more integrative review would
7 be in the review interface sections of the document.

8 CHAIR CORRADINI: Okay.

9 MR. SCHMIDT: I mean that's the way we
10 normally catch, if there's other pieces of
11 information we need. I don't know if that answers
12 your question per se, but that's where you would try
13 to put it, I believe.

14 MEMBER REMPE: What do you mean by the
15 review interface document?

16 MR. SCHMIDT: Interface section of the -
17 -

18 CHAIR CORRADINI: There's a section in
19 each of these where it says we don't do it here. Go
20 over there.

21 MR. SCHMIDT: Right.

22 CHAIR CORRADINI: That's what's worrying
23 me is that this interface connection, I have a hard
24 time following all of that. I'm not sure I want to
25 follow it all. I just want to feel some sort of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 overall integrative comfort that things are being
2 looked at.

3 And where I think Dennis is coming from
4 is similar is that if we go through all of this and
5 we say yes, the design specific standard looks okay,
6 then the design certification comes in. And then
7 something pops up, a technical report or a set of
8 experiments and we go wait a minute, why are they
9 doing that? We have heard in the past that says
10 well, we weren't asked to that, so we're not going to
11 do that, right?

12 MEMBER BLEY: Yes, sir.

13 CHAIR CORRADINI: So we might end up
14 calling full stop at that point and I would prefer to
15 catch it now. That's what -- that's where my kind of
16 underlying uneasiness fits in. So that's why I think
17 Dick was asking questions about since it's an all-
18 natural circulation system, at full operation and
19 under all accident modes, to me that's the over-
20 arching thing that the staff would be looking at.
21 And I don't want to say things are coupled, but there
22 is a lot of coupling between the systems.

23 MR. SCHMIDT: I think there is a lot of
24 coupling between the systems, especially between
25 containment and reactor systems or ECCS system. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mean you can't -- one can't function without the other
2 in this design. So that review is going to have to
3 be very integrative. I'm not sure how to capture
4 that, other than to acknowledge it, that it is
5 integrated and it could be maybe highlighted
6 especially in the review interface section of the
7 containment function and the ECCS system are tightly
8 coupled.

9 CHAIR CORRADINI: Well, I have more
10 specific questions, but I wanted to get the general
11 ones out of the way.

12 MEMBER SCHULTZ: I appreciate that
13 comment, Jeff. I think it's very important that what
14 you've just described, the document clearly, because
15 otherwise there's the possibility that something
16 could be at least construed as having the possibility
17 to fall through the crack.

18 MR. SCHMIDT: Right.

19 MEMBER SCHULTZ: And if you describe it
20 clearly, it in fact can prevent something from being
21 missed. This interface approach sounds very good,
22 but it in itself doesn't guarantee that one group is
23 going to believe that the other group is doing the
24 review and it's not happening. So it really does
25 need to be documented carefully.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And this is a design-specific review, so
2 you've got the opportunity to identify those key
3 things as we're trying to do here, identify those key
4 things up front so that both the staff as well as the
5 Applicant understand that everything is going to be
6 appropriately reviewed, carefully reviewed and
7 validated.

8 MEMBER RAY: Well, leave the microphone
9 on. Let me just add again if you read Criterion 3 of
10 Appendix B, and you say what you tell us has to meet
11 that standard, there should never be a circumstance
12 in which somebody says well, I didn't do it because
13 you didn't ask me to do it, because you're required
14 to do what's necessary to validate the design.

15 And I think we -- in listening to this,
16 it just would concern me that we're trying to make a
17 checklist for what the Applicant is required to do
18 and we don't want to get ourselves in that position.

19 CHAIR CORRADINI: No, we don't. No, we
20 don't.

21 MEMBER RAY: That's all I'm trying to
22 say.

23 MEMBER SCHULTZ: No, I was thinking about
24 what the staff needs to do to assure that the review
25 is complete.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR CORRADINI: But on the other hand
2 to Harold's point, I have a few questions and our
3 beloved chairman left me a couple of questions that
4 I at least want to get answered because there are
5 certain things that I'm having a hard time figuring
6 out where it might be, either here or somewhere else
7 in the --

8 MR. TONACCI: Dr. Corradini, if I may
9 interject at this point? So the SRPs have been used
10 for a number of years in a number of different
11 designs, ESBWR, ABWR, all the others. It represents
12 a lot of our collective history and knowledge, but by
13 no means is it going to capture everything in every
14 situation and that's what we have to rely on our
15 training and qualifications and depth of our staff.

16 CHAIR CORRADINI: Sure, sure.

17 MR. TONACCI: And supervisors to think
18 out of the box so you're not using this as a
19 checklist. I did this and I've done far enough.
20 You've got to be able to think well, what if this and
21 what if that? And I've witnessed the staff do a lot
22 of that, not that these can't be enhanced.

23 I think where we started I thought was a
24 really good point from -- is it Dr. Skillman, where
25 you're focusing on the key safety functions that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really have to -- that are essential and if we have
2 not emphasized that enough in this particular SRP to
3 drive home that you've got to think broadly, you can't
4 narrow yourself down to one specific aspect of the
5 design because it could change between now and a year
6 from now. They're still tweaking pieces and parts of
7 their design. So you have to write these broadly.
8 But the essential function of heat removal and a
9 passive nature and how important it is here is not
10 going to change and I thought those points were good.

11 And so I think they're enhancements, but
12 we have to recognize for the most part this DSRS is
13 being called an SRP and it's been used for many years
14 successfully by the staff. So just kind of put that
15 over-arching theme on it.

16 MEMBER RAY: Well, okay, it's been used
17 successfully, but let me tell you we're soon going to
18 have a meeting on a certified design in which we're
19 going to look at how it came to be that we didn't
20 recognize the need for something to be done and
21 reviewed. The plant is well under construction at
22 this point. So we need to learn from that experience
23 as well. It's not up to us to make a list of things
24 that they need to do. There is an over-arching set
25 of requirements that we need to make sure are met.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm talking about programmatic requirements when it
2 comes to the Applicant identifying what he needs to
3 do to validate the design.

4 CHAIR CORRADINI: Okay, does anybody have
5 other specific questions? I have a couple.

6 Dick, do you have any? You get another
7 one.

8 MEMBER SKILLMAN: This is under the
9 revised 6.3(I)(2). I believe you initiated the
10 discussion towards the passivity requirement for heat
11 removal and I would assert that that Arabic 2 is just
12 not thorough enough to get to the full body of the
13 functional performance requirement that you're asking
14 the reviewers to review or the Applicant to fulfill.

15 I read from Arabic 2, "The design basis
16 for the ECCS is also reviewed for its capability to
17 actuate automatically so as to assure timely and
18 sufficient core coverage by cooling water in the event
19 of loss of coolant accident and the valuation of the
20 need for operator monitoring and manual action and
21 control as a backup to automatic actuation."

22 I think you've got the key thought, but
23 what is absent is another add on to that that says
24 this is fundamentally a passive function and the
25 passive features that are relied upon must be reviewed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and demonstrated effective. Those words don't show
2 up anywhere in current Roman I and they also do not
3 show up in reviewer interface which is the next major
4 set of comments.

5 I would agree that you get partially into
6 it, but I'm looking for something that's really
7 unambiguous. It's very clear and it really points to
8 the essential need in decay heat removal to show that
9 the passive features are fulfilled and that includes
10 the analysis, the assumptions, the variations, the
11 permutations and combinations of heat transfer
12 coefficients. Because in this design, the function
13 that is carried is carried by the passive features,
14 not the plumbing. Once you get the valves open, it's
15 all passive.

16 MR. SCHMIDT: Agreed.

17 CHAIR CORRADINI: So can I -- I didn't
18 mean to interrupt you. So since he brought up passive
19 features, so in item 21 of Section 3, there is a
20 discussion about that the design must be capable of
21 sustaining a single active or passive failure without
22 a loss of function. So what do you mean by passive
23 failure?

24 MR. SCHMIDT: Yes --

25 CHAIR CORRADINI: Of course, this is not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 my comment. This is our beloved chairman's comment,
2 but I --

3 MR. SCHMIDT: You know, passive failure
4 is considered like a pipe.

5 MEMBER BLEY: What about a check valve?

6 MR. SCHMIDT: Check valve, I thought that
7 was considered an active failure?

8 MEMBER BLEY: Well, that's why the
9 question was asked, one of the reasons the question
10 was asked. We've heard some people sometimes say
11 check valves are passive devices, but they have to
12 change state.

13 MR. SCHMIDT: Right.

14 MEMBER BLEY: If that's considered --
15 where the heck is that defined? I was nosing around
16 trying to find that in other documents and I'm not
17 sure any longer.

18 MR. SCHMIDT: I'm not sure I can find --
19 I can point to a specific document for you right now.

20 MEMBER BLEY: I think IEEE has done it
21 for electrical, but I haven't looked at that in a
22 long time and I'm not sure at all where it's defined
23 for mechanical. So how does a reviewer know what
24 things are passive here?

25 MR. SCHMIDT: I think it's just tribal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 knowledge. I can't think of -- I can't give you a
2 specific document.

3 MEMBER BLEY: Maybe before the next time
4 you guys could dig into that a little because I --

5 MR. SCHMIDT: I think I know a person to
6 ask.

7 CHAIR CORRADINI: So let me expand on Mr.
8 Stetkar's question. I guess where I'm coming from is
9 I was guessing it was piping, but as I understand the
10 design is, at least the current version of the design,
11 everything that comes out of containment is going to
12 have isolation valves. So typical of everything on
13 either side of the containment.

14 So does that essentially preclude the
15 worrying about a piping failure? Because I don't
16 know of any other -- so my question really kind goes
17 is -- are there any connections that are coming out
18 of containment of NuScale that doesn't have an
19 isolation valve logic to it that I'd essentially
20 isolate in and out to make sure that if I have -- to
21 make sure that I've got isolation? Because except
22 for valve the RVVs and the RRVs opening, everything
23 else is either natural circulation driven or I've
24 buttoned up the system so that nothing -- no inventory
25 is leaking out. So it's like a little more than what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Dennis is asking.

2 Is it piping that you were thinking of or
3 is it what?

4 MR. SCHMIDT: It's basically piping or
5 the containment vessel, but all that we're assuming
6 that containment is isolated in this.

7 MR. CRANSTON: Just one minor comment,
8 the containment isolation valve arrangement that
9 NuScale is proposing is basically both valves outside
10 containment.

11 CHAIR CORRADINI: And why is that?

12 MR. CRANSTON: Based on the accessibility
13 and space inside -- there is precedent for having
14 both valves outside on PWRs and that's the approach
15 that they are currently indicating that they are going
16 to be taking.

17 CHAIR CORRADINI: So okay, so the
18 standoff then would be a pipe break that you'd have
19 to consider as part of the containment function I
20 assume? In other words, if I've got the containment
21 and I've got some sort of connection point that goes
22 out a foot, then I've got my set of isolation valves.
23 So I've got to consider that portion as part of
24 containment.

25 MR. CRANSTON: That would be like a super

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pipe extension of containment, yes.

2 CHAIR CORRADINI: Okay. All right.
3 Another question from our colleague, in item 20 you
4 put in that ECCS operation ought to occur in
5 sufficient time and 20 minutes is put in. Where did
6 that come from?

7 MR. SCHMIDT: That's language from the
8 SRP.

9 CHAIR CORRADINI: Okay, so we're back to
10 legacy questions. So either it's got to be explained
11 or at least -- it's not necessarily appropriate for
12 NuScale is what I'm saying.

13 MR. SCHMIDT: Not necessarily, but it's
14 still something that I think we'd want to meet if it
15 was applicable. I mean I wouldn't necessarily delete
16 it.

17 CHAIR CORRADINI: And then you'll come
18 back -- well, let me ask the question differently.
19 You would come back with their analyses to see if
20 that's more than sufficient, less than sufficient?

21 MR. SCHMIDT: Right.

22 CHAIR CORRADINI: Okay. So now I have a
23 relatively big question. In review procedures,
24 Section 3, I guess it is, 25(b) implied that you're
25 going to require them to do full flow testing of open

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 valves. What does that mean? That strikes me --
2 I've now gone to the dark side and I think that's
3 inappropriately tough, but I want to understand what
4 you meant by it.

5 MR. SCHMIDT: It's a current requirement
6 to do full flow testing on current ECCS systems and
7 we left that in there --

8 MEMBER POWERS: Because we've had
9 incidents in the past where valves were not tested at
10 full flow and when they were called on to work under
11 full flow they failed to work.

12 MEMBER BLEY: Forty years ago.

13 MEMBER POWERS: Forty years ago, yes.

14 MEMBER BLEY: A number of cases.

15 CHAIR CORRADINI: So this is asking for
16 periodic test surveillance. Is that doable?

17 MR. SCHMIDT: That's a very good
18 question. One of the big issues that I'm not sure I
19 understand either is how are they going to test these
20 valves on some type of periodic basis? How are they
21 going to test our ECCS function?

22 CHAIR CORRADINI: So it's more than a
23 preoperational test.

24 MR. SCHMIDT: Yes.

25 CHAIR CORRADINI: I remember back in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time of Zion, there were full flow preoperational
2 tests, but not periodic tests after the plant was up
3 and running. But the way I read this, you want
4 periodic testing once the plant is up and running?

5 MR. SCHMIDT: That is consistent with
6 today's standards.

7 MEMBER BROWN: ECCS valves, Mike, you're
8 still talking about the ECCS valves?

9 CHAIR CORRADINI: Yes, sir.

10 MEMBER BROWN: That's the reactor vent
11 valves and the reactor recirculating valves.

12 CHAIR CORRADINI: Yes, sir.

13 MEMBER BROWN: I guess I had the same
14 question. They also talk about pressure in that
15 testing section. They wanted it to be full flow and
16 maximum -- I've forgotten what the exact words were,
17 but maximum operating pressure or something like
18 that, but that's what it used to say. Now they've
19 changed it to say whatever pressure they can do and
20 then they can use an analysis to extrapolate on the
21 pressure side, but not on the flow. They still have
22 to do the design flow, but they can extrapolate from
23 whatever pressure they conduct the test out up to the
24 maximum operating pressure or the consideration under
25 the circumstances. So that's another change. It's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 difficult to see how you can test these.

2 CHAIR CORRADINI: That's what I'm
3 struggling with.

4 MEMBER BROWN: They're in the evacuated
5 part of the reactor recirculation valves are in the
6 evacuated part of the containment and they connect
7 right in to the reactor itself. You've got to get
8 the vent valve stuff going back in. How you ever
9 open and close those --

10 MEMBER POWERS: They have to open and
11 close.

12 MEMBER BROWN: I understand that.

13 MEMBER POWERS: It's absolutely crucial.

14 MEMBER BROWN: And then they're under
15 water once they're in service also, so I have no idea.

16 MEMBER POWERS: How are you going to --
17 what computer code is going to convince me that they
18 haven't degraded over time?

19 MR. SCHMIDT: I agree. The staff has not
20 gotten information in the pre-application phase that
21 would help us understand how they're going to test
22 the system. We left it in there on purpose because
23 we were hoping to elicit a comment from NuScale.

24 MEMBER POWERS: How did you just apply
25 the not having full pressure?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCHMIDT: Well, I'm not sure we did
2 a good job justifying that.

3 MEMBER POWERS: Well, I mean if you're
4 going to --

5 MR. SCHMIDT: We accepted some
6 extrapolation based on --

7 MEMBER POWERS: If you accepted an
8 extrapolation there must surely be an extrapolation
9 that you would accept. I just don't know what that
10 is. Because why did the valves not work when you go
11 to full flow and full pressure. It's things that I'm
12 not sure we can model. There are aging effects.

13 CHAIR CORRADINI: I guess -- I'll go
14 against him for a moment. So I'm still trying to
15 remember back in AP1000 ESBWR what the requirement
16 was because I seem to remember since I had a little
17 bit of a conversation with somebody over here about
18 that the -- I'll call it the chemical charge was
19 tested, but not the actual --

20 MEMBER BLEY: On the explosive valves.

21 CHAIR CORRADINI: On the explosive
22 valves, but not the actual opening of the valve. And
23 staff felt this was comfortable. We had a big round
24 and round here that we maybe agreed to disagree on
25 some portions of this, but --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: You all agree to disagree
2 with me. I never agreed to this. I disagree with
3 agreeing with you.

4 CHAIR CORRADINI: But I guess what I'm
5 getting at is --

6 MEMBER POWERS: Well, you and Sam held
7 fast. I made comments and nobody paid any attention
8 to them.

9 MEMBER BALLINGER: We all paid attention
10 to them.

11 CHAIR CORRADINI: But I'm trying to
12 relate this back to AP1000 ESBWR.

13 MEMBER POWERS: I'm not sure that that's
14 the right way to go.

15 CHAIR CORRADINI: But in their cases they
16 have to -- they are expecting essentially a series of
17 experiments that would demonstrate its scale, the
18 apex experiments and the experiments and then once
19 those tests were done and staff approved them and
20 they were reviewed by ACRS, there is no requirement
21 for full flow or full pressure testing of AP1000
22 periodically. Am I missing something?

23 MEMBER POWERS: No.

24 CHAIR CORRADINI: Okay. So if I were a
25 vendor that's after that, I'd say what are you doing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to me that you're not doing to the AP1000 ESBWR.

2 MR. SCHMIDT: Which is what we kind of
3 expected as a comment, but --

4 MEMBER POWERS: From NuScale.

5 MR. SCHMIDT: Yes. But we did not
6 receive a comment on that portion. We did receive a
7 comment on they can't do testing while they're in
8 refueling because they're disassembled which makes
9 sense to me, but we did not receive a comment on their
10 ability to do full flow testing.

11 CHAIR CORRADINI: I guess --

12 MR. SCHMIDT: I've conceived a way to --

13 CHAIR CORRADINI: I mean I don't want to
14 tell them the way out of the box, but unless I
15 misremember what happened with AP1000 ESBWR it was
16 scaled testing with calculations and I don't remember
17 any commitment to periodic testing through the life
18 of the plant, but I could be wrong.

19 MEMBER RAY: Mike, I'll need to think
20 about this before I answer your question, but there
21 may be a more fundamental difference why.

22 CHAIR CORRADINI: Which is?

23 MEMBER RAY: That's why I said I need to
24 think about it.

25 CHAIR CORRADINI: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER RAY: But just leave open the
2 possibility that there is a bigger difference than
3 you're assuming in your question.

4 CHAIR CORRADINI: Well, I mean at low
5 pressure you've got a series of actuated -- four stage
6 actuate -- I mean, we'll just leave ESBWR out of it
7 since I'll bring up past ghosts with some people.
8 With the AP1000, you have four stages of
9 depressurization, each with a series of larger squib
10 valves, explosive opening valves. And then you rely
11 on essentially natural circulation to let all this
12 through.

13 In ESBWR, assuming the valves worked,
14 where we got hung up was that we wanted to see very
15 clearly that they essentially had done enough venting
16 there would be no condensable gas trapped that would
17 essentially choke off the natural circulation flow.
18 And so we went through a series, but I don't remember
19 in any case in both of those that once done every
20 five years, ten years, whatever, they've got to go
21 back and check it out.

22 MEMBER BLEY: Let me offer something up.
23 If you go way back to the 40 year ago time frame,
24 when we came up with the full flow requirements. My
25 memory is and I could be wrong on this, Dana, is it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wasn't aging problems, it was post-maintenance
2 problems that was some manual valves left in wrong
3 positions. It was debris, some places I know of it
4 was even polyethylene left inside a monitor of a
5 valve, things that prevented valves from moving to
6 their full open position.

7 MEMBER POWERS: With the valves,
8 actually, we had occasions when the valves would not
9 turn. There was not enough force to open the valve
10 against the full --

11 MEMBER BLEY: No, he did have those. We
12 have those for a variety of reasons. Now one might
13 look at the valves we're looking at in this system
14 and what kinds of activities people can do to affect
15 them. That's all I really want to say about that,
16 but some of those cases where valves wouldn't operate
17 or pumps wouldn't run following maintenance, had to
18 do with people over tightening packing, that sort of
19 thing beyond what the operators would handle.

20 It might be that for some of these there
21 isn't much we can do to make them bad except aging
22 kind of problems. But right now, it's not clear what
23 -- why we're requiring it or how it would be done.

24 MR. SCHMIDT: I think it's not a bad
25 thing to do if you can do it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: It's certainly not a bad
2 thing to do. It's kind of not a good thing to put
3 requirements out in front of people that can't be met
4 and then back off with them either, I think.

5 MR. SCHMIDT: Right. I mean one thing
6 you could possibly do is when -- you can take these
7 valves out when they do their refueling, maybe remove
8 these valves and then do some type of bench testing.

9 MEMBER BLEY: Then you've got put them
10 in and that --

11 MR. SCHMIDT: Or you have replacements
12 that go in.

13 MEMBER POWERS: It doesn't obviate the
14 problem.

15 CHAIR CORRADINI: That's right. That's
16 where the problems occur. I've run out of questions.
17 I will save the best one for last.

18 MR. SCHMIDT: I mean we were a little
19 surprised we didn't get a comment on that, to saying
20 that it was going to be infeasible to do. But like
21 I said, we didn't receive a comment on that so maybe
22 they have some strategy that we're not aware of that
23 can do it.

24 CHAIR CORRADINI: I think I and Mr.
25 Stetkar are kind of on the same page on this. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 couldn't understand how you do it and I couldn't
2 remember the precedent for the other passive designs
3 that would be required to do it on a periodic basis.
4 So that's kind of where I sit on this.

5 MR. SCHMIDT: I think this is the SRP
6 that was used for those passive designs.

7 CHAIR CORRADINI: Probably, but if I
8 remember the agreement was at least for the explosive
9 valves as you would essentially test the chemical
10 charge, but not the actual operation of the valve at
11 full scale because that caused a little bit of a
12 disagreement amongst us.

13 MEMBER BLEY: When we come to issues like
14 this, going back to the real operating experience and
15 basing arguments on those makes me a lot more
16 comfortable than just having abstract requirements.

17 CHAIR CORRADINI: Right. Other
18 questions by members of the committee? I've run out
19 of questions. Thank you.

20 Any parting comments by members of the
21 subcommittee?

22 MEMBER BLEY: I guess only one relative
23 to that.

24 CHAIR CORRADINI: I'll start over with
25 Dr. Rempe. I'm sorry, excuse me, I made a mistake.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We still have the public.

2 So can we open up the outside line. Is
3 there anybody here that wants to make a statement?

4 Is the voice from the control booth is the line open?

5 I don't hear any crackling.

6 Is there anybody out there that they can
7 at least acknowledge their presence?

8 MEMBER BLEY: On the phone line.

9 CHAIR CORRADINI: On the phone line. I
10 hear crackling. If anybody is out there, can you at
11 least acknowledge you're there? I guess nobody is
12 there and it's crackling, so we can close the phone
13 line.

14 Now back to Dr. Rempe.

15 MEMBER REMPE: Listening to the questions
16 from other members today and is there any motivation
17 to find a way to graphically show all these
18 requirements and interfaces instead of having that
19 section?

20 CHAIR CORRADINI: I think that's a
21 marvelous idea. I was thinking of that because I'm
22 a graphic sort of person, but what are you thinking
23 about?

24 MEMBER REMPE: I'm not sure. You guys
25 have done this more than I. Maybe you've tried it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and said this is a waste of time or something, and
2 all that, but it just seems like if you've got this
3 interface in one section has somebody methodically
4 gone through and said well, the same interface
5 connects the dots at least and it's consistent among
6 different sections? But graphically might be easier
7 sometimes for folks. It's just a comment to throw
8 out.

9 MR. SCHMIDT: I've never heard anybody
10 attempt that before, but that doesn't necessarily --
11 it hasn't been attempted before. Not to my
12 knowledge.

13 CHAIR CORRADINI: So can I ask her a
14 question a little bit differently? So how do you
15 convince yourself that you haven't fallen through the
16 cracks on oh, sure, Mary would have looked at that
17 because that's in the containment section, but Sam
18 doesn't have to look at it because that's in the CVCS
19 section.

20 How have you convinced yourself that all
21 is good?

22 MR. SCHMIDT: Well, I think we know what
23 -- I mean in this system, for example, we know what's
24 interconnected. We're aware that the containment is
25 a vital function of the ECCS system and we know

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 condensation is a vital function to get recirculation
2 flow. So I mean we try to do the best we can in the
3 interface section, but there is just some basic
4 knowledge that you have that we know is more important
5 in this design than other designs.

6 I mean these SRPs, I think it was
7 mentioned before, these SRPs are used for a lot of
8 different designs, even BWRs, PWRs, so there's no
9 catch-all here that can be in these documents.
10 There's got to be some just basic engineering
11 knowledge that's applied.

12 CHAIR CORRADINI: Okay.

13 MR. SCHMIDT: I'm not sure I could write
14 a perfect interface document, even if I were to graph
15 it out to capture all of the interconnections.

16 CHAIR CORRADINI: So to say it
17 differently from your perspective, although there
18 might be things that fall through the crack,
19 graphically illustrating it doesn't necessarily
20 guarantee completeness.

21 MR. SCHMIDT: We could try to take this
22 and try to graph it out, but yes, I think there still
23 could be a line in that visualization that doesn't
24 exist because nobody thought of it.

25 CHAIR CORRADINI: Joy?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER REMPE: Well, so it may not help
2 the staff, but it might even help the Applicant a bit
3 to try and meddle through this and all that or they
4 will just have to take it and bring me a rock, and
5 then well, you forgot that and the rock and that's
6 just the way it goes.

7 MR. SCHMIDT: I don't know, I've never
8 heard an applicant ask for it. I don't know what an
9 applicant would say. They'd probably say yes.

10 MEMBER REMPE: Anyway, it was just a
11 thought when I was listening to this today. But
12 that's all I have.

13 Charlie?

14 CHAIR CORRADINI: Charlie?

15 MEMBER BROWN: Yes, just a follow up on
16 the other question was the other reference in this
17 6.3 was to go look at the containment heat removal
18 system in 6.2.2 which I went to see what were -- how
19 were they separated and whatever. And I was unable
20 to figure out how you would connect the dots relative
21 to making sure that the ECCS, what had to be done in
22 this other system to make sure that worked and back
23 and forth. There was no -- I think somebody brought
24 up that integration thought process earlier.

25 I just wanted to comment. I did try to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look at 6.2.2 which was referenced in 6.3 and was
2 unable to get any basic confirmation or there was
3 some connection that you had to do between the two of
4 them to make one work and the other work or what have
5 you. So somebody made that comment earlier, I just
6 wanted to emphasize that somebody -- I did look at
7 that and was unable to see anything.

8 CHAIR CORRADINI: Okay. Ron.

9 MEMBER BALLINGER: I have sort of the
10 same comment that -- trying to fit things together
11 it's like reading the old ASME Boiler and Pressure
12 Vessel Code. You have to read it with your finger
13 stuck in five or six different places to thumb back
14 and forth. Has there been any thought -- it also
15 seems like it's compartmentalized in a kind of a
16 structural way. That's the way these things are.

17 CHAIR CORRADINI: Right.

18 MEMBER BALLINGER: But what about since
19 this is so integrated, have you thought about putting
20 like a little team of folks together from the various
21 functions to sort of answer all these questions that
22 we've been asking all along about how these things
23 are all connected. And then come up with some of a
24 -- I don't know, maybe it's a document or something,
25 that has the discussion that we've been having here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIR CORRADINI: Road map.

2 MEMBER BALLINGER: Something like that,
3 yes.

4 CHAIR CORRADINI: I think Ron is still
5 kind of looking at the same elephant that I was
6 looking at. I just have a hard time understanding
7 how the staff understands how this is all connected.
8 So maybe you have it. Maybe it's all clear to you,
9 but for me to gain confidence in that, I'm still
10 having a hard time nailing it down. So for example,
11 does the Containment Branch and what I'll call the
12 ECCS --

13 MEMBER BROWN: Reactor Systems.

14 CHAIR CORRADINI: Reactor Systems Branch
15 meet on a continuing basis and talk about this so
16 that it's very clear where the interface is between
17 them as individuals? That's what I think --

18 MEMBER BALLINGER: That's what I'm
19 saying. That's what I'm saying.

20 MR. SCHMIDT: Well, I think we will have
21 to for this design, certainly. This is a far more
22 integrated design than we've dealt with before, so
23 yes. But certainly like mass and energy into
24 containment, we have to provide them that data. I
25 don't know if it's actually written down anywhere

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we provide them that information, but we do
2 provide that information and they do their
3 containment calculations based on it. So there are
4 like preexisting interfaces that already occur for
5 current designs that we work with containment.

6 MEMBER BALLINGER: But you've struck
7 exactly on the problem. You know those are the
8 obvious ones. But what about the not so obvious ones
9 that you would not even think about until you sit
10 down as a group and go through the analysis without
11 sending people various things.

12 MR. SCHMIDT: Right. We haven't done
13 that. We haven't done what you're --

14 CHAIR CORRADINI: So it's early in the
15 game for that?

16 MR. SCHMIDT: Yes, it's early.

17 MEMBER BALLINGER: But you surely would
18 like to know whether or not or make yourself feel
19 comfortable that you really haven't missed anything?

20 MR. SCHMIDT: Oh yes, sure. Certainly.
21 Certainly.

22 MEMBER BLEY: Yes, a couple of things.
23 This is a design specific review and that's a real
24 opportunity to kind of clean up some of the things
25 that have always been troublesome. This is something

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we talked about not just here. Every design cert
2 we've looked at we get this -- it's real hard. When
3 you dig in deep enough, hundreds of RAIs and stuff,
4 you find often that stuff has been covered. But
5 whoever even comes here has a little trouble pointing
6 out where that was looked at and it takes some work
7 to bring it out.

8 I would have hoped for the design
9 specific review standard, at least those common
10 things that are really crucial to this design might
11 have been highlighted. It seemed like a real
12 opportunity. And some thought to this idea of a map
13 would be nice. I don't know. It could be way complex
14 and really too hard to do, but it smells like not a
15 bad idea.

16 MEMBER BALLINGER: But it actually proved
17 very beneficial going forward.

18 CHAIR CORRADINI: Charlie.

19 MEMBER BROWN: For Chapter 7 and I
20 haven't looked at it, but what we did for mPower and
21 what we were supposed to be doing for Chapter 7 is
22 provide a road map, an architecture as part of the
23 presentation that the vendor is required to submit so
24 you can see the total connections of everything and
25 the interfaces for each piece. In other words, how

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sensors are connected, what interconnections between
2 channels, what other stuff they connected with and
3 through what and all that other kind of -- not
4 details, but just an architectural map.

5 And if you look in these chapters, either
6 the ECCS one or the DHLS system or the ECCS or the
7 DHLS system or the ECCS, you don't -- there's no
8 request to say hey, give us just an interface with
9 this system of other stuff that connects in. That's
10 all you have to do. You don't need the whole plant,
11 but you do need what stuff connects in or is required
12 to make this system work. You could do that chapter
13 by chapter. You don't have to know what the design
14 looks like, but you ask them to provide that as part
15 of the BSRS chapter for each of the major systems.
16 So you get the connections or interfaces with other
17 places. Very simple to do. It's not hard.

18 CHAIR CORRADINI: Since you've been
19 leading the Chapter 7 part, is there an example of
20 that for the mPower?

21 MEMBER BROWN: I haven't read it all yet,
22 but mPower has got the requirement in the front of
23 it. It's either 7.0 or 7.1. I'm not sure which,
24 which talks about an architecture needs to be
25 developed and shown as part of specifying what this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing looks like. Unless somebody deleted it
2 subsequent to our reviews.

3 It was also in the ISGs that we developed
4 about six or seven years ago that same ISG 7 or 5 or
5 7 or whatever, lost track of those, too.

6 CHAIR CORRADINI: Okay, thanks, Charlie.
7 Dana? Dick?

8 MEMBER SKILLMAN: Yes, just one or two.
9 In my review, I did find myself over 15.6.5. 15.6.5
10 suggests that whoever is needs to take a look --

11 CHAIR CORRADINI: Is your mic on?

12 MEMBER SKILLMAN: It is now. Excuse me.
13 My review took me into 15.6.5. And if you were to
14 review 16.5.6 Roman I, Arabic 1, Golf, G, that
15 paragraph references 5.2.2 as containment depressure
16 and heat transfer capacity when in reality I believe
17 it's 6.2.2.

18 MR. SCHMIDT: 6.2.2, yes.

19 MEMBER SKILLMAN: As is well described
20 in your new paragraph which is the intro to your
21 revised 6.3.3.

22 The other comment I would make is in your
23 revised standard under acceptance criteria, you
24 probably should include Appendix B to 10 CFR 50 as a
25 reference guide and more specifically criterion 3,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design control. Because criterion 3 of Appendix B is
2 what really pulls together the requirement for the
3 analytical integration for the functions that we're
4 talking about. Thank you.

5 MR. SCHMIDT: Now that was also a 15.6.5?
6 I didn't catch the --

7 MEMBER SKILLMAN: Oh, no, that's over in
8 6.3.3.

9 MR. SCHMIDT: Okay.

10 MEMBER SKILLMAN: And that would be an
11 acceptance criteria which is Roman II under revised
12 6.3.5, page 6.3.5.

13 MR. SCHMIDT: Okay.

14 MEMBER SKILLMAN: Thank you.

15 MEMBER SCHULTZ: Having heard the
16 comments that have been focused on establishing a
17 structure, perhaps started by what mPower -- what had
18 been specified for mPower, it sounds like a good idea.
19 I would only caution that to do that one would want
20 to be sure that the focus would start at a high level
21 on those features that are important to safety,
22 because if one goes into this process and believes
23 that it's going to be a pictorial structure of
24 everything that needs to be done, it will never be
25 done.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCHMIDT: You're saying it ought to
2 be at a higher level?

3 MEMBER SCHULTZ: High level to identify
4 those things that we talked about here to make sure
5 that those things that are very important are
6 identified and that the cross connects between review
7 teams are going to be fully recognized and implemented
8 in the review.

9 The other point is that what we've
10 identified is a number of issues. We picked this
11 section because of that reason, important to safety,
12 let's start with this section, ECCS, because of its
13 overall importance, we're now faced with the
14 challenge of what we do next in terms of the review
15 and it's in the face of 700 comments that are coming
16 in that are going to change the documentation that
17 we've been provided to make that decision of how that
18 committee is going to proceed. Just to take under
19 advisement that we need to follow that up and make
20 sure we get information that will allow us to make
21 those decisions.

22 CHAIR CORRADINI: Thank you, Stephen.

23 Harold?

24 MEMBER RAY: I guess, Mike, I don't know
25 if this is in contrast or not, it's certainly not in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contrast with some that has been said already, but
2 this is a design specific review standard as has been
3 pointed out. And some of us have occasion over at
4 Forrestal to listen to how critical it is for new
5 plants to get the NRC on board early and understand
6 what the NRC's requirements are going to be. And
7 this is one vehicle that may do that.

8 I am reluctant to see us go down a path
9 in which we go further than we should and maybe
10 Steve's reference to high level is the appropriate
11 thing to say here. Again, it's my concern that we've
12 become too much a captive of what we've said we're
13 going to review before we really understand all of
14 the elements of the design.

15 Now our role here on the ACRS is to try
16 and push back against that happening that we not
17 become so wedded to a design specific review standard
18 that was developed years before we finally get to the
19 certification point that we don't look at things that
20 don't happen to be in that standard, but should have
21 been.

22 So my concern is just that we prematurely
23 become too specific at too low a level. I said this
24 may be in contrast because I think it is somewhat in
25 contrast over what might be implied from what Charlie

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 said. If we say here are the things we want to know
2 about this without yet understanding the design
3 fully, it's just a matter of concern to me.

4 Like I said, we've got some experience
5 now to indicate that we need to be cautious because
6 we don't ask questions sometimes, that later on we
7 wish we had, and everybody wishes we had actually.
8 So that's my only comment here is that I'm kept at a
9 high enough level and not being so specific that we're
10 subject to being said well, you didn't say you wanted
11 to look at that. The reference to Appendix as both
12 Dick and I have said I think is appropriate because
13 that allows you to always say listen, you have not
14 verified this design. You need to do this test or
15 you need to do this analysis. Because absent that,
16 you can't claim that it has been verified or
17 validated. That's always got to be something we can
18 do.

19 So anyway, as I say, we don't want this
20 to become just such a prescriptive checklist that the
21 vendors can say all right, now, here are the questions
22 I've got to answer. When I answer them, I'm done.

23 MR. SCHMIDT: Thank you.

24 CHAIR CORRADINI: I don't have any other
25 further comments. I think I've captured most of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 committee's -- I hope I've captured all of the
2 committee's major comments.

3 The only one that --

4 MEMBER RAY: Mike, can I interrupt? I'm
5 sorry, there's one thing, I've made a note here. I
6 forgot to refer to it. Jeffrey made the point that
7 this is a far more integrated design than we've seen
8 before and that was really what I meant when I said
9 maybe there's a reason why this is different in some
10 respect. It's just an example of what I was saying.

11 CHAIR CORRADINI: So the only thing I
12 guess I'll bring back up is that I'm still ruminating
13 about this periodic testing. So at least in my mind
14 we've only had two meetings about this. We're going
15 to -- in fact, if we have enough time now maybe we
16 can have our short meeting now and discuss how we
17 move forward with subsequent meetings on the DSRS to
18 try to reorganize ourselves on that regard.

19 But I haven't seen anything in the first
20 two meetings that's a show stopper that worries me on
21 what you're doing, except perhaps the last thing that
22 worries -- which I brought up about this testing,
23 this periodic testing, but generally speaking, I
24 think we're looking at kind of the details of how
25 this all fits together so that we feel comfortable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that you're looking as comprehensively as we can into
2 the design.

3 So with that, I have nothing more to say and we're
4 adjourned.

5 MR. TONACCI: Dr. Corradini, before you
6 adjourn, can I explore your last concern a bit to
7 make sure I understand it?

8 CHAIR CORRADINI: Sure.

9 MR. TONACCI: So I look at these DSRs or
10 SRPs as review guidance, not as regulation. And many
11 of the paragraphs and bullets in them are to make
12 sure we don't forget something and the staff has the
13 latitude to shift and change and so forth once they
14 get into and actually see the design, but I guess I'm
15 feeling like -- reflecting on some of the comments
16 that were just made if we start narrowing ourselves
17 down too early and things shift, we may wish that we
18 had left the comments in.

19 All its doing now is making sure Jeff or
20 somebody that looks like Jeff a year from now, two
21 years from now who does it, starts asking the
22 question. It doesn't force us to do testing -- full
23 testing like the plants do now, but it makes us think
24 about it.

25 In that regard, I thought it was worth

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leaving there so they don't forget it. Maybe it's
2 only prescriptive. Maybe we could make it a little
3 more subtle, but that's -- I'm just more concerned
4 with leaving something out.

5 CHAIR CORRADINI: I understand. I guess
6 my reaction is that I don't want to propose that it
7 get taken out. I just want to understand how it's
8 possible to do so I'm still back in my thought process
9 of is it possible to do and is this setting a
10 precedent that I don't remember. And I could be
11 misremembering from the current set of passive plants
12 and what they're required to do. Because I seem to
13 remember off bench scale testing of squib valves as
14 the agreeable way to feel comfortable that things can
15 work as expected. As an example. As an example.
16 But I guess I don't want to take it out. I just want
17 to understand it better. Because it seems like a
18 very big requirement.

19 MEMBER BLEY: I agree with you, to want
20 to understand it. On the other hand, there's a reason
21 why plants were asked to do that a long time ago and
22 existing -- not meeting that fully by exception seems
23 more appropriate and I think I'm aligning with you,
24 but more appropriate than removing it from everybody
25 because there were special conditions that made it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 difficult for one actor.

2 CHAIR CORRADINI: I don't remember enough
3 about -- I remember being part of some of these things
4 back in -- for the full flow testing for the active
5 system, so I don't remember enough, but I get your
6 point.

7 Okay, any last parting shots? Okay,
8 we're adjourned.

9 (Whereupon, the above-entitled matter
10 went off the record at 9:57 a.m.)

11

12

13

14

15

16

17

18


19

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

ACRS Presentation on the NuScale Design Specific Review Standard (DSRS) Section 6.3

Gregory Cranston,
Sr. Project Manager
Office of New Reactors
September 9, 2015



NuScale DSRS Briefings to the ACRS Subcommittee on Future Reactors

- Second in series of meetings on selected draft DSRS sections
- Comments being received and processed
- Opportunity for updates during comment incorporation
- Some DSRS sections may revert back to SRP sections

NuScale DSRS Briefings to the ACRS Subcommittee on Future Reactors

- Purpose: provide ACRS with approach staff took developing selected DSRS sections
- During the course of these presentations staff will cover:
 - What changed SRP to draft DSRS
 - Why change made (new system, elimination of system, significant design difference, etc.)
 - Questions based on the design information available to date

The Status of the NuScale DSRS

- Draft NuScale DSRS issued for public comment on 6/30/2015
- Public comment period closed on 8/29/2015
- Comments being processed and will be sent to staff for disposition
- ACRS Future Reactor Subcommittee briefing on public comments tentatively scheduled for November 2015
- Schedule for issuing Final DSRS based on magnitude and complexity of comments and DCA submittal date

NuScale DSRS 6.3 Emergency Core Cooling System

by

Jeff Schmidt

September 9, 2015



DSRS 6.3 ECCS

- No change in applicable GDCs
- No change in acceptance criteria
- Major changes where due to NuScale design specifics
- Major changes include,
 - Eliminated BWR material
 - Eliminated references to active flow systems and most references to piping
 - Added general description of RVV and RRV function

DSRS 6.3 ECCS

Public Comments

- Nine public comments
 - 8 recommended deletions, 1 rewording
 - Preliminary review staff agrees with changes

Closing Remarks

ACRS SC Meeting

Closing

- Second in a series of briefings to the Subcommittee on selected Draft DSRS sections
- Sections were selected based on significant changes from SRP or nonexistent in SRP
- ACRS provided Compare DSRS sections vs SRP section to facilitate ACRS selection of DSRS sections for upcoming briefings
- Some DSRS sections may revert back to corresponding SRP section
- Comments or Questions?