

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
 Future Plant Designs Subcommittee

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Wednesday, October 7, 2015

Work Order No.: NRC-1932

Pages 1-80

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

FUTURE PLANT DESIGNS SUBCOMMITTEE

+ + + + +

WEDNESDAY

OCTOBER 7, 2015

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B1, 11545 Rockville Pike, at 8:30 a.m., Michael L.
Corradini, Chairman, presiding.

COMMITTEE MEMBERS:

MICHAEL L. CORRADINI, Subcommittee Chair

RONALD G. BALLINGER, Member

DENNIS C. BLEY, Member

CHARLES H. BROWN, JR. Member

DANA A. POWERS, Member

JOY L. REMPE, Member

STEPHEN P. SCHULTZ, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

GORDON R. SKILLMAN, Member

JOHN W. STETKAR, Member

DESIGNATED FEDERAL OFFICIAL:

QUYNH NGUYEN

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

	3
T-A-B-L-E O-F C-O-N-T-E-N-T-S	
Opening Remarks, Michael Corradini, ACRS	4
Introduction, Greg Cranston, NRO	5
Containment Heat Removal Systems, Section 6.2.2, Clinton Ashley, NRO	8
Combustible Gas Control in Containment, Section 6.2.5, Anne Marie Grady, NRO	44
Committee Discussion, Michael Corradini, ACRS	57
Public Comment	58
Adjournment	64

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

8:30 a.m.

CHAIRMAN CORRADINI: Okay, let's get started. The meeting will come to order now. This is a meeting of the Future Plant Design Subcommittee of the ACRS. My name is Mike Corradini. I am acting chairman of the Future Plant Design Subcommittee.

ACRS members in attendance today are Dick Skillman, Stephen Schultz, John Stetkar, Dennis Bley, Ron Ballinger, Charles Brown, and Joy Rempe, and potentially Harold Ray.

Mr. Quynh Nguyen is the Designated Federal Official for this meeting.

Today, we have members of the staff to brief the subcommittee on the staff's development of the NRC's design specific review standard or DSRS for NuScale small modular reactor. This document is being developed in anticipation of the NuScale design certification application for their integrated pressurized water reactor technology.

The discussion topics on today's agenda include DSRS Section 6.2.2 containment heat removal and 6.2.5 combustible gas in containment.

The rules for participation in today's meeting are announced in the Federal Register, dated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 October 2, 2015. The meeting was announced as an
2 open to the public meeting and no request to making
3 a statement to the subcommittee has been received
4 from the public.

5 We have one bridge line established. The
6 bridge number and password were published in the
7 agenda posted on the NRC's public website. To
8 minimize disturbances, the public line will be kept
9 in a listen-in only mode and the public will have an
10 opportunity to make a statement or provide comments
11 at a designated time towards the end of the meeting.

12 Dr. Rempe has an ongoing conflict of
13 interest in the area of NuScale severe accident
14 considerations because of prior work that she
15 completed for NuScale in this area. And Dr. Rempe
16 will recuse herself from discussions in this area.

17 I invite Greg Cranston of NRO's project
18 manager to introduce our presenters. Where's Greg?
19 Great. So Greg, the floor is yours.

20 MR. CRANSTON: Good morning. My name is
21 Greg Cranston. I'm the senior project manager for
22 the NuScale project. As mentioned, we're here to
23 present two sections that relate to the containment.

24 I'll briefly cover some of the items
25 leading up to this. We have received public comments

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and those have been sent to the technical branches on
2 all sections and they are currently being processed
3 and decisions are being made as to which ones are
4 going to be incorporated. All that will be tracked
5 on a comment matrix so that we'll have the status of
6 each one. And we will be providing information as
7 to whether the comment was incorporated or if we did
8 not, what the basis was.

9 CHAIRMAN CORRADINI: Can I ask about that
10 since I actually looked this time at the comments
11 from the vendor, so they're fairly extensive. Are
12 you going to have other people's comments integrated
13 into those or a separate file so that we can unwrap
14 if it's NuScale versus others? Because I'm not sure
15 the volume of the others.

16 MR. CRANSTON: The volume of the others
17 is --

18 CHAIRMAN CORRADINI: Not much.

19 MR. CRANSTON: A handful.

20 CHAIRMAN CORRADINI: Okay.

21 MR. CRANSTON: Literally.

22 CHAIRMAN CORRADINI: But you're not going
23 to integrate them. You're going to separate them.

24 MR. CRANSTON: Well, we did. And the
25 comment matrix at the end of the comment matrix that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we developed, we added the NEI comments which were
2 fairly general. They did not specifically comment
3 on any DSRS sections. They did make a comment, for
4 example, that they thought that some of the DSRSs
5 could have remained Standard Review Plans, but they
6 didn't specify which ones they thought fell into that
7 category.

8 CHAIRMAN CORRADINI: Okay.

9 MR. CRANSTON: So they were very general
10 and not section related at all. And there was about
11 five of those out of the 600, roughly 680 comments.

12 There was about three or four general
13 comments from the public, but they all related to
14 comments about nuclear power in general and nothing
15 specific.

16 CHAIRMAN CORRADINI: Oh, you had
17 mentioned that before. I forget that. You're right.
18 You had mentioned that.

19 MR. CRANSTON: So essentially all the
20 comments are the NuScale comments.

21 CHAIRMAN CORRADINI: Okay. Thank you
22 very much. Since there's like 350 pages. Okay.

23 MR. CRANSTON: Again, the purpose, we
24 want to provide the subcommittee with the approach
25 the staff took in developing the DSRS sections and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what we want to cover is what change from the SRP to
2 the DSRS, why the change was made, and then any
3 questions based on the design information and then
4 questions associated with the design information that
5 we have available to date.

6 So with that, I'd like to turn the meeting
7 over to the first presenter, Clint Ashley, who is
8 going to cover the containment heat removal systems.
9 And that will be followed by Anne-Marie and she'll be
10 covering combustible gas control.

11 MR. ASHLEY: Thank you. Good morning.
12 Clint Ashley. I've been with the Agency about seven
13 years. Prior to that, 15 years in the nuclear
14 industry. I've been a Navy nuclear officer and
15 University of Michigan graduate.

16 I'm here to talk about the changes
17 between SRP 6.2.2 and the DSRS 6.2.2 for the
18 containment heat removal system. It's primarily
19 driven by GDC 38 which is the containment heat removal
20 systems. What we did is we added the general
21 description of the NuScale design in the front matter
22 of the DSRS. We also added general design criterion
23 5 because of the shared systems associated with the
24 reactor pool which is an important part of the
25 containment heat removal system. Essentially it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 forms the ultimate heat sink.

2 Most of the SRP 6.2.2 was crafted for
3 active plants so there's mentions of net positive
4 suction head review because of pumps. It talks about
5 containment spray. It talks about other heat removal
6 systems like the fan cooler systems. Those have all
7 been eliminated from this DSRS because of the unique
8 nature of the NuScale design being passive and not
9 having these systems.

10 What is different is it's a submerged
11 containment, partially submerged containment. So we
12 did add some consideration for fouling concerns
13 associated with a constantly wetted external steel
14 medium.

15 CHAIRMAN CORRADINI: Can I ask about
16 that? If this is the wrong time -- I have a question
17 about that and the internal containment surface. So
18 there's another -- it's 6.1.2. One, I get confused,
19 the numbering. But there's something about surfaces,
20 paints on containment. So is it -- what are you
21 expecting to see from the design there that you're
22 going to look at? The type of epoxy coating that
23 would be on the steel surface or how it's treated?

24 MR. ASHLEY: Well, I think we didn't want
25 to, what we know from NuScale is that they don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 intend to have any coatings.

2 CHAIRMAN CORRADINI: So it will be just
3 a stainless steel surface.

4 MR. ASHLEY: That's correct. But we're
5 dealing with a PowerPoint design so we wanted to make
6 sure that we keep the consideration in there for the
7 reviewer to look at that just to make sure that there
8 is a change in the design over time.

9 CHAIRMAN CORRADINI: And just to proceed
10 with that, on the inside, is the coating -- well, to
11 the extent that you know what the design is, is the
12 expected coating on the inside of the containment
13 similar to what I see in a current PWR?

14 MR. ASHLEY: There's no coating on the
15 inside.

16 CHAIRMAN CORRADINI: So it's also
17 stainless steel?

18 MR. ASHLEY: All stainless steel.

19 CHAIRMAN CORRADINI: Okay.

20 MEMBER REMPE: So since we're
21 interrupting you, it will be a vacuum inside the
22 containment, right?

23 MR. ASHLEY: That's correct.

24 MEMBER REMPE: Is there the potential for
25 ice formation to occur?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ASHLEY: For what?

2 MEMBER REMPE: Ice formation. I mean
3 there's moisture in there, right? Originally.

4 MR. ASHLEY: Well, certainly when you
5 have to evacuate the system because it's all assembled
6 under -- in the reactor pool so that interior surfaces
7 are wetted.

8 MEMBER REMPE: Right.

9 MR. ASHLEY: So they would have to draw
10 down that water and then they would draw a vacuum.

11 MEMBER REMPE: Right.

12 MR. ASHLEY: I haven't thought about this
13 concept of ice formation. I'm not sure. Maybe you
14 could explain a little bit.

15 MEMBER REMPE: So I've been dealing with
16 spent fuel storage casks and the fact that when they
17 initially pull a vacuum in the drying process, they
18 worry about ice formation and I just am wondering if
19 that can occur in this situation. I've not tried to
20 do the analysis and the temperatures and the pressures
21 and the amount of vacuum, but that's an issue or
22 something that they think about. And I just was
23 wondering if you guys have thought about that when
24 you were coming up with this standard and if it could
25 have any adverse effects?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ASHLEY: Not in the context of this
2 DSRS. I don't know if there's another associated
3 DSRS that looked at the containment evacuation
4 system.

5 CHAIRMAN CORRADINI: Actually, I'm glad
6 you brought that up. That was something that I did
7 want to bring up. So where is DSRS that worries
8 about the containment evacuation system? With all
9 due respect, ice formation.

10 MEMBER STETKAR: Chapter 9, Section
11 9.3.6.

12 CHAIRMAN CORRADINI: I knew that if I
13 brought that question I would get an answer.

14 MEMBER STETKAR: I have not reviewed
15 that, but I happen to have --

16 MEMBER REMPE: So I shouldn't be asking
17 this now. I should wait --

18 MEMBER STETKAR: Well, Section 9 tends
19 to evaluate the systems, pumps and pipes and valves.
20 It's an auxiliary system.

21 MEMBER REMPE: Okay.

22 MEMBER STETKAR: But not necessarily the
23 thermal hydraulic function provided by that system.
24 But that's the only place -- I was looking for it
25 also. It was referred in a couple of other parts of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Chapter 6. And that's the only place that I could -
2 - in the DSRS that I could find it, any mention of
3 review of that particular system.

4 MR. ASHLEY: And if I'm not mistaken,
5 that's a non-safety related system. It essentially
6 establishes the --

7 MEMBER STETKAR: I think it has a safety
8 related isolation valve or something like that.

9 MR. ASHLEY: As a safety function to
10 isolate. Good question.

11 MEMBER REMPE: I guess I was wondering
12 when I was reading this and again, I'm thinking about
13 the systems and I'm relating things and what the
14 effects would be.

15 CHAIRMAN CORRADINI: I mean if I pull the
16 vacuum the pressure and temperature are going to go
17 down, but I've got so much steel around that I can't
18 imagine it's not going to hold up the temperature.
19 It will be more of an isothermal process than an
20 adiabatic process. So if it's an adiabatic process,
21 temperature will go down. If it's an isothermal
22 process, because of all the steel around, it's going
23 to stay at the same temperature and you'll pull vacuum
24 anyway. I don't think there's a problem, but --

25 MEMBER REMPE: I just am curious about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if it could get things --

2 MR. ASHLEY: It's a good question. We
3 also touched on in the DSRS, we recognized that the
4 containment heat removal system is dominated by this
5 natural circulation process, so we added some
6 language in the DSRS to guide the reviewer with
7 respect to looking into that aspect of the thermal
8 hydraulics associated with this natural circulation,
9 looking at the test data, looking at the topic
10 reports. We've also got regulatory tools available
11 to us for inspection activities and audits. So those
12 things will help inform this review on containment
13 heat removal.

14 MEMBER SKILLMAN: Clint, let me ask this.
15 What I've done is I've reviewed your mark up between
16 the SRP and what you propose is the DSRS standard.
17 To your point, it eliminated net positive suction
18 head review in that same section. You have also
19 eliminated this paragraph, the effect of accident-
20 generated debris, including in the assessment for
21 potential loss of long-term cooling capability
22 resulting from loss of coolant accident generated in
23 the late debris. That is in that section of what is
24 supposed to be reviewed. It's the original item 8.
25 It seems that even though this is a passive design,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the design specific review standard should
2 recognize the potential for some form of debris.

3 MR. ASHLEY: I agree with you and in the
4 DSRS, we do speak to in the DSRS acceptance criteria,
5 we speak to it in item 5. We talk about the whole
6 nature of long-term cooling with respect to the sump
7 and the hydraulic performance following debris
8 generation. We point to Reg. Guide 1.82, revision 4
9 which is the latest updated guidance which is
10 supplemented for PWRs with the Nuclear Energy
11 Institute guidance on the effect of problems with
12 debris generation.

13 Now NuScale doesn't want -- there's no
14 insulation on the reactor system, based on the fact
15 that they're drawing a vacuum. That's their
16 insulation, in effect. But I still think they have
17 to evaluate it. We're not going to accept the fact
18 that NuScale says we don't generate any debris.
19 We're going to still look at that as part of this
20 review standard for that potential to generate
21 containment debris.

22 MEMBER SKILLMAN: So what I heard you say
23 is even though we have eliminated that paragraph from
24 the underlying SRP portion, we have included it later
25 in the DSRS for this design.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ASHLEY: I will take a look at that,
2 so you're looking at Section 1, Roman numeral I?

3 MEMBER SKILLMAN: Yes.

4 MR. ASHLEY: Because it's in Roman II and
5 III.

6 CHAIRMAN CORRADINI: It is. I actually
7 -- I had a question about the fact that -- about what
8 the sources of the debris were because you had it
9 somewhere in there.

10 MR. ASHLEY: So it may have been an
11 inadvertent deletion.

12 MEMBER SKILLMAN: I would suggest that
13 that should remain. I'd like to ask one or two more
14 questions.

15 MR. ASHLEY: Absolutely.

16 MEMBER SKILLMAN: In just a page or two
17 later, the issue is the heat transfer. And I wanted
18 to ask what requirement for uncertainty in this
19 passive heat transfer fouling equation do you have?
20 What uncertainty are you asking for? Or what margin
21 on you are you requiring?

22 MR. ASHLEY: I'm not aware of a
23 requirement when it comes to DSRS or SRP acceptance
24 criteria, but certainly we'll use standard tools,
25 industry accepted practice, but we don't speak to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that particular aspect. That review will be done
2 probably under the topical report that's submitted
3 that uses the evaluation model. Takes into -- a part
4 of Appendix K, the mass and energy and addresses all
5 those thermal hydraulics associated with analysis.

6 MEMBER SKILLMAN: Thank you.

7 CHAIRMAN CORRADINI: Can I -- since we
8 started on debris, so given the limited amount of
9 knowledge you know about -- where would the debris
10 come from in this? Because I agree you've got to
11 worry about it, but I'm trying to figure out where
12 would it be generated? From what would it generated?

13 MR. ASHLEY: I think when the reactor
14 vent valve opens up, there's a lot of material up
15 in that area on the top of the -- just seeing just
16 general pictures, but it could be if there's cabling
17 in containment.

18 CHAIRMAN CORRADINI: Okay. I was
19 thinking electrical cabling is the only thing that
20 came to my mind, but --

21 MR. ASHLEY: It's the first thing that
22 comes to my mind. There could be coded components.
23 I'm just not sure what the specifications are yet.

24 CHAIRMAN CORRADINI: It is -- I guess
25 I'm -- I don't want to get a number, but if I were to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 make this analogous to AP1000, there was a number of
2 we'll call it late debris that one had to worry about
3 and it had to be no more than X to make sure we didn't
4 have an issue relative to in their case their active
5 pumping and then the recirculation back to the core.

6 In this case, you're waiting for a topic
7 report from the vendor, from the applicant to do this
8 sort of analysis?

9 MR. ASHLEY: Not with respect to latent
10 debris.

11 CHAIRMAN CORRADINI: Or generated
12 debris. I apologize, but generated debris from any
13 sort of blow down.

14 MR. ASHLEY: I think that where I've seen
15 that in most of the new reactor design certification
16 applications, debris assessment, the GSI 191 type of
17 review happens under the guise of a technical report,
18 not a topical.

19 CHAIRMAN CORRADINI: Right.

20 MR. ASHLEY: So the technical report is
21 typically incorporated by reference and then that
22 would be reviewed as part of the DCD. It wouldn't
23 get its own separate safety evaluation which a topical
24 report does.

25 CHAIRMAN CORRADINI: Okay. All right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Thank you.

2 MEMBER SKILLMAN: Clint, I would provide
3 this observation and you probably have had the same
4 experience I have had. In almost any water system,
5 no matter what its temperature, you have the potential
6 of getting biofouling, high temperature and low
7 temperature.

8 MR. ASHLEY: Absolutely.

9 MEMBER SKILLMAN: And I know from first-
10 hand experience if you have a lot of water and you
11 have even a trace of coliform, even a slight amount
12 of oxygen will grow bugs. And it shows up as slime
13 and some of it can be almost microporous, is light
14 and fluffy that really has no tenacity. But I've
15 also dealt with it when it turns out to be, in all
16 candor, a scum that's probably a 32nd of an inch thick
17 and it truly is a fouling surface and if it becomes
18 heated and dried, it bakes on and if you have repeated
19 cycles you can actually give up heat transfer
20 capability.

21 MR. ASHLEY: Absolutely.

22 MEMBER SKILLMAN: That's what I'm thinking
23 needs to be addressed here. Of course, the remedy
24 is chemical cleaning and I'm not sure this design is
25 capable of being chemically cleaned. I think this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issue of fouling of bio-growth should be addressed
2 head on.

3 MR. ASHLEY: I agree.

4 MEMBER SKILLMAN: Thank you.

5 MEMBER BROWN: Relative to the comment
6 on the debris, I mean when I read Section 5, I saw
7 the first part and I had the same comment he did about
8 the debris generation being deleted from that. That
9 was around page 30 or something like that. Page 30.

10 All right, we'll start again. It was
11 page 30 where the debris generation discussion part
12 was deleted. And then I went down and I found the
13 acceptance criteria that you talked about in 6.2.2
14 item 5. But if you read item 5 it talks about debris
15 generation relative to reactor recirculation valves,
16 debris generation from that valve blockage, debris of
17 long-term coolability of the core, in other words,
18 stuff inside the reactor vessel, not necessarily the
19 containment. And the reactor vent valves are the
20 stuff that feed into the containment or that's my
21 memory of what that --

22 CHAIRMAN CORRADINI: But what they were
23 referring to, if I might break in, is the return
24 valves so that you can actually create a natural
25 circulation path.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: That's for the ECCS or the
2 core cooling or something like that. This is
3 containment, and I'm just saying the acceptance
4 criteria you talked about where it talks about debris
5 refers to reactor recirculation valves or that part
6 of the path.

7 MEMBER STETKAR: Those go from the
8 containment back in to the reactor.

9 MEMBER BROWN: Reactor recirculation
10 valves go through -- there's two types of -- if my
11 memory is wrong, I'm remembering the diagram, there
12 were reactor vent valves and there were reactor
13 recirculation valves.

14 CHAIRMAN CORRADINI: RRV.

15 MEMBER BROWN: There's RVVs also.

16 CHAIRMAN CORRADINI: That's on top.

17 MEMBER BROWN: So the reactor vent valves
18 come out and they go up into the containment.

19 CHAIRMAN CORRADINI: And the RRV go back
20 from containment into the core.

21 MEMBER BROWN: That wasn't the way I
22 remember the discussion.

23 MR. ASHLEY: This is correct.

24 CHAIRMAN CORRADINI: The other ones are
25 RHR.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ASHLEY: Think about the containment
2 sump is actually collecting the condensate and the
3 lower half of containment collects the condensate and
4 that level comes up and that is the --- there's no
5 other injection means to put the water back into the
6 core so they open up --

7 MEMBER BROWN: I remember the recirc
8 valves. I understand that. I guess I didn't connect
9 it to the two different terminologies. I know if you
10 have something going on in the reactor, it goes up
11 and it recircs -- you're cooling the core so the
12 containment -- there's nothing in it right now,
13 theoretically. But I thought there was another
14 relief valve set that blows off into the containment
15 itself and that part -- I'm wrong. Is that correct?
16 At least based on the present design.

17 MR. ASHLEY: That is correct.

18 CHAIRMAN CORRADINI: As I understand the
19 current design, there's a pair of valves on top that
20 essentially will, if you use my English, blow down
21 purposely into containment and a set of valves which
22 are the RVV and the set of valves, RRV, which once
23 blow down and the water accumulates will then by
24 natural circulation flow back in to the downcomer and
25 into the core.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: You're saying the RVVs
2 blow into the containment and then the valves, the
3 lower one is just a valve with a stub on the end to
4 let the stuff --

5 CHAIRMAN CORRADINI: So the concern is
6 that you want to make sure that debris doesn't choke
7 that off.

8 MEMBER BROWN: My brain is coming back
9 into focus here from a picture. I don't have the
10 picture in front of me. So okay, I got it. I still
11 would agree with Dick that because you're going into
12 the containment all kinds of crud is up there in the
13 top, stuff could come loose. And therefore, the
14 debris discussion seemed to me not -- didn't make a
15 whole lot of sense to eliminate that earlier part and
16 just have it pop up down in the acceptance criteria.
17 Just an opinion.

18 MR. ASHLEY: It may have been just so
19 there were a number of hands and there were a bunch
20 of changes. So certainly acceptance criteria Roman
21 numeral II, 10 CFR 50.46(b)(5), long term cooling.
22 It's there. The DSRS acceptance criteria
23 acknowledges the potential for debris generation and
24 the effects that it could cause blockage of valves,
25 blockage of the core. So I agree with the comment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think we can fold that back into Roman numeral I
2 section.

3 MEMBER BROWN: I have one other comment
4 when I started reading this, was that there were a
5 whole lot of very design specific based on the --
6 what did you call it, the PowerPoint presentations?
7 So there was a lot of very specific statements
8 relative to what the PowerPoint presentations have
9 given. I guess being a generalist, what I would have
10 thought you would have had a general statement that
11 said hey, if we forgot something, and I guess that
12 was up around page 29.

13 MR. ASHLEY: I struggle with your page
14 designation --

15 MEMBER BROWN: I'm going to tell you what
16 section it is here in a second.

17 MR. ASHLEY: The DSRS is only 11 pages.

18 MEMBER BROWN: I've got to find where I
19 marked it. No, no, I agree with that, this is part
20 of the attachment they sent me. The whole darn
21 attachment is all the sections and that's totally
22 useless for you.

23 MR. ASHLEY: I apologize.

24 MEMBER BROWN: So within the areas of
25 review, and it was on page -- where's the page

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 numbers. There's no page number down there. It's
2 not at the bottom of the page, there's nothing there.

3 MR. ASHLEY: It's on page --

4 MEMBER BROWN: 6.2.2-2 which is
5 unnumbered on that page.

6 MR. ASHLEY: I think what could help is
7 in Section 3 of the review procedures, it sort of
8 speaks to some aspects of the design could be
9 different than what we had envisioned. The set of
10 information may not be all inclusive, and as a result,
11 the staff -- it's incumbent upon the tech. reviewers
12 and our design organizations to look at the
13 application when it comes in and look for changes for
14 what we understood. So it's sort of a motherhood and
15 apple pie --

16 MEMBER BROWN: Where was that you said?

17 MR. ASHLEY: It's under 6.2.2.-7. It's
18 under -- that's the page number of the DSRS. It's
19 in Section 3 of the review procedures that are
20 available to the staff.

21 It also touches on -- I wasn't present at
22 the 6.3 meeting in September. But there was
23 conversation about Appendix B. And we also touched
24 on in all the DSRSs there was sort of boilerplate
25 language put in that recognizes the Appendix B

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 considerations for this type of a review.

2 MEMBER BROWN: Is that the part where you
3 talk about this list of examples as not intended to
4 be all inclusive, is that the paragraph you're talking
5 about?

6 MR. ASHLEY: That's correct. I don't
7 know if that --

8 MEMBER BROWN: It's Review Procedures
9 Roman Numeral III(1).

10 MR. ASHLEY: That's correct.

11 MEMBER BROWN: Okay, all right. I didn't
12 read that one that way, but that's -- I guess that
13 would do the trick.

14 MEMBER SKILLMAN: Let me ask this. I'm
15 on the mark up 6.2.2-8 at the added in 1 and 2. And
16 this has to do with general design criteria 5 sharing
17 of components.

18 MR. ASHLEY: Okay.

19 MEMBER SKILLMAN: And the wording is "G5
20 applies to this DSRS because the multiple reactors
21 share systems, structures, and components important
22 to safety. For example, the UHS which is shared by
23 all reactor modules must have sufficient inventory
24 and heat sink capacity capability to service the UHS
25 and spent fuel cooling for all reactor modules during

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 commonly effecting events." I understand what that
2 set of thoughts means.

3 Here's my question. Five years from now,
4 ten years from now, we have this plant. It's got 12
5 of these modules. There's a question about the
6 integrity of the boundary that is holding all that
7 water in place. For the plants that we've been
8 dealing with up until today, we've got one sump for
9 one reactor. We don't have one sump for 12 reactors.

10 Is there an idea of how you might respond
11 to the critic or to perhaps me and my colleagues,
12 here's why it's okay to have one common pool for 12
13 cores?

14 CHAIRMAN CORRADINI: Common pool, you
15 mean the outside --

16 MEMBER SKILLMAN: Bingo. Because that
17 is the common -- that is the ultimate heat sink for
18 all 12. So we've got these 12 machines in this great
19 big pool. Some are running, some are not. Some are
20 being bolted on, bolted and put back together and
21 there's this thread of loss of integrity of the common
22 pool. What's the answer?

23 MR. ASHLEY: I don't know the answer.

24 MEMBER SKILLMAN: We need to have an
25 answer to that question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ASHLEY: I agree. I think it's cross
2 cutting. It's more than just -- it affects all the
3 accident analysis. You've got this common reactor
4 pool, but I think that's part of the struggle that
5 the staff will have looking at the design associated
6 with that pool and providing reasonable assurance
7 that we made our safety functions.

8 CHAIRMAN CORRADINI: Let me ask this
9 question differently. If I were the staff, I'd ask
10 the applicant how shallow can the pool be and still
11 get away with decay heat removal? Right now, if I
12 understand how the cartoon is, we have our canonical
13 cartoon up there. Everything except the top itty
14 bitty amount is full of water, but my guess is there's
15 sufficient margin that I could have a half a pool or
16 maybe even a quarter of a pool and I still could
17 remove decay heat. I'd be very curious if that
18 analysis is done or ought to be done to see at what
19 point do I start challenging the ability to remove
20 decay heat.

21 MR. ASHLEY: Certainly it would be a
22 technical specification requirement for level.

23 CHAIRMAN CORRADINI: Right, correct.
24 But even if there was a technical specification
25 requirement, I've got this -- I think where Dick is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going with this is I've got this enormous swimming
2 pool, so I have to start making make up. I've got
3 watch it. I've got to make sure that it's going to
4 take some time to make it up because this is -- this
5 is not a football field, but let's say from the 50-
6 yard line to the end zone amount of water. So it's
7 one hell of a lot of water that you've got to --

8 MEMBER SKILLMAN: I think the riddle is
9 this. The water level must be high enough that the
10 most recently full-run core with full burden of decay
11 heat can be cooled by the level of water that is over
12 the containment because that's a natural heat removal
13 process.

14 And so the funny thing is, you can have
15 12 reactors, 11 could have been shut down for 2 years,
16 but if your last remaining reactor has just done 24
17 months, flat out, and 5 weight percent fuel, you've
18 got a full decay heat burden on that one machine.
19 And so the water level surrounding that one
20 containment must be sufficient to ensure that you can
21 transfer the decay heat generation rate at a rate
22 that protects that core. Of course, it decreases
23 quite quickly, but you have to have enough water over
24 that one containment to protect that one core.

25 So even though one might say well, golly,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there are 12 and it's really not that great of a
2 problem, I think it turns out to be a problem that is
3 focused on the most irradiated, hottest, most
4 recently run core.

5 MEMBER BLEY: We probably ought not try
6 to solve that one here. They're going to have to
7 work on it. But it's worse than that.

8 MEMBER SKILLMAN: It is worse.

9 MEMBER BLEY: I don't know what the
10 shortest time interval is between refuelings, but
11 they can refuel one after another, so we can get a
12 much higher heat load than that.

13 MEMBER SKILLMAN: What I was really going
14 after is what do you do if you're on watch and you
15 have the perception of a failed containment boundary?
16 We had that happen at TMI 2. And we said what do we
17 do? And you kind of are in this sudden moment
18 recognizing there's not a whole lot we can do. I
19 mean we can't get to it. It's under water. We don't
20 know where the leak is. That needs to be thought
21 through for -- if you will, the ultimate heat sink
22 that 12 reactors that are cooled by a common pool.
23 That shouldn't be a surprise question and that
24 shouldn't be a surprise answer. That's all I'm
25 saying.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ASHLEY: I agree. As a matter of
2 fact, I would envision all 12 modules being at full
3 power and all that decay heat having to be satisfied
4 by the pool.

5 MEMBER SKILLMAN: There's a minimum and
6 a maximum.

7 MR. ASHLEY: Right.

8 MEMBER SKILLMAN: That's what I'm --
9 okay.

10 MR. CRANSTON: Excuse me.
11 NuScale has made presentations to us, again, this is
12 the PowerPoint stage because we haven't actually seen
13 calculations. And we will get into it eventually to
14 do these calculations, that if the situation occurred
15 where they have a loss of coolant accident on one
16 unit and then shut down all the other units to be
17 able to focus on that accident and they have no pool
18 make up or anything, they just have to sit there and
19 watch what happened, that based on the heat loads and
20 the quantity of the water in the pool, that they could
21 actually allow the pool to slowly evaporate. And by
22 the time the pool water got down to a level where the
23 heat transfer effect from that water was minuscule,
24 that air cooling would be adequate. That's what
25 they're claiming. Again, we're going to have verify
that by analysis. But they have a slide that they've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shown us and they've made that presentation.

2 So we know that they've considered that
3 and we'll just have to wait for the submittal and do
4 the actual analysis to confirm it.

5 MEMBER SKILLMAN: Very good. Appreciate
6 it. What I'm saying is what happens if there's a
7 leak?

8 MR. CRANSTON: Yes.

9 MEMBER SKILLMAN: That's a little
10 different situation. Thank you.

11 MS. BANERJEE: This is Maitri Banerjee.
12 May I ask a question?

13 CHAIRMAN CORRADINI: Get closer.

14 MS. BANERJEE: This is Maitri Banerjee.
15 I'm wondering, each module has some sort of an
16 enclosure, walls around it?

17 CHAIRMAN CORRADINI: No.

18 MS. BANERJEE: No?

19 CHAIRMAN CORRADINI: There's a bay.
20 There's a bay that separates them, but the bay is
21 open to the common swimming pool.

22 MR. CRANSTON: The walls are between the
23 modules, but not -- it doesn't close off the --

24 MS. BANERJEE: But is that going to allow

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certain level of water in case a leak develops
2 elsewhere?

3 MR. CRANSTON: No, it's all -- the pool
4 that goes down the middle, the portion of the pool
5 down the middle is open to all the modules at all
6 times. It's only side walls. It's all common.

7 The only rear wall that's in there that would
8 protect is between the spent fuel pool and the rest
9 of the reactor building such that if the reactor
10 building pool water evaporated because you couldn't
11 make it up and all the heat was being ducted in there
12 and evaporating it, that the spent fuel pool itself
13 wouldn't drain down below the top of the spent fuel
14 because there's a rear wall there and that pool that
15 would be maintained separately while whatever was
16 going on in the rest of the reactor building happened.

17 MS. BANERJEE: Thank you.

18 MR. ASHLEY: Next slide, please. We have
19 roughly three public comments on DSRS 6.2.2. I view
20 them as primarily editorial when I took a quick scan
21 of them, fixed some edits, and in general, I would
22 agree with those public comments.

23 CHAIRMAN CORRADINI: So I have some
24 general questions, but I don't think -- I'm sure I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think I know the answer, but just to be clear, so the
2 containment evacuation and as John quite quickly
3 pointed out is one of the aux. -- auxiliary system is
4 covered in 9. But my understanding is it runs
5 continually to hold the pressure to whatever the tech.
6 spec level is which I think currently is like 1 psia
7 or something like that.

8 MS. GRADY: 1.5.

9 CHAIRMAN CORRADINI: I'm sorry?

10 MS. GRADY: 1.5.

11 CHAIRMAN CORRADINI: 1.5. So it is
12 continually sucking away with essentially inflow of
13 air, correct? It's not in an inerted containment.
14 I'm asking this -- so here's where I'm going with
15 this. If you look at this and you close your eyes,
16 this is like a super small Mark 1, right? So it's
17 not really a PWR, right? It's a BWR with a wet well
18 outside. It's a strange sort of thing. So I'm
19 trying to understand energy flows and what I have to
20 watch. So the first thing I'm pretty sure is it's
21 not inerted. I'm pulling vacuum on it and I'm sucking
22 in leakage and everything is being held in quasi
23 steady state at about 1.5 psia. Do I have that right?

24 MR. ASHLEY: I agree in principle, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm not so sure that there's going to be an extensive
2 amount of leakage, end leakage.

3 CHAIRMAN CORRADINI: Okay, all right.
4 But the system will turn on and off. But my
5 assumption is on that system it has isolation. And
6 I know I asked this before, but I didn't write down
7 the answer. Are the isolation valves both in and
8 outside containment or are they of the type of some
9 plants where they're both outside containment, the
10 pair of valves are outside?

11 MR. ASHLEY: I believe for NuScale design
12 is they want to have the valves on the outside
13 addition.

14 CHAIRMAN CORRADINI: Has happened in
15 other systems.

16 MR. ASHLEY: Yes.

17 CHAIRMAN CORRADINI: Okay, so that's
18 point one. What is the percentage coverage of what
19 is not covered by water? Are we talking like five
20 percent of the surface area? And the reason I'm
21 asking that question is this is kind of like the
22 inverted AP1000 with a very small containment where
23 in AP1000 or 600 you guys got all energized over that
24 all the heat was going out the top because that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where you're pulling the film down. And then you
2 could have a potential of essentially stratification
3 of any sort of stuff like combustibles and
4 accumulation. But here, the hot point is above.

5 So my question is I assume the staff is
6 going to look at how gases mix and the heat transfer
7 as the hot point now sits at top. So that some of
8 the functionality of those valves might be -- maybe
9 -- I don't know would be, but may be have to be
10 checked relative to temperature differences.

11 MR. ASHLEY: They'll have to be qualified
12 for the postulated environment that they're going to
13 see.

14 CHAIRMAN CORRADINI: Okay.

15 MR. ASHLEY: And I don't have a sense for
16 the percentage of surface area.

17 CHAIRMAN CORRADINI: I was just guessing
18 by looking at about five percent.

19 MR. ASHLEY: I would say much less, but
20 --

21 CHAIRMAN CORRADINI: Okay, right. And
22 then you had something -- since I think you're done,
23 you had something in Section 4, the evaluation
24 findings that said something like "the staff review

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 indicates that the applicant filed in GC-40 by design
2 of the containment heat removal system to permit
3 appropriate periodic pressure and functional testing
4 to ensure structural leak kind of integrity." So
5 they're going to a typical containment leak rate test?

6 MR. ASHLEY: They are. Whether or not
7 it's consistent -- there is some discussion that
8 NuScale wants to take somewhat of a -- I don't know
9 what the right word, departure --

10 MEMBER BROWN: Is that an exemption that
11 you're talking about? If it's an exemption --

12 MR. ASHLEY: There's some discussion in
13 the staff. That's currently a dialogue. There's a
14 gap analysis report that is public that NuScale has
15 proposed certain positions they want to take. Today
16 we weren't in a position to speak to those gaps
17 because that's still within the --

18 MEMBER BROWN: I've heard about that.

19 MR. CRANSTON: Additionally, NuScale is
20 submitting a topic report on that subject where they
21 will tell us exactly what they want us to take an
22 exemption to. What they indicated was that they
23 would come in and just do a type A test, the full
24 containment pressure test at a reduced pressure.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 They didn't want to pressurize that containment all
2 the way up to 600 pounds or greater. They'd rather
3 do something less.

4 CHAIRMAN CORRADINI: So they want to do
5 a different sort of containment leak rate test?

6 MR. CRANSTON: Yes.

7 CHAIRMAN CORRADINI: Then that kind of
8 gets to my question. I was trying to understand what
9 was the testing the staff was implying with this
10 requirement? So the answer is it's in the mix of
11 being discussed?

12 MR. ASHLEY: Yes. But Appendix J type
13 testing.

14 MEMBER BROWN: Have they given you any
15 basis for not doing a full pressurized or is that
16 just what they're thinking about? We had a
17 discussion on this before I think. I thought I
18 remembered this. We hadn't?

19 MR. CRANSTON: They are concerned as far
20 as what they've indicated to us is that when you have
21 a vessel like that and you pressurize it with air to
22 that pressure and something blows, it's not a good
23 thing, like a penetration or something. They'd
24 rather do it at a reduced pressure even though it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 qualified for well over that pressure. That was what
2 they indicated to us, but again, we're waiting to see
3 what they describe in that topical report and what
4 they're proposing.

5 MS. GRADY: The current design pressure
6 they're talking about in pre-application --

7 CHAIRMAN CORRADINI: Are you on? Is your
8 little green light on?

9 MS. GRADY: Yes, it's green.

10 CHAIRMAN CORRADINI: Speak louder.

11 MS. GRADY: I will. The current design
12 pressure that they're discussing with us in pre-
13 application meetings is a thousand pounds.

14 CHAIRMAN CORRADINI: For the
15 containment.

16 MS. GRADY: Yes. Hence, the issue of
17 reduced pressure for Type A testing.

18 CHAIRMAN CORRADINI: Okay.

19 MS. GRADY: And that has changed. It
20 started off a little bit lower, but it's up to a
21 thousand. That's design.

22 CHAIRMAN CORRADINI: Okay, so my question
23 is to TBD, to be determined?

24 MR. ASHLEY: That's correct. That's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correct.

2 MEMBER BLEY: I am just curious. Do you
3 know what's driving it up?

4 MS. GRADY: They specified which accident
5 could lead to that pressure, but I don't recall which
6 one --

7 MEMBER BLEY: So maybe new calculations
8 are somewhat higher pressures than they expected?

9 MS. GRADY: One of their calculations
10 that we haven't seen, yes.

11 MR. ASHLEY: I think the real issue is
12 it's just such a small containment.

13 CHAIRMAN CORRADINI: Well, the free
14 volume, that's where I went back to my whole analogy.
15 This is kind of like the second vessel.

16 MR. ASHLEY: And it's a vessel that gets
17 unfastened every refueling outage and gets bolted
18 back together.

19 MEMBER BLEY: Before you go on, I wanted
20 to go back to Dick's first comment. There is quite
21 a bit of discussion about debris and about fouling.
22 Were you suggesting they really ought to have a
23 separate section or at least raise the issue of
24 biofouling and bio-debris or I would have thought

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that normally you think of that in this, but I'm not
2 sure.

3 MEMBER SKILLMAN: No, I was not
4 suggesting there should be a separate section. But
5 I am suggesting there needs to be vigilance to that
6 potential and it's not one that's obvious unless you
7 run one of these machines.

8 I think when I mentioned the idea of
9 coliform, probably some people in the room kind of
10 recoiled to that. Well, the fact is you get your
11 make up water probably from the city and that's not
12 -- that water is not pure and it's not sanitary. It's
13 good enough to drink, but if you're taking raw water
14 from the city, you probably have a very small amount
15 of coliform. And with a little bit of oxygen, if
16 there's any carbonate material, it will grow.

17 MEMBER STETKAR: It's borated, deionized
18 water in the pool. It's like a refueling storage
19 tank.

20 MEMBER SKILLMAN: I have seen borated
21 deionized water grow leafy great vegetables. All I'm
22 saying is heads up. Here we are at the DSRS stage.
23 Let's make sure that we really address that. That's
24 all I'm saying.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: Dick's point here which
2 is very good, I have seen triply distilled water over
3 -- distilled over permanganate in the first stage
4 develop fungus in collection.

5 CHAIRMAN CORRADINI: Are you on?

6 MEMBER POWERS: I am. Would I be
7 anything else but on point.

8 CHAIRMAN CORRADINI: You're so quiet.

9 MEMBER POWERS: Have you recently had an
10 auditory check?

11 MEMBER SKILLMAN: The reason that I made
12 the comment, Dennis --

13 MEMBER BLEY: No, I understand, but I was
14 wondering if you were looking for a change in the
15 DSRS. I understand we want to pay attention to it.

16 MEMBER SKILLMAN: Clint understood what
17 I said. A piece had been eliminated --

18 MEMBER BROWN: Won't be the reviewer.

19 MEMBER SKILLMAN: Well, I mean he's
20 writing the DSRS.

21 MR. ASHLEY: Let me speak to that.
22 There's two aspects of fouling. One is macrofouling
23 like GSI-191 and then there's fouling of surfaces
24 which if you look at DSRS Section 3 under Roman

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 numeral II which -- this is under the DSRS acceptance
2 criteria, page 6.2.2-4, we speak to that issue about
3 surface fouling.

4 MEMBER BLEY: Oh, you do?

5 MR. ASHLEY: Yes. And the reason I put
6 that in there is because I did some reading, looked
7 at some operating experience. I looked at spent fuel
8 pools to see if there was a potential for biological
9 fouling and there was some hits on that of concern.
10 And so most of those spent fuel pools were not borated
11 and not treated.

12 I found less of an impact for borated,
13 deionized water in like a traditional spent fuel pool.
14 So I expected there will be less of a concern, but
15 it's something that we want the reviewer to look at
16 require the applicant to provide information on.

17 MEMBER SKILLMAN: We have no experience
18 with residual water from a vacuum flask and the
19 containment is a vacuum flask. And as Dr. Rempe
20 pointed out, all kinds of crazy things happen. You
21 can get phase change. You can get sublimation. You
22 can get ice. My view is you can grow critters and
23 they can screw up your heat transfer surfaces.
24 That's really all I'm trying to communicate.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Joy really put her finger on something
2 here. We can have some phenomenon that we have not
3 seen before because this is technology that we have
4 never experienced, at least on a large scale.

5 CHAIRMAN CORRADINI: The only thing
6 though, I thought you were talking outside the pool
7 and I was listening. But if I'm inside containment,
8 then it's essentially reactor vessel water that
9 leaked which means that if I had biofouling out there,
10 I'll have biofouling inside the core, too, because
11 it's the primary system water.

12 MEMBER SKILLMAN: You cook them. You
13 cook them inside the core.

14 MR. ASHLEY: I will say this, there's
15 quite high temperature in the containment, much
16 higher than you would ordinarily associate with a
17 large dry PWR. I don't want to get into proprietary
18 information.

19 CHAIRMAN CORRADINI: We don't want to
20 talk about that. But I know when we took the tour,
21 they did tell us some temperatures and they were
22 higher than you would first suspect.

23 MR. ASHLEY: Absolutely.

24 MEMBER BLEY: That kind of makes it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 better and better for growing stuff, I would say,
2 unless you get really high up to pushing boiling here.

3 MR. ASHLEY: But I think those
4 considerations will have to be looked at.

5 MEMBER BLEY: Okay.

6 MR. ASHLEY: That concludes my discussion
7 on 6.2.2.

8 MS. GRADY: I'm Anne-Marie Grady. I've
9 been with the Agency since 2004. I'm in the
10 Containment Systems Branch and also the PRA and Severe
11 Accident Branch. And I'm here to talk to you today
12 about the DSRS for combustible gas control.

13 First of all, there were no changes to
14 the applicable GDCs. GDC 5 was already in 6.2.5 in
15 the SRP.

16 There were very few changes in the
17 acceptance criteria. There were major changes due
18 to NuScale's design specifics and the major changes
19 include we eliminated any reference to BWRs. We
20 eliminated references to active containment
21 atmospheric mixing systems because they're proposing
22 to provide none of those.

23 We've added the general description of
24 the NuScale design right up front in the DSRS. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've made the focus more on severe accidents in
2 accordance with 10 CFR 50.44.

3 And by that last bullet, I really mean in
4 the SRP for 6.2.5, yet one of the acceptance criteria
5 had to do with taking account of all of the materials
6 in containment that could be corroded by, let's say,
7 containment spray and putting inventories into the
8 FSAR, that sort of thing. That was always meant to
9 be as the hydrogen contribution in the design basis
10 accident.

11 Ten CFR 50.544 is now almost exclusively
12 focused on severe accidents. It was found way back
13 by 2003 and certainly earlier than that that design
14 basis accidents would not risk significance to severe
15 accident events. So one paragraph was taken out that
16 focused on the corrosion and the effects of the
17 containment spray.

18 CHAIRMAN CORRADINI: So I have a
19 question. I don't know how to ask this. I should
20 have done some calculations to check it, but because
21 this is such a small containment, and it's not
22 inerted, is radial decomposition I build up gases if
23 I had a release of primary system water into that,
24 and I had radial decomposition, is it such a small

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 volume that I actually would worry about a buildup of
2 hydrogen and oxygen outside as well as inside? Do
3 you know what I'm asking?

4 MS. GRADY: No.

5 CHAIRMAN CORRADINI: It's such a small
6 containment. The inventories to worry about any sort
7 of combustible gas ought to be of no problem because
8 there's no oxygen or very little. But are there
9 other ways to get to a problem? I'm just -- I haven't
10 thought of any, but I'm trying to think out of the
11 box because it's such a small volume.

12 MR. WAGAGE: This is Harry Wagage from
13 the staff. Actually, we ran into a similar problem
14 to make sure --

15 CHAIRMAN CORRADINI: You ran it? Harry
16 say it slower.

17 MR. WAGAGE: Yes. We ran into a similar
18 issue with ESBWR passive containment cooling system.
19 Because of that we have been raising this issue every
20 meeting and it's come up, and NuScale has gone on
21 record that --

22 CHAIRMAN CORRADINI: Okay, but so you
23 talked about an issue. Can you explain the issue
24 you're worried about? Because I'm not sure I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand even what I brought up. It's so
2 different. So what's your issue?

3 MR. WAGAGE: Okay. What I thought, you
4 are raising the issue with generation of radiolytic
5 gases in LOCA. And because there's things that
6 condense and the radiolytic gases, hydrogen, oxygen,
7 keeps accumulating in the containment and whether it
8 would come to a detonatable level. That's what that
9 developers worry about.

10 CHAIRMAN CORRADINI: You said it much
11 better than I. Okay, but the reason I'm asking the
12 question is because the free volume is so small and
13 also I'm not sure about the mixing. I don't think
14 there's an issue, but I would accumulate it up at the
15 top because top now is hot instead of cold. So I
16 don't think I'm going to cause some sort of
17 stratification issue. But I just want to make sure
18 staff is thinking about this relative because it's
19 such a small volume and it's not inerted. So I sense
20 the answer is you guys are at least thinking about
21 it?

22 MR. WAGAGE: Yes, you are thinking about
23 that we raised the issue to NuScale.

24 MS. GRADY: We certainly are thinking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about it, but the scenario you discussed, Dr.
2 Corradini, is a design basis accident and 10 CFR 50.44
3 requires that the circ. water reaction, 100 percent
4 of that, hydrogen regenerated from that be sent into
5 the containment and be analyzed for potential
6 combustion and potential detonation. So it doesn't
7 have to be a deterministic accident to look at. You
8 have to have to postulate an amount of hydrogen in
9 containment and then analyze whether or not that could
10 lead to detonation.

11 CHAIRMAN CORRADINI: But in their case
12 because they started only at 1.5 or whatever it is.
13 It's not of oxygen.

14 MS. GRADY: That is what NuScale says,
15 therefore, it's a non-issue.

16 CHAIRMAN CORRADINI: Okay.

17 MS. GRADY: Is what they said.

18 CHAIRMAN CORRADINI: But I'm thinking
19 differently. I'm thinking -- okay, fine. That was
20 an artificial calculation that I'm not worried about.
21 But on the other hand if I leak into containment I
22 have -- and I have slow build up, that would concern
23 me. I forgot we actually brought this over to ESBWR,
24 but that was where I was coming from.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER REMPE: Again, if one thinks about
2 the spent fuel casks and the drying process and they
3 were worried about absorption of water on to surfaces
4 during that drying and backfill process, is there --
5 again, and ice formation or whatever, you might get
6 a false reading from the sensors. During operation
7 can you have some -- I mean they talk about residual
8 moisture in the casks all the time. And can you give
9 that, could you have some sort of radiolysis
10 occurring? Are those kind of things going to be
11 considered as you go through and evaluate the design?

12 MS. GRADY: Certainly.

13 MEMBER REMPE: So I mean not really an
14 accident, just changes in the composition of the gas
15 or the vacuum. Changes in the vacuum time, those
16 kind of things?

17 MS. GRADY: Do you mean as part of the
18 evacuation system design?

19 MEMBER REMPE: Well, you might decide --
20 again, it might show that there's a vacuum and there's
21 no moisture in there and then with time, after you
22 think you've got a vacuum could things change because
23 of water desorption and because of the conditions
24 changing, radiolysis occurring and things like that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm not familiar enough with the design, but do they
2 declare a vacuum, shut it off, and they move on and
3 they don't monitor throughout the time it's in the
4 pool?

5 CHAIRMAN CORRADINI: My impression is
6 it's an active system that they have to continually
7 watch.

8 MEMBER REMPE: They continuously
9 monitor. So you would see that hydrogen, if it
10 started to form or you would see a change in the
11 vacuum that it had decreased.

12 MEMBER BROWN: But the vacuum system I
13 thought acted such that it's always drawing --

14 MEMBER REMPE: It's always drawing.

15 MEMBER BROWN: Always drawing a vacuum.

16 MEMBER REMPE: Okay.

17 MEMBER BROWN: Based on the last
18 comments.

19 CHAIRMAN CORRADINI: It's essentially a
20 very -- a much more subatmospheric containment than
21 we're used to.

22 MEMBER REMPE: Yes.

23 CHAIRMAN CORRADINI: It's like sirions
24 stairways, but small containments.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CRANSTON: And NuScale has indicated
2 the higher tech. spec limit as far as vacuum, such
3 that that was the initial condition.

4 MEMBER REMPE: And where would the
5 hydrogen monitoring be done at? It is as you pull
6 whatever comes off of the vacuum or is it something
7 like containment with a monitor --

8 MEMBER STETKAR: The vacuum system is
9 isolated when you have an accident so you can't
10 monitor hydrogen out in the vacuum system.

11 CHAIRMAN CORRADINI: When you declare
12 upon containment isolation, that's what I was asking
13 earlier. That has to isolate.

14 MEMBER STETKAR: The vacuum is there as
15 an insulator for normal operation. There's nothing
16 about maintaining vacuum after an accident.

17 MEMBER REMPE: Say that again. It's not?

18 MEMBER STETKAR: The vacuum is there as
19 a thermos bottle during normal operation to prevent
20 heat transfer outside into the pool. They don't care
21 about maintaining vacuum after an accident. So they
22 isolate the vacuum lines. So you can't monitor
23 hydrogen in the vacuum lines. It's got to be
24 monitored in the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER REMPE: Where in the containment
2 is it monitored?

3 MEMBER STETKAR: I don't know. I would
4 hope near the top.

5 MR. CRANSTON: Discussions are still
6 going on with NuScale regarding what type of gases
7 they're going to monitor during plant operation.

8 MEMBER SKILLMAN: I would like to ask
9 this question if I could, please. I had the
10 experience at a number of plants where the emergency
11 diesel generators failed to start. They were cranked
12 by compressed air and when the solenoid valves were
13 commanded open to start the emergency diesel
14 generators, the very slight moisture in the receiving
15 tanks, the compressed air tanks, taking on its light
16 and heat and vaporization, put an ice puck about as
17 big as the end of your little finger in the solenoid,
18 throttled to solenoid to where the air start motors
19 had insufficient volume at pressure to crank the
20 engine. I saw that happen in a number of places
21 where I was doing consulting. So just hold that
22 thought.

23 The issue is gas changing pressure into
24 a different volume and the consequence of slight

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 amount of moisture creating dysfunction. Is there
2 an intermediate state in this containment with its
3 vacuum system where there can be that same type of
4 phenomenon where we're either trying to go from a
5 high vacuum to no vacuum or from one pressure state
6 to another to where we actually get moisture causing
7 a freezing problem or a blockage problem?

8 MR. ASHLEY: I think if you look at the
9 containment temperatures from normal operations, I
10 don't think you'll -- I'll turn myself on.

11 CHAIRMAN CORRADINI: It's mostly
12 important because all of our transcripts are picked
13 up orally. We don't want to get them misconstrued.

14 MR. ASHLEY: I think the containment for
15 normal operations, the containment is quite elevated
16 in temperature. So I'm not so sure that there would
17 be a freezing problem based on water leaking in,
18 whether it be from the reactor pool or whether it be
19 from the reactor itself, vessel having some inventory
20 contribution into the containment.

21 MEMBER SKILLMAN: No, I would expect that
22 containment to be fairly high in humidity with a
23 fairly high water concentration, moisture
24 concentration.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ASHLEY: I'm not sure I share that
2 observation.

3 MEMBER SKILLMAN: Then that might be a
4 reason why there is no concern for moisture coming
5 out of solution or moisture becoming an ice puck.
6 We're dealing with a fairly large volume, even though
7 like Dr. Corradini says it's a very small containment
8 with a very low pressure. There still is moisture
9 content and there's going to be a transport of
10 material as you're either drawing a vacuum or letting
11 the vacuum decrease to atmospheric pressure. Is
12 there an in-between state there that needs to be
13 examined? That's really the question I'm asking.

14 MR. ASHLEY: I think it's a good
15 question. I'm not so sure that it's incumbent upon
16 6.2.2, a containment heat removal system to look at
17 that. But I think you're looking at more of that
18 normal ops. And I agree with your observation about
19 taking compressed gas that has a high moisture
20 content. When you expand that gas, you're going to
21 have that cooling effect.

22 MEMBER SKILLMAN: I was really kind of
23 pointing my question to Anne-Marie because she's
24 talking about gas in this containment and I think the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 real thrust of that section is the radiolytic
2 decomposition and how to handle the hydrogen that in
3 that same environment you may have a high amount of
4 moisture and under the right conditions that moisture
5 could become a real problem.

6 MS. GRADY: Where do you see it becoming
7 a problem?

8 MEMBER SKILLMAN: When its temperature
9 and pressure potentially threaten the function of
10 your -- whatever you might use to recombine the
11 hydrogen and oxygen or whatever you might use to
12 handle the hydrogen and the oxygen.

13 MS. GRADY: Okay. Currently, NuScale is
14 not proposing to put anything in the containment to
15 recombine the hydrogen, not igniters, not PARs, and
16 not even hydrogen or oxygen monitors.

17 So at the moment that isn't under
18 discussion. That has -- that's part of their
19 position in the gap analysis.

20 MEMBER STETKAR: Anne-Marie, did you say
21 -- I'm having trouble hearing you. Did you say
22 they're not planning to install hydrogen monitors in
23 the containment?

24 MS. GRADY: They are planning not to,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 yes. That's what they propose. It's not necessary.
2 In the gap analysis is what they're saying.

3 MEMBER STETKAR: Their assertion is there
4 will be no oxygen, so therefore they don't care how
5 much hydrogen.

6 MS. GRADY: Exactly, exactly.

7 MEMBER STETKAR: Okay.

8 MR. CRANSTON: We have not accepted that
9 position by the way.

10 CHAIRMAN CORRADINI: We sensed that. I
11 making notes and I wrote that down. Still under
12 discussion.

13 MEMBER BALLINGER: Do we know what the
14 dose rate --

15 MS. GRADY: Could I get back to Dr.
16 Skillman? We would certainly consider your comment
17 when we get into discussions about what they will be
18 providing in the containment, but at the moment, it's
19 not under discussion because it's not part of their
20 design.

21 MEMBER SKILLMAN: Anne-Marie, thank you.
22 I'm just kind of sitting here in my good old you don't
23 know what you don't know state of mind. And you're
24 on watch and you have this wallop, sounds like a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concussion and you realize you just had a hydrogen
2 detonation and you say to yourself, where did it come
3 from? Well, actually, I had some moisture and guess
4 what? I had disassociation and I had stoic and metric
5 hydrogen and oxygen. How did that happen? Well, I
6 just forgot to think about it. So I'm saying maybe
7 we better think that through very thoroughly.

8 MS. GRADY: Yes.

9 MEMBER SKILLMAN: Thank you.

10 MEMBER BALLINGER: Do we know what the
11 dose, gamma and neutron dose is at the interface
12 between the containment and -- my guess is that the
13 neutron dose is low by comparison. But the gamma
14 dose might not be so low.

15 MS. GRADY: I don't know.

16 MEMBER BALLINGER: Because that's where
17 radiolysis would occur.

18 MS. GRADY: Okay.

19 MEMBER BALLINGER: Okay? If you -- ten
20 to the seventh rads, at the interface, you can get
21 gamma radiolysis. You don't have to worry about
22 neutron radiolysis. And then you've got a free
23 system where any hydrogen or oxygen is just going to
24 find its own place like above the top of the pool

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 level. It may just be a no never mind, and the dose
2 rate is ten to the third or something like that in
3 which case there's no issue. But if it's 10 to the
4 sixth or 10 to the seventh, you've got 12 of these
5 units operating.

6 CHAIRMAN CORRADINI: Well, staff is -- I
7 heard from Henry that staff is watching.

8 MEMBER BALLINGER: Aye, aye.

9 CHAIRMAN CORRADINI: So we're watching
10 staff.

11 MS. GRADY: I don't have any more
12 comments. Do you have questions?

13 And we received no public comments on
14 this section.

15 CHAIRMAN CORRADINI: Other questions
16 from the committee?

17 Joy, questions?

18 MEMBER REMPE: No questions.

19 CHAIRMAN CORRADINI: Going once, going
20 twice. I've run out of questions. I appreciate it.

21 Okay, before we end this, let me ask if
22 there's people in the audience here from the public
23 that want to make to make a comment. Anybody here
24 in the audience? Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Anybody on the phone line, please at
2 least acknowledge your presence by grunting or saying
3 hello.

4 MR. LEWIS: My name is Marvin Lewis. I
5 was in no way trying to hide the fact that I was here.
6 I have also left a message on the contact's phone as
7 far as I know, although I don't even remember the
8 name of the contact.

9 CHAIRMAN CORRADINI: So you have a
10 comment, Marvin?

11 MR. LEWIS: Yes, yes, I do. And I do
12 appreciate the fact that you have asked more than one
13 time. I really needed that.

14 My comment is a very simple one. You
15 know, people have had problems with hydrogen before
16 and one of those people was a technician by the name
17 Hartman, H-A-R-T-M-A-N, back in 1979 at Three Mile
18 Island. Namely, he was bubbling hydrogen through a
19 measuring tank that was looking at the leakage rate.
20 He was taking data from a tank in order to get a
21 leakage rate. And at the same time there was hydrogen
22 bubbling through in which controlled corrosion.

23 And sure enough, he got leakage rates
24 when he turned the hydrogen off. That was quite

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significant. When he turned the hydrogen on, it
2 looked like there was no leakage, of course, because
3 it expanded the volume of water by bubbling hydrogen
4 through it.

5 And so he asked his supervisors, what is
6 he supposed to do? And his supervisor said leave the
7 hydrogen bubbling through. Okay. Direct orders.
8 Of course, he did it and he brought it up in sworn
9 testimony after a certain thing happened at Three
10 Mile Island 2.

11 And I'm just wondering if you're getting
12 yourself into the same situation, namely, there is
13 hydrogen often at places you'd never suspect, and not
14 necessarily hydrogen generated by radiolysis. And
15 I'm just wondering if there's a tank in that system
16 that allows hydrogen to be bubbled through the coolant
17 to control corrosion and can that hydrogen be bubbled
18 through to hide the fact of a leakage and we're going
19 to have the same situation here as we had at Three
20 Mile Island 2 three months after the fuel was loaded
21 in the middle of the night because somebody was able
22 to get a judge to write an emergency order to load
23 fuel.

24 That's my feeling on this subject. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hope you will check into the Hartman testimony at
2 Three Mile Island and thank you for listening.

3 CHAIRMAN CORRADINI: Okay, thank you very
4 much, Marvin. We've got your comments on the record.

5 MR. LEWIS: I appreciate that.

6 CHAIRMAN CORRADINI: Is there anyone else
7 on line, on the line? Okay. Hearing nobody else,
8 could you close the outside line?

9 All right, so let me first remind
10 everybody where we are. So this is the last -- is
11 save for Chapter 7 which we are going to discuss in
12 November. The date has escaped me now, November
13 19th. I think that's correct. Save for that, we
14 have no formal plans to look at other DSRS sections,
15 right? I'm looking at Greg, too, he's watching me.

16 We are going to have a subcommittee
17 meeting on how staff is going to resolve the comments,
18 the public comments from the DSRS and that's scheduled
19 for the day before on the 18th. But it's not my plan
20 to look at any other DSRS section. So that's one
21 thing for the subcommittee to consider.

22 The second thing is at least at this point
23 in my mind, we have a lot of little things that we've
24 communicated to the staff that nothing rises to a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 level where I think there is a significant issue.
2 But I'm going to write this up in some fashion for
3 the subcommittee and the full committee to look at.

4 With that as an intro, let me go around
5 and see if any members of the subcommittee want to
6 say anything else?

7 Dick?

8 MEMBER SKILLMAN: I do. Thank you, Mike.
9 I think the idea of 12 reactors sharing a common
10 ultimate heat sink when that heat sink is bounded by
11 a man-made boundary, specifically the poured concrete
12 and whatever liner might be on that concrete, is an
13 issue that deserves special attention. Thank you.

14 CHAIRMAN CORRADINI: Dana?

15 MEMBER POWERS: No.

16 CHAIRMAN CORRADINI: Steve.

17 MEMBER SCHULTZ: No comment.

18 CHAIRMAN CORRADINI: John?

19 MEMBER STETKAR: No, nothing, nothing.

20 CHAIRMAN CORRADINI: Dennis.

21 MEMBER STETKAR: No comments.

22 CHAIRMAN CORRADINI: Charlie?

23 MEMBER BROWN: Only one request. Since
24 we have the Chapter 7 still to go, I presently have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a copy that I got some months ago of the proposed
2 Chapter 7 for NuScale and I have asked to make sure
3 -- it's my understanding that there have been some
4 changes to it. So if someone could get with Christina
5 Antonescu and just make sure that I've got the latest
6 version and that the committee has the latest version
7 if they so desire to look at Chapter 7.

8 The other relevant piece of information
9 for that review is the mPower Chapter 7, whatever the
10 recent -- I think there's now an approved version of
11 that out somewhere that's been -- got the Betty
12 Crocker Good Housekeeping Seal of Approval or
13 something and I would like, Christina, to make sure
14 I have the most recent version of that because if it
15 largely mirrors that without any changes in the areas
16 where I am primarily -- where I get jacked up --

17 CHAIRMAN CORRADINI: Charlie has major
18 ownership, so --

19 MEMBER BROWN: I just want to be able to
20 do a comparison because I know what theoretically
21 they put in mPower. I'm going to check it against
22 my comments before just to make sure they did it again
23 and then see if this is the same. It makes it
24 relatively easy. If it's not, then it makes it more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 difficult, that's all. I'll take that action, too.

2 CHAIRMAN CORRADINI: I was going to say,
3 what we have, what you've given us is the July dated
4 Chapter 7. So if there's any newer --

5 MEMBER STETKAR: My file date is July.

6 CHAIRMAN CORRADINI: That's what I've got
7 also.

8 MEMBER BROWN: But I think it's an
9 earlier -- I don't remember. I'll have to go back.
10 I didn't open my file to look at it.

11 MEMBER STETKAR: It's Rev. 0 dated June
12 2015 are the files that at least I have.

13 MEMBER BROWN: That's the file date. Is
14 there a date on the cover?

15 MEMBER STETKAR: Rev. 0 dated June 2015
16 and the footer is on the file pages.

17 MEMBER BROWN: So again, the mPower thing
18 is important to get that one also because that's my
19 reference point. Thank you.

20 CHAIRMAN CORRADINI: Joy?

21 MEMBER REMPE: No comments.

22 CHAIRMAN CORRADINI: All right,

23 MEMBER BROWN: The earlier the better.
24 I'm finished.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN CORRADINI: Okay. You're sure?
2 Okay. So I don't have any other further comments.
3 I think we kind of know where we're going. So we
4 have a plan to see each other for a half day on the
5 18th to hear about how you're disposing of public
6 comments and on the 19th about Chapter 7 and that
7 would essentially be what we plan to discuss.

8 If the committee feels there's other
9 things we need to discuss in terms of DSRS, you've
10 got to let me know so I can communicate with Greg
11 because we have two half days planned and nothing
12 else planned on the DSRS. Okay? All right, with
13 that, we're done, adjourned.

14 (Whereupon, the above-entitled matter
15 went off the record at 9:44 a.m.)

16

17

18

19

20

21

22

23

24

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

ACRS Presentation on the NuScale Design Specific Review Standard (DSRS) Sections 6.2.2 and 6.2.5

Gregory Cranston,
Sr. Project Manager
Office of New Reactors
7 October 2015



NuScale DSRS Briefings to the ACRS Subcommittee on Future Reactors

- Public comments received and sent to technical branches
- DSRS comment incorporation and updating in progress
- Some DSRS sections may revert back to SRP sections

NuScale DSRS Briefings to the ACRS Subcommittee on Future Reactors

- Purpose: provide ACRS with approach staff took developing selected DSRS sections
- During the course of these presentations staff will cover:
 - What changed SRP to draft DSRS
 - Why change made (new system, elimination of system, significant design difference, etc.)
 - Questions based on the design information available to date

NuScale DSRS 6.2.2

Containment Heat Removal Systems

by
Clint Ashley

7 October 2015



DSRS 6.2.2 - CHRS

- Changes between SRP 6.2.2 and DSRS 6.2.2 due to NuScale design:
 - Added general description of NuScale design
 - Added GDC 5: Shared Systems (e.g., reactor pool)
 - Eliminated net positive suction head review
 - Eliminated containment spray review
 - Eliminated fan cooler review
 - Added fouling consideration for submerged containment

DSRS 6.2.2 CHRS Public Comments

- Three public comments
 - Editorial in nature
(e.g., rewording to be consistent with NuScale design)
 - Preliminary review:
Staff agrees with proposed changes

NuScale DSRS 6.2.5

Combustible Gas Control System

by
Anne-Marie Grady

7 October 2015



DSRS 6.2.5 CGCS

- No change in applicable GDCs
- Few changes in acceptance criteria
- Major changes due to NuScale design specifics
- Major changes include:
 - Eliminated BWR material
 - Eliminated references to active containment atmospheric mixing systems
 - Added general description of NuScale design
 - Focus more on Severe Accidents in accordance with 10 CFR 50.44 (C)

DSRS 6.2.5 CGCS

Public Comments

- public comments
 - None

Closing Remarks

ACRS SC Meeting

Comments or Questions?