

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title:                   Advisory Committee on Reactor Safeguards  
                              Future Plant Designs Subcommittee

Docket Number:     (n/a)

Location:             Rockville, Maryland

Date:                  Wednesday, October 7, 2015

Work Order No.:     NRC-1932

Pages 1-80

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

FUTURE PLANT DESIGNS SUBCOMMITTEE

+ + + + +

WEDNESDAY

OCTOBER 7, 2015

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear  
Regulatory Commission, Two White Flint North, Room  
T2B1, 11545 Rockville Pike, at 8:30 a.m., Michael L.  
Corradini, Chairman, presiding.

COMMITTEE MEMBERS:

MICHAEL L. CORRADINI, Subcommittee Chair

RONALD G. BALLINGER, Member

DENNIS C. BLEY, Member

CHARLES H. BROWN, JR. Member

DANA A. POWERS, Member

JOY L. REMPE, Member

STEPHEN P. SCHULTZ, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

GORDON R. SKILLMAN, Member

JOHN W. STETKAR, Member

DESIGNATED FEDERAL OFFICIAL:

QUYNH NGUYEN

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

	3
T-A-B-L-E O-F C-O-N-T-E-N-T-S	
Opening Remarks, Michael Corradini, ACRS	4
Introduction, Greg Cranston, NRO	5
Containment Heat Removal Systems, Section 6.2.2, Clinton Ashley, NRO	8
Combustible Gas Control in Containment, Section 6.2.5, Anne Marie Grady, NRO	44
Committee Discussion, Michael Corradini, ACRS	57
Public Comment	58
Adjournment	64

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

## P R O C E E D I N G S

8:30 a.m.

CHAIRMAN CORRADINI: Okay, let's get started. The meeting will come to order now. This is a meeting of the Future Plant Design Subcommittee of the ACRS. My name is Mike Corradini. I am acting chairman of the Future Plant Design Subcommittee.

ACRS members in attendance today are Dick Skillman, Stephen Schultz, John Stetkar, Dennis Bley, Ron Ballinger, Charles Brown, and Joy Rempe, and potentially Harold Ray.

Mr. Quynh Nguyen is the Designated Federal Official for this meeting.

Today, we have members of the staff to brief the subcommittee on the staff's development of the NRC's design specific review standard or DSRS for NuScale small modular reactor. This document is being developed in anticipation of the NuScale design certification application for their integrated pressurized water reactor technology.

The discussion topics on today's agenda include DSRS Section 6.2.2 containment heat removal and 6.2.5 combustible gas in containment.

The rules for participation in today's meeting are announced in the Federal Register, dated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       October 2, 2015.    The meeting was announced as an  
2       open to the public meeting and no request to making  
3       a statement to the subcommittee has been received  
4       from the public.

5                 We have one bridge line established.    The  
6       bridge number and password were published in the  
7       agenda posted on the NRC's public website.    To  
8       minimize disturbances, the public line will be kept  
9       in a listen-in only mode and the public will have an  
10      opportunity to make a statement or provide comments  
11      at a designated time towards the end of the meeting.

12                Dr. Rempe has an ongoing conflict of  
13      interest in the area of NuScale severe accident  
14      considerations because of prior work that she  
15      completed for NuScale in this area.    And Dr. Rempe  
16      will recuse herself from discussions in this area.

17                I invite Greg Cranston of NRO's project  
18      manager to introduce our presenters.    Where's Greg?  
19      Great.    So Greg, the floor is yours.

20                MR. CRANSTON:    Good morning.    My name is  
21      Greg Cranston.    I'm the senior project manager for  
22      the NuScale project.    As mentioned, we're here to  
23      present two sections that relate to the containment.

24                I'll briefly cover some of the items  
25      leading up to this.    We have received public comments

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and those have been sent to the technical branches on  
2 all sections and they are currently being processed  
3 and decisions are being made as to which ones are  
4 going to be incorporated. All that will be tracked  
5 on a comment matrix so that we'll have the status of  
6 each one. And we will be providing information as  
7 to whether the comment was incorporated or if we did  
8 not, what the basis was.

9 CHAIRMAN CORRADINI: Can I ask about that  
10 since I actually looked this time at the comments  
11 from the vendor, so they're fairly extensive. Are  
12 you going to have other people's comments integrated  
13 into those or a separate file so that we can unwrap  
14 if it's NuScale versus others? Because I'm not sure  
15 the volume of the others.

16 MR. CRANSTON: The volume of the others  
17 is --

18 CHAIRMAN CORRADINI: Not much.

19 MR. CRANSTON: A handful.

20 CHAIRMAN CORRADINI: Okay.

21 MR. CRANSTON: Literally.

22 CHAIRMAN CORRADINI: But you're not going  
23 to integrate them. You're going to separate them.

24 MR. CRANSTON: Well, we did. And the  
25 comment matrix at the end of the comment matrix that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 we developed, we added the NEI comments which were  
2 fairly general. They did not specifically comment  
3 on any DSRS sections. They did make a comment, for  
4 example, that they thought that some of the DSRSs  
5 could have remained Standard Review Plans, but they  
6 didn't specify which ones they thought fell into that  
7 category.

8 CHAIRMAN CORRADINI: Okay.

9 MR. CRANSTON: So they were very general  
10 and not section related at all. And there was about  
11 five of those out of the 600, roughly 680 comments.

12 There was about three or four general  
13 comments from the public, but they all related to  
14 comments about nuclear power in general and nothing  
15 specific.

16 CHAIRMAN CORRADINI: Oh, you had  
17 mentioned that before. I forget that. You're right.  
18 You had mentioned that.

19 MR. CRANSTON: So essentially all the  
20 comments are the NuScale comments.

21 CHAIRMAN CORRADINI: Okay. Thank you  
22 very much. Since there's like 350 pages. Okay.

23 MR. CRANSTON: Again, the purpose, we  
24 want to provide the subcommittee with the approach  
25 the staff took in developing the DSRS sections and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 what we want to cover is what change from the SRP to  
2 the DSRS, why the change was made, and then any  
3 questions based on the design information and then  
4 questions associated with the design information that  
5 we have available to date.

6 So with that, I'd like to turn the meeting  
7 over to the first presenter, Clint Ashley, who is  
8 going to cover the containment heat removal systems.  
9 And that will be followed by Anne-Marie and she'll be  
10 covering combustible gas control.

11 MR. ASHLEY: Thank you. Good morning.  
12 Clint Ashley. I've been with the Agency about seven  
13 years. Prior to that, 15 years in the nuclear  
14 industry. I've been a Navy nuclear officer and  
15 University of Michigan graduate.

16 I'm here to talk about the changes  
17 between SRP 6.2.2 and the DSRS 6.2.2 for the  
18 containment heat removal system. It's primarily  
19 driven by GDC 38 which is the containment heat removal  
20 systems. What we did is we added the general  
21 description of the NuScale design in the front matter  
22 of the DSRS. We also added general design criterion  
23 5 because of the shared systems associated with the  
24 reactor pool which is an important part of the  
25 containment heat removal system. Essentially it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 forms the ultimate heat sink.

2 Most of the SRP 6.2.2 was crafted for  
3 active plants so there's mentions of net positive  
4 suction head review because of pumps. It talks about  
5 containment spray. It talks about other heat removal  
6 systems like the fan cooler systems. Those have all  
7 been eliminated from this DSRS because of the unique  
8 nature of the NuScale design being passive and not  
9 having these systems.

10 What is different is it's a submerged  
11 containment, partially submerged containment. So we  
12 did add some consideration for fouling concerns  
13 associated with a constantly wetted external steel  
14 medium.

15 CHAIRMAN CORRADINI: Can I ask about  
16 that? If this is the wrong time -- I have a question  
17 about that and the internal containment surface. So  
18 there's another -- it's 6.1.2. One, I get confused,  
19 the numbering. But there's something about surfaces,  
20 paints on containment. So is it -- what are you  
21 expecting to see from the design there that you're  
22 going to look at? The type of epoxy coating that  
23 would be on the steel surface or how it's treated?

24 MR. ASHLEY: Well, I think we didn't want  
25 to, what we know from NuScale is that they don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 intend to have any coatings.

2 CHAIRMAN CORRADINI: So it will be just  
3 a stainless steel surface.

4 MR. ASHLEY: That's correct. But we're  
5 dealing with a PowerPoint design so we wanted to make  
6 sure that we keep the consideration in there for the  
7 reviewer to look at that just to make sure that there  
8 is a change in the design over time.

9 CHAIRMAN CORRADINI: And just to proceed  
10 with that, on the inside, is the coating -- well, to  
11 the extent that you know what the design is, is the  
12 expected coating on the inside of the containment  
13 similar to what I see in a current PWR?

14 MR. ASHLEY: There's no coating on the  
15 inside.

16 CHAIRMAN CORRADINI: So it's also  
17 stainless steel?

18 MR. ASHLEY: All stainless steel.

19 CHAIRMAN CORRADINI: Okay.

20 MEMBER REMPE: So since we're  
21 interrupting you, it will be a vacuum inside the  
22 containment, right?

23 MR. ASHLEY: That's correct.

24 MEMBER REMPE: Is there the potential for  
25 ice formation to occur?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ASHLEY: For what?

2 MEMBER REMPE: Ice formation. I mean  
3 there's moisture in there, right? Originally.

4 MR. ASHLEY: Well, certainly when you  
5 have to evacuate the system because it's all assembled  
6 under -- in the reactor pool so that interior surfaces  
7 are wetted.

8 MEMBER REMPE: Right.

9 MR. ASHLEY: So they would have to draw  
10 down that water and then they would draw a vacuum.

11 MEMBER REMPE: Right.

12 MR. ASHLEY: I haven't thought about this  
13 concept of ice formation. I'm not sure. Maybe you  
14 could explain a little bit.

15 MEMBER REMPE: So I've been dealing with  
16 spent fuel storage casks and the fact that when they  
17 initially pull a vacuum in the drying process, they  
18 worry about ice formation and I just am wondering if  
19 that can occur in this situation. I've not tried to  
20 do the analysis and the temperatures and the pressures  
21 and the amount of vacuum, but that's an issue or  
22 something that they think about. And I just was  
23 wondering if you guys have thought about that when  
24 you were coming up with this standard and if it could  
25 have any adverse effects?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ASHLEY: Not in the context of this  
2 DSRS. I don't know if there's another associated  
3 DSRS that looked at the containment evacuation  
4 system.

5 CHAIRMAN CORRADINI: Actually, I'm glad  
6 you brought that up. That was something that I did  
7 want to bring up. So where is DSRS that worries  
8 about the containment evacuation system? With all  
9 due respect, ice formation.

10 MEMBER STETKAR: Chapter 9, Section  
11 9.3.6.

12 CHAIRMAN CORRADINI: I knew that if I  
13 brought that question I would get an answer.

14 MEMBER STETKAR: I have not reviewed  
15 that, but I happen to have --

16 MEMBER REMPE: So I shouldn't be asking  
17 this now. I should wait --

18 MEMBER STETKAR: Well, Section 9 tends  
19 to evaluate the systems, pumps and pipes and valves.  
20 It's an auxiliary system.

21 MEMBER REMPE: Okay.

22 MEMBER STETKAR: But not necessarily the  
23 thermal hydraulic function provided by that system.  
24 But that's the only place -- I was looking for it  
25 also. It was referred in a couple of other parts of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Chapter 6. And that's the only place that I could -  
2 - in the DSRS that I could find it, any mention of  
3 review of that particular system.

4 MR. ASHLEY: And if I'm not mistaken,  
5 that's a non-safety related system. It essentially  
6 establishes the --

7 MEMBER STETKAR: I think it has a safety  
8 related isolation valve or something like that.

9 MR. ASHLEY: As a safety function to  
10 isolate. Good question.

11 MEMBER REMPE: I guess I was wondering  
12 when I was reading this and again, I'm thinking about  
13 the systems and I'm relating things and what the  
14 effects would be.

15 CHAIRMAN CORRADINI: I mean if I pull the  
16 vacuum the pressure and temperature are going to go  
17 down, but I've got so much steel around that I can't  
18 imagine it's not going to hold up the temperature.  
19 It will be more of an isothermal process than an  
20 adiabatic process. So if it's an adiabatic process,  
21 temperature will go down. If it's an isothermal  
22 process, because of all the steel around, it's going  
23 to stay at the same temperature and you'll pull vacuum  
24 anyway. I don't think there's a problem, but --

25 MEMBER REMPE: I just am curious about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 if it could get things --

2 MR. ASHLEY: It's a good question. We  
3 also touched on in the DSRS, we recognized that the  
4 containment heat removal system is dominated by this  
5 natural circulation process, so we added some  
6 language in the DSRS to guide the reviewer with  
7 respect to looking into that aspect of the thermal  
8 hydraulics associated with this natural circulation,  
9 looking at the test data, looking at the topic  
10 reports. We've also got regulatory tools available  
11 to us for inspection activities and audits. So those  
12 things will help inform this review on containment  
13 heat removal.

14 MEMBER SKILLMAN: Clint, let me ask this.  
15 What I've done is I've reviewed your mark up between  
16 the SRP and what you propose is the DSRS standard.  
17 To your point, it eliminated net positive suction  
18 head review in that same section. You have also  
19 eliminated this paragraph, the effect of accident-  
20 generated debris, including in the assessment for  
21 potential loss of long-term cooling capability  
22 resulting from loss of coolant accident generated in  
23 the late debris. That is in that section of what is  
24 supposed to be reviewed. It's the original item 8.  
25 It seems that even though this is a passive design,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that the design specific review standard should  
2 recognize the potential for some form of debris.

3 MR. ASHLEY: I agree with you and in the  
4 DSRS, we do speak to in the DSRS acceptance criteria,  
5 we speak to it in item 5. We talk about the whole  
6 nature of long-term cooling with respect to the sump  
7 and the hydraulic performance following debris  
8 generation. We point to Reg. Guide 1.82, revision 4  
9 which is the latest updated guidance which is  
10 supplemented for PWRs with the Nuclear Energy  
11 Institute guidance on the effect of problems with  
12 debris generation.

13 Now NuScale doesn't want -- there's no  
14 insulation on the reactor system, based on the fact  
15 that they're drawing a vacuum. That's their  
16 insulation, in effect. But I still think they have  
17 to evaluate it. We're not going to accept the fact  
18 that NuScale says we don't generate any debris.  
19 We're going to still look at that as part of this  
20 review standard for that potential to generate  
21 containment debris.

22 MEMBER SKILLMAN: So what I heard you say  
23 is even though we have eliminated that paragraph from  
24 the underlying SRP portion, we have included it later  
25 in the DSRS for this design.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ASHLEY: I will take a look at that,  
2 so you're looking at Section 1, Roman numeral I?

3 MEMBER SKILLMAN: Yes.

4 MR. ASHLEY: Because it's in Roman II and  
5 III.

6 CHAIRMAN CORRADINI: It is. I actually  
7 -- I had a question about the fact that -- about what  
8 the sources of the debris were because you had it  
9 somewhere in there.

10 MR. ASHLEY: So it may have been an  
11 inadvertent deletion.

12 MEMBER SKILLMAN: I would suggest that  
13 that should remain. I'd like to ask one or two more  
14 questions.

15 MR. ASHLEY: Absolutely.

16 MEMBER SKILLMAN: In just a page or two  
17 later, the issue is the heat transfer. And I wanted  
18 to ask what requirement for uncertainty in this  
19 passive heat transfer fouling equation do you have?  
20 What uncertainty are you asking for? Or what margin  
21 on you are you requiring?

22 MR. ASHLEY: I'm not aware of a  
23 requirement when it comes to DSRS or SRP acceptance  
24 criteria, but certainly we'll use standard tools,  
25 industry accepted practice, but we don't speak to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that particular aspect. That review will be done  
2 probably under the topical report that's submitted  
3 that uses the evaluation model. Takes into -- a part  
4 of Appendix K, the mass and energy and addresses all  
5 those thermal hydraulics associated with analysis.

6 MEMBER SKILLMAN: Thank you.

7 CHAIRMAN CORRADINI: Can I -- since we  
8 started on debris, so given the limited amount of  
9 knowledge you know about -- where would the debris  
10 come from in this? Because I agree you've got to  
11 worry about it, but I'm trying to figure out where  
12 would it be generated? From what would it generated?

13 MR. ASHLEY: I think when the reactor  
14 vent valve opens up, there's a lot of material up  
15 in that area on the top of the -- just seeing just  
16 general pictures, but it could be if there's cabling  
17 in containment.

18 CHAIRMAN CORRADINI: Okay. I was  
19 thinking electrical cabling is the only thing that  
20 came to my mind, but --

21 MR. ASHLEY: It's the first thing that  
22 comes to my mind. There could be coded components.  
23 I'm just not sure what the specifications are yet.

24 CHAIRMAN CORRADINI: It is -- I guess  
25 I'm -- I don't want to get a number, but if I were to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 make this analogous to AP1000, there was a number of  
2 we'll call it late debris that one had to worry about  
3 and it had to be no more than X to make sure we didn't  
4 have an issue relative to in their case their active  
5 pumping and then the recirculation back to the core.

6 In this case, you're waiting for a topic  
7 report from the vendor, from the applicant to do this  
8 sort of analysis?

9 MR. ASHLEY: Not with respect to latent  
10 debris.

11 CHAIRMAN CORRADINI: Or generated  
12 debris. I apologize, but generated debris from any  
13 sort of blow down.

14 MR. ASHLEY: I think that where I've seen  
15 that in most of the new reactor design certification  
16 applications, debris assessment, the GSI 191 type of  
17 review happens under the guise of a technical report,  
18 not a topical.

19 CHAIRMAN CORRADINI: Right.

20 MR. ASHLEY: So the technical report is  
21 typically incorporated by reference and then that  
22 would be reviewed as part of the DCD. It wouldn't  
23 get its own separate safety evaluation which a topical  
24 report does.

25 CHAIRMAN CORRADINI: Okay. All right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Thank you.

2 MEMBER SKILLMAN: Clint, I would provide  
3 this observation and you probably have had the same  
4 experience I have had. In almost any water system,  
5 no matter what its temperature, you have the potential  
6 of getting biofouling, high temperature and low  
7 temperature.

8 MR. ASHLEY: Absolutely.

9 MEMBER SKILLMAN: And I know from first-  
10 hand experience if you have a lot of water and you  
11 have even a trace of coliform, even a slight amount  
12 of oxygen will grow bugs. And it shows up as slime  
13 and some of it can be almost microporous, is light  
14 and fluffy that really has no tenacity. But I've  
15 also dealt with it when it turns out to be, in all  
16 candor, a scum that's probably a 32nd of an inch thick  
17 and it truly is a fouling surface and if it becomes  
18 heated and dried, it bakes on and if you have repeated  
19 cycles you can actually give up heat transfer  
20 capability.

21 MR. ASHLEY: Absolutely.

22 MEMBER SKILLMAN: That's what I'm thinking  
23 needs to be addressed here. Of course, the remedy  
24 is chemical cleaning and I'm not sure this design is  
25 capable of being chemically cleaned. I think this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 issue of fouling of bio-growth should be addressed  
2 head on.

3 MR. ASHLEY: I agree.

4 MEMBER SKILLMAN: Thank you.

5 MEMBER BROWN: Relative to the comment  
6 on the debris, I mean when I read Section 5, I saw  
7 the first part and I had the same comment he did about  
8 the debris generation being deleted from that. That  
9 was around page 30 or something like that. Page 30.

10 All right, we'll start again. It was  
11 page 30 where the debris generation discussion part  
12 was deleted. And then I went down and I found the  
13 acceptance criteria that you talked about in 6.2.2  
14 item 5. But if you read item 5 it talks about debris  
15 generation relative to reactor recirculation valves,  
16 debris generation from that valve blockage, debris of  
17 long-term coolability of the core, in other words,  
18 stuff inside the reactor vessel, not necessarily the  
19 containment. And the reactor vent valves are the  
20 stuff that feed into the containment or that's my  
21 memory of what that --

22 CHAIRMAN CORRADINI: But what they were  
23 referring to, if I might break in, is the return  
24 valves so that you can actually create a natural  
25 circulation path.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: That's for the ECCS or the  
2 core cooling or something like that. This is  
3 containment, and I'm just saying the acceptance  
4 criteria you talked about where it talks about debris  
5 refers to reactor recirculation valves or that part  
6 of the path.

7 MEMBER STETKAR: Those go from the  
8 containment back in to the reactor.

9 MEMBER BROWN: Reactor recirculation  
10 valves go through -- there's two types of -- if my  
11 memory is wrong, I'm remembering the diagram, there  
12 were reactor vent valves and there were reactor  
13 recirculation valves.

14 CHAIRMAN CORRADINI: RRV.

15 MEMBER BROWN: There's RVVs also.

16 CHAIRMAN CORRADINI: That's on top.

17 MEMBER BROWN: So the reactor vent valves  
18 come out and they go up into the containment.

19 CHAIRMAN CORRADINI: And the RRV go back  
20 from containment into the core.

21 MEMBER BROWN: That wasn't the way I  
22 remember the discussion.

23 MR. ASHLEY: This is correct.

24 CHAIRMAN CORRADINI: The other ones are  
25 RHR.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ASHLEY: Think about the containment  
2 sump is actually collecting the condensate and the  
3 lower half of containment collects the condensate and  
4 that level comes up and that is the --- there's no  
5 other injection means to put the water back into the  
6 core so they open up --

7 MEMBER BROWN: I remember the recirc  
8 valves. I understand that. I guess I didn't connect  
9 it to the two different terminologies. I know if you  
10 have something going on in the reactor, it goes up  
11 and it recircs -- you're cooling the core so the  
12 containment -- there's nothing in it right now,  
13 theoretically. But I thought there was another  
14 relief valve set that blows off into the containment  
15 itself and that part -- I'm wrong. Is that correct?  
16 At least based on the present design.

17 MR. ASHLEY: That is correct.

18 CHAIRMAN CORRADINI: As I understand the  
19 current design, there's a pair of valves on top that  
20 essentially will, if you use my English, blow down  
21 purposely into containment and a set of valves which  
22 are the RVV and the set of valves, RRV, which once  
23 blow down and the water accumulates will then by  
24 natural circulation flow back in to the downcomer and  
25 into the core.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER BROWN: You're saying the RVVs  
2 blow into the containment and then the valves, the  
3 lower one is just a valve with a stub on the end to  
4 let the stuff --

5 CHAIRMAN CORRADINI: So the concern is  
6 that you want to make sure that debris doesn't choke  
7 that off.

8 MEMBER BROWN: My brain is coming back  
9 into focus here from a picture. I don't have the  
10 picture in front of me. So okay, I got it. I still  
11 would agree with Dick that because you're going into  
12 the containment all kinds of crud is up there in the  
13 top, stuff could come loose. And therefore, the  
14 debris discussion seemed to me not -- didn't make a  
15 whole lot of sense to eliminate that earlier part and  
16 just have it pop up down in the acceptance criteria.  
17 Just an opinion.

18 MR. ASHLEY: It may have been just so  
19 there were a number of hands and there were a bunch  
20 of changes. So certainly acceptance criteria Roman  
21 numeral II, 10 CFR 50.46(b)(5), long term cooling.  
22 It's there. The DSRS acceptance criteria  
23 acknowledges the potential for debris generation and  
24 the effects that it could cause blockage of valves,  
25 blockage of the core. So I agree with the comment.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I think we can fold that back into Roman numeral I  
2 section.

3 MEMBER BROWN: I have one other comment  
4 when I started reading this, was that there were a  
5 whole lot of very design specific based on the --  
6 what did you call it, the PowerPoint presentations?  
7 So there was a lot of very specific statements  
8 relative to what the PowerPoint presentations have  
9 given. I guess being a generalist, what I would have  
10 thought you would have had a general statement that  
11 said hey, if we forgot something, and I guess that  
12 was up around page 29.

13 MR. ASHLEY: I struggle with your page  
14 designation --

15 MEMBER BROWN: I'm going to tell you what  
16 section it is here in a second.

17 MR. ASHLEY: The DSRS is only 11 pages.

18 MEMBER BROWN: I've got to find where I  
19 marked it. No, no, I agree with that, this is part  
20 of the attachment they sent me. The whole darn  
21 attachment is all the sections and that's totally  
22 useless for you.

23 MR. ASHLEY: I apologize.

24 MEMBER BROWN: So within the areas of  
25 review, and it was on page -- where's the page

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 numbers. There's no page number down there. It's  
2 not at the bottom of the page, there's nothing there.

3 MR. ASHLEY: It's on page --

4 MEMBER BROWN: 6.2.2-2 which is  
5 unnumbered on that page.

6 MR. ASHLEY: I think what could help is  
7 in Section 3 of the review procedures, it sort of  
8 speaks to some aspects of the design could be  
9 different than what we had envisioned. The set of  
10 information may not be all inclusive, and as a result,  
11 the staff -- it's incumbent upon the tech. reviewers  
12 and our design organizations to look at the  
13 application when it comes in and look for changes for  
14 what we understood. So it's sort of a motherhood and  
15 apple pie --

16 MEMBER BROWN: Where was that you said?

17 MR. ASHLEY: It's under 6.2.2.-7. It's  
18 under -- that's the page number of the DSRS. It's  
19 in Section 3 of the review procedures that are  
20 available to the staff.

21 It also touches on -- I wasn't present at  
22 the 6.3 meeting in September. But there was  
23 conversation about Appendix B. And we also touched  
24 on in all the DSRSs there was sort of boilerplate  
25 language put in that recognizes the Appendix B

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 considerations for this type of a review.

2 MEMBER BROWN: Is that the part where you  
3 talk about this list of examples as not intended to  
4 be all inclusive, is that the paragraph you're talking  
5 about?

6 MR. ASHLEY: That's correct. I don't  
7 know if that --

8 MEMBER BROWN: It's Review Procedures  
9 Roman Numeral III(1).

10 MR. ASHLEY: That's correct.

11 MEMBER BROWN: Okay, all right. I didn't  
12 read that one that way, but that's -- I guess that  
13 would do the trick.

14 MEMBER SKILLMAN: Let me ask this. I'm  
15 on the mark up 6.2.2-8 at the added in 1 and 2. And  
16 this has to do with general design criteria 5 sharing  
17 of components.

18 MR. ASHLEY: Okay.

19 MEMBER SKILLMAN: And the wording is "G5  
20 applies to this DSRS because the multiple reactors  
21 share systems, structures, and components important  
22 to safety. For example, the UHS which is shared by  
23 all reactor modules must have sufficient inventory  
24 and heat sink capacity capability to service the UHS  
25 and spent fuel cooling for all reactor modules during

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 commonly effecting events." I understand what that  
2 set of thoughts means.

3 Here's my question. Five years from now,  
4 ten years from now, we have this plant. It's got 12  
5 of these modules. There's a question about the  
6 integrity of the boundary that is holding all that  
7 water in place. For the plants that we've been  
8 dealing with up until today, we've got one sump for  
9 one reactor. We don't have one sump for 12 reactors.

10 Is there an idea of how you might respond  
11 to the critic or to perhaps me and my colleagues,  
12 here's why it's okay to have one common pool for 12  
13 cores?

14 CHAIRMAN CORRADINI: Common pool, you  
15 mean the outside --

16 MEMBER SKILLMAN: Bingo. Because that  
17 is the common -- that is the ultimate heat sink for  
18 all 12. So we've got these 12 machines in this great  
19 big pool. Some are running, some are not. Some are  
20 being bolted on, bolted and put back together and  
21 there's this thread of loss of integrity of the common  
22 pool. What's the answer?

23 MR. ASHLEY: I don't know the answer.

24 MEMBER SKILLMAN: We need to have an  
25 answer to that question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. ASHLEY: I agree. I think it's cross  
2 cutting. It's more than just -- it affects all the  
3 accident analysis. You've got this common reactor  
4 pool, but I think that's part of the struggle that  
5 the staff will have looking at the design associated  
6 with that pool and providing reasonable assurance  
7 that we made our safety functions.

8 CHAIRMAN CORRADINI: Let me ask this  
9 question differently. If I were the staff, I'd ask  
10 the applicant how shallow can the pool be and still  
11 get away with decay heat removal? Right now, if I  
12 understand how the cartoon is, we have our canonical  
13 cartoon up there. Everything except the top itty  
14 bitty amount is full of water, but my guess is there's  
15 sufficient margin that I could have a half a pool or  
16 maybe even a quarter of a pool and I still could  
17 remove decay heat. I'd be very curious if that  
18 analysis is done or ought to be done to see at what  
19 point do I start challenging the ability to remove  
20 decay heat.

21 MR. ASHLEY: Certainly it would be a  
22 technical specification requirement for level.

23 CHAIRMAN CORRADINI: Right, correct.  
24 But even if there was a technical specification  
25 requirement, I've got this -- I think where Dick is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 going with this is I've got this enormous swimming  
2 pool, so I have to start making make up. I've got  
3 watch it. I've got to make sure that it's going to  
4 take some time to make it up because this is -- this  
5 is not a football field, but let's say from the 50-  
6 yard line to the end zone amount of water. So it's  
7 one hell of a lot of water that you've got to --

8 MEMBER SKILLMAN: I think the riddle is  
9 this. The water level must be high enough that the  
10 most recently full-run core with full burden of decay  
11 heat can be cooled by the level of water that is over  
12 the containment because that's a natural heat removal  
13 process.

14 And so the funny thing is, you can have  
15 12 reactors, 11 could have been shut down for 2 years,  
16 but if your last remaining reactor has just done 24  
17 months, flat out, and 5 weight percent fuel, you've  
18 got a full decay heat burden on that one machine.  
19 And so the water level surrounding that one  
20 containment must be sufficient to ensure that you can  
21 transfer the decay heat generation rate at a rate  
22 that protects that core. Of course, it decreases  
23 quite quickly, but you have to have enough water over  
24 that one containment to protect that one core.

25 So even though one might say well, golly,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 there are 12 and it's really not that great of a  
2 problem, I think it turns out to be a problem that is  
3 focused on the most irradiated, hottest, most  
4 recently run core.

5 MEMBER BLEY: We probably ought not try  
6 to solve that one here. They're going to have to  
7 work on it. But it's worse than that.

8 MEMBER SKILLMAN: It is worse.

9 MEMBER BLEY: I don't know what the  
10 shortest time interval is between refuelings, but  
11 they can refuel one after another, so we can get a  
12 much higher heat load than that.

13 MEMBER SKILLMAN: What I was really going  
14 after is what do you do if you're on watch and you  
15 have the perception of a failed containment boundary?  
16 We had that happen at TMI 2. And we said what do we  
17 do? And you kind of are in this sudden moment  
18 recognizing there's not a whole lot we can do. I  
19 mean we can't get to it. It's under water. We don't  
20 know where the leak is. That needs to be thought  
21 through for -- if you will, the ultimate heat sink  
22 that 12 reactors that are cooled by a common pool.  
23 That shouldn't be a surprise question and that  
24 shouldn't be a surprise answer. That's all I'm  
25 saying.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. ASHLEY: I agree. As a matter of  
2 fact, I would envision all 12 modules being at full  
3 power and all that decay heat having to be satisfied  
4 by the pool.

5 MEMBER SKILLMAN: There's a minimum and  
6 a maximum.

7 MR. ASHLEY: Right.

8 MEMBER SKILLMAN: That's what I'm --  
9 okay.

10 MR. CRANSTON: Excuse me.  
11 NuScale has made presentations to us, again, this is  
12 the PowerPoint stage because we haven't actually seen  
13 calculations. And we will get into it eventually to  
14 do these calculations, that if the situation occurred  
15 where they have a loss of coolant accident on one  
16 unit and then shut down all the other units to be  
17 able to focus on that accident and they have no pool  
18 make up or anything, they just have to sit there and  
19 watch what happened, that based on the heat loads and  
20 the quantity of the water in the pool, that they could  
21 actually allow the pool to slowly evaporate. And by  
22 the time the pool water got down to a level where the  
23 heat transfer effect from that water was minuscule,  
24 that air cooling would be adequate. That's what  
25 they're claiming. Again, we're going to have verify  
that by analysis. But they have a slide that they've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 shown us and they've made that presentation.

2 So we know that they've considered that  
3 and we'll just have to wait for the submittal and do  
4 the actual analysis to confirm it.

5 MEMBER SKILLMAN: Very good. Appreciate  
6 it. What I'm saying is what happens if there's a  
7 leak?

8 MR. CRANSTON: Yes.

9 MEMBER SKILLMAN: That's a little  
10 different situation. Thank you.

11 MS. BANERJEE: This is Maitri Banerjee.  
12 May I ask a question?

13 CHAIRMAN CORRADINI: Get closer.

14 MS. BANERJEE: This is Maitri Banerjee.  
15 I'm wondering, each module has some sort of an  
16 enclosure, walls around it?

17 CHAIRMAN CORRADINI: No.

18 MS. BANERJEE: No?

19 CHAIRMAN CORRADINI: There's a bay.  
20 There's a bay that separates them, but the bay is  
21 open to the common swimming pool.

22 MR. CRANSTON: The walls are between the  
23 modules, but not -- it doesn't close off the --

24 MS. BANERJEE: But is that going to allow

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 certain level of water in case a leak develops  
2 elsewhere?

3 MR. CRANSTON: No, it's all -- the pool  
4 that goes down the middle, the portion of the pool  
5 down the middle is open to all the modules at all  
6 times. It's only side walls. It's all common.

7 The only rear wall that's in there that would  
8 protect is between the spent fuel pool and the rest  
9 of the reactor building such that if the reactor  
10 building pool water evaporated because you couldn't  
11 make it up and all the heat was being ducted in there  
12 and evaporating it, that the spent fuel pool itself  
13 wouldn't drain down below the top of the spent fuel  
14 because there's a rear wall there and that pool that  
15 would be maintained separately while whatever was  
16 going on in the rest of the reactor building happened.

17 MS. BANERJEE: Thank you.

18 MR. ASHLEY: Next slide, please. We have  
19 roughly three public comments on DSRS 6.2.2. I view  
20 them as primarily editorial when I took a quick scan  
21 of them, fixed some edits, and in general, I would  
22 agree with those public comments.

23 CHAIRMAN CORRADINI: So I have some  
24 general questions, but I don't think -- I'm sure I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 think I know the answer, but just to be clear, so the  
2 containment evacuation and as John quite quickly  
3 pointed out is one of the aux. -- auxiliary system is  
4 covered in 9. But my understanding is it runs  
5 continually to hold the pressure to whatever the tech.  
6 spec level is which I think currently is like 1 psia  
7 or something like that.

8 MS. GRADY: 1.5.

9 CHAIRMAN CORRADINI: I'm sorry?

10 MS. GRADY: 1.5.

11 CHAIRMAN CORRADINI: 1.5. So it is  
12 continually sucking away with essentially inflow of  
13 air, correct? It's not in an inerted containment.  
14 I'm asking this -- so here's where I'm going with  
15 this. If you look at this and you close your eyes,  
16 this is like a super small Mark 1, right? So it's  
17 not really a PWR, right? It's a BWR with a wet well  
18 outside. It's a strange sort of thing. So I'm  
19 trying to understand energy flows and what I have to  
20 watch. So the first thing I'm pretty sure is it's  
21 not inerted. I'm pulling vacuum on it and I'm sucking  
22 in leakage and everything is being held in quasi  
23 steady state at about 1.5 psia. Do I have that right?

24 MR. ASHLEY: I agree in principle, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'm not so sure that there's going to be an extensive  
2 amount of leakage, end leakage.

3 CHAIRMAN CORRADINI: Okay, all right.  
4 But the system will turn on and off. But my  
5 assumption is on that system it has isolation. And  
6 I know I asked this before, but I didn't write down  
7 the answer. Are the isolation valves both in and  
8 outside containment or are they of the type of some  
9 plants where they're both outside containment, the  
10 pair of valves are outside?

11 MR. ASHLEY: I believe for NuScale design  
12 is they want to have the valves on the outside  
13 addition.

14 CHAIRMAN CORRADINI: Has happened in  
15 other systems.

16 MR. ASHLEY: Yes.

17 CHAIRMAN CORRADINI: Okay, so that's  
18 point one. What is the percentage coverage of what  
19 is not covered by water? Are we talking like five  
20 percent of the surface area? And the reason I'm  
21 asking that question is this is kind of like the  
22 inverted AP1000 with a very small containment where  
23 in AP1000 or 600 you guys got all energized over that  
24 all the heat was going out the top because that's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 where you're pulling the film down. And then you  
2 could have a potential of essentially stratification  
3 of any sort of stuff like combustibles and  
4 accumulation. But here, the hot point is above.

5 So my question is I assume the staff is  
6 going to look at how gases mix and the heat transfer  
7 as the hot point now sits at top. So that some of  
8 the functionality of those valves might be -- maybe  
9 -- I don't know would be, but may be have to be  
10 checked relative to temperature differences.

11 MR. ASHLEY: They'll have to be qualified  
12 for the postulated environment that they're going to  
13 see.

14 CHAIRMAN CORRADINI: Okay.

15 MR. ASHLEY: And I don't have a sense for  
16 the percentage of surface area.

17 CHAIRMAN CORRADINI: I was just guessing  
18 by looking at about five percent.

19 MR. ASHLEY: I would say much less, but  
20 --

21 CHAIRMAN CORRADINI: Okay, right. And  
22 then you had something -- since I think you're done,  
23 you had something in Section 4, the evaluation  
24 findings that said something like "the staff review

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 indicates that the applicant filed in GC-40 by design  
2 of the containment heat removal system to permit  
3 appropriate periodic pressure and functional testing  
4 to ensure structural leak kind of integrity." So  
5 they're going to a typical containment leak rate test?

6 MR. ASHLEY: They are. Whether or not  
7 it's consistent -- there is some discussion that  
8 NuScale wants to take somewhat of a -- I don't know  
9 what the right word, departure --

10 MEMBER BROWN: Is that an exemption that  
11 you're talking about? If it's an exemption --

12 MR. ASHLEY: There's some discussion in  
13 the staff. That's currently a dialogue. There's a  
14 gap analysis report that is public that NuScale has  
15 proposed certain positions they want to take. Today  
16 we weren't in a position to speak to those gaps  
17 because that's still within the --

18 MEMBER BROWN: I've heard about that.

19 MR. CRANSTON: Additionally, NuScale is  
20 submitting a topic report on that subject where they  
21 will tell us exactly what they want us to take an  
22 exemption to. What they indicated was that they  
23 would come in and just do a type A test, the full  
24 containment pressure test at a reduced pressure.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 They didn't want to pressurize that containment all  
2 the way up to 600 pounds or greater. They'd rather  
3 do something less.

4 CHAIRMAN CORRADINI: So they want to do  
5 a different sort of containment leak rate test?

6 MR. CRANSTON: Yes.

7 CHAIRMAN CORRADINI: Then that kind of  
8 gets to my question. I was trying to understand what  
9 was the testing the staff was implying with this  
10 requirement? So the answer is it's in the mix of  
11 being discussed?

12 MR. ASHLEY: Yes. But Appendix J type  
13 testing.

14 MEMBER BROWN: Have they given you any  
15 basis for not doing a full pressurized or is that  
16 just what they're thinking about? We had a  
17 discussion on this before I think. I thought I  
18 remembered this. We hadn't?

19 MR. CRANSTON: They are concerned as far  
20 as what they've indicated to us is that when you have  
21 a vessel like that and you pressurize it with air to  
22 that pressure and something blows, it's not a good  
23 thing, like a penetration or something. They'd  
24 rather do it at a reduced pressure even though it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 qualified for well over that pressure. That was what  
2 they indicated to us, but again, we're waiting to see  
3 what they describe in that topical report and what  
4 they're proposing.

5 MS. GRADY: The current design pressure  
6 they're talking about in pre-application --

7 CHAIRMAN CORRADINI: Are you on? Is your  
8 little green light on?

9 MS. GRADY: Yes, it's green.

10 CHAIRMAN CORRADINI: Speak louder.

11 MS. GRADY: I will. The current design  
12 pressure that they're discussing with us in pre-  
13 application meetings is a thousand pounds.

14 CHAIRMAN CORRADINI: For the  
15 containment.

16 MS. GRADY: Yes. Hence, the issue of  
17 reduced pressure for Type A testing.

18 CHAIRMAN CORRADINI: Okay.

19 MS. GRADY: And that has changed. It  
20 started off a little bit lower, but it's up to a  
21 thousand. That's design.

22 CHAIRMAN CORRADINI: Okay, so my question  
23 is to TBD, to be determined?

24 MR. ASHLEY: That's correct. That's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 correct.

2 MEMBER BLEY: I am just curious. Do you  
3 know what's driving it up?

4 MS. GRADY: They specified which accident  
5 could lead to that pressure, but I don't recall which  
6 one --

7 MEMBER BLEY: So maybe new calculations  
8 are somewhat higher pressures than they expected?

9 MS. GRADY: One of their calculations  
10 that we haven't seen, yes.

11 MR. ASHLEY: I think the real issue is  
12 it's just such a small containment.

13 CHAIRMAN CORRADINI: Well, the free  
14 volume, that's where I went back to my whole analogy.  
15 This is kind of like the second vessel.

16 MR. ASHLEY: And it's a vessel that gets  
17 unfastened every refueling outage and gets bolted  
18 back together.

19 MEMBER BLEY: Before you go on, I wanted  
20 to go back to Dick's first comment. There is quite  
21 a bit of discussion about debris and about fouling.  
22 Were you suggesting they really ought to have a  
23 separate section or at least raise the issue of  
24 biofouling and bio-debris or I would have thought

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 that normally you think of that in this, but I'm not  
2 sure.

3 MEMBER SKILLMAN: No, I was not  
4 suggesting there should be a separate section. But  
5 I am suggesting there needs to be vigilance to that  
6 potential and it's not one that's obvious unless you  
7 run one of these machines.

8 I think when I mentioned the idea of  
9 coliform, probably some people in the room kind of  
10 recoiled to that. Well, the fact is you get your  
11 make up water probably from the city and that's not  
12 -- that water is not pure and it's not sanitary. It's  
13 good enough to drink, but if you're taking raw water  
14 from the city, you probably have a very small amount  
15 of coliform. And with a little bit of oxygen, if  
16 there's any carbonate material, it will grow.

17 MEMBER STETKAR: It's borated, deionized  
18 water in the pool. It's like a refueling storage  
19 tank.

20 MEMBER SKILLMAN: I have seen borated  
21 deionized water grow leafy great vegetables. All I'm  
22 saying is heads up. Here we are at the DSRS stage.  
23 Let's make sure that we really address that. That's  
24 all I'm saying.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: Dick's point here which  
2 is very good, I have seen triply distilled water over  
3 -- distilled over permanganate in the first stage  
4 develop fungus in collection.

5 CHAIRMAN CORRADINI: Are you on?

6 MEMBER POWERS: I am. Would I be  
7 anything else but on point.

8 CHAIRMAN CORRADINI: You're so quiet.

9 MEMBER POWERS: Have you recently had an  
10 auditory check?

11 MEMBER SKILLMAN: The reason that I made  
12 the comment, Dennis --

13 MEMBER BLEY: No, I understand, but I was  
14 wondering if you were looking for a change in the  
15 DSRS. I understand we want to pay attention to it.

16 MEMBER SKILLMAN: Clint understood what  
17 I said. A piece had been eliminated --

18 MEMBER BROWN: Won't be the reviewer.

19 MEMBER SKILLMAN: Well, I mean he's  
20 writing the DSRS.

21 MR. ASHLEY: Let me speak to that.  
22 There's two aspects of fouling. One is macrofouling  
23 like GSI-191 and then there's fouling of surfaces  
24 which if you look at DSRS Section 3 under Roman

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 numeral II which -- this is under the DSRS acceptance  
2 criteria, page 6.2.2-4, we speak to that issue about  
3 surface fouling.

4 MEMBER BLEY: Oh, you do?

5 MR. ASHLEY: Yes. And the reason I put  
6 that in there is because I did some reading, looked  
7 at some operating experience. I looked at spent fuel  
8 pools to see if there was a potential for biological  
9 fouling and there was some hits on that of concern.  
10 And so most of those spent fuel pools were not borated  
11 and not treated.

12 I found less of an impact for borated,  
13 deionized water in like a traditional spent fuel pool.  
14 So I expected there will be less of a concern, but  
15 it's something that we want the reviewer to look at  
16 require the applicant to provide information on.

17 MEMBER SKILLMAN: We have no experience  
18 with residual water from a vacuum flask and the  
19 containment is a vacuum flask. And as Dr. Rempe  
20 pointed out, all kinds of crazy things happen. You  
21 can get phase change. You can get sublimation. You  
22 can get ice. My view is you can grow critters and  
23 they can screw up your heat transfer surfaces.  
24 That's really all I'm trying to communicate.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Joy really put her finger on something  
2 here. We can have some phenomenon that we have not  
3 seen before because this is technology that we have  
4 never experienced, at least on a large scale.

5 CHAIRMAN CORRADINI: The only thing  
6 though, I thought you were talking outside the pool  
7 and I was listening. But if I'm inside containment,  
8 then it's essentially reactor vessel water that  
9 leaked which means that if I had biofouling out there,  
10 I'll have biofouling inside the core, too, because  
11 it's the primary system water.

12 MEMBER SKILLMAN: You cook them. You  
13 cook them inside the core.

14 MR. ASHLEY: I will say this, there's  
15 quite high temperature in the containment, much  
16 higher than you would ordinarily associate with a  
17 large dry PWR. I don't want to get into proprietary  
18 information.

19 CHAIRMAN CORRADINI: We don't want to  
20 talk about that. But I know when we took the tour,  
21 they did tell us some temperatures and they were  
22 higher than you would first suspect.

23 MR. ASHLEY: Absolutely.

24 MEMBER BLEY: That kind of makes it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 better and better for growing stuff, I would say,  
2 unless you get really high up to pushing boiling here.

3 MR. ASHLEY: But I think those  
4 considerations will have to be looked at.

5 MEMBER BLEY: Okay.

6 MR. ASHLEY: That concludes my discussion  
7 on 6.2.2.

8 MS. GRADY: I'm Anne-Marie Grady. I've  
9 been with the Agency since 2004. I'm in the  
10 Containment Systems Branch and also the PRA and Severe  
11 Accident Branch. And I'm here to talk to you today  
12 about the DSRS for combustible gas control.

13 First of all, there were no changes to  
14 the applicable GDCs. GDC 5 was already in 6.2.5 in  
15 the SRP.

16 There were very few changes in the  
17 acceptance criteria. There were major changes due  
18 to NuScale's design specifics and the major changes  
19 include we eliminated any reference to BWRs. We  
20 eliminated references to active containment  
21 atmospheric mixing systems because they're proposing  
22 to provide none of those.

23 We've added the general description of  
24 the NuScale design right up front in the DSRS. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 we've made the focus more on severe accidents in  
2 accordance with 10 CFR 50.44.

3 And by that last bullet, I really mean in  
4 the SRP for 6.2.5, yet one of the acceptance criteria  
5 had to do with taking account of all of the materials  
6 in containment that could be corroded by, let's say,  
7 containment spray and putting inventories into the  
8 FSAR, that sort of thing. That was always meant to  
9 be as the hydrogen contribution in the design basis  
10 accident.

11 Ten CFR 50.544 is now almost exclusively  
12 focused on severe accidents. It was found way back  
13 by 2003 and certainly earlier than that that design  
14 basis accidents would not risk significance to severe  
15 accident events. So one paragraph was taken out that  
16 focused on the corrosion and the effects of the  
17 containment spray.

18 CHAIRMAN CORRADINI: So I have a  
19 question. I don't know how to ask this. I should  
20 have done some calculations to check it, but because  
21 this is such a small containment, and it's not  
22 inerted, is radial decomposition I build up gases if  
23 I had a release of primary system water into that,  
24 and I had radial decomposition, is it such a small

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 volume that I actually would worry about a buildup of  
2 hydrogen and oxygen outside as well as inside? Do  
3 you know what I'm asking?

4 MS. GRADY: No.

5 CHAIRMAN CORRADINI: It's such a small  
6 containment. The inventories to worry about any sort  
7 of combustible gas ought to be of no problem because  
8 there's no oxygen or very little. But are there  
9 other ways to get to a problem? I'm just -- I haven't  
10 thought of any, but I'm trying to think out of the  
11 box because it's such a small volume.

12 MR. WAGAGE: This is Harry Wagage from  
13 the staff. Actually, we ran into a similar problem  
14 to make sure --

15 CHAIRMAN CORRADINI: You ran it? Harry  
16 say it slower.

17 MR. WAGAGE: Yes. We ran into a similar  
18 issue with ESBWR passive containment cooling system.  
19 Because of that we have been raising this issue every  
20 meeting and it's come up, and NuScale has gone on  
21 record that --

22 CHAIRMAN CORRADINI: Okay, but so you  
23 talked about an issue. Can you explain the issue  
24 you're worried about? Because I'm not sure I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 understand even what I brought up. It's so  
2 different. So what's your issue?

3 MR. WAGAGE: Okay. What I thought, you  
4 are raising the issue with generation of radiolytic  
5 gases in LOCA. And because there's things that  
6 condense and the radiolytic gases, hydrogen, oxygen,  
7 keeps accumulating in the containment and whether it  
8 would come to a detonatable level. That's what that  
9 developers worry about.

10 CHAIRMAN CORRADINI: You said it much  
11 better than I. Okay, but the reason I'm asking the  
12 question is because the free volume is so small and  
13 also I'm not sure about the mixing. I don't think  
14 there's an issue, but I would accumulate it up at the  
15 top because top now is hot instead of cold. So I  
16 don't think I'm going to cause some sort of  
17 stratification issue. But I just want to make sure  
18 staff is thinking about this relative because it's  
19 such a small volume and it's not inerted. So I sense  
20 the answer is you guys are at least thinking about  
21 it?

22 MR. WAGAGE: Yes, you are thinking about  
23 that we raised the issue to NuScale.

24 MS. GRADY: We certainly are thinking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about it, but the scenario you discussed, Dr.  
2 Corradini, is a design basis accident and 10 CFR 50.44  
3 requires that the circ. water reaction, 100 percent  
4 of that, hydrogen regenerated from that be sent into  
5 the containment and be analyzed for potential  
6 combustion and potential detonation. So it doesn't  
7 have to be a deterministic accident to look at. You  
8 have to have to postulate an amount of hydrogen in  
9 containment and then analyze whether or not that could  
10 lead to detonation.

11 CHAIRMAN CORRADINI: But in their case  
12 because they started only at 1.5 or whatever it is.  
13 It's not of oxygen.

14 MS. GRADY: That is what NuScale says,  
15 therefore, it's a non-issue.

16 CHAIRMAN CORRADINI: Okay.

17 MS. GRADY: Is what they said.

18 CHAIRMAN CORRADINI: But I'm thinking  
19 differently. I'm thinking -- okay, fine. That was  
20 an artificial calculation that I'm not worried about.  
21 But on the other hand if I leak into containment I  
22 have -- and I have slow build up, that would concern  
23 me. I forgot we actually brought this over to ESBWR,  
24 but that was where I was coming from.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER REMPE: Again, if one thinks about  
2 the spent fuel casks and the drying process and they  
3 were worried about absorption of water on to surfaces  
4 during that drying and backfill process, is there --  
5 again, and ice formation or whatever, you might get  
6 a false reading from the sensors. During operation  
7 can you have some -- I mean they talk about residual  
8 moisture in the casks all the time. And can you give  
9 that, could you have some sort of radiolysis  
10 occurring? Are those kind of things going to be  
11 considered as you go through and evaluate the design?

12 MS. GRADY: Certainly.

13 MEMBER REMPE: So I mean not really an  
14 accident, just changes in the composition of the gas  
15 or the vacuum. Changes in the vacuum time, those  
16 kind of things?

17 MS. GRADY: Do you mean as part of the  
18 evacuation system design?

19 MEMBER REMPE: Well, you might decide --  
20 again, it might show that there's a vacuum and there's  
21 no moisture in there and then with time, after you  
22 think you've got a vacuum could things change because  
23 of water desorption and because of the conditions  
24 changing, radiolysis occurring and things like that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 I'm not familiar enough with the design, but do they  
2 declare a vacuum, shut it off, and they move on and  
3 they don't monitor throughout the time it's in the  
4 pool?

5 CHAIRMAN CORRADINI: My impression is  
6 it's an active system that they have to continually  
7 watch.

8 MEMBER REMPE: They continuously  
9 monitor. So you would see that hydrogen, if it  
10 started to form or you would see a change in the  
11 vacuum that it had decreased.

12 MEMBER BROWN: But the vacuum system I  
13 thought acted such that it's always drawing --

14 MEMBER REMPE: It's always drawing.

15 MEMBER BROWN: Always drawing a vacuum.

16 MEMBER REMPE: Okay.

17 MEMBER BROWN: Based on the last  
18 comments.

19 CHAIRMAN CORRADINI: It's essentially a  
20 very -- a much more subatmospheric containment than  
21 we're used to.

22 MEMBER REMPE: Yes.

23 CHAIRMAN CORRADINI: It's like sirions  
24 stairways, but small containments.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CRANSTON: And NuScale has indicated  
2 the higher tech. spec limit as far as vacuum, such  
3 that that was the initial condition.

4 MEMBER REMPE: And where would the  
5 hydrogen monitoring be done at? It is as you pull  
6 whatever comes off of the vacuum or is it something  
7 like containment with a monitor --

8 MEMBER STETKAR: The vacuum system is  
9 isolated when you have an accident so you can't  
10 monitor hydrogen out in the vacuum system.

11 CHAIRMAN CORRADINI: When you declare  
12 upon containment isolation, that's what I was asking  
13 earlier. That has to isolate.

14 MEMBER STETKAR: The vacuum is there as  
15 an insulator for normal operation. There's nothing  
16 about maintaining vacuum after an accident.

17 MEMBER REMPE: Say that again. It's not?

18 MEMBER STETKAR: The vacuum is there as  
19 a thermos bottle during normal operation to prevent  
20 heat transfer outside into the pool. They don't care  
21 about maintaining vacuum after an accident. So they  
22 isolate the vacuum lines. So you can't monitor  
23 hydrogen in the vacuum lines. It's got to be  
24 monitored in the --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER REMPE: Where in the containment  
2 is it monitored?

3 MEMBER STETKAR: I don't know. I would  
4 hope near the top.

5 MR. CRANSTON: Discussions are still  
6 going on with NuScale regarding what type of gases  
7 they're going to monitor during plant operation.

8 MEMBER SKILLMAN: I would like to ask  
9 this question if I could, please. I had the  
10 experience at a number of plants where the emergency  
11 diesel generators failed to start. They were cranked  
12 by compressed air and when the solenoid valves were  
13 commanded open to start the emergency diesel  
14 generators, the very slight moisture in the receiving  
15 tanks, the compressed air tanks, taking on its light  
16 and heat and vaporization, put an ice puck about as  
17 big as the end of your little finger in the solenoid,  
18 throttled to solenoid to where the air start motors  
19 had insufficient volume at pressure to crank the  
20 engine. I saw that happen in a number of places  
21 where I was doing consulting. So just hold that  
22 thought.

23 The issue is gas changing pressure into  
24 a different volume and the consequence of slight

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 amount of moisture creating dysfunction. Is there  
2 an intermediate state in this containment with its  
3 vacuum system where there can be that same type of  
4 phenomenon where we're either trying to go from a  
5 high vacuum to no vacuum or from one pressure state  
6 to another to where we actually get moisture causing  
7 a freezing problem or a blockage problem?

8 MR. ASHLEY: I think if you look at the  
9 containment temperatures from normal operations, I  
10 don't think you'll -- I'll turn myself on.

11 CHAIRMAN CORRADINI: It's mostly  
12 important because all of our transcripts are picked  
13 up orally. We don't want to get them misconstrued.

14 MR. ASHLEY: I think the containment for  
15 normal operations, the containment is quite elevated  
16 in temperature. So I'm not so sure that there would  
17 be a freezing problem based on water leaking in,  
18 whether it be from the reactor pool or whether it be  
19 from the reactor itself, vessel having some inventory  
20 contribution into the containment.

21 MEMBER SKILLMAN: No, I would expect that  
22 containment to be fairly high in humidity with a  
23 fairly high water concentration, moisture  
24 concentration.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. ASHLEY: I'm not sure I share that  
2 observation.

3 MEMBER SKILLMAN: Then that might be a  
4 reason why there is no concern for moisture coming  
5 out of solution or moisture becoming an ice puck.  
6 We're dealing with a fairly large volume, even though  
7 like Dr. Corradini says it's a very small containment  
8 with a very low pressure. There still is moisture  
9 content and there's going to be a transport of  
10 material as you're either drawing a vacuum or letting  
11 the vacuum decrease to atmospheric pressure. Is  
12 there an in-between state there that needs to be  
13 examined? That's really the question I'm asking.

14 MR. ASHLEY: I think it's a good  
15 question. I'm not so sure that it's incumbent upon  
16 6.2.2, a containment heat removal system to look at  
17 that. But I think you're looking at more of that  
18 normal ops. And I agree with your observation about  
19 taking compressed gas that has a high moisture  
20 content. When you expand that gas, you're going to  
21 have that cooling effect.

22 MEMBER SKILLMAN: I was really kind of  
23 pointing my question to Anne-Marie because she's  
24 talking about gas in this containment and I think the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 real thrust of that section is the radiolytic  
2 decomposition and how to handle the hydrogen that in  
3 that same environment you may have a high amount of  
4 moisture and under the right conditions that moisture  
5 could become a real problem.

6 MS. GRADY: Where do you see it becoming  
7 a problem?

8 MEMBER SKILLMAN: When its temperature  
9 and pressure potentially threaten the function of  
10 your -- whatever you might use to recombine the  
11 hydrogen and oxygen or whatever you might use to  
12 handle the hydrogen and the oxygen.

13 MS. GRADY: Okay. Currently, NuScale is  
14 not proposing to put anything in the containment to  
15 recombine the hydrogen, not igniters, not PARs, and  
16 not even hydrogen or oxygen monitors.

17 So at the moment that isn't under  
18 discussion. That has -- that's part of their  
19 position in the gap analysis.

20 MEMBER STETKAR: Anne-Marie, did you say  
21 -- I'm having trouble hearing you. Did you say  
22 they're not planning to install hydrogen monitors in  
23 the containment?

24 MS. GRADY: They are planning not to,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 yes. That's what they propose. It's not necessary.  
2 In the gap analysis is what they're saying.

3 MEMBER STETKAR: Their assertion is there  
4 will be no oxygen, so therefore they don't care how  
5 much hydrogen.

6 MS. GRADY: Exactly, exactly.

7 MEMBER STETKAR: Okay.

8 MR. CRANSTON: We have not accepted that  
9 position by the way.

10 CHAIRMAN CORRADINI: We sensed that. I  
11 making notes and I wrote that down. Still under  
12 discussion.

13 MEMBER BALLINGER: Do we know what the  
14 dose rate --

15 MS. GRADY: Could I get back to Dr.  
16 Skillman? We would certainly consider your comment  
17 when we get into discussions about what they will be  
18 providing in the containment, but at the moment, it's  
19 not under discussion because it's not part of their  
20 design.

21 MEMBER SKILLMAN: Anne-Marie, thank you.  
22 I'm just kind of sitting here in my good old you don't  
23 know what you don't know state of mind. And you're  
24 on watch and you have this wallop, sounds like a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 concussion and you realize you just had a hydrogen  
2 detonation and you say to yourself, where did it come  
3 from? Well, actually, I had some moisture and guess  
4 what? I had disassociation and I had stoic and metric  
5 hydrogen and oxygen. How did that happen? Well, I  
6 just forgot to think about it. So I'm saying maybe  
7 we better think that through very thoroughly.

8 MS. GRADY: Yes.

9 MEMBER SKILLMAN: Thank you.

10 MEMBER BALLINGER: Do we know what the  
11 dose, gamma and neutron dose is at the interface  
12 between the containment and -- my guess is that the  
13 neutron dose is low by comparison. But the gamma  
14 dose might not be so low.

15 MS. GRADY: I don't know.

16 MEMBER BALLINGER: Because that's where  
17 radiolysis would occur.

18 MS. GRADY: Okay.

19 MEMBER BALLINGER: Okay? If you -- ten  
20 to the seventh rads, at the interface, you can get  
21 gamma radiolysis. You don't have to worry about  
22 neutron radiolysis. And then you've got a free  
23 system where any hydrogen or oxygen is just going to  
24 find its own place like above the top of the pool

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 level. It may just be a no never mind, and the dose  
2 rate is ten to the third or something like that in  
3 which case there's no issue. But if it's 10 to the  
4 sixth or 10 to the seventh, you've got 12 of these  
5 units operating.

6 CHAIRMAN CORRADINI: Well, staff is -- I  
7 heard from Henry that staff is watching.

8 MEMBER BALLINGER: Aye, aye.

9 CHAIRMAN CORRADINI: So we're watching  
10 staff.

11 MS. GRADY: I don't have any more  
12 comments. Do you have questions?

13 And we received no public comments on  
14 this section.

15 CHAIRMAN CORRADINI: Other questions  
16 from the committee?

17 Joy, questions?

18 MEMBER REMPE: No questions.

19 CHAIRMAN CORRADINI: Going once, going  
20 twice. I've run out of questions. I appreciate it.

21 Okay, before we end this, let me ask if  
22 there's people in the audience here from the public  
23 that want to make to make a comment. Anybody here  
24 in the audience? Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Anybody on the phone line, please at  
2 least acknowledge your presence by grunting or saying  
3 hello.

4 MR. LEWIS: My name is Marvin Lewis. I  
5 was in no way trying to hide the fact that I was here.  
6 I have also left a message on the contact's phone as  
7 far as I know, although I don't even remember the  
8 name of the contact.

9 CHAIRMAN CORRADINI: So you have a  
10 comment, Marvin?

11 MR. LEWIS: Yes, yes, I do. And I do  
12 appreciate the fact that you have asked more than one  
13 time. I really needed that.

14 My comment is a very simple one. You  
15 know, people have had problems with hydrogen before  
16 and one of those people was a technician by the name  
17 Hartman, H-A-R-T-M-A-N, back in 1979 at Three Mile  
18 Island. Namely, he was bubbling hydrogen through a  
19 measuring tank that was looking at the leakage rate.  
20 He was taking data from a tank in order to get a  
21 leakage rate. And at the same time there was hydrogen  
22 bubbling through in which controlled corrosion.

23 And sure enough, he got leakage rates  
24 when he turned the hydrogen off. That was quite

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 significant. When he turned the hydrogen on, it  
2 looked like there was no leakage, of course, because  
3 it expanded the volume of water by bubbling hydrogen  
4 through it.

5 And so he asked his supervisors, what is  
6 he supposed to do? And his supervisor said leave the  
7 hydrogen bubbling through. Okay. Direct orders.  
8 Of course, he did it and he brought it up in sworn  
9 testimony after a certain thing happened at Three  
10 Mile Island 2.

11 And I'm just wondering if you're getting  
12 yourself into the same situation, namely, there is  
13 hydrogen often at places you'd never suspect, and not  
14 necessarily hydrogen generated by radiolysis. And  
15 I'm just wondering if there's a tank in that system  
16 that allows hydrogen to be bubbled through the coolant  
17 to control corrosion and can that hydrogen be bubbled  
18 through to hide the fact of a leakage and we're going  
19 to have the same situation here as we had at Three  
20 Mile Island 2 three months after the fuel was loaded  
21 in the middle of the night because somebody was able  
22 to get a judge to write an emergency order to load  
23 fuel.

24 That's my feeling on this subject. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hope you will check into the Hartman testimony at  
2 Three Mile Island and thank you for listening.

3 CHAIRMAN CORRADINI: Okay, thank you very  
4 much, Marvin. We've got your comments on the record.

5 MR. LEWIS: I appreciate that.

6 CHAIRMAN CORRADINI: Is there anyone else  
7 on line, on the line? Okay. Hearing nobody else,  
8 could you close the outside line?

9 All right, so let me first remind  
10 everybody where we are. So this is the last -- is  
11 save for Chapter 7 which we are going to discuss in  
12 November. The date has escaped me now, November  
13 19th. I think that's correct. Save for that, we  
14 have no formal plans to look at other DSRS sections,  
15 right? I'm looking at Greg, too, he's watching me.

16 We are going to have a subcommittee  
17 meeting on how staff is going to resolve the comments,  
18 the public comments from the DSRS and that's scheduled  
19 for the day before on the 18th. But it's not my plan  
20 to look at any other DSRS section. So that's one  
21 thing for the subcommittee to consider.

22 The second thing is at least at this point  
23 in my mind, we have a lot of little things that we've  
24 communicated to the staff that nothing rises to a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 level where I think there is a significant issue.  
2 But I'm going to write this up in some fashion for  
3 the subcommittee and the full committee to look at.

4 With that as an intro, let me go around  
5 and see if any members of the subcommittee want to  
6 say anything else?

7 Dick?

8 MEMBER SKILLMAN: I do. Thank you, Mike.  
9 I think the idea of 12 reactors sharing a common  
10 ultimate heat sink when that heat sink is bounded by  
11 a man-made boundary, specifically the poured concrete  
12 and whatever liner might be on that concrete, is an  
13 issue that deserves special attention. Thank you.

14 CHAIRMAN CORRADINI: Dana?

15 MEMBER POWERS: No.

16 CHAIRMAN CORRADINI: Steve.

17 MEMBER SCHULTZ: No comment.

18 CHAIRMAN CORRADINI: John?

19 MEMBER STETKAR: No, nothing, nothing.

20 CHAIRMAN CORRADINI: Dennis.

21 MEMBER STETKAR: No comments.

22 CHAIRMAN CORRADINI: Charlie?

23 MEMBER BROWN: Only one request. Since  
24 we have the Chapter 7 still to go, I presently have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 a copy that I got some months ago of the proposed  
2 Chapter 7 for NuScale and I have asked to make sure  
3 -- it's my understanding that there have been some  
4 changes to it. So if someone could get with Christina  
5 Antonescu and just make sure that I've got the latest  
6 version and that the committee has the latest version  
7 if they so desire to look at Chapter 7.

8 The other relevant piece of information  
9 for that review is the mPower Chapter 7, whatever the  
10 recent -- I think there's now an approved version of  
11 that out somewhere that's been -- got the Betty  
12 Crocker Good Housekeeping Seal of Approval or  
13 something and I would like, Christina, to make sure  
14 I have the most recent version of that because if it  
15 largely mirrors that without any changes in the areas  
16 where I am primarily -- where I get jacked up --

17 CHAIRMAN CORRADINI: Charlie has major  
18 ownership, so --

19 MEMBER BROWN: I just want to be able to  
20 do a comparison because I know what theoretically  
21 they put in mPower. I'm going to check it against  
22 my comments before just to make sure they did it again  
23 and then see if this is the same. It makes it  
24 relatively easy. If it's not, then it makes it more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 difficult, that's all. I'll take that action, too.

2 CHAIRMAN CORRADINI: I was going to say,  
3 what we have, what you've given us is the July dated  
4 Chapter 7. So if there's any newer --

5 MEMBER STETKAR: My file date is July.

6 CHAIRMAN CORRADINI: That's what I've got  
7 also.

8 MEMBER BROWN: But I think it's an  
9 earlier -- I don't remember. I'll have to go back.  
10 I didn't open my file to look at it.

11 MEMBER STETKAR: It's Rev. 0 dated June  
12 2015 are the files that at least I have.

13 MEMBER BROWN: That's the file date. Is  
14 there a date on the cover?

15 MEMBER STETKAR: Rev. 0 dated June 2015  
16 and the footer is on the file pages.

17 MEMBER BROWN: So again, the mPower thing  
18 is important to get that one also because that's my  
19 reference point. Thank you.

20 CHAIRMAN CORRADINI: Joy?

21 MEMBER REMPE: No comments.

22 CHAIRMAN CORRADINI: All right,

23 MEMBER BROWN: The earlier the better.  
24 I'm finished.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   CHAIRMAN CORRADINI: Okay. You're sure?  
2                   Okay. So I don't have any other further comments.  
3                   I think we kind of know where we're going. So we  
4                   have a plan to see each other for a half day on the  
5                   18th to hear about how you're disposing of public  
6                   comments and on the 19th about Chapter 7 and that  
7                   would essentially be what we plan to discuss.

8                   If the committee feels there's other  
9                   things we need to discuss in terms of DSRS, you've  
10                  got to let me know so I can communicate with Greg  
11                  because we have two half days planned and nothing  
12                  else planned on the DSRS. Okay? All right, with  
13                  that, we're done, adjourned.

14                  (Whereupon, the above-entitled matter  
15                  went off the record at 9:44 a.m.)

16

17

18

19

20

21

22

23

24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2

**NEAL R. GROSS**  
COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

# ACRS Presentation on the NuScale Design Specific Review Standard (DSRS) Sections 6.2.2 and 6.2.5

Gregory Cranston,  
Sr. Project Manager  
Office of New Reactors  
7 October 2015



# NuScale DSRS Briefings to the ACRS Subcommittee on Future Reactors

- Public comments received and sent to technical branches
- DSRS comment incorporation and updating in progress
- Some DSRS sections may revert back to SRP sections

# NuScale DSRS Briefings to the ACRS Subcommittee on Future Reactors

- Purpose: provide ACRS with approach staff took developing selected DSRS sections
- During the course of these presentations staff will cover:
  - What changed SRP to draft DSRS
  - Why change made (new system, elimination of system, significant design difference, etc.)
  - Questions based on the design information available to date



# NuScale DSRS 6.2.2

## Containment Heat Removal Systems

by  
Clint Ashley

7 October 2015



# DSRS 6.2.2 - CHRS

- Changes between SRP 6.2.2 and DSRS 6.2.2 due to NuScale design:
  - Added general description of NuScale design
  - Added GDC 5: Shared Systems (e.g., reactor pool)
  - Eliminated net positive suction head review
  - Eliminated containment spray review
  - Eliminated fan cooler review
  - Added fouling consideration for submerged containment

# DSRS 6.2.2 CHRS Public Comments

- Three public comments
  - Editorial in nature  
(e.g., rewording to be consistent with NuScale design)
  - Preliminary review:  
Staff agrees with proposed changes

# NuScale DSRS 6.2.5

## Combustible Gas Control System

by  
Anne-Marie Grady

7 October 2015



# DSRS 6.2.5 CGCS

- No change in applicable GDCs
- Few changes in acceptance criteria
- Major changes due to NuScale design specifics
- Major changes include:
  - Eliminated BWR material
  - Eliminated references to active containment atmospheric mixing systems
  - Added general description of NuScale design
  - Focus more on Severe Accidents in accordance with 10 CFR 50.44 (C)

# DSRS 6.2.5 CGCS

## Public Comments

- public comments
  - None

# Closing Remarks

## ACRS SC Meeting

Comments or Questions?