

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

BRIEFING ON DIGITAL INSTRUMENTATION AND CONTROL

+ + + + +

THURSDAY,

DECEMBER 17, 2015

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Commission convened in the Commissioners Hearing Room at the Nuclear Regulatory Commission, One White Flint North, 11555 Rockville Pike, at 1:00 p.m., Stephen G. Burns, Chairman, presiding.

COMMISSION MEMBERS:

STEPHEN G. BURNS, Chairman

KRISTINE L. SVINICKI, Commissioner

WILLIAM C. OSTENDORFF, Commissioner

JEFF M. BARAN, Commissioner

ALSO PRESENT:

ANETTE VIETTI-COOK, Secretary of the  
Commission

MARGARET DOANE, General Counsel

## NRC STAFF:

VICTOR McCREE, Executive Director for Operations

JENNIFER UHLE, Director, NRO

JOHN LUBINSKI, Acting Deputy Office Director for  
Engineering, Office of Nuclear Reactor  
Regulation (NRR)

JOHN TAPPERT, Director of Division of Engineering,  
Office of New Reactors (NRO)

RICHARD STATTEL, Senior Electronics Engineer, NRR

DEANNA ZHANG, Senior Electronics Engineer, NRO

## EXTERNAL PANEL:

DARREN COFER, Fellow, Rockwell Collins Advanced  
Technology Center

JOHN CONNELLY, Engineering Manager -- Capital  
Projects, Exelon Nuclear

ROBERT COWARD, Principal Officer, MPR Associates,  
Inc.; Digital I&C Working Group, Nuclear  
Energy Institute

DARYL HARMON, Consulting Engineer, Operating Plant  
Business, Westinghouse Electric Company

WILLIAM SCHERLIS, Professor, Carnegie Mellon  
University, and Director of the Institute for  
Software Research

## P R O C E E D I N G S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

1:01 p.m.

CHAIRMAN BURNS: Thank you, and I'll invite then our first panel on our meeting on Digital Instrumentation and Control to take their seats at the table.

(Pause.)

CHAIRMAN BURNS: Well good afternoon. I want to welcome our external panelists, the NRC staff and members of the public who are here or may be listening in on today's meeting. The purpose of this afternoon's meeting is to discuss the proposed rulemaking for incorporating by reference the Institute of Electrical and Electronics Engineers Standard 603-2009, the IEEE standard criteria for safety systems for nuclear power generation, which we'll refer to as IEEE 603.

We'll also be discussing other key regulatory and industry activities related to licensing of digital instrumental and control systems. The Commission has a proposed rule before it on IEEE 603, as a voting matter and today's discussions will aid deliberations on that paper.

The paper is numbered SECY 15-0106 and it is publicly available on the NRC's website. Our first panel will include presentations from the following persons: Mr. Robert Coward, Principal Officer, MPR Associates, also representing the Nuclear Energy Institute Digital I&C Executive Working Group; John Connelly, Engineering Manager of Capital Projects for Exelon Nuclear; Daryl Harmon, Consulting Engineer, Operating Plant Business for

1 Westinghouse Electric Company; Darren Cofer, Fellow with Rockwell  
2 Collins Advanced Technology  
3 Center, and William Scherlis, Professor at Carnegie-Mellon University  
4 and Director of the Institute for Software Research.

5 After we hear from our external panel, we'll have a five  
6 minute break and then hear from the staff. I look forward to  
7 presentations and the discussions. I believe Commission Ostendorff  
8 wanted to say something, and then I'll turn to the other Commissioners  
9 as well.

10 COMMISSIONER OSTENDORFF: Good afternoon.  
11 I don't often do this before a meeting. I'm going to do it today. It is an  
12 exception to my normal practice of being silent at this stage. But I think  
13 I want to set the stage for this, as far as my own personal views as a  
14 Commissioner.

15 I know in April 2010, when I went to my first commercial  
16 nuclear power plant and saw Watts Bar 2 and saw the analog  
17 instrumentation and reflected upon my experiences back in the 70's, at  
18 reactor prototype at S3G in Ballston Spa I didn't see much different.

19 In my five and a half years as a Commissioner, I've  
20 spent a lot of time looking at instrumentation control, digital I&C. I don't  
21 think we are as a nuclear enterprise where we need to be, either at the  
22 regulator stage or at the industry stage.

23 I think there's a lot of opportunity to do better, and that  
24 if we're going to continue to operate nuclear power plants in the future,  
25 we have to address these issues, some of which will be discussed  
26 today.

1                   In September of this year, the Commission received a  
2                   draft proposed rule on digital I&C from our staff. Along with my  
3                   Commissioner colleagues, we've spent a lot of time talking about this.  
4                   We've discussed, debated at a lot of other meetings before today's  
5                   meeting, and I'll speak for myself.

6                   I quite frankly am unable to come to any conclusion on  
7                   what to do here, because I feel like we've not looked at the broader  
8                   picture. We've looked at one piece on IEEE 603-2009. But we've not  
9                   looked at the broader mosaic, whether it be other proposed rules the  
10                  staff might be thinking about on common cause failure and  
11                  dependence, etcetera, or what the impacts this might have for  
12                  stakeholders represented today on the goal of upgrade the existing  
13                  nuclear power plants from analog to digital.

14                  So I think this is a really important meeting. I think this  
15                  is an area of our regulatory work where there's much to be done, and  
16                  I'm very grateful to all the Commissioners who have been very  
17                  supportive of us having this session today. Thank you.

18                  CHAIRMAN BURNS: Thank you. Commissioner  
19                  Svinicki, okay. Well thank you, and with that Mr. Coward, would you  
20                  please begin the panel presentation.

21                  MR. COWARD: Am I on? I'm on now.

22                  CHAIRMAN BURNS: Yeah, you are.

23                  MR. COWARD: I'm Bob Coward from NPR. I've  
24                  been asked by NEI to provide what I'll call the industry leadership  
25                  perspective, and I'm tempted to thank, Commissioner Ostendorff, and  
26                  pass to the next presenter.

1 I think that one of the messages that from an industry  
2 perspective we want to make sure we'd like to get everybody aligned  
3 around is people tend to look at the I&C problem these days. You hear  
4 a lot of people talking about the digital I&C problem, and I think we look  
5 at it differently.

6 We look at it as failure to capture opportunity, that  
7 when we look at plant safety, plant efficiency, reliability, even  
8 something as simple as the ability to maintain the plants, that moving  
9 towards digital is a big step in the right direction on all those goals, and  
10 something that the industry, all of us together would benefit greatly  
11 from.

12 It also has, from an industry standpoint, and I'm  
13 assuming that the staff shares this perspective, we almost see  
14 addressing these outstanding questions as a prerequisite as we talk  
15 about 60 to 80 that, you know, from a business decision/business  
16 investment perspective, there's not a board in this country that's going  
17 to approve an application to go to 60 to 80 if it doesn't have some level  
18 of confidence that these projects can be done reliably.

19 So from an industry standpoint, I think you know, we're  
20 eager and interested to move to a better place. We were at an NSIAC  
21 meeting last year and got into a good discussion among the chief  
22 nuclear officers about what's important, what should we be working,  
23 and this one quickly rose to the top of the list.

24 We reached out, a number of us, to talk to people in the  
25 industry. There's a lot of industry working groups and some of the staff  
26 participates on some of them, as to where things are, and sort of got a

1 quick landscape view of how things -- where are things at.

2 Just a couple of key points to give you that perspective.

3 One, cyber. Everybody always tends to start with cyber, because  
4 that's a hot one these days. I think from an industry standpoint our  
5 perspective is cyber's okay. We'd like for cyber to be in a better place  
6 in terms of the value benefit equation of the effort put in, but on the big  
7 scale of things, we're willing to put that behind us if we can address  
8 some other questions first. We think they're more important.

9 We see good projects being done across the country.  
10 We see some digital I&C going into nuclear power plants, making their  
11 plants better, safer, more reliable, primarily in balance of plant  
12 secondary system applications, non-safety related applications.

13 We want to extend that. In terms of challenges, we  
14 see some questions about responsibilities not being clear, expectations  
15 not being clear, and we'll acknowledge that from an industry  
16 perspective, perhaps we've even stubbed our toe a couple of times.

17 You know, some of the 50.59s that have been done  
18 probably had holes in them and one of the things the industry's working  
19 on hard right now is to close those holes as well. You roll it all together  
20 and the big picture is almost everybody can see the benefits from a  
21 digital I&C upgrade enhanced replacement in a nuclear power plant.

22 The challenge is when you go look at the cost-benefit  
23 analysis, the decision-makers. These are not small, trivial projects,  
24 and the decision-makers who have the final say, they look at risks, they  
25 look at costs, they look at benefits. Even though they see the benefits,  
26 the costs and the risks are still outweighing those benefits in many

1 cases.

2 That's what we have to knock down, is we have to  
3 knock down together that perception. We actually want people  
4 desiring and embracing doing these projects, not to be sort of heading  
5 down the aisle skittishly or nervously.

6 In terms of a couple of specific places where we know  
7 we need to work, we the industry and we're looking forward to engaging  
8 with the staff to work together, 50.59 guidance. Industry's about to  
9 submit through NEI some updated guidance on 50.59 specific to digital.

10 We're looking forward to the staff engaging with  
11 questions and dialogue to ensure we're aligned. If you go back I guess  
12 six, seven, eight years, I think Commissioner Ostendorff, as you alluded  
13 to, there was much more of an interest in digital I&C. There was a big  
14 industry-wide effort, as well as engagement with the staff.

15 I think one of the things we now see in hindsight  
16 looking back is there were some things we all thought we agreed to,  
17 that perhaps we were saying different things to each other or hearing  
18 different things. Because as we've tried to apply or implement the  
19 things we agreed to, we're finding that there's different versions of, you  
20 know, some interpretable words.

21 So there are some things like when we say "common  
22 cause failure," what does that mean? Okay, let's go resolve that.  
23 Let's get everybody on the same page. Just a stable, regulatory  
24 structure, and I know you've probably heard about this.

25 In particular for the operating plants, the way that the  
26 licensing gears turn these days really doesn't work well for a utility for a

1 licensee, from a managed risk cost invested over the time as it affects  
2 risk profile. That makes it hard, and we think that -- we think that those  
3 gears can be adjusted a little bit, in a manner that still satisfies  
4 everybody's needs and becomes much more of an enabler to these  
5 projects being done as opposed to a hindrance. That's another area to  
6 work together.

7 Then more in the spirit of an anxiety than a gap or an  
8 issue, as we look forward as an industry to closing ITAAC at Vogtle and  
9 Summer, there's just anxiety of are we all on the same page as to how  
10 we're going to do that. There's questions. A lot of people in the I&C  
11 community are nervous that some of the things, you know.

12 In 2010, we thought we had agreement between  
13 industry and the staff on a number of technical topics. We've learned  
14 we really didn't.

15 Today, we think we have agreement on how to do  
16 some of these ITAAC inspections, and whether we do or don't is a  
17 question we have to go ask, and we'd like to answer that question in  
18 advance, not at the last moment.

19 You put all those things together and the chief nuclear  
20 officers, the CEOs asked NEI to put together a working group of  
21 industry executives, to help drive this and to help provide the leadership  
22 and the coordination of all the various industry groups and company's  
23 activities, and to get to a better place.

24 Ron Jones from SCANA is the leader. He's the  
25 chairman of that group. He had a commitment today; that's why I'm  
26 here for Ron. I'm on that group with Ron, as well as some other

1 industry executives, and we're working together as was with others  
2 from our companies and industry to try to provide that leadership, that  
3 guidance, a framework for engagement that will allow these issues,  
4 these gaps to get resolved once and for all.

5 We think that's doable and that's our goal. We're  
6 working on a road map. Let me back up and just say we don't think  
7 that the issue is missing guidance or more research or more paper.  
8 We think everything's there. We think that from the things that are  
9 within our own control on the industry implementation side, and with  
10 regard to the extent the industry engages with the staff.

11 We think it's more about coming together on this six  
12 feet of paper, what matters, how to implement it, what's the way to  
13 interpret it, because we think most of the research is done. We think  
14 that things are out there. We just have to, you know, it's more agreeing  
15 on it.

16 So the purpose of -- the road map we're putting  
17 together is to guide, from an industry standpoint, to guide us through  
18 that process. It's to paint the big picture, see the broader landscape,  
19 see how all these things fit together, see how they prioritize.

20 One of the things we're looking very hard at is what is  
21 the most important critical items that we can prioritize on that are  
22 prerequisites for other discussions and other decisions.

23 We're going to use that road map and it's going to paint  
24 the picture for the next several years, of how -- our version of how to get  
25 these issues resolved, how to do a handful of pilot projects, and to do  
26 that in a collaborative manner which not just answers the questions but

1 does it in what we'll called a sustained, reliable manner, so that the rest  
2 of the industry can then go forward and take advantage of the  
3 opportunities.

4 We're early. We've only really been working this year.  
5 The road map isn't quite done. But since I have the floor, there are a  
6 couple of asks or suggestions, recommendations that we'd like to make  
7 or throw out there.

8 One I already alluded to, and that's the engagement on  
9 the 50.59 guidance. We think that would be good for everybody. We  
10 think we have a better set of guidance now. We hope and expect the  
11 staff will agree.

12 The proposed rule on 603, we're all for updating the  
13 regulations. We're all for going to later versions of the standards. We  
14 think that's a good move in the right direction. We think some of the  
15 additional considerations that have been written into the rule actually  
16 are harmful.

17 We'd rather, if it's a choice of that or nothing, we'd  
18 prefer nothing. So our recommendation would be to put that on hold.  
19 We're looking forward to the staff engaging us on a working group  
20 manner, and then finally we're looking forward to the Commissioners  
21 being engaged and interested, to help influence and help set the  
22 priorities that leads this to resolution.

23 Because I think, you know, the big question for the last  
24 few years has been, you know, people ask can you do these projects  
25 reliably, safely, on schedule, on budget without licensing uncertainty. I  
26 believe the answer's yes. With confidence, I believe the answer's yes

1 and we want everyone together to be working towards, you know, how  
2 do we do that and demonstrating it and not asking the question of can  
3 we. That's where we'd like to get to.

4 I'm working on the assumption that some of these  
5 other presenters will get into a little more detail on some of the things I  
6 hit.

7 CHAIRMAN BURNS: Thank you. Mr. Connelly.

8 MR. CONNELLY: Good afternoon. First, I'd like to  
9 take a moment to thank the Commissioners for providing us an  
10 opportunity to present our perspective. There are several critical  
11 issues related to the application of digital technology. We greatly  
12 appreciate the opportunity to speak to them.

13 At the risk of stating the obvious, we share a common  
14 goal, safe and reliable operations. In our opinion, one of the best ways  
15 for us to achieve that common goal is for licensees to upgrade their  
16 facilities using the best available technologies. Establishing a clear  
17 and unambiguous regulatory framework is a key enabler for that.

18 Turning our attention to the third slide, I want to spend  
19 just a moment on this. Specifically, Exelon's operating experience on  
20 digital upgrades. We've been implementing non-safety related digital  
21 upgrades for about 20 years, starting with the feedwater systems at  
22 Dresden, LaSalle, Quad Cities and Limerick.

23 That was followed by turbine control system upgrades  
24 across most of the Midwest fleet and those continue today across both  
25 the Mid-Atlantic and Northeast. Our primary focus was to improve  
26 system performance through great fault tolerance and elimination of

1 single point vulnerabilities.

2 So we looked at those projects and went back and  
3 looked historically over our scram data, going all the way back to 1980.  
4 The analysis we conducted paints a pretty compelling picture, which is  
5 reflected on this slide.

6 If you look at the feedwater system specifically, we  
7 observed a 95 percent reduction in scram rate between the analog  
8 systems and the digital systems. Now we did normalize this data so  
9 we got it in terms of unit years, so we could compare apples to apples.

10 We looked similarly at the PWR controls and observed  
11 an 83 percent reduction and the BWR turbine controls at 74 percent  
12 reduction. So clearly, that's a fairly compelling picture. Digital  
13 upgrades significantly reduce initiating events. So there are obvious  
14 opportunities there.

15 Next slide. I included this slide just as another point of  
16 data, if you will. This information is widely available on the Internet.  
17 You can find it on the FAA website, NTSB, various places. You'll find  
18 various iterations of this slide in a number of places.

19 This is a pictorial representation of hull loss events  
20 across the commercial aviation sector. So this wasn't developed for  
21 digital technology specifically, but there's an interesting nugget of  
22 wisdom that can be discerned from this.

23 The 747-400 was the first truly digital aircraft, the first  
24 glass cockpit aircraft. Now I will tell you that there is some overlap  
25 there. These product life cycles tend to be fairly lengthy, so there is  
26 going to be some overlap.

1                   But the interesting takeaway from this slide is if you  
2                   kind of draw a line through just above the 747-400, before that is analog  
3                   aircraft; below that is digital aircraft. Now obviously this isn't the only  
4                   factor at play. But there's an interesting takeaway from this. If you  
5                   look at digital aircraft, while analog aircraft are safe, digital aircraft are  
6                   safer.

7                   The commercial aviation sector has fully embraced  
8                   digital technology, and I think there's similar opportunities for us to gain  
9                   from that experience.

10                  Turning to the next slide, I do want to briefly touch on  
11                  equipment obsolescence. Considering that a typical domestic plant  
12                  has been in service roughly 30 years, and also with the full knowledge  
13                  that and the inescapable reality that all electronic components have a  
14                  finite life span.

15                  Our exposure to equipment obsolescence is  
16                  significant. We actively manage these issues. We have strategies in  
17                  place to mitigate the risk. But the ability to use well-vetted digital  
18                  solutions would be beneficial to all parties concerned.

19                  The other thing that I'd like the Commission to take  
20                  away from this discussion is if you think about the nuclear sector, we're  
21                  a small slice of a very large industrial control sector pie. If you look  
22                  outside of nuclear, if you look at petrochemical, pharma, the fossil  
23                  world, digital is the preferred solution.

24                  It is the preferred solution because of its capability,  
25                  reliability, accuracy and cost effectiveness. So you know, separating  
26                  ourselves from those product lines and those benefits is probably not in

1 our best advantage.

2 Next slide. Cybersecurity. I'm only going to touch on  
3 this very briefly. I know it's kind of a significant issue for the industry,  
4 but I do want to touch on a couple of things in terms of cybersecurity.

5 The industry and staff have made substantial progress  
6 in resolving implementation issues. There are mechanisms in place,  
7 the Cybersecurity Task Force and the interface between NEI and the  
8 Commission and the staff. We have made very significant progress.

9 The point that I would like to make, however, is that  
10 Milestone 8, our full compliance deadline for most licensees that's  
11 12/31 of 2017. So effectively we have two years to completely  
12 implement the balance of the program. So timely resolution of issues  
13 as they emerge is critically important to all parties concerned.

14 The other point I'd like to make is that cybersecurity  
15 and digital I&C really can't be considered in isolation from each other.  
16 They're concentric rings around the same center, to a large degree, and  
17 there's a need to coordinate both the digital I&C piece of this and the  
18 cybersecurity piece of this, and we actually have that through the Digital  
19 Working Group.

20 That's an opportunity. All of those stakeholders are  
21 involved in that discussion. So that's an opportunity to get that  
22 coordination between the various elements and industry stakeholders.

23 Next slide. I'm not going to belabor this one in the  
24 interest of respecting people's time. I did include this in a presentation,  
25 just to kind of lay out the landscape that we're in right now. Most of  
26 what you're looking at here in this slide is applicable to safety related

1 modifications, but there is some applicability to non-safety related  
2 applications as well.

3 This speaks volumes to the need for a clear,  
4 unambiguous, graded, stable regulatory framework for both digital I&C  
5 and cybersecurity, and frankly we do have models that we can draw  
6 from- from other sectors. I guess the key takeaway I'd like to leave the  
7 Commissioners with is that while the technology itself can be complex,  
8 the framework itself could be simplified and made more streamlined.

9 Next slide. Unless there are dissenting opinions,  
10 IEEE 603-2009, we're going to be talking about that in detail in the next  
11 presentation, and we're certainly able to field more questions. The  
12 only thing I'd like to say here is that from our perspective, it's kind of like  
13 the Hippocratic oath.

14 The standard in place right now does no harm if we  
15 leave it as is. But our concern is- is that it may further muddy the  
16 waters and introduce yet another variable, and we'll be talking about  
17 that in more detail in just a moment.

18 So as Bob had alluded to, while I have the floor there's  
19 a couple of requests I would like to make. Again, and you'll hear this  
20 throughout the presentations and the discussion, a clear,  
21 unambiguous, graded and stable regulatory framework for both digital  
22 I&C and cybersecurity is critically important to all parties concerned.

23 Again, we'd ask that we maintain IEEE 603-1991 as  
24 the endorsed standard, because it doesn't adversely impact the  
25 industry's ability to modernize or introduce yet another variable. The  
26 agency and industry should work to develop consensus solutions to key

1 technical issues and we've alluded to that throughout the previous  
2 comments, and we'll be discussing further following presentations.

3 Specifically, the application of the 50.59 process, the  
4 technical reports that are being developed by EPRI and dealing and  
5 addressing software common cause failure. The agency and industry  
6 should continue efforts to improve NEI-08-09 revision. The currently  
7 endorsed version is Revision 6, Revision 7.

8 We have had discussions with the staff. There are a  
9 handful of things that we would like to get clarity around. We have  
10 been -- we have had some very productive discussions with the staff  
11 and I think we have a success path there.

12 Similarly, the agency and industry should continue to  
13 refine NEI-13-10. For those who are not familiar with 13-10, it  
14 introduces a graded approach to cybersecurity. Revision 3 was a  
15 watershed event. I would characterize it as a watershed event. We  
16 did gain a lot of ground with 13-10.

17 There are opportunities to improve it in subtle ways by  
18 including better worked examples of what good looks like and for  
19 potentially get some security programmatic assets out of the direct  
20 impact category and into indirect, so we can treat them with a subset of  
21 controls. And again, we've had good success working with the staff to  
22 get these issues resolved, on the table and resolved.

23 The last thing I would point out is there are  
24 methodologies that we can draw from as we work our way through this  
25 road mapping. You know, NAVSEA 08, aerospace, pharmaceutical,  
26 petrochemical. There are other standards and models that we can fold

1 into this process, and I would encourage us all to consider those.

2 Nuclear tends to be very inwardly focused, but there  
3 are other avenues, venues, standards, methodologies that we should  
4 consider as part of this process. With that, I'll yield 27 seconds.

5 CHAIRMAN BURNS: Mr. Harmon, you don't have to  
6 use the 27 seconds.

7 MR. HARMON: I'll start with a fresh ten. Good  
8 afternoon and thank you, Commission, for this opportunity to talk you  
9 about digital instrumentation controls. I come to you with two hats  
10 today.

11 One is from an vendor's perspective in the nuclear  
12 industry. I work for Westinghouse, but also for over 25 years I've been  
13 a member of the IEEE Standards Development organization and  
14 Nuclear Power Engineering Committee. So I'd like to talk to you a  
15 little bit from an IEEE perspective as well.

16 CHAIRMAN BURNS: Is your mic on?

17 MR. HARMON: Oops. Okay, thank you. That  
18 sounds better. From a Westinghouse perspective, we are heavily  
19 invested and believe in digital instrumentation controls. We have an  
20 approved common Q platform that we've had before the NRC a couple  
21 of times now, and we use it for our digital instrumentation control safety  
22 system implementations.

23 We use that as a key attribute to our new plant designs.  
24 So not only for upgrades, but in our new plants, we have 14 AP1000  
25 plants that are being built around the world, ten in China, as you  
26 probably know four here in the United States.

1                   We're also using this same technology, the digital  
2 instrumentation controls to implement the APR1400 plants in South  
3 Korea, Shin-Kori 3 and 4, and at Barakah in the United Arab Emirates.  
4 That happens to be the project that I currently work on the APR1400  
5 projects.

6                   If you were to come to either of those two type design's  
7 control rooms, you would be much harder pressed to find meters and  
8 dials and switches.

9                   There are a few, but primarily you see large screen  
10 displays, flat panel displays and the technology behind those out in the  
11 plant is all digital safety systems and non-safety systems. So we are  
12 implementing our new designs with digital I&C.

13                   We also do upgrades obviously, and as my colleagues  
14 have mentioned, we have been involved in reactor protection system,  
15 an engineering safety feature actuation system upgrades,  
16 post-accident monitoring systems, as well as on the S for safety side,  
17 as well as non-safety implementing feedwater control systems, turbine  
18 control systems and many other systems that we can upgrade to digital  
19 kind of on a piece by piece one at a time perspective.

20                   That's been done both here in the U.S. and at other  
21 places around the world. We think there's a big benefit, and in the  
22 second slide I talk about some of the benefits. My colleagues have  
23 also mentioned these.

24                   Certainly, as John mentioned, there's a decrease in the  
25 probability of events and they've seen this particularly with feedwater  
26 control systems, turbine control systems, that we don't challenge the

1 safety systems as much anymore. That's certainly a benefit to a safety  
2 aspect of the plants and as well as operations obviously.

3 A lot of functional improvements. The operators can  
4 get the information they need for different plant situations, different  
5 plant modes, put together with the controls, the information so that they  
6 can use it effectively, and there's a great capability to do that. There's  
7 also a capability functionally for redundancy and other functional  
8 improvements that allow these plants to be -- to move forward in  
9 reliability, as well as the operability.

10 One aspect that's unique to digital, it allows us to do  
11 maintenance, surveillance, etcetera, from a remote location. Some of  
12 the intelligent devices, sensors and components can be configured.  
13 Troubleshooting can occur, as well as calibration from a remote  
14 location. There's no need to go around the plant.

15 This allows a plant, an existing plant or new plants to  
16 focus on some of the more maybe important or higher priority  
17 maintenance aspects. I mentioned human-machine interface.  
18 There's a great opportunity and we've taken advantage of that to  
19 improve the human-machine interface. Let the operators get the  
20 information they need for their tasks in the context where they need it.

21 Then as was mentioned, for obsolescence, we really  
22 think that digital instrumentation and controls is a preferred opportunity  
23 for us to address obsolescence with a better system what exists today.

24 So that's the Westinghouse perspective. Let me talk  
25 a little bit about IEEE. The IEEE Nuclear Power Engineering  
26 Committee, I'll call that NPEC from this point on, is the committee within

1 the IEEE that is responsible for all the nuclear-related standards.

2 I am a member of the Nuclear Power Engineering  
3 Committee. Also one of the subcommittees that IEEE 603 came from is  
4 the Safety-Related Subcommittee. For three years, I was the  
5 chairman of that subcommittee back about five years ago, and have  
6 worked on that subcommittee for close to 20 years.

7 In that subcommittee, we have working groups.  
8 There is a working group dedicated to maintaining IEEE 603 as well as  
9 one of the other standards. An important point here is that the IEEE is  
10 adamant about maintaining a diverse constituency in its working  
11 groups, as well as NPEC and the subcommittees.

12 So we want perspectives from vendors, from utilities,  
13 from regulators, and we have people from the NRC as well as other  
14 regulators on our working groups and on our subcommittees. When  
15 an IEEE standard like 603 is revised, it comes to ballot and is put before  
16 an industry consensus group in a standards association, which is  
17 somewhat independent of the Nuclear Power Engineering Committee  
18 itself.

19 Again in developing the ballot pool, we try to get a  
20 consensus that represents a diverse set of individuals, who can then  
21 ballot the standard and make comments. The working group then  
22 goes through and addresses the comments, to come up with the actual  
23 revision to the standard.

24 The point here is that IEEE 603 really went through an  
25 industry consensus, including the perspective of regulators, as it went  
26 through its process of being voted on back in 2009. We think that does

1 represent a good industry consensus.

2 If we go to the fifth slide, as I mentioned, it was -- we  
3 had this broad perspective, and IEEE 603 is actually currently being  
4 worked on again. We've learned some things through this rulemaking  
5 process and have feedback to IEEE 603.

6 The working group established a project authorization  
7 request, which allows them to modify, to revise the standard. That was  
8 approved back in February of 2015 and they're now working on  
9 incorporating some of the lessons learned, the information from the  
10 rulemaking effort back into IEEE 603.

11 Particularly the technical, those aspects of rulemaking  
12 that focus on technical issues, we're trying to again improve 603.  
13 There's another broader standard to IEEE 603, IEEE 7432. That is the  
14 standard criteria for programmable digital devices and safety systems  
15 of nuclear power generating stations.

16 It used to be called digital computers, but now we've  
17 expanded it to include programmable digital devices, FPGAs for  
18 example. That standard has just been balloted and will be issued a  
19 revision to that in early 2016.

20 It contains significantly more criteria for these digital  
21 devices, includes criteria for -- to address common cause failure in  
22 safety systems with digital devices. So we think that standard now,  
23 which the NRC has said they intend to endorse with Reg Guide 1.152,  
24 provides a good framework for addressing the digital I&C concerns at a  
25 more detailed level in some aspects than IEEE 603.

26 So some of the concerns in the last slide related to the

1 IEEE 603 rulemaking. One of them is that the conditions that were  
2 aforementioned do add detailed criteria to the proposed rule. It seems  
3 different than what's been done with the Code of Federal Regulations  
4 previously.

5 It may not be so appropriate for the Code of Federal  
6 Regulations, but more appropriate for a Reg Guide, and that's what we  
7 see typically happening with an IEEE standard as the staff goes  
8 through and creates a Reg Guide with their regulatory positions related  
9 to a standard.

10 Also one of the issues that we have, especially at  
11 Westinghouse where, as I mentioned, we do new plants and digital  
12 upgrades, there are different regulations being applied in some  
13 instances to new reactors and existing reactors.

14 That gives us concern in that we have one platform,  
15 one set of criteria that we use to design our systems, and we think it's  
16 inappropriate to have regulations that are diverse, are different from  
17 new reactors and existing reactors.

18 Then some criteria, special criteria being applied in the  
19 data communications that is contradictory to what was in the interim  
20 staff guidance.

21 We have concerns about that related to data  
22 communications, and we think that there should be a consistent set of  
23 industry standards and rules from the NRC related to the digital I&C and  
24 in this case data communications.

25 So to wrap that up, I think I share a concern with my  
26 colleagues that the existing 603 endorsement in the Code of Federal

1 Regulations does no harm at this point. Some of the conditions being  
2 applied may be detrimental to us, and we'd like to maybe work together  
3 to move forward in a different approach for the industry. I'll yield like 17  
4 seconds.

5 CHAIRMAN BURNS: Thank you. Mr. Cofer.

6 MR. COFER: Thank you. Am I on? How about  
7 that? Okay. So I appreciated Commissioner Ostendorff's opening  
8 remarks about the S3G in the late 80's. I worked in NAVSEA 08 and  
9 did some work on that prototype plant, as well as others before joining  
10 the aerospace industry.

11 So this will be somewhat different, as I'll offer you some  
12 perspectives from the aerospace industry. This is -- I've come to  
13 appreciate that this is particularly relevant, because NAVSEA 08 since  
14 my tenure there has gone, you know, kind of faced the same problem  
15 and moved from analog to digital I&C and the way that they did that was  
16 to take motivation from the guidelines, the guidance used in the  
17 aerospace industry.

18 So perhaps there's something useful there. So if we  
19 could go through the slides here, I'll make reference to several of the  
20 points there. It makes sense to talk about our industries, because we  
21 do have a lot of similar concerns.

22 We're safety-critical, we're regulated, we use  
23 replication for fault tolerance and more and more we are software  
24 intensive, one difference being the nuclear plant is designed to be fail  
25 safe. You can shut it down. An airplane has to be fail operational.  
26 You can't stop flying.

1                   John alluded to some of the history of digital flight  
2 control and fly by wire systems. I won't go into that. There is a long  
3 history of this in the aerospace industry, going back into the early Apollo  
4 program work and advanced through various NASA programs until the  
5 Airbus A320.

6                   I think I have a misprint in the printed materials, but in  
7 1984 Airbus chose to go to an all digital and redundant flight control  
8 system. That was a big change for the commercial world at the time,  
9 but they did have this 20 years of work to build upon.

10                  The reasons for doing this, of course, were to reduce  
11 weight and costs, but also to improve some of the functionality. It  
12 improved automation with autopilot systems, advanced functionality  
13 like stability augmentation that could be implemented digitally, and then  
14 now relying on safety through redundancy.

15                  So no mechanical or physical backups. All of the  
16 redundancy is implemented in the digital flight control systems.

17                  Next slide shows our own version of the six feet of  
18 paper that regulates systems and software, especially in our industry,  
19 starting with CFR Title 14, Part 25 for airworthiness for large  
20 commercial aircraft. But there's a, you know, our own chain of  
21 documents that goes from the system and safety analysis level all the  
22 way down to design assurance for digital hardware and software.

23                  The block in the middle on integrated modularity  
24 beyond X is kind of interesting, because that provides guidance for how  
25 to host multiple software that has different levels of criticality on the  
26 same hardware platform; what you need to do, what are some of the

1 different acceptable approaches for doing that. So we have guidance  
2 for that in our industry.

3 On the next slide, why does all of this work in our  
4 industry? Largely it's because as in the nuclear industry, we're a very  
5 conservative industry with a strong safety culture historically.

6 We've, I don't know exactly how it works in the nuclear  
7 industry, but in aerospace there is a consensus-based process  
8 between industry and regulators to develop guidance for conforming to  
9 the top level regulatory requirements.

10 But ultimately there is just a ton of testing that is done,  
11 and for the safety critical things, what we call Level A, there's complete  
12 transparency and visibility into all the code, all the design artifacts.

13 COTS software and components can be used in  
14 aircraft, but at the highest levels of criticality things like, for example we  
15 use commercial real-time operating systems in most aircraft today.

16 We have access to the code. That all can be  
17 examined and tested. It's not hidden from us. It's not hidden from the  
18 regulators either.

19 Next slide. But we, as all folks that use software, are  
20 facing a challenge. The next slide will just show us. Go ahead and hit  
21 next again, that this is a graph of the amount of software in military  
22 aircraft, and if you look, finally the last point is the F-35 that we hear so  
23 much about in the news.

24 We have a similar curve commercial aircraft. The  
25 amount of software that we're having to grapple with, the complexity of  
26 software-based systems is growing dramatically. There's many other

1 challenges that we're dealing with, as well as the use of software to do  
2 safety-critical functions in aircraft continues to grow.

3 The next slide shows kind of what's going -- what's  
4 happened very recently, to try to grapple with some of these things at  
5 least at the software component level.

6 I was involved on the committee that drafted some  
7 updated guidance, and you can see some of the things that we dealt  
8 with were model-based development, tools, object-oriented software  
9 and mathematical analysis techniques called flow methods and how to  
10 incorporate guidance for those into our software processes.

11 So this is the latest and greatest guidance. It's out on  
12 the street. Provides instruction on how those kinds of technologies  
13 ought to be handled. The one that I work on in particular is this last  
14 one, the mathematical analysis techniques.

15 Next slide, and I'll make a few comments on that, that  
16 this is nothing more than saying that for software engineering to be a  
17 true engineering discipline, we need to use mathematically-based tools  
18 to build and analyze those systems, just like we do for mechanical  
19 systems.

20 We build bridges; we do a finite element analysis.  
21 That's the bridge falling down in Minneapolis where I live several years  
22 ago, where somebody actually made a mistake in their analysis. So  
23 we ought to be able to do the same sorts of things, apply analysis tools  
24 to the engineering of safety-critical software systems, and indeed the  
25 state of the art allows us to do that now.

26 The next slide shows kind of at a glance a whole bunch

1 of things that we have been doing under funding, S&T funding from  
2 NASA and DARPA and other government agencies, to develop the  
3 tools, not just at the software component level but also at the system  
4 architecture level, to allow us to build accurate, generative models for  
5 software architectures, and not just test but prove the safety and  
6 security properties of those designs.

7 The DARPA work has primarily been focused on  
8 cybersecurity properties; the NASA work has been focused on safety  
9 properties. But together we've developed and others that work in the  
10 same area that Rockwell does, universities and other aerospace  
11 companies, have developed good tools that allow us to reason about  
12 large complex systems, to prove isolation between components when  
13 it's necessary, to analyze the fault tolerance behaviors, to actually do  
14 proofs of correctness of software-based systems.

15 So let me just conclude with a few lessons learned.  
16 Go ahead and go to the next one. So our conclusions are that the  
17 model-based development tools are -- have been successfully adopted  
18 by the aviation industry and used for all kinds of safety-critical software,  
19 and the analysis tools that we have are sufficiently mature and practical  
20 for application on real products, real projects and success at the  
21 software component level.

22 So the unit level, if you will, is now being replicated at  
23 the system level to manage the complexity of an avionic suite as a  
24 whole, and allow us to verify safety properties and to build what are  
25 called assurance cases that can be integrated with system architecture  
26 models.



1 Commission for the invitation to speak today. Regarding my  
2 background, I've spent most of my career, about three decades,  
3 working on the technical aspects of software assurance, but I also have  
4 some government experience.

5 Darren Cofer mentioned DARPA projects. I was -- I  
6 spent seven years at DARPA as an IPA followed by an SES  
7 appointment, and then returned to Carnegie-Mellon. This was 22  
8 years ago, but I felt I should mention that.

9 My remark today focuses on prospects for software  
10 assurance, including security considerations. The theme of my  
11 remark is evidence, specifically the role of structured technical  
12 evidence to support human assurance judgments.

13 Next slide, please. The role of evidence was  
14 identified as early as 1968, in the first NATO workshop on software.  
15 This was the workshop where the phrase "software engineering" was  
16 coined. The aim of any testing scheme is to ensure that the customer  
17 gets substantially the software that he ordered. This was the old days,  
18 and it must provide the customer with convincing evidence that this is  
19 so.

20 We all know that the current generation of evaluation  
21 standards in many areas do not follow this advice so closely. The  
22 standards tend to focus on aspects of process, on system design, on  
23 test and evaluation practices. A little bit less focused on the  
24 operational artifacts themselves.

25 There are good reasons. I shouldn't say good; I  
26 should say there are understandable, historical reasons for this lack of

1 focus. My belief and the premise of my talk is that we are now at a  
2 point where we can take this advice from almost 50 years ago more  
3 seriously.

4 I say now because on the one hand the development  
5 of modeling analysis, as in fact Darren Cofer just described, has moved  
6 to a point. But in addition, the development of tools and data  
7 management techniques has also advanced dramatically. The  
8 development of digital systems is now data-intensive.

9 We have the potential, I would say more than before to  
10 get from trust to verify, where we can have a meaningful impact on our  
11 ability to develop and assure safety-critical systems that are also highly  
12 capable. There are things that can be done soon. The DO-178 family  
13 of standards is good evidence of that.

14 My remark is really how can we get to very high levels  
15 of capability for digital I&C and do that in a cost effective way. What's  
16 the mechanism to do that? As the speakers, everybody has noted,  
17 there's great opportunity for digital I&C.

18 So of course complicating this is the use of COTS  
19 components, commercial off the shelf. Also the rich supply chains that  
20 are now increasingly evident for digital systems; common cause  
21 failures, how do we define and assess diversity and security in the  
22 presence of increasingly sophisticated adversaries. Supply chain is  
23 important, especially when we have the diversity of suppliers.

24 Next slide, please. So I want to point out some of the  
25 software challenges we face. These apply in the general context, but  
26 also significantly for safety-critical systems. Some are less important

1 because we accept certain a priori constraints for safety critical. But  
2 we should recognize that we are doing that.

3 A general point about software. I would say for an  
4 extremely wide range of systems, software is the most significant  
5 building material of our age. Functionality is moving from physical and  
6 analog to digital for very good reasons.

7 But software is also the material of cybersecurity, the  
8 offensive and defensive weaponry are constructed from it, as are the  
9 assets we're trying to protect. The limits of software capability. Again  
10 as Darren Cofer has noted, derive from mathematical and not physical  
11 features.

12 There's a kind of unboundedness, such that as we  
13 aspire to greater levels of capability, we're very often able to get there.  
14 This up and to the right concept, which looks a lot like Moore's law but is  
15 a very different phenomenon, is going to continue through our lifetimes.

16 This is due to powerful languages, models, analysis,  
17 tools. But it's also due to our ability to assemble systems from  
18 components. This is why supply chain is a very important issue.  
19 Think about, for example, your mobile device. There are thousands of  
20 suppliers that contribute just to what's on one person's mobile device.

21 But our ability, I should say, also to do the modeling  
22 analysis to assure systems is also proceeding at a very rapid pace. It's  
23 just these two things are moving together. So there are very few  
24 categories of systems that are sort of genuinely not buggy.

25 Aerospace, particularly flight controls, is an exception  
26 to that because of the success of those standards. But we hold back

1 on functionality and capability in that context in order to meet those  
2 criteria, because software's abstract evaluation is a very different kind  
3 of proposition.

4 So I want to mention two other ideas on that first list on  
5 that slide. One is common cause failures. Of course we want to go  
6 after both sides of the risk product, reduce consequences through  
7 better modeling and analysis, but also likelihood through diversity and  
8 defense in depth.

9 The second point is continuous cyber attack. We  
10 have to recognize that, you know, we kind of focus on the network.  
11 That's where the adrenalin is flowing. It's like fire engines at the fire,  
12 fighting the fire. But really it's the fire codes; it's how we build things.  
13 It's the supply chain and insiders in fact as well that we have to focus in.

14 Regarding evaluation, on the slide I inventory some of  
15 the challenges of current practices. A lot of the standards help with  
16 quality, but they do not deliver quality, and you can read the list. You  
17 know, informal documents, a lot of reverse engineering, designs that  
18 are difficult to evaluate and heuristic practices.

19 But I want to move to the bottom of that slide, the  
20 business structures. There are many structures we've become -- to  
21 which we've become habituated in the mainstream practice. We  
22 cannot successfully evaluate a black box executable, you know, and  
23 get any kind of an assurance judgment. We need the transparency.

24 So if we're going to make use of COTS for safety  
25 critical, we have to gain that transparency. Again, this was discussed.  
26 And even when we have just the source code, really we're not able to

1 draw conclusions with confidence.

2 So let's go to the next slide, please. This just  
3 mentions some points of experience, related research projects, kind of  
4 analogous to Darren Cofer's slide. My point here is that the research  
5 focus is in a sense to push that tradeoff curve out, to get more safety  
6 and security with acceptable cost, but also gaining increasing  
7 capability. So this is kind of the long perspective.

8 So now let's move to the next chart. This is my last  
9 chart and my main point. Software development technology and  
10 infrastructure have evolved, I would say, to a point where we can do  
11 things in a different way.

12 There's a timeliness argument that I'm going to make.  
13 There are a lot of ideas that have been around for a while, but because  
14 of the evolution of the technology, including models, analyses, the  
15 treatment of data from development practices, we are able to take  
16 these ideas seriously.

17 The idea is to contemplate the creation of what we  
18 could call chains of evidence to support assurance claims. What I  
19 mean is an explicit linkage of dependencies that connect the models  
20 and the analyses and all the various -- the test cases and all the various  
21 other artifacts related to a system.

22 This linkage, even back to requirements and the safety  
23 and hazard analyses, can help us make that assurance judgment much  
24 more efficiently.

25 So as we build the systems, as we advance this  
26 development of evidence to the earliest stages of development, we

1 create an opportunity to make the evaluation process much more  
2 efficient, and therefore to enable upgrade and evolution, recertification  
3 also to be efficient.

4 Really what is contributing in a great way to this is the  
5 increasingly expressive models and evaluation methods, analysis  
6 methods that focus on software artifacts. Code obviously. The  
7 Google repository has a billion lines of code in it, tens of thousands of  
8 transactions a day. Virtually every transaction is recorded back  
9 through the fullness of time.

10 This is standard practice for the smallest through the  
11 largest software development teams. That's code configuration. The  
12 opportunity is to link in the models and the analyses that many of us are  
13 involved with, that pervade the DO-178 community, and to link those in  
14 with hazard and safety models and analytics, and create those  
15 dependency linkages and rationale structures.

16 In the past, many of these models and data were lost.  
17 They were in people's heads. They were on white boards. We pay a  
18 high price in reverse engineering to recover this. The big change is  
19 now we can express these efficiently and we can do analyses on that  
20 basis. Thank you.

21 CHAIRMAN BURNS: Well thank you all for your  
22 presentations. I'll start off with a few questions. I guess in terms I'll  
23 put first to 60 percent of the panel I guess, Mr. Coward, Mr. Connelly,  
24 Mr. Harmon, I'm trying -- in trying to understand some of the industry  
25 concerns, the nuclear industry concerns with where we are or where we  
26 might be going with digital requirements, but also it strikes me the

1 concern is not only the potential for a particular rule that we have before  
2 us, but it's also a question about disconnects, if you will, between where  
3 the existing framework is.

4 For example, and Mr. Coward you talked about the  
5 50.59 process, where is that -- how has that divergence come up,  
6 because I think you said, talked about in 2010 we thought we were sort  
7 of at the same wave length, but that's sort of grown apart.

8 Where are the biggest push points or pressure points  
9 in this needing to gain a sort of more common perspective?

10 MR. COWARD: Well I guess what I'm going to do is  
11 I'm going to defer to the guy who is nominally responsible for these, to  
12 give a better -- I could comment, but I'll let John give a few specific  
13 examples.

14 CHAIRMAN BURNS: Okay.

15 MR. CONNELLY: And feel free to jump in any time  
16 you'd like.

17 MR. COWARD: I will.

18 MR. CONNELLY: Common cause failure. That's  
19 current, you know, what we're currently working through right now for  
20 the NEI-101 task force.

21 You know, trying to understand or getting a common  
22 sense of understanding in terms of what are the initiators for common  
23 cause failure; what are the appropriate mechanisms for mitigating  
24 common cause failure? How do those translate into the designs that  
25 we're implementing?

26 Trying to get a common frame of reference, if you will,

1 for you know, what is the right way to deal with software or all forms  
2 of -- including software, all forms of common cause failure.

3 MR. COWARD: And I think a lot of it, Commissioner,  
4 Chairman, is there's different ways to look at this. Part of the challenge  
5 is we're talking about the application of -- by our standards new  
6 technology into these plants, right?

7 The rest of the world chuckles at us when we say that,  
8 but we're talking about the application of new technology and there's  
9 always going to be lessons learned and things that come up, where you  
10 -- from doing this one, the next one you're smarter and then you're  
11 smarter, then you're smarter.

12 I think one of the things that's happened is especially  
13 when you look at people considering safety-related projects, as well as  
14 some of the bigger non-safety related, all of us together haven't been as  
15 good as we could have been, at really, truly understanding those  
16 lessons, and quite frankly getting the kind of stream of projects that  
17 allows all of us to have some momentum as we're going forward.

18 You know, one of the ones we point to a lot is a plant  
19 that decided to do elements of digital upgrade in their feedwater  
20 system. That's not just the software, but some of the components, and  
21 through the process someone said hey, we can make this even better  
22 and not just control this glass, but we can control this glass and we can  
23 control this book.

24 That was a great idea, and they probably did a good  
25 project. But what they missed was they took a glass, a book and  
26 whatever my other prop was, the other glass that previously were three

1 independent, separate devices and connected them together in a way  
2 that even though it was a non-safety related project, and the --

3 I'll call the posture of the people doing it was to think  
4 this is just a balance of point, secondary system, non-safety related  
5 project to replace analog controls with digital, they created new  
6 potential failure modes that could affect multiple components at one  
7 time, and actually introduced some pretty good 50.59 questions, all  
8 right.

9 But because we didn't have all of us together, because  
10 we haven't had the stream of those projects going to learn together, and  
11 to share the lessons and to feed that back collectively together, it was a  
12 one-off, as opposed to occurring in a way that we all can embrace it.

13 So there's a lot of factors going on here, if that makes  
14 any sense.

15 CHAIRMAN BURNS: The part of it that's curious to  
16 me is whether -- and you touched on it -- the artifact in terms of the  
17 development over the years. I'll give you a personal example.

18 A representative, a company that also builds nuclear  
19 plants or designs nuclear power plants, but also does refrigerators, and  
20 it's not Westinghouse --

21 (Laughter.)

22 CHAIRMAN BURNS: -- basically told us when we  
23 were having some issues, they said, well, you don't have a refrigerator.  
24 You have a digital device. And it's very true. And he says, the  
25 problem was the software, it needed a software upgrade whereas you  
26 don't have -- and I'm wondering is our -- is the lexicon we use in terms of

1 regulation which was developed in -- I won't call it a pre-digital age, but  
2 in an age where it's more analog than it is digital?

3 There's something of how we talk about safety-related,  
4 important to safety, other things like that, doesn't quite fit.

5 MR. COWARD: I'm not sure if this is going to  
6 specifically answer your question, but I will tell you I do believe that the  
7 way we talk is a consideration. Because there are -- I like to use the  
8 phrase we've ended up using some interpretable words and some  
9 interpretable phrases.

10 And instead of having -- over the years there's been a  
11 number of instances where instead of having crisp, clear, rigorous  
12 three-way communication to confirm that what I just said to you, that  
13 you have the same exact meaning, understanding of it as me?

14 I say it, you nod your head and say, yeah, I agree with  
15 that. And we walk out of the room. We're convinced we just agreed,  
16 and the reality is we're like this (indicating).

17 And there's a cumulative set of a number of those over  
18 the last number of years, the last several years in particular where in the  
19 end, you know, people are excited about doing these projects. I mean,  
20 these are great, valuable, important projects that go to the basic  
21 infrastructure of our industry, our assets and the ability to continue to  
22 generate the important power we need and for this industry to be  
23 successful and to do it together.

24 So, people get excited and there's a tendency to just  
25 go. And it isn't, you know, and it isn't until they realize somewhere  
26 downstream that, oh, that touch point we thought we had at the

1 beginning, we didn't.

2 And I think -- I'm not sure if it was Darren or Bill, but one  
3 of them pointed out when you find those conflicts at the back end,  
4 they're a whole lot more disruptive, costly and distracting than they  
5 were up front.

6 And what's been happening -- again, I'll go back to my  
7 perspective more as the industry leader than the I&C guy trying to  
8 implement one of these projects. If I'm making a decision to do this, it's  
9 an expensive project, it's a potentially disruptive project, but very  
10 beneficial, you know.

11 When I see the collateral damage that a lot of these  
12 projects occur, when I see that, you know, at the, you know, four-lap  
13 race and on the third lap all of a sudden you have to add three more  
14 laps and the cost goes up and the schedule goes out and the next thing  
15 you know we're going back and forth to Rockville left and right, you  
16 know, just, you know, I'm not getting, you know, as long as my guys can  
17 keep buying stuff on eBay and Craigslist, I'm going to keep doing it.

18 And what I know is I know that we've just about  
19 exhausted that. And I know that, you know, my -- I apologize I got to  
20 four, you know, personally speaking one of the things I worry about a lot  
21 is the future of this industry is the people. All right. We need great,  
22 young, strong, technical people coming into this industry.

23 You bring the young people into these plants and they  
24 just look at you like what planet are you from? All right. You know, it  
25 doesn't excite them and they don't even know how to work with the  
26 stuff. The number of people left who can even work with these

1 systems is going down.

2 And I think you put all these things together, you throw  
3 them into one salad bowl, the kinds of thinkings or the kinds of attitudes  
4 that result all in good conscience, all with good intentions, we've been  
5 working in a way together where everybody is trying to do this and we're  
6 stubbing our toe enough.

7 And the executives who are watching us see the blood  
8 on the floor and they say, I want you to stop bleeding on the floor. And  
9 the best way to stop you from bleeding on the floor is to tell you to stop  
10 running.

11 And we need to collectively demonstrate to those  
12 decision-makers, all of us together, and I'm sure we can, that we can  
13 jog around this room without stubbing our toe and bleeding on the floor,  
14 and we can make these assets more valuable and improve safety and  
15 improve reliability. I'll stop.

16 CHAIRMAN BURNS: And sort of in that context, I'm  
17 going to turn to Professor Scherlis and Mr. Cofer, you talk a bit in the  
18 context of the airline industry and some of the transition there, but the  
19 evidence chain, you talk about evidence chains.

20 I mean, one of the difficulties I think for the  
21 regulatory -- a regulatory framework, and it's whether it's us, pharma,  
22 airlines, et cetera, is regulators to some extent are reactive. They are  
23 pro -- and they are proactive, but oftentimes reactive.

24 So, we're creating frameworks and certainties about a  
25 certain -- in some aspects, but what I'm hearing is that you in terms of  
26 the development and innovation that's going on and the rapidity with

1 which it occurs, there is somehow the balancing of understood criteria  
2 and flexibility for innovation that is good. The good type, if you will.

3 And I'm trying -- anything else you would like to add in  
4 terms of how do you do -- how do you achieve that kind of balance?  
5 How is it you are, in effect, allowed that innovation or in terms of doing  
6 that kind of testing, that kind of evidence chain building, if you will.

7 If I've made myself clear or coherent or -- I know it's --

8 DR. SCHERLIS: No, I think I understand your  
9 question, and there is a kind of a dilemma. On the one hand we want  
10 to avoid framework of standards that is over-prescriptive with respect to  
11 either the process that's followed or the structure of designs. But on  
12 the other hand, and, in fact, this goes back to Robert's remark, the  
13 earlier we engage with certain issues, the better.

14 And there's data, for example, from NASA some years  
15 ago with respect to software defects that shows that the difference -- if  
16 you find the defect shortly after it is injected, all right, the difference  
17 between that and finding the defect later in the life cycle is orders of  
18 magnitude of cost.

19 And when we talk about commercial software, it goes  
20 beyond that. Because once it's deployed, the cost of update is very  
21 high just to test. More than 200. And there's several studies that  
22 were done that kind of reinforce those numbers.

23 So, on the one hand we want to avoid  
24 over-prescription. But on the other hand, we want to make sure that in  
25 a development process the modeling and analysis and evaluation is  
26 done as early as possible.

1                   And so, one of the reasons why the idea of evidence is  
2                   appealing, is that we -- you could say it -- levy on the developer a  
3                   requirement to produce the evidence along with the artifacts that will  
4                   actually be executing in situ, but that evidence makes the evaluation job  
5                   straightforward.

6                   So, in a sense, we say to the developer within a very  
7                   broad framework of criteria, here's a body of evidence and the  
8                   argumentation to support it. And then you can come to an evaluation  
9                   judgment confidently and quickly.

10                  And the advantage of that is as systems evolve, the  
11                  incremental cost to update the system, for example, for changing  
12                  infrastructure or changing functionality enhancement, whatever it is,  
13                  that cost goes down, but we still have to live with that dilemma of how  
14                  much prescription.

15                  And I don't think that there's a necessary tradeoff. I  
16                  think we can be creative about what's the nature of the framework.  
17                  This has been done, for example, with respect to security practices.

18                  There's a security development life cycle developed by  
19                  two Microsoft people more than a decade ago. It's called the SDL.  
20                  Very widely adopted and it's really a framework of what practices to  
21                  engage in at what stage of an engineering activity, but it's not  
22                  prescriptive with how we actually conduct the engineering activity or  
23                  how we design the systems that are being engineered.

24                  DR. COFER: This tension that you mention between  
25                  innovation and regulation, it was very much in play when we were doing  
26                  our update to the DO-178 documents. The previous version of that,

1 version B, was published in something like 1992.

2 So, I mean, between then and when we did the next  
3 update starting in 2006, there's a lot of changes in the software industry  
4 that had to be addressed.

5 And in that committee involving both industry and  
6 regulators from Europe and the United States, FAA and EASA, the folks  
7 that have to receive this evidence from applicants and industry are  
8 asking how can I possibly review this material, because I haven't been  
9 trained to do this. How am I going to get my head around that?

10 So, one of our jobs in updating these guidance  
11 documents was to try to reach a common language for all of the  
12 different objectives that needed to be satisfied so that both the regulator  
13 and the applicant could point to the same piece of paper and say, okay,  
14 I understand that for this new technology, new-ish technology, this is  
15 what the evidence in satisfying this objective might look like.

16 And so, again, not being prescriptive, but trying to say  
17 this is -- this is what you should expect to see from an applicant if they  
18 are using this kind of tool, this kind of technology to claim that they're  
19 satisfying this objective. So, that's one thing we've done.

20 Indeed I think there is going to have to be some  
21 amount of education on the part of the regulators to come up to speed  
22 on some of these new technologies. And, again, these pilot studies,  
23 case studies that I've mentioned are also helpful.

24 CHAIRMAN BURNS: Okay. Thank you. Thanks  
25 very much. I appreciate the indulgence of my colleagues.  
26 Commissioner Svinicki.

1                   COMMISSIONER SVINICKI:     Thank you, Mr.  
2           Chairman.  And thank you to all the witnesses for their presentations  
3           today.  I find this conversation very valuable.

4                   I think it's interesting to reflect on some of the history.  
5           I joined this commission in a time in which it had been meeting as  
6           frequently as every six months on this topic of digital instrumentation  
7           and control.  And it's interesting to look at commission expectation, if  
8           you will, and direction to the NRC staff from 2007.

9                   This commission said the staff should proceed with the  
10          timely implementation of NRC's digital instrumentation and control  
11          project plan and the issuance of interim guidance recognizing that the  
12          staff will continue to work with the stakeholders to refine the guidance,  
13          to address the existing issues within each of the six working groups,  
14          and to risk inform the regulatory framework for digital I&C.

15                  I'm sure as they issued that direction they felt they had  
16          it all tied up in ribbons and bows.  As we wind down to year 2015 and,  
17          you know, get close to within 18 months of when -- the ten-year  
18          anniversary of that direction to the NRC staff, it's interesting to go back  
19          even further to a policy paper written to the Commission in the year  
20          1993.

21                  So, let's go back 22 years and the staff was talking  
22          about an issue we just talked about today.  I'm sure it felt just as  
23          contemporary.  Defense against common mode failures in digital I&C.

24                  In 1993 the staff wrote recently, so you have to  
25          remember again this was 22 years ago, increased attention has been  
26          given to detailed assessments of the integrity of software applied to

1 safety-critical functions. These assessments have covered a broad  
2 range of applications including computer-based medical treatment  
3 facilities, computer-based fly-by-wire aircraft control systems and  
4 nuclear power plant protection systems.

5 The staff found a consensus among computer science  
6 and software engineering experts that such safety-critical applications  
7 should be backed up by some system not based on software.

8 The experts base this opinion on the facts that the  
9 quantitative estimate for the reliability of I&C systems based on  
10 high-integrity software cannot yet easily be determined.

11 And Professor Scherlis is laughing at this, because it  
12 seems in your field 22 years ago it's ancient history.

13 But, you know, as I sit here today and we have  
14 representatives who have spoken to aviation, there's been mention of  
15 pharma and pharmaceuticals and the medical community, I sit here as  
16 a part of the nation's nuclear regulator saying, well, in '93 the staff  
17 assessed that all these sectors were in the boat together.

18 It's my observation that these other sectors, medical  
19 technology, we may not be in that profession, but we're pretty much all  
20 patients. I'm looking at the age demographic in the room. We're all  
21 patients now. So, I find -- I don't find a lot of analog anything in a  
22 doctor's office or a hospital setting. So, they passed us by.

23 And as one of millions of Americans who will next week  
24 get on an airplane to spend holidays with family and friends and loved  
25 ones, the quality of my colleagues' work at the FAA matters a whole lot  
26 to me as I enter that small metal tube and get flung through the

1 atmosphere.

2 So, I'm assuming that the quality -- nuclear is special,  
3 we say that around here a lot, but it isn't so special that it can just lay  
4 itself aside from solving the problem of 1993's paragraph.

5 So, my one question to anyone, any soul brave enough  
6 to answer this question is, you are the doctor and we are the nation's  
7 nuclear safety and security regulator. I bring you in. Diagnose for me  
8 why the others, you know, moved past this issue and we have not.  
9 And then prescribe the cure for me on that.

10 And I know for those of you in nuclear business, this is  
11 touchier for you to be honest about this one, but I'm wondering -- and  
12 please opine whether is it fundamentally a mindset and a paradigm  
13 shift? Because I do agree and have had plain talk with the NRC staff  
14 that if you view digital's introduction as introducing only vulnerability and  
15 no benefit, your inclination as a safety regulator will be to write the most  
16 prescriptive regulation.

17 And I would, you know, postulate to you that in the  
18 paper that Commissioner Ostendorff and others have talked about on  
19 IEEE 603-2009, the conditions in there represent the instinct of safety  
20 professionals to say I prohibit whole sets of types of systems  
21 architecture, I prohibit in its entirety two-way communications between  
22 certain types of systems.

23 That is my inclination if all I care about is safety and not  
24 generating megawatt hours or anything else. So, but these other  
25 groups conquered that instinct somehow.

26 These other regulators conquered it. What did they

1 do?

2 MR. COWARD: Can I comment on that and tell you  
3 why?

4 COMMISSIONER SVINICKI: Yes.

5 MR. COWARD: At NPR, about seven, you know, I  
6 think most people know NPR was founded by the three chief guys  
7 working with Rickover. So, we've always been primarily a nuclear  
8 energy company. We remain a nuclear energy company. About 70  
9 percent of our business is nuclear.

10 About 20 percent of our business is for the medical  
11 device community, the medical -- doing medical product development.  
12 Some other time I can tell you how we ended up there.

13 But as president of NPR, I have oversight of that as  
14 well and I tend to go to some of their industry meetings and meet with  
15 other executives. And I tell the story all the time about how if you look  
16 at that industry, heavily regulated, heavy quality programs, they put  
17 stuff in people, all right.

18 And you go to their meetings and all you feel in the  
19 room is a spirit, you feel it, of the innovation, the moving forward  
20 perspective. They have figured out within the context of a heavily  
21 regulated industry with rigorous and onerous quality programs, they  
22 have figured out together how to move forward.

23 We're doing at NPR right now, we are designing for a  
24 customer an artificial pancreas. One of the first, all right. It's  
25 software-controlled, all right.

26 There are times when it seems like the expectations

1 and the rigor and the requirements and the burden, it's more of a feel  
2 than it is the paper, the feel for how to do some non-safety-related MSR  
3 controls in a nuclear power plant -- I'm not putting down an MSR, but  
4 the non-safety-related MSR controls in a nuclear power plant feel like  
5 they carry a heavier burden than doing the software which is going to  
6 control this artificial pancreas that if it goes bad for five minutes, it will  
7 kill somebody.

8 And I think that my comment to your question is, and  
9 it's a place where all of us can work together on the vendor side, the  
10 licensee side, the regulator side, the opportunity we all have in front of  
11 us is to revisit and work on our culture and to not let the pursuit of  
12 perfection prevent us from making progress.

13 Because I personally believe we've wandered into a  
14 place where the pursuit of the perfect digital I&C platform and system in  
15 a nuclear power plant has led us to leave the existing systems in the  
16 plant and actually increase the risk right now.

17 I believe numerous -- I'm not saying unacceptable risk,  
18 but I think the overall risk right now is actually higher than it would be if  
19 we replaced the systems.

20 And I think we have to overcome together, the leaders  
21 of the industry, that cultural barrier that says we have -- we're nuclear, it  
22 has to be perfect.

23 And I'm not saying accept less than perfect, but what  
24 I'm saying is we have to convince ourselves and those around us that it  
25 is okay to move forward if it's going to make us better.

26 COMMISSIONER SVINICKI: Thank you. Would

1 anyone else like to comment? Particularly those of you from maybe  
2 more outside the nuclear industry.

3 DR. SCHERLIS: So, let me try this. And I think  
4 Darren may have more authoritative comment on the first part of my  
5 remark, which is maybe partnering with other safety-critical industries  
6 would be helpful. Aerospace embedded medical devices and NASA,  
7 for example, which has similar issues more focused on reliability.

8 The practices that are emerging in those industries, the  
9 kinds of models, the kinds of analyses, the technical means, the tooling,  
10 all that's to advantage. And as part of that, promote innovation.

11 That could mean partnering, for example, with some of  
12 the NITRD agencies. NITRD is the Networking and Information  
13 Technology Research and Development Coordination Activity out of  
14 the National Science and Technology Council, which involves about a  
15 dozen agencies who are all involved in investing in technical innovation  
16 related to IT and networking.

17 Partnering with them as a kind of a receptor of their  
18 technologies to do pilot projects could be very helpful and at least  
19 getting an understanding of what's possible and where things might go.

20 But on the other hand, I think it's important to kind of  
21 stare down some of the existing industry norms in a COTS world, which  
22 are really adverse.

23 If you look at a license for a typical COTS product, it  
24 really has two provisions. One is it does what it does, and it doesn't do  
25 what it doesn't do.

26 COMMISSIONER SVINICKI: And it doesn't start on

1 fire like those hoverboards.

2 DR. SCHERLIS: Right. It's as is. It's as is. The  
3 license actually has those two words in it, "as is." And the second is  
4 don't look, which is to say you may not do penetration testing or any  
5 kind of activity that may look like reverse engineering.

6 This is the norm for many licenses in the world of  
7 COTS. And that's a challenge if we want to embed those things,  
8 because then we have to make special relationships with those  
9 vendors.

10 And so, we've become habituated in a sense to  
11 accepting the presence of a large number of defects, but that's not a  
12 universal fact. There are many systems where we really achieve an  
13 extremely high level of quality and we're able to assess that pretty well.

14 And so, I think the idea on the one hand partnering,  
15 and the other hand sort of actively engaging with the innovative  
16 community as a client. People get excited by the applications and the  
17 challenges and create a kind of innovation culture.

18 That doesn't mean that those innovations are going to  
19 kind of transition right into the current set of systems, but at least we get  
20 a sense of, okay, as we look towards the horizon, what's the right vector  
21 for us to be on and how can an understanding of that vector and  
22 participation in that process help guide rulemaking in a way that will  
23 make more opportunities available to the industry so that the kinds of  
24 things that are happening with medical devices that Robert just  
25 described are possible for digital I&C.

26 COMMISSIONER SVINICKI: Well, I'm over my time.

1 So, I'll leave it to my colleagues to pick up on the thread of that if they're  
2 interested. Thank you.

3 CHAIRMAN BURNS: Thank you. Commissioner  
4 Ostendorff.

5 COMMISSIONER OSTENDORFF: Thank you,  
6 Chairman. Thank you all for your presentations. They were very  
7 enlightening and extremely helpful for us.

8 About a year and a half ago I went to visit a nuclear  
9 power plant in Region II. I'm not going to mention the plant, but  
10 basically the chief nuclear officer for this fleet told me that because of  
11 regulatory uncertainty he was directing his staff not to proceed to go  
12 from analog to digital automatic voltage regulator for emergency diesel  
13 generator.

14 A few months ago I was visiting a plant in Region I and  
15 I was dismayed when the -- it's an operating plant and the plant  
16 manager told me that, yes, I asked him to show me signs of where  
17 you're upgrading your instrumentation. And he said, well,  
18 Commissioner, we're upgrading this. I've directed my engineering  
19 staff to go reverse engineer this existing analog component to build a  
20 new analog component. That was not an encouraging message.

21 Earlier this year in March 2015 during our annual  
22 Regulatory Information Conference, I sat on the industry and staff  
23 group along with John Thorp over there. John was in there from NRR.

24 There was about 50 or 60 people in this room. Steve  
25 Arndt was in there from NRC staff and there was others I'm not able to  
26 put my eyes on. And our staff, I think, was pleading for industry to

1 submit some more pilots, examples, upgrade requests to the NRC to  
2 give us some more run time to demonstrate success.

3 And it was not a warm and touchy-feely atmosphere on  
4 that topic. And a lot of hesitancy to do that because of prior  
5 experiences.

6 And I appreciate, Robert, your comment that, you  
7 know, you think some of the misinterpretation and some of the staff  
8 versus industry assigning different meanings to the same phrase, et  
9 cetera, not assigning blame to anybody, any organization, that's not  
10 constructive.

11 I support your comment that, you know, I think I  
12 support it where our staff has been. Send us something to do. Send  
13 us something to look at here.

14 And John Lubinski there who we'll hear in the next  
15 panel, is nodding his head. But I worry that without a commitment to  
16 some contextual example, you know, these kinds of components that  
17 have some nuclear industry applicability that there's an interest and  
18 incentive to move forward on that creates a lot of interest, I don't see us  
19 getting any -- making much progress. So, how can industry and/or  
20 staff work together?

21 And I'll also note the -- you got a roadmap, NRC's got a  
22 roadmap, they're not the same roadmap. There needs to be some  
23 convergence there to work towards some common outcomes that  
24 industry and staff can agree to. So, I'm going to stop there and let you  
25 guys comment.

26 MR. COWARD: Yeah, I think just a quick comment.

1 I think we have talked a couple times with your staff. And I think even if  
2 we don't end up with one roadmap, I think the vision is to end up with  
3 collaborative roadmaps that will feed off of each other and work  
4 together.

5 And I think the challenge to us, and this is the  
6 challenge to the NEI working group, the challenge to your staff from the  
7 chief nuclear officer meetings I've been in, I think there is a long list of  
8 people eager to submit the second application.

9 COMMISSIONER OSTENDORFF: Okay.

10 MR. COWARD: You know, they're waiting for  
11 someone to pay to learn the lessons. And what we have to figure out  
12 together is how can we give someone the comfort that it's not going to  
13 be as bad as he thinks and it's worth the investment and that everyone  
14 will be responsive together and get it through in a way that it's  
15 successful for that plant and the others that will fall in right behind it.  
16 And that's part of the theme of our roadmap.

17 COMMISSIONER OSTENDORFF: Well, I sincerely  
18 believe NRC staff wants to receive these applications. I know they do.  
19 And so, they're anxious and eager to work on it. They seem to be  
20 given an opportunity.

21 Did you want to say anything, John?

22 MR. CONNELLY: I did. So, we have had  
23 discussions about the roadmaps, both the NEI roadmap and the NRC  
24 roadmap, and they're not inconsistent with each other. I mean, there  
25 are large degrees of continuity between them and obviously we'll have  
26 to -- there will have to do some adjustment or refinement there.

1                   You kind of alluded to it earlier that -- I can give a  
2                   representative example. So, when faced with -- in the Westinghouse  
3                   world, the pending obsolescence of solid state protection system circuit  
4                   cards, okay, there's kind of a fork in the road there.

5                   We could go down the path of a full-blown digital  
6                   upgrade similar to what Oconee did, or we could go with fit, form and  
7                   function upgraded cards by the OEM.

8                   They were -- the initial system or the original  
9                   construction system was highly reliable, has proven for decades its high  
10                  reliability, but the newer circuit cards were even better and addressed  
11                  obsolescence issues.

12                  So, to my knowledge every licensee in the United  
13                  States elected the path of in-kind upgrades versus a large-scale  
14                  modernization project just because there is very -- it's a very low-risk  
15                  profile.

16                  I think what you're alluding to is, you know, we'd like to  
17                  see more of Oconee-like projects. But until we have some run time  
18                  with the processes and people can feel more comfortable about the risk  
19                  profile that attaches to that, it's not likely that licensees will be, you  
20                  know, that we will be submitting projects like that to the staff. It's  
21                  just -- it's a -- we're a naturally risk-adverse industry and rightly so.

22                  COMMISSIONER OSTENDORFF: Okay. I'm just  
23                  going to make a comment with you, John. Your Slide 2 that shows the  
24                  historical performance for digital feedwater turbine controls, that was  
25                  extremely helpful.

26                  And I'll tell you I was talking to a couple of the

1 commissioners here in advance of this meeting and I don't think I've  
2 ever seen that kind of an articulation of a safety benefit. And I think it's  
3 very helpful for us to be able to see, because it helps put it in the  
4 broader context.

5 And I think Commissioner Svinicki hit this point earlier  
6 about how do we look at the overall safety benefit, not just is this  
7 independence attribute or this common cause failure attribute met in a  
8 more compliance method, but what are the benefits of this. And so,  
9 thank you for bringing this to the table.

10 MR. CONNELLY: You're welcome.

11 COMMISSIONER OSTENDORFF: Daryl, I thank you  
12 for you presenting dual-hatted Westinghouse and IEEE. And I've got  
13 about eight questions for you all. I don't have time to deal with all of  
14 these, but let me just ask you a couple of them.

15 MR. HARMON: Okay.

16 COMMISSIONER OSTENDORFF: When is the next  
17 update due for IEEE 603?

18 MR. HARMON: I think the -- as I mentioned, the  
19 working group currently has a PAR. They started work on it this year.  
20 The -- I think the expectation is that it could be issued in early -- or  
21 sometime in 2018. So, that would be the next issuing of the standard.

22 COMMISSIONER OSTENDORFF: On your  
23 Westinghouse hat --

24 MR. HARMON: Okay.

25 COMMISSIONER OSTENDORFF: -- you obviously  
26 do a lot of business overseas.

1 MR. HARMON: I do mostly overseas.

2 COMMISSIONER OSTENDORFF: Yeah. So, how  
3 would you characterize the high level of the different regulatory  
4 requirements for digital I&C for existing nuclear power plants or new  
5 plants between what you're seeing overseas and what the NRC is being  
6 requiring?

7 MR. HARMON: The two -- the experience that I have  
8 overseas is primarily in South Korea and now in the United Arab  
9 Emirates. Would say KINS in South Korea quite closely follows what  
10 the NRC does, how they use IEEE standards.

11 South Korean regulations are also based on IEEE  
12 standards and I would say they relatively closely follow what the NRC  
13 does.

14 In the UAE it's a little unique because FANR is a new  
15 regulatory organization. My experience so far with them is that they  
16 have regulators from many diverse backgrounds. It's like the,  
17 somewhat, the United Nations in FANR.

18 So, they have some different perspectives. Some  
19 certainly U.S.-based and it's still IEEE-based primarily, but there's other  
20 perspectives that are brought to the table. So, I would say they may be  
21 a little more diverse in terms of their regulatory perspectives.

22 We're a little bit, you know, we're still early in the UAE  
23 nuclear industry. So, may be a little hard to tell.

24 COMMISSIONER OSTENDORFF: Okay.

25 MR. HARMON: Does that help?

26 COMMISSIONER OSTENDORFF: It does. Thank

1 you. Last question for our two final witnesses here. The general  
2 context, you know, from your experience in your respective  
3 communities and I think really adds a lot of value for us to hear how  
4 others look at these issues. So, thank you for doing that.

5 Testing and evidence, how should we as a regulatory  
6 body use the existing digital instrumentation control experience, some  
7 of which was highlighted on John's slide for feedwater and turbine  
8 control, how should we use that as evidence to look at things such as  
9 common cause failure or software failure modes?

10 Run time, you know, years of experience,  
11 reliability-type studies.

12 DR. COFER: Yeah. So, this is -- it's somewhat of a  
13 religious debate in how you assess the reliability of --

14 COMMISSIONER OSTENDORFF: That's why I  
15 asked the question.

16 DR. COFER: -- software. And in terms of my  
17 denomination in that particular argument, I don't believe in treating  
18 software probabilistically, because it's not. It's pure design. It doesn't  
19 behave probabilistically.

20 That doesn't mean to the -- it's affected by its  
21 underlying hardware, its inputs which are probabilistic. And so, we  
22 have -- we can -- if we can, you know, make that distinction between  
23 software, which is pure design just analogous to a mechanical design,  
24 and then the underlying physical process is that influence, then that  
25 gives us a basis for having a proper science of reliability.

26 That being said, there's different approaches to how

1 you deal with software common cause failures.

2 In our industry, we have typically relied on diversity so  
3 that it -- but it varies a lot depending on the regulatory organization,  
4 even which FAA office is doing the certification, the OEM, the airframer,  
5 the manufacturer of the equipment. Everybody has different ways of  
6 doing things to try to show that they're safe, but ultimately they have to  
7 perform a safety analysis as you would in your industry to demonstrate  
8 the required reliability.

9 But it is very common to if you have two cross-checking  
10 channels, to require different microprocessors so that the executable  
11 then is different and you have some assurance hopefully that will fail in  
12 different ways.

13 That said, there are also studies that show that if you  
14 build things from the same set of requirements, you can end up with the  
15 same errors being programmed in. So, it's not a magic silver bullet in  
16 any sense.

17 And there's also others that have shown that you would  
18 be better off focusing all your attention to develop one piece of  
19 software, one common piece of software for redundant channels that  
20 you put all of your effort in and you have the highest level of assurance  
21 in rather than splitting that effort into multiple development efforts and  
22 possibly having errors in those redundant channels.

23 I don't think there is a conclusive answer to that yet.  
24 Personally I think because of the tools and methods that we have  
25 available to us now, I would lean towards trying to make sure that the  
26 software is -- you focus all your attention on the one software, getting

1 the software right and then probably having some degree of  
2 architectural dissimilarity where you might have a separate sensor, a  
3 separate backup to try to cross-check it.

4 I'm not sure if that answered your question, but --

5 COMMISSIONER OSTENDORFF: I appreciate that.  
6 Dr. Scherlis, do you want to add anything there?

7 DR. SCHERLIS: I agree with what Darren has said.  
8 There's a danger in applying probabilistic models and doing Bayesian  
9 arithmetic on software components, but the environment in which the  
10 software operates does have physical characteristics.

11 And so, the software is responding to the models -- the  
12 software has got to be designed, rather, to respond to the way we  
13 understand the models, the environment and, in fact, software is  
14 discontinuous.

15 There's a famous old story, an old, old NASA story in a  
16 Fortran program, a period which was supposed to be a comma. And  
17 on those old line printer outputs, it's kind of hard to tell the difference  
18 and that fundamentally changed everything about how that code  
19 operated.

20 So, recognizing that and building the models and then  
21 building the software to respond to those models, that's Point 1.

22 Second is with respect to diversity it is a hard problem.  
23 I agree with what Darren said. You can look at lots of different  
24 dimensions of diversity, the algorithms, the choice of language, the  
25 choice of infrastructure and tooling, the hardware, the people who do  
26 the development.

1                   But if they're building to the same spec, and this is an  
2 old result, then we don't get as much variance as we're looking for.  
3 And so, really play to both sides of the risk product, really work hard to  
4 get the instance correct.

5                   And that may mean pushing simplicity into the design  
6 in order to get that and getting enough evidence and doing the  
7 mathematical reasoning. That's kind of where we are, as I understand,  
8 with flight controls to a great extent. But if we do go diverse, let's do  
9 that kind of multi-factorial analysis of all the dimensions. Make sure  
10 we understand how to get as much dimensionality as we can and then  
11 try to define measures within those dimensions.

12                  There's no -- I don't think there's a simple answer to this  
13 question of CCF, but I -- it's not an impossible problem either.

14                  COMMISSIONER OSTENDORFF: Thank you.  
15 Thank you all.

16                  CHAIRMAN BURNS: Thank you, Commissioner.  
17 Commissioner Baran.

18                  COMMISSIONER BARAN: Thanks. I want to start  
19 off by thanking Dr. Cofer and Dr. Scherlis for being here. It's really  
20 helpful to get a broader perspective.

21                  You know, there are some issues we have here that  
22 are really truly exclusive to the nuclear sector, but digital  
23 instrumentation control really isn't one of those issues. And it's  
24 something that other industries where safety is critical have grappled  
25 with. So, it's very helpful to get that perspective.

26                  Let me turn to this side of the table though for a minute

1 and ask -- I want to focus a little bit on IEEE 603, the standard and the  
2 conditions that the staff has added to the original standard and get a  
3 better understanding of the views and concerns about those.

4 So, as Mr. Harmon pointed out, this was an industry  
5 consensus standard, the core standard was. I want to just make sure  
6 we're all kind of on the same page in terms of understanding how much  
7 of the concern you all have expressed about where that proposal is now  
8 is related to the conditions.

9 I guess another way of putting that is does everyone --  
10 does NEI, does Exelon, does Westinghouse, would you all support  
11 incorporating by reference the standard if their conditions weren't fair?

12 MR. COWARD: I believe the answer is yes.

13 COMMISSIONER BARAN: You would support  
14 incorporating it without the conditions.

15 MR. HARMON: I would agree with that, too. What's  
16 been expressed to me is most of the concern is with the conditions and  
17 going beyond what the standard imposes or has for criteria.

18 MR. CONNELLY: As would we. The only concern  
19 that I would express is that, you know, because there is this large sea of  
20 standards, that introducing yet another change into that environment  
21 may ultimately be counterproductive, you know.

22 We're probably better served to iron out these major  
23 issues, you know, the application of 50.59 dealing with common cause  
24 failure and so forth, get those issues ironed out before we introduce yet  
25 another variable into it.

26 COMMISSIONER BARAN: Well, let me follow up on

1 that aspect of it, because I was interested in that point when you made it  
2 originally in terms of, you know, trying to get our arms around a lot of  
3 issues here. Can't we just hold this constant while we work on these  
4 other things?

5 And I'd like to get your thoughts on this, which is, you  
6 know, we've talked a lot about innovation, how much things have  
7 changed, and those standards are from 1991. The standard is 25  
8 years old.

9 Isn't it outdated? Don't we need to update the  
10 standard? Can we really -- can we really afford to hold this variable  
11 constant and have it use a standard that's 25 years old?

12 MR. HARMON: Well, from the IEEE's perspective,  
13 we did approve a standard back in 2009. And again we're working on  
14 it now. Certainly a 25-year-old standard with the way technology has  
15 improved could have some question.

16 Although it is a fairly high-level standard in terms of  
17 safety system criteria, it would seem the 2009 standard may be better  
18 suited and there's still improvements.

19 Some of the things we've learned from the rulemaking  
20 activity that are now being factored back into IEEE 603 that will be the  
21 next standard, but it would seem that one might want to move forward.

22 I'm not as familiar with the 50.59 aspects and other  
23 possible influences or things that will happen to the overall regulation  
24 that --

25 COMMISSIONER BARAN: Well, let me ask about  
26 this: In terms of the conditions that the staff have added to this and are

1 proposing, proposing to propose, my understanding is that several of  
2 those conditions are currently in existing guidance that we have.

3 So, these aren't, for the most part, new expectations.  
4 Some of this is moving things from current regulatory guidance into  
5 regulation.

6 First of all, do you think that's an accurate  
7 characterization? And if so, what's the concern about, you know, kind  
8 of the same expectations being shifted from guidance to the regulation?

9 MR. COWARD: Let me start and then you please fix  
10 me. I think the spirit of your comment or question is on track. I think  
11 part of it is what is the right place for the existing guidance to land and  
12 what is the right forum to put it in, what is the right kind of document,  
13 what is the right use?

14 And the potential to set what a number of people in the  
15 industry think would be sort of some bad precedent, that they just don'  
16 think it belongs where they're trying to put it, you know, that's a big part  
17 of it.

18 And I think the other big part of it is the, you know, all of  
19 us in nuclear tend to be fairly clear, logical thinkers with a heavy  
20 technical bend. And the idea of ending up with what are essentially  
21 different criteria for Byron or the plant that might get built at Turkey  
22 Point, just doesn't seem to make sense to us.

23 COMMISSIONER BARAN: Well, let me follow up on  
24 that just for a second, because this is one of the points that was made,  
25 which is there's a concern about having a different set of requirements  
26 for existing plants and new plants.

1                   But in our regulatory framework we have several areas  
2                   where there are requirements that differ for new versus existing plants,  
3                   probabilistic risk assessment, severe accidents, management  
4                   guidelines and other things where it's not the same.

5                   Are they really similarly situated in this case? Is there  
6                   really a problem with having different requirements for existing plants  
7                   and new plants that you factor in kind of the ability, and maybe this is an  
8                   oversimplification of, you know, designing around some of these  
9                   problems for a new plant.

10                  MR. COWARD: And I think that our perspective  
11                  would be along the lines of we agree there's numerous areas where  
12                  you're going to have different requirements and different processes.  
13                  This isn't one of them.

14                  COMMISSIONER BARAN: Okay.

15                  MR. COWARD: This is sort of core, underlying, basic  
16                  design philosophy that we would expect to be the same everywhere.

17                  COMMISSIONER BARAN: Going back to kind of the  
18                  conditions and whether it's more appropriate to have some of these  
19                  concepts in regulation, some of the concepts in regulatory guidance, I  
20                  get the sense, and we'll have a staff on the next panel, we can explore  
21                  this, that part of this is a disagreement about, well, how do you have  
22                  greater clarity in the requirements and greater regulatory certainty.

23                  And you read the staff paper and their view is, well, you  
24                  wanted greater clarity. Here it is. We're putting conditions in the  
25                  regulation. What can be clearer than that?

26                  But I take it that your view is, well, having that kind of

1 level of detail in the regulations isn't -- doesn't result in regulatory  
2 stability or certainty. It's something that would be an obstacle to  
3 improving the -- improving the licensing for digital upgrades.

4 Can you talk a little bit about that? Why is there this  
5 disconnect about the level of specificity that should be in the regulation  
6 versus in the guidance? And why is additional specificity in the  
7 regulation?

8 If it's performance-based at least, why is that an  
9 obstacle to progress in this area? That's a lot all in one question, but,  
10 you know, it's kind of a general theme, I think, here.

11 MR. HARMON: I think one of the things that at least  
12 we see is that the Code of Federal Regulations is typically technology  
13 neutral. It doesn't specify implementations.

14 Some of the conditions I think such as hard wiring  
15 certain signals, the one-way communication as opposed to defining  
16 criteria for data communications and when you could have bidirectional  
17 communications as previously specified, I think those are the things  
18 that kind of react to and believe that those may limit us and make it  
19 more difficult to implement some of the solutions we're trying to  
20 implement.

21 COMMISSIONER BARAN: So, from your point of  
22 view, and we'll get the staff's view on this, too, some of these conditions  
23 aren't really performance-based, they are prescriptive from your point of  
24 view and it's going to limit particular technologies.

25 MR. HARMON: Yes.

26 COMMISSIONER BARAN: Okay. I think I'll stop here.

1 This is helpful. I've gained a better sense of the views and the  
2 concerns about this and it's good for kind of starting discussion with the  
3 staff on the next panel. Thanks so much. Appreciate it.

4 CHAIRMAN BURNS: Okay. Thank you,  
5 Commissioner. I want to thank again the panel for their presentations  
6 this afternoon. It's been very rich discussion. And with that, we're  
7 going to take a break.

8 Let's reconvene at five to 3:00 and we'll hear from the  
9 staff panel at that time. Thank you.

10 (Whereupon, the above-entitled matter went off the  
11 record at 2:48 p.m. and resumed at 2:57 p.m.)

12 CHAIRMAN BURNS: We'll come back to order.

13 I would ask folks in the audience, I feel like I'm at the  
14 theater, but to silence your cell phones and electronic devices,  
15 particularly appropriate since we're talking about digital things today.  
16 But, I've heard a couple of them, ring-a-ding-dings today, so if you  
17 would do that, I would appreciate it.

18 We'll proceed with the second half of the meeting, the  
19 presentation of the staff who will provide background on NRC Digital  
20 Instrumentation and Control Activities including recent lessons learned  
21 and we'll discuss the proposed rule that's in front of the Commission  
22 and incorporate by reference the IEEE 603-2009 Standard and other  
23 issues that may be relevant to this topic.

24 So, I'll call on the Executive Director for Operations, Vic  
25 McCree to begin.

26 MR. MCCREE: Good afternoon, Mr. Chairman,

1 Commissioners.

2 We're here this afternoon to discuss our efforts to  
3 continue to improve the licensing of digital instrumentation and control  
4 systems for commercial nuclear power plants in the United States.

5 We'll discuss the proposed rule currently before the  
6 Commission to incorporate by reference the IEEE Standard the  
7 603-2009 into the NRC's regulations.

8 We'll also provide the Commission with a summary of  
9 other key activities that we are pursuing.

10 The NRC is a learning organization and we're focusing  
11 on addressing emergent challenges in the area of instrumentation and  
12 control technology.

13 We're committed to ensuring safety while achieving a  
14 stable, consistent and predictable regulatory framework consistent with  
15 our principles of good regulation for use of digital instrumentation and  
16 control systems.

17 With me at the table today are John Lubinski, Acting  
18 Deputy Office Director for Engineering, Office of Nuclear Reactor  
19 Regulation, to his right, Richard Stattel, Senior Electrical Engineer also  
20 from NRR, to our left, John Tappert, the Director of the Division of  
21 Engineering, Office of New Reactors and Deanna Zhang, Senior  
22 Electronics Engineer, also from the Office of New Reactors.

23 Next slide, please?

24 I'd like to note that our presentation today has a deeper  
25 level of detail than our normal presentation at Commission meetings,  
26 but it's in an attempt to be responsive to the questions that I know that

1 you're interested in hearing us respond to.

2 We will begin our presentation with a short discussion  
3 of the unique issues associated with Digital I&C and a brief history of  
4 recent efforts.

5 We'll also discuss lessons learned from other  
6 industries from licensing experience in the United States and regulators  
7 from other countries.

8 We'll discuss the efforts of the NRC Digital  
9 Instrumentation and Control Steering Committee and the industry's  
10 Digital Instrumentation and Control Working Group that developed  
11 interim guidance for the implementation of digital systems in the late  
12 2000s.

13 We'll also discuss our continuing efforts to use the  
14 interim guidance to improve the licensing of digital systems.

15 We will then discuss in some detail the proposed  
16 rulemaking that's currently before the Commission.

17 And, we will conclude our presentation with a  
18 discussion of other key efforts that we're engaged in to continue to  
19 improve to improve the licensing of digital system.

20 Digital technology provides significant advantage over  
21 earlier analog or relay-based systems as mentioned during the industry  
22 panel.

23 However, with these advantages have come new  
24 challenges. We recognize that added functional capability of these  
25 systems as well as new design development and testing methods have  
26 outpaced our regulatory guidance.

1                   The use of IEEE 603-2009 is just one aspect of  
2 addressing the potential challenges with digital instrumentation and  
3 control systems. We recommended in our SECY 15-0106  
4 Commission approval to publish for comment a proposed rule that  
5 incorporates the standard.

6                   We're also developing an action plan to support the  
7 continued improvements and plan to work with key external  
8 stakeholders on these activities.

9                   The priorities in the action plan include improving the  
10 licensing processes based on lessons learned from past and current  
11 reviews and working with industry to address concerns with licensee  
12 implementation of plant digital modifications using the 10 CFR 50.59  
13 process.

14                   The significant challenged addressed in the action plan  
15 is the use of identical software across redundant safety channels that  
16 could potentially defeat this redundancy and lead to common cause  
17 failure.

18                   As Commissioner Svinicki noted earlier in a 1993 Staff  
19 Requirements Memo, the NRC position on software common cause  
20 failure was established and it is today still the Agency's policy in this  
21 challenging area.

22                   However, we do believe it prudent to take a fresh look  
23 at the NRC position on needed diversity to address the potential for  
24 common cause failure. And, we plan to coordinate our efforts in this  
25 area with our external stakeholders.

26                   I will now turn it over to John Tappert to discuss our

1 experience with digital system review and efforts to improve the  
2 regulatory process.

3 John?

4 MR. TAPPERT: Thank you, Dick.

5 Next slide, please?

6 To begin with, digital technology is unique from analog  
7 technology. Specifically, digital systems involve the execution of  
8 application software and instruction are logic to perform system  
9 functions.

10 The flexibility of digital technology offers many benefits  
11 to address some of the reliability and maintenance issues with analog  
12 technology.

13 Although digital technology offers benefits, the unique  
14 hazards associated with the use of digital technology should be  
15 considered.

16 Examples of such hazards include difficulty in  
17 achieving deterministic behavior, inability to fully test the system,  
18 difficulty in achieving communications and dependence and potential  
19 for latent errors in software that could result in software common cause  
20 failures.

21 To utilize this technology, the applicant must  
22 demonstrate that these systems will operate reliably to ensure the  
23 safety of the plant under normal and accident conditions.

24 This includes ensuring that systems provide a  
25 sufficient level of diversity and defense-in-depth, commensurate with  
26 the potential consequences of failure.

1 Next slide, please?

2 Digital systems were initially deployed in the nuclear  
3 industry in the 1980s. In response to our early experience, in the late  
4 1990s, we issued licensing guidance documents and staff review  
5 guidance covering some of the unique aspects of digital system  
6 development processes including software development and  
7 consideration of diversity and defense-in-depth.

8 Though this new guidance provided additional  
9 clarification of our expectations for licensees to adhere to our rigorous  
10 digital development process, the industry sought a more predictable  
11 and effective regulatory approach.

12 We have looked towards other industries for lessons  
13 learned from their experiences with implementation of digital  
14 technologies, for example, the military and commercial aviation and the  
15 process industries.

16 And, we've evaluated that experience to provide  
17 additional insights to our guidance.

18 Next slide, please?

19 In 2007, at the industry's request for additional  
20 clarification, the NRC formed the Digital I&C Steering Committee. And  
21 during the 2007 to 2011 time frame, the NRC with participation from  
22 stakeholders developed seven Interim Staff Guidance documents, or  
23 ISGs, for the evaluation of proposed Digital I&C systems.

24 We intend to incorporate the content of the ISGs into  
25 the NRC Standard Review plan during the next update.

26 We used some of the interim guidance in our

1 evaluation of the Oconee reactor protection system upgrade and for a  
2 number of Design Certification Application reviews such as the AP1000  
3 and US APWR.

4 Based on lessons learned and the Oconee project, we  
5 issued ISG 6 regarding the licensing process and used this updated  
6 guidance in the performance of the Diablo Canyon process protection  
7 system digital upgrade review.

8 Next slide, please?

9 It is likely that more digital safety system upgrades will  
10 be needed in the coming years to address operational and  
11 obsolescence issues.

12 We have identified that NRC policies and processes  
13 can be improved to decrease uncertainty and the cost of licensing  
14 digital technologies.

15 In order to improve the Digital I&C licensing process,  
16 we are working on the lessons learned from the Diablo Canyon ISG 6  
17 pilot review.

18 Some concepts within ISG 6 that have worked well  
19 include pre-application meanings, early submittal of certain design  
20 documents to support acceptance reviews and guidance on  
21 documentation submittal.

22 One concept that has been less successful is the use  
23 of a graded or tiered approach to determine the level of NRC review  
24 needed. Since this concept is based solely on the pre-approval status  
25 of the I&C platform.

26 We believe additional system aspects should be

1 considered for this determination including scope and type of  
2 modification being performed.

3 And, currently, we are focusing on future process  
4 improvements to enhance the current digital licensing processes as  
5 described in ISG 6.

6 Next slide, please?

7 With regards to new reactors, the new reactors, the  
8 new reactor I&C designs use highly integrated Digital I&C systems  
9 which may include features such as control of safety-related equipment  
10 for non-safety I&C system, bidirectional communication between safety  
11 and non-safety systems and a high number of interdivisional data  
12 communication links.

13 We have used the current Digital I&C Interim Staff  
14 Guidance to review new reactor designs. In several instances, new  
15 reactor applicants were challenged in providing sufficient design  
16 information, analysis to support the safety demonstration for these  
17 integrated systems.

18 In addition, the applicants did not initially provide  
19 sufficient analysis to demonstrate that hazards associated with I&C  
20 interactions with plant systems were fully analyzed.

21 Further, some designs differed significantly from  
22 Interim Staff Guidance. And, as a result, these reviews continued  
23 much longer and required significantly more resources than originally  
24 planned.

25 To address these issues, some applicants were able to  
26 successfully demonstrate safety by modifying the design and

1 addressing NRC requirements at a higher level of the I&C design such  
2 as implementing physically limited one-way data communications.  
3 And, this approach was found to greatly simplify the safety case.

4 Next slide, please?

5 The current NRC regulation, 10 CFR 50.55(a)  
6 incorporates by reference IEEE Standard 603-1991. We believe it is  
7 appropriate to update the regulation to incorporate the most recent  
8 2009 version in order to capture criteria specific to address digital  
9 technology.

10 We believe that this proposed rule will make Digital I&C  
11 system licensing more efficient and effective.

12 We have also gained some additional lessons learned  
13 from recent licensing experiences. For example, the industry  
14 developed NEI 01-01, Guideline on Licensing Digital Upgrades, to  
15 provide guidance for performing the 10 CFR 50.59 evaluation for digital  
16 upgrades.

17 And the NRC endorsed NEI 01-01 through a regulatory  
18 issued summary.

19 Based on recent experience, we have identified some  
20 weaknesses and ambiguity in this guidance, particularly in the area of  
21 addressing the potential of software common cause failures.

22 These weaknesses in the current guidance have  
23 contributed to several licensees improperly performing 50.59 analyses.

24 In addition, the diversity and defense-in-depth criteria  
25 provided in the Staff Requirements Memorandum to SECY 93-087  
26 need to be reevaluated to determine whether it should be updated to

1 reflect advances in digital technology.

2 We have also sought to stay abreast of Digital I&C  
3 developments in the United States and the international nuclear  
4 industry as well as other industries where digital technology is used in  
5 safety applications. And, this has included our work with the  
6 multinational design evaluation program and various research efforts.

7 An example of this is the documentation of technical  
8 approaches used in other industries to determine what is the  
9 appropriate level of diversity needed to mitigate software common  
10 cause failure.

11 And, this assessment can be found in  
12 NUREG/CR-7007, Diversity Strategies for Nuclear Power Plant  
13 Instrumentation and Control Systems.

14 And, we will discuss the topic of software common  
15 cause failure in more detail later in the presentation.

16 And now, Rich will now provide a discussion of the  
17 proposed IEEE 603-2009 rulemaking.

18 Thank you.

19 Next slide, please?

20 MR. STATTEL: Thank you, John.

21 The Standard IEEE 603 is titled Standard Criteria for  
22 Safety Systems in Nuclear Power Generating Stations.

23 It's a performance-based standard for the design and  
24 development of safety-related instrument and control systems.

25 It is intended to be a technology neutral and its criteria  
26 are used by the NRC to determine regulatory conformance for all I&C

1 safety systems. This standard is incorporated by reference into NRC's  
2 regulation 10 CFR 50.55(a).

3 When performing I&C safety evaluations, we use IEEE  
4 603 as the principle regulatory basis document. The criteria of this  
5 standard are considered as required means of meeting the general  
6 design criteria associated with I&C systems.

7 The 1991 version of IEEE 603 includes a safety system  
8 criteria for several topical areas.

9 Next slide, please?

10 An NRC working group was formed to evaluate and  
11 compare the new version, 2009 version of the standard with the 1991  
12 and 1998 versions of that standard.

13 This slide summarizes the changes that the working  
14 group identified. The new standard addresses potential safety issues  
15 that might arise from incorporating advanced technologies and safety  
16 systems.

17 It provides added guidance to address electromagnetic  
18 compatibility issues. It adds new criteria to address the potential for  
19 common cause failures. It adds clarification for the requirements for  
20 equipment not credited to perform safety functions, but connected to  
21 safety systems. And, it adds a specific requirement for electrical  
22 isolation and digital communication independence between safety and  
23 non-safety systems.

24 Additionally, the standard contained updates to  
25 references and eliminates references that were no longer in effect.

26 Next slide?

1                   The backfit analysis performed determined that the  
2 application of the standard was not mandatory for current license  
3 holders. Instead, new criteria as proposed will be applied to new  
4 applications and selectively to license amendments.

5                   The previous date base applicability criteria were left in  
6 place to maintain existing design basis for those currently licensed  
7 plants.

8                   A new set of criteria was included in the proposed rule  
9 to define applicability for the new standard.

10                  The conditions for determination of applicability are  
11 functionality, technology, independent strategy and diversity strategy.

12                  The proposed rule includes guidance for determining  
13 the applicability and tables which provide examples of different types of  
14 I&C design changes, some of which would require compliance with the  
15 new proposed criteria and some others that would not.

16                  Next, I'll discuss each of the conditions for the use of  
17 IEEE 603 being proposed. Many of these conditions have been a part  
18 of our regulatory guidance for some time, as was mentioned earlier.

19                  We felt that it would be beneficial to provide more  
20 specific regulatory basis for those requirements to ensure these  
21 important aspects would be addressed.

22                  We expect applicants to provide documentation to  
23 demonstrate compliance with these conditions when performing Digital  
24 I&C system upgrades.

25                  The standard already contains clauses to address  
26 integrity and independence. But, the interpretation of these clauses

1 has not always been consistent between the applicants and the NRC  
2 staff.

3 The added conditions in the proposed rule are  
4 intended to reduce regulatory uncertainty that concerns applicants by  
5 elaborating these criteria.

6 Next slide?

7 The first condition I'll discuss regards system integrity.  
8 This new clause would require, in order to assure the integrity and  
9 reliable operation of safety systems, safety functions shall be designed  
10 to operate in a predictable and repeatable manner.

11 The existing integrity criteria in the standard refers to  
12 IEEE 7432 which I would characterize that as a companion standard to  
13 IEEE 603. But, that standard is not incorporated so it doesn't really  
14 have the weight of regulation.

15 We felt that the additional regulatory basis would  
16 ensure conformance with those criteria.

17 Next slide? Oh, I'm sorry, I've got another paragraph  
18 here.

19 Okay, predictable and repeatable operation of the  
20 system requires that the results of translating input signals to output  
21 signals are determined through known relationships among controlled  
22 system states and required responses to those states.

23 It also requires that a given set of input signal produces  
24 the same output signals for the full range of applicable conditions to  
25 defined in the design basis.

26 All signal processing between sensor, data input and

1 safety control device actuation must be accomplished in a manner that  
2 is neither redundant, portions of the safety system, nor other external  
3 inputs can affect the system's ability to perform its safety functions.

4 Next slide?

5 In the next set of slides, I'll be discussing a proposed  
6 criteria for maintaining communication independence.

7 The figure shown here shows a reactor protection  
8 system architecture. It illustrates three different types of  
9 communication interfaces which can exist in these designs.

10 When I refer to communications between safety  
11 divisions, I'm referring to the interfaces shown here in the blue and red  
12 lines which connect different components of a safety-related system to  
13 support safety functions.

14 This includes interfaces between divisional safety  
15 processors shown as the blue horizontal lines as well as the red line  
16 interfaces to the coincidence voting processors.

17 When I refer to communications between safety  
18 systems and non-safety-related systems, I'm referring to the interfaces  
19 shown here in the green lines which connect safety system  
20 components with external non-safety-related systems such as plant  
21 computer systems or maintenance work stations.

22 Next slide, please?

23 So, for independence, this condition adds several new  
24 requirements to the existing independence criteria of IEEE 603.

25 Protection systems and safety systems must  
26 implement provisions for protection against identified hazards.

1 Next slide?

2 Subparagraph A of the independence clause would  
3 clarify that signal processing portions of the safety system shall provide  
4 the capability to ensure that degradation or failures of signals  
5 exchanged among redundant safety divisions or between safety  
6 systems and other systems do not propagate in a manner which results  
7 in impairment of the safety functions.

8 For example, safety function processors should not  
9 directly exchange information with other processors outside of the  
10 division.

11 Separate communication processes, instead, should  
12 be used to ensure the data is received, formatted correctly and is  
13 properly addressed to the intended destination.

14 Subparagraph B would clarify that safety systems shall  
15 be designed with provisions for detecting and mitigating the effects of  
16 signal faults or failures received from outside the safety division.

17 Redundant divisions of safety systems should have the  
18 capability of tolerating such faults or failures originating from outside  
19 that division in a manner that, again, does not degrade the ability of the  
20 system to perform safety functions.

21 Next slide?

22 Subparagraph C would clarify the requirements for  
23 communications in currently operating nuclear power plant designs.

24 Specifically, it would clarify that communications or  
25 signals received by a safety system from outside the division or system  
26 should be limited to those that support the accomplishment of a safety

1 function or otherwise benefit safety.

2 In the proposed rule, safety benefit is defined as  
3 justification for adding safety system functionality that is not necessarily  
4 required for accomplishment of the safety function, but that contributes  
5 to safety.

6 Examples would include increasing safe system  
7 availability or increasing the safety of a mechanical, nuclear or electrical  
8 system design.

9 Next slide?

10 Subparagraph D contains new independence criteria  
11 being proposed for new reactors. This clause would clarify  
12 requirements for communication in new reactor designs.

13 The first part of this ensures that data communication  
14 from safety systems to non-safety systems is in one direction while the  
15 system is in operation and is accomplished through hardware means.

16 The second provision ensures that transfer of signals  
17 between redundant portions of safety systems is only permitted when  
18 signals transferred is required for the performance of safety-related  
19 functions.

20 Next slide?

21 The third criteria ensures that for functions that require  
22 safety systems to receive signals from non-safety systems to ensure  
23 diversity and defense-in-depth were support automatic anticipatory  
24 reactor trip functions.

25 The signal transfer method is restricted to means that  
26 do not use data communications.

1                   And, finally, the fourth criteria requires that new reactor  
2 applicants who propose alternatives to these previous conditions would  
3 identify direct and indirect pathways to safety systems from other  
4 systems.

5                   This additional requirement facilitates the identification  
6 of interdependencies and failure modes in alternative designs.

7                   These proposed independence criteria would improve  
8 evaluation processes for new reactor I&C designs by allowing new  
9 reactor applicants to demonstrate communications independence at  
10 hardware architectural design level.

11                  Establishing communication at the hardware  
12 architectural level would also minimize the potential for propagation of  
13 design errors.

14                  We recognize that there are certain cases where a  
15 safety division would need to receive signals from outside the division.

16                  For example, voter processors need signals from other  
17 systems in order to accomplish the coincidence voting functions.

18                  A safety system may also need signals from the  
19 non-safety to support diversity functions.

20                  Next slide?

21                  We believe the proposed rule will have a positive -- the  
22 positive impacts on operating plants performing digital safety system  
23 upgrades that are shown here on this slide.

24                  Applicants will be able to design their digital safety  
25 systems to the new improved standard without having to rely on  
26 alternatives clause for approval.

1                   It's more efficient to perform our evaluations without  
2                   having to evoke alternative standards clause. This supports a more  
3                   consistent evaluation with the greater degree of predictability.

4                   The NRC already evaluates hazards associated with  
5                   digital systems per our existing regulatory guidance. And IEEE 603  
6                   includes a clause which addresses the need for hazard analysis.

7                   We believe that adding this as a regulatory  
8                   requirement would reinforce the importance of this activity.

9                   Go to the next slide, please.

10                  The benefits of the rule on operating reactors will also  
11                  apply for new reactors. In addition, for new reactors, we believe the  
12                  licensing process will be more effective because the proposed  
13                  independence criteria would allow new reactors to demonstrate  
14                  communication independence with a higher level of design information  
15                  at the architectural level.

16                  As such, applicants would not need to provide detailed  
17                  design implementation information.

18                  The proposed independence condition incorporate  
19                  lessons learned from new reactor licensing reviews. These criteria  
20                  restrict the implementation of communications for safety systems to  
21                  limit failure modes and unexpected behaviors associated with  
22                  communications while preserving some of the benefits of digital  
23                  technology and allowing functionality that improves reliability and  
24                  availability.

25                  Next slide?

26                  In reviewing IEEE 603-2009 Standard and developing

1 the proposed rule, we engaged with the industry stakeholders in  
2 various forms. Some of the key interactions are listed on this slide.

3 First, we were actively involved with the NPEC working  
4 group throughout the development of IEEE 603. The NPEC working  
5 group, as mentioned before, consists of members from the industry as  
6 well as NRC staff with all having expertise in the I&C development area.

7 NRC working group members have discussed and  
8 presented plans for incorporating the 2009 rule into our requirements  
9 including the additional conditions.

10 In 2014, we gave two presentations to the ACRS on  
11 the draft proposed rule language as it existed at that time. The draft  
12 rule was made publically available to support these meetings and  
13 highlighted NRC's plans to provide these additional conditions.

14 As documented in letters to the staff, the ACRS has  
15 generally agreed with the proposed rule and has provided several  
16 recommendations to add conditions to clarify the use of the standard.

17 We accepted some but not all of these conditions in our  
18 response to the ACRS.

19 More recently, we conducted a public meeting webinar  
20 in August of this year to solicit feedback on the draft rule language.  
21 We described our intent to provide the proposed rule to the  
22 Commission with recommendation to publish it for stakeholder  
23 comment, including specific questions on the key issues in the  
24 proposed rulemaking.

25 As noted in the meeting summary, we received a  
26 diversity of comments such as the suggestion to include a provision

1 which would allow new reactor applicants to provide a greater level of  
2 design detail without having to invoke the alternatives clause.

3 The industry also expressed interest in having an  
4 opportunity to participate in workshops.

5 This concludes my discussion of the proposed rule.  
6 I'm now going to turn over the presentation to John Lubinski who will  
7 discuss key initiatives related to instrumentation and control.

8 MR. LUBINSKI: Thank you, Rich.

9 Rich discussed our evaluation of IEEE 603-2009, the  
10 proposed rule and our external stakeholder interactions thus far. I'd  
11 like to highlight a few of the benefits of the proposed rule first.

12 We believe it is appropriate to update the regulations to  
13 incorporate the most recent version of IEEE 603 in order to capture  
14 criteria specific to digital technology.

15 We believe the 2009 version provides a safety  
16 improvement over the '91 version of the standard. This includes  
17 addressing potential safety issues that might arise from incorporating  
18 components that use advanced technologies and safety systems,  
19 additional guidance to address electromagnetic capability compatibility  
20 issues and better classification for equipment not credited to perform a  
21 safety function but is connected to safety-related equipment.

22 In most cases, the conditions included in the proposed  
23 rule and the regulatory guidance that we have used for some time into  
24 the rule.

25 We believe it would be beneficial to provide more  
26 specific regulatory basis for those requirements in order to ensure

1 these important aspects would be addressed during licensing.

2 Specifically, the added condition on applicability will  
3 provide more specific criteria on what plant modifications will require  
4 updating of the licensing basis.

5 Additionally, the added condition on system integrity  
6 will ensure better consistency and demonstration of this property for  
7 digital system and improve regulatory predictability.

8 We also believe that there will be added regulatory  
9 certainty provided by the proposed restriction associated with data  
10 communication in the independent section of the rule.

11 We recommend the Commission approve publication  
12 of the proposed rule to incorporate by reference the 2009 version for  
13 public comment. We believe it is important to obtain formal external  
14 stakeholder feedback on the use and incorporation of the standard.

15 Next slide, please?

16 We believe the use of the IEEE standard is only one of  
17 the actions needed to address Digital I&C upgrades. We are  
18 developing a Digital I&C action plan to review all aspects of our current  
19 licensing processes.

20 The plan's objective is to identify where improvements  
21 can be made and the effectiveness and efficiency of our regulatory  
22 processes for Digital I&C licensing and upgrades.

23 To make most effective use of our resources as well as  
24 the industry's resources, the issues will be prioritized based on our  
25 belief as to which topics, if resolved quickly, could realize the greatest  
26 impact.

1                   Where appropriate, the plan identifies specific links to  
2 research activities that need to be addressed to support improved  
3 technical and regulatory basis for policy or process improvements.

4                   We plan to work with external stakeholders to integrate  
5 our Digital I&C action plan with the NEI roadmap. And, we currently  
6 have a public meeting planned in January to discuss both our action  
7 plan as well as the roadmap.

8                   In addition, as we develop our roadmap, we will  
9 continue to revise it periodically based on lessons learned as we  
10 implement the actions.

11                   Next slide, please?

12                   The current draft of the Digital I&C action plan includes  
13 ten activities related to Digital I&C. One we've already discussed was  
14 the use of the IEEE Standard 603.

15                   Next, the Deanna Zhang and I will discuss in more  
16 detail four activities which are listed on this slide.

17                   These activities have near term milestones or may  
18 require Commission engagement which is why we're discussing them  
19 in more detail today.

20                   The first is revising guidance for 50.59 evaluations for  
21 Digital I&C modifications.

22                   The second is reevaluating the current process for  
23 addressing potential for software common cause failure of digital  
24 systems. It is likely we will engage the Commission regarding this  
25 activity.

26                   And, the third is identifying the most effective process

1 for staff to perform its evaluation of proposed license amendments and  
2 new applications related to Digital I&C.

3 And the fourth is evaluating the process and timing for  
4 evaluating applicants compliance with cybersecurity requirements.  
5 We plan to provide a vote paper to the Commission on this topic.

6 I will note that while we have not seen the roadmap that  
7 NEI has developed nor have they seen our complete Digital I&C action  
8 plan, we have coordinated on the major topics and would note that the  
9 first two topics, 50.59 evaluations as well as common cause failure are  
10 top priorities in both plans and we think that the plans will align on our  
11 prioritizations.

12 Next slide, please?

13 During component design basis inspections, NRC  
14 inspectors have identified noncompliances with 50.59 reviews  
15 performed by licensees for digital systems. This is one of the reasons  
16 that we are reexamining our 50.59 guidance.

17 Current industry guidance for evaluating Digital I&C  
18 modifications against 50.59 is included in NEI Guidance NEI 01-01.  
19 This guidance was originally endorsed by the NRC through a regulatory  
20 issue summary.

21 However, over time, the NRC and industry have found  
22 that additional clarity and specificity is needed for this guidance.

23 We understand that NEI has a working group  
24 dedicated to enhancing this guidance. We understand our current  
25 plans are to propose its revised guidances and new Appendix D to the  
26 implementing guidance which is NEI 96-07.

1                   We plan to meet with NEI on January 13th to discuss  
2 the revised guidance. We plan to evaluate the new appendix and, if  
3 appropriate, we would rescind our current endorsement of NEI 01-01  
4 and, instead, endorse the new guidance in Appendix D of NEI 96-07.

5                   Any new NRC guidance which endorses guidance  
6 development by the industry would become available in the first quarter  
7 of 2017.

8                   Additionally, two weeks ago on December 2nd, we met  
9 with NEI and EPRI to learn about EPRI's new good practices design  
10 document which is being developed in parallel to the new NEI  
11 guidance.

12                  The EPRI guidance will not be submitted for NRC  
13 endorsement. However, EPRI has solicited our technical comments  
14 on the document and we will work with them to provide those  
15 comments.

16                  I would now like to turn to Deanna Zhang to discuss the  
17 remaining items in the Digital I&C action plan.

18                  MS. ZHANG: Thank you, John.

19                  Digital technology has the potential to introduce  
20 software common cause failures and unwanted system interactions  
21 due to undetected systematic faults.

22                  The Commission's SRM to SECY-93-087 defines  
23 specific criteria for addressing software common cause failures.  
24 These criteria are specified the performance of a diverse and  
25 defense-in-depth analysis and provisions of a diverse means of  
26 accomplishing the safety function.

1                   We implemented this direction in Branch Technical  
2                   Position 7-19 titled, Guidance on Evaluation of Defense-in-Depth and  
3                   Diversity in Digital Computer-Based Instrumentation Control Systems  
4                   in Chapter 7 of the Standard Review Plan.

5                   This Branch Technical Position provides guidance on  
6                   diverse means that could be used to mitigate software common cause  
7                   failures including adoption of internal diversity with the safety system or  
8                   use of manual operator actions.

9                   In addition, this Branch Technical Position allows a 100  
10                  percent testing of simple systems to address the potential for software  
11                  common cause failure.

12                 This guidance was based on Interim Staff Guidance  
13                 developed at the request of industry to consider testing as means to  
14                 address software common cause failures. Also, guidance for  
15                 performing the diversity and defense-in-depth analysis of reactor  
16                 protection systems is provided in NUREG/CR-6303 as endorsed by the  
17                 Standard Review Plan.

18                 This guidance constitutes the implementation of the  
19                 current NRC policy on software common cause failure.

20                 Next slide?

21                 The current policy and guidance for addressing the  
22                 potential for software common cause failures have been challenging for  
23                 some licensees.

24                 For example, the current guidance is a  
25                 consequence-based approach for addressing software common cause  
26                 failures and does not directly relate to safety significance. Thus, the

1 same rigor for treatment of software common cause failures applied to  
2 all safety systems without consideration to the significance of the safety  
3 function performed by each particular system of the overall plant safety.

4 In addition, even though we have effectively licensed  
5 digital systems using this process we believe the assumptions in  
6 SECY-93-087 should be reevaluated in light of significant technological  
7 advancements.

8 Specifically, over the past 20 years, digital technology  
9 and the tools for designing it have changed significantly including  
10 advancements in both the use of digital use of field programmable data  
11 rates and complex programmable logic devices.

12 The time that the 1993 SRM was issued, few standards  
13 and no regulatory guidance documents existed for implementing digital  
14 technology in nuclear power plants.

15 Since 1993, there have been significant improvements  
16 in the methods used to design and implement digital systems. There  
17 have also been advances in the tools needed to analyze and test these  
18 digital systems.

19 This has led to improved quality and reliability of these  
20 systems and improved industry standards as well.

21 Some of these changes have also been reflecting our  
22 updates to Branch Technical Position 7-19. But, the basic NRC policy  
23 has not been updated.

24 Based on evolution and technology and our lessons  
25 learned from digital upgrades, we are evaluating the existing policy on  
26 software common cause failure and looking at options to update it.

1                   This evaluation will also assess potential ways to  
2 achieve a graded approach based on safety significance.

3                   We intend to prepare a report and a SECY paper  
4 outlining the technical basis for either modifying the existing software  
5 common cause failure policy or for establishing a new rule to  
6 appropriately apply diversity and defense-in-depth for Digital I&C safety  
7 systems. Our goal is to have a draft SECY paper by the third quarter  
8 of 2016.

9                   In parallel with this effort, we will maintain appropriate  
10 interfaces with industry stakeholders to identify what activities, if any,  
11 can be performed to facilitate addressing this particular issue.

12                   Next slide, please?

13                   As previously highlighted, ISG-06 introduced new  
14 concepts to the licensing process. After the pilot program with Diablo  
15 Canyon to upgrade the plant protection system, where plant has the  
16 processes described in ISG-06.

17                   For example, the level of technical detail and the need  
18 for acceptance test reports in the license applications for digital  
19 upgrades will be reviewed.

20                   In addition, we are considering options to support  
21 industry's request to reduce early regulatory uncertainty prior to  
22 submittal of the factory acceptance test results.

23                   We continue to enhance the guidance for licensing  
24 processes for new and operating reactors including improvements to  
25 ISG-06 and the issuance of design specific review standards.

26                   In particular, to provide additional guidance on

1 addressing safety hazards associated with highly integrated I&C  
2 systems.

3 We intend to pilot the use of the design review -- design  
4 specific review standard for the NuScale Small Modular Reactor which  
5 is anticipated to be submitted in the last quarter of 2016.

6 We also plan to incorporate our lessons learned from  
7 ISG-06 into a Branch Technical Position. A draft of this Branch  
8 Technical Position is projected to be ready in the third quarter of 2016.

9 We're considering the lessons learned, industry  
10 feedback, new concepts for licensing processes along with research  
11 activities to support licensing, to develop stable, consistent and  
12 predictable licensing guidance.

13 Next slide, please?

14 Finally, we are evaluating the possibility of enhancing  
15 the regulatory framework to consider cybersecurity at the design phase.  
16 The current cybersecurity regulatory framework is programmatic in  
17 nature.

18 As such, we currently do not perform cybersecurity  
19 design reviews during licensing. We believe that considering  
20 cybersecurity early in the system design process will help avoid designs  
21 that may be difficult or impossible to adequately protect after  
22 implementation. The ACRS has made similar recommendations.

23 As such, we are developing a SECY paper that  
24 considers options for performing licensing reviews of cybersecurity  
25 design information and plan to provide that SECY paper for  
26 Commission consideration by the second quarter of 2016.

1 Next slide, please?

2 Besides the IEEE 603 proposed rule and the four  
3 issues that were discussed in the previous slides, there are five  
4 additional topics that the Digital I&C action plan addresses.

5 This includes evaluating new methods for assessing  
6 highly integrated systems that focuses on hazards and safety design  
7 principles.

8 Improving the regulatory infrastructure to achieve more  
9 efficient and effective licensing reviews, developing guidance for  
10 evaluating proposed alternatives to NRC requirements and guidance,  
11 improving regulatory consistency between licensing and inspection  
12 activities and enhancing Digital I&C topical report evaluation and  
13 update process.

14 In support of developing new methods for assessing  
15 highly integrated systems, we're engaged in research activities that, in  
16 the intermediate term, we hope will yield efficiencies and effectiveness  
17 improvements to Digital I&C licensing reviews.

18 This includes evaluating techniques for hazard  
19 analysis and structure safety arguments, many of which of these  
20 techniques you've heard from the other panelists that are being used for  
21 other industries.

22 This concludes our discussion of our near term Digital  
23 I&C initiatives. I will now turn it back to Vic for closing remarks.

24 MR. MCCREE: Thank you, Deanna.

25 In summary, we recommend a Commission approval  
26 to publish the proposed rule. And doing so will enable us to obtain

1 formal external stakeholder feedback on the potential use and  
2 incorporation of IEEE 603-2009.

3 If approved by the Commission, we will also hold a  
4 public workshop during the comment period to seek and understand  
5 stakeholder input.

6 As John noted, we will continue to identify and address  
7 the other key regulatory initiatives through the development and  
8 implementation of the Digital Instrumentation and Control action plan.

9 The actions over the next several months include work  
10 on the 10 CFR 50.59 guidance and evaluating the NRC's processes for  
11 evaluating software common cause failure.

12 We believe it's important to coordinate with external  
13 stakeholders and we will continue to coordinate with the industry's  
14 Digital Instrumentation and Control Working Group as well.

15 This concludes our presentation and we'd be happy to  
16 address your questions.

17 Thank you.

18 CHAIRMAN BURNS: Thank you all for your  
19 presentations.

20 As we hear the discussion, you know, it's a rich field of  
21 issues and, you know, actions, potential actions because we're talking  
22 not only about a proposed rule on IEEE standards but we're also,  
23 particularly, I think Deanna's presentation focused on and some of the  
24 others, there is a lot of other stuff going on here.

25 So, I'm going to try to touch a few of these things. I  
26 mean, I think the simple, you know, the question that's sort of posed by

1 the first panel I think, you know, strikes a number of us.

2 Let's assume there was a consensus just decided to go  
3 ahead with approval as we often do with industry standards under  
4 50.55(a) and approve IEEE 603-2009 and that's it. What are we  
5 missing doing that? What is the critical -- convince me what the critical  
6 additions in this rulemaking which are different than a lot of, you know,  
7 industry standards incorporation by reference I've seen before, what's  
8 the critical?

9 MR. LUBINSKI: I think if we were to look at that,  
10 there's many options on how you would address the issue. We chose  
11 one option which we thought was the best of incorporating these  
12 requirements as conditions in the rule.

13 We could continue to keep them in a guidance and  
14 work with the industry as this being companion guidance to the rule if  
15 we were to go forward with just an incorporation of the standard with no  
16 conditions and address any concerns that the industry has with those  
17 conditions through the development of the guidance.

18 We have been effective at using that. We have  
19 performed reviews already using the alternative clause under 50.55(a)  
20 to approve applications that have met the 2009 standards and many of  
21 those have met the conditions, the additional conditions already. So  
22 we can continue to do that.

23 What do you lose? I think you lose a little bit of the  
24 transparency and clarity of what the requirements are. And, if there's a  
25 concern or a difference among us and the licensee on where we're  
26 going, then you may get into a little bit of a debate about whether or not

1 the requirement is necessary and if it's in guidance.

2 And then, finally, in the past, sometimes we've been  
3 criticized for including information which we treat as a regulation, if you  
4 will, and put it in guidance and, therefore, regulate through guidance.

5 So, that would be the other criticism we may be open to  
6 if we do that.

7 CHAIRMAN BURNS: Okay. One of the things, and  
8 again, and focusing on the last presentation, you talked about the  
9 potential for new licensing processes, new -- other new things is my one  
10 concern I would have. What would be the impact of some of those on  
11 the adoption of a rule with these added conditions, if any?

12 MR. LUBINSKI: I'll let John refer to the new reactor  
13 licensing first.

14 MR. TAPPERT: Okay. So, Deanna was talking  
15 about our design specific review standard which is probably our biggest  
16 initiative right now to try to streamline and focus the I&C reviews.

17 That's in place for the NuScale application which we're  
18 expecting to receive the end of the next calendar year.

19 So, that's baked in so that's almost irrespective of what  
20 the 603 rulemaking does.

21 CHAIRMAN BURNS: Okay. One of the other  
22 questions, I'm going to turn away from IEEE 603, I think.

23 But, go to the issue that both panels discussed with  
24 respect to 50.59 and that over some period here, sort of understandings  
25 have diverged with respect to the requirement in 50.59 because is an  
26 important control point from the standpoint it allows what we think are

1 safety acceptable changes in operation and in our license so we don't  
2 have to review everything.

3 Where would you say, in terms of coming to a greater  
4 consensus about where that guidance should be, what are the primary  
5 gaps or primary push points?

6 MR. LUBINSKI: In answering that question, let me  
7 say I think there's two aspects with the 50.59 guidance.

8 One is the clarity of the application of that guidance.  
9 So, we may be aligned with the industry that there were certain 50.59  
10 reviews that were performed inadequately and the industry may agree  
11 with that in hindsight.

12 There may be other areas where the industry would  
13 disagree with our interpretation of 50.59 and its application with respect  
14 to whether it is coming up with a, you know, a new scenario that was not  
15 previously analyzed by the licensee or come up with a different  
16 outcome. So, there may be differences.

17 We have yet to see the guidance that NEI has  
18 developed, so it's too soon to answer what that question would be.  
19 And, that's the importance to our January meeting with NEI on that new  
20 guidance to see how much of this is clarity and specificity of the  
21 guidance and understanding current 50.59 and where are there  
22 differences between our interpretation.

23 I will say one of the big -- because it is a link to common  
24 cause failure because that's another aspect that feeds into 50.59 which  
25 is why I believe both us and the industry have put both of those items as  
26 our high priority items to look at.

1                   CHAIRMAN BURNS: Okay. One of the -- you know,  
2 we obviously in the first panel we had a couple additional experts  
3 outside of our industry. And, I know during the discussion maybe one  
4 of the Johns, I think you mentioned, in terms of our, you know,  
5 participation in multinational design evaluation program and I know  
6 from, you know, past experience, Digital I&C has been an issue, you  
7 know, one of the subcommittee type issues on MDEP for a long time.

8                   What do we -- any comments you want to make from  
9 what you heard on the first panel about the -- what we might learn from  
10 aviation? And, is that, in terms of approaches that we've seen through  
11 MDEP, you know, that the French have done or others, and I know, you  
12 know, again, this is from sort of being, you know, the amateur reader, if  
13 you will, on some of this that there are some differences.

14                   But, any insights we have from MDEP or our  
15 interaction on aviation industries or others?

16                   MR. STATTEL: I'd like to make an observation with  
17 regard to that because I think a lot of the misunderstandings we've had  
18 in 50.59 have actually resulted from some of the things that we're  
19 hearing from the other industries.

20                   So, for example, the challenges that we've all faced  
21 involve and the way we respond to those involve not just looking at the  
22 end result or the testing but also focusing on processes, the  
23 development processes and different aspects of these systems.

24                   And, that's why you see these big maps and these  
25 complex maps of the different facets of I&C that we all look at. And, I  
26 think that tends to create some misperception so, like one of the

1 statements I've seen in some of these 50.59s that were deemed  
2 unacceptable was that, well, we used a really good development  
3 process so, therefore, we didn't have to do complete testing. Right?

4 So, in our interpretation, we wanted basically to  
5 address multiple facets of the design and their interpretation was more,  
6 well, since I have a good process, then I can basically de-emphasize  
7 the end testing results or I don't have to concern myself with the  
8 common cause failure aspects because it's -- I've reduced the  
9 likelihood of that.

10 CHAIRMAN BURNS: Okay.

11 MS. ZHANG: I'd like just to add from the MDEP  
12 perspective.

13 So, I chaired the Digital I&C Working Group and it's a  
14 number of regulators we have and we all have a number of concerns  
15 with respect to software common cause failure.

16 We developed a common position for this. And, what  
17 we have come to alignment is that, yes, it is a multifaceted issue.  
18 There are many ways to address it, but we definitely have to address it.  
19 It's not something we can ignore.

20 And, what we have to come to agreement on is that  
21 there are -- you should do analysis. You should consider different  
22 coping measures. But, the acceptance may be different, the  
23 acceptance criteria for applying it may be different.

24 CHAIRMAN BURNS: And, how so? How are the  
25 acceptance criteria different? What drives that?

26 MS. ZHANG: So, for example, in the French

1 regulators, they look at a lot more in terms of the software. So, they  
2 get the actual software code. They evaluate it, they analyze it for the  
3 potential software defects that may be in there.

4 So, there's a lot more emphasis on testing, analysis  
5 and development than what we would typically look at in our licensing  
6 reviews.

7 CHAIRMAN BURNS: Okay, all right.

8 MR. TAPPERT: And, I'd just like to add, you talked  
9 about other industries, one of the items in the action plan is dealing with  
10 highly integrated systems. And, that's more of an intermediate term  
11 thing where we're going to be looking at different opportunities and  
12 different paradigms to look at greater reliance of hazard analysis and  
13 structured safety arguments to kind of think about different ways of  
14 evaluating these systems.

15 So, that's why we can kind of import some of that  
16 knowledge.

17 CHAIRMAN BURNS: Okay, thanks.

18 All right, thanks very much.

19 Commissioner Svinicki?

20 COMMISSIONER SVINICKI: Well, I want to thank the  
21 staff for the presentations today. But, beyond that, I'd like to thank  
22 Richard, John Lubinski and Deanna for, I think at this point, we may be  
23 up to close to four hours worth of separate briefing time that I've had an  
24 opportunity to talk about the specific IEEE 603-2009, that SECY paper.

25 That's been very helpful in terms of building a  
26 foundation to consider the staff's recommendation that's in front of me.

1                   Something that's not been mentioned because today's  
2 meeting, the topic, when the topic of that paper comes up, the staff has  
3 presented on, appropriately so, the staff's recommended position.

4                   There are multiple nonconcurrences to that staff  
5 recommendation, however, all of which I've reviewed, all of which I  
6 found very thoughtful and I do thank the nonconcurring individuals. I  
7 don't know if any of them are attending here today.

8                   In all cases, those were very thoughtful  
9 nonconcurrences and, for me, in terms of my review of the matter,  
10 many of them were quite compelling.

11                   A number of them originate with NRC reviewers who  
12 have, frankly, decades worth of experience on this topic as safety  
13 reviewers here at the Nuclear Regulatory Commission. So, the level  
14 of experience they have in the operating reactor field carries a lot of  
15 weight with me.

16                   So, again, I think as we discuss this today, we have  
17 discussed the staff's recommendation which was the ultimate decision  
18 adjudicated by the staff as they reviewed the nonconcurrences.

19                   However, there is other body in the decision record for  
20 the Commission's consideration which I think is important. And, but for  
21 its existence, it might be a little more straightforward. But, you know,  
22 candidly put, our experts are not of one mind on the additional  
23 conditions, principally, a lot of the nonconcurrence has to do with the  
24 addition conditions beyond incorporation by reference, there's not  
25 unanimous support for those.

26                   So, that will be a factor in my deliberations on the

1 underlying matter.

2 I think that, at some point, it is difficult as an  
3 organization, we do need to find, maybe it will be through the additional  
4 work that we continue to engage with external stakeholders.

5 At some point, if we could bring this diversity of position  
6 into greater alignment, I think it would strengthen us as a professional  
7 organization and the experts for the nation on this topic that we have to  
8 be able to auger some competence in our decision making.

9 So, again, I'm fully supportive of the nonconcurrence  
10 and differing views process. I just think that we've got a lot of moving  
11 parts here and if there's a fundamental philosophical divide or  
12 divergence that's occurring, my general instinct maybe just even as a  
13 human being, is that sometimes you want to mend that first and then  
14 you want to continue to the detailed technical work.

15 So, I think if you can't get the ideology in alignment, I  
16 think we might then -- I might -- my successor in, you know, 2027 won't  
17 read an SRM from 2017 and say, gosh, ten years ago it was so quaint  
18 that Commission thought that these things were near resolution.

19 But, I think it is something for the senior leadership  
20 team here. I know alignment is tough. I know the EDO and his direct  
21 reports do a lot of alignment meetings. That's part of being a technical  
22 community, a community of professionals and experts is that we need  
23 to go through that process.

24 And so, I think it's healthy. I'm not in any way  
25 suggesting that this is deeply irregular, but I do think, you know, before  
26 we dot every I and cross every T, we may want to get to the root cause.

1 That's kind of popular in this business. We might want to get to the  
2 root causes of some of that divergence.

3 So, I only had one specific question and it had to do, as  
4 the Chairman mentioned, there's other things beyond that SECY paper  
5 which Deanna covered.

6 Deanna, you talked about work on highly integrated  
7 systems. Do we have a good definition for a nonpractitioner in this  
8 field of what differentiates an integrated system from a highly integrated  
9 system?

10 MS. ZHANG: I think it's just an upper, but if we look at  
11 a lot of the shared resources that are going between the different  
12 systems between levels of independent systems.

13 Prior to, you know, use of digital systems and even  
14 throughout the upgrades, it's always been a little bit more piecemeal.  
15 You get one system that performs one function. Now you have a  
16 system that could perform multiple functions.

17 And, that's where the integration comes from is how  
18 much functionality are you putting into one resource or how many  
19 different systems share the same resource in performing different  
20 functions?

21 COMMISSIONER SVINICKI: Okay, thank you.  
22 That's helpful and I look forward to learning more about work as the  
23 staff moves forward on advancing its work products in that area.

24 I guess I'll just close maybe with a little bit of a pep talk  
25 to say that the first panel talked about other industries. I made a  
26 comment there that other sectors may be some how overtook us and

1 surpassed us on conquering this issue.

2 You know, I want to say that I come at this sincerely  
3 with just so much respect for all the differing views that exist on this, the  
4 recommendation and the other views.

5 People have -- our experts have come at this with a lot  
6 of conviction. But, at my level, you know, some of this bubbles up to  
7 fundamental determinations of how safe is safe enough? What is risk  
8 tolerance? What risks can be tolerated? What level of risk can be  
9 tolerated or levels of uncertainty?

10 And, that is a threshold judgment at every level of  
11 senior leadership. We've got to make tougher and tougher decisions  
12 about that. The Commission being the ultimate expression, we often  
13 have to make the ultimate judgment call on how safe is safe enough.

14 But, I will say this to you, none of your peers over at  
15 FAA or anywhere else are better at this than us, so we absolutely will  
16 resolve this. I know we will conquer it. It is not, as the first panel said,  
17 a question if we can resolve these issues, we will because there is no  
18 future for nuclear technology, either for the stuff that's operating now or  
19 future stuff if as the nuclear safety regulator for the American public, if  
20 we can't solve this, there's no future. I know we can solve it. I know  
21 we're going to.

22 So, you know, continue, please, no matter the outcome  
23 of the Commission's decision on the 603 paper, please continue to work  
24 on this with the kind of commitment that you have.

25 Thank you, Mr. Chairman.

26 CHAIRMAN BURNS: Thank you.

1 Commissioner Ostendorff?

2 COMMISSIONER OSTENDORFF: Thank you all for  
3 your presentations.

4 I want to start out, and I'll let anybody answer this who  
5 wants to. With the first panel, we clearly heard from industry that, with  
6 respect to this piece that deals with IEEE 603-2009 that there is not  
7 agreement that we should add these additional requirements above  
8 and beyond the industry standards.

9 I just want to provide an opportunity to anybody that  
10 wants to speak to address that issue.

11 MR. LUBINSKI: I'll start at a high level and maybe ask  
12 others to talk detail.

13 I think what I also heard from the industry this morning  
14 as well as hearing in other communications with the industry was, one  
15 was a prioritization of resources when they were saying that the IEEE  
16 603-2009, they were looking at what's the resources to continue  
17 through the rulemaking, go through the comment period, what the  
18 concern would be there and trying to address those additional  
19 conditions through that process.

20 And, I hear that they're looking from a prioritization  
21 standpoint and saying things like 50.59 and common cause failure are  
22 more important and should be addressed first and then we can look at  
23 the conditions.

24 I think from the standpoint of the additional conditions,  
25 what I also heard this morning was a concern of making them  
26 regulatory requirements versus the actual technical nature of those

1 requirements and Rich can maybe expand on some of the technical  
2 nature of some of those aspects.

3 I think we have been effective across the board as a  
4 regulator and an industry in addressing issues associated with those  
5 additional conditions through current licensing reviews that have been  
6 performed whether they're in the operating reactor or in the new reactor  
7 area.

8 So, the conditions have been in guidance, not as  
9 conditions, of course, but have been in guidance to address things like  
10 the hazard analysis, the independence and the communications. So,  
11 we have been able to address those on a case by case basis.

12 But, I think from the standpoint of understanding more  
13 of the specific concerns from the industry on those specific items, no,  
14 we don't have a clear handle on that.

15 Rich, did you want add?

16 MR. STATTEL: I'll expand a little bit upon that.

17 The working group did spend a lot of time discussing  
18 this. And, virtually every one of the conditions that you see in the  
19 proposed rule was originally proposed as guidance, that inclusion into  
20 the reg guide that accompanies this rule.

21 There wasn't unanimous agreement, there still isn't  
22 among the working group members.

23 The real thing is, at a glance, you might think that  
24 taking exactly the same verbiage out of a consensus guide that  
25 everyone agrees to and moving that language into a rule, well, why  
26 would that be a problem?

1                   But it's really a context issue and by putting it in the rule  
2                   and changing the context of that language, you really make that the  
3                   only acceptable way, you know, by definition, by putting it in the  
4                   regulation and it makes it a whole lot more difficult for designers to  
5                   innovate and to realize some of the safety benefits that could otherwise  
6                   be realized.

7                   So, it really does change the context. In some cases,  
8                   like the hazard analysis requirements, I like to call it a strong guidance  
9                   because, you know, every safety evaluation I've ever done on a digital  
10                  system, we require them to identify hazards and we require the  
11                  applicant to address all of the hazards they identify.

12                 So, making that a regulation, it's, you know, it kind of  
13                 emphasizes the importance of it, but I really can't see applicants  
14                 proposing alternatives to that, like I'm not going to address the hazard  
15                 that I identified.

16                 So, those are not so much controversial. But other  
17                 ones, the independence requirements in particular are viewed as being  
18                 a lot more difficult and problematic.

19                 Those requirements in particular, those are where we  
20                 basically divided the rule into new and operating reactor criteria and,  
21                 what really drove that was the processes. We really have -- we really  
22                 face very different problems when we're reviewing a design certification  
23                 versus an amendment, a license amendment.

24                 So, one of the big differences I'll point out, there's a lot  
25                 of subtleties to this, but one of the big differences is, with an operating  
26                 plant, it's operating. It has a licensing basis. We have something to

1 compare the new system to. And it's therefore, there is a basis for  
2 putting forth your safety conclusions. Right? You're at least as safe  
3 or you're improving safety on that system.

4 With the new reactors, you don't have that baseline, so  
5 that makes it a lot more difficult for them. And, honestly, you know,  
6 we're all engineers here and we do kind of think a lot alike.

7 However, you know, we're really faced with very  
8 different problems and I think, you know, if we reverse positions and,  
9 you know, I was working on the new reactor side, I would have a lot of  
10 the same concerns they have.

11 So, it's really the process that drove those differences  
12 in the proposed criteria.

13 COMMISSIONER OSTENDORFF: Okay. John?  
14 Or Deanna, yes?

15 MR. TAPPERT: I just wanted to chime in.

16 So, the way I think about it, and I think John talked  
17 about this earlier, is there's a lot ways to skin a regulatory cat. And, I  
18 think what the proposal before the Commission is really the staff's best  
19 proposal to go forward.

20 But, we recognize that there are, you know, good  
21 arguments on different approaches as well. And, that's why in addition  
22 to the proposed rule before you, we've also proposed an approach  
23 where we wanted to have an extended public comment period. We  
24 wanted to have public workshops in order to get more stakeholder  
25 input.

26 We've actually put a number of -- or

1 suggested -- recommended putting a number of questions in the  
2 proposed Federal Register Notice to kind of elicit some of this feedback  
3 on, you know, are these too prescriptive? Are there better ways of  
4 doing this? Are there unintended consequences?

5 So, I think what we have is our best thinking, but we  
6 recognize that we need other input as well.

7 COMMISSIONER OSTENDORFF: Thanks.  
8 Deanna?

9 MS. ZHANG: Yes, and I would like to just add on a  
10 little bit to what Rich was saying which is, you know, we heard from the  
11 previous panelists, you know, evidence. And that's something that we  
12 definitely had an issue with with a lot of the new reactor applicants is  
13 that they did not provide evidence that the design was safe in terms of  
14 communications independence.

15 And with that, you know, are there other means to  
16 achieve the same result as limiting the architecture? Yes, there are  
17 other means. And, that's why we do have an alternative process which  
18 we have successfully used before.

19 But, when we looked at our previous lessons learned  
20 from the recent design certification applications, because of the lack of  
21 evidence and because not all the hazards were correctly identified, we  
22 had a lot of issues approving and reviewing those designs.

23 COMMISSIONER OSTENDORFF: I'll just make a  
24 comment, I'm not going to ask a question of this, but in my vote on the  
25 Commission involvement or decisions rulemaking, I did use cite -- a  
26 paragraph using this SECY paper as an example. And, it's quite

1 frankly, not a positive example.

2                   Where it took 18 months in concurrence to come to the  
3 Commission and there is different -- I respect the fact everybody's  
4 engineers and always trying to do things the right thing, but both Rich  
5 and Deanna have hit upon there's different ways of looking at this in the  
6 organization.

7                   So, I just would ask you to look at my vote on that  
8 because I think it's highlighting the lack of agility in decision making  
9 here which I'm going to make a comment on as I close.

10                   I start out by saying I'm struggling with this one. At the  
11 conclusion of today's meeting, I'm still struggling.

12                   I've heard Deanna talk about well, we need to go back  
13 maybe and look at SECY-93-087. We've had -- the SECY paper talks  
14 about these other future rulemakings. They are not well defined.

15                   John, I appreciate the comment on public, you know,  
16 comment and so forth. My personal view as a Commissioner, I don't  
17 vote on something that I'm not comfortable putting out there that I would  
18 say this proposed rule can be a final.

19                   So, I'm very leery to vote on something to say throw it  
20 over the transom let public comment on. Is it premature? You know,  
21 with all these other moving parts, I can't, you know, we spend a lot of  
22 time, as Commissioner Svinicki noted, we've had a lot of different  
23 briefings before today from the staff on this exact topic.

24                   How should I look at our ability as a Commission to  
25 make a decision on this given all these other moving parts?

26                   MR. LUBINSKI: Yes, if I could. I'm going to refer a

1 little bit to John Tappert's comment a minute ago.

2 In addressing the issue with respect to the IEEE 603  
3 Standard, there are many options and the way to handling it is was  
4 stated, as Commissioner Svinicki said, there were diverse opinions  
5 from staff. And, you could probably go about three or four different  
6 options on how to move forward with respect to the standard.

7 We chose what we believed was the best option in  
8 moving forward and provided that to the Commission.

9 COMMISSIONER OSTENDORFF: I just want to  
10 make sure I'm clear on the record.

11 I do not fault the recommendation that came to the  
12 Commission. My real concern is these other ancillary efforts that are  
13 not real clear what they might mean going forward.

14 MR. LUBINSKI: Understood, I appreciate that.

15 And, the reason I brought that up too, my comment is  
16 that we think that the public comment period that we would have if this  
17 proposed rule is approved is important.

18 We also believe that in going forward, if we had no  
19 comments on the proposed rule and it went final, we believe it would be  
20 an effective way to regulate.

21 With respect to the other issues, we did take those into  
22 consideration and looking at continuing with this rulemaking.

23 In fact, common cause failure was one of the issues  
24 that we considered putting into this rulemaking and making part of this  
25 rulemaking at that time.

26 One of the reasons we pulled it out of the rule and are

1 looking at it as potentially, and that's what's referenced in the rule is the  
2 diversity and defense-in-depth rulemaking that's being handled under  
3 separate, is we did believe that more work was needed on that. We  
4 believed better regulatory basis was needed.

5 We also believed in going forward that more  
6 stakeholder interaction was needed, external stakeholder interaction.  
7 We do plan to do that in the coming year to work with the industry to get  
8 their issues.

9 We're currently calling it a rulemaking process.  
10 Whether it turns into a rule or not is going to be a question. It could be  
11 that we believe that the current policy or say policy position, if you will,  
12 on the SRM from 1993 is adequate and we continue to stick to it. It  
13 could be a modification and guidance but we won't know until we do  
14 more evaluation. But, we felt that was necessary.

15 In answering your question why are we comfortable  
16 going forward with 603 with these other issues there? We're not  
17 seeing that we need to change 50.59 and we don't see a big connection  
18 to 603 with that.

19 For common cause failure, that is one piece of what's  
20 being evaluated and if it turns into guidance, why should we hold up this  
21 rulemaking When it could just be a change in guidance and moving  
22 forward?

23 We would have certainty in the industry from the  
24 standpoint as a question you asked the industry earlier about additional  
25 applications coming in. We know that's the goal with the industry. In  
26 their roadmap, we understand that they've put target dates for the next,

1 I'll say, major application to come in and feel that if they can't get to the  
2 point of doing that, then that's not success on the roadmap.

3 We believe having some certainty with respect to how  
4 you handle 603 will help with the certainty in that application coming in.  
5 We believe handling these other issues in parallel, we have looked at  
6 the what can be done in parallel and what can be done in series and  
7 that's the reason the action plan was put together and we do believe  
8 that 603 can and should move forward while we're handling those  
9 issues in parallel.

10 COMMISSIONER OSTENDORFF: Okay, thank you.

11 CHAIRMAN BURNS: Thank you, Commissioner.

12 Commissioner Baran?

13 COMMISSIONER BARAN: Thanks.

14 John, let me just pick up right where Commissioner  
15 Ostendorff left off on this question of diversity and defense-in-depth and  
16 how to approach this.

17 And so, the ultimate recommendation from the staff  
18 was don't address that in this IEEE 603 rulemaking. Let's do what's  
19 likely going to be a separate rulemaking to address diversity and  
20 defense-in-depth.

21 And, I guess my first question on this is, what happens,  
22 you know, what happens if we don't include -- we don't address  
23 diversity and defense-in-depth in this rulemaking but then we end up  
24 not proceeding with a separate rulemaking on those topics? Where  
25 are we going to be at that point if we don't do it here and then, for  
26 whatever reason, ultimately, we don't do it separately?

1 MR. LUBINSKI: Okay, I will say from the first point is  
2 the IEEE 603 rulemaking is an incorporation by reference rulemaking  
3 into 50.55(a).

4 There is a link with common cause failure, diversity and  
5 defense-in-depth but it's not an industry standard, if you will, that's been  
6 put together that would be incorporated into 50.55(a). And, there have  
7 been questions whether that is the appropriate place for it or does it go  
8 in another section of the regulation if it becomes a rule.

9 From the standpoint of not addressing it, I would say  
10 that I believe the issue will be addressed. Whether it's addressed as a  
11 rulemaking or not is a separate question and I think that's where you're  
12 coming from.

13 If we were to move forward and look, there are a  
14 number of outcomes and I don't know what they're going to be. The  
15 outcome could be that our addressing of common cause failure is  
16 adequate the way it is, that the SRM that was issued in '93 is adequate  
17 and maybe there's only tweaking of the current guidance which  
18 incorporates that.

19 All the way to the other end, it says we believe the only  
20 way to have certainty is to put it into the rule.

21 We've discussed today some of the conditions that we  
22 would include and how important are they to be conditions in the rule for  
23 603 versus being handled through a guidance.

24 So, I think if I were to listen to your question of the  
25 worst case scenario if rulemaking was turned off in that area, what  
26 would happen? I believe there would be some type of enhancement

1 and guidance that would address this issue and we would go through  
2 the process of interacting with external stakeholders on that guidance  
3 to assure that it addresses the issues in an adequate manner.

4 COMMISSIONER BARAN: In that eventuality, we  
5 would continue to regulate based on this 1993 SRM. We wouldn't  
6 have anything in regulations, we'd have regulatory requirements based  
7 on an SRM.

8 MR. LUBINSKI: I would say that if we were doing  
9 something different in a guidance that contradicted the SRM in any  
10 way, we would not necessarily have to go through a rulemaking, but we  
11 would come back to the Commission with a statement of direction from  
12 the Commission in 1993 was this in an SRM and get Commission  
13 approval to change what was in that SRM. We would reference that  
14 SRM, talk about the merits of why we would change that and, if we were  
15 not doing rulemaking, we would say we plan to address this through  
16 staff guidance but request Commission endorsement of that new, if you  
17 will, standard or policy.

18 COMMISSIONER BARAN: I guess it just strikes me  
19 that there's some awkwardness in proceeding that way, right? I mean  
20 normally we have regulatory requirements that are actually enshrined in  
21 regulation versus in just a Staff Requirements Memorandum.

22 And so, if it's a very significant issue from the staff point  
23 of view, the idea that we'd address it but we'd never address it in actual  
24 regulation strikes me as problematic.

25 MR. LUBINSKI: Right, it's not addressed in a  
26 regulation at this point, but what we did is put it into durable guidance, if

1 you will, from the standpoint of our standard review plans, our ISGs as  
2 well as Branch Technical Position.

3 Branch Technical Position 719, thank you, I'm getting  
4 help from the back, thanks. It is listed in that Branch Technical  
5 Position which we use.

6 So, from a durable guidance standpoint, it is durable  
7 guidance.

8 COMMISSIONER BARAN: Jennifer, did you want  
9 to --

10 MS. UHLE: Yes, this is Jennifer Uhle, I'm the Director  
11 of the Office of New Reactors.

12 And, I think in part, the Commissioner's question is  
13 also asking what are -- where are the regulatory requirements for  
14 anything associated with Digital I&C?

15 And so, I&C has been certainly a requirement since the  
16 inception of nuclear power. And it specified in the general design  
17 criteria 21, 22, 23. There's elements in Appendix B, so that's Appendix  
18 B to Part 50.

19 And then, of course, there's IEEE 603 which is  
20 endorsed by reference under 50.55(a).

21 So, there is no one clear Digital I&C rule. That's not  
22 how it has been put together and it gets confusing because then it's a  
23 patchwork and we can talk about this element of IEEE 603 here. But  
24 then there's other issues about common cause failure and the reliability  
25 of the system that is discussed in the general design criteria and then  
26 the supporting guidance.

1                   So, I don't know if that helps at all. The SRM to  
2                   SECY-93-087 provides direction to the staff on how to implement those  
3                   regulatory requirements that are in the GDC and that was previously in  
4                   50.55(a).

5                   COMMISSIONER BARAN: But, is there a downside,  
6                   and this is a question for everyone who wants to answer it. Is there a  
7                   downside to seeking stakeholder feedback on a potential, you know,  
8                   provision on diversity and defense-in-depth through this proposed rule,  
9                   getting that feedback?

10                  Now, originally, once upon a time, in the staff process  
11                  developing this, there was a provision on this. It was taken out in  
12                  response to a nonconcurrence. Is there an advantage, given that we  
13                  don't know what the Commission may or may not approve in the future  
14                  on a separate rulemaking, we don't know even if there would be a  
15                  separate rulemaking, is there an advantage of to getting public  
16                  comment on that question now in this proposed rule? Is there any  
17                  downside to doing that?

18                  MR. LUBINSKI: We've already in our current  
19                  package in response to many of the nonconcurrences and differences  
20                  of opinion we've had included additional questions in the current  
21                  rulemaking package of which this is one of those questions how we  
22                  should address diversity and defense-in-depth common cause failure.

23                  It's a specific question, one of many that are listed in  
24                  the Statements of Consideration seeking feedback.

25                  We have also, if we were to move forward, issue the  
26                  proposed rule and have the workshops John talked about, that would

1 be one of the main topics of discussion along with the other questions  
2 that are listed in the rule today.

3 COMMISSIONER BARAN: Okay. Well, and then  
4 taking a step back on the -- and obviously, I think it's fair to say there are  
5 a wide range of views about how to proceed with this rulemaking, and  
6 we've talked a lot about the question of what goes in a regulation and  
7 what goes in guidance.

8 And, from your point of view, and this is a question  
9 really for either John or the other John, you know, how much of the  
10 disagreement about this just boils down to whether we're going to take  
11 some of these requirements and put them into a regulation versus keep  
12 them in guidance where they are now?

13 Is that really what the disagreement's about,  
14 whether -- not what the requirement or expectation would be, but rather  
15 does it reside in their regulation or does it reside in the guidance?

16 MR. LUBINSKI: I would say probably that's the  
17 majority of it, but that's not all of it. There are some disagreements and  
18 I think for the -- where there are technical disagreements even  
19 internally, and I know there are externally as well, but even internally  
20 where you may have disagreements on the technical requirements,  
21 there's a concern that if you do put it into the rule that makes it that  
22 much more difficult for the people with the diverse view to have their  
23 concerns addressed.

24 When they're in guidance documents, they feel that  
25 maybe there's a bit more leeway when they're going through a review  
26 process that it's only guidance and, therefore, they don't have to treat it

1 as a regulation when they're implementing it through a licensing  
2 process.

3 COMMISSIONER BARAN: Did you want to add  
4 anything on that, John?

5 MR. TAPPERT: I would just step it back to your  
6 previous question about the common cause failure and the desire to get  
7 stakeholder feedback in the context of the rulemaking.

8 So, John referred to the Federal Register Notice,  
9 proposed Federal Register Notice which had question in it.

10 We also have in the action plan a separate track to look  
11 at that one issue. And, as part of that, there will be public engagement  
12 and feedback. So, even absent the rule, there'll be activities to engage  
13 on that topic.

14 COMMISSIONER BARAN: And one of the issues or  
15 questions that came up on the first panel was, well, are these conditions  
16 that the staff has added to the core standard, are they  
17 performance-based technology neutral or are they technology specific?  
18 Does someone want to respond on that?

19 Is this a situation where we're potentially being overly  
20 prescriptive in the regulation and allowing only one way to do  
21 something or are these performance-based standards that are  
22 technology neutral?

23 MR. STATTEL: I would just like to point out, I know  
24 the perception might be that we're diametrically opposed on these  
25 matters. But, in actuality, we're a lot closer than you might think.

26 So, for example, if a design met all of the conditional

1 requirements that are being proposed here, no one at this table would  
2 disagree that that's a safe system, that that's an acceptable system.

3 Where the disagreement is, is that's the only way to  
4 achieve a safe system. So, in a lot of cases, you know, just the same  
5 conditions under a regulatory guidance perspective, you know, that  
6 would alleviate the difference of opinion. Right?

7 But, you know, When you start putting those  
8 prescriptive type requirements into the regulation, that's, you know,  
9 you're really boxing the designs in and that's where it becomes  
10 problematic.

11 COMMISSIONER BARAN: And, John and John, I  
12 mean are you share that view? Are these prescriptive requirements  
13 that are represented by these conditions that allow for only one way to  
14 do it?

15 MR. TAPPERT: And, I think at least some of that is  
16 being directed at some of the communications requirements for the new  
17 reactors communications provisions.

18 So, and I can't argue that those are anything but very  
19 prescriptive. I mean they are. And, the reason they are that way in  
20 the proposal is based on our experience in trying to review these design  
21 certifications.

22 And, it's been a very problematic area and our view is  
23 that to get better regulatory surety and have a better path to success on  
24 these things, it's appropriate to be that prescriptive, understanding in  
25 general that's not how we want to do business. But, in this particular  
26 instance, we think that the evidence supports that proposal.

1 MR. LUBINSKI: And, I would agree with John from  
2 the standpoint of that being prescriptive and I would not argue at all.

3 There are others that may be technology neutral and  
4 more performance-based such as the performance of a hazard  
5 analysis. There's not -- it's not prescriptive in how it's done, what the  
6 results need to be, but it's that the hazard analysis is performed.

7 And, I'd say that's more of a level of detail of  
8 information that's provided to the NRC for review versus a prescriptive  
9 design standard in this.

10 COMMISSIONER BARAN: Is the one way  
11 communication, is that the only example of a condition that's  
12 prescriptive from your point of view?

13 MR. STATTEL: No, there are three criteria in the new  
14 reactors clause. One is that communications for a diverse control, so  
15 basically a non-safety signal to actuate a safety injection pump, for  
16 example. That would have to be transmitted via a non-digital means.  
17 So, basically, it would have to be a discrete analog signal essentially.

18 And, of course, the one way communications to  
19 non-safety-related systems, that's the other example.

20 MS. ZHANG: So, specific to new reactors, that's the  
21 answer is the prescriptiveness comes for the new reactor  
22 independence clauses. But, in terms of, you know, are there better  
23 ways of doing it? And this is where we are looking at the highly  
24 integrated systems, new methodologies for assessing it as part of our  
25 Digital I&C action plan.

26 And, we have active research in this area where we're

1 working with the Carnegie Mellon Institute to look at modeling  
2 techniques to bottle some of the design certification applications to  
3 have come in.

4 And, based on the results of those studies, we may find  
5 that there are better ways to do it.

6 COMMISSIONER BARAN: Okay, thank you.

7 CHAIRMAN BURNS: Thank you.

8 Anything else from my colleagues?

9 Well, again, I appreciate the presentations from the  
10 staff today as well as from our first panel. It's been a good discussion  
11 of the issues related to the use of digital technology in the nuclear  
12 industry and our associated regulatory activities.

13 Obviously, an area of high interest and today's  
14 discussion I think are important input to the Commission's consideration  
15 of various matters including the particular paper in front of us.

16 Again, thank you. And, with that, we'll adjourn.

17 (Whereupon, the above-entitled matter went off the  
18 record at 4:23 p.m.)