Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Subcommittee	Advi	sory Committee on Reactor Safe Thermal-Hydraulic Phenomena Open Session	juards a
Docket Numbe	er:	(n/a)	
Location:		Rockville, Maryland	
Date:		Monday, September 21, 2015	
Work Order No	D.:	NRC-1916	Pages 1-24
		NEAL R. GROSS AND CO., INC. Court Reporters and Transcribers 1323 Rhode Island Avenue, N.W.	

323 Rhode Island Avenue, N.W Washington, D.C. 20005 (202) 234-4433

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

THERMAL-HYDRAULIC SUBCOMMITTEE

OPEN SESSION

+ + + + +

MONDAY

SEPTEMBER 21, 2015

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear

Regulatory Commission, Two White Flint North, Room

T2B1, 11545 Rockville Pike, at 1:00 p.m., Sanjoy

Banerjee, Meeting Chairman, presiding.

COMMITTEE MEMBERS:

SANJOY BANERJEE, Subcommittee Chairman

RONALD G. BALLINGER, Member

MICHAEL L. CORRADINI, Member

STEPHEN P. SCHULTZ, Member

ACRS CONSULTANTS:

UPENDRA S. ROHATGI

KORD SMITH

DESIGNATED FEDERAL OFFICIAL:

ZENA ABDULLAHI

ALSO PRESENT:

ALSO PRESENT:

MIKE COOK, GEH

CRAIG GOODSON, GEH

CHARLES HECK, GEH

MAGGIE HWANG, GEH

CHRISTOPHER P. JACKSON, NRR

JOSE MARCH-LEUBA, ORNL*

CURT ROBERT, GEH

DIEGO S. SAENZ, NRR

ASHLEY SMITH, NRR

PETER J. YARSKY, RES

*Present via telephone

AGENDA

Opening Chairman Remarks4
Staff Opening Remarks6
ACRS Member Remarks128
Adjourn

	5
1	P-R-O-C-E-E-D-I-N-G-S
2	(1:00 p.m.)
3	CHAIRMAN BANERJEE: This is a meeting of
4	the Thermal Hydraulic Subcommittee of the Advisory
5	Committee on Reactor Safeguards. I am Sanjoy
6	Banerjee, Chairman of the Subcommittee, and the
7	ACRS members in attendance today are Steve Schultz,
8	Mike Corradini, and Ron Ballinger. We also have
9	ACRS consultants, Upendra Rohatgi and Kord Smith.
10	Zena Abdullahi is the Designated Federal Official
11	for this meeting.
12	At the outset, I must apologize for
13	starting late. We are missing a court reporter, and
14	we will be recording this instead so that we can
15	have it transcribed later.
16	So, at today's meeting GE will brief us
17	on the TRACG ATWS instability methodology.
18	Subsequently, we'll have discussion exclusive with
19	the NRC Staff. During the session, the Staff will
20	update us on the technical reviews related to the
21	ATWS instability methodology and relative to
22	experimental data.
23	This Subcommittee meeting will be
24	closed to the public in order to protect
25	information that is proprietary both to GE and

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

6 other vendors. During the closed portion of 1 this 2 meeting, we will request that GEH and NRC Staff survey the attendees in the room and insure that 3 4 all participants are cleared for access to the information being discussed. 5 In the closed session of this meeting 6 7 we request also that those that call in through the 8 closed bridge numbers identify themselves, when 9 prompted. We request that GEH and the Staff confirm 10 that the participants are, in fact, cleared for the 11 respective closed portion of the meeting. We also 12 request that the teleconference participants mute 13 their telephones during the meeting. 14 As the meeting is being transcribed, it 15 is requested that the attendees in this meeting use 16 the microphones located throughout this room when 17 addressing the Subcommittee. Participants should 18 first identify themselves and speak with sufficient 19 clarity and volume so that they can be readily 20 heard. 21 As additional reminder, an the 22 presenters' microphones should be turned off during 23 normal discussion, and only turned on when the 24 presenter wants to be heard. 25 Okay. With that, we'll now proceed with

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

the meeting, and I call upon Chris Jackson, the Branch Chief of Reactor Systems in NRR to kick off the meeting.

MR. JACKSON: Good. Well, thank you. I'm 4 5 just going to open up the meeting and kind of give you an outline as to what we're going to touch on. 6 7 This is one of the more interesting meetings, or 8 more unique meetings of the ACRS that we've had. We 9 have no licensing decision in front of us. We're 10 not on the docket, so that's kind of unique. But in 11 opinion it's qood in that we're talking my 12 technical issues. We don't have an impending 13 licensing action or regulatory decision. There's no 14 outage scheduled related to this, so we can freely 15 discuss technical matters, so I want to thank you 16 for that.

17 You know, this MELLA+ with the extended 18 flow window has gone on a lot of time and we've had 19 a lot of exchanges, so I appreciate the opportunity 20 to talk to you all today. I think we've got a great 21 presentation. I've got Diego Saenz, my Staff member 22 here who's extremely knowledgeable. We've got Peter 23 Yarsky from the Office of Research who's also 24 extremely knowledgeable. Hopefully, we have Jose 25 March-Leuba on the phone who's been helping us for

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

1

2

3

(202) 234-4433

	8
1	many years. I see Ashley Smith over there, as well,
2	who's been working on this for several years, as
3	well. So, we'll do our best to answer your
4	questions given that this is more information. If
5	we can't answer all your questions, we'll come
6	back. We will have more licensing, more traditional
7	type decisions in the future, but this is very
8	helpful for me.
9	All right. My name is Chris Jackson.
10	I'm Chief of the Reactor Systems Branch. I wanted
11	to just give you a high-level background as to what
12	we're
13	CHAIRMAN BANERJEE: Do we have these
14	slides, Chris, somewhere?
15	MEMBER BALLINGER: I'm trying to find
16	them. I can't.
17	CHAIRMAN BANERJEE: Oh, you sent them -
18	we have them by email.
19	MS. ABDULLAHI: You have it by email,
20	but I don't have a hard copy.
21	CHAIRMAN BANERJEE: You haven't a hard
22	copy, okay.
23	MR. JACKSON: We can get them for you.
24	They're pretty high-level.
25	CHAIRMAN BANERJEE: Yes.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

JACKSON: Okay. So, extensions 1 MR. of 2 operating domain, we've been working the BWR on 3 this for close to 10 years. There was a Topical 4 Report for MELLA+ for GEH. Plants have started to 5 implement that. AREVA, the other vendor, is marketing their own solution called the Extended 6 7 Window. And, obviously, operating at Flow hiqh 8 powers at lower flows puts you closer to the 9 instability region. It doesn't necessarily make you 10 --- the consequences worse, but it puts you closer 11 to the instability. So, if you looked at the ATWS 12 day, require Rule back in the it didn't any 13 analysis whatsoever. It didn't require a continuing 14 analysis as the plant made changes or changed 15 fuels, changed power levels. Ιt just required amendment 16 hardware. But because this license 17 request puts them closer to the instability region, 18 we've asked them to recalculate ATWSI with the new 19 result.

So, this is kind of an interesting regulatory decision that we haven't made in many years, and the decisions we made in the past were based on the analysis and code, and techniques we had at that time. All right, so that was Background 1. Here's Background 2.

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 All right. Just for high-level, the 2 acceptance criteria for ATWS is coolable geometry. 3 You know, if you go back to the NEDO from 1995, the document that kind of was the basis for all our 4 clad 5 decisions, you know. Ιt allowed peak temperatures to remain below 2200 for all but the 6 7 hottest fuel rods, SO we actually let а small 8 number of assemblies to exceed 2200. So, we used 9 2200 surrogate for coolable as а geometry, 10 recognizing that some pins or some small amount of 11 elements could go out 2200. And in our ATWSI calculations or MELLA+ 12 applications, we've actually backed off of 13 that 14 based on recognized uncertainties in the TRACG methods that are used, so we are now using a Tmin 15 16 basis which is several hundred degrees below 2200, 17 applying another kind of layer SO we are of 18 uncertainty work through some of those as we 19 uncertainties. we're trying fill And to the 20 technical basis or technical gaps there in those 21 uncertainties. 22 So, why are we here today? We're here 23 today because ACRS asked us to be, obviously, but 24 this stems from a statement that was in the Nine 25 Mile Point MELLA+ letter. So, the ACRS reviewed

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	11
1	Nine Mile Point MELLA+ in the NRC SER and
2	recommended we approve it, but they included the
3	statement, "As more dryout, post dryout, and
4	rewetting data becomes available at higher rod
5	temperatures in oscillatory flows, the Staff should
6	confirm the adequacy of a fixed Tmin transient flow
7	boiling calculation "dryout temperature
8	predictions." So, this is kind of the statement
9	that we used to focus our whole presentation. We've
10	got General Electric here to come talk about what
11	they do, and how they do it, and their technical
12	rationale for that. We'll talk about how we're
13	dealing with this, and how we're addressing some of
14	the uncertainties we've identified through the
15	years.
16	Then just to provide a very high level,
17	here's just a simple boiling curve out of a
18	textbook, and I want to just kind of highlight how
19	we do this. You know, if you look at this boiling
20	curve, you know, everything to the left of this,
21	this is normal operation and AAOs, you know, so as
22	you're following this curve, this is where they
23	make their power. This is your transients, your
24	accidents. We deal with these on a cycle by cycle
25	basis. We apply 95-95. There's an enormous amount

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

12 technical basis and data supporting this, 1 of and 2 TRACG. All of the codes that we have are approved 3 very explicitly in this region here. 4 When you get beyond that allow we plants to go beyond that in accidents, and when we 5 get the film boiling region here, this is data, 6 7 this is where we would be in like a LOCA regime 8 where you blow all the water out of the core. So, 9 we've got a lot of data in this region here from 10 LOCA tests and other things along those lines. So, 11 kind of in between those areas, that's the 12 transition region where we have less data. You 13 know, we assume that you go beyond transition 14 boiling in AOOs, that's unacceptable, in accidents

we allow it, but we deal with that on a different basis. So, this is kind of the area I think we want to discuss today.

You know, you consider this Tmin down here, so it would Tmin --- this area is where you want to figure out how to deal with that, and that's kind of where we're going to focus our discussion.

23 MEMBER CORRADINI: So, let me start with 24 a question. I always love this curve, except for 25 ATWS it's not representative, because at high

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

15

16

17

18

19

20

21

22

	13
1	pressures Tmin is not that low. It's actually quite
2	close to, so what I'm curious about is let me
3	ask my question because he told me to not ask too
4	many technical questions, and he'll shut me off.
5	CHAIRMAN BANERJEE: It's okay, this is
6	your first question.
7	MEMBER CORRADINI: Okay, thank you.
8	So, in terms of ATWS applications, the
9	only way to cross the CHF point is either by a
10	power increase, a pressure modification, or a flow
11	modification. So, it's not really LOCA-related
12	because then I have to deal with a reflood issue
13	and more two-dimensional heat transfer versus
14	essentially one dimensional at a spot. Is that a
15	- am I correct in that understanding?
16	MR. JACKSON: I think so. So, where
17	you're getting at, and that's the exact point I'm
18	trying to make, is when you're dealing with ATWS
19	you are going back and forth out of this region
20	over, and over, and over again. And this is the
21	region that we don't have a whole lot of data, so
22	it's LOCA data which is way over here, and it's not
23	AAO data which is over here. It kind of bounces
24	back and forth, so you're between the film boiling
25	region and then when you rewet, you're back in the

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	14
1	nucleate boiling region. So, you're kind of hopping
2	back and forth.
3	CHAIRMAN BANERJEE: I wanted to ask
4	MR. JACKSON: But you're at high
5	pressure.
6	CHAIRMAN BANERJEE: a question
7	earlier than what Corradini's so, in many
8	experiments like those done in the early days by
9	Jeff Hewitt and so on, when you get to relatively
10	high void fractions, the phenomena that leads to
11	high wall temperatures is that you simply don't
12	have a liquid film any more on the surface. So,
13	it's not typically that you've got a lot of liquid
14	and now you've got lots of bubbles being formed,
15	which then form a blanket, and something like that
16	which stops that wall from being cooled by the
17	liquid.
18	So, the phenomena is different in
19	dryout in the sense that the liquid film which is
20	maintained by a balance of entrainment versus
21	deposition is not replenished sufficiently fast
22	taking into account evaporation eventually. It just
23	vanishes. You start to get dry patches, and these
24	dry patches grow, and all sorts of things happen.
25	Now, when you start to wet that

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	15
1	situation, as Mike said, there is the re-
2	establishment of the liquid film occurring, and
3	that's a complicated thing. In fact, I spent my
4	youth doing things like trying to study this, but
5	it's really there is no clear rewetting point.
6	If you really look at it, what it is is a sort of a
7	knee in the curve. So, the idea of rewetting being
8	a specific temperature is fiction. I mean,
9	depending on various local conditions and things,
10	you can get different matters happening that
11	MR. JACKSON: Well, I don't know if I
12	would say it's fictional.
13	CHAIRMAN BANERJEE: At least at the
14	high
15	MR. JACKSON: I would say that we're in
16	agreement
17	CHAIRMAN BANERJEE: It's a question of
18	interpretation. It's really the knee in the curve
19	that you're looking at.
20	MR. JACKSON: Right. I would acknowledge
21	that we have uncertainty in this region, and that
22	we need to come up with the analytical regulatory
23	way to deal with
24	CHAIRMAN BANERJEE: Now, the boiling
25	curve you've drawn is qualitatively correct.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	16
1	There's nothing wrong with it. It's a function of a
2	whole bunch of factors.
3	MR. JACKSON: Right.
4	CHAIRMAN BANERJEE: Including
5	convection, velocity, and all sorts of things.
6	MR. JACKSON: If we go back to the kind
7	of tasking sentence out of the ACRS memo, a fixed
8	Tmin and transient low boiling calculation, and
9	although a fixed Tmin, I'm not sure what but
10	that's the area. I mean, this is what the ACRS is
11	interested in, is this kind of region.
12	MEMBER CORRADINI: So, not to pick in
13	you, Chris.
14	MR. JACKSON: Right.
15	MEMBER CORRADINI: But I'm kind of with
16	him. So, let's say I'm in the BWR situation. I have
17	annular flow, dry CHF occurs because of film
18	dryout phenomena versus in a P situation where I've
19	still got a lot of liquid somewhere, and I just
20	vapor near the wall. So, I'm over here in that
21	cartoon picture.
22	Is rewet and Tmin one and the same?
23	MR. JACKSON: We'll discuss is it
24	one and the same? We'll discuss we'll get to
25	some of that.

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	17
1	CHAIRMAN BANERJEE: Setting traps, don't
2	fall into the trap.
3	MR. JACKSON: I'm going to say I don't
4	know, and I'm not sure that but I think as we
5	go through today with the GE presentation and our
6	presentation, we'll get to
7	MEMBER CORRADINI: Okay.
8	MR. JACKSON: All right. And then if we
9	just that was my slide, but if we go back to
10	what we're tasked with in the MELLA+ Topical
11	Report, in redoing the ATWSI calculation in
12	conformance or in a similar way that we did for
13	this NEDO calculation back in the late '80s and
14	'90s. That's our objective here, that's what we're
15	tasked with doing.
16	MEMBER CORRADINI: Can I ask another
17	question?
18	MR. JACKSON: You betcha.
19	MEMBER CORRADINI: So, Staff is
20	MR. JACKSON: The picture going to help
21	me, or hurt me, or
22	MEMBER CORRADINI: Well, I don't know.
23	Staff is using Staff is strictly looking at
24	whether it would General Electric, AREVA, or some
25	vendors' proposal, or is Staff doing calculations

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	18
1	with TRACE as an audit function to see what their
2	best state of knowledge says relative to all of
3	this?
4	MR. JACKSON: So, we did do confirmatory
5	calculations with TRACE and compared them with what
6	we were getting from a similar calculation done
7	with GE. We presented those results to the ACRS
8	
9	MEMBER CORRADINI: Okay.
10	MR. JACKSON: on Grand Gulf. So,
11	yes, we've done a one-to-one comparison
12	CHAIRMAN BANERJEE: I guess the issue is
13	that yes, we saw those in Grand Gulf.
14	MR. JACKSON: Not for the Grand Gulf
15	plant, though, for a hybrid.
16	MEMBER CORRADINI: I understand.
17	CHAIRMAN BANERJEE: Some sort of plant.
18	MEMBER CORRADINI: So, if we go
19	don'[t go back to the curve, but if I look at that
20	curve there is somewhere in some document somewhere
21	a set of TRACE calculations that show how that
22	curve changes with pressure and flow. Because, to
23	me, that's in an ATWS, that's what initiates
24	something going off from the good side of the curve
25	to the bad side of the curve. It's either a

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	19
1	pressure change, or a flow change.
2	MR. JACKSON: Or a power change.
3	MEMBER CORRADINI: Or a power change
4	which is initiated normally by the other two. So,
5	where would some calculation like that exist that I
6	can look at, if such calculations exist? Parametric
7	calculation such as that.
8	MR. JACKSON: I don't I'm going to
9	call a friend
10	DR. YARSKY: This is Peter Yarsky from
11	the Research
12	MEMBER CORRADINI: I recognize you.
13	DR. YARSKY: I think what you're sort of
14	requesting is, you know, how have we in our TRACE
15	calculations looked at sort of plotting out like
16	where we think the heat transfer regime is during
17	prototypic ATWS instability situations, and sort of
18	functional as that in terms of flow rate.
19	I mean, the pressure is very is
20	essentially constant, so it's really this flow
21	variation that's really important. But I don't
22	think that we've produced that figure, so I don't
23	think there's something that we can point to during
24	
25	MEMBER CORRADINI: So, a pump trip is
	NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	20	
1	the flow version of what I was	
2	DR. YARSKY: Well, it really is	
3	because of the instability, the magnitude of the	
4	flow oscillation is what becomes very significant.	
5	MEMBER CORRADINI: Okay.	
6	CHAIRMAN BANERJEE: But, also, there's a	
7	huge void oscillation.	
8	DR. YARSKY: Yes.	
9	MEMBER CORRADINI: But the initiator	
10		
11	DR. YARSKY: Which is also	
12	MEMBER CORRADINI: is either flow	
13	or pressure.	
14	DR. YARSKY: significant, but	
15	related to the flow oscillation.	
16	CHAIRMAN BANERJEE: Yes.	
17	MEMBER CORRADINI: It's either due to	
18	flow or pressure, so you have done them for flow?	
19	DR. YARSKY: We've done the calculation.	
20	I don't think that we've plotted the result in the	
21	way that I think you want us that you want to	
22	see it, is what I'm saying.	
23	MEMBER CORRADINI: Well, where I'm going	
24	with this is, since we've seen a lot of things and	
25	I can't remember who showed it, so I can't say what	

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

I saw, because I'm not sure who showed it. But it 1 2 sure would be instructive, because I want to --- I 3 actually want to see what the fuel experience is as 4 I go through this transient. And then map onto that what you've decided at least in the audit world 5 6 what you think you believe as to the physics that's 7 That's where I'm still struggling, qoinq on. 8 because I'm still struggling with the concept of 9 rewet versus Tmin, versus Tquench. 10 DR. YARSKY: Right. 11 MEMBER CORRADINI: So, I'll stop for 12 now. 13 CHAIRMAN BANERJEE: Okay. Chris, please 14 continue. 15 MR. JACKSON: Good. That's all I had. I 16 think some --- I could put up the picture of the --17 18 CHAIRMAN BANERJEE: think Ι you are 19 lucky that you are getting off. JACKSON: I'll be back with 20 MR. the Staff in the next session, or the session after GE. 21 22 So with that, I'll introduce them. 23 CHAIRMAN BANERJEE: Okay. Thanks, Chris. 24 So, now we're going to --- are you going to 25 introduce GEH to us, and go into closed session?

> NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

	22				
1	MR. JACKSON: Yes. I think we were in				
2	closed session, but				
3	CHAIRMAN BANERJEE: No, we were not up				
4	to this point.				
5	MR. JACKSON: Okay.				
6	CHAIRMAN BANERJEE: So, let me verify				
7	that we are either in closed session, or not in				
8	closed session. If we are not in closed session,				
9	that we will be going into closed session. So,				
10	please verify that				
11	(Off the record comments)				
12	(Whereupon, the above-entitled matter				
13	went off the record at 1:28 p.m. to enter Closed				
14	Session, and reconvened in Open Session at 5:47				
15	p.m.)				
16	CHAIRMAN BANERJEE: So, we are back in				
17	session, open session now.				
18	And I'd like to know if the bridgeline				
19	is now open for the public as well? It's open?				
20	So, is there anybody from the public on				
21	the bridgeline who would like to make a comment?				
22	If so, please identify yourself.				
23	Since nobody is on the bridgeline at				
24	the moment				
25	MS. ABDULLAHI: No, no, somebody				
	NEAL R. GROSS				

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

	23				
1	quickly check, we just heard right, or was that any				
2	of us connecting? Ask if somebody's on the				
3	bridgeline.				
4	CHAIRMAN BANERJEE: All right, but I				
5	did.				
6	MS. ABDULLAHI: Oh, okay.				
7	CHAIRMAN BANERJEE: Is anybody on the				
8	bridgeline? Public bridgeline?				
9	Well, since nobody's on the bridgeline,				
10	I think we'll move forward with the proceedings and				
11	I'd like to ask any members of the subcommittee who				
12	would like to make any comments during the open				
13	session as to what they would like to say, you can				
14	start.				
15	Please, no proprietary information.				
16	CONSULTANT ROHATGI: All the Tmin				
17	correlations which have come out from low pressure				
18	or LOCA type of analysis and are we trying to apply				
19	them to ATWS?				
20	And, the way there are a lot of				
21	transients taking place and I think we need a				
22	discussion, what causes Tmin, I mean because there				
23	is maybe, Michael said the word compensating				
24	phenomena, so we need a discussion from the vendors				
25	on how the transient like film formation, heat				

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	24		
1	transfer, conduction which will contribute to Tmin.		
2	The other two is nobody talked about		
3	contact anchor and I think if we had a paper where		
4	they showed the contact anchor makes a big		
5	difference in Tmin in 100 to 150 degrees.		
6	And, all these data is about the		
7	properties but nothing about contact anchors.		
8	There is some discussion on that.		
9	The other one was all these tests we		
10	are doing, the size of the rod makes a difference.		
11	The smaller the diameter, higher is Tmin.		
12	I think, other than that, it was a very		
13	interesting presentation and I enjoyed and I		
14	learned.		
15	CHAIRMAN BANERJEE: Great. So, we'll		
16	get you the document, some of these		
17	CONSULTANT ROHATGI: Oh yes		
18	CHAIRMAN BANERJEE: and we'll pass		
19	it on to the staff and then they can deal with it.		
20	Okay, Steve, do you have any comments?		
21	MEMBER SCHULTZ: I don't have further		
22	comments or questions. I did want to thank all the		
23	presenters today. I thought the discussions were		
24	well organized and learned a lot from them. Thank		
25	you.		

COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

	25			
1	CHAIRMAN BANERJEE: Mike?			
2	MR. COOK: No comments, just thank both			
3	GE and the staff for their presentations.			
4	CHAIRMAN BANERJEE: Okay. Kord, do you			
5	have anything?			
6	CONSULTANT SMITH: I have no			
7	substantive comments. I found the presentations			
8	were very well put together. Nicely followed.			
9	CHAIRMAN BANERJEE: Mike?			
10	MEMBER CORRADINI: No comments. I'm			
11	glad that I'm finally homing in on the differences.			
12	CHAIRMAN BANERJEE: You did have a			
13	comment which was how one could have a parabolic			
14	curve through two sets of data events?			
15	MEMBER CORRADINI: I wasn't sure I was			
16	allowed to say such things.			
17	CHAIRMAN BANERJEE: It's okay.			
18	MEMBER CORRADINI: No, this is be			
19	branded a heretic.			
20	CHAIRMAN BANERJEE: Yes.			
21	MR. JACKSON: We stopped branding			
22	heretics years ago.			
23	MEMBER CORRADINI: I thought metallurgy			
24	was black magic. The hydraulics guys have got			
25	we've got nothing.			

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

```
(202) 234-4433
```

	26			
1	CHAIRMAN BANERJEE: So, I think it			
2	remains for me to close this, but once more before			
3	I close the meeting and thank everybody, I want to			
4	know if there is anybody on the public line because			
5	apparently the line was muted previously? Is it			
6	not muted now?			
7	DR. MARCH-LEUBA: Jose March-Leuba from			
8	Oak Ridge, can you hear me?			
9	CHAIRMAN BANERJEE: Yes, we can hear			
10	you, Jose.			
11	DR. MARCH-LEUBA: I'm here.			
12	CHAIRMAN BANERJEE: Yes, you're here,			
13	so the line is non-muted now.			
14	Do you have any comment, Jose, that you			
15	want to make?			
16	DR. MARCH-LEUBA: No, I don't.			
17	CHAIRMAN BANERJEE: Okay. So, with			
18	that, it remains for me to thank everybody,			
19	particularly GE, for coming out and making an			
20	excellent presentation. I think it was very			
21	illuminating and we appreciated hearing from you			
22	very much.			
23	And, thanks, of course, to the staff			
24	for always, your presentation was also very			
25	illuminating and your plans to go forward, I think,			

NEAL R. GROSS COURT REPORTERS AND TRANSCRIBERS 1323 RHODE ISLAND AVE., N.W. WASHINGTON, D.C. 20005-3701

(202) 234-4433

		27
1	will have very strong support.	
2	So, with that, thank you all,	again,
3	for coming and I'd like to close the meeti	ng. Is
4	it proper to say adjourn the meeting? Adjo	ourn the
5	meeting.	
6	(Whereupon, the above-entitled	matter
7	was concluded at 5:53 p.m.)	
8		
9		
	NEAL R. GROSS	
	(202) 234-4433 COURT REPORTERS AND TRANSCRIBERS WASHINGTON, D.C. 20005-3701	(202) 234-4433



ACRS Thermal Hydraulics Subcommittee

Use of TRACG to Support Maximum Extended Load Line Limit Analysis Plus (MELLLA+) Licensing Decisions

September 21, 2015



Introduction

Christopher Jackson

Chief

Reactor Systems Branch Division of Safety Systems Office of Nuclear Reactor Regulation



Background (1/2)

- Extensions of Boiling Water Reactor operating domains to lower core flows (i.e., Maximum Extended Load Line Limit Plus (MELLLA+) and Extended Flow Window (EFW)) provide additional operator flexibility and reduce the need for control rod maneuvers
- As part of License Amendment Requests (LARs) related to MELLLA+ and EFW the NRC staff reviews the transient calculations of Anticipated Transients without Scram with Instability (ATWSI)



Background (2/2)

- Acceptance criteria for ATWS is coolable core geometry
- From NEDO-32047-A (June 1995): "Peak clad temperatures are calculated to remain below 1500 K (2200°F) for all but a limited length of the hottest fuel rods in a few fuel bundles."
- Applied 2200°F as a surrogate
- In light of uncertainty, have applied Tmin (based on Shumway correlation) as acceptance criteria
- Nine Mile Point 2 MELLLA+ ACRS Letter (July 2015): "As more dryout, post-dryout, and rewetting data become available at higher rod temperatures and oscillatory flows, the staff should confirm the adequacy of a fixed Tmin in transient flow boiling calculations and post-dryout temperature predictions."



Boiling Curve

Heat transfer for water (@ 1 atm)

S-shaped graph when heat flux (q") is compared to temperature.



"Heat transfer leading to Leidenfrost effect for water at 1 atm" by Marco Guzman, Jr - Own work. Licensed under Public Domain via Commons https://commons.wikimedia.org/wiki/File:Heat_transfer_leading_to_Leidenfrost_effect_for_water_at_1_atm.png#/media/File:Heat_transfer_leading_to_Leidenfrost_effect_for_water_at_1_atm.png