

## IPRenewal NPEmails

---

**From:** Pickett, Douglas  
**Sent:** Thursday, August 04, 2016 4:46 PM  
**To:** Dave Lochbaum (dlochbaum@ucsusa.org); Prussman, Stephen G (SPrussm@entergy.com); Walpole, Robert W (rwalpol@entergy.com)  
**Cc:** Benner, Eric; Dentel, Glenn; Banic, Merrilee; Hair, Christopher  
**Subject:** Status of UCS 2.206 Petition RE: Indian Point Reactor Vessel Baffle-Former Bolts  
**Attachments:** Transcript of UCS Presentation July 28 2016.pdf

Gentlemen –

Attached for your information is the publicly available transcript of the Union of Concerned Scientists presentation of July 28, 2016, before the Petition Review Board concerning their 10 CFR 2.206 petition regarding the Indian Point reactor vessel baffle-former bolts. The transcript can be found in ADAMS at ML16215A391.

In accordance with NRC's Management Directive 8.11, "Review Process for 10 CFR 2.206 Petitions," the petition review board met internally this afternoon to make its initial recommendation regarding accepting or rejecting the petition for further review under 10 CFR 2.206. The PRB's initial recommendation, which has been concurred on by the NRR front office, is to accept the petition for review.

Mr. Lochbaum - Our Management Directive stipulates that the petitioner be offered an opportunity to comment on the PRB's initial recommendation. This would be done via a public meeting or telephone conference call similar to what we did for your presentation on July 28. If you decide to decline the opportunity to comment on the initial recommendation, it will become final. At that point, I will prepare an acknowledgement letter, that will be publicly available, that characterizes your petition and informs you that your petition has been accepted for review.

Please let me know of your decision.

Doug

Douglas V. Pickett, Senior Project Manager  
Indian Point Nuclear Generating Unit Nos. 2 & 3  
[Douglas.Pickett@nrc.gov](mailto:Douglas.Pickett@nrc.gov)  
301-415-1364

**Hearing Identifier:** IndianPointUnits2and3NonPublic\_EX  
**Email Number:** 7595

**Mail Envelope Properties** (6cf330b8b6a5416bb7c0e8f805436051)

**Subject:** Status of UCS 2.206 Petition RE: Indian Point Reactor Vessel Baffle-Former Bolts  
**Sent Date:** 8/4/2016 4:45:32 PM  
**Received Date:** 8/4/2016 4:45:34 PM  
**From:** Pickett, Douglas

**Created By:** Douglas.Pickett@nrc.gov

**Recipients:**

"Benner, Eric" <Eric.Benner@nrc.gov>  
Tracking Status: None  
"Dentel, Glenn" <Glenn.Dentel@nrc.gov>  
Tracking Status: None  
"Banic, Merrilee" <Merrilee.Banic@nrc.gov>  
Tracking Status: None  
"Hair, Christopher" <Christopher.Hair@nrc.gov>  
Tracking Status: None  
"Dave Lochbaum (dlochbaum@ucsusa.org)" <dlochbaum@ucsusa.org>  
Tracking Status: None  
"Prussman, Stephen G (SPrusm@entergy.com)" <SPrusm@entergy.com>  
Tracking Status: None  
"Walpole, Robert W (rwalpol@entergy.com)" <rwalpol@entergy.com>  
Tracking Status: None

**Post Office:** HQPWMSMRS06.nrc.gov

<b>Files</b>	<b>Size</b>	<b>Date &amp; Time</b>
MESSAGE	1529	8/4/2016 4:45:34 PM
Transcript of UCS Presentation July 28 2016.pdf		201827

**Options**

**Priority:** Standard  
**Return Notification:** No  
**Reply Requested:** No  
**Sensitivity:** Normal  
**Expiration Date:**  
**Recipients Received:**

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: 10 CFR 2.206 Petition Review Board  
RE Union of Concerned Scientists

Docket Numbers: Indian Point Nuclear Generating Unit Nos. 2  
and 3. 50-247 and 50-286

Location: teleconference

Date: Thursday, July 28, 2016

Edited by Douglas Pickett, August 2, 2016

Work Order No.: NRC-2504

Pages 1-22

NEAL R. GROSS AND CO., INC.  
Court Reporters and Transcribers  
1323 Rhode Island Avenue, N.W.  
Washington, D.C. 20005  
(202) 234-4433

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

+ + + + +

10 CFR 2.206 PETITION REVIEW BOARD (PRB)

CONFERENCE CALL

RE

UNION OF CONCERNED SCIENTIST'S PETITION

DATED JUNE 30, 2016

+ + + + +

THURSDAY

JULY 28, 2016

+ + + + +

The conference call was held, Eric Benner, Chairperson of the Petition Review Board, presiding.

PETITIONER: DAVID LOCHBAUM

PETITION REVIEW BOARD MEMBERS

ERIC BENNER, Deputy Director, Division of  
Operating Reactor Licensing, Office of  
Nuclear Reactor Regulation

DOUGLAS PICKETT, Petition Manager for 2.206  
petition

RUSS ARRIGHI, Senior Enforcement Specialist,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

Office of Enforcement

CHRISTOPHER HAIR, Attorney, Office of General  
Counsel

ALLEN HISER, Senior Technical Advisor,  
Division of License Renewal

JACK MCHALE, Branch Chief, Division of  
Engineering

NRC HEADQUARTERS STAFF

GANESH CHERUVENKI, Mechanical Engineer,  
Vessels and Internal Integrity Branch

NIKLAS FLOYD, Acting Senior Project Engineer,  
Division of Reactor Projects, Region 1

MICHAEL MODES, Senior Reactor Inspector,  
Engineering Branch, Region 1

GARRETT NEWMAN, Resident Inspector, Indian  
Point

SERITA SANDERS, Petition Coordinator,  
Office of Nuclear Reactor Regulation

DIANE SCRENCI, Sr. Public Affairs Officer,  
Office of Public Affairs, Region 1

NEIL SHEEHAN, Public Affairs Officer, Office  
of Public Affairs, Region 1

TRAVIS TATE, Branch Chief, Division of  
Operating Reactor Licensing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

## P R O C E E D I N G S

1:33 p.m.

1  
2  
3 MR. PICKETT: Good afternoon. I would like  
4 to thank everybody for attending this meeting. My  
5 name is Doug Pickett, and I am an Indian Point Project  
6 Manager for the NRC's Office of Nuclear Reactor  
7 Regulation.

8 We are here today to allow the  
9 Petitioner, Mr. David Lochbaum of the Union of  
10 Concerned Scientists, to address the Petition Review  
11 Board, also referred to as PRB, regarding their  
12 petition submitted on June 30th, 2016.

13 I am the Project Manager for this  
14 petition and the PRB Chairman is Mr. Eric Benner. As  
15 part of the PRB's review of this petition, the Union  
16 of Concerned Scientists requested this opportunity to  
17 address the PRB.

18 This meeting is scheduled from 1:30 to  
19 approximately 3:00 Eastern Time. The meeting is being  
20 recorded by the NRC Operations Center and will be  
21 transcribed by a court reporter. The transcript will  
22 be treated as a supplement to the petition and will  
23 be made publicly available.

24 I'd like to open this meeting with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 introductions. As we go around the room please be  
2 sure to clearly state your name, your position, and  
3 the office that you work for within the NRC. I'll  
4 start off with myself, Douglas Pickett. As previously  
5 stated, I am serving as the Petition Manager.

6 MS. SANDERS: Hi, I'm Serita Sanders. I am  
7 the backup for Ms. Banic as the Petition Coordinator  
8 in the Office of NRR.

9 MR. BENNER: Eric Benner. As Doug said,  
10 I'm the PRB Chair, and I'm a Deputy Director in the  
11 Division of Operating Reactor Licensing in the Office  
12 of NRR.

13 MR. HISER: I'm Allen Hiser, Senior-Level  
14 Advisor in the Division of License Renewal, and I'm  
15 a member of the PRB.

16 MR. CHERUVENKI: Ganesh Cheruvenki,  
17 Materials Engineer, Vessels and Integrity Branch,  
18 NRR.

19 MR. McHALE: I'm Jack McHale. I'm a Branch  
20 Chief in NRR, Division of Engineering, and I'm a PRB  
21 member.

22 MR. TATE: I'm Travis Tate. I'm a Branch  
23 Chief in the Division of Operator Reactor Licensing  
24 in NRR.

25 MR. HAIR: Hi, this is Chris Hair. I'm an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 attorney with the Office of the General Counsel.

2 MR. PICKETT: We've completed  
3 introductions at NRC Headquarters in this room. At  
4 this time, are there any NRC participants elsewhere  
5 on the phone?

6 MR. MODES: Michael Modes, Senior Reactor  
7 Inspector, Region I.

8 MR. PICKETT: That was Michael Modes, and  
9 I think Russ?

10 MR. ARRIGHI: Yes, Russ Arrighi, Senior  
11 Enforcement Specialist, Office of Enforcement. I'm a  
12 PRB member.

13 MR. PICKETT: Are there any  
14 representatives for the licensee on the phone?

15 MR. WALPOLE: Yes, Doug. It's Bob Walpole  
16 and Dave Mannai, both from Entergy.

17 MR. PICKETT: Okay. Would the  
18 representatives of the Union of Concerned Scientists  
19 please introduce yourselves along with anyone else  
20 assisting you for the record.

21 MR. LOCHBAUM: David Lochbaum, Director of  
22 the Nuclear Safety Project from Union of Concerned  
23 Scientists, and it's just me.

24 MR. PICKETT: All right. It is not  
25 required for members of the public to introduce

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 themselves for this call; however, if there are any  
2 members of the public on the phone that wish to do so  
3 at this time, please state your name for the record.  
4 Hearing nothing, is there anyone else on the phone  
5 that we missed?

6 MS. SCRENCI: Doug, it's Diane Screnci in  
7 Region I, Public Affairs.

8 MR. PICKETT: Okay.

9 MR. NEWMAN: Garrett Newman, Resident  
10 Inspector.

11 MR. PICKETT: So we have the Resident  
12 Inspector here?

13 MR. NEWMAN: Correct.

14 MR. PICKETT: Who was it?

15 MR. NEWMAN: Garrett Newman.

16 MR. PICKETT: Okay. Garrett Newman,  
17 Resident Inspector, Office of -- somebody else spoke  
18 at the same time?

19 MR. SHEEHAN: Neil Sheehan, Region I,  
20 Public Affairs.

21 MR. PICKETT: Okay. Is there anybody else  
22 on the phone with us?

23 MR. FLOYD: Lastly, this is Niklas Floyd,  
24 Acting Senior Project Engineer, Division of Reactor  
25 Projects, Region I.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. PICKETT: Okay. I'd like to emphasize  
2 that we each need to speak clearly and loudly to make  
3 sure that the court reporter can accurately  
4 transcribe this meeting. If you do have something  
5 that you would like to say, please state your name  
6 first. For those dialing into the meeting, please  
7 remember to mute your phones to minimize any  
8 background noise or distractions. If you do not have  
9 a mute button, this can be done by pressing \*6 key;  
10 to unmute press \*6 key again.

11 At this time, I'll turn it over to the  
12 PRB Chairman, Eric Benner.

13 MR. BENNER: Thank you, Doug, and thank  
14 you, Dave for scheduling this with us.

15 So good afternoon, welcome to the meeting  
16 regarding the petition submitted by the Union of  
17 Concerned Scientists. I'd like to first share some  
18 background information on our process.

19 Section 2.206 of Title 10 of the Code of  
20 Federal Regulations describes the petition process,  
21 the primary mechanism for the public to request  
22 enforcement action by the NRC in a public process.  
23 This process permits anyone to petition the NRC to  
24 take enforcement-type action related to NRC licensees  
25 or licensed activities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                    Depending on the results of this  
2                    evaluation the NRC could modify, suspend, or revoke  
3                    an NRC-issued license, or take any other appropriate  
4                    enforcement action to resolve a problem. The NRC  
5                    Staff Guidance for the disposition of 2.206 petition  
6                    requests is in Management Directive 8.11 which is  
7                    publicly available.

8                    The purpose of today's meeting is to  
9                    provide the Petitioner an opportunity to provide any  
10                   additional explanation or support for the petition  
11                   before the PRB's initial consideration and  
12                   recommendation. The meeting is not a hearing, nor is  
13                   it an opportunity for the Petitioner to question or  
14                   examine the PRB on the merits or issues presented in  
15                   the petition request. No decisions regarding the  
16                   merits of this petition will be made at this meeting.  
17                   And following this meeting, the PRB will conduct its  
18                   internal deliberations. The outcome of this internal  
19                   meeting will be discussed with the Petitioner,  
20                   though.

21                   The PRB typically consists of a Chairman,  
22                   usually a Manager at the Senior Executive Service  
23                   Level at the NRC, which I do fulfill that; a  
24                   Petitioner Manager, who is Doug Pickett, and a PRB  
25                   Coordinator, normally Lee Banic but for today it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Serita Sanders. We are not -- a number of members of  
2 the Board here are basically based on their technical  
3 and regulatory expertise to help, you know, derive an  
4 effective evaluation of the petition.

5 As described in our process, the NRC  
6 Staff may ask clarifying questions in order to better  
7 understand the Petitioner's presentation and to reach  
8 a reasoned decision whether to accept or reject the  
9 Petitioner's request for review under the 2.206  
10 process.

11 I'd like to summarize the scope of the  
12 petition as we understand it under consideration and  
13 the NRC activities to date. On June 30th, 2016,  
14 sighting discovery of an unexpected degradation of  
15 the baffle-former bolts at the Indian Point Nuclear  
16 Generating Station Unit 2, the Union of Concerned  
17 Scientists submitted a petition pursuant to 10 CFR  
18 2.206 requesting the following enforcement actions.  
19 One, NRC should issue an order requiring the Indian  
20 Point licensee to inspect the baffle bolts and to  
21 install the downflow to upflow modifications on Unit  
22 2 during its refueling outage.

23 Two, NRC should issue a demand for  
24 information requiring the Indian Point licensee to  
25 submit an operability determination to the Agency

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 regarding continued operation of Unit 3 until its  
2 baffle bolts can be inspected per the Materials  
3 Reliability Project, 227A.

4 And lastly, three, NRC issue a demand for  
5 information requiring the Indian Point licensee to  
6 submit an evaluation of the performance goal and  
7 operating experience of the Metal Impact Monitoring  
8 System detecting and responding to indications of  
9 loose parts such as broken baffle bolts within the  
10 reactor coolant system.

11 On July 7, 2016, the NRC Staff contacted  
12 the Petitioner by email to offer him the opportunity  
13 to make a presentation before the PRB, and the  
14 Petitioner was also reminded that the 2.206 process  
15 is a public process. On July 12th the Petitioner and  
16 the NRC Staff reached agreement to schedule the PRB  
17 presentation for today.

18 As a reminder to the phone participants,  
19 please identify yourself if you make any remarks as  
20 this will help us in the preparation of the meeting  
21 transcript that will be made publicly available.  
22 Thank you.

23 At this point, I'll turn it over to Mr.  
24 Lochbaum of UCS to provide any information he  
25 believes the PRB should consider as part of this

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 petition.

2 MR. LOCHBAUM: Thank you. This is Dave  
3 Lochbaum with the Union of Concerned Scientists.  
4 Thank you, Doug and Eric for that tee up, for setting  
5 it up.

6 As indicated, the reason UCS requested  
7 this opportunity to present to the PRB was to  
8 basically highlight or summarize the request made in  
9 our petition, and also to answer any clarifying  
10 questions the PRB members or Staff may have for us.

11 With that, I'd like to start by pointing  
12 out that by letter dated May 18th, 2016, which is in  
13 ADAMS under ML16144A789, EPRI submitted to the NRC  
14 summaries of the reactor vessel internals inspections  
15 conducted at nine reactors during 2014 and 2015 under  
16 MRP-227-A, the same procedure that identified the  
17 degraded baffle bolts at Indian Point Unit 2. These  
18 reactors had operated for 26.1 to 35.5 effective full  
19 power years at the time these inspections were  
20 conducted, with most having more operating time than  
21 Indian Point Unit 2 did at the time of its discovery.

22 According to Table 4-2 in another EPRI  
23 report, MRP-191 dated November 2006, which is in  
24 ADAMS under ML12335A503, five of these reactors, or  
25 five of these inspections were at reactors having the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 downflow configuration that Entergy identified as  
2 contributing to the degradation at Indian Point Unit  
3 2.

4 All things being equal then it would be,  
5 therefore, expected that these reactors would have  
6 more extensive baffle bolt degradation than was  
7 experienced at Indian Point Unit 2, but that was from  
8 the case and things are far from being equal. Only  
9 one of the 864 bolts examined at Palisades had  
10 indications. Only one of the 864 baffle-former bolts  
11 examined at Oconee Unit 3 had an indication. Only 40  
12 of 688 baffle-former bolts examined at Prairie Island  
13 Unit 1 had indications. Only 15 of the 727 baffle  
14 bolts examined at Point Beach Unit 2 had indications.  
15 None of the 305 baffle bolts examined at Turkey Point  
16 Unit 3 had indications. There were more degraded  
17 baffle bolts identified at Indian Point Unit 2 than  
18 at these five as old or older reactors combined. For  
19 reasons not yet identified and confirmed, the baffle  
20 bolts at Indian Point Unit 2 experienced more  
21 degradation than the bolts at reactors with more  
22 operating time.

23 Because of this unexplained  
24 vulnerability, UCS requested in our petition that the  
25 NRC order Entergy to take two corrective actions the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 company committed to take in its licensee event  
2 report dated May 31st, 2016, which is in ADAMS under  
3 ML 16159A219; namely, to reinspect the bolts and to  
4 install the downflow to upflow conversion during the  
5 next Unit 2 refueling outage. We explained in our  
6 petition why commitments alone aren't sufficient.

7 Between now and the next scheduled Unit  
8 2 refueling outage, Indian Point Unit 3 is scheduled  
9 to have its next refueling outage. Entergy separately  
10 has committed to volumetrically inspecting the baffle  
11 bolts on Unit 3 for the first time during that outage.

12 Consider for a moment the possible  
13 outcomes from the Unit 3 bolt inspections. Few  
14 indications of degradation could be found comparable  
15 to the results from inspections at other reactors  
16 during 2014 and 2015. That outcome would make Indian  
17 Point Unit 2 an even more unexplainable outlier.

18 Alternatively, the Unit 3 bolt  
19 inspections could reveal degradation approaching or  
20 even surpassing that found on Unit 2. That outcome  
21 would not help answer the question of why degradation  
22 is so extensive on Unit 2, but it would reinforce the  
23 need for the baffle bolts on Unit 2 to be reinspected  
24 at the next convenient opportunity.

25 Our petition did not request that the NRC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 issue an order compelling Entergy to conduct the  
2 inspections of the baffle bolts on Unit 3 during the  
3 refueling outage planned during 2017. Our request in  
4 the petition to back commitments for the bolt issues  
5 on Unit 2 with an order seems contradictory to our  
6 request not seeking an order to back a commitment for  
7 bolt issues on Unit 3, but that's only because it is  
8 contradictory. Let me attempt to explain this  
9 contradiction.

10 Our petition requested that the NRC issue  
11 a Demand for Information requiring Entergy to conduct  
12 an operability determination for Unit 3 continuing to  
13 safely operate until the bolt inspections are  
14 performed. We also requested that Entergy make its  
15 operability determination publicly available by  
16 placing it on the docket.

17 From our perspective, this operability  
18 determination would answer the timing of the initial  
19 inspection question. It is highly likely that an  
20 operability determination would rely in part on time  
21 until the bolt inspections are performed. In other  
22 words, the operability determination would very  
23 likely articulate reasons why it's acceptable to  
24 safely operate Unit 3 until some future refueling  
25 outage when the inspections of baffle bolts will be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 performed. Such an operability determination would  
2 establish boundaries and conditions for continued  
3 safe reactor operation like an order would do.

4 The UCS feels the operability  
5 determination to be the more appropriate vehicle in  
6 the case of Unit 3, much more applicable or  
7 appropriate than an order.

8 There is ample evidence indicating that  
9 the baffle bolts are needed to affirm the  
10 degradation; thus, Entergy's plan to reinspect the  
11 bolts and implement the downflow to upflow conversion  
12 during the next refueling outage on Unit 2 is sound,  
13 so sound safety-wise that backing up that great  
14 intention with a regulatory requirement is most  
15 prudent. But there is enough evidence indicating that  
16 the baffle bolts on Unit 3 are also degraded. Maybe  
17 they are as degraded as the bolts on Unit 2, or maybe  
18 they have little to no degradation like the bolts  
19 inspected at several other reactors in 2014 and 2015.

20 Absent more compelling evidence, UCS does  
21 not feel that requesting that the NRC issue an order  
22 for baffle bolt inspections on Unit 3 or for letting  
23 Entergy implement the downflow to upflow conversion  
24 during its next refueling outage was justified.

25 UCS does feel that Entergy should be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 required to assemble and evaluate the scant evidence  
2 that is available, and justify operating Unit 3 until  
3 some future date when the bolt inspections are  
4 performed.

5 Operability determinations for  
6 situations like this one are standard industry  
7 practice and are entirely consistent with the NRC's  
8 longstanding expectations. Thus, in operability  
9 determinations, the tried and true way to handle  
10 situations like on Unit 3 at the moment.

11 Our third and final request in the  
12 petition was for the NRC to issue a Demand for  
13 Information to Entergy regarding the performance of  
14 the Metal Impact Monitoring System at Indian Point.  
15 There is no evidence publicly available indicating or  
16 even suggesting that this system detected the loose  
17 parts from the degraded and broken bolts on Unit 2.  
18 That's the sole purpose of this system and yet it  
19 seems to have utterly failed to perform this role.

20 This system, if it functions as intended,  
21 could form part of the safety net for continued safe  
22 operation of Unit 2 until someone figures out why its  
23 bolts are so prone to degradation, and for the  
24 continued safe operation of Unit 3 until someone  
25 figures out whether its bolts are Unit 2-like, or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 more like bolts elsewhere in the industry. But this  
2 safety system seems to be nothing but a hunk of junk  
3 occupying space without any redeeming value  
4 whatsoever. Consequently, UCS feels that Entergy  
5 should evaluate this system that's described in the  
6 FSAR to determine whether it should play or can play  
7 a useful role in proactively detecting baffle bolt  
8 degradation.

9 Thank you for your consideration of our  
10 issues, and I'll be glad to answer any questions from  
11 the NRC Staff.

12 MR. BENNER: Okay, thank you, Dave.

13 I'm going to offer the opportunity for  
14 the Staff here at Headquarters to ask any questions  
15 of the Petitioner. I have some questions, but I'll  
16 hold mine until everyone else speaks. So I'll start  
17 here with the Staff in the room; do any of the Staff  
18 in the room have questions for Dave?

19 MR. HISER: This is Allen Hiser of License  
20 Renewal. Page 5 of your petition cites the Unit 3  
21 UFSAR description of the loose parts monitoring. Is  
22 that -- are similar provisions in the Unit 2 FSAR?  
23 It's curious to me that you're citing Unit 3 but yet  
24 you're concern was with the function of Unit 2.

25 MR. LOCHBAUM: This is Dave Lochbaum. For

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the past decade, the NRC has been blanket withholding  
2 FSAR updates, and only recently restarted putting  
3 UFSAR updates in the public domain, so it's been very  
4 challenging for the public to obtain access to FSAR  
5 information. I assume that similar to Unit 2, but the  
6 limited access that the NRC has afforded the public  
7 to these documents makes me uncertain. So I chose the  
8 documents I could find, and those that the NRC chose  
9 to make available.

10 MR. HISER: Thank you.

11 MR. McHALE: This is Jack McHale from the  
12 Division of Engineering. Just have a minor question;  
13 on the petition on the top of page 4 it makes a  
14 reference to Manual Chapter 0305 which is the  
15 Operating Reactor Assessment Program. Is that a -- I  
16 know there's an earlier reference to 0326 for  
17 Operability. Does the 0305 come into play here, or is  
18 that just a typo?

19 MR. LOCHBAUM: That's a typo; my mistake.  
20 Yes, it went back to the middle -- the previous page  
21 where I cited some criteria, and I just noticed it on  
22 the next page.

23 MR. McHALE: Okay, so we're still talking  
24 about the same areas. Okay, thank you.

25 MR. LOCHBAUM: That was the intention, but

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it was mistake to get the number wrong.

2 MR. BENNER: Questions for Dave? Okay, it  
3 seems we have no other questions in the room, so are  
4 there any other questions from the Headquarters folks  
5 on the phone? Hearing none, I'll turn it over to -  
6 - are there any questions from our Regional  
7 participants? Does the licensee have any questions or  
8 comments?

9 MR. WALPOLE: This is Bob Walpole; no  
10 comments, no questions.

11 MR. BENNER: Okay. Thank you, Bob.

12 So, Dave, my -- this is Eric Benner  
13 again. Mine are less questions that just sort of  
14 confirm kind of where -- our understanding of your  
15 request. So for your -- so your request regarding the  
16 order for Unit 2, is it safe to conclude that you  
17 essentially find the Corrective Actions that have  
18 been proposed by the licensee to appear to be  
19 sufficient. What you're looking for is a stronger  
20 regulatory footprint by the NRC to insure those  
21 corrective actions actually get implemented.

22 MR. LOCHBAUM: That is correct. This is  
23 Dave Lochbaum. That is correct. As we espoused in the  
24 petition, we're a little concerned that that's -- the  
25 current MRP 227-A guidance would allow that to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 deferred for up to 10 years.

2 MR. BENNER: Okay.

3 MR. LOCHBAUM: We think, as I said, the  
4 corrective actions that Entergy provided a good ---

5 MR. BENNER: Okay. And then regarding your  
6 request for the Demand for Information on Unit 3,  
7 your logic there is, you know, in the absence of some  
8 sort of publicly available information on the  
9 applicability of this degradation mechanism to Unit  
10 3, you don't feel you have enough information to  
11 warrant, you know, proposing to the NRC anything that  
12 would fall within the 2.206 process like, you know,  
13 ordering inspections or ordering some other activity.

14 MR. LOCHBAUM: That's correct. We think  
15 the operability determination when it can be done  
16 would answer those kind of questions and would show  
17 why waiting until the next refueling outage is a good  
18 thing.

19 MR. BENNER: Okay.

20 MR. LOCHBAUM: What we've heard today is  
21 that the reason Unit 3 is okay is because it doesn't  
22 have as much operating time as Unit 2 did and,  
23 therefore, it's less -- is likely to have experienced  
24 less bolt degradation. That's why the information I  
25 provided earlier in this call with even older

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reactors with more operating time having less bolt  
2 degradation seems to suggest that operating time is  
3 not the primary factor in determining extended bolt  
4 degradation. Where the operability determination once  
5 performed would more fully address issues like that  
6 and explain why Unit 2 is different.

7 MR. BENNER: But for me these two parts to  
8 this, because typically we would -- the NRC would  
9 look at operability determinations and the inspection  
10 realm and, you know, as you well know, you know, the  
11 inspection report when issued, you know, may not have  
12 a sufficient level of detail that would allow you to  
13 feel you could, you know, render judgments over the  
14 underlying technical issues. So part of the issue  
15 here is you're looking for a level of, you know,  
16 public availability of this information.

17 MR. LOCHBAUM: That's a good point. It is  
18 that second aspect, because this issue has attracted  
19 so much attention, making an operability  
20 determination is atypical but it seems appropriate  
21 given the environment or the context that it's in.

22 MR. BENNER: Okay. Those were the only two  
23 clarifications I had, so with that, before I conclude  
24 the meeting, no members of the public identified  
25 themselves, but members of the public may provide

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 comments regarding the petition and ask questions  
2 about the 2.206 petition process. However, as stated  
3 in the opening, the purpose of this meeting is not to  
4 provide an opportunity for the Petitioner and the  
5 public to question or examine the PRB regarding the  
6 merits of the petition request, so you certainly can  
7 provide any comments, as desired.

8 Hearing none, I'd like to thank Mr.  
9 Lochbaum for taking the time to provide the NRC Staff  
10 with clarifying information on the petition you  
11 submitted. And before we close does the court  
12 reporter need any additional information for the  
13 meeting transcript?

14 COURT REPORTER: Hi, this is the court  
15 reporter. If I could get the representatives of the  
16 licensee to please state their names for me, that  
17 would be great.

18 MR. WALPOLE: Sure, I'll speak. My name is  
19 Bob Walpole, W-A-L-P-O-L-E, and I'm the Regulatory  
20 Assurance Manager for Entergy. And the other person  
21 that was listening in on the call, his name is David  
22 Mannai, M-A-N-N-A-I, and he also -- he's a Senior  
23 Manager of Regulatory Assurance for Entergy.

24 COURT REPORTER: Okay. Thank you very  
25 much.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. BENNER: And with that this meeting is  
2 concluded, and we'll be terminating the phone  
3 connection. Thank you very much, all.

4 MR. LOCHBAUM: Thank you.

5 (Whereupon, the proceedings went off the  
6 record at 1:59 p.m.)

7

8

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701