



**UNITED STATES
NUCLEAR REGULATORY COMMISSION
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
WASHINGTON, DC 20555 - 0001**

September 21, 2016

MEMORANDUM TO: ACRS Members

FROM: Hossein Nourbakhsh, Senior Technical Advisor **/RA/**
Advisory Committee on Reactor Safeguards

SUBJECT: CERTIFICATION OF THE MINUTES OF THE ACRS REGULATORY
POLICIES AND PRACTICES SUBCOMMITTEE ON MAY 19, 2016

The minutes for the subject meeting were certified on September 12, 2016. Along with the transcripts and presentation materials, this is the official record of the proceedings of that meeting. A copy of the certified minutes is attached.

Attachment: As stated

cc with Attachment: A. Veil
M. Banks



**UNITED STATES
NUCLEAR REGULATORY COMMISSION
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
WASHINGTON, DC 20555 - 0001**

MEMORANDUM TO: Hossein Nourbakhsh, Senior Technical Advisor
Advisory Committee on Reactor Safeguards

FROM: John Stetkar, Chairman
Regulatory Policies and Practices Subcommittee
Advisory Committee on Reactor Safeguards

SUBJECT: CERTIFIED MINUTES OF THE ACRS REGULATORY POLICIES
AND PRACTICES SUBCOMMITTEE MEETING ON MAY19, 2016

I hereby certify, to the best of my knowledge and belief, that the minutes of the subject meeting on May 19, 2016, are an accurate record of the proceedings for that meeting.

/RA/

September 12, 2016

John Stetkar, Chairman
Regulatory Policies and
Practices Subcommittee

Dated

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
MINUTES OF THE ACRS REGULATORY POLICIES AND PRACTICES SUBCOMMITTEE
MEETING ON May 19, 2016

The ACRS Regulatory Policies and Practices Subcommittee held a meeting on May 19, 2016 in Room T2B1, 11545 Rockville Pike, Rockville, Maryland. The meeting convened at 8:30 AM and adjourned at 5:00PM

The entire meeting was open to the public.

No written comments or requests for time to make oral statements were received from members of the public related to this meeting.

ATTENDEES

ACRS Members/Consultants/Invited Experts/Staff

J. Stetkar, Chairman
R. Ballinger, Member
D. Bley, Member
M. Corradini, Member
G. Skillman, Member
J. Rempe, Member
W. Shack, Consultant
S. Schultz, Consultant (present via telephone)
A. Valentin, Executive Director, ACRS
M. Sunseri, Invited Expert
J. March-Leuba, Invited Expert
W. Kirchner, Invited Expert
H. Nourbakhsh, ACRS Staff, Designated Federal Official

NRC Staff

H. Esmaili, RES
E. Fuller, RES
T. Ghosh, RES
K. Compton, RES
P. Santiago, RES
J. Barr, RES
S. Haq, RES
R. Lee, RES
J. Pires, RES
T. Smith, NSIR
S. Thompson, RES
D. Helton, RES
N. Siu, RES

E. Roach, NSIR
 S. Sancaktar, RES
 N. DiFrancesco, RES
 M. Hart, NRO
 K. Webber, RES
 E. Dickson, NRR
 J. Kratchman, RES

Other Attendees

R. Gauntt, Sandia National Laboratories (SNL)
 D. Osborn, SNL
 K. Ross, SNL

SUMMARY

The purpose of the meeting was to discuss the draft report "State-of-the-Art Reactor Consequence Analyses (SOARCA) Project, Sequoyah Integrated Deterministic and Uncertainty Analyses." The meeting transcripts are attached and contain an accurate description of each matter discussed during the meeting. The presentation slides and handouts used during the meeting are attached to these transcripts.

SIGNIFICANT ISSUES	
Issue	Reference Pages in Transcript
1. Chairman Stetkar called the meeting to order and provided opening remarks	5-7
2. P. Santiago, Branch Chief of Accident Analysis Branch, RES/Division of Systems Analysis (DSA), introduced the topic and background for the meeting.	7-10
3. J. Barr provided an overview of the SOARCA, Sequoyah analysis.	11- 33
4. Member Bley asked whether there are any further planned SOARCA analyses after the Sequoyah analysis.	12
5. Member Rempe noted that the SOARCA analysis for Sequoyah is significantly different from the other plants because the focus here was on a limited scope analysis with emphasis on the ice condenser. Member Rempe then questioned the statement in the executive summary of the draft report that the SOARCA project sought to focus its resources on the more important severe accident scenarios for Sequoyah.	16

6. Chairman Stetkar commented that the SOARCA for Sequoyah is not a complete analysis and drawing any comparisons among the three SOARCA studies is specious at best and trying to draw any global risk implications is worse than that.	18
7. Member Rempe asked whether FLEX equipment was considered in the analysis.	18
8. Chairman Stetkar questioned, if the staff does not take credit for FLEX equipment, what is the source of power for repowering igniters in a long-term station blackout.	19
9. ACRS consultant Shack noted that, if you look at the FLEX guidance documents, FLEX itself emphasizes the backup power. He then asked whether any plants actually changed the way they provide the backup power when they went to FLEX, or it is all with the old GSI-189 resolution.	23
10. ACRS consultant Shack, Member Corradini, Member Bley, and Chairman Stetkar discussed the presentation of results in the executive summary of the draft report. Chairman Stetkar objected to comparison of the results of three SOARCA studies in terms of conditional (per event) individual latent cancer fatality risk (Figure ES-5 in the Executive Summary). Chairman Stetkar re-emphasized that the SOARCA is a consequence evaluation and not a risk assessment study.	23-33
11. T. Ghosh presented the accident scenario development	34-56
12. Chairman Stetkar asked about the availability of DC power in the short-term station blackout scenario. Chairman Stetkar then questioned how the containment isolates successfully if you don't have DC power.	34- 39
13. Chairman Stetkar questioned the assumption of 21 gpm for the RCP seal leakage and asked whether the staff modeled the actual RCP seal leakage.	42
14. Member Skillman questioned the assumptions on the conditions of the ice baskets and the amount of ice and their impact on containment pressurization.	48
15. K. Ross presented Sequoyah MELCOR model	56-
16. Member Corradini asked how the random ignition sources are correlated with equipment behavior.	56
17. ACRS consultant Shack questioned the lack of uncertainty analysis associated with the natural circulation and hot leg failure model. He noted that the timing of hot leg failure may be important to the magnitude of potential hydrogen detonation.	63-66
18. Chairman Stetkar questioned the way the pressurizer safety valves are modeled in MELCOR. Chairman Stetkar referred to Table 4-14 in the	70-74

draft report and noted that it seems that these valves are modeled in MELCOR as if they are completely independent.	
19. Chairman Stetkar referred to Table 4-14 of the draft report and noted that in a specific realization each valve has a different number of cycles to failure. He then asked how that number of cycles to failure was generated.	78-79
20. Chairman Stetkar questioned the basis for the assumed uniform probability that the ice condenser entrance doors may reclose to any intermediate position from fully open to fully closed, if they're forcefully opened fully.	81-91
21. Member Rempe questioned the adequacy of the containment nodalization.	93
22. Member Rempe questioned whether the temperature-induced degradation of containment was modeled.	94
23. Member Rempe questioned the basis for assuming the containment failure area of 3 square feet.	97
24. Member Rempe questioned the technical basis for assuming a random ignition frequency of once every half hour.	101
25. ACRS consultant Shack referred to a table in the draft report that indicates a range of containment failure pressures of 54 to 82 psia based on information in NUREG/CR-6920, "Risk-Informed Assessment of Degraded Containment Vessels." He then questioned why a range of 55-74 psia was actually used in the uncertainty analysis.	102
26. Member Rempe asked about the reasons for lower values for melting temperature of the eutectic formed between ZrO ₂ and UO ₂ used in this study as compared to values used in previous studies.	104
27. Member Rempe asked about the size of the lower vessel head failure assumed in the analyses.	115
29. Member Corradini questioned the reasoning behind the random ignition. He noted that he is trying to get a mechanistic feeling for where has this been observed, to justify an assumption that random ignition will occur.	118
30. Chairman Stetkar noted that the downward propagation of a burn requires the highest hydrogen concentration (i.e. 9 percent) and with a random ignition you cannot get a burn unless the hydrogen concentration is greater than 10 percent. Therefore, if the concentration is great enough for random ignition, it seems the burn can propagate in any direction. Chairman Stetkar then asked whether under such situations the burn propagates in any particular direction or in all directions.	125
31. Member Corradini asked whether the circumferential connection above the ice baskets is modeled as one volume or a series of volumes. Member Corradini noted that historically the area right above the ice	138

baskets was the concern about transition from deflagration to detonation in ice condensers.	
32. Chairman Stetkar asked whether a hydrogen burn due to late containment overpressurization failure is modeled and if that would affect the overall results in terms of releases.	142
33. Chairman Stetkar asked how the pressurizer relief tank (PRT) was modeled. He noted that the PRT rupture disk always opens early and, depending on the rupture disk size, the PRT might not ever actually reach a very high temperature.	142-143
34. Member Corradini asked about the PRT location. He then asked if the PRT resides in the basement, wouldn't it be covered by all the water that is flowing down after melting of the ice.	148-149
35. K. Ross and T. Ghosh presented accident progression analysis – STSBO uncertainty analysis	151- 250
36. ACRS invited expert Kirchner asked whether in this containment focused study the impact of the containment nodalization on hydrogen stratification and combustion has been explored.	152
37. Member Skillman questioned the appropriateness of the assumption that main steam system valves and reactor coolant safety valves are alike enough in construction and servicing that their failure data can be jointly considered.	161
38. Chairman Stetkar questioned the source of data on failure probabilities for PWR code safety valves presented in Table 20 of NUREG/CR-7037 "Industry Performance of Relief Valves at U.S. Commercial Nuclear Power Plants through 2007."	171
39. Member Bley commented that there is knowledge beyond what one finds in a database. He also noted that consulting with some real valve experts could probably help to come up with more sensible distributions.	174
40. Chairman Stetkar questioned the validity of several entries in Table 4-14 of the draft report that have values greater than 1.0 for the fabric seal open area fraction, given tearing.	192
41. Chairman Stetkar asked how the ice condenser upper doors were modeled.	197
42. Member Corradini asked how the results of this study would have changed if no random hydrogen ignition was assumed.	204
43. Member Corradini asked whether in these calculations the reactor cavity below the vessel remains dry even after the ice is melted.	210
44. Chairman Stetkar asked why not all 600 realizations went to completion.	213
44. Chairman Stetkar questioned how the uncertainty algorithm that generated the pressurizer safety valve cycle failures unexpectedly included 31 realizations that were initialized within an immediate safety	215

valve failure, which means that a valve apparently stuck open before it was demanded.	
45. Chairman Stetkar questioned how the staff has confidence that other realizations that went to completion were behaving fine.	215
46. Chairman Stetkar asked why in a case where the pressurizer safety valves open, apparently much of the radionuclide releases are held up in the PRT, given the fact that the PRT rupture disk opens at about two hours.	247
47. K. Ross and H. Esmaili presented accident progression analysis – LTSBO uncertainty analysis	250-271
48. Chairman Stetkar questioned the assumption of feeding only one steam generator.	255
49. Member Ballinger asked what happens if the containment fails when it is full of hydrogen and CO, noting that there is oxygen outside the containment.	266
50. S. Thompson and T. Ghosh presented Sequoyah MACCS Model and Offsite Consequence Analysis	271 -
51. Member Bley asked whether MACCS models plume meander along the river valley, or does it assume the winds are going straight, regardless of how the river is bending.	272
52. Chairman Stetkar questioned why only 2012 meteorological data were used. He noted that there would be huge variability in precipitation if five years' worth of weather data were used instead.	274
53. Chairman Stetkar asked why in the Sequoyah SOARCA study there are different cohorts than were presented in the previous SOARCA studies. For example, cohort 4 for the early evacuees has never been used before.	277
54. Member Bley raised some questions about evacuation modeling assumptions including the assumption that when bridges are destroyed by a large seismic event, the evacuees just get on the road and drive the best way out, despite the fact that they won't have a clue about the best way out.	280
55. Chairman Stetkar asked whether the evacuation time estimate (ETE) study specifically evaluated large seismic events, or is this a sunny day ETE.	282
56. Chairman Stetkar asked whether the sirens work after a large seismic event.	283
57. Member Bley commented that after a large seismic event, the assumption that half the people are going to be on the road much more quickly than under another situation seems unjustified.	286
58. Member Bley asked how the best estimate values were selected.	324

59. Chairman Stetkar commented that it seems that the uncertainty analyses and the best estimate calculations were done in parallel, as if they were different.	325
60. S. Haq presented summary of public comments.	342
61. Member Bley asked whether any locals who were not site workers attended the public meeting near the site.	343
62. J. Barr presented the overall results and conclusions.	346
63. Member Bley asked whether the summary results of iodine release to the environment (shown in Slide 120) are mean values or base case.	347
63. Chairman Stetkar commented that the lack of any uncertainty analysis for the interfacing system LOCA scenario for Sequoyah is troublesome.	349-350
64. Chairman Stetkar questioned the comparisons among the three SOARCA studies.	352
65. ACRS consultant Shack commented that he was surprised the staff didn't do more with the igniter system. He is not quite convinced that if the igniters are available, early containment failure would always be avoided.	356-357
66. P. Santiago presented some closing remarks.	358
67. Chairman Stetkar commented that SOARCA, in the sense of an integrated uncertainty analysis, might be very useful for SMR or AP1000 designs. He added that for those passive designs, a good evaluation of the uncertainties in the behavior of the heat removal mechanisms would be very useful. However, some sort of nominal case analysis probably would not be all that useful and may even be counterproductive.	362
68. Chairman Stetkar asked for public comments.	373
69. Chairman Stetkar asked the subcommittee for final comments.	373
70. Chairman Stetkar adjourned the meeting.	381

Documents provided to the Subcommittee

1. Modeling Potential Reactor Accident Consequences, NUREG/BR-0359
2. SOARCA Report, NUREG-1935, November 2012
3. State-of-the-Art Reactor Consequence Analyses (SOARCA) Project, Sequoyah Integrated Deterministic and Uncertainty Analyses, Draft Report, April 22, 2016 (ML16119A218)

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
 Regulatory Policies and Practices

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Thursday, May 19, 2016

Work Order No.: NRC-2399

Pages 1-354

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

REGULATORY POLICIES AND PRACTICES SUBCOMMITTEE

+ + + + +

THURSDAY

MAY 19, 2016

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B1, 11545 Rockville Pike, at 8:33 a.m., John W. Stetkar, Chairman, presiding.

COMMITTEE MEMBERS:

JOHN W. STETKAR, Chairman

RONALD G. BALLINGER, Member

DENNIS C. BLEY, Member

MICHAEL L. CORRADINI, Member

JOY REMPE, Member

GORDON R. SKILLMAN, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

ACRS CONSULTANT:

WILLIAM SHACK

DESIGNATED FEDERAL OFFICIAL:

HOSSEIN P. NOURBAKHS

ALSO PRESENT:

JON BARR, RES

KEITH COMPTON, RES

HOSSEIN ESMAILI, RES

RANDY GAUNTT, SNL

TINA GHOSH, RES

SALMAN HAQ, RES

WALTER KIRCHNER, Invited Expert

RICHARD LEE, RES

JOSE MARCH-LEUBA, Invited Expert

DOUG OSBORN, SNL

JOSE PIRES, RES

KYLE ROSS, SNL

PATRICIA SANTIAGO, RES

STEVE SCHULTZ, Public Participant *

TODD SMITH, NRC

MATTHEW SUNSERI, Invited Expert

SHANNON THOMPSON, RES

ANDREA VALENTIN, Executive Director, ACRS

*Present via telephone

NEAL R. GROSSCOURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

A-G-E-N-D-A

Opening Remarks and Objectives

5

Introductory Remarks

7

Overview

11

Accident Scenario Development

33

Sequoyah MELCOR Model

55

Accident Progression Analysis - STSBO Uncertainty Analysis 98

Accident Progression Analysis - Insights from

Individual Realizations and LTSBO Analysis.....149

Summary of Public Comments.....318

Overall Results and Conclusions.....345

Closing Remarks.....347

Adjourn

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

8:33 a.m.

CHAIRMAN STETKAR: The meeting will now come to order. This is a meeting of the ACRS Subcommittee on Regulatory Policy and Practices.

I'm John Stetkar, chairman of this meeting. ACRS members in attendance are Ron Ballinger, Dick Skillman, Mike Corradini, Dennis Bley and Joy Rempe.

Also in attendance is our esteemed consultant the good Dr. Bill Shack. As opposed to the evil Dr. Bill Shack who couldn't make it today.

The purpose of this meeting is to discuss state of the art reactor consequence analyses project, Sequoyah Integrated Deterministic and Uncertainty Analyses.

The subcommittee will gather information, analyze relevant issues and facts and formulate and propose positions and actions as appropriate for deliberation by the full committee.

Hossein Nourbakhsh is the designated federal official for this meeting.

The entire meeting is open to the public. Rules for the conduct of and participation in the meeting have been published in the Federal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Register as part of the notice for this meeting.

2 A transcript of the meeting is being
3 kept and will be made available as stated in the
4 Federal Register notice.

5 It is requested that speakers first
6 identify themselves and speak with sufficient
7 clarity and volume so that they can be readily
8 heard.

9 I'll remind everyone to please check
10 your little communication devices and silence them.

11 We've received no written comments or
12 requests for time to make oral statements from
13 members of the public regarding today's meeting.

14 However, I understand that there may be
15 folks on the bridge line who are listening in on
16 today's proceedings and we'll open the bridge line
17 at an appropriate time at the end of the day and
18 entertain public comments.

19 By the way, anybody up front, make sure
20 that you push the little thing down at the base.
21 People call it a push button. It doesn't look like
22 a button but it says push. Turn the green light on
23 when you're talking. Make sure the green light is
24 off when you're not talking so we don't get extra
25 noise.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And with that we'll now proceed with
2 the meeting and I call upon Pat Santiago of the
3 Office of Nuclear Regulatory Research for some
4 introductory comments. Pat?

5 MS. SANTIAGO: Good morning. My name
6 is Pat Santiago. I'm the chief of the Accident
7 Analysis Branch and I want to thank you for giving
8 us the full day today to make the presentation to
9 you.

10 The Accident Analysis Branch over the
11 past few years has briefed this subcommittee as
12 well as the full committee several times on the
13 state of the art reactor consequence analysis
14 study.

15 Initially we briefed in 2012 on the
16 Surry and the Peach Bottom consequence analyses.
17 And we've also briefed on the Peach Bottom and more
18 recently the Surry uncertainty analyses.

19 We appreciated your feedback during
20 these briefings and we incorporated many of your
21 recommendations into our SOARCA work.

22 For example, you recommended that we
23 conduct the uncertainty analysis in parallel from
24 the beginning of the project. And for Sequoyah we
25 have done that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In addition, we improved the severe
2 accident codes and models since the original SOARCA
3 pilot studies in 2012.

4 These analyses provide valuable
5 knowledge development and experience for staff that
6 cannot be gained through normal training
7 activities.

8 The staff appreciates your comments and
9 in particular your noted commendation of the SOARCA
10 work as a major step forward in developing more
11 realistic integrated approaches for analyzing
12 important accident sequences in level 2 and level 3
13 PRAs.

14 The insights from these analyses can be
15 useful in the regulatory decision-making process.

16 Most recently Sequoyah was used to
17 inform some information that we provided in a
18 Commission paper to close near-term task force
19 recommendations 5.2 and 6 on other containments and
20 hydrogen.

21 Overall the SOARCA project has been an
22 important reference point for further intermediate
23 and long-term research, both domestically and
24 internationally. I want to point to these efforts
25 at the end of the briefing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 On the next slide you'll see the main
2 core team members and advisors. Many of them you
3 recognize. We have several NRC staff. Dr. Ghosh
4 has briefed often. We have Jon Barr and we also
5 have Sandia staff Kyle Ross, Dr. Randy Gauntt and
6 we have other Sandia and staff on the line from
7 Dycoda as well.

8 SOARCA is a multidisciplinary analysis.
9 There are several other NRC and contractor staff
10 that have technical expertise who assist in
11 completing these deterministic and uncertainty
12 analyses.

13 I want to thank the team and the NRC
14 advisors who contributed and reviewed the
15 documentation we will be presenting on today.

16 In last year many of the same handful
17 of staff were involved in the development of Peach
18 Bottom and Surry analyses and the uncertainty
19 analysis as well as the spent fuel pool study and
20 more recently the containment protection and
21 release reduction rulemaking technical analysis.

22 We also want to thank TVA who was very
23 cooperative on doing fact checks for this
24 documentation, allowed us to come down and have
25 some site visits to gain some specific site

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information. And also we were able to use their
2 training center to hold the public meeting in
3 April.

4 On the next slide you'll see the
5 outline of our presentation. And the outline
6 illustrates the complexity in the modeling and the
7 analysis performed for the potential severe
8 accident scenarios at Sequoyah.

9 We'll discuss what was performed for
10 accident progression, source term, emergency
11 response, dispersion, health effects and
12 uncertainty analyses.

13 In the briefing we will include the key
14 points ACRS noted which were critical including the
15 understanding of the impact that uncertainties have
16 on the outcomes.

17 I'd like to now turn over the briefing
18 to Jon Barr who will discuss an overview and
19 discuss accident scenario development. Thank you.

20 CHAIRMAN STETKAR: Thanks, Pat. I did
21 want to mention, we have a tremendous amount of
22 material to get through today.

23 And we have also a couple of time
24 constraints because two of our key members are
25 bailing out on us early.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I want to make sure that we get
2 through the parts of the presentations that are
3 germane to in particular Joy and Mike's areas of
4 expertise which is a lot of the MELCOR analyses I
5 think.

6 And I only say that that -- I'm not
7 trying to squelch members' questions, but if things
8 start to drag on too long we can come back to other
9 topics in the afternoon after they leave.

10 But I want to make sure that we have
11 enough time to get to those topics in our agenda.

12 MS. SANTIAGO: Are you bailing at
13 lunch? Because most of the MELCOR is this morning.

14 CHAIRMAN STETKAR: No, I'm just worried
15 about two hours of up front high-level discussion.

16 MR. BARR: Okay. Thanks, Pat. I have
17 just a few slides to give a little introduction of
18 the presentation today.

19 First, for some background. Back in
20 2012 after we had completed the best estimate
21 analyses of Peach Bottom and Surry, and the
22 uncertainty analysis for Peach Bottom we submitted
23 a Commission paper in which we recommended some
24 limited additional analysis.

25 Specifically, there were two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recommendations. One was to conduct an uncertainty
2 analysis for a Surry severe accident scenario to
3 extend the uncertainty insights that we gained from
4 Peach Bottom to a PWR.

5 And the other was to complete an
6 analysis of an ice condenser containment to explore
7 some of the unique attributes of that containment
8 design.

9 We had actually started analyzing
10 Sequoyah earlier in the project alongside the Peach
11 Bottom and Surry. But we had decided to pause that
12 in order to focus resources on completing Peach
13 Bottom and Surry. So we had already had some
14 information and a good point from which to continue
15 that.

16 The Commission approved those
17 recommendations and noted that they should
18 complement and support the Level 3 PRA project as
19 well as some of the lessons learned activities
20 following Fukushima, specifically 5.2 and 6.

21 5.2 is related to reliable venting for
22 containments other than BWR Mark I and II, and 6 is
23 for hydrogen control and mitigation.

24 MEMBER BLEY: There aren't any further
25 planned SOARCA analyses after this one, are there?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Or are there?

2 MR. BARR: Not formally planned.

3 MEMBER BLEY: How about informally?

4 MR. BARR: There are -- the idea is for
5 additional analyses, but we'll talk about that.

6 MEMBER BLEY: We won't forget it. It's
7 on a slide? Okay.

8 MR. BARR: And on slide 6 these are the
9 five overarching objectives for the entire SOARCA
10 project which apply to the three pilot plants as
11 well as the base case and uncertainty analyses.

12 I'm not going to go through each one
13 specifically, but I wanted to note that we have two
14 Sequoyah-specific objectives which we'll get to
15 today.

16 Those are first to expand the body of
17 knowledge on severe accident outcomes specific to
18 the ice condenser containment design. So we'll be
19 looking at features that are unique such as the ice
20 beds, the importance of igniters and hydrogen
21 issues.

22 And the other was to generate
23 information that supported NTTF 5.2 and 6.

24 As of March 2016 we submitted a SECY
25 paper recommending closure of 5.2 and 6. And those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 materials include some of the figures and technical
2 results that we had generated through the Sequoyah
3 project.

4 On slide 7 this is to give a little bit
5 more of the background on why the ice condenser
6 containment is a little different from the others.

7 I'm sure this is all very familiar, but
8 I'll go through it real quickly.

9 This chart shows typical containment
10 design details for the different containment types
11 in the U.S.

12 In the gray bar is the design pressure.
13 And you can see that circled in red is the PWR ice
14 condenser which has the lowest design pressure,
15 about 10 or 12 psig, about one-sixth of that of the
16 PWR large dry.

17 And it's this relatively low design
18 pressure among all the containment types and a
19 smaller volume compared to the PWR large dry which
20 leads to a potential susceptibility to early
21 containment failure from hydrogen combustion in a
22 severe accident such as a station blackout.

23 As you all know the ice condenser
24 relies on hydrogen igniters to introduce controlled
25 ignition sources to remove hydrogen and oxygen in a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 controlled fashion before they can accumulate to
2 levels that could challenge containment integrity.

3 In GSI-189 NRC studied and analyzed the
4 importance of igniters. And one of the
5 recommendations that came out of that was to have
6 backup power for not only licensees of ice
7 condensers, but also of Mark III plants.

8 And following that the licensees
9 voluntarily committed to have backup power for the
10 igniters.

11 And so when we had started this project
12 that was one of the things that was inspected and
13 in place, in contrast to some of the flex
14 mitigation which was not installed and inspected
15 when we were starting the analysis a year or two
16 ago.

17 And as Tina will talk more about later
18 -- so that's one of the reasons that when we talk
19 about mitigation, our mitigated versions of the
20 scenario is where we're referring to the use of
21 backup power to igniters which is a little bit
22 different than how it was done with Surry and Peach
23 Bottom.

24 So as I mentioned before we really want
25 to focus on issues unique to the ice condenser

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 containment. Regarding the approach, we've used
2 the latest versions of the MELCOR and MACCS
3 computer codes, and we've taken advantage of some
4 of the newer modeling features that they include.

5 In developing the Sequoyah site and
6 plant-specific MELCOR MACCS models we've included a
7 lot of newly available information. We've updated
8 core inventory data. We've used population from
9 the most recent Census. And also some of the
10 emergency response parameters in MACCS are informed
11 by the evacuation time estimate that was submitted
12 in 2012.

13 MEMBER REMPE: So Jon, before you go on
14 there's some higher level comment. And I think
15 this is the place from browsing through your slides
16 to bring it up.

17 But I thought that this report, the way
18 you analyzed SOARCA is significantly different from
19 the other plants because you did focus on the
20 things that were related, as you were told to, a
21 limited scope analysis.

22 But then you see sentences in the
23 executive summary saying that the SOARCA project
24 sought to focus its resources on the more important
25 severe accident scenarios for Sequoyah.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And even though you have focused on
2 things relevant to the ice condenser, it's not
3 clear to me that that's the most important thing
4 for Sequoyah. Is that a true statement? Or should
5 maybe it be modified a bit?

6 MS. SANTIAGO: We are in the process,
7 by the way, of updating the executive summary. So
8 some of those items have been pointed out to us.

9 But I still think we may say something
10 to that effect. But we'll also try and explain
11 what we mean by that.

12 MEMBER REMPE: Okay. Because then also
13 you have a Figure ES-5 that basically you've
14 ignored the effects of steam generator tube
15 rupture, and interfacing systems LOCAs.

16 And so I think again if I don't know
17 better I'm wondering if SOARCA has a much higher
18 risk, or Sequoyah has a much higher risk than the
19 other plants. Because if you added the others in
20 it seems like you might have a higher number.

21 And I just wanted to bring that up
22 because, as pointed out, I'm going to be gone later
23 today when we have closing comments. It's
24 editorial, but.

25 CHAIRMAN STETKAR: No, it's not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 editorial, it's important. You ought not to
2 compare them because you're comparing apples and
3 kumquats.

4 You've made changes to the models
5 enough here. It's a different site. You don't
6 have a complete analysis and drawing any
7 comparisons among the three studies is specious at
8 best. And trying to draw any global risk
9 implications is worse than that. From my opinion.

10 MEMBER REMPE: I agree, I just was
11 trying to be nicer.

12 (Laughter)

13 MEMBER REMPE: I'll quit trying. But
14 anyway, the other thing I was kind of wondering
15 about was when I was reading this there's some
16 higher-level differences that I think existed.

17 You've considered flex equipment. The
18 other plants didn't which even makes it more like
19 apples and kumquats.

20 MS. GHOSH: We didn't.

21 MEMBER REMPE: Oh, I thought some
22 places I've seen in the analysis you've actually
23 considered flex equipment I thought. And I can go
24 through and point out some examples in later
25 sections as we go through it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GHOSH: Okay. There was originally
2 more qualitative description and discussion of what
3 flex capabilities are there.

4 I think there's a little bit of
5 discussion in chapter 2. And it's just to say that
6 we didn't credit it. We looked at it. We know
7 that the capability is in the process of being
8 installed, but we don't model it, we don't credit
9 it.

10 So it's to say so when the rest of the
11 -- when people read the rest of the study it's with
12 the knowledge that we're taking no credit for that.

13 CHAIRMAN STETKAR: I'm sorry, that's
14 not quite accurate. You do take credit for -- I
15 don't want to give it a name, Jonathan or Jon. You
16 take credit for repowering igniters in a long-term
17 station blackout.

18 MS. GHOSH: Yes, which is --

19 CHAIRMAN STETKAR: Well, where does the
20 power come from?

21 MS. GHOSH: So, I think we'll discuss
22 that in the next talk. That's one mitigated, but
23 that's what Jon mentioned. The only mitigation we
24 consider here is the potential successful powering
25 of the igniters because they have a dedicated power

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 source just for the igniters, even if everything
2 else goes wrong and nothing works.

3 Maybe we'll revisit how we talk about
4 flex where we do talk about it. Because we tried
5 to make it clear that we didn't model it. We're
6 just recognizing that it exists and we didn't
7 credit it.

8 MEMBER REMPE: I read what he read and
9 I thought you did take credit for it. So whatever
10 you did, please be more explicit about it and
11 acknowledge that that's different than the other
12 plants.

13 And then you did talk about how you
14 tried to combine the uncertainty analysis with the
15 actual evaluation.

16 And I'm guessing that one example might
17 be that you looked at the mean containment failure
18 was an example of how this approach differed.

19 But I was left wondering what else was
20 different. How did this new approach affect your
21 analysis? Could you talk a little bit about that?
22 And make sure it's in the summary too.

23 MS. GHOSH: Yes, I think we will.
24 You'll see when we talk about the unmitigated
25 short-term station blackout, the two variations, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do the uncertainty analysis at the same time.

2 So we're not focused on a base case, or
3 a reference case anymore, because we have a whole
4 population of potential outcomes to look at. And
5 we're considering the insights from that whole
6 population.

7 The first time around we completed kind
8 of the individual deterministic cases and then did
9 the uncertainty, but this time we don't focus as
10 much on that individual initial case.

11 MEMBER REMPE: So I would enhance and
12 beef up the discussion on that point because I was
13 left wondering, well, you know, trying to think of
14 what I read through and give some examples on how
15 it made your results differ. And I had a short
16 list. So I think it would be good for you guys to
17 acknowledge what happened differently.

18 MS. GHOSH: But just to be clear, in
19 the unmitigated version we don't credit flex. The
20 backup power to the igniters is not flex, it's the
21 GSI-189.

22 In reality they may choose to use
23 something different, but that was a commitment that
24 they had made. It was in place even before flex.
25 So they have multiple options.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And we don't comment on how likely it
2 is that it would be successful. We just do a
3 sensitivity case that if they are successful in
4 lining up the igniters' powering time that this is
5 the outcome. It's just a sensitivity case.

6 MEMBER REMPE: You talk about the flex
7 support instructions were considered in section
8 2.3.

9 MS. GHOSH: Right. And then the end of
10 that paragraph is we do not credit anything in the
11 analysis.

12 MEMBER REMPE: Okay.

13 MS. GHOSH: We tried to make that more
14 clear. Because it's just to say that we know this
15 capability exists. The first comment from the plan
16 was we just installed all this wonderful stuff and
17 you don't credit it.

18 So we want to recognize that it's there
19 so it may be less likely we get to this very bad
20 day scenario that we've analyzed, but we didn't
21 evaluate it.

22 MS. SANTIAGO: We could maybe
23 reorganize how we state.

24 MS. GHOSH: Yes.

25 MS. SANTIAGO: Put it right up front.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GHOSH: Yes, I think that's a fair
2 comment. We tried to rewrite it, but we'll try
3 again to make it more clear.

4 MR. SHACK: Just -- I mean, flex itself
5 sort of emphasizes the backup power if you look at
6 the flex guidance documents.

7 Did any plants actually change the way
8 they do the backup power when they went to flex?
9 Or is it all with the old 189 resolution?

10 MS. GHOSH: I mean, they have
11 additional capability now. So there was some
12 discussion about now that they have the additional
13 capability which power source they would use and
14 what they would hook up.

15 But again, we didn't get into that
16 because --

17 MR. SHACK: They just postulated it
18 existed and looked at that.

19 MS. GHOSH: Our basis was really based
20 on the older commitment that was already on the
21 books before flex came online. And now they have
22 new options, but we didn't get into that.

23 MR. SHACK: Just coming back to that
24 earlier comment from Joy, you know, there's always
25 this problem in SOARCA that you never really are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking at a balanced risk kind of profile for the
2 plant. So there's always this discussion of how
3 far you are from the acceptance levels for long-
4 term cancer risk.

5 Would it be helpful to say more up
6 front about what the risks are for particular
7 plants so people could recognize -- no, John
8 doesn't like that idea.

9 CHAIRMAN STETKAR: Because these are
10 not risks. Any time you use the term "risk" and
11 compare it to anything in society you are leading
12 the public astray because you're trying --

13 MR. SHACK: Well, they see it already.

14 CHAIRMAN STETKAR: And they shouldn't.
15 And they shouldn't. Because they make comparative
16 statements between, look, we didn't do a risk
17 assessment, but we have a conditional latent cancer
18 fatality and the frequency of the sequence is 10 to
19 the -6, and look at this compared to the average
20 cancer fatality rate.

21 Well, that's silly. That's misleading
22 the public.

23 MEMBER CORRADINI: So what's silly to
24 you is ES-5.

25 CHAIRMAN STETKAR: ES-5 is silly. It's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 misleading the public.

2 (Simultaneous speaking)

3 MEMBER CORRADINI: And every SOARCA
4 report.

5 CHAIRMAN STETKAR: Every -- and we've
6 commented on it before.

7 (Simultaneous speaking)

8 CHAIRMAN STETKAR: What's worse is
9 comparing this SOARCA to the other SOARCAs is the
10 assumptions that are built into this SOARCA are
11 different. They have different evacuation models
12 in here. They made different assumptions about a
13 large fraction of the population that leaves very,
14 very early, but they didn't in the other study.

15 So how am I to believe any of this
16 stuff in terms of the relative effects from early
17 versus late releases and so forth?

18 MEMBER CORRADINI: I guess if I can
19 jump into the non-modeling discussion.

20 It strikes me that if I were to write
21 the executive summary I would say it's not a risk
22 study, it's a consequence study.

23 Since it's a consequence study we're
24 considering specific scenarios. And if you're
25 going to go between Surry and Peach Bottom and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Sequoyah I'd replace ES-5 with something that said
2 for this scenario with this estimated frequency we
3 get this sort of response. I'd have an x-y plot
4 like to like.

5 Because that's a consequence study.
6 And so now you're going to take some assumed
7 scenario that has some frequency in these three
8 plants, and then a calculated consequence with
9 godawful uncertainties. And I'd plot that.

10 Otherwise ES-5 does come across as if
11 it's a risk calculation. That would be my way of
12 explaining it to the public.

13 The other thing too is since we're only
14 talking about appearance and not substance is that
15 when you go through these -- earlier on when you go
16 through these tables I think you do a very nice job
17 with table ES-1 and ES-2 of what you're doing.

18 But then I immediately started reading
19 the text to say what does that mean. So it would
20 strike me you want to explain what does it mean by
21 no random ignition source, or when a random
22 ignition source.

23 Or tell them -- I hate to sound like a
24 publication person, but if I write a table and I've
25 got all this stuff in the table I'd have a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subtext that said go look here to explain this
2 thing. Go look there to explain this phrase.

3 Then the reader who will not read 454
4 pages but who will just read the 6 pages will know
5 where to go.

6 It seems to me you need to give a
7 roadmap so that they understand it's a consequence
8 study between three reactors with three assumed
9 scenarios. We're going to tell you with those
10 assumptions what's the mean, median and range of
11 consequences.

12 Then at least I think that's what
13 you're doing.

14 CHAIRMAN STETKAR: And actually, when I
15 read the executive summary my notes are until I got
16 to that figure whatever it is, ES-5, it flowed
17 okay.

18 You're asking for more pointers back in
19 the study, but I at least understood what it was
20 and what it wasn't.

21 And then suddenly I see this comparison
22 among the three SOARCA studies. And I know they're
23 different.

24 And I see these statements about, well,
25 look at what the total cancer risk in society is,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and I know that's not an appropriate comparison at
2 all because none of these are risk studies.

3 So it kind of fell apart when you felt
4 the need to do some of those broad comparisons.

5 Up until that point it was kind of
6 describing what it was and what it wasn't.

7 MR. SHACK: But you're misled both
8 ways. I mean, if you put in a conditional
9 probability of a result without a notion of what
10 the frequency of that is then --

11 CHAIRMAN STETKAR: But Bill, this was
12 never supposed to be a risk assessment.

13 MEMBER CORRADINI: But if you populated
14 a graph which was just frequency and consequence.

15 CHAIRMAN STETKAR: No, don't do that,
16 because you don't know the -- they're guessing
17 about a frequency. I will tell you that the
18 frequency of a station blackout might be a lot
19 higher than that from other things that they
20 haven't thought about.

21 MEMBER CORRADINI: You're saying they
22 don't even know the frequency.

23 CHAIRMAN STETKAR: They don't know the
24 frequency. They're just -- suppose the frequency
25 was 10 to the -6 ish.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHACK: Well, they have the
2 frequency for an internal events of PRA of 5 times
3 10 to the -6.

4 MEMBER CORRADINI: I'm kind of with
5 Bill on this. You've got to give them some
6 comparison.

7 CHAIRMAN STETKAR: No, you don't.
8 They're not doing a risk assessment. They are not
9 doing a risk assessment.

10 A risk assessment has frequency and
11 consequences. They're doing a consequence
12 evaluation.

13 Which is fine. There's nothing wrong
14 with doing that, but don't try to say you're doing
15 more than you did. Don't try to say it.

16 MEMBER CORRADINI: I guess I'm with
17 Bill on this though, John. It seems to me you can
18 at least cast it so that on some common basis I
19 know what the frequency is and I put it here, and I
20 know what the consequence is and I put it here.

21 Now all my effort for 454 pages is to
22 look at how the consequence changes given the
23 assumed sequences of some estimated frequency.
24 That's what I think Bill is just saying.

25 MR. SHACK: All I want to do is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 emphasize that they're looking at a specific narrow
2 set of scenarios in the risk they're talking about.

3 (Simultaneous speaking)

4 CHAIRMAN STETKAR: They're not looking
5 at risk. They're looking at consequences.

6 MR. SHACK: They do turn it into --

7 CHAIRMAN STETKAR: They try to, and I'm
8 trying to make them not do that because they're not
9 doing that. And it was never intended to do that.

10 The frequency for what they're doing to
11 demonstrate an integrated what we've learned about
12 modeling accident behavior both sequence analysis,
13 MELCOR containment, MACCS, integrating the two and
14 propagating uncertainties through those things is a
15 very, very valuable piece of work.

16 And let it be that valuable piece of
17 work. Let the risk assessment people take that
18 knowledge and those capabilities and use them in a
19 real risk assessment where you have a delineation
20 of sequences, a delineation of timing, a
21 delineation of contributors and frequencies
22 associated with them.

23 Don't try to make it more than it is.
24 That doesn't mean that it's bad. It's great.

25 MEMBER CORRADINI: Is that on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 record?

2 MS. GHOSH: Can I just -- this is
3 dangerous, but I just want to point out one small
4 thing.

5 The figure 5, those are all the
6 conditional outcomes. We didn't multiply the
7 frequencies. We didn't multiply the scenarios.

8 CHAIRMAN STETKAR: I'm aware of that,
9 and yet if I compare -- as Joy mentioned, this
10 study did not look at consequential tube rupture.
11 Surry did.

12 MS. GHOSH: Right.

13 CHAIRMAN STETKAR: So this one is
14 biased low, by how much I don't know because the
15 conclusion for Surry was consequential tube rupture
16 was a really big deal. So this one is biased low
17 because of that.

18 This one is biased low also because
19 Surry -- we'll get to this later -- did not include
20 the early 50 percent of the population immediately
21 going away. It did not include cohort 4 in the
22 MACCS model. It didn't. So this one's biased low
23 because we're getting a big chunk of the people
24 away out of the EPZ early.

25 So how can I compare now Surry versus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Sequoyah even on the same sequence? Because I've
2 got a big chunk of the population moving out faster
3 in this one compared to Surry. So how can I
4 compare the two? Even on consequence.

5 Despite the fact that you're going to
6 say, well, we know that it's all people coming back
7 in.

8 You know that under the assumptions
9 that have been made. If the early stuff is more
10 important maybe the conclusions would be different.
11 So how can you compare the two?

12 MEMBER REMPE: Just a last point again
13 at a high level. I think there are a lot of
14 insights embedded as I read through the report just
15 on phenomena and consequence behavior.

16 As you're updating the executive
17 summary if you could bring some of those nuggets up
18 I think that would be good to again show this is a
19 good piece of work. And that was the other high-
20 level comment I wanted to make sure I communicated
21 today. Thank you.

22 MS. GHOSH: Thank you.

23 MEMBER BLEY: I'll throw in one last
24 comment. I don't think it's repeating bits and
25 pieces.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I see no reason why one can't do a
2 study and look at a scenario, and look at frequency
3 and consequences of that scenario. You can. We do
4 it in many different places.

5 But you can't make comparisons across
6 studies that have very different assumptions. And
7 I think John hit on a couple of the things that
8 would make me very suspicious of these results
9 being comparable. And that's very dangerous.

10 And any hint overall that we're talking
11 about the overall risks from these plants is
12 clearly not true. It's a consequence study that
13 may have appropriate, maybe sometimes not
14 appropriate, frequencies associated with them.

15 MR. BARR: So, just to finish the last
16 bullet on slide 8.

17 (Laughter)

18 MR. BARR: One of the features of the
19 approach here was to consider uncertainty and
20 accident progression and consequence analysis.

21 And this time we did it in parallel
22 with the base case analysis instead of as a follow-
23 on as was done earlier.

24 And now Tina will discuss the accident
25 scenarios and the different variations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GHOSH: Actually, we already
2 started talking about some of the things I wanted
3 to mention.

4 And I do want to go through this
5 portion of the talk quickly because we actually
6 don't do anything on that front end frequency part.
7 We're just drawing on information from other
8 studies.

9 What we did was really on the
10 consequence part. So I think that's more
11 interesting to talk about.

12 But just to set up, I'll just go
13 through what our front end assumptions were going
14 in.

15 So I think Jon already --

16 CHAIRMAN STETKAR: Jon, if you're not
17 talking turn your mike off.

18 MS. GHOSH: So, I think Jon mentioned
19 this time this was a more limited scope study
20 compared to the first two SOARCAs where they really
21 went through a screening process to decide which
22 scenarios to study.

23 This was meant to be a more limited
24 scope quicker study that was very focused on the
25 ice condenser containment issues.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And we recommended to the Commission
2 that we do this for station blackouts only and they
3 sent back a staff requirements memorandum that said
4 focus on station blackout.

5 So we had some initial work back in
6 2008 when we had started the Sequoyah pilot plant
7 but then paused to look at what kind of station
8 blackouts we might want to look at.

9 Because we were picking this up years
10 later we had our PRA folks look at the latest scram
11 model that we have for Sequoyah to look at what
12 would be good scenarios to study, and also
13 considered on the site-specific external hazards
14 information for the site to figure out what would
15 be candidate scenarios.

16 And we've already talked about this,
17 but the approximate core damage frequency
18 contributions are really just provided for
19 contextual information in terms of helping the
20 reader understand how likely or unlikely is this
21 very bad day that we're about to talk about.

22 So, I guess this is no surprise. The
23 initiating event that this process kind of pointed
24 to would be a good one to look at was a large
25 seismic event. By large I mean beyond design

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basis. In this case something greater than a 0.5 g
2 peak ground acceleration.

3 And with this initiator we looked at
4 two variations of station blackout. Again, no
5 surprises. These are ones, the two categories that
6 traditionally people look at, either a short-term
7 station blackout where you not only have lost all
8 ac power but you don't have your turbine-driven aux
9 feed system working for whatever reason, and we'll
10 talk about that on the next slide.

11 And this is a less likely more severe
12 version of the accident.

13 Again, just for context we approximate
14 the CDF contribution to be about 1 in 500,000 years
15 of reactor operation. And because we didn't look
16 at flex we don't credit anything that might change
17 that frequency. Yes.

18 CHAIRMAN STETKAR: Tina, in the short-
19 term station blackout since you're the scenario
20 person and I like to think about scenarios, do you
21 have dc power available or not?

22 MS. GHOSH: You know, we tossed this
23 around amongst the team. And we're going to get to
24 that on the next slide, how do you get to the
25 short-term station blackout. Let me get to that on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the next slide.

2 The other variation we looked at is the
3 long-term. And in this case your batteries did
4 survive and your aux -- you have a water supply to
5 the aux feed system. So your aux feed is working
6 until sometime after the batteries deplete.

7 And this one is a little bit more
8 likely, less severe accident within this class.

9 So, the key assumptions for both of
10 these variations of the station blackout.

11 We assume that the steel containment,
12 the containment isolation systems and the ice
13 condensers have survived in both of these
14 variations of the accident.

15 But then in the short-term station
16 blackout we assume that the turbine-driven aux feed
17 system is not available and it could be due to one
18 of these three things that we mentioned. Either
19 you don't have dc power batteries, you don't open
20 the steam valve to the turbine-driven aux feed
21 system, or you don't have the water supply. Maybe
22 the CST tank failed. And we don't credit any
23 recovery actions to try to get one of these.

24 So, it could be the loss of dc power in
25 the larger seismic events. We don't expect that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you would have dc power, but it could also be that
2 you just can't get water to the system. But for
3 whatever reason you just don't have your turbine-
4 driven aux feed system.

5 CHAIRMAN STETKAR: Okay. Thanks.

6 MR. SHACK: -- survived the seismic
7 event.

8 CHAIRMAN STETKAR: No, the reason I
9 bring up is they presume the containment isolation
10 is 100 percent successful at T zero.

11 MR. SHACK: You assume everything is
12 hanging together after the 0.5 earthquake.

13 CHAIRMAN STETKAR: Yes. But it's a
14 short-term station blackout. If I have no dc power
15 that's not true. Containment isolation is not
16 successful.

17 I don't know whether Sequoyah has any
18 ac-operated containment isolation valves. I don't
19 know if it has any dc-operated containment
20 isolation valves. But I doggone well know that if
21 I don't have dc power I don't get Safeguards
22 actuation signals to close those valves.

23 So, somehow dc power has got to be
24 somehow available if I assume containment isolation
25 is successful.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, when you develop your scenarios,
2 make sure that you describe precisely what you're
3 assuming. It can't be this wishy-washy, well, you
4 know, there's a whole bunch of different ways that
5 the turbine-driven aux feedwater pump might fail,
6 and one of them might be loss of dc power, because
7 your entire scenario and your risk profile would be
8 much different if you didn't have dc power. So you
9 must have dc power if containment isolation is
10 successful.

11 MR. SHACK: Or the model's wrong.

12 CHAIRMAN STETKAR: Or the model's
13 wrong.

14 MS. GHOSH: I guess we did have the
15 plant look at this and they spent a lot of time on
16 the up-front scenario description. And we didn't
17 get that particular feedback from them.

18 CHAIRMAN STETKAR: Okay, I'll ask you a
19 question then since you're modeling the Sequoyah
20 plant and had feedback from TVA. Does the
21 containment isolate successfully if you have no dc
22 power? That is a simple question, yes or no.

23 If you don't know the answer to that
24 question, get feedback from TVA.

25 MEMBER CORRADINI: Can I try a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 different way of asking John's question? Which is
2 are the assumptions here for short-term station
3 blackout the same as the assumptions in Surry?

4 I don't know enough about the details
5 that John worries about to worry about those
6 details.

7 My question is is the starting initial
8 and boundary conditions the same between the two.

9 CHAIRMAN STETKAR: We asked the
10 question on Surry and got the same non-answer.

11 MEMBER CORRADINI: Well, okay.
12 Regardless.

13 CHAIRMAN STETKAR: The point is if
14 you're modeling a specific scenario you ought to
15 understand what's in that scenario and what's not
16 for the plant that you're modeling.

17 Because we're now modeling a plant.
18 It's not a generic plant. It's not an amorphous
19 Gedankenexperiment. You're claiming this is
20 Sequoyah.

21 MS. GHOSH: Right.

22 MEMBER BLEY: And you're claiming the
23 consequence results make sense.

24 CHAIRMAN STETKAR: Right.

25 MEMBER CORRADINI: So, can I at least

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ask my question and get an answer? Were the
2 assumptions for the short-term station blackout and
3 the long-term station blackout identical
4 assumptions as you used in Surry?

5 MR. ROSS: Yes.

6 MEMBER CORRADINI: Okay. So, real or
7 unreal, at least they're the same.

8 MS. GHOSH: Yes.

9 MR. SHACK: Except they didn't consider
10 tube rupture.

11 MEMBER CORRADINI: Well, I mean for the
12 scenario, for the particular scenario.

13 MS. GHOSH: Right. We didn't do tube
14 rupture here.

15 MR. SHACK: It becomes an assumption.

16 MS. GHOSH: So, the next slide just
17 shows I guess in a little bit more detail what the
18 boundary conditions are for the MELCOR simulations.

19 So the earthquake has happened. The
20 reactor trips. You don't have any ac, any pumps
21 that rely on ac don't work. Valves that are
22 designed to fail close to isolate the systems and
23 the containment, including the MSIVs.

24 The emergency power, nothing else is
25 working, and the turbine-driven aux feed system

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 isn't working. Your safety valves start opening to
2 relieve pressure. And we do model RCP seal
3 leakage.

4 And then the --

5 CHAIRMAN STETKAR: You model RCP seal
6 leakage and I couldn't -- at 21 gpm. I never heard
7 anything more than 21 gpm in terms of a
8 progressive, either in the short-term or the long-
9 term.

10 Do you model an actual RCP seal leakage
11 model? Because if I look at the level 3 PRA they
12 had a very, very intricate that they've simplified,
13 but different probabilities of seal leakages that
14 get up to I think 480 gpm per pump, like 1,900 and
15 whatever that is, some odd gpm total.

16 And I didn't see any discussion
17 anywhere other than this notion that you said you
18 have 21 gpm.

19 MR. ROSS: Right. In Surry we
20 investigated the seal leakage variability as an
21 uncertain parameter. We didn't do that in
22 Sequoyah.

23 The 21 gpm is at pressure so as
24 pressure comes down the leakage would as well.

25 CHAIRMAN STETKAR: But if pressure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't come down it will go up.

2 MR. ROSS: So, if pressure were to go
3 above normal --

4 CHAIRMAN STETKAR: I'm sorry, if you
5 remain at pressure over time with no cooling the
6 seal leakage rate will expand considerably up to
7 quite the Westinghouse models, 1,900 gpm total.
8 Which is a different -- changes your timing of core
9 damage, changes your core recovery considerably
10 compared to what you've modeled.

11 MR. ROSS: Yes, we didn't capture that.

12 CHAIRMAN STETKAR: So that's another
13 difference.

14 MEMBER CORRADINI: But you can't beat
15 them up in both directions, right? You can't tell
16 them to make it identically similar and then
17 simultaneously say make it --

18 CHAIRMAN STETKAR: Well, the question
19 is whether they have different seals. That's a
20 possibility.

21 The 21 gpm for both plants tells me
22 they have the same seals.

23 MR. SHACK: Well, there's some cryptic
24 note in there that you've turned off a mechanistic
25 model in MELCOR for seal leakage and you use some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Westinghouse tabulated one. But that means just
2 what it says.

3 CHAIRMAN STETKAR: That's why I had a
4 question about did you model it or not. I think
5 the answer is, as Kyle said, no, they didn't.
6 Other than the 21 gpm.

7 MR. SHACK: The report says something
8 else.

9 MS. GHOSH: It doesn't vary with
10 pressure as the simulation goes on.

11 MR. ROSS: It does vary with pressure,
12 but it doesn't grow.

13 MS. GHOSH: It doesn't grow. Okay.

14 CHAIRMAN STETKAR: The difference is --
15 again, I compare this to another effort that the
16 NRC staff is heavily invested in and that's the
17 level 3 PRA model where their assumption, right,
18 wrong, or indifferent, is that at time $T = 13$
19 minutes after T-zero the seal leakage increases and
20 there's a probability anywhere from -- there's some
21 probability that it remains at 21 gpm, but that's
22 small.

23 And there are different probabilities
24 that it increases anywhere from there up to their
25 discrete values up to 480 gpm per pump. And that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 substantially affects the timing of their station
2 blackout scenarios. Substantially.

3 MR. SHACK: But it says in the report
4 disabling the mechanistic pump seal failure
5 modeling and instead applying discrete leakage
6 values per Westinghouse owners group.

7 CHAIRMAN STETKAR: Yes. But the only
8 discrete leakage value that I could find was 21.

9 MR. SHACK: At least I assumed
10 somewhere within the calculation. It started at
11 21. It could have done something else.

12 MR. ROSS: Yes, the actual modeling
13 gives 21 gallons per minute at nominal pressure.
14 And then it would reduce as pressure came down.
15 But the leakage area if you will doesn't change or
16 grow.

17 MR. SHACK: Okay, but does that mean
18 that they really have different seals than Surry
19 does?

20 MR. ROSS: So we didn't corroborate
21 that.

22 MR. SHACK: You don't know.

23 MR. ROSS: Right.

24 MR. SHACK: Why did you decide to use
25 this model rather than the Surry model? Is that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 something the plant told you?

2 MR. ROSS: No, I think we felt like we
3 had investigated this issue in the Surry analysis
4 and so we were trying to keep things more contained
5 in this analysis.

6 MR. SHACK: It just seems like this
7 could affect what you were interested in here --

8 MEMBER CORRADINI: You're not --

9 MR. ROSS: Yes, the leakage rate could
10 affect the time to the onset of core damage. Yes.

11 MS. GHOSH: It didn't show up as
12 important for Surry with all the other parameters
13 we had considered. I think that's why we decided
14 to leave it off this time around.

15 CHAIRMAN STETKAR: I have an impression
16 that I think I know why you did what you did,
17 because you wanted to focus on hydrogen and the
18 size of the Sequoyah containment. And you wanted
19 to test the modeling for those phenomena. That's
20 fine. That's fine.

21 But it comes back to don't compare it
22 to anything else then.

23 MEMBER CORRADINI: So, can I try it a
24 different way? Because maybe this won't satisfy
25 Member Stetkar, but I think maybe the executive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 summary, maybe you're trying to satisfy too many
2 missions simultaneously. So maybe that's the
3 way of asking you guys. Was the primary mission
4 what he just said?

5 MS. GHOSH: I think we wanted --

6 MEMBER CORRADINI: All other things are
7 secondary missions to the work?

8 MS. GHOSH: We wanted to get unique
9 insights to the ice condenser containment. You
10 know, what would be different because of the
11 containment design.

12 So I think it's fair to say that that
13 was the main focus of this study.

14 MEMBER CORRADINI: Okay. So then maybe
15 the way one would at least address the executive
16 summary is this is our main mission. We might have
17 secondary missions, but to do our main mission we
18 simplified in X, Y and Z.

19 Because I view some of these things as
20 simplifications from what you learned in Surry.
21 And you wanted to focus on essentially hydrogen
22 behavior.

23 So if that's the case then comparing it
24 between plants becomes less important than
25 essentially trying to determine how the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consequences are affected by hydrogen behavior.

2 My only point is that if you're trying
3 to address too many things simultaneously then
4 you'll get criticized on all three, whereas your
5 main mission was hydrogen behavior in a unique
6 plant containment design.

7 And maybe coming up front in the
8 executive summary and explaining it that way would
9 help folks understand.

10 MEMBER BALLINGER: With maybe some
11 additional words related to the differences between
12 the two and what the impact might be. Differences
13 between this one and the others. A couple of
14 paragraphs or something so it cuts the head off the
15 snake that we've been talking about.

16 MEMBER SKILLMAN: May I please ask a
17 question?

18 MS. GHOSH: Yes.

19 MEMBER SKILLMAN: I understand the
20 physical plant bullets that you present on slide
21 13.

22 But as I read the documentation I was
23 asking myself where are the other peculiar
24 assumptions for this analysis.

25 I'm going to ask a question. Don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 answer. Have you ever been inside an ice
2 containment plant and gone into the areas where the
3 ice is located? Don't answer.

4 If you have you will find that there
5 are large doors. And it turns out they can move
6 literally at the tap of your finger. I mean, they
7 are activated by the most gentle delta p. That's a
8 good thing.

9 What's interesting is when you go on
10 the other side here is a maze constituted of many
11 of these baskets. Unless the ice is in the basket
12 and the ice is the correct geometry that has the
13 right area and the right interstitial flow area you
14 won't achieve the heat reduction and absorption and
15 pressure reduction that you're assuming.

16 So it seems to me then that in addition
17 to these assumptions there needs to be another set
18 of assumptions that say this many grams or this
19 many pounds of ice assuming this specific heat, and
20 this latent heat vaporization, or phase change, and
21 this amount of area because those and the
22 uncertainties around those have major effect on
23 what the pressure response will be.

24 So, where are those assumptions that
25 are so unique to this containment design?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSS: So, I don't believe that we
2 did a good job of getting those into the report.
3 We have tried to verify those numbers well, and
4 certainly they are very important numbers.

5 We didn't look into the variability of
6 them as part of the uncertainty analysis.

7 MS. GHOSH: There's some discussion in
8 chapter 2 about what might happen to the baskets,
9 the ice condenser part of the containment.

10 And in chapter 3 the model description,
11 we explain how much ice we assume to be there. So
12 we didn't vary the amount of ice.

13 What we did vary was the door position
14 once it blows open because that can help control
15 how much flow is going to actually get through the
16 baskets.

17 So, there's some discussion in there,
18 but we didn't include the ice mass as one of the
19 uncertainty parameters.

20 MR. ROSS: No, but I think it's
21 important to realize that the function or the
22 involvement of the ice baskets in a station
23 blackout are quite different than involvement of
24 the ice baskets in a design basis accident for
25 which they were designed for, being a large LOCA.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So there's a lot of ice in a station
2 blackout. Flow moves into it gradually. There is
3 a larger emission of steam when the hot leg fails.
4 But nothing on the order of a large break LOCA.

5 So, we did look at some variabilities
6 of what happens to the ice condenser doors, but we
7 didn't vary the porosity of the ice or look at what
8 plus or minus mass of ice there might possibly be.

9 CHAIRMAN STETKAR: We're going to get
10 into the ice condensers later, right?

11 MS. GHOSH: Yes.

12 CHAIRMAN STETKAR: Joy has to leave at
13 11.

14 MEMBER BLEY: My comment about the
15 frequency before I still agree with, you can look
16 at frequencies.

17 But if you can't answer the kind of
18 questions John was asking for things that I'm
19 almost certain were modeled in the SPAR model like
20 the reactor coolant pump seal LOCA which must have
21 been modeled for their blackout scenarios then the
22 frequencies don't really apply to the case you're
23 looking at.

24 All those kind of comparisons are
25 suspect.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GHOSH: Yes, and certainly our PRA
2 folks who are in the audience can tell you they did
3 look at that.

4 The seal LOCA variation was much less
5 likely, about five times less likely than the other
6 things. So we didn't focus on that.

7 But that is in the SPAR model and that
8 would just have been a much less assessed CDF
9 contribution if we looked at that variation.

10 The only thing I want to point out on
11 this slide, the beginning of the LTSBO is exactly
12 the same.

13 I just want to repeat because this gets
14 confusing. When we say unmitigated we are still
15 crediting a couple of EOP-based human actions. So
16 it's not -- it's different. The SOARCA parlance is
17 different from what you might hear in the PRA
18 world.

19 So the two actions we credit are
20 nominal dc load shedding as well as secondary
21 depressurization.

22 Oh sorry, that was short-term. Okay,
23 this is the long-term. Yes, so that's the
24 difference of long-term.

25 And then you have your aux feed system

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 working for a while until batteries deplete.

2 MEMBER CORRADINI: I'm sure Kyle will
3 get to it, but I just view the difference is that
4 once I lose aux feed I just move in time everything
5 that I see.

6 MS. GHOSH: Yes.

7 MEMBER CORRADINI: In terms of
8 assumptions. That's it.

9 MS. GHOSH: Right. So, the only
10 mitigated scenarios we looked at this time, we did
11 a sensitivity case for each of the scenario
12 variations, that the backup power to hydrogen
13 igniters is hooked up successfully and in time.

14 And for the STSBO we picked a
15 realization from our uncertainty set where we had
16 early containment failure and then we credit the
17 igniters and see what happens.

18 And with the long-term sensitivity case
19 we used the base case inputs and then made igniters
20 available.

21 CHAIRMAN STETKAR: Do you know at
22 Sequoyah -- I know what you did on long-term
23 station blackout. When they shed dc loads, do they
24 shed dc loads that would be needed for them to
25 actuate the igniters? You say they have to be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 manually actuated from the control room. Somebody
2 has got to switch them on.

3 Some plants shed dc loads that they
4 think aren't necessary to prevent core damage, but
5 might be necessary to save the containment because
6 they're not necessary to prevent core damage.

7 MR. ESMAILI: If I understand your
8 question correctly we don't need -- Hossein Esmaili
9 -- we are relying on ac power for igniters.

10 CHAIRMAN STETKAR: I don't want to
11 waste time on -- if I flip a switch typically the
12 switch has dc power that goes out and actuates a
13 relay. That relay closes a set of contacts which
14 energizes ac power. That's what I'm talking about.

15 MS. GHOSH: Okay. So, the scenario
16 variations we did look at, we just wanted to
17 provide the summary slides. So it gives a summary
18 of what we did the uncertainty analyses on, which
19 things we only did sensitivity analysis on.

20 So, for the short-term station blackout
21 we looked at two variations of the unmitigated,
22 which means no igniters are available.

23 In one Monte Carlo simulation we did
24 not credit the random ignition sources. In one set
25 we did. So there are some ignition sources that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are known. You know, when you have a hot leg or
2 RPV breach those are always modeled.

3 But then there are unknown sources that
4 could also trigger an ignition. So that's the
5 difference between those two sets.

6 In the case where we credit the random
7 ignition sources we have both the known sources as
8 well as the potentially unknown sources. And Kyle
9 will get into how we modeled that when he goes
10 through his model description.

11 And for both of those sets we did a
12 Monte Carlo simulation set separately. So we did
13 an integrated uncertainty analysis on those two
14 variations.

15 Then for the long-term station blackout
16 the approach we took was we had a base case or a
17 reference case, and then we varied some of the
18 parameters that we know to be important and did a
19 set of sensitivity cases to get a range of
20 outcomes.

21 And for both the short-term and the
22 long-term station blackout we did sensitivity cases
23 only in terms of crediting the igniters. We didn't
24 do an uncertainty analysis on potential igniter,
25 the igniter scenarios.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Just a
2 clarification. Probably Kyle or somebody is going
3 to get to it.

4 So, I'm curious how the random ignition
5 sources are correlated with equipment behavior.
6 They're not?

7 MS. GHOSH: They're not.

8 MEMBER CORRADINI: Okay, so then I'll
9 have a different question later. Thank you.

10 MS. GHOSH: Okay, so at this point I'm
11 going to turn it over to Kyle for the MELCOR model
12 overview. The next slide.

13 MR. ROSS: Very good. So I'll describe
14 the MELCOR model for Sequoyah. I'll try to pass
15 over things that are identical or largely similar
16 to the modeling that was done for Surry. But if
17 there's anything I'm talking too much about please
18 tell me or something I'm not talking enough about
19 please say.

20 MEMBER REMPE: Kyle, just out of
21 curiosity, when I was reading the report it often
22 refers to the earlier Sequoyah model. What was the
23 earlier Sequoyah model for? Was it the 1150
24 studies? Where was it developed?

25 MR. ROSS: Well, this model goes back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 probably 10 years or so. It was developed --

2 MS. SANTIAGO: Back in 2005 Dr. Tenkler
3 wrote a paper and we were going to look at several
4 different designs. And so the initial set was
5 reduced down to eight and then ultimately to three.
6 And they were Peach Bottom, Surry and Sequoyah.

7 So we started the Sequoyah probably in
8 2008. Tina mentioned that we paused that analysis
9 because of the complexity for Peach Bottom and
10 Surry just to move those pilot plants forward.

11 And then when we sent the Commission
12 paper up on the initial pilot studies we did
13 recommend that we take a look at Sequoyah because
14 of the ice condenser containment.

15 And as you know Fukushima happened as
16 we were completing.

17 MEMBER REMPE: I think you're not
18 understanding my question. It's a bit different.
19 Where was this Sequoyah model for MELCOR developed?
20 Was it developed for the GSI-189 studies?

21 MS. SANTIAGO: It was SOARCA.

22 MEMBER REMPE: It was solely -- so the
23 original model was solely developed for SOARCA and
24 then it was an update of the older one for SOARCA.
25 Okay. I was just curious if it had a different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pedigree.

2 MR. GAUNTT: This is Randy Gauntt. I
3 probably have some corporate memory here that's
4 helpful.

5 But this Sequoyah model was used in the
6 5046 revisiting hydrogen control at least 10 years
7 ago. I forget when we did that with MELCOR 185.

8 And it was one of our actually first
9 uncertainty applications where we were looking at
10 what kind of spectrum of hydrogen could you expect
11 in station blackout in Sequoyah.

12 And going further back than that I'm
13 not exactly sure where that Sequoyah model actually
14 originated, but we've had it for quite a long time.

15 MEMBER REMPE: So my comment in the
16 report is again editorial, but when you talk about
17 the earlier Sequoyah MELCOR model please say what
18 you mean and put a reference of where it was.
19 Okay? Thanks.

20 MR. ROSS: So, the model is equally
21 representative to our knowledge of either of the
22 Sequoyah units.

23 It's a 2.1 general purpose model for
24 transient reaction modeling but has only been
25 exercised for station blackout scenarios.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's current with respect to fission
2 product inventory, consistent with middle of cycle,
3 and it has the current steam generators, the
4 replacement steam generators represented.

5 MEMBER CORRADINI: Kyle, maybe you're
6 going to get into this. I haven't looked over all
7 your slides.

8 But when you guys did the Surry
9 uncertainty you had an Appendix A which I thought
10 was very helpful where you said, okay, here's 186,
11 the whatever you call it, baseline best estimate,
12 whatever it is, in SOARCA.

13 And now we're going to run 2.1. We're
14 going to show you the evolution unmitigated just so
15 we see traces of how things behave.

16 And they're kind of the same, and when
17 they're not the same we think this is happening or
18 this is happening.

19 Do you do that here either between this
20 Sequoyah and Surry, or between this Sequoyah and
21 the old Sequoyah?

22 What I'm trying to get at is some sort
23 of -- I won't use the word benchmarking.
24 Comparison so once you went to a 2.1 model of
25 Sequoyah you knew when you got a different behavior

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you could identify it. Did you do that sort of --
2 like you did in Appendix A of the Surry?

3 MR. ROSS: We did do that. We did go
4 through those.

5 MEMBER CORRADINI: Did I miss it?

6 MR. ROSS: No.

7 MEMBER CORRADINI: Somewhere in here.

8 MR. ROSS: So, it sounds like we have
9 not documented.

10 MEMBER CORRADINI: I couldn't find it.
11 I was looking for the equivalent of Appendix A in
12 the Surry uncertainty where you guys kind of did
13 this one to one.

14 I think again for the sake of modeling
15 then everybody goes okay, at least we know we're on
16 the same common ground, however realistic.

17 MR. ROSS: Very good. Sounds like we
18 came up a little bit short in our documentation
19 here.

20 MEMBER CORRADINI: That's all right, I
21 just wanted to make sure I didn't miss it. Okay.
22 Thank you.

23 MR. ROSS: Let's see. One of the
24 loops, the loop that the pressurizer is connected
25 to is represented individually. The other three

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 loops in the Sequoyah model are lumped together.
2 Reactor coolant pump seal leakages is represented
3 at 21 gallons per minute at pressure. And hot leg
4 rupture modeling is included.

5 The active core is represented with 12
6 axial core levels, five radial core readings.
7 Those are coupled to CVH volumes that are -- which
8 are five stacks of four volumes.

9 The nodalization has been developed
10 with the need to support in-vessel natural
11 circulation well. The lower head is distritized
12 into seven segments with 10 nodes through the
13 thickness of the steel.

14 MEMBER CORRADINI: Again, just to make
15 sure. So this is, in terms of five radial rings
16 downcomer, lower plenum, et cetera, et cetera, this
17 is essentially Surry.

18 MR. ROSS: Yes, that's right.

19 MEMBER CORRADINI: 2.1 Surry, sorry.

20 MR. ROSS: Yes. Surry is a three-loop
21 plant so there's some differences.

22 MEMBER CORRADINI: Right. Okay.

23 MR. ROSS: The upper reactor vessel
24 nodalization is detailed again with natural
25 circulation in mind.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The steam generator nodalization has
2 been destructed to support hot leg countercurrent
3 natural circulation. The circulation is managed
4 very proactively with flow path openings and
5 closings, and momentum additions that are necessary
6 in a code like MELCOR, a pipe-type code like MELCOR
7 to generate the kind of flows that have been
8 identified in CFD work done by the NRC and
9 documented in NUREG-1922.

10 As we talked earlier we did not make
11 the effort to do the best estimate modeling of
12 steam generator tube rupture possibility in the
13 Sequoyah work. So the hot tube modeling that we
14 did in Surry isn't active in the Sequoyah model.

15 MR. SHACK: One of the things here, you
16 didn't do any uncertainty analysis on the hot leg
17 failure in the natural circulation model which you
18 didn't do that in Surry either but it seems less
19 important there than it does here where that's sort
20 of a major ignition source.

21 MR. ROSS: Right.

22 MR. SHACK: What the condition of the
23 containment is when that ignition source goes off.
24 So I mean, you looked at all the variation in the
25 condition of the containment, but you didn't look

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 at the variation that you could get in the ignition
2 timing.

3 MR. ROSS: Ignition timing. So with
4 respect to the modeling of the hot leg nozzle
5 failure? Yes.

6 So, what we did do in Surry was affect
7 -- as an uncertain parameter we affected the
8 strength of the natural circulation. So that
9 played on when the hot leg would fail.

10 So we felt like there were several
11 parameters that we might have sampled to affect hot
12 leg failure timing, and we chose one as uncertain
13 in the Surry study. And we did not bring that
14 uncertainty into the Sequoyah study.

15 MEMBER CORRADINI: Can you remind us
16 what that uncertainty was? I've forgotten.

17 MR. ROSS: Let's see, there's a factor
18 that relates to how hot the hottest tube gets and
19 the uncertainty of that pointed out in the -- it
20 was a non-dimensional parameter. I'm sorry, it's
21 been a few since I've looked at it.

22 MR. SHACK: Yes, but that was aimed
23 towards the tube rupture problem in Surry whereas
24 here I think the hot leg rupture timing is
25 important to how big that hydrogen detonation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSS: It is. We found that to be
2 quite important.

3 MR. SHACK: But then you didn't look at
4 that as an uncertainty here, and that seems to me a
5 question of why not. It seems like an important
6 variable for something that you were focused on
7 which is the hydrogen.

8 MR. ROSS: The hot leg timing is -- we
9 did certainly find that to be quite important.

10 We -- something important with respect
11 to that is the modeling that we have in place is
12 the Larson Miller tree which if you look at the
13 temperature response of the hot leg there's a very
14 steep rise in temperature.

15 So what the comparison winds up being
16 for hot leg rupture is the reduced strength of the
17 steel given the severe temperatures compared to the
18 --

19 MR. SHACK: That could all be affected
20 by the natural circulation. Larson Miller is
21 certainly one thing that could affect the hot leg
22 rupture, but there are certainly others.

23 MR. ROSS: Right. So that's --

24 MR. SHACK: I mean, there's some
25 uncertainty in that CFD modeling. We take into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 account the uncertainty in the finite element
2 modeling of the containment structural response,
3 but not the CFD natural circulation here.

4 It seems to me that seemed like the
5 most important parameter that I could see left out
6 of the uncertainty analysis for which you were
7 interested in.

8 MR. ROSS: Yes, hot leg failure is
9 certainly important. As just to talk for a little
10 bit of defense, we didn't know going in what we
11 were going to find as a result.

12 It's the same with the safety valves.
13 We didn't realize the dramatic influence that
14 failure of a safety valve would have on whether
15 containment rupture is due to hydrogen burn or not.
16 And so we didn't really know going in what was
17 going to be an issue.

18 MR. SHACK: That one ends up at the top
19 of your regression analysis whereas there's no
20 regression on any of the parameters that might
21 affect the rupture time when I suspect that might
22 also be high if they had been included. But you
23 never know.

24 MR. ROSS: Yes, I think it's true.

25 MR. OSBORN: So, this is Doug Osborn.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We did look at the CFD work for -- back when we
2 were looking at uncertain parameters for Surry.

3 And what we determined back then was
4 that trying to apply some uncertainty to that CFD
5 model would be very involved, so much so that it
6 would probably be more costly than we wanted to
7 give it benefit so we ignored it and that carried
8 over into the Sequoyah analysis.

9 And in regards to the Larson Miller
10 uncertainty when that damage factor starts to take
11 off it really goes off on an exponential. So to
12 vary it from a Larson Miller of equal to 1 to like
13 0.1 that only varies it by seconds or minutes as
14 far as hot leg failure.

15 MR. SHACK: But I mean, having done a
16 number of those calculations from the CFD things we
17 got heat transfers coefficients that moved
18 locations of failure up and down the piping system.

19 And whether those are -- the final
20 version is the true and final version.

21 MR. OSBORN: Right, but the issue is
22 trying to take those CFD models and apply them into
23 a system model like MELCOR is rather involved. And
24 to do that for each variance or uncertainty, to go
25 and vary that within each one of the MELCOR model

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 realizations can be very time-consuming.

2 CHAIRMAN STETKAR: This is something I
3 know nothing about, but I am sensitive to people
4 who say they do an uncertainty analysis but don't.

5 What I hear you saying is there could
6 be substantial uncertainty from that phenomenon.

7 MR. SHACK: At least I think so. I
8 mean, it could change the timing considerably.

9 CHAIRMAN STETKAR: And the staff did
10 not examine that.

11 MR. SHACK: Right.

12 CHAIRMAN STETKAR: And yet they know
13 now that indeed the timing of that failure could be
14 a substantial effect on the overall results from
15 this study. Right?

16 MR. SHACK: It seems to me a
17 possibility, yes.

18 MS. GHOSH: So I think that's a fair
19 comment and thank you for pointing that out. We
20 will take it under advisement going forward in
21 terms of how we talk about it in the report, or if
22 we can do future work.

23 CHAIRMAN STETKAR: The point is just
24 because it's difficult and time-consuming to do an
25 uncertainty analysis doesn't mean that you ought

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not to do it. Because your concept of the amount
2 of time that's required, you could probably fit in
3 -- you've done some very crude -- we'll talk about
4 this later -- characterizations of uncertainties
5 elsewhere. You could have probably done a crude
6 characterization of uncertainty here. That's sort
7 of what I had in mind.

8 When I say crude I mean intelligent,
9 but not, you know.

10 (Simultaneous speaking)

11 MS. SANTIAGO: I think it's fair to say
12 we need to add something to the report that's
13 somewhat along the lines, or do future work like
14 Tina said.

15 CHAIRMAN STETKAR: Typically a lot of
16 times if you get some initial results they kind of
17 tell you a little bit about what you ought to be
18 thinking about, and maybe refine things a little
19 bit rather than just saying well, these are our
20 results.

21 MR. ROSS: On the pressurizer safety
22 valves I think here I was just going to briefly
23 describe the system of valves and what we
24 accommodated in the modeling, and then talk about
25 what we assumed failure wise when we talk about in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this parameter description presentation.

2 So, there are three safety valves atop
3 the pressurizer. They are in parallel. And what
4 happens to the three parallel valves as a system is
5 more important to consider than what happens to any
6 of the valves singly.

7 There are failure to open and failure
8 to close possibilities. If a failure to open
9 occurs or a failure to close but in a mostly closed
10 position pressure relief would transition from the
11 affected valve to the next set point valve that
12 would be lower oval state 1 to state 2 there.

13 If failure to close occurs the RCS
14 vents are regulated to containment which for
15 example would be state 2 to state 4 which would be
16 lower left to the right differently colored, yellow
17 colored oval.

18 If by rare chance all three valves
19 failed to open state 5, the purple oval would be
20 obtained and there would be no pressure relief.

21 Just to mention that in the sets of
22 MELCOR calculations most often only the lower set
23 point valve wound up being exercised. The other
24 valves didn't come into play.

25 But there were certainly a significant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 number of cases where pressure relief did move up
2 to second and even the third valve.

3 CHAIRMAN STETKAR: We're going to talk
4 more about the parameters later, but before Joy and
5 Mike leave I wanted to make one comment and get
6 some feedback.

7 This diagram that you have here, as I
8 understand it these valves are modeled in MELCOR as
9 if they are completely independent. Is that
10 correct?

11 MR. ROSS: Yes.

12 CHAIRMAN STETKAR: Okay. Such that I
13 can have a probability P_1 that valve V_1 fails to
14 close with area A_1 , and a probability P_2 that valve
15 V_2 fails to close with area A_2 , and so forth for
16 valve V_3 .

17 That is not correct because if we
18 account for -- this is a state of the art
19 uncertainty analysis, and state of the art
20 uncertainty analyses say that I have the common
21 state of knowledge regarding all three of those
22 valves such that if the world works according to
23 sample 1 from my model of the world then all three
24 valves work the same way.

25 I don't have independent probabilities

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of failure to close, and independent open areas.
2 They are all the same.

3 MS. GHOSH: Let me clarify.

4 CHAIRMAN STETKAR: Now wait, let me
5 finish.

6 MS. GHOSH: Because that's not what we
7 did.

8 CHAIRMAN STETKAR: That is what you did
9 or your tables are wrong because you have summary
10 tables that show me three separate --

11 MS. GHOSH: -- let me tell you what we
12 did.

13 CHAIRMAN STETKAR: Okay, what did you
14 do?

15 MS. GHOSH: We -- I know this gets
16 confusing because we can talk in terms of a
17 composite probability where we considered the
18 epistemic and the state of knowledge correlation
19 there. And then the stochastic nature of when they
20 actually fail.

21 If you combine those together versus
22 doing it, thinking of them separately.

23 So we have a common failure probability
24 across the three valves that's sampled in each
25 Monte Carlo draw. So each realization has one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 failure rate for failure to open and failure to
2 close that sample.

3 But given that failure rate we tried to
4 do the second level of stochastic sampling that
5 given that same failure rate because it's a failure
6 on demand how many cycles did it survive given that
7 failure rate.

8 So, in the end you're right that when
9 you look at the table what it looks like is that
10 there are three independent -- they're behaving
11 like three independent valves, but the initial
12 first step was to draw one failure probability
13 before we got to the second step of a different
14 number of demands based on that same failure rate.

15 CHAIRMAN STETKAR: I don't understand
16 what you're doing. Maybe Dennis does. If I look
17 at the summary tables I see three distinct
18 probabilities for failure to close with three
19 distinct open area fractions. And indeed the
20 discussions of the scenarios examine that.

21 They say hey look, in this scenario
22 valve number 1 failed after two failures and it
23 failed 90 percent open. But valve number 2 was
24 never challenged.

25 In this other scenario valve number 1

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 didn't fail until 82 cycles, or let's say 17
2 cycles, and it only failed 16 percent open. And
3 look, valve number 2 cycled 15 times but that was
4 longer than before we got the hot leg rupture.

5 That tells me that you're modeling them
6 completely independent. That's not true. That is
7 wrong. I don't care how you set up your sampling
8 algorithms and what you have deluded yourself into
9 mathematics, it is wrong.

10 If valve 1 fails after seven cycles
11 valve 2 fails after seven cycles and valve 3 fails.

12 MS. GHOSH: That's a deterministic view
13 of the world.

14 CHAIRMAN STETKAR: No, it isn't.

15 MS. GHOSH: The valve has a 50 percent
16 chance of failing on demand it's a constant failure
17 rate across the three valves, but it's still a
18 stochastic phenomenon whether it fails or not when
19 you command the valve to open and close.

20 CHAIRMAN STETKAR: If you look at the
21 references for treatment of correlated state of
22 knowledge for uncertainty treatment you will find
23 that you are wrong.

24 It is why the state of the practice in
25 risk assessment, the state of the art if you want

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to call it that, samples from any set of valves or
2 pumps or whatever if I use the same -- if I say
3 there's no reason to believe that they're different
4 and I have the same state of knowledge about their
5 behavior when I sample from that state of knowledge
6 they will all behave the same way. They will all
7 behave the same way.

8 MS. GHOSH: If we flip three quarters
9 are they all going to land on heads exactly the
10 same number of times? Maybe we did it differently
11 than how it's done in PRAs or other cases, but we
12 tried to be more explicit about separating the
13 epistemic and the aleatory parts of the valve
14 modeling.

15 MEMBER CORRADINI: For the uninitiated
16 since I'll let you guys argue this, can you say
17 again what you did so at least I get it?

18 MS. GHOSH: So let's pretend each of
19 the valves is a coin. They have a 50 percent
20 chance of failing on each demand.

21 So, each valve has a constant
22 probability of failing on demand. And then you
23 don't know how many demands there's going to be on
24 it. But every time you demand that valve to open,
25 or I guess close in this case, there's a 50 percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chance it's going to close.

2 So there's two ways to input it into
3 the MELCOR deck. You can either specify that it's
4 going to be what we had done in previous analyses
5 is to specify that you're just going to take the
6 mean number of failures given that failure rate,
7 and that it's deterministically going to fail at
8 that number.

9 So if it's a coin that's 50/50. That's
10 not a great example, but let's say it's going to
11 fail on the first demand. That's the mean number
12 that -- times that you can cycle it before it
13 fails.

14 But this time we tried to add that
15 aleatory aspect, the random nature of you don't
16 actually know given that failure rate which demand
17 number that valve will actually fail at.

18 So we tried to impose that second layer
19 of uncertainty modeling on the valve behavior. So
20 each Monte Carlo draw, the three valves had the
21 same failure rate specified.

22 MEMBER CORRADINI: But then once you've
23 determined that then you have variability on how
24 many times -- when it does fail, is it one, two,
25 three, whatever.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GHOSH: Right, right. So that you
2 don't deterministically decide that all three
3 valves are going to -- given that same failure rate
4 that all three would fail --

5 MEMBER BLEY: You and John are saying
6 kind of the same thing. I have to go look, but the
7 tables he's saying don't support that. And I have
8 to look at it. I haven't looked at that yet.

9 MS. GHOSH: Yes, and I'll revisit how
10 we documented it. It does get confusing because we
11 had to do all of this part of the modeling outside
12 of the MELCOR code and then create an input deck to
13 feed into the code.

14 MEMBER CORRADINI: But I guess at the
15 very least, I guess I see two things that have to
16 be clarified.

17 One, if the table doesn't express what
18 you just said it's got to be clarified.

19 And then two, I'll leave you
20 practitioners of failure rate modeling to discuss
21 the next step.

22 But it seems to me there's two points.
23 One, probably what you wrote doesn't come across as
24 to what you did which is at least the first step.

25 CHAIRMAN STETKAR: Well, we asked about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this on Surry and they said oh yes, we did it wrong
2 on Surry and there's a workaround that we used, and
3 the workaround didn't work.

4 And now I'm seeing the same effect on
5 Sequoyah. But I don't know --

6 MS. GHOSH: No, we did it right this
7 time. So in Surry we didn't accomplish what we
8 intended. This time around we accomplished what we
9 intended.

10 So the intention was same for both
11 studies. In Surry we found an issue that we had to
12 go back and devise a workaround. But that's why
13 that discussion is not there.

14 But the Sequoyah analysis was done by
15 the time we had come to you with Surry. The
16 approach is the same. We didn't modify it after
17 the feedback that we got in February. It's exactly
18 the same that we used. It's just that this time we
19 implemented it as we intended from the beginning
20 rather than having to go back and do the workaround
21 later.

22 The only thing -- and again, I don't
23 want to dwell on it, but the open area fraction we
24 did assume was different because that we have very
25 little information on. And we didn't see that that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was an epistemic uncertainty in terms of how big
2 that flow area would be when the valve failed. So
3 that is modeled independently.

4 MEMBER CORRADINI: Did you hear that
5 last thing, John?

6 CHAIRMAN STETKAR: No, I didn't.

7 MS. GHOSH: I was just pointing out
8 that the open area fraction is modeled independent
9 because that is thought to be a random thing in
10 terms of what position or what flow area the valve
11 fails with.

12 MEMBER BLEY: And you assume that
13 that's uniform.

14 MS. GHOSH: Yes, because we have --
15 we'll get into that.

16 (Simultaneous speaking)

17 CHAIRMAN STETKAR: But I wanted to get
18 this while we had more people here about how the
19 uncertainty was treated. Because that's more of a
20 fundamental issue.

21 Now, if I look at Table 4-14, for
22 example, I am led to believe that in a specific
23 realization each valve has a different number of
24 cycles to failure.

25 MS. GHOSH: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: How was that number
2 of cycles to failure produced?

3 MS. GHOSH: First a failure rate was
4 sampled from the failure rate distribution. And
5 then given that failure rate outside of MELCOR
6 which is why it has to get summarized as an input
7 to MELCOR there's basically some kind of simulation
8 that says given this failure rate how many, you
9 know, the number captures that would be on aleatory
10 part in that given the failure rate how many cycles
11 did the first one get to before it failed. How
12 many cycles did the second one get to, and so on.

13 CHAIRMAN STETKAR: But that's not
14 described anywhere in the report. I don't know
15 what you used for that as your characterizing it,
16 an aleatory uncertainty about.

17 MS. GHOSH: So that was identical to
18 Surry.

19 CHAIRMAN STETKAR: And I didn't find it
20 there.

21 MS. GHOSH: Okay. Let me go back and
22 make sure that -- I think in some cases we didn't
23 do as good a job in the stuff that we had covered
24 in Surry. We refer back to that report and we
25 didn't repeat that discussion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: But it wasn't clear.
2 We asked the same thing on Surry and you said well,
3 yes, we had to do some sort of workaround. And you
4 had some assumption that because you didn't believe
5 the uncertainty results you were assuming that one
6 of them never failed to open on Surry.

7 MS. GHOSH: Yes, that was with the open
8 area fraction sampling.

9 MEMBER BLEY: So to me the results
10 aren't particularly suspect. It depends on what
11 the failure rate was and that they fail at
12 different times seems reasonable. I can calculate
13 that sort of thing, but I'd like to see how you
14 calculate it. And we don't see that.

15 MS. GHOSH: Yes. So we should beef up
16 the documentation on that. We can do that, yes.

17 CHAIRMAN STETKAR: I just wanted to
18 make sure that I had a chance for Joy. We'll talk
19 more about the parameter models later.

20 MR. ROSS: With respect to containment
21 modeling the compartmentalized nature of an ice
22 condenser containment is reflected in Sequoyah
23 model nodalization.

24 The ice chest was represented with many
25 control volumes as opposed to a few to allow steam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 emission to be more localized.

2 The incomplete sealing by the ice
3 condenser entrance doors are assumed to be in
4 normal condition.

5 Failure of the ice condenser entrance
6 doors to reclose if they're open fully, if they're
7 forcefully opened fully then we assume that they're
8 not able to fully reclose.

9 MEMBER CORRADINI: Say that again,
10 please?

11 MR. ROSS: If an ice condenser door is
12 forcefully opened to its full open position we
13 assume that that affects the door such that it
14 can't resume a normally closed position.

15 CHAIRMAN STETKAR: But that's not true,
16 or at least in the documentation. In the
17 documentation it says for the lower doors there is
18 an uncertainty distribution that varies uniformly
19 between zero and 1 for the likelihood that it
20 sticks open.

21 There's words in one place that leads
22 me to believe what you just said, that once the
23 lower door is forced open fully it stays open. But
24 when I look at the discussion of the uncertainty
25 for those doors there is a discussion that says

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's a uniform uncertainty distribution anywhere
2 from zero stuck open which means it's a reversible
3 door to 1 that it's stuck open meaning it stays
4 open. So when I sample from that it could be
5 anything.

6 MR. ROSS: So what's actually in the
7 model is if the door is forcefully opened fully it
8 is allowed to reclose only to that fractional
9 position that is sampled as an uncertain parameter.

10 CHAIRMAN STETKAR: So, to make sure I
11 understand that, whether I characterize it as
12 reclosing to a position that's fully closed, or
13 reclosing to a position that's fully open it's
14 anywhere between fully closed and fully open after
15 it's forcefully opened.

16 MR. ROSS: That's right.

17 CHAIRMAN STETKAR: Okay. What's the
18 basis for that? Specifically I looked up the
19 reference and it says in the reference that TVA --
20 I won't quote because we have limited time here,
21 but if you're interested I can quote from the
22 appendix.

23 It says TVA claimed that they designed
24 the doors such that when they're opened under
25 design basis loads they stay open.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, if that's true I don't think it's
2 equally possible that they could not stay open, or
3 stay half open.

4 MEMBER BLEY: And that's a design basis
5 LOCA.

6 CHAIRMAN STETKAR: And that's a design
7 basis LOCA.

8 MEMBER BLEY: Slam them open.

9 CHAIRMAN STETKAR: Which would -- but
10 that's what he said, when they're forcefully
11 opened.

12 So if the people who own the doors and
13 design the doors say that they're going to stay
14 open by design under a condition that opens them
15 fully why in this uncertainty analysis are we
16 saying that there's a very, very high probability
17 that they don't? Almost guaranteed that they
18 don't.

19 It's equally likely that they work
20 perfectly.

21 MR. ROSS: Is there such a latch that
22 you're aware of?

23 CHAIRMAN STETKAR: It's not a latch.
24 It says deformation. They're designed to deform.
25 Now, I don't know how these things are designed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because I've never worked on them.

2 MR. ESMAILI: This is Hossein Esmaili.
3 We look at how these doors behave and we went back
4 to when they were looking at direct containment
5 heating issue.

6 And at that time they were doing
7 calculations with CONTAIN and also later on with
8 MELCOR. This was the work done by Sandia at the
9 time so they contacted the TVA.

10 And if you look at that NUREG that I
11 cited, I think it's 5586, I'm not sure.

12 So there are uncertainties on how these
13 doors behave. I think it was said correctly that
14 these doors open fully under 1 psf. But after
15 that, after that they are supposed to remain open.

16 But there's a probability that they
17 would also close. And so we took that as an
18 uncertainty that a fraction of these doors would
19 not come back, would not necessarily get crushed
20 open.

21 In the analysis that we have done, and
22 I think Kyle is going to show that later on, the
23 issue is that these doors do not fully open because
24 we are not looking at the DBA.

25 It only fully opens and it gets crushed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 open when you have a hydrogen burn. So, they look
2 at this as a sensitivity calculation.

3 (Simultaneous speaking)

4 MEMBER CORRADINI: So I understand what
5 you're saying. Do we only consider this
6 possibility of stopping somewhere in between fully
7 open and fully closed if we've had a hydrogen burn?

8 MR. ESMAILI: No. We consider only
9 that when it reaches that 1 psf which is about 46.
10 So once the door fully opens there's a possibility
11 that not all the doors fully open. You know, there
12 are 24 around the circumference of the containment.

13 If it fully opens, if they fully open
14 we say that, for example, 50 percent of these doors
15 remain open and 50 -- but at that point a large
16 fraction of the doors have remained open. And
17 there is also leakage to the lower plenum doors.

18 In our uncertainty analysis instead of
19 doing sensitivity analysis that they have done
20 before we assigned a probability that we don't know
21 how these doors really operate. And so some of
22 them can remain open and some of them can be
23 reversible.

24 For those who remain open then you
25 don't have the pressure for the others to fully

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 open.

2 CHAIRMAN STETKAR: Let me read into the
3 record because I did look up the NUREG. And in
4 Appendix A, this is a quote from NUREG/CR-5586.
5 Reference DBA 88 states that once the doors are
6 open during a DBA the door hinge assemblies are
7 designed to deform preventing reclosure.

8 The pressure required to do this is not
9 given. Door momentum in addition to static
10 pressure is presumably involved in producing this
11 deformation.

12 It is also indicated that if the doors
13 open under conditions insufficiently severe to
14 deform the hinges they can reclose, at least to the
15 neutral point.

16 It is not entirely clear whether
17 they're expected to reclose fully in the event that
18 a reverse pressure is reestablished, for example,
19 if the ice condenser cold head is reestablished.

20 In the present study NUREG/CR-5586, the
21 people who really looked at this, it was assumed
22 that the lower plenum doors normally would reclose
23 fully given the necessary reverse pressure.

24 The exception was that if the doors
25 were once fully open it was assumed that they would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 remain fully open in order to simulate the
2 deformable hinge behavior noted above.

3 Now, in that study they did three
4 sensitivity cases. They said our best estimate
5 based on the way they're designed is that they're
6 going to stick fully open.

7 But suppose they were reversible, or
8 suppose 50 percent of them stuck open. They did
9 sensitivity studies. In this case people took
10 those three sensitivity studies and drew a line
11 through them and said well, that's our uncertainty
12 in the way the doors behave.

13 That's not an uncertainty analysis
14 understanding the way the equipment apparently is
15 designed to work.

16 There's not a 99.99 percent chance that
17 less than all of them stick open. If they're
18 designed to stay open, and taking arbitrary things
19 from a sensitivity study and characterizing them as
20 your uncertainty analysis about the behavior of a
21 piece of equipment is not a state of the art
22 uncertainty analysis. It's simply playing games
23 with numbers.

24 MEMBER CORRADINI: Can I clarify one
25 thing, John, that you read?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: Sure.

2 MEMBER CORRADINI: The way I read that
3 is under DBA loads. But none of this except for
4 hydrogen burn would create a DBA load.

5 CHAIRMAN STETKAR: My point is they do
6 have DPs that would open them fully. I don't know
7 how you get them, but in their model they do have
8 DPs. And for those DPs they do have this
9 uncertainty distribution about whether it's
10 characterized as, you know, the fractional area.
11 Whether you characterize it as a percentage of the
12 doors that stick open or whatever.

13 I don't know what gets those DPs. But
14 all I'm saying is that if you're going to model
15 something and you're going to characterize your
16 uncertainty in the way that that thing behaves
17 characterize your uncertainty in the way that thing
18 behaves based on an understanding of the actual
19 piece of equipment, not an arbitrary sensitivity
20 study that somebody else did, and certainly not
21 something that seems to be contrary to the way the
22 thing is apparently designed to work.

23 MR. ROSS: I don't believe we were
24 aware. I wasn't aware of the door design feature
25 of staying open.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: As I said, I have no
2 idea how they designed these doors. I'm just
3 quoting from -- but this study refers back to it.

4 In one place in the study you just
5 brought it up. You say that they stick open. And
6 then as I was going through the later parts of the
7 study where I found the uncertainty distribution
8 that they pointed to I said, gee, where did they
9 come up with that.

10 MR. ESMAILI: I think they also
11 acknowledge there's large uncertainties on how
12 these doors behave.

13 I mean, at that time they say that this
14 is how -- you know, they went back to TVA, the same
15 that you were talking about, and that's why they
16 did this NUREG.

17 So, we didn't know exactly. But you
18 know, they were looking at the DBA condition. And
19 as I said, you know, we are looking at cases where
20 we have the pressurizer relief tank opening where
21 it does not lead to the fully open position.

22 And so based on what we saw in NUREG-86
23 the fact that they are just -- even when they
24 discuss this with TVA that the operation of these
25 doors as designed is supposed to do that, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're still not quite sure how they operate.
2 That's why we assigned that probability
3 distribution that we did.

4 Besides, you know, these doors are
5 opening on very, very low pressure. So, it's true
6 that under hydrogen combustion and when the core
7 goes expressed, some of them get stuck open.

8 But as long as the pressure is enough
9 they're going to push these doors open. So it
10 doesn't -- so whether 20 percent or 50 percent of
11 them get crushed open, the fact is that given
12 enough pressure the rest of the doors can open
13 also.

14 CHAIRMAN STETKAR: Hossein, suppose all
15 of them stick open. Suppose you use the model that
16 they used in the study that says if you get up to
17 the design DP they all stick open. What difference
18 would it make in your study?

19 MR. ESMAILI: I think our studies are
20 showing that it's not very sensitive to this --

21 CHAIRMAN STETKAR: That's -- it isn't
22 given the uncertainty distribution you have where
23 there's an exceedingly high probability that that
24 doesn't happen.

25 I'm asking you the other question is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 suppose they all did stick open the first time you
2 get up to whatever that pressure that opens them
3 fully. How would the results of the study change?

4 MR. ROSS: We did have such cases and
5 they didn't stand out.

6 MEMBER CORRADINI: So can I say it
7 differently just so I get it?

8 I'm still back to the performance of
9 it. So when the doors open that allows you to see
10 a train of ice to do a cooldown to essentially open
11 up the heat exchanger flow.

12 But the fact that I have variable
13 areas, don't the basses communicate
14 circumferentially?

15 MR. ROSS: They do.

16 MEMBER CORRADINI: So, this is like an
17 ice PWR. If I open one assembly I'm going to go to
18 the other assemblies given I've got enough of a
19 delta p. Am I understanding the behavior?

20 MR. ROSS: Yes, I believe you're
21 understanding it well.

22 MEMBER CORRADINI: Okay, fine. Then I
23 think we're arguing about nothing.

24 CHAIRMAN STETKAR: We may be, but my
25 whole point is that if you're going to do an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty analysis they selected this as one of
2 the important parameters to develop uncertainty
3 about. And if I have no confidence in the
4 uncertainty for that parameter it's not clear what
5 we're doing.

6 If it's not important then I would say
7 why didn't they just stick them fully open as the
8 people who did that original study did.

9 MR. ESMAILI: And so we will have to do
10 sensitivity. The question will have come up and
11 saying, you know, you have to do sensitivity
12 calculation to show what if they don't open.
13 Because in that same NUREG they're saying that it
14 is possible that these doors could be reversible.

15 So, we would have been not doing
16 uncertainty and relying on some sensitivity
17 analysis.

18 We tried to do that knowing that there
19 is -- we don't quite understand how these hinges
20 get crushed, et cetera.

21 CHAIRMAN STETKAR: Let's go on.

22 MEMBER REMPE: I have a bunch of
23 questions about the containment.

24 CHAIRMAN STETKAR: Yes, then do that,
25 please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER REMPE: Okay. Nodalization.
2 You beefed up the nodalization because of the ice
3 condensers. How do you know it's adequate? Did
4 you do sensitivities to say okay, if I added more
5 nodes that I get the same results?

6 MR. ROSS: We didn't accomplish
7 sensitivities with the nature. It was more of
8 judgment, thinking about the ingress of the steam
9 into the ice condensers and wanting to have a
10 localized volume as opposed to representing the
11 whole ice condensers with just one volume was a
12 consideration.

13 But we didn't try going to, say, to say
14 double and see if there would have been a
15 difference.

16 MEMBER REMPE: I'm just kind of
17 wondering because sometimes we're finding that
18 nodalization may not be adequate in other studies
19 that are going on.

20 MR. ESMAILI: Sorry, this is Hossein
21 Esmaili. We were informed. The same NUREG that
22 you were talking about, NUREG-5586, they had done
23 sensitivity to nodalization of the ice condenser.

24 So they started out with the four nodes
25 out, and then went to six nodes out. And so they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looked at what type of distribution they get. So
2 they finally went and this is written that they
3 went to a 26 node ice condenser model.

4 And this was the original node that was
5 used in calculations in support of GSI-189. And
6 our nodalization is we had changed a little bit,
7 but it is very -- it's similar to the analysis that
8 was done.

9 So we knew we were not going to do it
10 with four nodes or six nodes, we are going to do
11 enough nodes to capture all the things that they
12 had seen before.

13 MEMBER REMPE: That's good. So, I
14 would be happier if you could beef up the NUREG or
15 your SOARCA report and acknowledge that because
16 that's a question that I always have when I read
17 something like this.

18 Also, talk about your assumed or your
19 selected containment failure pressure. It doesn't
20 assume any temperature-induced degradation.

21 There was a statement in the report
22 that said well, we know it's not important if it's
23 below 300 F. So the question I had was well, I
24 didn't see any temperatures in the containment
25 predicted. Did the containment temperature stay

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 below 300 F?

2 MR. ROSS: I don't think I have a plot
3 to fall back on.

4 MEMBER REMPE: I'll trust you. Do you
5 know kind of what the values are?

6 MR. ROSS: There is elevated
7 temperatures in containment. The upper containment
8 is where the breach location is. But I have to say
9 I don't think we've considered the temperature of
10 the steel although that work was done.

11 MR. ESMAILI: So, this is Hossein
12 Esmaili again.

13 So, we looked at that under 5.26 that
14 you were just briefed I think about a month ago.
15 So, we did provide both the temperatures inside the
16 containment and also the structure temperatures.

17 MEMBER REMPE: For a different plant,
18 right?

19 MR. ESMAILI: No, it was Sequoyah.

20 MEMBER REMPE: For Sequoyah?

21 MR. ESMAILI: You have the figure. You
22 don't have it in the NUREG, but we were looking at
23 the temperatures that we were observing both for
24 the Mark III and ice condenser. And we plotted out
25 all those structure temperatures.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It is possible that because of hydrogen
2 combustion you can get some momentary spikes in the
3 temperature.

4 But when we looked at the structure
5 temperatures they were more or less remained around
6 300 or sometimes even lower than that. And these
7 are in the --

8 MEMBER REMPE: So tell me again.
9 You're telling me the structure temperatures
10 remained around 300 F?

11 MR. ESMAILI: Yes.

12 MEMBER REMPE: Okay, because again in
13 this document it says that temperature won't affect
14 the structure integrity if it stays below 300 F.
15 So, you're saying that you think it's around that
16 temperature a lot of times?

17 MR. ESMAILI: I can find you the SECY
18 for 5.2 and 6 and show you the temperatures. But
19 this was for a long-term station blackout. But
20 yes.

21 MEMBER REMPE: So what I'd like to see
22 in the report is that --

23 MR. ESMAILI: -- entire containment
24 shell. And I did not see temperatures exceeding
25 300 F.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER REMPE: Okay, so the document
2 should support somehow or other that you think the
3 temperatures are appropriate for neglecting any
4 temperature-induced --

5 MR. ESMAILI: We can add that
6 information.

7 MEMBER REMPE: Okay. And then you have
8 here that you assumed when the containment failed
9 it had a failure area of 3 square feet. What was
10 the basis for that size?

11 MR. ROSS: So that work was done NRC in
12 house. Is there someone here who's familiar with
13 the history behind that? Jose?

14 MR. PIRES: Good morning. My name is
15 Jose Pires.

16 The failure area for steel containments
17 is thought to be large. And the at-fault area of
18 mechanism are of a steel containment that was
19 obtained in experiments, in some cases was actually
20 a very abrupt failure with a very large -- actually
21 sometimes the containment even broke apart into
22 pieces.

23 But those were small containments. The
24 pressurization of the containment was probably
25 rapid because the volume was small.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But the thought is that the failure
2 area of containment will start as a crack that will
3 seep open to a large extent. So an approximate --
4 a large area would be reasonable to use. This
5 spreadsheet might end up be smaller than the actual
6 area.

7 MR. SHACK: That's my question is did
8 you do -- because 6920 has it as a catastrophic
9 rupture. I mean, it pops through under their
10 calculations. It runs unstable. So it's going to
11 be a big hole.

12 And the question, you know, 3 square
13 feet is a big hole, but would a 6 square feet hole
14 make any difference? Probably not.

15 MR. ESMAILI: I don't think so, but
16 can't say.

17 MR. ESMAILI: I think Kyle will show
18 some of the results. The point is that we are
19 expecting a very rapid depressurization. So, 3
20 feet square did the job, you know. Yes, you're
21 right, maybe do 6 feet square. But we don't expect
22 the rate of pressurization to be different as you
23 increase the --

24 MR. SHACK: Big is big, yes.

25 MR. ESMAILI: Big is big.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BALLINGER: But in the stuff
2 that I was reading the failure pressures were
3 identified in a range of failure pressures.

4 And then there was something about 2 to
5 3 percent strain at some pressure. But when you
6 slowly pressurize one of these things I couldn't
7 find what the failure strain would be.

8 It's probably in another report
9 somewhere but it's not in here.

10 MR. SHACK: 6906 and 6920.

11 MEMBER BALLINGER: Okay. And then what
12 happens if you get hydrogen, a pressure spike where
13 now you have a very dynamic pressure spike where
14 now you might not have the kind of -- the failure
15 in a very particular spike is more dictated by the
16 toughness of the material than it is by the yield
17 strength, or the strength of the material.

18 So, I guess I've got to go back and
19 look at those other documents. But it seemed to me
20 like 3 percent is a pretty small number.

21 MR. SHACK: Well, that's the global
22 strain. The argument always is that in their
23 particular case they have thin plates and thick
24 plates together. You localize strains.

25 MEMBER BALLINGER: Well, that's a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 circumferential transition, right?

2 MR. SHACK: Right.

3 MEMBER BALLINGER: Okay. So anyway,
4 I've got to look more carefully. But 3 feet seemed
5 like a small number.

6 MEMBER REMPE: My comment about this,
7 provide more documentation that this is a good
8 assumption, or it's an assumption that doesn't
9 matter but it just is out there. We assume this
10 and it leaves me wondering.

11 Could you kind of help me understand a
12 little bit how -- because I would think when you
13 have ice condensers you're going to have a lot more
14 humidity in the containment and then I would
15 obviously think that I would be less -- I would
16 think steam inertia would occur a lot more.

17 And that is carefully included in the
18 MELCOR model. Can you just qualitatively kind of
19 let me understand that?

20 MR. ROSS: Yes, and then I think we'll
21 come to some slides that are particular to that too
22 real soon.

23 MEMBER REMPE: Good. Okay.

24 MR. ROSS: But yes, we constantly
25 looked at having too much steam to support a burn.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Yes.

2 MEMBER REMPE: Okay. And I know you
3 did because I looked at the results, but I just was
4 curious because the ice condensers. And it's
5 because I've not looked at the MELCOR modeling to
6 fully understand it, but it carefully, when the
7 humidity from the ice is carefully included in the
8 containment atmosphere is what you're telling me
9 today.

10 MR. ROSS: Humidity. I don't know that
11 we initialized the containment atmosphere
12 differently because the ice was there.

13 But as the ice becomes involved in the
14 accident and melts and water relocates and
15 revaporizes all that is accounted for.

16 MEMBER REMPE: Carefully included.
17 Okay, that helps. I just, again, I hadn't gone
18 back to the MELCOR manuals to try and follow
19 through.

20 You talk about this random ignition of
21 and I assume frequency of a half hour. Was there
22 any technical basis for assuming this half hour? I
23 have a little pop recurring.

24 MR. ROSS: No, I don't believe we could
25 say that there is. We just wanted to investigate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if there were sparks that were happening from
2 whatever sources intermittently in time and space
3 would it affect the MELCOR calculation set is all.

4 MEMBER REMPE: Okay.

5 MEMBER BALLINGER: So that calculation
6 was pretty much, without knowing at all where
7 hydrogen might pool or not pool you just said, you
8 just have random sparks from some energy input from
9 some area.

10 MEMBER CORRADINI: We're ahead two
11 slides, but if we're going to ask about this, this
12 one escapes me. I apologize, but that's the only -
13 -

14 MR. SHACK: Let me just ask a quick
15 detail question. In one table you have a range of
16 rupture pressures of 54 to 82 and you reference
17 6920.

18 Then say you're going to use those
19 results. But the results you actually use are
20 55/74. And why did you change the numbers? Since
21 you reference the result.

22 MR. ROSS: Yes, I appreciate it because
23 they were up for commenting.

24 MR. PIRES: We had some other
25 calculations done that shows somewhat lower

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressures outside the range of the 6920. That's
2 where the 5 percentile and the 95 percentile of the
3 distribution from there.

4 And this also shows somewhat higher
5 areas. So we thought that because we are going to
6 choose a triangular distribution so that -- sadly
7 means not like a normal distribution. That there's
8 a tail dictates to expand the range.

9 MR. SHACK: Okay.

10 CHAIRMAN STETKAR: Don't anybody say
11 anything. Joy, did you get all of your items
12 covered, or do you have other ones?

13 MEMBER REMPE: There's a couple more,
14 but let's talk about random ignitions a little bit.

15 (Simultaneous speaking)

16 CHAIRMAN STETKAR: There are folks
17 around here who would like to take a break and I
18 want to make sure you get all of your stuff done
19 before you have to leave. So that's doable.

20 MEMBER REMPE: Some of them are not
21 related to containment so I was going to wait till
22 he finished his modeling. But it's up to you if
23 you want to take a break.

24 CHAIRMAN STETKAR: No, I --

25 MEMBER REMPE: -- now so it's fine.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: Will you take the
2 lead on the rest of them, sir?

3 MEMBER CORRADINI: If you want me to
4 I'll do whatever you tell me.

5 CHAIRMAN STETKAR: Please do that since
6 you converse in those terms. Let's regroup. Let's
7 take a break. I'm going to be not so generous.
8 Let's come back at 20 till 11, so 12 minutes from
9 now on that clock. We're recessed.

10 (Whereupon, the above-entitled matter
11 went off the record at 10:28 a.m. and resumed at
12 10:42 a.m.)

13 CHAIRMAN STETKAR: We're back in
14 session and we're not having any conversations.

15 MEMBER BALLINGER: Harsh.

16 CHAIRMAN STETKAR: I don't know where
17 we are when we left off, but Joy, you've got 18
18 minutes to get in whatever your parting shots are.

19 MEMBER REMPE: Well, there was one
20 parting shot that's not really related. If you
21 don't mind I would like to discuss it.

22 CHAIRMAN STETKAR: Is your mike on?

23 MEMBER REMPE: I would like to discuss
24 in your model you have gone with this lower
25 eutectic temperature. And I know that's been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 touted for a while now, but the discussion in the
2 text was the first time I'd seen some discussion of
3 why that was selected.

4 And basically it was the VERCORS data
5 that was inferred when you saw degradation of the
6 experiment.

7 And because this is an important
8 sensitivity and it used to be 2,800 K, using
9 inferred data from one test, and maybe there's
10 something from PHEBUS where you don't have direct
11 instrumentation to me seems a big leap of faith,
12 especially if it's important to the result.

13 Did anyone spend time to say well, why
14 is this lower? What is different about VERCORS and
15 PHEBUS if there are data from PHEBUS as opposed to
16 a lot of other data that was obtained years ago
17 that said that this eutectic diagram for UZrO₂
18 becomes liquid at 2,800. And I just would -- for
19 my own education could you let me know why?

20 MR. ROSS: So there's clearly an
21 uncertainty here in our opinion. The default best
22 practice value has long been 2,800 K as indicative
23 of a temperature that the zirc oxide cladding could
24 no longer support the original structure of a fuel
25 pan.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We made the assumption in looking at
2 the VERCORS data that fuel pans collapsed in the
3 experimental work as a result of eutectic
4 formation, and that eutectic being susceptible to
5 structural failure at a lower temperature than
6 2,800 K, at whatever temperature was registered at
7 collapse.

8 So we have adopted that in the
9 distribution that we applied here in the range of
10 temperatures that were believable for fuel rod
11 collapse. And it does not go up to 2,800.

12 MEMBER REMPE: I'm just curious. I
13 mean, why not -- could someone tell me why they
14 believe this inferred data is better than what was
15 done in the past? You may be right, but I just
16 would like to understand why.

17 Are you sure there wasn't something
18 just fluky with the test? They had a bad batch of
19 cladding or something?

20 MR. ROSS: I'm looking for Andy but
21 he's not back there.

22 MEMBER CORRADINI: He's not going to
23 save you?

24 MR. ROSS: It doesn't look like.

25 MEMBER CORRADINI: So, can I ask Joy's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question a little bit differently? Which is in the
2 Surry uncertainty analysis you had -- now I can't
3 remember. I didn't look it up. You had three
4 parameters that you varied. This was not one of
5 them?

6 MR. ROSS: This was one of them.

7 MEMBER CORRADINI: Okay. And so how
8 big of an effect did this one have relative to the
9 radial propagation. All three of them were not
10 that important I seem to remember in terms of how
11 they affected the results.

12 MEMBER REMPE: But didn't you also stop
13 at -- you had used the same distribution in Surry.
14 What I'm saying is maybe it should have been at
15 2,800 instead of centered around --

16 MEMBER CORRADINI: Well, but first I
17 want to ask the question, let's just go back to
18 Surry. I don't remember all three of the
19 parameters for in-core modeling variations having a
20 big effect on anything.

21 So, if I were to magically rerun this
22 calculation and just move the S curve to the right
23 I wouldn't expect to see a big difference. Because
24 you're still accumulating material and it's still
25 going down and hanging up because of just the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 physics of it being an open core lattice. It just
2 kind of holds up and then the curve goes kerplunk
3 at some weight.

4 MR. ROSS: Right. But the primary
5 effect of that is if the fuel pan stands longer the
6 hydrogen production is extended. So you have more
7 in-core hydrogen production than with a higher
8 temperature for failure than a lower temperature.

9 MEMBER REMPE: And page 455 of their
10 study indicates that this value is important.

11 MR. ROSS: We wanted to carry something
12 into this core analysis that could affect core
13 damage progression, but we didn't want to redo all
14 that we had done in Surry.

15 MEMBER CORRADINI: So why -- that's why
16 I asked the earlier question is the model of Surry
17 for the vessel and primary system the same model as
18 you use here.

19 And that should be unlinked to the
20 containment, and the ice baskets, and all that
21 stuff.

22 MR. ROSS: Right.

23 MEMBER CORRADINI: Right? So then
24 that's why I don't remember in the Surry
25 uncertainty that hydrogen generation was seriously

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 affected by this. It was affected by just
2 essentially the overall assumption of how MELCOR
3 treats the ability to gases to flow through the
4 core. Regardless of whatever the disassembly.

5 MR. ROSS: I don't recall the Surry
6 dependence that we found on eutectic temperature.

7 MEMBER CORRADINI: Whereas here you
8 did. That's what's --

9 MS. GHOSH: I think we found some
10 dependence for the total hydrogen production in
11 Surry as well, but because hydrogen wasn't really
12 an issue for that containment we didn't focus on it
13 that much in our analysis of the results.

14 But yes. So, for hydrogen production
15 it does show up, but not for the other metrics that
16 we looked at.

17 MR. GAUNTT: I'm sorry. This is Randy
18 Gauntt. I just walked in and I understood there
19 were some questions about our eutectic modeling
20 update. Did that get answered?

21 MR. ROSS: I didn't do a very good job.
22 Could you ask your question again, Joy?

23 MEMBER REMPE: Sure. Okay, so the
24 report, in fact Surry also assumed this lower
25 eutectic temperature where the material becomes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 molten.

2 And this report for some reason got my
3 eye more because they talked about that the basis
4 for that data was inferred data from VERCORS.

5 And it mentions something about PHEBUS,
6 but when you're changing something that becomes
7 fairly important that way from the old data from
8 before. What's the difference that you decided to
9 jump ship and go with the new inferred data versus
10 maybe a lot of other tests that were done
11 previously?

12 MR. GAUNTT: Right, right. So, it's
13 been a long journey. If you reach back to source
14 term code package days we melted fuel at 3,200
15 Kelvin.

16 And then as we understood a little bit
17 more about this we started to try and account for
18 the binary interaction between zirconium dioxide
19 and uranium dioxide because you've got them in fuel
20 debris.

21 And if you look at the phase diagrams
22 for the UO₂ZrO₂ there's a large liquidous range
23 that's around 2,800. And that's where we were in
24 the past, at 2,800.

25 But then if you look at the ternary

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 phase diagram of U, ZR and O there are other
2 liquidous ranges. One of the quasi binaries is
3 alpha ZROUO2. And there you see some quite lower
4 liquidous ranges. Okay. Clue one from the phase
5 diagram data.

6 Clue two comes from modeling the
7 response of the PHEBUS experiments. And it just
8 looks like we get better predictions on fuel
9 slumping if we drop that temperature to account for
10 the fact that it's not a pure binary. There's
11 metallic zirconium that's commingling and dropping
12 those temperatures some more.

13 And then we looked to the VERCORS test
14 where there were actually fission product release
15 tests, but in many cases they had imaging, you
16 know, X-ray imaging or something that would show as
17 they ramped this fuel up in temperature they would
18 show these fuel pellets kind of slumping at lower
19 temperatures.

20 So we just became kind of convinced
21 collectively looking at all the information that it
22 was a better representation of -- or abstraction if
23 you will of the more complex interaction between
24 zirc metal, zirc oxide and uranium, and perhaps
25 irradiated fuel effects as well to drop that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 temperature more down and around the 2,500 K range.

2 And this is kind of consistent with the
3 ASTEC modelers and other people modeling severe
4 accident progression. So it's kind of a complex
5 story, but that's how we got to this point.

6 MEMBER REMPE: I appreciate it. Did
7 anybody think well, maybe there might be something
8 different about these tests? Did they take some
9 time to say these tests are truly representative?

10 MR. GAUNTT: You mean the VERCORS?

11 MEMBER REMPE: Yes, as well as PHEBUS.
12 I mean, you're saying both of those tests.

13 MR. GAUNTT: It's what we've got to go
14 on, you know.

15 MEMBER REMPE: That's it. Okay.
16 Because there were a lot of other tests done
17 previously.

18 MR. LEE: This is Richard Lee from
19 Research.

20 All those tests, all those pilots come
21 from the commercial reactors. PHEBUS.

22 MEMBER REMPE: Okay. Thank you.

23 CHAIRMAN STETKAR: Let's go back to
24 where you were. I just wanted to make sure because
25 Joy has to leave that she had a chance that she had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a chance to fully vet her concerns.

2 MR. ROSS: So, just some more details
3 about containment modeling. Leakage past the
4 freestanding steel containment vessel to the
5 annular region between the vessel and the concrete
6 shield building is included in the model. But this
7 is a slight leakage.

8 Overpressure rupture of the steel
9 vessel is accomplished with this 3 square foot hole
10 as we mentioned before.

11 The shield building failure was imposed
12 coincident with steel containment vessel rupture.

13 There were two paths understood to the
14 environment. One is a ventilation opening high on
15 the shield building wall. The other is a door
16 leading from the auxiliary building.

17 CHAIRMAN STETKAR: I'm assuming that
18 because of that it doesn't make any difference
19 where you located the containment failure, is that
20 correct? Because the analysis says it's most
21 likely to come apart around the equipment hatch
22 which is down pretty low.

23 MR. ROSS: Right.

24 CHAIRMAN STETKAR: And you assumed it
25 was high up.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSS: We just have one volume
2 representing the annular space.

3 CHAIRMAN STETKAR: Yes, but so you just
4 pressurize that annulus and the location of the
5 release was determined by these two things.

6 MR. ROSS: Right. By these two
7 penetrations.

8 MEMBER CORRADINI: Can you go back.
9 Where are the penetrations just so I understand?

10 MR. ROSS: So there's a ventilation
11 unit high on the shield wall.

12 MEMBER CORRADINI: So it's up by CV23
13 or CV22? Or lower than that? That's what I didn't
14 understand.

15 CHAIRMAN STETKAR: Those two arrows out
16 to the right is where they're modeled.

17 MR. ROSS: So there's -- yes.

18 MEMBER CORRADINI: Okay.

19 MR. ROSS: Right, that lower one would
20 be the auxiliary building doorway.

21 MEMBER CORRADINI: Okay, thank you.

22 MEMBER REMPE: In your last point you
23 talked about the vessel failure. And I note on
24 page 3-7 you said that you had a vessel breach of
25 variable size opens. What did you assume?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSS: The containment vessel
2 breach.

3 MEMBER REMPE: No, this is actually the
4 reactor vessel, a variable size opens, I believe.
5 Maybe I misread the document there, but I thought
6 at the time you were talking about the reactor
7 pressure vessel.

8 MR. ROSS: Let's see. The vessel
9 breach would be either a hot leg rupture or a lower
10 head --

11 MEMBER REMPE: What did you assume for
12 the vessel failure size when you assumed the vessel
13 failed?

14 MR. ROSS: It's double-ended break of a
15 hot leg.

16 MEMBER REMPE: So you never had lower
17 head vessel failure.

18 MR. ROSS: Yes. Yes. So the lower
19 head always fails typically after there's a hot leg
20 rupture, but not always. There are a significant
21 number of MELCOR runs where there was no hot leg
22 failure and vessel breach came at lower head melt-
23 through.

24 MEMBER REMPE: What size did you
25 assume?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSS: It's a gross failure. I
2 don't recall more than that except that it is a
3 gross failure.

4 MEMBER REMPE: Okay, thanks.

5 MR. ROSS: The feature that we realized
6 back in 2007, one earlier development worked on on
7 the Sequoyah model under SOARCA was that the
8 division between upper and lower containment in
9 overall ice condenser containment structure is
10 completed by a piecewise rubberized barrier that's
11 designed to limit steam that can bypass the ice
12 chests in a design basis LOCA.

13 In total this seal is 464 feet long and
14 it covers an area of 135 square feet.

15 There are 12 vertical and 11 horizontal
16 sections of this seal and they are on average 3 and
17 a half inches wide.

18 The seal is intended to maintain its
19 integrity during a design basis LOCA for a minimum
20 of 12 hours exposing no more than half a square
21 foot of leakage area during that time.

22 If a section of this seal were to fail,
23 a single section of the seal were to fail the deck
24 bypass area could increase from, for example, 5
25 square feet to 15 square feet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The seal and its failure represented in
2 the MELCOR model in conjunction with the nominal
3 deck leakage.

4 MEMBER CORRADINI: So this is like -- I
5 want to call it for want of a better word like a
6 rubber bladder that tries to minimize bypass. So
7 you took this as a variable in terms of potential
8 leakage bypass.

9 MR. ROSS: Right. It's a rubberized
10 fabric.

11 MEMBER CORRADINI: I just wanted to
12 make sure I understood.

13 CHAIRMAN STETKAR: We'll talk this
14 afternoon about the parametric distribution used
15 for the failure rate for that?

16 MR. ROSS: Yes.

17 CHAIRMAN STETKAR: Okay.

18 MR. ROSS: Ignition sources. We ran
19 two 600 calculation sets of MELCOR calculations.

20 In the first set there were two
21 understood sources of ignition. One of those was a
22 hot plume issuing from an RCS breach at a hot leg
23 nozzle or in the pressurizer surge line.

24 The hot plume had to have a velocity
25 that was greater than 0.1 meters per second, and it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 needed a temperature that was greater than 847 K
2 which was taken to be the autoignition temperature
3 of hydrogen.

4 The second source of ignition was taken
5 to be core debris on the containment floor.

6 In the second set of 600 calculations
7 there was an additional source of ignition
8 considered and we've been calling that random
9 ignition.

10 So, the two above sources of ignition
11 were still considered as viable ignition sources.
12 But additionally we interjected a spark if you will
13 of one second duration. We did it every half hour.
14 And we put it somewhere in containment.

15 MEMBER CORRADINI: So, this is the one
16 thing I don't get. So help me. Where did this
17 come from?

18 MR. ROSS: So, this was to acknowledge
19 that there could be sources of ignition, sparks of
20 unknown origin.

21 One possibility it seems is if there
22 were aftershocks following the big seismic
23 initiator that piping would jostle, that debris
24 would fall and that the generation of a spark was
25 believable. And so we wanted to reflect that to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some degree in these calculations.

2 MEMBER CORRADINI: So, is there any
3 experimental evidence of this in any controlled
4 environment that you can point to? Because I
5 understand what you're saying. I just don't
6 understand -- well, I'm trying to get a mechanistic
7 feeling for where has this been observed that
8 justifies doing this.

9 MR. ROSS: Well, Fukushima I suppose.
10 It's a reactor building as opposed to a
11 containment. But that was a situation where --

12 MEMBER CORRADINI: They were trying to
13 reinitiate power and doing all sorts of things,
14 running about.

15 So, this one you're just kind of
16 standing back and watching the thing occur. So I'm
17 still struggling.

18 MR. ROSS: Yes. So, the -- well, they
19 certainly were running about trying to reestablish
20 anything they could. But it did seem like there
21 was a full station blackout situation without
22 electrical sources. Seems like that could have
23 been the situation, but yet the containment did go.
24 The reactor buildings did go.

25 MEMBER CORRADINI: So, to my original

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question.

2 MR. ROSS: Yes.

3 MEMBER CORRADINI: There's nothing
4 that's been in the hydrogen testing program back at
5 Sandia in the seventies and eighties there's
6 nothing that they tried to look at that. There's
7 nothing that's been done in other research. When
8 EPRI had their program they actually looked at
9 random ignition sources and looked at this? I'm
10 looking for an experimental basis.

11 MR. GAUNTT: Randy Gauntt. I'm just
12 going to add maybe to -- from a Bayesian
13 statistical standpoint we saw three reactor
14 buildings blow up at Fukushima.

15 And I think we were trying to pay
16 respect to the fact that, hey, you've got hydrogen.
17 It finds a way to ignite.

18 Now, your point is we don't know what
19 the ignition source was. But you could imagine
20 people scrambling in the same way that they did at
21 Fukushima trying to bring things about, or whether
22 it's an aftershock that leads to a -- or just
23 simply static, static buildup of some sort.

24 So, there's no more to it than that.
25 We're not drawing upon any experimental study on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 random ignition. Simply saying wow, we blew up
2 three buildings at Fukushima. We can't ignore that
3 in this case.

4 MR. LEE: Richard Lee from Research.
5 I'm going to use the familiar things that Dana
6 Powers asked us about aerosols.

7 When we do aerosol experiment we always
8 make sure they are neutral. But the aerosol that
9 released through the accident, the charge doesn't
10 have to be damaged. So you will have an imbalance
11 in charges and that could be a source of the
12 hydrogen ignition.

13 That's true also could be for Fukushima
14 when we see the reactor building blow up because
15 we've been asking where is the ignition source.

16 MEMBER BLEY: So, remember back in the
17 sixties the BWRs with the standby gas treatment
18 systems had a whole series of pops that blew those
19 things apart.

20 Most people think that was due to
21 static buildup.

22 MR. LEE: But the aerosol is for when
23 radioactive decays are not balanced.

24 But when we do experiment on aerosol we
25 try to study aerosol phenomena, not the charges.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In the PHEBUS experiment we asked a
2 friend can you look at these charges in balance.
3 They said no because they have too many
4 instruments, there are too many things to study.

5 MEMBER CORRADINI: I guess my feeling,
6 maybe the discussion is -- unless I missed it there
7 was not a lot of discussion as to how this came
8 about.

9 So I thought maybe you were trying to
10 model some sort of door closures where I smack
11 something and I create some sort of impact. Then
12 the impact essentially would be a trigger. But
13 that's not the case.

14 MR. ESMAILI: Hossein Esmaili. I just
15 want to clarify one thing that's not written here.

16 This random ignition, and correct me if
17 I'm wrong, this happens at high hydrogen
18 concentrations.

19 So, we always have -- so we do get this
20 random ignition when the hydrogen concentration
21 gets above 10 percent or so, correct?

22 MEMBER REMPE: My understanding was
23 that you had a spark source --

24 MR. ESMAILI: It does.

25 MEMBER REMPE: -- and whether it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually led to ignition or not depended on the
2 concentration. But there was a 30-minute pulse
3 every -- throughout this analysis.

4 MEMBER BLEY: A pulse every 30 minutes.

5 MEMBER REMPE: Yes, a pulse every 30
6 minutes throughout the analysis.

7 MEMBER BLEY: But the concentrations
8 were three different ones.

9 MR. ESMAILI: No, no, not for the
10 random ignition, correct?

11 MR. ROSS: We did require that hydrogen
12 needed to be 10 percent in order to be lit by
13 random sparks.

14 MR. ESMAILI: So this is the point.
15 So, in the MELCOR all the studies that we have done
16 we have always recognized, and this has going back
17 to NUREG-1150 that they say it is some random, some
18 unknown hydrogen ignition.

19 And we actually have models that says
20 even without igniters, or even without some
21 unknown, if the hydrogen concentration gets to
22 about 10 percent you're assuming that the hydrogen
23 combustion can occur. So it's always been there.

24 Here they're trying to treat this a
25 little bit more formally, that we are not going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have this hydrogen combustion everywhere as soon as
2 the hydrogen concentration reaches 10 percent.

3 But we are looking at they are doing
4 something, some things are happening, I don't know,
5 maybe energizing some equipment. And there are
6 things that are happening that can cause a random
7 ignition.

8 But at the end of the day it is a
9 random ignition. There's a history to it and this
10 one we're just doing it a little bit more formally.

11 So it's not something that we are doing
12 --

13 MEMBER REMPE: Some additional
14 discussion in the text.

15 MEMBER BLEY: I'm a little confused
16 though because when I read this section of the text
17 it came up with a rationale for the distribution.
18 I thought that was talking about random ignition.

19 It talked about lower flammability
20 limits for hydrogen at 4, 6 and 9 percent in
21 different directions and assumed one-third in each
22 direction.

23 So, that's not -- this is something
24 different?

25 MEMBER CORRADINI: Yes, it's different.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Simultaneous speaking)

2 MEMBER CORRADINI: They're just
3 modeling burning from volume to volume to volume.
4 And it depends on where it propagates depending
5 upon concentration.

6 CHAIRMAN STETKAR: But that says
7 there's an equal probability that it goes up,
8 sideways, or down.

9 MEMBER CORRADINI: If I satisfy the
10 concentration.

11 CHAIRMAN STETKAR: Yes. To go down
12 requires the highest concentration, 9 percent.
13 With a random ignition you cannot get a burn unless
14 the concentration is greater than 10 percent.
15 Therefore the concentration is great enough for
16 random ignition for it to go in any direction -- in
17 all directions.

18 Does it go in any and all directions?

19 MEMBER BLEY: Or is it sort of deformed
20 spherical which is what would make physical sense
21 to me. If you meet the criteria in all directions
22 you'd think it would go in all directions.

23 MR. ESMAILI: But this is the point.
24 So, this is -- we have like, I don't know, 25, 27
25 control volumes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What Kyle is doing is that he's
2 allowing an ignition source in one of those control
3 volumes.

4 So, as Dr. Corradini was saying, so
5 once you get this at that point, you look at are
6 the conditions such that I have sampled a half
7 hour, do I have 10 percent hydrogen that controls.

8 If that happens then I'm going to
9 initiate a combustion, blow a combustion in that
10 volume regardless of my flammability.

11 But what happens after that is that all
12 these control volumes are connected. So once it's
13 trying to propagate from that volume to the other
14 volume it is still subject to these flammability
15 limits of 4 percent, 6 percent, or 9 percent
16 depending on how these control volumes are
17 connected together.

18 MEMBER BLEY: But when you propagate to
19 the next control volume if its concentration is
20 high enough to support all three directions, what's
21 come out of that control volume only in one of
22 those directions? Or does it come out in all of
23 them? If it can support all directions.

24 MR. ROSS: So a burn propagates along
25 from volume to volume along flow paths that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 defined by the user.

2 And the onus is on the user to define
3 whether that flow path is horizontal or vertical.
4 And so the code looks at that distinction in the
5 input and then considers what hydrogen
6 concentration is necessary to move in that
7 direction and decides whether the propagation can
8 happen or not.

9 MEMBER CORRADINI: But I think, Kyle,
10 his question is a little bit different. I think
11 what I was going to try to explain is ignore for
12 the moment, leave out how I ignite.

13 Let's say I ignite, whether it be by
14 random, an igniter, that happens to be where the
15 hot leg is, that happens to be where the
16 pressurizer is. Now it ignites.

17 Now your question is if I'm above 10
18 percent, I think your question was if I'm above 10
19 percent in that volume how does it propagate to
20 surrounding volumes. That's your question.

21 MEMBER BLEY: My question is in the
22 model and the real event. It seems to me in a real
23 event if you can support it in all directions it's
24 -- that's what happens.

25 MEMBER CORRADINI: Right, but -- I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't want to speak for them, but these volumes are
2 compartmental volumes. So it's not -- you can't
3 think spherical. You've got to think connectivity
4 between one compartment to the next compartment to
5 the next compartment. That's how he answered the
6 question.

7 But I think what he's asking you is if
8 I -- let's just get away from Sequoyah. If I had
9 it in one volume what is your logic about the
10 uniform distribution? Would it actually then start
11 burning in all three volumes if they satisfied the
12 concentration criteria?

13 MEMBER BLEY: Or only one.

14 MEMBER CORRADINI: Or only one.

15 MEMBER BLEY: You flip a three-sided
16 coin to decide which one.

17 MEMBER CORRADINI: Do you understand
18 the question?

19 MR. ROSS: I apologize, I don't.

20 MR. ESMAILI: Okay, can I try to see if
21 I can expand a little bit?

22 So, let's just give an example. So I
23 have two control volumes sitting right next to each
24 other.

25 The code that's as Kyle was saying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 knows that this shows a propagation horizontally
2 from this control volume to the next control
3 volume. So in other words once I --

4 MEMBER CORRADINI: In other words, keep
5 on going. You're doing great.

6 MR. ROSS: So you get that. So in
7 other words, so I have 10 percent here. I have the
8 hydrogen combustion initiated in this control
9 volume. And the code will look at what's happening
10 in the other control volume.

11 It is propagating this flame from this
12 control volume into the next volume. Once it tries
13 to propagate into this next control volume it still
14 has to satisfy some certain condition. You know,
15 like for example not being steam inerted.

16 And then it knows --

17 (Simultaneous speaking)

18 CHAIRMAN STETKAR: Just describe
19 hydrogen. Don't complicate it more.

20 MR. ESMAILI: Okay. So then if it's
21 going horizontally, and as Kyle said the code knows
22 that this propagation is happening horizontally.

23 So in his control volume what I need is
24 a hydrogen concentration greater than 4 percent.

25 If it was propagating to a control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 volume up then I need -- in that control volume I
2 need a hydrogen concentration of 9 percent.

3 So, it knows, so the code knows by
4 defining how the control volumes are connected what
5 type of propagation you get.

6 And we are only talking about the
7 propagation from this control volume to the other
8 control volume.

9 MEMBER CORRADINI: Okay, but that isn't
10 what -- I think we all get that.

11 MEMBER BLEY: Suppose we have this
12 control volume where you have fire now. And we
13 have one above it. We have another control volume
14 below it and one horizontally. It could go in all
15 three directions.

16 MR. ESMAILI: That is correct.

17 MEMBER BLEY: But if it meets the
18 criteria in all three directions does it go in all
19 three directions, or do you say one-third of a
20 chance it only goes up? Or flip another one and it
21 only goes this way.

22 MR. ROSS: It goes in all directions.

23 MEMBER BLEY: It does go. Well, how do
24 you use this 30 percent --

25 (Simultaneous speaking)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Given the figure
2 that's what I think is bothering me. This thing.

3 MR. ROSS: So, this is what the volume
4 that the burn is originating in. The spark. Maybe
5 it's on the floor. Maybe the spark is at the
6 ceiling, or maybe it's somewhere in between.

7 If it's at the ceiling for that spark
8 to light a burn that can propagate.

9 MEMBER BLEY: So this was within a
10 control volume is where you used it.

11 MR. ROSS: That's right.

12 MEMBER BLEY: Once the control volume
13 actually lights up then it can go in any direction
14 as long as it can be supported. Okay. That makes
15 a lot more sense to me. I didn't get that reading.

16 MEMBER CORRADINI: The logic is
17 reasonable.

18 MEMBER BLEY: I didn't get that reading
19 the report, that you applied this within the
20 control volume to see if it actually can --

21 MR. ROSS: That's the uncertainty that
22 we addressed.

23 MEMBER CORRADINI: MELCOR knows in a
24 volume where you are in the volume. However
25 monstrously gross the volume is it knows whether

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you're at the top, or the bottom, or the side.

2 MEMBER BLEY: Well, it's randomly
3 picked, right?

4 MEMBER CORRADINI: This is.

5 CHAIRMAN STETKAR: But for random
6 ignition, even with random ignition because we know
7 that the concentration in that volume by definition
8 must be greater than 10 percent. Therefore it's
9 great enough to support all three directions.

10 There is still a parsing of the flame
11 front within that volume.

12 MR. ROSS: So, in the long discussions
13 we had about whether including this random ignition
14 was viable or not there was a feeling expressed
15 that maybe if there was a random source of ignition
16 it would be very slight. It would be a very slight
17 spark.

18 And so that it would require something
19 like 10 percent to ignite. And so we made that a
20 requisite. If we had a burn that was going to
21 start with a random spark you had to have at least
22 10 percent fraction of hydrogen.

23 CHAIRMAN STETKAR: But I guess what I'm
24 asking though is and what I thought I was hearing -
25 - I don't know how hydrogen burns.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So, I know to get a random ignition I
2 need to have greater than 10 percent. And from
3 what I've read here it says if I have greater than
4 10 percent that's enough to support a three
5 dimensional spherical burn.

6 MR. ROSS: Yes.

7 CHAIRMAN STETKAR: Is it true that
8 whenever I have random ignition in any compartment
9 I always get that type of burn such that it always
10 --

11 MR. ROSS: No.

12 CHAIRMAN STETKAR: Okay. Why?

13 MR. ROSS: Because if you have a volume
14 where the burn is initiated and you have
15 surrounding volumes the -- maybe the volume above
16 has 4 percent concentrated hydrogen. So yes, you
17 could propagate it up.

18 But maybe the volume below also only
19 has 4 and that would be insufficient.

20 (Simultaneous speaking)

21 CHAIRMAN STETKAR: I thought I heard
22 you saying, well, in the control volume depending
23 on the location of --

24 MR. ROSS: Yes, the spark.

25 CHAIRMAN STETKAR: -- the spark this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing would somehow apply.

2 MR. ROSS: It would. But the exception
3 is if we get a -- in the case of a random spark
4 we're mandating that you have to have 10 percent in
5 that special condition.

6 CHAIRMAN STETKAR: Okay.

7 MR. ESMAILI: I guess what I have to
8 make clear is this random ignition is in addition
9 to that ignition source that we have as a result of
10 hot leg failure.

11 CHAIRMAN STETKAR: We understand that.
12 Do not complicate things where we understand.

13 I'm thinking about a random ignition
14 inside a compartment.

15 MEMBER BLEY: I don't recall the
16 justification for going to the 10 percent. Is it
17 because you expect in a random location that the
18 energy of the spark might be so low that it might
19 not fire it off?

20 MR. ROSS: That feeling was expressed
21 back and forth we had for weeks about whether to
22 include this random.

23 MEMBER BLEY: But if it's 10 percent
24 then this other stuff doesn't matter. Within that
25 control volume it goes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSS: If it's 10 percent and you
2 have --

3 CHAIRMAN STETKAR: And in the adjacent
4 control volumes, again, adjacent, I have one above,
5 one to the side and one below.

6 MR. ROSS: Right.

7 CHAIRMAN STETKAR: It will then ignite
8 in those control volumes depending on if it's
9 greater than 4 percent.

10 MR. ROSS: Yes, if it's greater than 4.

11 CHAIRMAN STETKAR: And less than 6
12 percent I will get an ignition in that control
13 volume which can only propagate upwards. Right?

14 MR. ROSS: Well, say the volume below
15 the volume where the burn initiates only has 4
16 percent hydrogen. Then the burn won't proceed that
17 way.

18 CHAIRMAN STETKAR: Right. It will stop
19 in that next volume.

20 MR. ROSS: It won't go into that volume
21 below.

22 CHAIRMAN STETKAR: It won't go into the
23 volume below?

24 MR. ROSS: Right.

25 MEMBER CORRADINI: Yes, he's saying it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 correctly. I think the simple way to say it is
2 that once you compute -- forget about this
3 probability. I don't want to go back to that.

4 Once you compute that you now are
5 burning the hydrogen in one volume it looks to
6 every place it can flow and asks the question do I
7 satisfy it in concentration, in steam mole
8 fraction, yes or no. And those numbers depend upon
9 their vertical or horizontal orientation.

10 MR. ROSS: Yes.

11 CHAIRMAN STETKAR: Right.

12 MEMBER CORRADINI: And once I've passed
13 that filter it burns. But it's a volumetric burn.

14 MR. ROSS: Yes.

15 CHAIRMAN STETKAR: Okay.

16 MEMBER CORRADINI: You just start
17 chemically combining.

18 So, I do think though, I'm back with
19 the random ignition. You don't have to go back to
20 it. Oh, I'm sorry. You're somewhere. I don't
21 know where.

22 I think you've just got to explain your
23 logic and why you chose this. Because to me it was
24 so sparse I didn't understand where it was coming
25 from. I thought it was for equipment. So you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 saying it's covering a whole raft of things, even
2 what Dr. Lee was saying relative to potential
3 static charges from aerosol transport.

4 That's got to be there. It just was
5 missing. I didn't understand where this was coming
6 from.

7 MR. ROSS: Very good, thank you.

8 MEMBER CORRADINI: So can I ask about
9 where this burn is happening now? Now that I
10 understand the modeling of that.

11 Given that it's either random burns,
12 you're picking these randomly in any of your 26
13 volumes. They could be up high. They could be
14 down low in the lower compartment or the other
15 compartment. Is that correct?

16 MR. ROSS: That is, yes.

17 MEMBER CORRADINI: And you randomly
18 pick one every half an hour somewhere, or you
19 randomly pick one all 26 locations every 30
20 minutes?

21 MR. ROSS: We pick from the 26
22 possibilities each half hour. Just one.

23 MEMBER CORRADINI: And then you look
24 and see if it's above 10 percent.

25 MR. ROSS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: So you do a
2 sampling. And then once you sample you say is that
3 one above 10 percent. But you don't sample anybody
4 else. Okay.

5 MR. ROSS: Right.

6 MEMBER CORRADINI: And then I want to
7 call it the raceway, but the circumferential
8 connection above the ice baskets which long ago
9 used to be the focus of all hydrogen worries, how
10 is that modeled? One volume, or a series of
11 volumes? Right above the ice baskets.

12 MR. ROSS: Let's see. There's more
13 than -- I'm not sure.

14 MEMBER CORRADINI: Because historically
15 that's where all the concern was with ice
16 condensers about transition from deflagration to
17 detonation because you had essentially a raceway
18 that essentially you could build up a relatively
19 large pressure. Is that treated as one volume or a
20 group of volumes?

21 It's the -- I'm not sure how you model
22 it, but you call it the upper plenum, CV23, CV22.
23 Is that -- are those two volumes each 180 degrees?
24 Is it burned volumetrically?

25 MR. ESMAILI: Upper plenum of the ice

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chest is two volumes.

2 MEMBER CORRADINI: Okay. Thank you.

3 MR. ESMAILI: And this was also
4 informed by the previous --

5 MEMBER CORRADINI: Yes, I understand.
6 I just wanted to make sure I understood what you
7 were doing. Thank you.

8 MR. ROSS: Some combustibility
9 considerations just to mention a few things.

10 The combustibility is dependent upon
11 relative concentrations of fuel oxidizer and
12 diluent gases measured as mole fractions.

13 Too little fuel, or too little
14 oxidizer, or too much diluent prohibits burning.

15 The strength of a burn depends on the
16 amount of fuel available to burn that actually
17 burns, i.e., the combustion completeness is quite
18 important.

19 Lesser values of LFL relate to lesser
20 accumulations of fuel at ignition and hence lesser
21 strength burns.

22 Combustion completeness is a function
23 of the fuel concentration at ignition. Well, just
24 for example of the importance of combustion
25 completeness, if you went from a fraction, a mole

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fraction of 0.04 in volume to 0.08 you might infer
2 there's twice as much fuel so you could have twice
3 as energetic a burn.

4 But because of the complications of
5 burn completeness dramatically really you can
6 involve 33 times more hydrogen in the case of a
7 0.08 concentration burn than a 0.04 concentration
8 burn.

9 MEMBER CORRADINI: And you treat this
10 deterministically as I understand it, or is that
11 also sampled later on in the uncertainty?

12 MR. ROSS: No, combustion completeness
13 determination is inherent in MELCOR.

14 MEMBER CORRADINI: So it's a
15 deterministic value in the calculation.

16 MR. ROSS: Right.

17 MEMBER CORRADINI: Okay, thank you.

18 MR. ROSS: For the origination of a
19 burn the SOARCA Sequoyah model expands upon
20 MELCOR's default fixed criteria like we've been
21 talking to include LFL variability per the work of
22 Kumar for the propagation of -- we talked about
23 this maybe well enough.

24 There is some combustible mixture
25 criteria modifications that we made to MELCOR that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I should mention briefly.

2 We additionally defined sufficient fuel
3 being that hydrogen or carbon monoxide or a
4 combination to be a function of diluent, meaning
5 given how much steam you might have present the
6 concentration of hydrogen that's required to
7 support a burn varied depending on how much steam
8 you have.

9 And we tried to, or we did incorporate
10 that dependence in the Sequoyah combustion
11 modeling.

12 We further included a temperature
13 dependence that's modest but we felt an advantage
14 to include such that if a temperature is hotter
15 it's somewhat easier to ignite a burn, meaning you
16 need a little less hydrogen than if you have a
17 colder situation.

18 We maintain MELCOR's default
19 requirement of needing a fractional content of 0.5
20 oxygen for a burn to be supported.

21 That was what we thought was important
22 to point out about containment modeling features.

23 CHAIRMAN STETKAR: A couple of
24 questions, and mostly because of my ignorance of
25 this stuff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If I don't have containment failure
2 early. So it overpressurizes and fails late can I
3 get a hydrogen burn when that occurs because I
4 suddenly have a release of pressure? And would
5 that affect my overall results in terms of
6 releases?

7 MR. ROSS: It could, and it did happen
8 in some of the cases.

9 CHAIRMAN STETKAR: You allow that to
10 happen.

11 MR. ROSS: Yes, it's inherent.

12 CHAIRMAN STETKAR: Okay, good. Thank
13 you. Good.

14 There was a lot of discussion -- this
15 is something I know nothing about in terms of
16 what's held up in the pressurizer relief tank, the
17 PRT, and when whatever's held up there is released,
18 and the conditions that it's released under.

19 There was some discussions that said
20 well look, it's not going to get released until
21 temperature gets really, really high. And oh by
22 the way, that's above the melting temperature of
23 the steel of the tank.

24 How is it actually modeled? Because
25 the rupture disk on the relief PRT always opens

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 early. So, and I don't know at Sequoyah how big
2 the rupture disk is.

3 It struck me as if I have a big hole in
4 the pressurizer relief tank that it might not ever
5 actually get very high, and all the volatiles would
6 come out really early which I didn't get a sense
7 that it was doing that.

8 MR. ROSS: So, the involvement of the
9 pressurizer relief tank was very interesting. And
10 we do have shortcomings in the modeling that we
11 realized in the end.

12 But yes, the tank saturates and the
13 pressure disk does burst before core damage in many
14 of the cases, I guess in all the cases.

15 CHAIRMAN STETKAR: I think it would be
16 all the cases realistically. Even if the
17 pressurizer relief safety valves are cycling you're
18 going to -- it's going to fill it and
19 overpressurize that pretty early on.

20 MR. ROSS: Right. So, any core damage
21 that's going on and pressure being relieved through
22 the safety valves, those fission products are
23 interjected to the pool that's in the pressurizer
24 relief tank and scrubbed there fairly efficiently.

25 Then when the continual venting to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tank and decay heat of the fission products uses up
2 the pool eventually, and those fission products
3 wind up being in the tank without any water and
4 without any cooling. And there can be large
5 amounts of the fission products and large amounts
6 of the associated decay heat that's with them.

7 And we find that that drives a
8 revaporization of the deposits. And when
9 containment ruptures and depressurizes that
10 aggravates the repressurization. And that is seen
11 in the releases to containment.

12 CHAIRMAN STETKAR: The PRT is modeled
13 as an open vessel with a fairly large hole in it?

14 MR. ROSS: Yes.

15 CHAIRMAN STETKAR: It is.

16 MR. ROSS: It's fairly physical. The
17 three pressurizer valves as well as the pores all
18 vent to a control volume that represents the tank.
19 And there's a flow path atop the tank that
20 represents the burst disk.

21 And the tank is initialized with a
22 pool.

23 CHAIRMAN STETKAR: Okay, but after the
24 disk ruptures it now communicates with the rest of
25 the containment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSS: Yes.

2 CHAIRMAN STETKAR: And I understand
3 that after some point in time all of the water
4 evaporates in there, but it's still communicating
5 with the rest of the containment.

6 MR. ROSS: Yes.

7 CHAIRMAN STETKAR: And it's
8 communicating in a way such that the size of the
9 hole in the PRT is not large enough to remove the
10 heat being generated?

11 Because you're saying -- I think you're
12 saying it eventually heats up and fails.

13 MR. ROSS: Well, it heats up above the
14 melting temperature of steel. So.

15 CHAIRMAN STETKAR: I think my question
16 is why does -- I don't know enough about the
17 thermal hydraulics and the physics to know that if
18 I have a tank with a big hole in it can I get
19 enough convective heat removal from said tank such
20 that it essentially just keeps evolving stuff and
21 doesn't heat up to the point where it then suddenly
22 fails.

23 MR. ROSS: Yes, so that's a good
24 question. We could address that better in
25 nodalization and flow path definition.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Can I ask John's
2 question differently? Since I -- something I
3 wasn't worried about.

4 The issue is that not only are you
5 releasing gases, but you're actually heating up the
6 walls of the volume?

7 MR. ROSS: Right, the decay heat.

8 MEMBER CORRADINI: But the walls of the
9 volume are adiabatic. It doesn't know that there's
10 something outside of it.

11 MR. ROSS: So I don't know if the tank
12 is physically insulated or not. But not seeing
13 this --

14 MEMBER CORRADINI: The model is
15 adiabatic.

16 MR. ROSS: Yes, we didn't have it
17 losing any heat.

18 MEMBER CORRADINI: So under those
19 conditions, yes.

20 CHAIRMAN STETKAR: But in the real
21 world wouldn't it lose heat?

22 MEMBER CORRADINI: Yes.

23 CHAIRMAN STETKAR: Okay. Not just
24 convective heat.

25 MEMBER CORRADINI: What am I worried

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about here?

2 CHAIRMAN STETKAR: I don't -- see,
3 that's what I don't know about. This is not my --
4 but they seem to --

5 MEMBER CORRADINI: It's in the lower
6 compartment so it's a no, never mind.

7 CHAIRMAN STETKAR: But there seems to
8 be quite a bit of discussion about the timing of
9 the releases from the PRT as a function of that
10 model. And that's the only reason that I asked the
11 question as if it makes a big deal to the
12 difference of the timing of the releases.

13 And if it doesn't then I don't care.
14 And if it does.

15 MR. ESMAILI: This is Hossein Esmaili
16 and you're absolutely correct. It does make a big
17 difference.

18 And we are going to show that. And
19 this is one area that we can improve our modeling.

20 But the picture is the same as what you
21 would expect of happening in the suppression pool.
22 They have spargers inside this pressurizer relief
23 tank and it captures -- the pool captures some of
24 these fission products.

25 Over time heating up the water removes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 all the water. And so what happens to the fission
2 products are now they're sitting on top of this dry
3 steel structures. And that heats up the
4 structures. And at some point, once the vapor
5 pressure is just right it leads to a release.

6 CHAIRMAN STETKAR: I'm sorry, the vapor
7 pressure can't get above the containment pressure
8 because this big tank, which is not all that big,
9 has a big hole in it. It looks not quite as bad as
10 this cup, but a lot like this cup compared to a
11 suppression pool that has no holes in it.

12 MR. ESMAILI: But the heating of the
13 fission products as they're sitting on top of those
14 steel structures at the bottom once the pool is
15 gone increases the temperature of the heat
16 structure. And I think that's what Kyle was
17 saying.

18 MEMBER CORRADINI: Where does the PRT
19 reside?

20 CHAIRMAN STETKAR: Down in the
21 basement.

22 MEMBER CORRADINI: In the basement?
23 Wouldn't it be covered by all the ice that's
24 flowing down after melting?

25 MR. ROSS: It's on a pedestal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: And it won't be
2 covered. Ever.

3 MR. ROSS: Well, let's see. Water
4 level does come up a lot more in an ice condenser
5 containment than a large dry. But I don't know.
6 That would be something to look at.

7 MEMBER CORRADINI: I had a comment
8 later on about the water depth which is enormous in
9 the ice condenser.

10 So my thought is this looks a lot like
11 the AP1000. The whole floor is filled with meters
12 of water.

13 MR. ROSS: We should check that. That
14 would be something very good to check.

15 MEMBER CORRADINI: Maybe I'm off base
16 there, but it strikes me that there's not dead
17 volume. I thought the PRT was not in a dead
18 volume, that if I start melting the ice it's going
19 to flow all the water from that so it's essentially
20 going to cover everything. Am I wrong?

21 MR. ROSS: That's a really good point.

22 CHAIRMAN STETKAR: I don't know how
23 it's configured at Sequoyah, but they're typically
24 down in a place down on the bottom of the basement
25 that's a big enough space to put a fairly decent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sized tank. They're hard to miss.

2 And they're on a pedestal, but they're
3 not on a 12 foot tall pedestal. They're on a thing
4 that you can get enough anchor bolts.

5 MEMBER CORRADINI: You caught something
6 that I missed. I'm just combining what you're
7 worried about with my question later on which is
8 where does the water go when I melt all the ice.

9 And if I melt all the ice my impression
10 is it doesn't sit in the reactor cavity below the
11 vessel. It's so much water that it essentially
12 fills and essentially fills all these various
13 volumes.

14 Does MELCOR consider that possibility
15 with the appropriate flow paths?

16 MR. ROSS: It does. It does at that.
17 And if we had connected the heat structure that
18 represents the tank to the control volume, if there
19 were a pool there it would have taken advantage of
20 it. But we did not. And have not looked to see
21 how the pool compares to where the tank is.

22 MEMBER CORRADINI: But considering you
23 treat it as adiabatic it wouldn't matter. But it
24 just strikes me though that the big effect in an
25 ice condenser is once I melt this, good God,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's water everywhere.

2 MR. ESMAILI: But it requires a lot of
3 water before it can start actually flowing down to
4 the lower regions and into the cavity.

5 MEMBER CORRADINI: How much? Is it
6 tracked? In the calculation is it tracked?

7 MR. ESMAILI: It is tracked. In our
8 calculation it is tracked. It requires about the
9 entire RWSD plus 25 percent melting of the ice
10 according to FSAR for water to start flowing into
11 the cavity.

12 As a matter of fact, in a lot of the
13 calculations that we see the cavity is dry at the
14 time of lowering.

15 MEMBER CORRADINI: Okay.

16 MS. GHOSH: Is it okay if we skip over
17 the process stuff which is exactly the same -- is
18 it okay if we skip over the first few slides which
19 just talked about our process which was the same as
20 the Surry UA and then we just dive into the
21 parameters themselves?

22 CHAIRMAN STETKAR: I was reading notes,
23 I'm sorry. Where are you?

24 MS. GHOSH: We just skipped onto 37.

25 (Simultaneous speaking)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: We heard about the
2 storyboard process.

3 MS. GHOSH: Right.

4 CHAIRMAN STETKAR: Yes. Yes, yes,
5 sure.

6 MS. GHOSH: And you already know we're
7 focusing on containment.

8 CHAIRMAN STETKAR: That's all the same
9 as -- I mean the process is the same as you
10 described for Surry. We talked about that.

11 MS. GHOSH: Just to save a little time.

12 CHAIRMAN STETKAR: Well, just make sure
13 you're -- and because nobody knows you make sure.

14 MR. KIRCHNER: My question before you
15 go into these parametric cases is have you explored
16 the nodding of the containment since this is a
17 containment focused study on things like hydrogen
18 accumulation, stratification, burn?

19 Because these are -- yes, in particular
20 by compartment or in the containment dome.

21 MR. ROSS: So nodalization studies are
22 not something we've accomplished in the current
23 work.

24 Hossein gave some good history of
25 earlier work.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ESMAILI: This is Hossein Esmaili.
2 This was going back to the older work that was done
3 in terms of DCH issue resolution and all the
4 calculations for the GSI-189.

5 They did have finer nodalization of the
6 containment, upper compartment, et cetera. And so
7 they did some differences. But in our analysis we
8 are looking at the big picture.

9 So, from what I remember they did not
10 find a big sensitivity, even though the
11 nodalization was still porous. So in the upper
12 compartment it's not a CFD code, it's a systems
13 code. They maybe modeled it for two control
14 volumes. But they did not find any big
15 sensitivity.

16 MR. KIRCHNER: So if I may ask another
17 question, jumping ahead perhaps to the results, did
18 these various hydrogen scenario, burn scenarios
19 have any major impact or change in the results?

20 MR. ESMAILI: Talking about the old
21 calculations, the previous nodalization
22 calculations?

23 MR. KIRCHNER: In your study here.

24 MR. ESMAILI: Okay, so the short answer
25 is that no, we were informed by the previous

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculations. We have not done a nodalization
2 study here. Because we just learned what was done
3 before.

4 We do change the flammability criteria.
5 Don't forget that this is a huge volume, 4 percent,
6 6 percent, 9 percent. I think if I'm not mistaken
7 Kyle takes care of some of that in terms of where a
8 burn occurs, or how it propagates. But to tell you
9 honestly, no, we did not do a nodalization here
10 again.

11 Had we done a nodalization would it
12 change? Probably. But will it change the overall
13 picture? I don't think so.

14 MR. KIRCHNER: -- major impact on the
15 consequences.

16 MR. ESMAILI: No, because even in these
17 cases we are seeing a large fraction of the
18 calculation resulting in early containment failure.

19 So for example, I know Kyle's going to
20 get into this later, but for example an early
21 containment failure can be 20 percent of the
22 calculation we have early containment failure.

23 If it's done a little bit differently
24 could it be 30 percent. Yes, it's possible. But
25 you know, it's still a very high number.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BALLINGER: I was going to ask
2 about the stratification issue until I think I
3 heard that MELCOR actually keeps track of that, of
4 the hydrogen migration through the different
5 volumes. Did I hear that correctly?

6 MR. ROSS: You did, yes.

7 MEMBER BALLINGER: Okay. So that sort
8 of takes care of any stratification issues because
9 it somehow has to deal with migration of hydrogen.

10 MR. ROSS: As the nodalization -- it
11 would be probably a good venture to nodalization.
12 That's the most difficult sensitivity to perform is
13 changing the nodalization.

14 MEMBER BALLINGER: Because hydrogen
15 moves pretty fast. And it does stratify.

16 (Simultaneous speaking)

17 MEMBER CORRADINI: The only experiments
18 I'm aware of where you've seen stratification is
19 where you have to have a very high concentration.

20 (Simultaneous speaking)

21 MEMBER BALLINGER: Cooling is what I'm
22 saying.

23 MEMBER CORRADINI: It stratifies by
24 compartment. The old HDR experiments showed
25 stratification, but that was because by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 compartment.

2 But if I'm in a large open volume it's
3 pretty well-mixed. That's where I thought Walt was
4 going with this but I didn't --

5 MEMBER BALLINGER: Well, after my
6 adventure with hydrogen detonation we had to do a
7 calculation in my lab for the distribution of
8 hydrogen for a point source of hydrogen. And it
9 definitely pooled in the ceiling quickly.

10 (Simultaneous speaking)

11 MEMBER CORRADINI: Once I mix it, it
12 doesn't unmix. And then I'm getting continual
13 buoyant plumes coming out of the ice basket that's
14 doing this.

15 MEMBER BLEY: -- probably didn't mix.
16 It streamed.

17 MR. ESMAILI: So, you're absolutely
18 correct. And then we have to understand that we
19 are talking about MELCOR. It's a long parameter
20 model. The type of stratification, the type of
21 things that you are seeing probably it's best
22 handled with more sophisticated code or CFD codes.

23 But as Dr. Corradini is saying, if you
24 expect a well-mixed condition we are capturing some
25 of these phenomena.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BALLINGER: You're assuming it's
2 well-mixed.

3 MEMBER CORRADINI: Right, but I guess
4 my -- I never was worried about this, only from
5 past experiments that I've seen where you don't
6 need much of a buoyant force to cause a mixing
7 within a large volume.

8 Compartmentally I think they capture it
9 because of the nodalization.

10 CHAIRMAN STETKAR: Anything more?
11 Good. I'm going to make an executive decision
12 here. Mike has to leave at 2 so we're going to
13 take a lunch break here and I'm not going to give
14 you an hour.

15 So let's come back at 12:30 and pick it
16 up there. Because I don't want to break somehow
17 after 15 minutes of this discussion. Let's
18 reconvene at 12:30. Sorry about the short lunch
19 break but there you go. We're recessed.

20 (Whereupon, the above-entitled matter
21 went off the record at 11:47 a.m. and resumed at
22 12:33 p.m.)

23 CHAIRMAN STETKAR: We are back in
24 session. And again, Mike, if you have any
25 particular things that you -- no, seriously. If

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you have anything particular that you want to
2 explore, we should do that. Interject and -- no,
3 apparently he's happy. Go forth.

4 MR. ROSS: All right. Let's see. We
5 wound with nine parameters that we sampled as
6 uncertain. There were parameters related to
7 sequence, related to in-vessel accident
8 progression, ex-vessel accident progression and
9 containment behavior, hydrogen combustion and
10 aerosol transported in deposition.

11 PARTICIPANT: We already talked about
12 those --

13 (Simultaneous speaking.)

14 MR. ROSS: Yes, we described this
15 slide. So the next few slides are real specific
16 points about what we modeled failure-wise for the
17 pressurizer safety valves, and they're taken
18 straightaway from the Sequoyah report which we
19 tried to write better descriptions with respect to
20 the valves than we had in the Surry report.

21 But would it be good for me to go
22 through each of these bullets about --

23 CHAIRMAN STETKAR: It's up to you if
24 you want to go through -- I have some real problems

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with this, and I still do --

2 MR. ROSS: Yes, I --

3 CHAIRMAN STETKAR: -- in a couple of
4 areas. But if you want to go through the bullets
5 for the benefit of the other members --

6 MR. ROSS: Okay.

7 CHAIRMAN STETKAR: -- it might be
8 useful.

9 MR. ROSS: So the failure probabilities
10 for the safety valves are obtained from table 20,
11 Failure Probabilities for PWR Code Safety Valves
12 Behavior after scrams, in NUREG/CR-7037.

13 This table reports on safety valve
14 operation subsequent to actual scram events.
15 Information is included for both main steam system
16 valves and reactor coolant system valves.

17 The assumptions made in the UA that
18 main steam valves and RCS safety valves are alike
19 enough in construct and servicing that their
20 failure data can be jointly considered.

21 Subsequent demands were assumed to have
22 the same failure probabilities as initial demands.

23 Recovered valve function; e.g., a
24 previously stuck-open valve closing when pressure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reduces, was not considered to be successful valve
2 operation.

3 The Main Steam Safety Code Safety
4 Valves section of table 20 reports no failures to
5 open and 15 failures to close in 769 demands
6 considering all failures, recovered and non-
7 recovered.

8 The Reactor Coolant System Code Safety
9 Valves section of the table reports zero failures
10 to open, but two failures to close in only four
11 demands considering all failures.

12 Combining the main steam system valve
13 and the RCS valve failures identified no failures
14 to open and 17 failures to close in 773 demands.

15 So these failure rates served as the
16 bases for the uncertainty characterization of
17 stochastic SV failure that we included in both the
18 Surry and Sequoyah UAs.

19 And noteworthy with respect to these
20 rates is that they are derived from actual events
21 at U.S. plants and not from testing.

22 MEMBER SKILLMAN: Kyle, let me ask you,
23 back on page 39 --

24 MR. ROSS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER SKILLMAN: -- the third bullet,
2 the assumption is that these valves are
3 sufficiently similar --

4 MR. ROSS: Right.

5 MEMBER SKILLMAN: -- that their history
6 can be considered jointly. In reality, while they
7 are kind of similar, they can be very different.
8 So I'm wondering why that is a valid assumption,
9 because on the next page, again third bullet, I
10 think what you're saying is 17 out of 773 is the
11 failure rate, or the projected failure rate.

12 MR. ROSS: Right.

13 MEMBER SKILLMAN: The probably failure
14 rate.

15 MR. ROSS: Right.

16 MEMBER SKILLMAN: The pressurizer
17 valves could be a different design and the main
18 steam valves can be either safety valves or relief
19 valves, which are fundamentally different in their
20 design. So unless there's been an attempt to
21 identify the uniqueness of the hardware, then I
22 would suggest that the assumption you make on page
23 40 may not be accurate.

24 MR. ROSS: Yes, so that may be a real

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 good point. I believe in the NUREG there was
2 mention of that being a fair assumption, but I
3 haven't got -- I'm afraid I can't quote where that
4 is today. I should have thought of defining that.

5 MEMBER SKILLMAN: Well, if there is a
6 justification that would address the
7 appropriateness of that combining, I would say,
8 okay, let it go, but unless there's such a
9 justification, I would simply observe that the main
10 steam valves and the primary relief valves can
11 appear to be similar, but they can be very, very
12 different in how they're constructed and what
13 they're -- in all candor, what their guts look
14 like.

15 MR. ROSS: Right. Yes, there was
16 considerably more information for the main steam
17 valves. There wasn't much for the primary valves.
18 So that was a benefit to us to be able to use that,
19 the more occurrences that there were available if
20 lumped the two together. There was actually a
21 stark difference in what the few events involving
22 the primary valves resulted in. They failed.
23 Well, there were four events and two failures. But
24 we're thinking that maybe that was because of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flowing water that they failed as opposed to
2 flowing steam.

3 The construction of the plants is such
4 that there are water traps in front of the safety
5 valves, and if those traps were full of water and
6 if the information that EPRI has published about
7 the vulnerability of a valve failing to close if it
8 has to pass liquid water, we wonder if those two
9 failures out of four were because the traps were
10 full of waters. And the valves did pass water when
11 they were demanded to lift.

12 MEMBER SKILLMAN: So that gets back to
13 what John said a couple hours ago. The devil
14 really is in the details here. The model is
15 accurately -- you really need to be able to
16 demonstrate --

17 MR. ROSS: Yes.

18 CHAIRMAN STETKAR: -- what that
19 plumbing looks like.

20 MR. ROSS: Yes. And this was another
21 case where we didn't foresee the dramatic influence
22 that valve failure would have on the result
23 metrics.

24 MEMBER SKILLMAN: Okay. Fair enough.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Thank you, Kyle.

2 MR. ROSS: So in great interest after
3 the Surry meeting we did -- it was pointed out to
4 us that there was some additional information, some
5 EPRI information on valve failure that would be
6 good for us to look at. And we have. And there
7 are some implications that maybe there are
8 considerations that would be better for us to make.

9 The major points are that -- one that
10 there's a very big difference between what the
11 likelihood of a valve to fail on first demand than
12 the likelihood of it to fail on subsequent demands
13 such that if it operates per design the first time
14 it lifts, it will probably operate per design in
15 all times that it lifts.

16 The second is that passing water is a
17 true issue for these valves and that if they have
18 to pass water, there's a real good chance that they
19 won't re-close.

20 So it seems that maybe a better
21 consideration of valve failure would be to have one
22 distribution for the likelihood that a valve would
23 fail to lift the first time it was asked to and
24 then a different distribution for all subsequent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lifts of a valve in the modeling. That would lead
2 to cases that either fail on the first lift of a
3 valve or cases that valves don't fail at all for
4 the most part in the sampling.

5 CHAIRMAN STETKAR: Let's stop here.
6 I've struggled with this, and not for the reasons
7 that Dick brought up. By the way, in the
8 reference, NUREG/CR-7037, they do differentiate
9 clearly between relief valves and spring-loaded
10 safety valves, so it's not that type of issue.

11 Honestly, I do not understand where the
12 numbers in table 20 of NUREG/CR-7037 come from.
13 Honestly, I've been through the appendix,
14 Appendix B. I've been through the discussions in
15 whatever section it is of the NUREG where those
16 tables appear. I can't for the life of me
17 understand certainly where the denominator comes
18 from, the 769 and the 4, because I can't find that
19 documented anywhere. I find things that are around
20 150 or so real demands. I find much smaller
21 numbers of failures.

22 I'm assuming that the failures came
23 from real data, but we know from experience that
24 that might be -- the vast majority of them might

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 not be off-lay open. It might be a weeping valve.
2 But because there's a small number of failures
3 documented, and ostensibly that comes from either
4 NUPICs or -- I'm sorry, EPIX or LERs, there ought
5 to be actual descriptions of what happened in the
6 failure, the numerator. I still can't figure out
7 where the numerator came from, but I can come
8 closer to that number. For the denominator I can't
9 figure out where the denominator -- I honestly
10 cannot figure out how that number was generated.
11 I've tried and I can't.

12 So as a take-away I would really like
13 somebody to go through -- contact the authors or
14 something in that NUREG and explain where those
15 numbers in that table 20 came from, because I can't
16 figure it out. It's really frustrating because I
17 can usually look at a NUREG and say, oh, okay, if I
18 add up one from column A and one from column B and
19 three from column C, I get five. This case I
20 can't.

21 The thing that bothers me is there's a
22 big discussion in that chapter about a risk-
23 informed modeling of demands. And there are tables
24 where I can count up an inferred number of demands

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from things like high-energy line breaks and fires
2 and things that they admit aren't really modeled,
3 but I can't make up -- I can't get the inferred
4 number of breaks from that to add up to the 769.

5 I can't get any of what is I think in
6 the appendix supposedly based on actual demands,
7 documented demands, but there even the demands
8 documentation tends to say things like, well, yes,
9 under certain types of events we would expect to
10 see a demand and really in the LERs and the EPIX
11 database the demands aren't documented, but we
12 could look at the event and the trip and use our
13 SPAR models to understand. Well, the SPAR models
14 don't account for steam dumps. SPAR models often
15 don't account for steam relief valves. So the SPAR
16 models might challenge the safeties, secondary site
17 safeties where we get most of the demands, much
18 more than the real world really does.

19 So I don't know. Are there bases for
20 the numerator or the denominator? Why is that
21 important? Well, it's obviously important because
22 that's the best estimate for your failure rate, 17
23 over 773.

24 MR. ROSS: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: And then you expand
2 the uncertainty distribution beyond that.

3 You note on this slide that you don't
4 account for the testing failures because, lo and
5 behold, the testing failures show much, much lower
6 failure rates.

7 MR. ROSS: Right.

8 CHAIRMAN STETKAR: There's only a
9 couple of failures in, I don't know, 10,000
10 demands, or 8,000, or something like that.

11 MR. ROSS: Right.

12 CHAIRMAN STETKAR: If I look at though
13 the fail-to-open from the testing, it's comparable
14 to other estimates based on ostensibly real data,
15 zero failures.

16 Something that bothers me more, and I
17 want to put it on the record, is that the level 3
18 PRA project, which is a real PRA, will be using
19 these tools and models for the Level 2 and 3 parts
20 of that study, I've been told. In that report -- I
21 only have a version of June of 2014 of the data
22 part of that report, but in that report for the
23 fail-to-close failure rate for safety valves, steam
24 or pressurizer, because they've lumped them

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 together, they use mean values on the order of 7
2 times 10 to the minus 4, not 2 times to the minus
3 2.

4 MR. ROSS: Yes.

5 CHAIRMAN STETKAR: In fact, the 95th
6 percentile of their distribution for failure to
7 close is 1.9 times 10 to the minus 3, or a factor
8 of 10 lower than your middle estimate.

9 So now we have two studies being done
10 by the NRC that have wildly different failure rates
11 for these valves that have been identified in both
12 this study and the Surry study as, however they
13 slice and dice the results, the most important or
14 the second most important parameter in the overall
15 assessment. And that really bothers me, because if
16 suddenly the Level 3 PRA using their data come up
17 with much, much different conclusions about
18 releases and timing and everything, I don't know
19 how who is right. And they're using data that's
20 published in a different NUREG, NUREG, whatever it
21 is, CR-6928 I think it is. Yes.

22 So we need to get to the bottom of
23 this. And as I said, the thing that really
24 troubles me about the 7037 is that I couldn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 figure out where the numbers came from. If I could
2 figure out where those numbers came from, I could
3 start thinking about how real they might be, but I
4 couldn't. So that's -- we're not going to resolve
5 that here, but it's a real concern. I brought it
6 up in Surry, but you've pointed me -- I thought the
7 numbers were coming out of the wrong tables in
8 Surry. You pointed me to the right table in Surry,
9 so now then I started to do homework on that table
10 and I couldn't figure it out.

11 So it's -- but we certainly between the
12 SOARCA projects and the Level 3 PRA, if we're two
13 orders of magnitude different on the failure rate
14 of something that now two of the SOARCA studies are
15 saying is the most important single parameter for
16 the conditional risk, that's not good.

17 MS. SANTIAGO: Yes, and we -- several
18 of the staff are working on the Level 3 PRA. And
19 so we'll look at that specific issue and see if we
20 can't address that, or at least identify which is
21 the best source.

22 CHAIRMAN STETKAR: By the way, there is
23 a table 31 in NUREG/CR-7037 where they do combine
24 the test data and the operational data. I can't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 get those numbers to quite add up either, but they
2 come around
3 -- the denominator is somewhere around 8,000 or so.
4 They use the numbers from that table in their
5 example in Appendix C as if those are the numbers
6 they rely on for actual risk analysis, because they
7 have a little example in Appendix C how the numbers
8 from all of these tables would be used in a PRA.
9 And they seem to snatch them the numbers out of
10 that table 31, not table 20.

11 There's no reference made to table 20
12 for failure rates. That's the other reason why I'm
13 not -- I have no idea where those numbers in table
14 20 fit into the whole picture there. And those
15 numbers are down in the -- that table 31 number.
16 They do have successive failure rates and things
17 like that, but the initial fail-to-close is down in
18 the middle 10 to the minus 4 range. It's much more
19 comparable to the value that's being used in the
20 Level 3 PRA.

21 And why is it important? Well, it's
22 obviously really important. I mean, not only
23 important for the purpose of looking at early
24 failure of the containment in Sequoyah, but it's an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 important parameter for the consequential tube
2 rupture. There's no free lunch. Pressure stays
3 high, the tubes rupture. Pressure gets low -- in
4 this case you get a big release of hydrogen, but
5 the tubes don't fail, if you were going to model
6 them.

7 So, please, somehow sort that out.

8 MS. GHOSH: I guess, I think we can
9 skip over this. These are more --

10 (Simultaneous speaking.)

11 CHAIRMAN STETKAR: Turn your mic on,
12 Tina.

13 MS. GHOSH: Sorry. I was just saying
14 we can skip over the actual distribution. We've
15 talked about this a lot, I think.

16 CHAIRMAN STETKAR: Yes.

17 MS. GHOSH: And we've also talked --

18 (Simultaneous speaking.)

19 CHAIRMAN STETKAR: Yes. No.

20 MS. GHOSH: Sorry. Yes?

21 CHAIRMAN STETKAR: The one you skipped
22 over --

23 MS. GHOSH: Yes?

24 CHAIRMAN STETKAR: -- is the one on 43.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And we want to reiterate that and then --

2 MS. GHOSH: Oh, okay. Yes, sorry.
3 That's right.

4 CHAIRMAN STETKAR: Okay. Yes, we
5 skipped that one.

6 MS. GHOSH: We didn't talk about this -
7 -

8 (Simultaneous speaking.)

9 CHAIRMAN STETKAR: -- So let's -- say
10 it in three points, if you want to say them.

11 MR. ROSS: Yes, yes. So considering
12 the fractional position that a safety valve would
13 arrive at, given that it suffered a failure to
14 close, we didn't -- we were not aware of any
15 database to pull from in that regard, so we settled
16 in on a uniform distribution.

17 MEMBER BLEY: Did you try talking to
18 somebody who works with valves and tests valves?
19 We talked about this the last time. I have fixed a
20 lot of valves. I have. I've seen safety valves
21 stick open. I've seen them go closed. I've seen
22 them not quite all the way open and not quite all
23 the way closed leaking a little bit.

24 MR. ROSS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: I've never seen them fail
2 part way in between. I don't know if anybody on
3 this committee has, but I -- talk to somebody who's
4 -- people work on these things. People have seen
5 them fail. Rather than in a database, I just don't
6 think there's anything to support this -- and we
7 use this assumption in a bunch of places of -- I
8 don't quite know the answer, so I'll just assume
9 everything's equally likely.

10 Well, there's knowledge just beyond
11 what you find in a database, and you can use that
12 to come up with more sensible distributions if you
13 don't know exactly.

14 CHAIRMAN STETKAR: Even in this case,
15 as I mentioned earlier, the thing -- let's presume
16 the 17 events in the numerator in that table 20 are
17 legitimate actual events that you can go pick up a
18 piece of paper and read about them. There ought to
19 be information there. I mean, typically doing data
20 analysis I'd be thrilled to have 17 events that I
21 could actually go read about. And if all 17 of
22 those are small leaks, that would seem to inform my
23 uncertainty distribution about the size of the
24 leak. Or if 3 of them are stuck fully open and 14

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were small leaks, that would seem to give me a
2 different shape of my uncertainty distribution,
3 even from those 17 events.

4 MEMBER BLEY: By the way, your
5 colleagues doing the Level 3 analysis hired some
6 real valve experts who could probably help you
7 inform your uncertainty distributions on this.

8 MS. GHOSH: Yes.

9 CHAIRMAN STETKAR: Yes, they weren't
10 looking at that. They were looking at spurious
11 opening of check valves and --

12 MEMBER BLEY: But they know valves.

13 CHAIRMAN STETKAR: But they know
14 valves.

15 (Laughter.)

16 CHAIRMAN STETKAR: They're valve
17 people.

18 MS. GHOSH: Appreciate the feedback.
19 We appreciated the feedback from the Surry UA
20 discussion. And as I mentioned before, this
21 analysis was already complete by the time we got
22 the feedback at the Surry UA meeting, but since
23 then in our spare time, which has been not so great
24 because we were still doing everything for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Sequoyah, we did try to go back, look at the EPRI
2 reports with the -- all the -- that explained the
3 testing to see qualitatively what can we get from
4 the description that they would explain?

5 We found there was on description of an
6 actual event, something from a scram, that it said
7 that the valve failed partially open and it had no
8 description of what that partial open area was.
9 But we know that there's at least one qualitative
10 data point that it wasn't full open or full closed.

11 We would like to talk to valve experts.
12 We didn't have a chance to do that, but we are
13 pursuing what we can gain for this area.
14 Unfortunately, the folks who developed the NUREG-
15 7037 and who maintain that database, it's basically
16 the operating experience database that INL helps us
17 with. We did talk to them and they've pulled the
18 data since 2007 to see what additional operating
19 experience-based data we could have since 2007
20 using that same category for the numerator and
21 denominator. And we have the updated numbers for
22 that. And since they just did that, we'll
23 certainly ask them what exactly -- how exactly they
24 consider the denominator in terms of the demands,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which is --

2 CHAIRMAN STETKAR: Yes, that's --

3 MS. GHOSH: -- a much harder number to
4 come up with --

5 (Simultaneous speaking.)

6 CHAIRMAN STETKAR: It's just surprising
7 to me -- from knowing pressurized water reactors,
8 it's surprising to me that between 1987 and 2007,
9 or whatever the database period is that they used,
10 that there would have been 773 -- 769 actual
11 demands for a main steam safety valve, because it's
12 hard to get that to happen. You can get it to
13 happen, but it's hard to get it to happen on a PWR.
14 I mean, you have to have the condenser steam dumps
15 not there. You have to have the atmospheric
16 reliefs not there. And that's -- or you have to
17 have one heck of a pressure spike in the secondary
18 side. And it's hard to get those unless all of the
19 MSIVs slam shut.

20 MEMBER BLEY: By the way, one other
21 source of expertise. At least in OP E, and it used
22 to be NRO, there were a fair number of former
23 operators with years of experience who have been
24 involved who might have some useful information for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you here within NRC.

2 CHAIRMAN STETKAR: One last comment on
3 the valves, because we need to go on I guess, is
4 that in this report, when I read about the area
5 fraction, it's characterized in words consistently
6 as the thermal fail-to-close open area fraction,
7 which to me means the likelihood that they do not
8 close given a high temperature condition, over
9 normal temperature.

10 MS. GHOSH: Yes.

11 CHAIRMAN STETKAR: And I know doggone
12 well it's also applied for the stochastic. And
13 it's not clear to me that the same uncertainty
14 distribution would apply for both of those cases
15 either. That's another valve.

16 MS. GHOSH: Thank you for pointing
17 that. That was an artifact of previous modeling.
18 And we tried to take out that language in the
19 report, but I'm sure we missed a bunch of
20 instances. We will update that --

21 (Simultaneous speaking.)

22 CHAIRMAN STETKAR: Well, in the Surry
23 report it was clear that the same distribution was
24 used --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GHOSH: Yes.

2 CHAIRMAN STETKAR: -- for both. There
3 was more discussion.

4 MS. GHOSH: Yes.

5 CHAIRMAN STETKAR: But this one was
6 pared down and only the thermal part was left in.
7 And I thought when I first started reading, I said,
8 oh, they're only modeling this for the thermal
9 part. But it became clear really, really quickly
10 that that wasn't the case. Okay.

11 MS. GHOSH: Okay.

12 MEMBER SKILLMAN: John, to the
13 frequency, from '82, '84 through about the same --
14 10 years later, '92, '94, the trip rates were up
15 around seven to eight trips per plant per year.

16 CHAIRMAN STETKAR: Sure. Yes.

17 MEMBER SKILLMAN: And very often
18 reactor trip would isolate the turbine.

19 CHAIRMAN STETKAR: Yes.

20 MEMBER SKILLMAN: And that would
21 commonly lift six or eight --

22 CHAIRMAN STETKAR: Maybe on your plant;
23 not on mine.

24 MEMBER SKILLMAN: Oh, yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: I went through in
2 five years more trips than you probably ever saw in
3 your whole life. I was at Zion. We used to trip
4 each unit at least once a month and we never lifted
5 a steam generator safety valve.

6 I don't know what your experience has
7 been, Matt. Have you ever lifted any?

8 MR. SUNSERI: Yes, this is Matt
9 Sunseri, invited expert. My experience is on the
10 PWRs every refueling outage we took the safety
11 valves off the primary side, set them off to why
12 they lapse. That is a surveillance test and if
13 they fail that stroke, that counts as a demand
14 failure.

15 CHAIRMAN STETKAR: Yes.

16 MR. SUNSERI: But then you'd be
17 counting that data, too. That would get the number
18 way up high, the number of demands.

19 CHAIRMAN STETKAR: That's true, but
20 they've culled that out of here. That's most of
21 the 8,000 testing demands that they're not
22 accounting for. They're saying that there are 769
23 actual --

24 MR. SUNSERI: Actual actuations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: -- lift demands on a
2 main steam safety valve for pressurized water
3 reactors in an amorphous glob. But pressurized
4 water reactors between 1987 and 2007, I think was
5 the database period -- so it's 20 years, but it
6 still seems like a lot.

7 MR. SUNSERI: Yes, so my experience on
8 that would be --

9 CHAIRMAN STETKAR: Despite the fact
10 that the plants were tripping, because we never
11 lifted one at Zion.

12 MR. SUNSERI: Yes.

13 CHAIRMAN STETKAR: We had bizarre
14 trips.

15 MR. SUNSERI: The B&Ws, John, would
16 lift the whole set of them, so we'd get 11 or 16.

17 MEMBER BLEY: A lot of the older plants
18 didn't have as much turbine bypass capacity.

19 MR. SUNSERI: Yes, so the BW plants
20 really --

21 (Simultaneous speaking.)

22 CHAIRMAN STETKAR: But even then you
23 have reliefs that were lower. You still had
24 atmospheric steam generators that were supposed to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 go before the safeties. You'd have to get a pretty
2 doggone big pressure spike out there to pop a
3 safety. Anyway, that's --

4 MR. ROSS: Let's see. I'll point out
5 that in the calculations if the open fraction was
6 0.3 or greater, it was all the same. If a valve
7 failed 0.3 of its area or bigger, it was --

8 CHAIRMAN STETKAR: That's probably
9 reasonable. That was big enough so you never got a
10 demand for the next valve.

11 MR. ROSS: Right.

12 CHAIRMAN STETKAR: Yes.

13 MR. ROSS: And then just to quickly
14 point out, too, the regression input parameter that
15 we used to represent the fractionally-open position
16 of the safety valves on the pressurizer was the sum
17 of the open fraction of the three valves, and as
18 was the number of valve lifts. The input to the
19 regression analyses was the combined number of
20 lifts experienced by the three-valve system, not
21 just any valve on its own.

22 CHAIRMAN STETKAR: When you think about
23 presenting the results; and we'll get to -- I think
24 you're going to talk about individual realizations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 later. I don't remember.

2 MR. ROSS: Much later.

3 CHAIRMAN STETKAR: Much later? The
4 description of those tables you can follow. The
5 tables are very, very misleading.

6 MS. GHOSH: Sorry. Which tables?

7 CHAIRMAN STETKAR: When you talk about
8 the individual regression analyses back in chapter
9 4 --

10 MS. GHOSH: Yes.

11 CHAIRMAN STETKAR: -- they're
12 comparative when you compare realization -- I'm
13 sorry, not regression analysis. Individual
14 realization. There are tables that -- the one that
15 prompted my rant this morning about treating each
16 valve independently.

17 MS. GHOSH: Yes.

18 CHAIRMAN STETKAR: You easily delude
19 yourself into the fact that despite the first valve
20 failed 100 percent open, the second valve didn't
21 fail until the 97th demand, when indeed it was
22 really never demanded to open.

23 The discussion sort of walks you
24 through that, but I'll tell you just trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 figure out how the model really works looking at
2 that could -- is misleading.

3 MS. GHOSH: Okay. Yes, that's a fair
4 point. Yes, we just did the -- we just transcribed
5 the data of the original inputs, but it could be
6 misleading.

7 MR. ROSS: So next slide. So we've --

8 MS. GHOSH: We've covered this, yes.

9 MR. ROSS: -- covered this, it seems.
10 Yes.

11 MS. GHOSH: And this, too.

12 MEMBER CORRADINI: So go back.

13 MS. GHOSH: To --

14 (Simultaneous speaking.)

15 MEMBER CORRADINI: So I want to make
16 sure that I get this right. So in the Surry case
17 you have the same functional shape, but just it was
18 centered at a higher temperature?

19 MR. ROSS: No, it was identically the
20 same.

21 MEMBER CORRADINI: Okay. But you --

22 MS. GHOSH: This is the SOARCA value.
23 That's from the original best --

24 PARTICIPANT: Microphone.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: That's what I
2 thought.

3 But let's just -- so let me say it again and then -
4 - I said it incorrectly. For the uncertainty this
5 is what you used. For the best estimate you had it
6 centered at a higher value. And then you've chosen
7 only to use this to see if there's an important
8 effect, which as I could tell by the realizations,
9 when John gets to them, did not have a big
10 importance compared to everything else.

11 MR. ROSS: Well, it did influence in-
12 vessel hydrogen production, yes.

13 MEMBER CORRADINI: Essentially then and
14 only then?

15 MR. ROSS: Right.

16 MEMBER CORRADINI: Okay.

17 MS. GHOSH: I think we talked about the
18 --

19 MR. ROSS: I believe we did. We jumped
20 ahead, right?

21 MS. GHOSH: Yes, we did. I think we
22 talked about this, too. We talked a lot about
23 this.

24 MR. ROSS: Yes, we did.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: Now --

2 MS. GHOSH: You want to go back to --
3 okay.

4 CHAIRMAN STETKAR: No, no.

5 MS. GHOSH: Barriers?

6 CHAIRMAN STETKAR: We need to talk
7 about the barriers here.

8 MR. ROSS: Okay. Good.

9 MS. GHOSH: Sure.

10 MR. ROSS: So I described this earlier.
11 Is there something -- is there something in
12 particular I could re-describe or --

13 CHAIRMAN STETKAR: Yes, and I'm not a --
14 - if we could go to the next slide. Thank you.

15 PARTICIPANT: My God, write it down.

16 CHAIRMAN STETKAR: Holy cow. Let it be
17 known I failed.

18 This model says that every square
19 millimeters of the barrier seal has an equal
20 probability of failure given an applied DP. And
21 the size of the hole is only on the top scale. The
22 distribution of the various sizes of the 26.

23 MR. ROSS: Right.

24 CHAIRMAN STETKAR: Thanks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSS: Right.

2 CHAIRMAN STETKAR: Is that really
3 right? I mean, if I have small piece like this
4 compared to a very large piece --

5 MR. ROSS: Right.

6 CHAIRMAN STETKAR: -- is it equally
7 likely that every square millimeter of the small
8 piece would fail compared to the large piece? And
9 mostly I'm thinking about tearing along the edges
10 where the circumference of the second piece is
11 much, much larger than the circumference of the
12 first piece.

13 MR. ROSS: Yes, so essentially we
14 assumed that any small segment was as vulnerable as
15 any other small segment. But then given the actual
16 segments that there are and their lengths we
17 assumed that the longer lengths had more chance of
18 failing because
19 they --

20 CHAIRMAN STETKAR: It's just
21 apportioned by area of each segment?

22 MR. ROSS: Yes.

23 CHAIRMAN STETKAR: So that a segment
24 with 10 times the area has a 10 times larger --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSS: Correct.

2 CHAIRMAN STETKAR: -- likelihood of
3 failure? That's the bar chart on the top there?

4 MR. ROSS: That's right. That's what
5 we --

6 CHAIRMAN STETKAR: So what you do is
7 your sample a DP from that part. At that DP
8 there's some likelihood that every square
9 millimeter fails and then you distribute the sizes
10 according to the top part, right?

11 MR. ROSS: Yes, that's right.

12 CHAIRMAN STETKAR: Yes. And what I'm
13 asking -- and I don't know. I don't know how
14 people evaluate failures of membranes. I'm looking
15 at people who might to know whether that makes
16 sense. Does it? I mean, I just don't know.

17 It seems to me a reasonable approach to
18 it. If I have a flexible membrane that's
19 constrained at the edges --

20 MR. SHACK: Well, I mean, you're
21 looking for a defect in it and that defect seems as
22 likely in one piece as another. So the bigger
23 one's likely -- you're likely to really find that
24 defect in which put the pressure on it. Yes,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's more likely to fail.

2 CHAIRMAN STETKAR: Assuming it's
3 rigidly attached at the edges and those edges
4 cannot tear. My concern is that the much larger
5 circumstance of the bigger pieces has a higher
6 conditional --

7 MR. SHACK: We've got damage --

8 CHAIRMAN STETKAR: -- likelihood of
9 tearing around the circumference.

10 (Simultaneous speaking.)

11 MR. SHACK: -- area?

12 CHAIRMAN STETKAR: Not --

13 MR. SHACK: Yes, not the overall area.

14 CHAIRMAN STETKAR: Not the overall
15 area, but there's -- and I don't -- I just don't
16 know. I mean, I don't do that kind of work.

17 MR. SHACK: I'm sure you'd come up with
18 a much different answer. I mean, the length of the
19 clamped area is proportional to the size of the
20 thing, so whether you take one or the other, you'd
21 end up basically -- the big one's more likely to
22 fail.

23 CHAIRMAN STETKAR: Well, but is it more
24 likely to fail according to the ratio of the areas

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or is there different --

2 MR. SHACK: Well, since the width of
3 this is uniform --

4 CHAIRMAN STETKAR: R and R squared.

5 MR. SHACK: -- the perimeter is going
6 to be the -- they're going to be proportional. So
7 you'll never know whether it's really -- if we had
8 different areas as well as different --

9 (Simultaneous speaking.)

10 CHAIRMAN STETKAR: It's if people
11 understand how these things fail I'm getting
12 pushback from, that's good enough. I was just
13 raising the question because if it -- I have a
14 swimming pool covered with tears on the edges. It
15 doesn't tear in the middle.

16 MEMBER CORRADINI: Yes, but I thought
17 Bill's point was that it's linear, so it's equally
18 --

19 (Simultaneous speaking.)

20 MR. SHACK: I mean, if you use model or
21 the other, you'd come up with the same answer.

22 CHAIRMAN STETKAR: Okay.

23 MEMBER BALLINGER: They typically do
24 fail at the clamping region. They tear because

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there's a concentrator there. Unless they've done
2 something special to eliminate it. That's the --
3 stuff like that.

4 MR. SHACK: But it's still -- it
5 depends on having the defect in the fabric
6 presumably, which is accentuated by the
7 concentration, but it's really the fabric then.
8 It's the flaw density that you're worried about,
9 unless you induce the flaw with a clamp when you
10 install it.

11 MEMBER BALLINGER: Yes, typically --
12 (Simultaneous speaking.)

13 MR. SHACK: In this particular case
14 you'd get the same answer.

15 CHAIRMAN STETKAR: Okay. That's all
16 I'm looking for. It was a question.

17 I do have another question, though,
18 that I don't understand. If I look at table 4-14
19 in the report, there's an entry in that table that
20 has fabric seal open area fraction given tearing.
21 That's one of the sample parameters. And this
22 again, is the realizations. Several entries for
23 that parameter list values that are greater than
24 1.0. How do you get a larger than total -- I mean,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this process shouldn't give you more than all of
2 the seal area failure because the top part is
3 designed such if you sum it all up, it comes out to
4 1.0. Right?

5 MR. ROSS: What table is that?

6 CHAIRMAN STETKAR: It's 4-14.

7 MS. GHOSH: On page 495.

8 CHAIRMAN STETKAR: You see the entries.
9 I mean, if you're looking at the report, you see
10 there are several entries that have greater than
11 1.0 for that parameter.

12 MR. ROSS: There sure are.

13 CHAIRMAN STETKAR: And that -- the red
14 bar chart above sums to 1.0.

15 MR. ROSS: Yes.

16 CHAIRMAN STETKAR: I added them up.
17 That's a curiosity. I don't --

18 MR. ROSS: Yes, it is a curiosity and -
19 -

20 CHAIRMAN STETKAR: I mean, you can't
21 even say, well, it's -- you can't get multiple
22 failures. They can't reseal themselves. Even if
23 you get multiple pressure pulses it -- I don't know
24 how it adds up to greater than one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ROSS: I don't either.

2 CHAIRMAN STETKAR: Okay.

3 MR. ROSS: I don't either, and I put
4 those numbers in there. So I --

5 (Laughter.)

6 CHAIRMAN STETKAR: Okay. Well, take a
7 look at that. I don't know. It's a curiosity.

8 MR. ROSS: I sure will.

9 MEMBER CORRADINI: It's not an actual
10 square footage, is what I'm curious about, versus -
11 -

12 CHAIRMAN STETKAR: No, it's listed as
13 open area fraction, and I'm assuming that's what it
14 is, which you would get from this kind of thing.
15 Okay.

16 MR. ROSS: Yes, I don't know.

17 To mention some of the points about the
18 sampling that we set up, there was a discrete
19 distribution applied in specifying the open area
20 left by a failed segment. Prototypic testing of
21 these seals was to 30 psid back when. The upper
22 bound at the differential pressure that would load
23 a seal to design capacity was 100 pounds per inch,
24 which relates to 57.14 psid.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We used the beta distribution applied
2 so that the majority of failures occurred between
3 the qualified test pressure of 30 psi and the
4 design strength of the material at 54 psi. The
5 effective lower bound at 15 psid resulted
6 consequential to the applied beta distribution.
7 Ten percent of the samples are below design to
8 somewhat acknowledge accident conditions,
9 especially that elevated temperatures might be --
10 the seals might be exposed to elevated temperatures
11 in a station blackout environment.

12 MEMBER BALLINGER: Yes, I had a
13 question about -- not this -- I couldn't quite
14 figure out why the two peaks --

15 MR. ROSS: Where?

16 MEMBER BALLINGER: -- at 6.7 and 18.6.
17 Does that correspond with some unique dimension?

18 MR. ROSS: I think maybe there's a lot
19 of segments that were that were --

20 MEMBER BALLINGER: Because it just all
21 of a sudden --

22 (Simultaneous speaking.)

23 MEMBER CORRADINI: -- based on
24 population, right?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: That's right. For
2 example, the 0.58, there are several segments --

3 MEMBER BALLINGER: Okay. So segments?

4 CHAIRMAN STETKAR: -- that have that
5 square footage.

6 MEMBER BALLINGER: Okay. Got it.

7 CHAIRMAN STETKAR: And that's why it
8 peaks in there.

9 MEMBER BALLINGER: Okay. That's what -
10 - okay.

11 MR. ROSS: So we need to mention that
12 in the course of preparing this slide we believe we
13 found an error in the strength understood for this
14 material, an error factor of two. So we think we
15 nominally defined this fabric to be twice as strong
16 as we should have in the sample. However, we had
17 enough samples that there were 51 calculations
18 where the strength was defined reasonably. And
19 interestingly in those 51 cases the seal tore in 29
20 of them and all but one of the 29 seal failures
21 were associated with a late container failure.
22 Very interestingly the pressure difference that
23 failed the seal was backwards from what might have
24 been expected; i.e., the pressure was higher in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dome in the lower containment.

2 Seal failure looks to be a consequence
3 of -- so this is hard to tell. It's hard to tell
4 whether seal failure is a consequence of a burn in
5 the dome that is strong, but not strong enough to
6 rupture containment or if it provides more expanse
7 for a burn in the dome to fill when there is a big
8 burn such that you'd be less likely to reach the
9 failure pressure of containment. It's not clear to
10 us which is the story here.

11 So I think we've talked about --

12 CHAIRMAN STETKAR: We talked about this
13 one. The top -- now, let me just ask you about --
14 we talked about the bottom doors with the hinges
15 and the design of those.

16 MR. ROSS: Right.

17 CHAIRMAN STETKAR: The top doors
18 sounded like there was something that if I opened
19 it past the vertical, it would flop over and stay
20 open.

21 MR. ROSS: They do that.

22 CHAIRMAN STETKAR: Okay.

23 MR. ROSS: Yes.

24 CHAIRMAN STETKAR: So they're designed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 differently from the bottom doors?

2 MR. ROSS: They are.

3 CHAIRMAN STETKAR: How were those
4 modeled?

5 MR. ROSS: They were modeled -- they
6 don't --

7 CHAIRMAN STETKAR: Does it make any
8 difference?

9 MR. ROSS: I don't believe we ever lift
10 those very well.

11 CHAIRMAN STETKAR: Oh, okay. Because
12 there was some discussion about the fact that
13 they're mostly treated as reversible, unless
14 they're open fully, and there's some chance that
15 they then basically stick open, if you will,
16 because of this kind of falling backwards on it.

17 MR. ROSS: Because I remember standing
18 there lifting one. Don't they -- they do pass
19 vertical so that you -- I didn't -- someone didn't
20 have to hold it open as we looked in at the
21 baskets. Is that your understanding?

22 MEMBER SKILLMAN: My experience is that
23 they gravity close.

24 CHAIRMAN STETKAR: Well, but I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know how these things are designed. The
2 description, at least in the text, led me to
3 believe that they literally were something like
4 this. They opened up on a DP. They got to here.
5 And if they got just a little bit, they would do
6 this. And after that point they aren't going to go
7 back closed this way, that they literally had a
8 vertical --

9 MR. ROSS: These are the upper ones?

10 CHAIRMAN STETKAR: The upper doors.

11 MR. ROSS: Yes.

12 CHAIRMAN STETKAR: The upper plenum
13 doors as opposed to the lower plenum doors, which I
14 think sounded more like a louver-type situation.

15 MEMBER SKILLMAN: Yes. I don't have
16 experience with that, so I can't --

17 (Simultaneous speaking.)

18 CHAIRMAN STETKAR: The text anyway, the
19 way I read it, not knowing anything about the
20 design, said, well, as long as they don't get full
21 opened, then they'll behave -- they won't bind,
22 that they'll behave as a reversible -- they'll re-
23 close on gravity, but there is some chance that if
24 they open fully, they literally flop over like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that.

2 Hossein?

3 MR. ESMAILI: Yes, so just to clarify,
4 just going back to the NUREG-5586, the lower plenum
5 door can open very easily, as 46 pascal kind of --
6 the intermediate and upper plenum doors, they
7 require much higher pressures to be reversible.
8 That means that once it opens. So you need much
9 more pressure, like of the order or 28 kilopascals
10 or so for them to open and just stay open. So most
11 of the time the calculations that we have done,
12 they are opening reversibly.

13 In addition to that, there are leakages
14 past these intermediate and upper plenum doors that
15 does not always lead to these doors being fully
16 opened and crushed open.

17 CHAIRMAN STETKAR: But wait a minute,
18 though. Getting back to something that if I have a
19 DP opens like this and if it gets to this point, if
20 it goes like that, it falls open like this. Is
21 that the way that the intermediate and upper plenum
22 doors work?

23 MR. ESMAILI: I think the Intermediate
24 doors open like that. I think the upper plenum

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doors open horizontally, correct?

2 MR. ROSS: The upper doors are
3 horizontal. They're hinged on one side. And as I
4 recall, we opened them, let go of them and then
5 looked inside at the baskets. But I could be
6 mistaken.

7 MR. ESMAILI: So those intermediate
8 doors require a lot of pressure to --

9 (Simultaneous speaking.)

10 CHAIRMAN STETKAR: I don't care about
11 the pressure, Hossein. I care about if I would go
12 to open this like a door to my house, what does it
13 look like? Because I was reading the
14 description, which is all I know. I've never
15 looked at an ice condenser in my entire life.
16 Reading the description I was led to believe that
17 the lower plenum doors on the bottom, the entrance
18 doors, are designed and configured differently and
19 that, again, reading what I could read, the design
20 is such that once you reach a certain DP, they will
21 open fully and some reason they're designed to
22 deform, like their hinges bind. I don't know. But
23 that the upper, the intermediate and the upper
24 plenum doors aren't designed such that the hinges

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bind. On the other hand, they can basically open
2 to the vertical --

3 MR. ESMAILI: That is correct.

4 CHAIRMAN STETKAR: -- and gravity go
5 that way.

6 MR. ESMAILI: That is correct.

7 CHAIRMAN STETKAR: Okay.

8 MR. ESMAILI: So they're sitting like
9 this. The two doors are like sitting like this and
10 they open like this.

11 CHAIRMAN STETKAR: Yes.

12 MR. ESMAILI: And then they can --

13 (Simultaneous speaking.)

14 CHAIRMAN STETKAR: They can flop open.
15 And how did you model the likelihood that they flop
16 open? According to this thing?

17 MR. ESMAILI: No, we did not.

18 CHAIRMAN STETKAR: Okay.

19 MR. ESMAILI: This was not part of the
20 uncertainty distribution because the previous
21 studies showed that it's more sensitive to the
22 lower plenum doors. As I said, the upper plenum
23 doors, in terms of opening, we did that. We did
24 consider both that they open reversibly and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 irreversibly.

2 CHAIRMAN STETKAR: Yes.

3 MR. ESMAILI: But we did not assign any
4 uncertainty distribution to them informed by the --

5 CHAIRMAN STETKAR: Okay. What
6 likelihood did you use that they opened
7 irreversibly?

8 MR. ESMAILI: We were not assigning any
9 likelihood.

10 CHAIRMAN STETKAR: Okay.

11 MR. ESMAILI: It was just the DP. For
12 example, for that intermediate door, that they're
13 opening vertically up --

14 CHAIRMAN STETKAR: Yes.

15 MR. ESMAILI: -- it required a pressure
16 of 28. Once it passed 28 kilopascals --

17 CHAIRMAN STETKAR: It was --

18 (Simultaneous speaking.)

19 MR. ESMAILI: -- we said all of them
20 are okay.

21 CHAIRMAN STETKAR: It was then
22 irreversible? Okay.

23 MR. ESMAILI: It was irreversible
24 position.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: Okay. Got it.
2 Thank you.

3 MR. ROSS: Let's see. Aerosol shape
4 factor just real quick. This was something we
5 treated as uncertain taking into account that
6 formed chains or whatnot rather than tight
7 spherical shapes of particle accumulations. And
8 so, this is the distribution we applied. It was
9 bounded at five and it did show to be meaningful.
10 The variance did show to have meaningful influence,
11 but not strong.

12 We talked some about containment
13 rupture pressure. Let's see if there's a point
14 here we didn't -- so I think maybe we've touched on
15 all these points here.

16 MEMBER CORRADINI: So if we have, I
17 want to change the subject, but I want to wait
18 until you're done.

19 MR. ROSS: I'm done.

20 MEMBER CORRADINI: Okay. All right. I
21 actually am going to have to go, but let me ask
22 about the realizations. I want to ask a general
23 question, because if we get into the details, I'll
24 let John do that. He has all the notes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 My question is if I would remove random
2 -- I'm still back with random trigger, random
3 ignition.

4 MR. ROSS: Yes.

5 MEMBER CORRADINI: I'm still bothered
6 by that. So if I remove that from the case study -
7 -

8 MR. ROSS: Yes.

9 MEMBER CORRADINI: -- would I change
10 any of the observations relative to early hydrogen
11 combustion versus intermittent hydrogen combustion
12 due to hot leg rupture, or lower plenum wall
13 failure, or no combustion and just build up to
14 pressurization?

15 My interpretation was if I could
16 extract all those dots --

17 MR. ROSS: Right.

18 MEMBER CORRADINI: -- I wouldn't change
19 the results.

20 MR. ROSS: So there would still be
21 early failures. There would still be late
22 failures. With random ignition there's -- all
23 things considered, there's a considerably less
24 early containment failures than late --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: There would?

2 MR. ROSS: -- than with --

3 (Simultaneous speaking.)

4 MEMBER CORRADINI: How can I tell that
5 from the results when you have the scatter plot and
6 you have the cumulative plots? You don't have to
7 go there if you -- ah, thank you. In other words,
8 are the red and the --

9 MS. GHOSH: So, yes, the red curve here
10 -- so this is a cumulative --

11 MEMBER CORRADINI: The red curve is
12 without?

13 MS. GHOSH: Yes, red is without. Blue
14 is with. One thing I want to clarify, the single
15 realizations that Kyle is going to talk about
16 later, those all come from the set without random
17 ignition credited.

18 MEMBER CORRADINI: This is the 338
19 versus the 171?

20 MS. GHOSH: Yes, none of those have
21 random ignition credit, because we evaluated the
22 two sets --

23 (Simultaneous speaking.)

24 MEMBER CORRADINI: The 338 is the red

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dot to the lowest left, and 171 is the --

2 MS. GHOSH: Yes.

3 MEMBER CORRADINI: -- biggest red dot
4 to the right?

5 MS. GHOSH: Exactly. Yes.

6 MEMBER CORRADINI: Okay.

7 MS. GHOSH: Right.

8 MEMBER CORRADINI: So is it because of
9 consequence modeling that I get -- I want to be
10 able to take credit for or observe the difference
11 between the two? Is that timing crucial? That's
12 what I don't know. But I sense that's the reason,
13 because I'm still --

14 MR. ROSS: Yes, the timing is the
15 metric that's so different between the two.

16 MEMBER CORRADINI: Okay. And then, so
17 just let me keep on going so I understand the
18 overall behavior. So with the random I get the
19 blue; without the random I get the red. Most of
20 the red is due to the fact that I essentially have
21 early failure of the SRVs, which pump out hydrogen.
22 And I get an early burn regardless of the --

23 PARTICIPANT: When the hot leg
24 ruptures.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: What? I'm sorry.
2 Thank you very much. When the hot leg ruptures
3 regardless of when I -- not arbitrarily, but sample
4 the vessel or the containment strength?

5 MR. ROSS: Yes.

6 MEMBER CORRADINI: In other words, for
7 the strength you choose to be; I can't remember
8 what it is, 60 to 100 because you have this range.

9 MR. ROSS: Right.

10 MEMBER CORRADINI: I will get this red
11 distribution regardless of that strength? I got
12 the impression there was an intersection of
13 essentially when I get the SRV freezing open and
14 early hydrogen combined with the range of the
15 strength of the containment vessel.

16 MR. ROSS: Well, the strength of the
17 containment vessel was always involved in both sets
18 of counts, but it wasn't a -- overall it wasn't a
19 make or break.

20 MEMBER CORRADINI: So I'm being driven
21 by the SRV failures?

22 MR. ROSS: Yes.

23 MEMBER CORRADINI: Okay.

24 MS. GHOSH: Okay. I think this figure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is helpful. This shows the amount of hydrogen that
2 came --

3 (Simultaneous speaking.)

4 MR. ROSS: Right, I think this figure
5 is real helpful. It shows -- let's see, it shows -
6 -

7 MS. GHOSH: Yes, on the X axis is the
8 cumulative flow of hydrogen that has come out
9 through the PRT rupture disc. And this is for the
10 set without random ignition. And then on your Y
11 axis you have the containment rupture time. So you
12 can see what range of cumulative hydrogen flow out
13 of the PRT rupture disc can lead to early
14 containment failure. So if you don't have enough
15 hydrogen, you're getting to late containment
16 failure. As you go further out, once you get
17 beyond 400 -- our 400 kilograms, you're getting
18 very likely early containment versus containment
19 failure.

20 MEMBER CORRADINI: Can you just say
21 that again, please?

22 MS. GHOSH: The red box is just what we
23 call the early containment failure set --

24 MEMBER CORRADINI: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GHOSH: -- which is it's coincident
2 with your hot leg or RPV breach. At the same time
3 you got containment failure you get a hydrogen --

4 (Simultaneous speaking.)

5 MEMBER CORRADINI: But those are all
6 driven -- what I'm trying to get a handle on is
7 those were all driven primarily by SRV failure
8 times and opening area?

9 MS. GHOSH: Yes, because you need
10 enough hydrogen to have gotten out into containment
11 before that first ignition source, which is --

12 (Simultaneous speaking.)

13 CHAIRMAN STETKAR: What he's asking is
14 that over the range of 52 to 78, or whatever your
15 range of containment failure pressure is, it
16 doesn't make too much difference whether you sample
17 it at 78 or whether you sample at 52 if you get
18 that early --

19 MS. GHOSH: It does sometimes, yes.

20 CHAIRMAN STETKAR: You're going to see
21 it obviously --

22 MS. GHOSH: Yes.

23 CHAIRMAN STETKAR: -- but not --

24 MS. GHOSH: Yes. Yes, it does

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sometimes. And you see that in the single --

2 (Simultaneous speaking.)

3 MEMBER CORRADINI: But 338 happens to
4 be the one with a low strength as well as early --

5 MS. GHOSH: Yes.

6 MEMBER CORRADINI: -- and large
7 opening?

8 MS. GHOSH: Right, you need those
9 confluence of things together. In some cases it's
10 big enough to fail a stronger containment within
11 that range. In some cases you need the lower
12 containment rupture pressure to get you there. But
13 it's the -- as far as aligning just right. And
14 those are the key variable.

15 MEMBER CORRADINI: Okay. And so, I
16 have another one that's out of phase. So I asked
17 it partly because I want to make sure I got it on
18 the record. So the way this containment is
19 designed with the ice baskets melted, there is no
20 water that flows into the reactor cavity where it's
21 dry. All these calculations are essentially
22 estimating that the cavity below the vessel is dry?

23 MR. ROSS: That's right. Water in the
24 cavity is desirable because you want it available

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for recirc. But if it's in there, it's not
2 available.

3 MEMBER CORRADINI: Okay.

4 MR. ESMAILI: I mean, sorry, this is
5 Hossein Esmaili. Let me just clarify this. So the
6 cavity is supposed to be dry and there are
7 conditions where the water overflows into the
8 cavity. So we have those cases, too.

9 MEMBER CORRADINI: Say again, Hossein?
10 I'm sorry.

11 MR. ESMAILI: There are cases when the
12 containment fails. The ice has melted. A lot of
13 ice has melted and come down to the lower
14 compartment. And there is some swelling of the
15 water when the containment depressurizes. It's
16 just enough to get some water from the lower
17 compartment into the cavity. But cavity is not
18 flooded. It's just about a meter. And then once
19 it becomes in, it just goes away.

20 MEMBER CORRADINI: Okay.

21 MR. ESMAILI: So there are conditions
22 where the cavity is not dry.

23 MEMBER CORRADINI: But for all intents
24 and purposes it's dry? Under a range of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conditions. The reason I'm asking is --

2 MR. ESMAILI: That's right. You
3 require a lot of --

4 (Simultaneous speaking.)

5 MEMBER CORRADINI: -- in terms of what
6 I'm modeling it's driven primarily by early SRV
7 failure times and opening areas and hydrogen
8 distribution. Everything else is of no
9 consequence?

10 MR. ESMAILI: Correct.

11 MEMBER CORRADINI: Okay.

12 MS. GHOSH: So should we keep going?

13 MEMBER CORRADINI: Yes, I'm done.

14 MS. GHOSH: So the next thing we were
15 going to talk about is at a very high level I want
16 to go over the results from the Monte Carlo sets
17 that we did. And again, we analyzed two
18 unmitigated short-term station blackout cases for
19 the uncertainty analysis, the case with random
20 ignition and the case without random ignition. And
21 the figures of merit that we were looking at were
22 the same as for Surry. The cesium and iodine
23 release magnitude, the in-vessel hydrogen
24 generation, containment failure time and the time

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of initial release. And we used the same methods
2 as we've used before to -- that complement the
3 Monte Carlo simulation.

4 We used four regression analysis
5 techniques to identify what are the most
6 influential parameters from a statistical
7 perspective. And of course, we always supplement
8 these looks with looking at individual
9 realizations, which Kyle is going to talk about
10 next, to be able to explain from a phenomenological
11 perspective why you get the differences that you
12 see.

13 And then we used 1D and 2D scatter
14 plots because sometimes it's nice to get a visual
15 picture of how a particular variable or two
16 variables together might be influencing something
17 you care about.

18 CHAIRMAN STETKAR: Tina, before you get
19 into that, and I didn't get a chance to look far
20 enough ahead, so I don't -- if you're going to
21 address it later -- actually, maybe you are. You
22 didn't talk about why not all 600 realizations went
23 to completion anywhere?

24 MS. GHOSH: Well, we weren't planning

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to talk about it today, but we certainly have that
2 documented in the report.

3 CHAIRMAN STETKAR: You do --

4 MS. GHOSH: Yes.

5 CHAIRMAN STETKAR: -- but if you're not
6 going to talk about it, I had a question, because
7 on both the short-term and the long-term -- in the
8 short-term it said that out of however many didn't
9 run 24 were attributed to an unexpected failure of
10 the Sandia high-performance cluster. And I don't
11 know what that is.

12 MS. GHOSH: Power outage, I think.
13 That was a power outage, right?

14 MR. ROSS: Yes, hard to say. It looks
15 like Doug might have some information on it.

16 CHAIRMAN STETKAR: It stopped running.

17 MR. ROSS: It stopped running.

18 CHAIRMAN STETKAR: Oh, okay.

19 MR. OSBORN: Yes, the run stopped --

20 MEMBER CORRADINI: Okay.

21 MR. OSBORN: -- and sometimes it was a
22 power outage and sometimes it was just the cluster
23 got filled and just died.

24 CHAIRMAN STETKAR: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GHOSH: It's a mechanical problem
2 that doesn't have to --

3 (Simultaneous speaking.)

4 CHAIRMAN STETKAR: Okay. The other
5 one, the one that I really had a question about was
6 you said the uncertainty algorithm that generated
7 the pressurizer safety valve cycle failure
8 unexpectedly included 31 realizations that were
9 initialized within an immediate safety valve
10 failure, which means that it apparently stuck open
11 before it was demanded. How did that happen?

12 MR. ROSS: Yes, I --

13 CHAIRMAN STETKAR: And have you fixed
14 that?

15 MR. ROSS: Yes, we have and we learned
16 about it and so discounted those.

17 CHAIRMAN STETKAR: Well, the reason I
18 ask that is, oh, it's really curious behavior, but
19 if it was behaving that way in the 31 that you
20 threw out, why do I have confidence that it was
21 behaving fine in the 400-and-however-many that you
22 kept?

23 MS. GHOSH: Yes, in the other ones it
24 wasn't initialized in a failed situation. And I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think it had something to do -- I mentioned we had
2 to do some pre-processing in order to create the
3 description of how the valves would behave --

4 CHAIRMAN STETKAR: Yes.

5 MS. GHOSH: -- deterministically once
6 we fed it to MELCOR. So all of the distribution
7 description happens up front. We create the input
8 decks. We feed that to the MELCOR uncertainty
9 engine. So it was an issue that we discovered
10 after we did the runs, that there were these 31
11 cases where it wasn't a zero. I guess somehow
12 there's a zero that was input, so --

13 CHAIRMAN STETKAR: And you're sure that
14 that phenomenon, however it got in there, would
15 only appear as part of an initialization and that
16 any other initialization values were okay?

17 MS. GHOSH: So, once we discovered --

18 (Simultaneous speaking.)

19 CHAIRMAN STETKAR: That's all I'm
20 asking, because I don't know the mechanics of how
21 these things are done.

22 MS. GHOSH: Yes, once we discovered
23 that problem, we then went back and looked at what
24 was sampled for those -- or input for those key

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 values in the other good realizations and they
2 matched our intentions of the distributions we
3 meant to put in. So there was just something odd
4 about those 31.

5 CHAIRMAN STETKAR: Okay.

6 MS. GHOSH: And we felt we had enough
7 realizations that we could just --

8 (Simultaneous speaking.)

9 CHAIRMAN STETKAR: Now, that's -- I
10 don't care about the body counts. I care mostly
11 about -- that the good body count --

12 MS. GHOSH: Yes.

13 CHAIRMAN STETKAR: -- were you
14 confident that the good body count was good --

15 MS. GHOSH: Yes, we --

16 CHAIRMAN STETKAR: -- given the fact
17 that the bad body count was bad?

18 MS. GHOSH: We checked it over.
19 Multiple people over the course of weeks.

20 CHAIRMAN STETKAR: Good.

21 MS. GHOSH: So many so were good with
22 the good --

23 (Simultaneous speaking.)

24 CHAIRMAN STETKAR: That was my bigger

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 concern. Thank you.

2 MS. GHOSH: Okay. So we just talked
3 about this. Because the timing of containment
4 failure is something that is interesting in this
5 study, we just plot here the cumulative
6 distribution function for what a containment -- the
7 containment failure time appears in both of the
8 sets for with random ignition and without random
9 ignition just to see.

10 And I think a couple of things to note.
11 Even in the cases where you have random ignition,
12 you can see some blue circles that are very early.
13 It's just that there's fewer of them. But you can
14 still get very early failure even with random
15 ignition credited the way that we modeled it in our
16 runs.

17 And you still get some early failure
18 discounting -- even if you ignore those initial
19 very early failures, you can see that the blue --
20 the cumulative distribution function still starts
21 to rise before you get to the over-pressurization
22 failures later. So it's still possible to get
23 early containment failures even if you credit
24 random ignition sources.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And eventually the curves kind of catch
2 up by 72 hours. And in both cases you have a
3 handful, a very small handful of realizations that
4 didn't approach overpressure failure yet by 72
5 hours.

6 So you're going to see this figure
7 again later when Kyle shows you what individual
8 realizations he looked at from the whole set, but
9 this is just a depiction of the entire set without
10 random ignition. In terms of where the results lie
11 with respect to the time of containment rupture
12 versus the time of RPV breach, which would be the
13 first known ignition source.

14 And you can see that many of the early
15 failure cases lie along that line, that dashed line
16 that you see, where basically your first known
17 ignition source led to the hydrogen deflagration.
18 There is a small group that's off that line, which
19 means that that first opportunity didn't fail it,
20 but a later hydrogen deflagration still failed it.

21 And then all of the blue marks are
22 where you didn't have -- the early challenge didn't
23 you and you fail due to eventual -- more gradual
24 over-pressurization.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: Tina, when I looked
2 at these plots; I have to be very honest with you,
3 I couldn't figure out what the heck they were
4 trying to tell me.

5 MS. GHOSH: Okay.

6 CHAIRMAN STETKAR: Without the text --

7 MS. GHOSH: Yes.

8 CHAIRMAN STETKAR: -- and the text kind
9 of -- if I read the text carefully and I looked
10 back and forth and back and forth and back --
11 that's, oh, maybe that's what they're trying to
12 tell me. I know you understand these plots like
13 the back of your hand, but I suspect that most --
14 even engineer types are going to really struggle
15 with them. The text certainly helps --

16 MS. GHOSH: Okay.

17 CHAIRMAN STETKAR: -- but they're not
18 at all apparent, or they weren't to me the kind of
19 stories that I think you're trying to tell in them.
20 I don't know how else to present them, because I
21 didn't think about it, but it's --

22 MS. GHOSH: Do you like this better?

23 CHAIRMAN STETKAR: Yes, that one is --

24 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: There's an example.

2 (Laughter.)

3 CHAIRMAN STETKAR: As I said, the text

4 --

5 MS. GHOSH: Yes.

6 CHAIRMAN STETKAR: -- if I ignored my
7 annoyance with the figures and simply read the text

8 --

9 MS. GHOSH: Right.

10 CHAIRMAN STETKAR: -- my notes were
11 it's a good engineering discussion of what's going
12 on --

13 MS. GHOSH: Yes.

14 CHAIRMAN STETKAR: -- which I think it
15 was. This not so much.

16 MS. GHOSH: Yes.

17 CHAIRMAN STETKAR: This is not as
18 nearly a helpful visual aid as many of the other
19 visual aids in the report, let me just say that.

20 MS. GHOSH: Okay. Yes, I think we
21 struggle with how to communicate what we --

22 CHAIRMAN STETKAR: Yes.

23 MS. GHOSH: -- think our insights
24 coming out of the work we've done, and one of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things that's always interesting to me is to not
2 just look at the influence of one variable, but
3 multiple variables together, because it tells more
4 of the story. And our regression techniques handle
5 that synergistic thing, but then it's hard to
6 communicate that other than just saying that we
7 know that these parameters work together. In this
8 one, we artificially drew this green line and --

9 CHAIRMAN STETKAR: Really?

10 (Laughter.)

11 MS. GHOSH: But it's just to kind of --
12 I guess this was our attempt at an additional
13 visual aid to try to communicate the information.
14 And one of the things we want to point out is there
15 are 93 cases that fit right on the Y axis, which
16 means that you didn't depressurize from the safety
17 valve failure. Your valves kept cycling up to 70-
18 some cycles and eventually you get hot leg failure
19 before they stop cycling. And those always led to
20 late containment failure.

21 So if you de-pressurized, if your
22 safety valve didn't fail, then you're always going
23 to get weight containment failure.

24 CHAIRMAN STETKAR: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GHOSH: If your safety valves
2 failed, but failed with a small enough fraction,
3 you also get to weight containment failure. I
4 guess there's not enough hydrogen getting out. And
5 then you get into this range on the right where you
6 can go either way. And there are other variables
7 that come into play to get there. So maybe that's
8 kind of the method --

9 (Simultaneous speaking.)

10 CHAIRMAN STETKAR: The text discussion,
11 when I read the story --

12 MS. GHOSH: Yes. Yes.

13 CHAIRMAN STETKAR: -- in the text --

14 MS. GHOSH: Yes.

15 CHAIRMAN STETKAR: -- and I thought
16 about things --

17 MS. GHOSH: Yes.

18 CHAIRMAN STETKAR: -- it all hung
19 together. And then after I figured out what the
20 text was telling me, I could go back and look at
21 this thing and say, oh, okay, I guess I understand
22 what this thing is trying to tell me.

23 MS. GHOSH: Yes.

24 CHAIRMAN STETKAR: But don't ever cut

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 back on the text, because without the text one
2 would never understand what this is trying to tell
3 you.

4 MS. GHOSH: Yes.

5 CHAIRMAN STETKAR: But that's just --

6 MS. SANTIAGO: So is this even
7 valuable, because I'm hearing that it's better --

8 CHAIRMAN STETKAR: It is.

9 MS. SANTIAGO: -- described than --

10 CHAIRMAN STETKAR: I think it's
11 valuable only in the sense -- if I stand way back
12 from it and kind of de-focus my eyes, I can see
13 sort of where reddy and bluey things are. Okay?
14 That's kind of useful after I've read the text and
15 thought about what's going on physically.

16 Because if you go to the previous one
17 that you had up there where you show much stronger
18 clusters, for the life of me, it took a long -- and
19 I'm still sure if I understand the little dashed
20 line across the bottom there. But after I read the
21 text, I understand what it's trying to tell me.
22 And I understand what the blue density of stuff in
23 the vertical kind of box is trying to tell me, but
24 only after I read the text and thought carefully

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about that. It certainly wasn't apparent looking
2 at that and then going to the text for further
3 elaboration.

4 MS. SANTIAGO: Yes, we struggled with
5 this.

6 CHAIRMAN STETKAR: Yes, got it. So I
7 would say don't get -- Mike, I can say anything
8 about him because he's gone -- so that he didn't
9 appreciate these types of scatter plots either.
10 They were useful for me, but again only after I
11 read the text that told me about, hey, go look and
12 you can kind of -- wait until we get to this later.
13 I want to ask a question about these.

14 MS. GHOSH: Okay.

15 CHAIRMAN STETKAR: But only after I
16 read the text and said, hey, look, if you look at
17 the scatter plot, you can sort of see this kind of
18 behavior. Then I said, okay, maybe I can --

19 (Simultaneous speaking.)

20 MR. NOURBAKHS: I think it's useful.

21 CHAIRMAN STETKAR: Do you? Okay.

22 MR. NOURBAKHS: But you got to read
23 the report.

24 CHAIRMAN STETKAR: You have to read the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 report.

2 (Simultaneous speaking.)

3 MR. NOURBAKHS: Some reports you can
4 go and just look at the figures and --

5 (Simultaneous speaking.)

6 CHAIRMAN STETKAR: Don't ever -- as I
7 said, if you get -- don't ever cut back on the
8 descriptive text on this and say that it's not like
9 a thermal hydraulic analysis where you can see
10 temperatures and pressures and level and say, oh,
11 okay, I can see how these things are interacting,
12 because --

13 MR. NOURBAKHS: This is a picture
14 requires a thousand words.

15 CHAIRMAN STETKAR: Yes, it is.

16 (Laughter.)

17 MS. GHOSH: I like that. Yes.

18 CHAIRMAN STETKAR: And you got to read
19 the thousand words about six times before you
20 figure out what the picture is telling you.

21 MS. GHOSH: We'll just make sure all
22 the descriptions are up front and then you turn the
23 page and see the picture.

24 CHAIRMAN STETKAR: No, honestly --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GHOSH: Yes.

2 CHAIRMAN STETKAR: -- that -- I think
3 they are useful, but only after you -- and I
4 wouldn't -- and I thought the descriptions were
5 good. I'm not saying -- I think they were -- some
6 of the better stuff in the whole report, quite
7 honestly is the kind of engineering analysis in
8 that section where you start talking about this
9 stuff. I thought that was really done quite well.

10 MS. GHOSH: Yes.

11 CHAIRMAN STETKAR: And others might
12 say, well, they want more; I don't know, but
13 certainly don't make it less.

14 MS. GHOSH: And Kyle is going to get to
15 that more descriptive stuff in a minute.

16 CHAIRMAN STETKAR: Okay.

17 MS. GHOSH: We just wanted to give you
18 again the high-level snapshot of the whole
19 population of results before Kyle digs into the
20 more interesting explanations of why things happen.

21 So here again no surprises. We know
22 there's a set of early containment failures, so
23 that you see that some of the gray curves -- each
24 gray curve is one realization. They start arising

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fairly early. And then there's that gap. And then
2 you have the late over-pressurization failures.

3 And just a quick reminder that the
4 summary curves on this, they don't necessarily
5 follow the behavior of any actual potential
6 outcome, because they're just the arithmetic,
7 statistical measures at each point in time. And we
8 connect the dots and we --

9 (Simultaneous speaking.)

10 CHAIRMAN STETKAR: For the benefit of
11 everybody, those summary curves are the blue,
12 green, black and red that you're talking about.

13 MS. GHOSH: Right.

14 CHAIRMAN STETKAR: Each of the whisker
15 things are an individual realization.

16 MS. GHOSH: Yes, exactly right. One
17 potential outcome.

18 And this one is for iodine without
19 random ignition. And then this is the same set
20 with random ignition. Things move around a little
21 bit. And I showed earlier the curves. It's hard
22 to juxtapose now the families of curves on top of
23 each other, so we didn't even attempt to do that.
24 But things move around a little bit, but the range

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of outcomes you see at 72 hours is roughly the
2 same.

3 And then for the regression analysis,
4 this time I did put both of them on the same graph.
5 And the variables move around a little bit, but for
6 the most part we can see that the safety valve
7 behavior is important regardless of whether or not
8 you credit the random ignition. The rupture comes
9 up a little bit in the case with random ignition,
10 but it's still there in the case without. And I
11 think when Kyle gets into the discussion more from
12 the phenomenological side, he explains more why it
13 makes sense that these things are important.

14 And one thing we do want to point out,
15 the safety valve open area fraction and the number
16 of cycles, those are very interrelated. I mean,
17 they're basically describing the same thing that
18 you end up caring about. So while they appear as
19 separate variables, in our minds we always think of
20 those together.

21 So then here are the cesium release
22 curves. You kind of see the same bifurcation.
23 Since it's a linear scale, the stuff is kind of
24 more squished to the left.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: Well, it's kind of
2 more squished -- the question that I had, and you
3 can't put them all up here -- and when I looked at
4 the executive summary, if I look at the -- go back
5 a couple -- and I look at the uncertainty in the --
6 one -- a couple more so you get the -- there.
7 That's probably good enough.

8 If I look at the uncertainty in the
9 iodine release fractions, either for an early or a
10 late release, the uncertainty is about the same, if
11 I just look at the ranges of the gray. Right? You
12 see outliers here and there, but for realizations.

13 If I now go to the cesium, but -- well,
14 primarily it's the red line we're looking at here.
15 I'm not looking at the red line. I'm looking at
16 the range of the gray.

17 PARTICIPANT: Yes, I know. Well, for
18 me it helped to look at the red. I can see --

19 (Simultaneous speaking.)

20 CHAIRMAN STETKAR: Good. That helps
21 you, but I'm looking at the range of the gray. And
22 that -- if I look at this, the late cesium releases
23 to me seem to say I have much, much larger
24 uncertainty. Now, you might say, well, the red

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 line strongly increases at that late point. Why is
2 that?

3 MS. GHOSH: I think Kyle's going to get
4 into that --

5 CHAIRMAN STETKAR: Okay.

6 MS. GHOSH: -- in his discussion of
7 individual realizations. It has to do with the
8 late phase we made for realization in some part.

9 MR. ROSS: Yes, that's for sure a
10 factor.

11 CHAIRMAN STETKAR: So it's the late?
12 And it -- okay.

13 MR. ROSS: And it --

14 CHAIRMAN STETKAR: Because I don't
15 understand any of the chemistry problem.

16 MR. ROSS: Yes, I think the chemical
17 form of cesium is also important to keep in mind.

18 CHAIRMAN STETKAR: Okay. Because this
19 is one thing that struck me when I was going
20 through the executive summary trying to just
21 understand at a very high level what it was trying
22 to tell me. I said, good God almighty, something's
23 happening in the modeling of cesium where my -- not
24 the average amount that's released, but the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 uncertainty in that. Why does the behavior in the
2 uncertainty in this plot change dramatically for
3 that late release --

4 MR. ROSS: Yes.

5 CHAIRMAN STETKAR: -- when the
6 uncertainty in the iodine doesn't -- essentially
7 doesn't change? I mean, you see a little bit.
8 This is really dramatic.

9 MEMBER BLEY: It is, but I still -- it
10 would be nice if we had them both up side-by-side.
11 But when I look at them side-by-side --

12 MS. GHOSH: Yes.

13 MEMBER BLEY: -- the low end and the
14 middle measures; and we have two middle measures,
15 are a little higher for the iodine than they are
16 for the cesium. The 95th -- did I switch pictures?
17 Yes. No, I did switch pictures. It's the
18 individual trial. Some of them are really high.

19 CHAIRMAN STETKAR: Yes. Well, but on
20 the other hand, you're picking up a lot more
21 individual trials that are a lot higher for the
22 cesium.

23 MEMBER BLEY: But when you look at the
24 95th, that's why I was saying the red line --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GHOSH: You mean to compare with --

2 (Simultaneous speaking.)

3 MEMBER BLEY: It's higher until you get
4 right out the end. Then it's about the same. So
5 it's -- 5 percent is going up really high and 95
6 percent is much more similar. So it's that handful
7 of things that are going really high. But we're
8 going to talk about that, what kind of weird
9 chemistry is going on.

10 MR. ROSS: Those are real good
11 observations. We'll certainly talk about some of
12 the phenomenon that would be contributing to that.

13 MEMBER BLEY: We should.

14 MS. GHOSH: Yes, in fact, I think we're
15 about to get to that, because this is the last
16 slide in terms of the overall results. Again, you
17 kind of see the usual suspects. In this case the
18 dynamic shape factor comes up as really important
19 for the cesium more than for the iodine. But
20 again, it's the safety valve --

21 (Simultaneous speaking.)

22 MS. GHOSH: And, yes, so the next part
23 of our talk was going to be Kyle's discussion of
24 the individual realizations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: Sorry. We're just
2 muttering among ourselves over here.

3 MS. GHOSH: Well, I think more will be
4 explained in this discussion, but if at the end
5 there are still questions, we can revisit
6 something.

7 MR. ROSS: So to best understand the
8 phenomenon important to the metrics --

9 CHAIRMAN STETKAR: But --

10 MR. ROSS: Yes.

11 CHAIRMAN STETKAR: Since we started at
12 12:40, before we get into the individual
13 realizations, maybe it's okay to take a break
14 rather -- because some of these talk to one another
15 and once we walk into this, it's probably better.

16 So let's take a break; and I'll be
17 generous this time, until 2:15. We're recessed.

18 (Whereupon, the above-entitled matter
19 went off the record at 1:57 p.m. and resumed at
20 2:16 p.m.)

21 MR. ROSS: To best understand the
22 phenomenon associated with the metrics in the UA,
23 we chose a set of a limited number of MELCOR
24 calculations to look at in depth. The choice of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which calculations to look at involved including
2 outliers with respect to the recognized key
3 phenomenon and metrics.

4 This is a list of the realizations that
5 we chose. They were all from the set calculations
6 that did not have random ignition sources included.
7 And just to illustrate a couple of the cases and
8 where they were chose, there's a reference case or
9 base case that we looked at in depth. There's a
10 case with earliest containment failure, the case
11 with latest containment failure. We looked at the
12 case with the smallest cesium release, the largest
13 cesium release, et cetera.

14 This figure is similar to what we were
15 showing before the break. It shows all the
16 realizations, the containment rupture time versus
17 the time of RPV breach, the time of hot leg failure
18 in most cases, as gray triangles. And then the
19 blue triangles are the individual cases of the
20 previous slide. So they seem to fall such that
21 they well represent the spread in the results, we
22 feel.

23 And just to mention, this dash line,
24 this coincident line would be at 45 degrees if the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 left scale and the right scale had the same upper
2 limits. The line just, if a triangle falls in that
3 line, if a calculation falls in that line, it
4 simply means the containment failed at the same
5 time that the RCS ruptured.

6 CHAIRMAN STETKAR: Turn your mike on.

7 MR. SHACK: If I sorted out between
8 lower head failures and hot leg failures, would I
9 see a clustering along that line, or are they kind
10 of scattered around?

11 MR. ROSS: You would see that all these
12 floaters up right and all the cases far right on
13 the coincident line were lower head failure cases,
14 right, where there wasn't a hot leg rupture. Yes.

15 And just to mention a few real key
16 considerations, I think, in considering the single
17 realization results that follow, it's just that H2
18 ignition is requisite in these cases on hot leg
19 failure or quarter beyond the floor. One or the
20 other has to be present for an ignition of
21 combustible gasses to occur.

22 Hydrogen concentration necessary to
23 originate a burn is treated as uncertain but not to
24 propagate a burn. So this is as we were talking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 before. We're sampling and treating uncertainty in
2 what is needed to start a burn in a volume, but
3 we're letting MELCOR do what it would always do or
4 normally do on some, as far as propagating a burn
5 from where it starts to elsewhere in containment.

6 With respect to pressurizer SV
7 function, again, we mention it a lot, but what
8 happens to the three parallel valves as a system is
9 paramount to what happens to any one of the valves
10 individually.

11 Select realization results and
12 indications. Principally important to containment
13 failure timing is the amount of hydrogen that's
14 vented by the RCS to the containment prior to the
15 RPV hot leg or lower head failing. So this is the
16 amount of hydrogen that's produced in core and then
17 that is actually vented to the containment such as
18 it's ready to burn when you first get a spark.
19 Clearly, the more hydrogen you have, the more
20 damage potential the burn has, as well.

21 Deterministic to the amount of hydrogen
22 that is vented to containment is whether a
23 pressurizer safety valve failure to close occurs
24 and then, given that it occurs, the position that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the valve takes on from that point on. Safety
2 valve failure to close was found to be necessary
3 for containment failure to happen early. If the
4 three valve system of safety relief on the
5 pressurizer accomplished approximately 72 cycles,
6 then that was always associated with, well, that
7 was indicative of no safety valves having failed.

8 And then we find that the substantial
9 failure to close open area was necessary for
10 containment failure to come early. A valve had to
11 fail significantly open for an early containment
12 failure to occur.

13 If a pressurizer safety valve did not
14 suffer a failure to close, if the system of valves
15 functioned to relieve pressure, per design, then
16 hot leg nozzle failure occurred at 3.7 hours. It
17 always did that to those two significant figures.
18 That was always when the hot leg failed.

19 Early containment failures, well, by
20 definition, came immediate to H2 burns, meaning
21 that in our definition of early, containment
22 failure and breach of the RCS were at the, the
23 failure was right after the breach, so they were
24 very, very coincidental or occurring at very nearly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the same time.

2 High "dry" hydrogen buildup in the
3 containment dome seemed to be a persistent
4 precursor to containment failure, occurring
5 immediate to an H2 burn, meaning when you look at a
6 case where a hydrogen burn did fail containment,
7 you would see that much of the energy in that
8 overall burn was contributed from what happened,
9 from what burnt in the containment dome. And the
10 environment of the dome is always dry because the
11 steam that's working its way through the, working
12 its way to the dome has to move through the ice
13 chest, and so it doesn't come out the other side.

14 So this next point, coincidentally, the
15 uncertainty in containment pressure failure and the
16 variability in the pressure resulting from H2 burns
17 overlap. If you look at the horsetails of
18 containment pressure and you see that you have
19 spikes due to burns, some of them climb up above
20 the threshold that fails containment. Some of them
21 get close, which we just thought was interesting.
22 I mean, I might have thought that enough hydrogen
23 would exist to break containment two or three times
24 over, but, in actuality, there were many cases

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where, depending on what you were from the best-
2 estimate containment pressure, plus or minus a
3 little bit, you did or did not get a failure, kind
4 of implying or pointing out that containment, well,
5 they clearly weren't designed to withstand hydrogen
6 burns. They almost are strong enough.

7 So when looking at the late containment
8 failures in the subset of individual cases that we
9 looked at real closely, we noticed that they were
10 associated more often with early hot leg or lower
11 head failure, they continually experienced
12 insufficient hydrogen, excessive steam, a lack of
13 sufficient oxygen, or a missing ignition source,
14 such that deflagrations large enough to fail
15 containment never occurred. Eventually, late
16 containment failures resulted from monotonic
17 pressurization driven by fission product decay
18 primarily through steam generation but also non-
19 condensable gas generation from core-concrete
20 interaction.

21 Greater deposition of fission products
22 in the pressurizer relief tank resulted as a
23 consequence of early safety valve failure to close.
24 And this was not a sustainable situation in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculations because of the decay power associated
2 with those deposits.

3 So this figure and the next are meant
4 to show the strong influence of how much of
5 hydrogen produced in vessel is vented from the
6 vessel to the containment before the first ignition
7 source presents itself. In the blue cases, this
8 realization released very much of what was produced
9 to containment before the hot leg rupture. In the
10 red case, there was less total production overall
11 than the blue case but not a whole lot less, but
12 dramatically different is the solid red line
13 compared to the solid blue line. The red case just
14 did not release the kind of hydrogen to
15 containment. So when the hot leg failed and a
16 spark was first available to light a burn, the burn
17 potential in the red case was much less than the
18 burn potential in the blue case.

19 And so the next two figures show the
20 pressure response of containment for that blue and
21 red case. You'll see the energy of the burn is
22 represented on the left-hand axis, and the
23 containment pressure scale is on the right. You
24 can see a hot leg rupture labeled on the time axis

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on the X axis. When the containment failed, there
2 was a very large burn, the energy contribution
3 mostly from the burning in the containment dome.
4 The result was a dramatic, very quick
5 pressurization to above the containment failure
6 pressure for this case and the steel shell gave
7 way.

8 In the next slide, so this is the red
9 case. And, again, there was a burn at hot leg
10 rupture, but the magnitude of the burn was greatly
11 less. The contribution from the dome was none,
12 actually; so the burn must have originated in lower
13 containment and didn't successfully promulgate to
14 the dome. And the result was that containment felt
15 the burn but nowhere near enough to suffer a
16 failure from it.

17 So this is a complicated figure. We
18 struggled with --

19 CHAIRMAN STETKAR: This was another set
20 that's --

21 MR. ROSS: Yes, I understand.

22 CHAIRMAN STETKAR: -- kind of hard to
23 follow. Not quite as the scatter blocks but . . .

24 MR. ROSS: Let me try to describe a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little about what's in here. What we're trying to
2 do is, on one page, show what was going on with the
3 different influences that were determined whether
4 you could have a burn or not. So there was
5 inerting gases, oxygen available, the fuel
6 available. So there's traces for each of those.

7 If a trace on here is solid, that
8 means, at that point in time, it was supportive of
9 a burn. If it's broken, if it's dashed, then at
10 that time that particular component of what's
11 needed to have a burn wasn't supported. So you see
12 a blue line for inerting gasses, you see a green
13 line for sufficient oxygen, red line for sufficient
14 fuel. So at any time on this plot, if all three
15 colors are solid then the state in this volume is
16 supportive of a burn, and if you get a spark it
17 will have a burn. If any of the lines at that time
18 is dashed, then that component is prohibitive of a
19 burn at that time.

20 We've also shown in --

21 MR. SHACK: Is steam an inhibiting gas?

22 MR. ROSS: Yes. Also shown here in the
23 gold is whether there was an ignition source
24 present at whatever time in this volume. And you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can see that up until hot leg rupture, there was
2 no existing source. At hot leg rupture, there was
3 momentarily. You can see that it jumped up to one
4 just momentarily, so that was enough. But
5 immediately after that, some change in that plume
6 coming from the hot leg, either it cooled off to a
7 temperature that was below the ignition temperature
8 of hydrogen or the velocity in that plume dropped
9 off below that threshold that we watched to see if
10 there was a significant flow or not, and that
11 source of ignition didn't redevelop until sometime
12 later.

13 So this was our attempt to try to
14 capture all that information on one page, and I
15 could see how it could be confusing.

16 CHAIRMAN STETKAR: The stories about it
17 are really good if you read the text.

18 MR. ROSS: So the involvement of the
19 pressurizer relief tank wound up to be very
20 interesting and unexpected. We did see the same
21 type of phenomenon occur in Surry, but it seemed
22 more obvious in the Sequoyah analyses. So just to
23 quickly -- we've probably been through most, if not
24 all, of this, but the steam is relieved from the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 SRS by the pressurizer safety valves which vent the
2 steam to the pressurizer relief tank. Initially,
3 steam condenses in the water pool, as per design.
4 That's always held by the tank.

5 Given core damage, fission products are
6 carried by the safety valve relief flows to the
7 tank where they rather efficiently deposit in the
8 water pool if there is one, if it hasn't
9 evaporated.

10 There are spargers in the tank that
11 introduce the flows into the tank and disperse them
12 well, designed with the intent of the collapsing
13 the steam that flows into the tank. And that is
14 also an effective structural setup for good
15 scrubbing of the fission products from the bubbles
16 in the pool. So they do efficiently become
17 captured in the pool.

18 In the station blackout, the water in
19 the PRT eventually saturates and the tank
20 pressurizers to rupture the burst disk, at which
21 point the water evaporates and dry fission product
22 deposits result in the tank. The dry deposits,
23 with their incessant decay power, are susceptible
24 to re-vaporization and further transport. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 degree of involvement of the PRT strongly dependent
2 on the safety valve failure to close timing.

3 So the next couple of figures
4 illustrate two calculations, one where the PRT was
5 the deposition and the re-vaporization of fission
6 products was a large player and one where it was
7 not a large player with respect to release to the
8 environment. These two plots show cesium. So the
9 fractional amount of cesium inventory that was
10 originally in the core is tracked by the gold line,
11 the gold dash line on this plot. You can see the
12 early deposition in the tank is quite significant,
13 40 percent of the original inventory.

14 So as we move out in time 12 hours or
15 so, you can see that gold line is trailing off.
16 That's indicative of re-vaporization of material
17 from the tank at 50 some odd hours where there's
18 the follow-off of that curve. That is a
19 containment failure, and the containment failure
20 drops very rapidly and that aggravates the re-
21 vaporization of fission products from the tank.

22 You can see the purple, pinkish-purple
23 line there. It's very closely a mirror image of
24 the gold line, meaning that as that material is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 coming out of the tank it's being carried
2 efficiently to the hole in the containment shell
3 and out the penetrations or the failure points in
4 the shield wall into the environment.

5 So in the realization represented in
6 this figure, the PRT doesn't become involved. It
7 doesn't have the kind of initial deposition that
8 the other calculation had. And what deposition
9 there is doesn't seem to be susceptible to re-
10 vaporizing. The gold line initiates and ends at
11 the same magnitude.

12 So is there any phenomena we touched on
13 earlier that we were hoping to talk about more in
14 this presentation but haven't? Is there . . .

15 CHAIRMAN STETKAR: I don't know because
16 this is well beyond my area of expertise. I guess
17 I still don't -- I'm trying not to speak very
18 loudly because we're getting the interference. Why
19 in 142, that case you have there, that's a case
20 where the pressurizer safety valves open, so
21 everything, essentially, everything that's
22 generated in the core goes out into the PRT.

23 MR. ROSS: Right.

24 CHAIRMAN STETKAR: What I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 understand is why, apparently, so much is held up
2 in the PRT, given the fact that the rupture disk on
3 the PRT opens at about two hours, so now I have a
4 pot with a big hole in it.

5 MR. ROSS: We do indeed, so we have
6 some shortcomings in the modeling here. So the
7 actual situation could possibly develop, the flow
8 that's coming in and out of the hole, and we didn't
9 support that possibility in the --

10 CHAIRMAN STETKAR: Yes, okay, okay.
11 Well, and that's why, that's why I don't know what
12 you can do about it, but, you know, drawing these
13 conclusions about look how important the PRT is, I
14 don't know if that's an artifact of the model
15 compared to the real world.

16 MR. ROSS: Right. So this was kind of
17 a situation, too, where we didn't perceive the
18 large importance of this phenomenon. But we could
19 address that counter-current flow possibility
20 through the burst disk opening. And we also
21 modeled this tank as perfectly insulated, and that,
22 too, is not -- and then the point that Dr.
23 Corradini made about possibly the flood level
24 coming up to the tank is something that we should

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certainly look at, too, and we hadn't.

2 MR. ESMAILI: But the fact is that,
3 because of the sparger, a lot of this gets scrubbed
4 and it's residing in the pool.

5 CHAIRMAN STETKAR: You know, you keep
6 talking about this as if it's a suppression pool.
7 It's a tank --

8 MR. ESMAILI: It's a tank --

9 CHAIRMAN STETKAR: -- that's not much
10 bigger than out there. So, yes, for a while, until
11 all of that water boils away, that's true. But
12 that's not very long. It's not a beat-up
13 suppression pool, so, yes, for a short period of
14 time, you do get scrubbing, but not over the time
15 frames that we're talking about here.

16 Is this the place -- because, again, I
17 know nothing about the chemistry -- that we hear a
18 little bit more about why the changes in the
19 cesium-release fraction are different late versus
20 early? The uncertainty in the cesium-release
21 fraction, is that part of this?

22 MR. ROSS: That's a really good
23 observation, but I don't think we've delved into
24 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: Okay, okay, okay.
2 Thanks. Okay.

3 MR. ESMAILI: So I'm just going to talk
4 briefly about the long-term station blackout. We
5 did not do an uncertainty analysis on the long-term
6 station blackout. This was a decision we made at
7 the beginning. We were just focusing more on the
8 short-term station blackout. And as you can see,
9 we gained a lot of insights, you know, in terms of
10 long-term station blackout that we have already
11 received from the short-term station blackout.

12 So I have no intention of going through
13 this table. It's just to show you that, for the
14 most part, the sequence is very, very similar to
15 what was assumed in the Surry short-term station,
16 long-term station blackout, that, you know, once
17 power is lost, main feedwater is lost, the turbine-
18 driven aux feedwater immediately, you know, starts
19 at one hour. There's cool down of the RCS at a
20 rate of about 100 Fahrenheit per hour. This cool
21 down, at some point, leads to enough lowering of
22 the pressure in the primary system to actually
23 start injection.

24 A little bit later, we have to stop this steam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generator cool down because we want to maintain
2 some steam to run the turbine.

3 We also need eight hours of battery,
4 and we are doing a sensitivity to the duration of
5 the battery later on, so I will show you. But once
6 the battery is exhausted, the atmospheric relief
7 valves are going to re-close and the system is
8 going to re-pressurize back again. At that time,
9 once battery is gone, you know -- the aux feedwater
10 system is very, very similar to the system in a
11 BWR. It was just like what Fukushima happened.

12 So once the power is gone, the governor
13 valve that's sitting upstream of the injection
14 point, it opens fully. And once that happens, the
15 turbine gets flooded.

16 CHAIRMAN STETKAR: Do we know that to
17 be the case for Sequoyah, or do we just assume that
18 to be the case?

19 MR. ESMAILI: We know that to be the
20 case. We looked at it. It's a turbine, it's
21 actually --

22 CHAIRMAN STETKAR: I've seen them
23 designed both ways, where they fail close and they
24 fail open. That's why I was asking do we know that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to be the case at Sequoyah.

2 MR. ESMAILI: Yes, at Sequoyah, they
3 close open, they fail open. And then that leads to
4 filling up the steam generator, and then the
5 turbine gets, the turbine gets flooded, and we lose
6 the aux feedwater about ten hours.

7 After that, we are losing -- the steam
8 generators are going to cycle, you know, and we are
9 assuming that they're using the best estimate
10 values from the short-term station blackout, you
11 know. So we have 45 cycles before the steam
12 generators get stuck, and I will show it a little
13 bit later in the next picture.

14 However, I want to point out is that,
15 you know, even though we have eight hours battery
16 or ten hours, it takes a long time for the core
17 degradation to occur. We have, you know, until
18 about 20 hours before the water level reaches below
19 the top of active fuel. And then it pressurizes,
20 and we have two hours before the first fission
21 product gets released from the fuel. About two
22 hours later, because of the hot gasses going
23 through this, we receive a rupture of the hot leg
24 nozzle, and that leads to a deflagration and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 failure of the containment.

2 Lower head occurs about four hours
3 later, and the ice, it's estimated to be melted in
4 about, at about 34 hours. So, you know, so we have
5 melting of the ice water about 12 or 14 hours.

6 Next slide. So this is the response of
7 the primary and the secondary systems. So you see
8 the blue is the RCS pressure, so, immediately after
9 scram, see the heat is being removed by the
10 secondary side, the secondary side relief of
11 cycling that leads to somewhat cooling of the RCS.
12 At one hour, the red line shows that you're opening
13 the atmospheric relief valve on one of the steam
14 generator. That cools down, actually that cools
15 down not only the RCS but the other combined three
16 steam generators.

17 And at about three and a half hours, we
18 stop the steam because we want to keep steam to run
19 the aux feedwater, so we stop the cool-down. And
20 at about eight hours, the DC fails, and then aux
21 feedwater goes to full flow and the valves close.
22 At that point, you see the whole system is re-
23 pressurizing back to the SRV set points when
24 there's steam generators. And at that point, as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you can see, the insert, what they show is that the
2 water level in one of the steam generators goes
3 full up because --

4 CHAIRMAN STETKAR: That's what I was
5 going to ask you. Why does that happen?

6 MR. ESMAILI: What happens?

7 CHAIRMAN STETKAR: What you just said.
8 The water level in the thing I'm calling steam
9 generator one, not the lumped other steam
10 generators --

11 MR. ESMAILI: Right.

12 CHAIRMAN STETKAR: Why does that water
13 level go up and the other ones --

14 MR. ESMAILI: We are just assuming that
15 we are feeding one steam generator.

16 CHAIRMAN STETKAR: I'm sorry. Why are
17 you -- huh?

18 MR. ESMAILI: We are feeding only the
19 one steam generator here.

20 CHAIRMAN STETKAR: I'm sorry. Up until
21 that point, you were feeding all four, weren't you?
22 The levels were all the same. Why are you only
23 feeding that one?

24 MR. ESMAILI: This was the assumption

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we made because of, you know, we have --

2 CHAIRMAN STETKAR: Well, wait a minute.
3 That assumption is important because I'm later
4 going to stick open that safety relief valve
5 because I got water relief. So I want to know, in
6 physics, why that one is behaving differently from
7 the other three. Forget about modeling. In
8 physics.

9 MR. ESMAILI: If you only feed one
10 steam generator, this is what happens.

11 CHAIRMAN STETKAR: Yes, if I only feed
12 one. But I want to know, in the real plant, why am
13 I only feeding that one steam generator?

14 MR. ESMAILI: In a real plant, you need
15 at least to feed two of the steam generators.

16 MEMBER BLEY: But the underlying
17 question is we've kind of picked the worst case for
18 open a safety valve. Is that why we're doing this?

19 CHAIRMAN STETKAR: I don't know why
20 we're doing it because if you look at the plots up
21 until eight hours when the turbine-driven aux
22 feedwater pump goes, whew, big flow, all four steam
23 generators have the same level because the
24 operators are controlling the level. The operators

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 take manual control, and they control the level,
2 which is good. That's what I would do. And now we
3 say the turbine-driven aux feedwater pump takes off
4 and steam generator number one, which is the one
5 that I'm modeling separately, suddenly sees a whole
6 hell of a lot of water going into it, the other
7 ones apparently don't.

8 Now, the atmospheric relief valve is
9 closed, so it's not like, you know, it's an open
10 pot. Why does a little behave that way?

11 MR. ESMAILI: That's a good question.
12 We can go back and look at it. This is the
13 assumption that we made that we are just injecting,
14 at that point we are injecting into one of the
15 steam generators because we wanted to see what
16 happens because we are not modeling all these tree
17 loops separately. So we wanted to see what happens
18 into one group versus the other combined loops.
19 And so, you know, so that's an assumption in our
20 calculations.

21 CHAIRMAN STETKAR: I was trying to,
22 honestly trying to think out physically what would
23 happen when turbine-driven aux feedwater pump took
24 off with the atmospheric relief valves went closed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, up until that point, maybe that was the only
2 one that was open because it was trying to cool
3 down. But they go closed.

4 MR. ESMAILI: Right.

5 CHAIRMAN STETKAR: So I'm going to
6 start to pressurize what? Why would I feed that
7 one preferentially? Maybe initially for a little
8 bit but . . .

9 MR. ESMAILI: If you put water in all
10 of the steam generators, all of the steam
11 generators' water levels would go, and then it
12 would change the behavior --

13 CHAIRMAN STETKAR: Yes.

14 MR. ESMAILI: -- of the SRVs. And as
15 you can see here, that's what we were trying to
16 show is that, with one of the steam generators full
17 of water, we are not getting to that 45 cycles.

18 CHAIRMAN STETKAR: Yes.

19 MR. ESMAILI: The other three steam
20 generators, you get to the 45 cycles because you
21 are, you are relieving steam. In the one steam
22 generator we are filling up with water, we are
23 actually failing it based on water passage.

24 CHAIRMAN STETKAR: I know.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ESMAILI: Okay. So that is the,
2 that is, you know, that is the main difference that
3 we wanted to show.

4 CHAIRMAN STETKAR: Okay.

5 MEMBER BLEY: Our analysis has turned
6 from a scenario into a sensitivity case it sounds
7 like.

8 MR. ESMAILI: These are, all the long-
9 term station blackouts are, yes, sensitivity cases.

10 Okay. So I have not finished. So at
11 about, after the SRVs start to open, you lose water
12 in all the three steam generators. And then the
13 second steam generator, SRVs get stuck open. And
14 then by about after 18 hours, the steam generator
15 gets dried out, and then the behavior looks like
16 what you see in the short-term station blackout and
17 then goes to the pressurizer SRV, gets stuck open,
18 and then we have hot leg failure after that.

19 So here you see the effect of RCS cool-
20 down. It lifts the shrinkage of the water inside
21 the primary system. The top of the -- the core is
22 still full of water, and you see some fluctuations
23 in terms of water level that is responding to what
24 happens on the primary pressure. And you have some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accumulator injection, as I said before. But most
2 of the accumulator injection occurs after 24 hours
3 when the hot leg fails.

4 So on the right-hand side, I'm just
5 showing you what happens in terms of core
6 degradation. The first one at 22.4 hours, even by
7 the time the water level reaches the bottom of
8 active fuel, the core is intact. It's highly
9 oxidized, very hot, but it's still intact. It
10 doesn't take much longer until at least the inner
11 rings collapse and form a debridement on top of the
12 core plate. And just a little bit later, the
13 entire core has collapsed and on top of the core
14 support plate.

15 At that time, we have a little bit
16 later, about half an hour later, we have the hot
17 leg failure that injects water. And as you can
18 see, water is injecting at about 24.7 hour. And at
19 that point, it leads to some cooling of the debris
20 and the lower head failure happened, which is the
21 last picture, in about four hours later.

22 Next slide. So this is what happens
23 inside the containment. You know, the heat is
24 being removed by the secondary side, so you see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that the containment is not pressurized. I mean,
2 it's about 2 - 3 psig up until the time of the
3 pressurizer relief tank failing.

4 During this time, there is some natural
5 circulation going to the ice pit. By the time that
6 the pressurizer relief tank fails, we actually have
7 about four percent of the ice that has melted
8 inside the ice pit. At that point, you know, we
9 get some pressurization inside the containment, and
10 a little bit later, when hydrogen starts coming
11 off, you see another one.

12 But the important thing is that you see
13 that, up until the time that the hot leg fails and
14 the first hydrogen deflagration fails the
15 containment, the pressure remains below design. At
16 that point, the containment fails, as it's above
17 the best estimate fragility.

18 By the time that the hot leg fails and
19 the first hydrogen deflagration occurs, during that
20 time about 20 percent of the ice in the ice pit has
21 melted.

22 Next slide. So this is another way of
23 what Kyle was talking about. I'm showing you the
24 distribution of cesium and iodine. And what you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 see in the green curve is that most of the cesium
2 and iodine have been released from the fuel. Some
3 of it is still inside the vessel. That includes,
4 the green curve includes also the PRT that we're
5 talking about.

6 So this is at about 24 hours, when the
7 hot leg fails and the pressurizer SRV gets stuck
8 open, some of these fission products get
9 transported to the containment. But you can see
10 there's a substantial amount that's still residing
11 inside the vessel, about, you know, 70 percent of
12 the iodine. It's not until about 40 hours, 42
13 hours, or so that you see a sharp drop in iodine
14 distribution. That is when the pressurizer relief
15 tank starts releasing all of its iodine back into
16 the containment. And as a matter of fact, you see
17 the blue line, which is the total containment
18 deposited, goes up and the same for the total
19 airborne containment, which is the red line, goes
20 up. And this is what is being carried out to the
21 environment because, by that time, the containment
22 has failed.

23 What you see on the right-hand side is
24 the cesium. The cesium is a little bit less

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because it's driven by the cesium molybdate, which
2 is less volatile than cesium iodide.

3 Next slide. So these are some of the
4 sensitivities that we did. We were looking at, you
5 know, the question of SRV. We were talking about
6 SRV, so we did a whole bunch of calculations
7 looking at cycling of the SRVs and the station
8 battery's duration.

9 For the most part, the behavior is the
10 same. The black curve is interesting because this
11 is what Kyle was talking about that we assume in
12 this case. The pressurizer SRV is assumed to be
13 open at the first cycle, so, as soon as it opens,
14 it depressurizes the vessel. But in all the cases
15 that we see here, we are seeing early failure of
16 the containment. There's enough hydrogen that is
17 being produced in vessel that gets released into
18 the containment, resulting in early failure of the
19 containment. The pink curve is because you have
20 four hours of battery, so everything is
21 accelerated.

22 Next slide. So this is the
23 superimposition of what we see from the long-term
24 station blackout with the short-term station

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 blackout. So you've seen these figures of the
2 short-term station blackout before. The color
3 curves are the release profiles for the long-term
4 station blackout. And as I said before, for the
5 most part, they are very, very similar. And,
6 qualitatively, they're also behaving similarly to
7 the short-term station blackout. You see there
8 there is a release at the time of containment
9 failure, but, because containment failure has
10 occurred very, very early, the release is limited.
11 And then you have a period where the release is
12 driven by re-vaporization, so it goes up and just
13 kind of going up a little bit, and then, suddenly,
14 you see a bigger increase in the release. And that
15 you see both in short-term station blackout and the
16 long-term station blackout, and that is what is
17 driven by the pressurizer relief tank when it's re-
18 vaporizing.

19 So in terms of -- so what we did, we
20 did sensitivity to the case where we assumed the
21 igniters are available. We didn't take into
22 account, you know, what time we are assuming that
23 the igniters are available just to show, if you
24 have igniters available early, what happens.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So the blue curve is the short-term
2 station blackout that Kyle was talking about. This
3 is realization 338 that had the earliest
4 containment failure, so that containment fails at
5 about before four hours.

6 Now, if I activate the igniters, what
7 you see is that, and assuming that the igniters are
8 available, everything is available, what you see is
9 you start burning the hydrogen at lower
10 concentration just before three hours. So you get
11 these small pressure spikes that go on, and the
12 main impact of the igniters in the short-term
13 station blackout is to avert this early containment
14 failure. So igniters are very, very effective in
15 terms of averting containment failure.

16 The next slide is -- okay. So this is
17 the effect of igniters for the long-term station
18 blackout. So without the igniters, we have
19 containment failure and around the time that the
20 hot leg fails. So in this case, if igniters become
21 available, we can see in the red and the green
22 lines that igniters are controlling the hydrogen,
23 they're burning the hydrogen. So you get these
24 small spikes. And after about 24 hours, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressure goes down because there is some, there's
2 no hydrogen combustion until the lower head fails.

3
4 After the lower head fails, you see
5 consistently that the pressure inside the
6 containment is going up, and this is because of
7 addition of non-condensables and the steam because
8 of core-concrete interaction. And the pressure
9 spikes that you see after lower head failure are
10 not only due to hydrogen but a combination of
11 hydrogen and CO. So you get a little bit bigger
12 spikes after that time.

13 After about 36 hours, and that's what
14 I'm trying to show you in the inserts, is that you
15 have basically reduced the amount of oxygen inside
16 the containment. So even though igniters are
17 available, you are not actually burning anymore
18 hydrogen. Hydrogen is going up, CO is going up,
19 but you cannot burn them because you do not have
20 enough oxygen.

21 And at that time, this is what we were
22 talking about that the pressure inside the
23 containment is monotonically increasing. In this
24 particular case, by 72 hours, we have not reached

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the lower bound of the containment pressure, so the
2 containment does not fail in 72 hours.

3 You know, if you do enough sensitivity
4 calculations and the combinations of what we saw
5 from the short-term station blackout, it is
6 possible to have a combination of parameters that
7 leads to late containment failure. But that late
8 containment failure is much, is closer to 72 hours
9 and in most cases past 72 hours.

10 Okay. The next slide.

11 MEMBER BALLINGER: I guess it might be
12 a naive question, but if you fail the containment
13 when it's full of hydrogen and CO, there's oxygen
14 outside the containment. What happens then?

15 MR. ESMAILI: You see a little bit of
16 hydrogen burning inside the containment.

17 MEMBER BALLINGER: No, I mean out at 72
18 hours or whatever happens. If you fail the
19 containment, you're going into the space between
20 the containment and the shield building. That's
21 got to have oxygen in it.

22 MR. ESMAILI: Right. That's what I'm
23 saying. The blue curve is the one that the
24 containment has failed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BALLINGER: Oh, I see. Okay.

2 MR. ESMAILI: The blue is where
3 containment has failed. You see some pressure
4 spikes, but, over time, because everything is being
5 pushed out, it's just being dominated by all the
6 non-condensable gasses. And still, as you can see
7 here, the amount of oxygen inside the containment,
8 so everything is being just pushed out of the
9 containment.

10 Yes, it's possible, you know, you can
11 have, if you have a source outside in the shield
12 building. But you're assuming that as soon as the
13 containment shell fails the shield building fails.
14 It does not have enough capacity, so the failure of
15 the containment also leads to the failure of the
16 shield building almost instantaneously.

17 Okay. So this is a summary of all the
18 insights that we obtained from MELCOR analysis that
19 we discussed this already, that the containment
20 over-pressure failure could be early and late,
21 depending on whether you are getting the hydrogen
22 burn, you know, at the time of vessel RCS breach,
23 or, if that pressure is not enough to frame the
24 containment because of a number of reasons, it gets

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to an increase, in a monotonic increase, which is
2 driven by non-condensable gas generation as a
3 result of core-concrete interaction and steam
4 production and heating up the containment
5 atmosphere.

6 So the way this happens is that this
7 timing, whether it's early or late, this
8 verification depends on multiple phenomena. Kyle
9 talked about some of the phenomena regarding how
10 much hydrogen is being vented from the RCS prior to
11 an ignition source becomes available. But there
12 are other phenomena that are also playing.

13 The early containment failure depends
14 on mechanisms that distribute hydrogen. So, you
15 know, the only pathway for the hydrogen to get into
16 the containment and actually lead to a hydrogen
17 combustion is through the SRV. So that's why the
18 SRVs are playing an important role.

19 The major impact of modeling of the
20 random sources of the ignition is what you saw
21 earlier that Tina was showing you, the accumulative
22 probabilities between the red curve and the blue
23 curve, is that if you credit random ignition, the
24 way we have done it here, it leads to a delay in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 terms of, overall delay in terms of containment
2 failure. But you still get the early containment
3 failure even with the cases that we are crediting
4 random ignition.

5 Second point is that the magnitude of
6 the source term was impacted by the parameters that
7 affect the timing of the containment failure and
8 the fission product re-vaporization. And, again,
9 this goes back to the importance of the safety
10 valves and how they distribute and how they affect
11 the containment failure.

12 Next slide. The results of the UA
13 showed that some of the other parameters that we
14 considered, like the aerosol shape factor, the
15 flammability limits, and the response of the lower
16 ice chest door and the bypass did not affect the
17 source term. The long-term station blackouts in
18 the sensitivity calculations, almost all of them
19 had early containment failure at hot leg failure
20 due to hydrogen burn. These are the sensitivity
21 cases that we considered. Again, as I said, if we
22 vary enough parameters, we're going to come up with
23 a combination that do not lead to early containment
24 failure. And, qualitatively, the release signature

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for the long-term station blackout, the one that
2 was superimposed, shows very, it's very similar to
3 the short-term station blackout failure cases.

4 We did sensitivity when we are
5 crediting the igniters, and the igniters can avert
6 early containment failure. The important thing is
7 that, you know, in some of the reference cases that
8 we saw, it leads to the failure of the containment.
9 But for the cases that the containment does not
10 fail, this ice is a passive system. It does melt
11 over a period of time, you know, about 12 hours or
12 so, and it does play into slowing the containment
13 pressurization. And, overall, it can delay
14 potential containment failure for the cases that do
15 not lead into early failure.

16 I guess that's all I have.

17 CHAIRMAN STETKAR: Before we switch
18 gears into MACCS, any other questions on MELCOR
19 containment modeling, that sort of stuff? Go
20 forth.

21 By the way, I'm trying to be cognizant
22 a little bit of the time. Does anybody have any
23 real time constraints at five? Okay. I don't want
24 to go on too much longer, but if there were real

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time constraints I'd make sure that we get things
2 done.

3 MR. THOMPSON: Hello. My name is Dr.
4 Shannon Thompson. Next slide, please. Today, I'm
5 going to talk about the offsite consequence
6 analysis which was done using MACCS.

7 MELCOR generates environmental
8 releases, as we've seen in several of the previous
9 slides. MACCS models the atmospheric transport
10 dispersion and deposition of the releases,
11 protective actions taken in the emergency and long-
12 term phases, exposure pathways, doses, and health
13 effects. The individual early fatality and latent
14 cancer fatality risk results are the mean values
15 over more than 1,000 weather trials.

16 The MACCS model was developed using
17 site-specific information for Sequoyah, including
18 weather data, land cover information, population,
19 and local economic data. For this study, we
20 assumed the road network has been affected
21 negatively by the earthquake, and we analyzed
22 selective deterministic scenarios and uncertainty
23 analysis of the unmitigated STSBO.

24 Next slide. Sequoyah has a very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consistent river valley wind direction pattern in
2 the near field. The north-northeast to the south-
3 southwest directions shown on that figure at the
4 right also mimic that 91 meters. We reviewed the
5 site meteorological tower data from 2008 through
6 2012 and selected 2012 as the best representative
7 year for weather data. MACCS has a requirement for
8 one full year of weather data.

9 2012 was selected because it had a very
10 high data recovery rate and also because the
11 precipitation was the closest to the mean for the
12 five-year span. This quick weather data compare
13 very well with longer-term data from Chattanooga at
14 a national weather station site, with one
15 exception. Sequoyah is a little bit dryer than the
16 Chattanooga --

17 MEMBER BLEY: I've got a question.
18 This wind blow is kind of up and down the Tennessee
19 weather. It meanders a little bit. The EPZ is out
20 to 10 miles. At about 15 miles, we're getting into
21 the suburbs of Chattanooga, 20 to 25 miles we've
22 picked up most of Chattanooga. Does the model
23 leave the EPZ meander along the river, or does it
24 assume the winds are going straight, regardless of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how the river is bending?

2 MR. THOMPSON: I think the model is a
3 straight line gassing plume segment, so the weather
4 sampling encompasses releases going at a particular
5 direction, for example north-northeast, at the
6 first hour of release. As that plume would keep
7 going in that direction, but, as the wind shifted,
8 the model allows for the wind moving different
9 directions at different times.

10 MEMBER BLEY: But that's all based on
11 this wind right at the site. It doesn't worry that
12 ten miles away --

13 MR. THOMPSON: Well --

14 MEMBER BLEY: I'm just wondering how
15 you pick up the population at Chattanooga properly.

16 MR. THOMPSON: Right. This is the
17 site-centric wind rows, and, while I would say, you
18 know, it governs it if we were to sample many, many
19 hours, the weather sampling regime includes, it's a
20 semi-representative because binning includes wind
21 speeds and directions and stability classes that
22 would encompass a number of different directions.
23 So --

24 MEMBER BLEY: But all based on what's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going on right at the site? It doesn't have a
2 river valley model in it or a channel --

3 MR. THOMPSON: Right. It does not.

4 MEMBER BLEY: -- which is, at least it
5 would seem to me, most likely what happens if it's
6 head off down the river channel.

7 MR. THOMPSON: Right. And it's also
8 going to, you know, have some buoyancy and go up
9 and then be affected by the vertical wind fields --

10 MEMBER BLEY: That's true.

11 MR. THOMPSON: -- you know, above. So
12 did that answer your question?

13 MEMBER BLEY: Kind of. We'll come back
14 to this a little later. If it comes up like three
15 slides from now, I'll have a lot more questions
16 about this. CHAIRMAN STETKAR:

17 Shannon, before you leave meteorological data, I
18 know you selected 2012. That's an average year,
19 and you got decent return on your hourly data. The
20 thing that struck me is that in 2012 the
21 precipitation was a little over 39 inches. In
22 2010, it was like 25.5, and in 2011 it was like 53
23 inches. And if you look at the -- you have nice
24 plots in there about monthly precipitation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There's a huge variability in precipitation, not so
2 much in the 2012 which is kind of a nice vanilla
3 year.

4 Now, I understand that the model likes
5 to have hourly data, but you do sample from bins.
6 Wouldn't it be better for an uncertainty analysis
7 to capture more than 8,760 individual hours, throw
8 those into bins from 1.0 years, wouldn't it better
9 to capture five years of data, 8,760 hours times
10 0.97 or whatever, and throw those into the same
11 bins that you sample with, so you show a much
12 larger variability?

13 MR. THOMPSON: The quick answer to that
14 is, yes, it would be better if it had more data to
15 sample.

16 CHAIRMAN STETKAR: Well, you do.

17 MR. THOMPSON: But that's a model
18 limitation at this point. I think --

19 CHAIRMAN STETKAR: No, I'm sorry. You
20 still sample from bins, though, right?

21 MR. THOMPSON: That's correct.

22 CHAIRMAN STETKAR: You can still bin
23 them.

24 MR. OSBORN: Hi, this is Doug
Osborn. There have been analysis done in the past,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you know, obviously not in a SOARCA, that have
2 looked at sampling from five years' worth of data.
3 And, again, since we're reporting our results as
4 mean weather, if you were to take, for example, all
5 of these and apply a mean average, you're still
6 going to wind up essentially having very similar
7 types of results. Now, they may change, but,
8 overall, the trends and everything that we're going
9 to see for latent and early fatality risks are
10 essentially going to be the same.

11 CHAIRMAN STETKAR: Okay, thank you.

12 MR. THOMPSON: Next slide, please.
13 This slide is just to really give an overview of
14 some of the population information and to define
15 the cohorts. The table at the left shows the
16 cumulative population and population density at
17 various distances from the plant. And for example,
18 at 15 and 20 miles, you can see that the population
19 density goes up, which would incorporate the
20 population of Chattanooga. And then at about 50
21 miles, the population density goes back down,
22 reflecting the regional population in the area.

23 The table at the right lists the
24 cohorts model. There are eight cohorts in this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Sequoyah SOARCA study, and these include schools;
2 special facilities; transit-dependent evacuees; and
3 the general public; which includes the early,
4 middle, and tail fractions; shadow evacuees from 10
5 to 15 miles; and the non-evacuating public. For
6 zero to ten miles, non-evacuating public is just a
7 0.005 fraction, and the 10 to 15-mile non-
8 evacuating public is 80 percent. And beyond 15
9 miles, everybody is considered non-evacuating.

10 CHAIRMAN STETKAR: Why in the SOARCA
11 study, because you didn't do this in Surry or Peach
12 Bottom, why do we now have the cohort 4, which is
13 the early evacuees, when we've never had these
14 before?

15 MR. THOMPSON: That's a good question.
16 I noted that you mentioned that in the earlier
17 conversation.

18 CHAIRMAN STETKAR: Could hear more
19 about it but . . .

20 MR. THOMPSON: There are a couple of
21 different cohorts here than were presented in the
22 previous SOARCA studies, and one of the things is,
23 for the general public, that is cohorts 4, 5, and
24 6, we had evacuation time loading curves, traffic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 loading curves, that the 2013 Sequoyah ETE report
2 broke down into 50-percent loaded, 90-percent
3 loaded, and 100-percent loaded. So it was handy
4 information. They gave, basically, a band that
5 would say, for example, the early cohort would
6 depart between 15 to 65 minutes, so we chose the
7 midpoint of that time, 40 minutes and rounded up to
8 the nearest quarter-hour interval. A couple of
9 slides from now, we'll have the time line, and
10 those are broken into 15-minute increments.

11 MEMBER BLEY: Yes, I don't know where
12 to ask. I've got a whole bunch of questions on
13 this chapter. I'm going to ask a few of them now
14 and then save a few for later. Since cohort 4 was
15 brought up, I have a couple of things. I find, as
16 I read it, I think I see inconsistency. One
17 inconsistency with cohort 4, it appears to me, is
18 that you set these guys off as soon as they hear
19 the first siren. They're getting ready to go.

20 The first thing that seems inconsistent
21 is when you define the cohort you say, well, part
22 of the reason we turn it loose is because they've
23 been all shaken up by the earthquake and that
24 probably means they won't get many of the messages

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that are sent out, so they just go on the siren.
2 They know there's been a big earthquake, so they
3 go.

4 A little bit later, you talk about
5 keyhole evacuation, which is what you do. But
6 you've already got 40 percent, almost half of the
7 people, heading out, so they aren't going to hear
8 anything about keyhole evacuation. They're all
9 going to be on the road.

10 Another thing that bothers me, the
11 model assumes all the bridges inside the ten miles
12 are gone. If you live around there, and I've
13 driven around there a whole lot, the main ways you
14 know in and out, even if you live there, aren't
15 working. But they aren't going to know that, so
16 I'm going to go driving down the road until I find
17 a bridge that's out. I'm going to have to turn
18 around by now all the other half of the people
19 inside this area that are taking off or piling up
20 behind me. By the time you get emergency
21 responders out there, we've already got one doozy
22 of a traffic jam, and here we're assuming this
23 early cohort is moving fastest of all because the
24 roads are clear and they're getting out, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're running into all these dead ends and having
2 to find their way out without any help.

3 So by the time you get to your main,
4 well, what one would think is the main cohort,
5 number 5, but it's only 30 percent of the people,
6 you've probably got a general mess, and I don't see
7 any recognition of that in the discussion.

8 CHAIRMAN STETKAR: Well, there's a good
9 chance that the cohort 5 also leaves before the
10 general evacuation sirens go off, if you look at
11 the time lines.

12 MR. THOMPSON: I guess I would say,
13 when you say inconsistencies, it's inconsistencies
14 in the thinking and modeling or inconsistencies
15 with what was --

16 MEMBER BLEY: There's two kinds. The
17 thing I just talked about without the bridges and
18 that kind of stuff is I think an inconsistency in
19 modeling. But you haven't accounted for what these
20 people are going to run into with the bridges being
21 out because I think the model assumes they'll just
22 get on the road and drive the best way out, which
23 they won't have a clue about the best way out.

24 MR. THOMPSON: In the upcoming slides,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we'll talk about that inconsistency in traffic re-
2 routing.

3 MEMBER BLEY: Okay. But at this point,
4 probably the emergency responders aren't out to
5 help on the roads by the time these guys are out.
6 Some inconsistency in what I see written is, a
7 little later in the section on response time lines,
8 we talk about cohort 4 and we say, well, you know,
9 they already know about the school evacuations and
10 other media broadcasts, so they're going to be
11 responding that way. But in the definition, we
12 said they don't know about that, they're just going
13 on the sirens. So there's several things like
14 that.

15 And I don't know about you, but I think
16 most people, if they're parents and they don't know
17 what's happening with their kids, the assumption
18 that half of them are going to beat feet for the
19 boonies without worrying about their kids seems
20 wildly optimistic to me, especially if they're not
21 hearing anything because of the problems with
22 communications.

23 MR. THOMPSON: Okay. So let me respond
24 first just about the cohort definition, and then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'll address some of those other ones in the next
2 couple of slides. Is that okay?

3 MEMBER BLEY: That's a good place to
4 start.

5 MR. THOMPSON: Okay. So the cohort
6 definition, cohort 4 is modeled to basically feel
7 the large seismic event. The ETE said that there
8 would be a relatively large fraction that was ready
9 to depart early, so we originally built it --

10 MEMBER BLEY: The ETE is the --

11 MR. THOMPSON: The evacuation time
12 estimate.

13 MEMBER BLEY: That's from the state?

14 MR. THOMPSON: That is from, Arcada is
15 the contractor to TVA, yes.

16 CHAIRMAN STETKAR: Did the ETE study
17 specifically evaluate large seismic events, or is
18 this a sunny day ETE?

19 MR. THOMPSON: No, it's a sunny day
20 ETE.

21 CHAIRMAN STETKAR: So they thought the
22 bridges were all there?

23 MR. THOMPSON: Right. And we'll talk
24 about that in the next slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: And they thought the
2 sirens were working, and they thought everything
3 was good.

4 MR. THOMPSON: Right. And so we
5 started from the ETE report, added the layer of
6 complexity of large seismic event and subsequent
7 damage.

8 CHAIRMAN STETKAR: By the way, do we
9 know that the sirens work after a large seismic
10 event? I mean, the model obviously knows they work
11 perfectly, but do we --

12 MR. THOMPSON: I'm not sure about after
13 the large seismic event. Maybe someone else can
14 speak to that. But the test of the sirens that are
15 done for regular exercises has a very high --

16 CHAIRMAN STETKAR: They apply a .5 g
17 earthquake to the sirens during the --

18 MR. THOMPSON: I would have to speak to
19 my colleagues and --

20 MS. SANTIAGO: You know, we did ask
21 that question, I think, when we were at the site,
22 and we also were working with Joe Jones who was
23 formerly at Sandia National Labs, and that question
24 did come up. I think we believe that the poles

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would stay in a seismic event that the sirens were
2 placed on, and Keith Compton is coming up to the
3 microphone. Maybe he has additional information.
4 We can look into the other information, as well.

5 MR. COMPTON: This is Keith Compton
6 from the Office of Research. I work with Shannon
7 on MACCS. One of the other things to think about -
8 - first off, I will acknowledge this is an area of
9 modeling uncertainty, so we know that there's --

10 MEMBER BLEY: Yes, I'll go along with
11 that.

12 MR. COMPTON: Yes, so that's
13 understood. With regard to sirens, one of the
14 things, it's my understanding is that one of the
15 roles of sirens is simply to alert people that
16 something is happening so that they will turn on
17 the televisions, they'll turn on the radios, and
18 try to seek out information. I think part of the
19 logic here is that if you had this large
20 earthquake, it would be natural to start finding
21 information and people would start finding out
22 information --

23 MEMBER BLEY: That's generally true,
24 but we define cohort 4 as probably we have troubles

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with those communications, so they're just going to
2 go on the siren.

3 MR. COMPTON: Right. And the other, I
4 guess the other thing that I would add into this
5 and Shannon, I think, is going to talk more about
6 this later, he kind of alluded to it on the issue
7 of loading curve. Part of the consideration of the
8 cohorts is they're not kind of considered in
9 isolation. The general public is going to evacuate
10 in a dispersed manner, some people leaving early,
11 some people leaving late.

12 So part of the modification of the
13 cohorts from the evacuation time estimate is
14 adjusting all of the cohorts. So as he said, he
15 started out with the kind of early people, the
16 middle, and the late. So some of it is moving some
17 people early, but it also involves moving the
18 middle and tail later for reasons of traffic
19 congestion and stuff like that.

20 So at least from a model point of view,
21 when I look at the results, I look at the effect on
22 kind of all of the cohorts. So the effect of the
23 earthquake seems to be to disperse the loading
24 curve. Instead of having, you know, the later

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leaving shortly after the first, not because of the
2 earthquake, some are leaving sooner and some are
3 leaving much later, so it's kind of spreading out.

4 MEMBER BLEY: That's probably a bit
5 reasonable. I think also on this cohort 4, because
6 it kind of bothers me that, well, now, we've got
7 this big earthquake and we're seeing more people
8 are moving earlier than usual, and it's a lot of
9 anecdotal information from earthquakes about how
10 people react. And probably the first thing you
11 think about isn't the nuclear plant down the
12 street. It's probably your family and your house
13 and what the heck just happened. This is an
14 earthquake like none of us have been in, and I
15 lived in Southern California and got shaken quite a
16 few times, but this is a whole lot worse than that.
17 This earthquake that can do the damage we're seeing
18 at the plant and all these bridges, you're not
19 standing up. You're thrown on the ground and
20 you're really confused. And to make the leap and
21 say half the people are going to be on the road
22 much more quickly than under another situation
23 seems unjustified.

24 CHAIRMAN STETKAR: I don't think we saw

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 big exoduses from the city of San Francisco, the
2 city of Oakland, the city of Los Angeles during the
3 earthquake up north or the North Ridge earthquake
4 down south. People weren't leaving. My cousin
5 lived very close to the North Ridge epicenter, and
6 they have large storage facilities that have been
7 in the news up in that area and people didn't seem
8 to be concerned that they were going to blow up.
9 They kind of stayed around and protected their
10 property.

11 MS. SANTIAGO: Shannon, didn't you do a
12 sensitivity where there was less people going and
13 so --

14 MR. THOMPSON: I did, and I will get to
15 that.

16 MS. SANTIAGO: Yes, he got grilled
17 before we came here on this particular . . .

18 MR. THOMPSON: This is well taken in
19 the earthquakes and --

20 CHAIRMAN STETKAR: I think what we're
21 saying is there might be a case where, because of
22 the earthquake, yes, maybe a few people might leave
23 early. Not 40 to 50 percent of the entire
24 population but a few people might leave earlier

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than they would have otherwise. Maybe a lot more
2 people might hang around until people come out and
3 say, hey, get the heck out of here, and nobody is
4 hanging around that long. Most of it is not
5 hanging around that long because --

6 MR. THOMPSON: That is the sensitivity
7 that we did was to shift a large fraction of the
8 cohort into the middle, to cohort 5.

9 CHAIRMAN STETKAR: But even cohort 5,
10 once you pull up slide number 99, even cohort 5 is
11 leaving before, a good probability before the
12 general evacuation emergency sirens. Not on that.

13 MEMBER BLEY: On what?

14 CHAIRMAN STETKAR: On the uncertainty
15 distributions about when they actually, the low-end
16 tails of when they get going.

17 MEMBER BALLINGER: What kind of
18 exceptions are you making with regard to ability to
19 leave? I mean, if it's a big earthquake, your
20 automobile might not exactly be --

21 MR. THOMPSON: Okay. So there are a
22 number of assumptions, and, actually, Tina, could
23 you go back to the previous slide. Let me walk
24 through this, and I think we'll touch on some of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these things. So this is a map, at left is a map
2 of the EPZ at Sequoyah. Sequoyah is the red star
3 at center on the Tennessee River. Lake Chickamauga
4 sort of divides the area into eastern and western
5 halves, and for traffic road capacity analysis we
6 further sub-divided it into quadrants: northwest,
7 northeast, and so on.

8 I believe it was in CPRR, I'm not
9 really sure, but one of the other studies, one of
10 the feedbacks was that we should include a large
11 seismic event as a starting point and the road
12 impacts to that, rather than the sunny day scenario
13 which is potentially very overly optimistic.

14 So we assumed the bridges within the
15 EPZ are unusable, and here's a pictograph showing
16 most of the bridges within the EPZ.

17 The road capacity analysis, part that
18 was performed at Sandia National Lab and also I
19 worked with Todd Smith to use, I believe it's
20 called RtePM, to verify. As part of what they do
21 for the EPZ, they show the effect of a major
22 blockage of one of the major exit routes. I
23 believe it was Route 58 headed south. And you can
24 see, you know, there are alternate routes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In this case, with this many bridges
2 down, there were many, many alternate routes. And
3 as you suggested, people, you know, had to go
4 someplace and then turn around and figure out
5 another way.

6 MEMBER BLEY: I mean, if you're out in
7 front and had detour signs, that would be
8 different. But you're not.

9 MR. THOMPSON: If you're the first,
10 then that's not the way it's going to be. But we
11 kind of feel like we addressed it in two ways, and
12 one is that the evacuation speeds in general are
13 much slower than -- so even for the evacuating
14 cohort, we're talking about an average speed of,
15 the first cohorts, we're talking about an average
16 speed of five miles per hour.

17 Now, to this --

18 MEMBER BALLINGER: What if they're
19 walking?

20 MR. THOMPSON: We didn't account for
21 that. And to your question about, you know, a tree
22 being down or a house being down on your car, we
23 don't really have the modeling capacity to deal
24 with that. We can only assume that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: On the other hand, in
2 real emergencies, we find a lot of people helping
3 each other.

4 MR. THOMPSON: Exactly. And somebody
5 else mentioned a tree going down and somebody might
6 have a chainsaw or something like that.

7 MEMBER BLEY: There's one thing that
8 jumped at me, though. You've got two major
9 freeways down in this part of the country, 27 is
10 also a freeway and I-75. A lot of traffic on that
11 is piling up because they're all coming up to get
12 bridges. I don't know how many people that amounts
13 to, but did you think about them?

14 MR. THOMPSON: Actually, no, we did
15 not. This is focused of getting people out of the
16 EPZ --

17 MEMBER BLEY: Okay. But a lot of the
18 locals would have jumped up on it until they found
19 they couldn't get on it or couldn't go anywhere.

20 MR. THOMPSON: Right. The road
21 capacity analysis that was done, for example, the
22 northeast quadrant is not very populated, so those
23 folks would be getting out pretty easily. In the
24 south, towards the town of Harrison, and getting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out to the east side of the river, but those areas
2 would be, you know, very crowded and there would be
3 lots of re-routing.

4 And so as to the last two bullets, the
5 original sunny day estimate was on the range of,
6 winter weekday to summer weekend, was on the range
7 of five to six hours after being announced and all
8 that, so we sum it up as being about eight hours
9 from. And we added a lag to certain cohorts and
10 reduced the speeds pretty greatly, and it increased
11 the overall departure by 50 percent.

12 MEMBER BLEY: Okay. I'm just thinking
13 out, those two big roads are the ones I was
14 thinking about. You have people that are stranded
15 between bridges, so somebody will have to come and
16 get them somehow. I don't know if that's a lot of
17 people or not. Depends on the day it happens. It
18 can be really crowded roads and really not.

19 CHAIRMAN STETKAR: I have no idea how
20 MACCS works, but, you know, you have the 20 percent
21 shadow evacuation outside of the EPZ, right? And,
22 again, I'm thinking Chattanooga, Tennessee. Both
23 of those roads are now clogged up by people because
24 there are big rigs that are backed up, there's all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 kinds of stuff that's backed up. Can people in
2 Chattanooga, your 20 percent, get out as easily?
3 Because they're certainly not going to head toward
4 the plant if they know what's going on. But even
5 if they're trying to head away from the plant, if
6 they're the major arteries and they're backed up,
7 are they going to be able to get out?

8 MR. THOMPSON: We did not consider the
9 secondary effect of traffic within the EPZ to those
10 people outside of the EPZ.

11 MEMBER BLEY: Probably the model thinks
12 all of the bridges outside of the EPZ are there and
13 all the ones inside are gone. I don't know if you
14 model anything on the outside of the EPZ. You
15 talked about hot spots, and if you project an area
16 over 5 rem that people get moved out. Are there
17 any hot spots in Chattanooga? We couldn't tell. I
18 couldn't see. To the people who didn't see it,
19 it's just southwest of where we were looking, about
20 half, again, as far.

21 MR. THOMPSON: The risk results are
22 radially averaged, and so --

23 MEMBER BLEY: Okay. So you can't see
24 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. THOMPSON: I didn't, you know, plot
2 concentration --

3 MEMBER BLEY: We don't have an isopleth
4 that shows where the dose ends up?

5 MR. THOMPSON: No, we do not.

6 MS. GHOSH: We do know that there's a
7 location, so I can't answer the hot spot. But we
8 did very recently look and there's two relocation
9 criteria outside of the EPZ. It's the hot spot,
10 which is the 5 rem, as you mentioned, and there's
11 also --

12 MEMBER BLEY: And the 10 to 15-mile
13 one, right?

14 MS. GHOSH: Yes. In fact, it could be
15 anywhere within 50 miles, but you do see people who
16 are getting relocated but not during this
17 evacuation period but at the time that they would
18 because they've hit that normal relocation
19 criteria. The hot spot I don't know outside of --

20 CHAIRMAN STETKAR: When do those kick
21 in in the model? Now we're talking about models.
22 If I think, you know, the earthquake happens at t0.
23 When does the model, there's an uncertainty
24 distribution for how long it's going to take to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 vaporize the population. They're removed
2 immediately, the population, at that time. But
3 what triggers that?

4 MR. COMPTON: All right. We're just
5 going to jump into a little bit, and I'll say a
6 little bit about --

7 CHAIRMAN STETKAR: Identify yourself.

8 MR. COMPTON: I'm sorry. This is Keith
9 Compton, Office of Research. I'll say a little bit
10 about modeling capabilities, and then I think Doug
11 can say a bit more, as well, about this particular
12 analysis.

13 The relocation models in MACCS are
14 going to apply to kind of anyone that's not
15 evacuated. And what they'll do is they'll relocate
16 people. So for hot spot relocation, it will do a
17 dose projection and, if you exceed 5 rem, it will
18 relocate you at the time that you tell it. And we
19 put in I think for hot spot relocation a fairly, I
20 think it was something like 24 hours. Okay. So
21 those people basically receive 36 hours of exposure
22 before they're relocated. So the folks that are
23 not in shadow evacuation, the 80 percent that don't
24 shadow evacuate, or any one in the EPZ who, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, the 0.5 percent that don't evacuate, they
2 would basically be getting, you know, that kind of
3 exposure before they were taken away from the
4 calculation.

5 What the outputs that we've added to
6 MACCS recently is kind of a diagnostic output is
7 that we then look at the number of people that were
8 relocated by that criteria. We can look at how
9 many people were relocated by hot spot by normal,
10 and we can look at how many people within the 10
11 miles, how many people within 15. And so you can
12 start getting a sense of how, you know, how far out
13 did these doses.

14 I have not looked at -- there are many
15 outputs in MACCS. I have not looked at all of
16 them, so I don't know how many people were
17 projected to be relocated in these simulations.
18 But that's the capability that we have to look at.

19 CHAIRMAN STETKAR: Some of the concerns
20 that we were thinking about is, you know, you have
21 these, it's a, you know, these concentric rings, as
22 if they're brick walls. My suspicion is that if
23 somebody decides in the real world that some
24 fraction of the city of Chattanooga is at risk,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Chattanooga is going to become a ghost town.
2 They're going to evacuate the entire city. They're
3 not going to evacuate within those little
4 concentric rings. That's why I was curious about
5 how the model actually moves those people and when
6 it moves it.

7 MR. COMPTON: The model basically, and,
8 again, just going to what the model does, the model
9 basically moves people when you tell the model to
10 move people. Now, what it will do, for evacuation,
11 for example, it won't model the traffic flow. You
12 go in and tell it what the speeds are, what the
13 routes are. So you have to, in advance, due these
14 analyses to kind of figure out what's reasonable to
15 account for different kinds of things.

16 You know, again, for the relocation,
17 the model essentially just says, okay, it's a
18 pretty old approach. Okay. We're going to assume
19 that after a sufficiently long period, we'll
20 prevent people from getting extremely long, you
21 know, a very large exposure. And the model will
22 move them if needs to. It will move as many people
23 as it needs to move, and that's why it's important
24 to go and look at the outputs to make sure that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's --

2 MR. OSBORN: This is Doug Osborn from
3 Sandia National Labs. The actual evacuation model
4 I implemented. So beyond 10 miles, we assumed that
5 no bridges failed. And the model is set up such
6 that you're going to wind up packing everybody on
7 to, ultimately, the interstates or major U.S.
8 routes is basically how we set it. And, again,
9 it's those concentric rings. And as you get
10 further out, it gets to be a much larger land mass.
11 And, again, I did my due diligence in trying to
12 guide everybody, and, ultimately, you will have
13 these major congestion areas during the evacuation.
14 But, again, as you move further out, those
15 hopefully will become less and less of a problem.

16 MEMBER BLEY: I don't know if it's an
17 odd question or not. We had some interaction with,
18 I think it was here, with FEMA people at one point
19 who claim that, before anybody does any kind of
20 evacuation, they have to certify that it's safe to
21 follow the road. Does that somehow get abated in
22 this kind of situation, or has anybody thought
23 about that --

24 MR. THOMPSON: I think that all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 emergency evacuations are sort of local outward,
2 and FEMA, sort of local offsite authorities would
3 be involved, including sheriff, Hamilton County,
4 Bradley County. And then, you know, when I think
5 FEMA, from a limited exposure sense, I'm thinking
6 then kind of it's the calvary from Washington or
7 wherever --

8 MEMBER BLEY: Well, that's what I
9 thought, too, until I heard this presentation that
10 says I have the ability to declare areas -- yes, I
11 don't think I would use the roads because of the
12 damage from the earthquake.

13 MR. THOMPSON: We have done that in a
14 lump fashion by saying that a certain fraction of
15 them are going to be unusable that, if people
16 aren't out because of the quick access to the
17 roads, some people are going to have to find that
18 out for themselves. So, we included rerouting.

19 MEMBER BLEY: Okay. I'm going to put
20 one more question on the table, but I will let you
21 go until you get to it.

22 MR. THOMPSON: Okay.

23 MS. SANTIAGO: Can Todd answer what you
24 were just speaking to?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: Sure.

2 MR. SMITH: Yes, Todd Smith, Emergency
3 Preparedness Specialist, Office of Nuclear Security
4 and Incident Response.

5 We helped Dr. Shannon here. What would
6 be the impact of the evacuation from the earthquake
7 scenario? First of all, we validated that two
8 ways.

9 One, from the evacuation time estimate,
10 there was a separate roadway impact study. That
11 was done using a microscopic simulation model that
12 actually tracks each vehicle on the highest-
13 capacity road, which in this case was State Road 58
14 heading toward Chattanooga. The assumption there
15 is that the road is completely blocked and the
16 people have to bring themselves around that area.
17 Okay? That takes about another three, three-and-a-
18 half hours.

19 And then, the second way we validated
20 it is a macroscopic model where we modeled the
21 whole area and, again, took out the same bridges
22 that they assumed in their hand calculation. When
23 we ran that calculation, we got similar, exact same
24 results as far as the time it would take for people

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to work around the road closures.

2 The other question, though, about
3 health giver actually paid for the locals to
4 respond, we have reviewed some event reports from
5 earthquakes in California and in other areas, and
6 find that usually it only takes a couple of hours
7 for the crews to be out there cleaning the roads.
8 Even the people get out there themselves and move
9 the obstructions out of the way, so they can get
10 moving.

11 MEMBER BLEY: California hasn't had an
12 earthquake in the last 100 years.

13 MR. SMITH: Yes, and the interesting
14 thing with California is that, with this assumption
15 that the bridges fail, that's what was happening in
16 California. The bridges were failing. The roads
17 were passable.

18 Now California has done so much with
19 strengthening the bridges, you find the bridges are
20 okay. But in a region like Tennessee we would
21 expect to see the bridges would fail, but the roads
22 would be passable.

23 And there was a recent earthquake up in
24 Alaska, 7.1, just in January, and that is exactly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what we saw. The roads were slightly damaged, but
2 still passable.

3 MEMBER BLEY: Okay. Thanks.

4 The question I would like you to get to
5 somewhere in your talk -- can you see that
6 picture?

7 MR. THOMPSON: Uh-hum.

8 MEMBER BLEY: It is the one that
9 shows the keyhole thing.

10 MR. THOMPSON: Right.

11 MEMBER BLEY: When you talk, I would
12 like to understand how you, because they seem
13 separate, how you overlay these cohorts on this
14 keyhole idea, especially Cohort 4.

15 MR. THOMPSON: Okay. So, let me
16 address this slide and --

17 MEMBER BLEY: And the schools, I guess,
18 1 and 2 as well.

19 MR. THOMPSON: Okay. So, looking at
20 this graph, we are tracking the evacuation
21 timelines and travel speeds, as they were modeled.

22 MEMBER BLEY: And these are like median
23 times or something?

24 MR. THOMPSON: Right. These are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 average speeds, depending upon the phase of the
2 progression. The timeline on the bottom, zero is
3 the accident initiation, is the initiating event,
4 the earthquake. The SAE and SAE sirens and GE and
5 GE sirens are provided for reference. And then,
6 the yellow is considered normal activity. Blue is
7 sheltering. Green and orange are the evacuation
8 timelines with the speeds inset in miles per hour.

9 The schools are notified at SAE. And
10 so, we are assuming that those students are going
11 to be sheltering. The period that they are
12 sheltering is probably overly-conservative. The
13 reason for that is --

14 MEMBER BLEY: You might say "overly-
15 long". Is that what you mean?

16 MR. THOMPSON: Yes.

17 MEMBER BLEY: Overly-long?

18 MR. THOMPSON: Overly-long.

19 MEMBER BLEY: I don't know if it is
20 conservative or not because they have to go outside
21 if they are not sheltered.

22 MR. THOMPSON: Okay. Overly-long blue
23 period.

24 Let me come back to that. Let me walk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through these, and then, I will talk about the
2 schools specifically.

3 MEMBER BLEY: Okay.

4 MR. THOMPSON: So, the Cohorts 2 and 3
5 are the medical facilities and transit-dependent.
6 Transit-dependent just means people don't drive,
7 but we are mostly assuming elderly. Those cohorts
8 are considered to be sheltering at the time and
9 don't come out.

10 Cohort 4, which we will talk about just
11 in a moment, does go on SAE sirens and feeling the
12 quake. We can even talk about that off the table
13 after.

14 Cohort 5 is the general public.

15 Cohort 6 is the general public tail,
16 the final 10 percent.

17 CHAIRMAN STETKAR: And again, for the
18 record, Cohort 4 is 40 to 50 percent, depending on
19 where you read in the report, but it is in that
20 order.

21 MR. THOMPSON: It's approximately 40
22 percent of the total zero-to-10-mile population.

23 CHAIRMAN STETKAR: Okay. And Cohort 5
24 is the rest of them. So, when you talk about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 general public of 5, it is almost the other half of
2 the people.

3 MR. THOMPSON: Uh-hum.

4 CHAIRMAN STETKAR: So, 4 and 5 are,
5 basically, about the same number of folks each.

6 MR. THOMPSON: Thirty-eight thousand
7 people each.

8 CHAIRMAN STETKAR: Yes, but, I mean, it
9 is not correct to think of Cohort 4 as a small
10 fraction of the population. It is almost half.

11 MR. THOMPSON: Okay.

12 CHAIRMAN STETKAR: And 5 is almost the
13 other half, except for the people who decide not to
14 move.

15 MR. THOMPSON: Right.

16 MEMBER BLEY: Well, the 10 percent who
17 are --

18 MR. THOMPSON: Cohort 7 is the shadow
19 evacuation in the 10-to-15-mile zone.

20 As I mentioned, there are color codes
21 for the activities. Yellow is considered normal
22 activity. Blue is sheltering. Green and orange
23 are the evacuation speeds by phase.

24 One thing to be reminded about is these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 times, these speeds and evacuation delays are also
2 considered in the uncertainty analysis. And so,
3 they are varied for all these cohorts.

4 Under this set of assumptions, 100
5 percent of the evacuees exit in approximately 12
6 hours, and about 90 percent exit the EPZ in about
7 nine hours.

8 As I mentioned, we have a sensitivity
9 study that we have done that didn't make it into
10 the report. But, there, we shift the fraction of
11 Cohort 4 from 50 percent of the general population
12 down to 20 percent of the general population and
13 move everybody else into Cohort 5, the middle.

14 MEMBER BLEY: Including the school kids
15 because they aren't in school?

16 MR. THOMPSON: No, the school kids were
17 still modeled as --

18 MEMBER BLEY: Okay. So, it is always
19 the daytime? Okay. Go ahead.

20 CHAIRMAN STETKAR: Suppose you've
21 moved, instead of getting 20 percent of the people
22 out of there, 1 in 5, suppose you made everybody
23 Cohort 5. How would the results change? Do you
24 know?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. THOMPSON: Yes. I can just speak
2 off-the-cuff for that --

3 CHAIRMAN STETKAR: Yes.

4 MR. THOMPSON: -- because Cohort 5, if
5 you look at the evacuation timeline and you see
6 they are coming in at about eight-fifteen, eight-
7 and-a-half hours, is kind of close to the median of
8 all the evacuations. If we lump everybody in 5,
9 the risk results probably wouldn't change that
10 much. Obviously, it would be cohort, but the
11 emergency phase may go down some in some instances
12 because the non-evacuatees get a larger fraction of
13 the dose during the emergency phase. So, if we
14 lumped everybody into 5, it would probably be
15 similar risk results, but slightly lower in the
16 emergency phase results.

17 CHAIRMAN STETKAR: Okay.

18 MR. THOMPSON: Okay. Next slide,
19 please.

20 Now earlier you have seen several
21 horsetail plots showing cesium and iodine releases.
22 This is three selected cases shown on one
23 environmental release profile. It shows the
24 cumulative environmental release fractions of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cesium in the dashed line and iodine in the solid
2 lines. Unfortunately, here the dashed lines aren't
3 showing up.

4 CHAIRMAN STETKAR: Turn your microphone
5 on, because whenever you speak, you've got to be on
6 the microphone.

7 MS. GHOSH: Yes, I apologize. For some
8 reason, the dashed lines don't show up in the
9 presentation view. But I will just show you this,
10 so you will have the mental image which ones are
11 the dashed lines. And I can go back to the
12 slideshow. I think the printouts are okay, right?
13 The printouts of the dashed lines came out. But
14 sorry about that.

15 MR. THOMPSON: Can you make that one
16 bigger, Tina?

17 MS. GHOSH: Yes.

18 MR. THOMPSON: Okay. So, the green set
19 of lines is an example on the early release for the
20 STSBO without random ignition. That is one of
21 those 400-and-some runs that was selected
22 particularly because it was an early release.

23 The blue lines show the results for the
24 LTSBO that Hossein talked about just a moment ago.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then, the red line is for the STO without
2 random ignition, an example of late release. Just
3 for reference, the cesium results happen to be
4 lower than all of the iodine results.

5 The reason why I wanted to show this
6 was to say that the release durations are also
7 important. As you can see, going out to 72 hours,
8 the early release begins at about four hours. And
9 so, we have 68 hours of cumulative release time.
10 The increase is happening at about eight hours and
11 at about 15 to 18 hours in that case. Similarly,
12 there are step functions with the LTSBO that
13 increase at 28 hours and another increase from
14 42 to about 48 hours. And then, on the STSBO
15 late release, the red one, there is a small,
16 almost leak-rate release beginning at four
17 hours and, then, a pulse release at 52 hours.

18 Just for reference, the cesium range
19 is from about -- the biocumulative release of
20 cesium ranges from about 2 to 6 percent and
21 iodine ranges from about 8 to 9 percent.

22 Next slide, please, Tina.

23 And these show the individual LCF risk
24 results. For these three cases, the early fatality

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 results were zero. The Y-axis is conditional risk.
2 On the X-axis is the distance from the plant.
3 Again, the red symbolizes the STSBO late release.
4 The green symbolizes the STSBO early release, and
5 the blue is the LTSBO.

6 These stacked column charts are further
7 fractionated between the risk results as a result
8 of exposure in the long-term phase, which are the
9 solid components, and the hatched are as a result
10 of exposure in the early phase.

11 Just to go ahead and address the
12 question about the results from the sensitivity,
13 where we moved Cohort 4 to be 20 percent and moved
14 everybody else into 5, the only real difference is,
15 it really doesn't matter for the STSBO late release
16 and the LTSBO cases because the interaction with
17 the plume isn't in play, but for the zero-to-10-
18 mile, the green bar there, the emergency phase
19 release basically doubles, taking that hatched part
20 to go from 8.5 E to the minus 4 to 9 E to the minus
21 4.

22 CHAIRMAN STETKAR: Did you start to
23 pick up early -- when you said early fatalities are
24 zero, they are statistically, as I look at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 results, there are some small likelihood. Did you
2 pick up more in that case at all?

3 MR. THOMPSON: For SOARCA, we don't
4 typically report early injury, but the early --

5 CHAIRMAN STETKAR: No, no, early
6 fatalities.

7 MR. THOMPSON: Right. Early fatality
8 results remain zero even --

9 CHAIRMAN STETKAR: Zero is the --

10 MS. GHOSH: That is the deterministic
11 case.

12 MR. THOMPSON: Right.

13 CHAIRMAN STETKAR: Oh, the
14 deterministic case. Okay.

15 MR. THOMPSON: Tina will be talking
16 about the --

17 CHAIRMAN STETKAR: Sorry.

18 MR. THOMPSON: So, as you look at the
19 red bars going further away from the plant, there
20 is a general slight decrease, zero to 10, 10 to 20,
21 zero to 50, but you see a proportionate increase in
22 the emergency phase for 10 to 40, which is the
23 people who didn't leave and there was some
24 interaction with the plume.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 For the early release, or the green
2 bars, you see, again, the fraction of about 8
3 percent of the risk comes from the emergency phase,
4 and zero to 10; that goes up to about 25 percent
5 and 10 to 20. And it is about 15 percent for the
6 whole zero-to-50-mile interval. The results for
7 LTSBO are somewhere in between the two STSBO cases.

8 And I think that is all I need to say
9 about that one.

10 The risk results have been shown, at
11 least in these three cases, to be a function of
12 release duration as well as magnitude and timing.
13 For these deterministic cases, the longer release
14 durations resulted in increased long-term LCF risks
15 near the plant, particularly near the plant. A lot
16 of releases are more widely dispersed because there
17 is more weather play. So, the wind shifts, the
18 stability can change. So, there is just greater
19 dispersion in general. More dispersion and more
20 dispersion in more directions leads to larger areas
21 of contamination, again, particularly close the
22 plant as the wind is shifting. This can result in
23 exposure to more people, which increases the long-
24 term LCF risk, particularly if the contamination is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just below the habitability criterion.

2 The next slide, please.

3 For the offsite consequence summary,
4 for these three deterministic analyses, the risk
5 results ranges from 5 to 9 E to the minus 4 for a
6 zero-to-10-mile region and, generally, decreased
7 with increasing distance from Sequoyah. The long-
8 term risk results dominate the emergency phase
9 risks. Obviously, it was higher for the early-
10 release cases. For these cases, the early fatality
11 risks are zero, and even in the case of very early
12 release, the risk of similar magnitude as the other
13 cases.

14 Did you have some other questions?

15 MS. SANTIAGO: No, we'll move on to
16 Tina.

17 MS. GHOSH: Okay. We're going to keep
18 going, hearing no questions.

19 If it's okay with you, I'm going to go
20 fairly quickly through the first couple of slides.

21 So, the parameters we looked at in the
22 uncertainty analysis, this time they are mostly
23 identical to what we looked at at Peach Bottom and
24 Surry. We added a couple of new parameters that I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't think it is worth discussing unless you want
2 to. We added one dispersion coefficient -- that is
3 asterisked -- and another parameter we forgot to
4 put in the tally, which was the amount of weather
5 hours projected that are used in the keyhole
6 evacuation. But neither of these new parameters
7 show up as important in any of our regressions.
8 So, if it is okay with you, I would skip ahead one
9 slide to the results, unless there is something you
10 want to talk about. Is that okay?

11 CHAIRMAN STETKAR: Well, I didn't have
12 a grasp on the Surry and I know less, much less
13 about this stuff. So, I figured all of this stuff
14 was coming.

15 In a couple of cases I got confused. I
16 don't know anything about the parameter itself, but
17 there are tables of the uncertainty distribution
18 parameters and there are figures that plot the
19 uncertainty distributions. In several cases the
20 figures did not seem consistent with the tables.
21 And I will just give you a reference because we
22 don't have these as handouts.

23 But, for example, if I look at the
24 ground shine factor, the composite ground shine

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 factor, if you look at Table 5-12 and Figure 5-12,
2 if I look at the values in Table 5-12, it says that
3 the -- I have now lost my place, so you'll have to
4 bear with me.

5 If I take the sheltering phase, it says
6 the 50 percent quantile -- I'm going to read the
7 right one here -- for the generation population
8 Cohorts 3 through 8 in Table 5-12, the .5 quantile
9 is a protection factor, if you will, of .2, right,
10 from Table 5-12?

11 MS. GHOSH: Uh-hum.

12 CHAIRMAN STETKAR: If I look at Figure
13 5-12 for the smooth curve, the uncertainty
14 distribution, the 50th percentile of the cumulative
15 distribution function is, for that same group, is
16 .1. That's a big difference. Some other places,
17 okay, I can handle small differences in smooth-
18 curve plotting. And there were a number of these
19 cases where, when I looked at the smooth-curve plot
20 versus the tabulated, if you will, best-estimate
21 upper and lower bounds, the median value was quite
22 a bit different than the tabulated median value.
23 The upper and lower bounds were always real close.

24 So, I wasn't sure what was going on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when you were plotting the distributions and, then,
2 what distribution was actually used in the study.
3 Because a factor of two on shielding, I have no
4 idea what this thing does in the model. I'm only
5 looking at tabulated sets of numbers versus plotted
6 distributions and identifying things that don't
7 seem consistent.

8 MS. GHOSH: Yes. Now thank you for
9 that. We will double-check that one.

10 CHAIRMAN STETKAR: Okay.

11 MS. GHOSH: I'm running out of steam,
12 too.

13 CHAIRMAN STETKAR: Yes. No, but the
14 first time in Surry I didn't look at any of these
15 things --

16 MS. GHOSH: Right.

17 CHAIRMAN STETKAR: -- because I just
18 ran of time.

19 MS. GHOSH: Yes.

20 CHAIRMAN STETKAR: So, this is the
21 first time and I suspect it is probably exactly the
22 same in Surry. I just didn't look at it. So,
23 that's why you're just hearing it this time.

24 MS. GHOSH: Yes, yes. No, thank you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for that. We will look into that, yes.

2 CHAIRMAN STETKAR: But check all of
3 that because there are a number -- I just happened
4 to note this one because it was the first one on my
5 list.

6 MS. GHOSH: Yes.

7 CHAIRMAN STETKAR: And I am not going
8 to list the other one. But there are several
9 instances where the zero percentile and 100
10 percentile matched the curve. When I look at the
11 middle part, it has shifted one way or the other.

12 MS. GHOSH: Uh-hum. Okay.

13 CHAIRMAN STETKAR: Okay?

14 MS. GHOSH: Yes, we will double-check
15 that.

16 CHAIRMAN STETKAR: Smooth curves,
17 what's -- well, you don't know.

18 (Laughter.)

19 MS. GHOSH: Well, we had an artist draw
20 the curves.

21 (Laughter.)

22 We like pretty "S's".

23 No, we'll definitely check that.

24 CHAIRMAN STETKAR: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GHOSH: Thank you for that.

2 CHAIRMAN STETKAR: Okay.

3 MS. GHOSH: Okay, yes, I will skip to
4 the results. So, first, I am reporting the
5 individual latent cancer fatality risk conditional
6 on the accident occurring. This table is for the
7 set that is without random ignition credited, and
8 the table on the next slide is random ignition
9 credited.

10 Just a reminder, these are actually the
11 distributions of the means that come out of the
12 weather distributions. So, they are means over the
13 weather valuation. This is a description of the
14 epistemic distribution at these intervals.

15 So, in these two tables, first, I am
16 showing concentric circular areas, so starting
17 centric around the plant. And then, after that, I
18 have a graph that shows the annular rings, also
19 centered around the plant.

20 Yes?

21 CHAIRMAN STETKAR: Also, just to get it
22 on the record to remind you, I looked quite a bit
23 also -- and again, because of time and we don't
24 have the tables and figures in front of us here --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on both the delay times and the evacuation speed on
2 certain distributions, several of them didn't quite
3 seem consistent. In other words, the same
4 evacuation speed might be used for a couple of
5 cohorts where it wasn't at all clear why they would
6 be the same based on this figure in terms of when
7 those cohorts would be moving relative to the
8 general congestion, if I accept the Cohort 4
9 leaving early, and so forth.

10 MS. GHOSH: Uh-hum.

11 CHAIRMAN STETKAR: And that's not this
12 curve-fitting thing. It doesn't make sense, given
13 when they are actually entering the flowstream, if
14 you will. So, check those also.

15 MS. GHOSH: We will check those, too,
16 yes. Thank you.

17 CHAIRMAN STETKAR: Thanks.

18 MS. GHOSH: In terms of the
19 distribution that you see considering any of these
20 radial intervals and the spread in the results,
21 they basically all fall within, I would say, a
22 relatively-narrow range to something just under 10
23 to the minus 4, which is the 5th percentile at 50
24 miles, up to just under 10 to the minus 3, which is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the 95th percentile at zero to 20 miles.

2 In the case where we credited random
3 ignition, actually, the distribution is very
4 similar, again, looking across all these different
5 radial areas. In this case, the lowest of the
6 lower bounds is a little bit lower, but,
7 essentially, we are talking about the same order of
8 magnitude in terms of LCF risk.

9 CHAIRMAN STETKAR: Tina?

10 MS. GHOSH: Yes?

11 CHAIRMAN STETKAR: If you go back to --
12 I've got too many notes here that I'm trying to
13 keep up with.

14 If you go back -- there.

15 MS. GHOSH: The with random or without?
16 Or does it matter?

17 CHAIRMAN STETKAR: With.

18 MS. GHOSH: With?

19 CHAIRMAN STETKAR: I have to put these
20 on, so I can see.

21 Without random ignition.

22 MS. GHOSH: Without, okay, yes.

23 CHAIRMAN STETKAR: Yes. Now, in the
24 zero-to-10-mile range here, the mean individual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 conditional latent cancer fatality value is 3.5 E
2 to the minus 4.

3 MS. GHOSH: Uh-hum.

4 CHAIRMAN STETKAR: And that's the
5 result from the uncertainty analysis.

6 In the report it says, well, okay, that
7 is somewhat lower than the corresponding result of
8 4.8 E to the minus 4 from the deterministic
9 analysis.

10 MS. GHOSH: Uh-hum.

11 CHAIRMAN STETKAR: You say, "somewhat
12 lower". Okay, but that's quite a bit lower to me.

13 MS. GHOSH: Uh-hum.

14 CHAIRMAN STETKAR: That's about 75
15 percent. Now the deterministic analysis I thought
16 was supposed to be using the best-estimate values
17 from each of the uncertainty distributions for the
18 uncertainty analysis. So, if that is the case, why
19 is the mean from the uncertainty analysis coming
20 out to be substantially different from the so-
21 called best-estimate analysis?

22 MS. GHOSH: Yes.

23 CHAIRMAN STETKAR: Why this one? I
24 mean, we know --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GHOSH: Right, right.

2 CHAIRMAN STETKAR: -- on the earlier
3 studies why that is, because the best estimate
4 certainly wasn't, but in this case I thought that
5 it was supposed to be.

6 MS. GHOSH: Yes. So, the way the
7 define the -- I don't even know what to call it --
8 the base case for the short-term, I'm going to get
9 a short-term station blackout, you're right that
10 the way that is defined is by the inputs going in.

11 CHAIRMAN STETKAR: Uh-hum.

12 MS. GHOSH: We know because there are
13 synergistic and threshold effects in our modeling
14 in both the accident progression and, I'll say, the
15 consequences side, that your best estimate, if you
16 were to do one calculation with your point
17 estimates, your best evaluation for each uncertain
18 input that you put in, is not necessarily going to
19 match very well the mean once you put all the
20 distributions on it and, then, promulgate that
21 uncertainty --

22 CHAIRMAN STETKAR: No.

23 MS. GHOSH: -- because it is not
24 Gaussian distribution of results as the other is.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think in the theoretical example, if everything
2 was normally distributed, you know, putting it in,
3 and your distribution is normally distributed --
4 but it's not quite that way.

5 CHAIRMAN STETKAR: Okay. Let me stop
6 for a second.

7 MS. GHOSH: Yes.

8 CHAIRMAN STETKAR: I mean, I have a
9 couple of questions here.

10 MS. GHOSH: Yes.

11 CHAIRMAN STETKAR: My first question
12 was, is this behavior -- and I have seen this
13 behavior in a lot of risk assessment models -- is
14 it simply because we did not perform a sufficient
15 number of samples? In other words, is this the
16 fact that we ran 400-and-some-odd realizations from
17 distributions that may or may not be fairly broad,
18 and we just didn't run enough -- it didn't
19 converge, do we know that? Did you do any
20 convergence checks?

21 MS. GHOSH: I don't believe convergence
22 is an issue.

23 CHAIRMAN STETKAR: You don't?

24 MS. GHOSH: No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: Okay. Then, you can
2 ask your question.

3 MEMBER BLEY: How did you pick the best
4 estimates? The last time around, you kind of said,
5 "Well, it didn't have anything to do with the
6 distribution. It was just what our engineer
7 thought was the right answer for the best
8 estimate." This time we thought that would have
9 been factored into your uncertainty distributions,
10 so that it would have been the median or the mean
11 or something in between them.

12 MS. GHOSH: Yes, I know, this is always
13 the struggle of having parallel kind of analyses --

14 MEMBER BLEY: But where does it come
15 from? How did you pick them?

16 MS. GHOSH: It was the same group of
17 experts doing both sides of the analysis. So, in
18 some cases, the base-case or best-estimate value of
19 the input matched something, like the mean or the
20 median. It wasn't always, you know -- but, for
21 each input, it is evaluated as what is the best, if
22 you had to pick one point --

23 MEMBER BLEY: No, but if you have the
24 same people doing the distributions --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GHOSH: Yes.

2 MEMBER BLEY: -- just tell you their
3 best estimates --

4 MS. GHOSH: Right.

5 MEMBER BLEY: -- how can they reconcile
6 their distributions with the best estimates if the
7 best estimates aren't somewhere in the densest part
8 of the distribution? I don't understand that.
9 What are they thinking?

10 MS. GHOSH: Yes, I guess, you know,
11 maybe --

12 CHAIRMAN STETKAR: By the way, part of
13 our recommendation a long time ago, only the most
14 recent letter that the ACRS wrote, is to do it all
15 together, not in parallel as if they are different.
16 And what I'm hearing is it is still being done in
17 parallel as if they are different.

18 MEMBER BLEY: Because they are
19 different.

20 CHAIRMAN STETKAR: Because they are
21 different.

22 MS. GHOSH: Yes.

23 CHAIRMAN STETKAR: Because, as Dennis
24 said, I can't, if this is my best estimate and this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is my uncertainty distribution about it, I don't
2 understand why, for this other parallel
3 calculation, my best estimate --

4 MEMBER BLEY: I would pick a different
5 number.

6 CHAIRMAN STETKAR: I would pick a
7 different number.

8 MS. GHOSH: Yes, we have been trying to
9 de-emphasize reading too much into the individual
10 cases that we do analyze as individual cases in
11 order to explain from a phenomenological standpoint
12 what is happening in those cases, so that we can
13 explain the differences in the outcomes. But we
14 think that, once you have done the uncertainty
15 analysis, it is valuable to look at the whole
16 population of results and not just seize on one
17 example or case as the representative. We have
18 talked about this a lot.

19 MR. ESMAILI: Yes, we have talked about
20 this. We have thought about this --

21 MS. GHOSH: Yes.

22 MR. ESMAILI: -- how we are going to
23 say this best.

24 You know, in the short-term station

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 blackout, looking at what we call best estimate for
2 the base case, the short-term station blackout base
3 case results in a late containment failure. Okay?
4 When we look at the long-term station blackout,
5 assuming exactly the same parameters, it results in
6 an early containment failure.

7 So, what Tina is trying to say is that,
8 you know, if you go back to, for example, slide 61,
9 everything is dependent on the amount of hydrogen.
10 So, you can see that there is a range here in the
11 amount of hydrogen that is produced that overlaps.

12 Like, for example, if the hydrogen is
13 between 380 kilograms or 420 kilograms, you can see
14 it is possible to have both early failure and late
15 failure. So, just because we are using the mean or
16 the median values when you are defining a base for
17 a reference case, it could be going either way.

18 But look at the long-term station
19 blackout, that long-term station blackout
20 consistently produces much more hydrogen, over 500
21 kilograms. So, you always get an early containment
22 failure.

23 So, it is very, very sensitive. We
24 know that. You see that in 61, that you change

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this hydrogen, you know, amount of hydrogen that is
2 released through the containment; you can go either
3 way. You can either have early failure or late
4 failure.

5 We did not feel that there is any
6 reason that if we assume, for example, the same
7 median values or the same mean values or best-
8 estimate values, that we are going to end up in --

9 MEMBER BLEY: Well, it might end up
10 differently.

11 MR. ESMAILI: It might end up
12 differently, too.

13 MEMBER BLEY: My only question was, if
14 you are picking a distribution and you are picking
15 a best estimate for a parameter, either why
16 wouldn't you pick estimate that is pretty much in
17 the center of that distribution or why wouldn't you
18 pick a different distribution, if you didn't think
19 that was the case? I just don't get it.

20 CHAIRMAN STETKAR: The whole point here
21 is --

22 MEMBER BLEY: And they won't match
23 perfectly.

24 CHAIRMAN STETKAR: I agree with that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because it is very --

2 MR. ESMAILI: Again, we want to de-
3 emphasize. This is very important. The whole
4 reason we are doing this uncertainty is because we
5 want to de-emphasize any single calculation.

6 CHAIRMAN STETKAR: Okay. Great. Then,
7 why in the summary of the results do you emphasize
8 -- emphasize -- the fact that the mean value of the
9 uncertainty results is lower than your base case?
10 Why is it necessary to say that --

11 MS. GHOSH: Actually, that is a good
12 point. You probably don't need to say that.

13 CHAIRMAN STETKAR: -- that the mean
14 value, which is the only thing I believe, it is the
15 only thing I believe from my uncertainty analysis,
16 is truth as best within the limitations of the
17 distributions.

18 MEMBER BLEY: If you are doing the base
19 case just to kind of see things, then it is
20 meaningful. But that's okay.

21 CHAIRMAN STETKAR: You could convey it
22 to any arbitrary case and it might still --

23 MEMBER BLEY: But don't worry about it.

24 CHAIRMAN STETKAR: Yes, don't worry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about it. If you want to de-emphasize any
2 particular --

3 MS. GHOSH: Yes, that's good.

4 CHAIRMAN STETKAR: -- realization or
5 anything --

6 MR. ESMAILI: So, had we done this
7 analysis the same way that we had done the original
8 SOARCA, for example, just coming up with some best-
9 estimate numbers, we would have seen that, yes, in
10 the base case I'm going to have a late containment
11 failure. But I already know how sensitive this is.
12 So, I would have had to go back and find parameters
13 because it is equally probable to have an early
14 failure. So, I would have had to do the
15 sensitivity.

16 And that is why we are trying to say
17 that any single one of these realizations is not
18 important because choosing one, even though it is
19 best estimate, it is not telling you how many to
20 end up --

21 CHAIRMAN STETKAR: See, in that sense,
22 you use the term "best estimate"; I will use the
23 accurate term "arbitrary". The arbitrary analysis
24 that you did that you gave the main best estimate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 --

2 MEMBER BLEY: Either that's true or the
3 distribution is arbitrary.

4 CHAIRMAN STETKAR: Is arbitrary.

5 (Laughter.)

6 I'm willing to say that they thought
7 about the distributions and, indeed, had some
8 rationale, because they actually explained the
9 distributions, regardless of whether you agree with
10 them or not.

11 MR. ESMAILI: I don't think our
12 distributions were arbitrary.

13 CHAIRMAN STETKAR: No, no, no. I'm
14 saying I agree with the distributions because you
15 at least -- I disagree with many of the
16 distributions themselves, but I do not characterize
17 them as arbitrary because each of them has an
18 explanatory text associated with it. This is why
19 we have this range. This is why it has its central
20 tendency. This is where we got the information
21 from. I can argue with the numerical values, but
22 there is some credence to each of those
23 distributions.

24 The other thing that I am calling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 arbitrary is that thing that gives you 4.8 E to the
2 minus 4, which you prefer to give the name "best
3 estimate" and I prefer to give the name "arbitrary"
4 because I can't tell the basis for that thing.

5 MR. ESMAILI: It's not an best estimate
6 in terms of what we expect because of the
7 complexity of the model.

8 CHAIRMAN STETKAR: Then, why do you
9 call it a "best estimate" because, if I am reading
10 this --

11 MS. GHOSH: We will change the
12 language.

13 MR. ESMAILI: We can change that if you
14 don't like the word "best estimate".

15 CHAIRMAN STETKAR: Thank you.

16 MS. GHOSH: Yes. We will do that, yes.
17 Sorry.

18 Okay. I did want to show this slide,
19 and I realize we are running short on time, but I
20 think it is interesting to look at the annular
21 ring. So, this now, again, is a complementary
22 cumulative distribution function of the epistemic
23 uncertainty. So, it is the distribution of the
24 means over all of the weather trials.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 You can see two things. First, that
2 the two cases -- so, the colored lines are grouped
3 together. Solid is without random ignition and
4 dashed is without. And the same color for the
5 different annular distances. You can see that
6 those distributions are very close to each other,
7 whether or not you credit the random ignition.

8 The other thing that is interesting is
9 that the zero-to-10, 10-to-20, and 20-to-30, in
10 fact, are very close together. They are kind of
11 clumped. You don't see the risk significantly
12 falling off until you get beyond 30 miles. You
13 know, this is different for each scenario and each
14 site that you would look at.

15 But, anyway, those are the main things
16 I wanted to mention on that slide.

17 The Y-axis is linear; the X-axis is
18 long.

19 MEMBER BLEY: So, the dropoff isn't
20 like I'm used to when I see a log plot then?

21 MS. GHOSH: Right.

22 MEMBER BLEY: The dropoff is a factor
23 of less than 2.

24 MS. GHOSH: Okay?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: I think so.

2 MS. GHOSH: I was just going to quickly
3 present a couple of the regression tables. Again,
4 we're running short on time. But this is the one
5 for the zero-to-10 miles. The things that are
6 showing up as important -- this is a population
7 that evacuates mostly. It is the safety valve
8 fraction, which is no surprise. We know that that
9 is important for source-term and that also
10 translates to the LCF risks.

11 The CF risk factor, that is the cancer
12 fatality risk factor, 8 is for the residual organ.
13 And you probably heard me talk about this for Peach
14 Bottom and Surry 2. The residual is a
15 representative soft tissue. And that one also
16 makes a lot of sense because in the long-term the
17 main contributor is cesium ground shine. And so,
18 it makes sense that that shows up as important.

19 In this case we have a couple of other
20 parameters that show up. The CF risk is a cancer
21 fatality risk factor for the colon. The ground
22 shine factor, too, is the ground shine shielding
23 factor for normal activity during the emergency
24 phase, but it is perfectly correlated with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ground shine shielding factor during the long-term
2 phase. So, that one makes sense, too. And then,
3 rupture, we already talked about that is the
4 containment rupture pressure.

5 When you, then, look at the 10-to-20
6 mile ring, the changes you see, the CF risk 4 is
7 for lung. That makes sense because a 10-to-20
8 mile, as we discussed before, they don't get
9 evacuated unless they hit that normal relocation
10 registry. So, they may be sitting in the plume
11 longer until we get them out. So, it makes sense
12 that the lung factor becomes important there.
13 Here, also, we see the shape factor having some
14 importance for this next ring.

15 For the zero-to-50 mile, you basically
16 see the same actors, again, the lung. I think you
17 may have protective actions out to 30 miles. So,
18 once you look at the whole circle out to 50 miles,
19 that lung factor, again, is showing up, and then,
20 some of the same other ones that we have seen on
21 the previous table.

22 And I think that was it for LCF risk.

23 You asked earlier about the early
24 fatality risk. We do compute a non-zero number in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about 10 percent of the cases, but, again, like we
2 saw in the past like for Peach Bottom, it is a
3 small percentage of the weather trials in those
4 cases, actually, stars aligning right to be able to
5 get to an early fatality risk.

6 CHAIRMAN STETKAR: If it rains early
7 and people don't move --

8 MS. GHOSH: Yes, yes.

9 CHAIRMAN STETKAR: -- you are going to
10 pick up more, which is why I was asking about why,
11 taking the average, you know, 2012 versus --

12 MS. GHOSH: Yes.

13 CHAIRMAN STETKAR: -- if I took -- I
14 don't remember which one it was. It was 2011 or
15 2010 where it rained a lot more -- a lot more --

16 MS. GHOSH: Right.

17 CHAIRMAN STETKAR: -- and getting
18 cohort 4 out early, you could conceivably pick up
19 more there.

20 MS. GHOSH: Right. Yes. Yes, that is
21 true.

22 So, here we have the zero-to-1 mile out
23 to the zero-to-4 mile is the smallest curve on the
24 bottom. You can see on the Y-axis the CCDF, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, it starts below .1 because we have about 10
2 percent only that we can compute this number for.

3 And you can see the shapes. The
4 numbers, the conditional risk numbers are still
5 fairly low, which is why we continue to make the
6 statement that the overall insight is that we have
7 essentially zero risk, as your multiplying a bunch
8 of low-probability things together.

9 I think Doug Osborn is going to --

10 MR. OSBORN: Doug Osborn from Sandia.

11 I will double-check the extreme cases,
12 but for the majority of these cases that you see
13 that have a non-zero early fatality risk, it has
14 nothing to do with evacuation cohorts, but it has
15 to do with the cohort that does not evacuate.

16 CHAIRMAN STETKAR: Okay.

17 MR. OSBORN: Yes.

18 CHAIRMAN STETKAR: Yes, I mean, that
19 makes sense that that statement is made. I just
20 don't know, if you delayed more of the population,
21 whether you would pick up some of them or not.

22 MR. OSBORN: That is a possibility.

23 CHAIRMAN STETKAR: I just don't know.

24 I just don't know.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. GHOSH: Yes. So, I think that was
2 it. This is just an overall conclusion slide about
3 the ranges of LCF risk we see within 10 miles. We
4 continue to see that the long-term phase risk
5 dominates the overall risk. As I said before, we
6 say early fatality risk are essentially zero. We
7 can calculate non-zero numbers with our powerful
8 computers. And the parameters that show up as
9 important are not surprising.

10 Keith, did you want to add something?
11 I didn't mean to cut you off.

12 Keith Compton was just coming to the
13 microphone when I started talking.

14 MR. COMPTON: Sorry. This is one of my
15 more favorite topics. I was just going to add in,
16 just one other thing to add on this.

17 I mean, we continue to look. This
18 issue of very low, essentially zero, early
19 fatalities is one of the kind of more interesting
20 phenomena that I think we have been seeing
21 recently.

22 There's one thing that I wanted to add.
23 Rain is certainly a factor and was seen early, but
24 one of the things that I have been seeing -- and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually, I now understand, when I go back and read
2 WASH-1400, which I didn't understand before, it is
3 not just rain; it is also low wind speed --

4 CHAIRMAN STETKAR: Yes, I was going to
5 say --

6 MR. COMPTON: -- stable conditions,
7 kind of just nighttime conditions.

8 CHAIRMAN STETKAR: Sure, sure. Yes.

9 MR. COMPTON: And actually, it is often
10 the case that kind of the mean of the results is
11 driven by those relatively-common bins, those
12 relatively-common weather conditions. Rain can
13 certainly drive kind of total numbers up.

14 But I just wanted to add in the fact
15 that we are starting to get a little bit more
16 nuanced about it is stability; it is high
17 concentrated. And the fact that we have the non-
18 evacuating cohort is kind of useful. As mentioned,
19 it is kind of an indicator that you have to delay
20 evacuating cohorts to kind of be comparable to what
21 those cohorts are doing to get those up.

22 Does that make sense?

23 CHAIRMAN STETKAR: I don't know because
24 this model is --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COMPTON: In the model,
2 essentially, they would have to get an exposure
3 comparable to the non-evacuating cohort before they
4 started -- if you are not seeing it in the non-
5 evacuating, you're probably not going to see it in
6 the evacuating unless you did something to their
7 exposure characteristics, so that they acted more.

8 CHAIRMAN STETKAR: You did do a
9 sensitivity study, though, where you sheltered in
10 place.

11 MS. GHOSH: Yes.

12 CHAIRMAN STETKAR: You're not going to
13 talk about that, but --

14 MS. GHOSH: Yes.

15 CHAIRMAN STETKAR: -- that is kind of
16 an interesting little story, that you sheltered in
17 place, and then, you said, well, a good fraction of
18 the windows might be broken. So, you increase
19 their inhalation dose. You didn't pick up -- I
20 don't remember whether you picked up more
21 fatalities. You certainly picked up more latent
22 cancers that way.

23 MS. GHOSH: Yes. I think Shannon is
24 going to say something more about that. But, yes,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we didn't include that here.

2 CHAIRMAN STETKAR: You didn't include
3 that here, but it was a nice story. It was a story
4 that the conclusion is, regardless of -- you know,
5 sheltering in place is not a good thing to do in
6 these events if there is going to be damage to your
7 buildings.

8 MS. GHOSH: Yes, uh-hum.

9 MR. THOMPSON: That's right.
10 Sheltering in place is not a good thing to do. The
11 added broken windows and the structures standing
12 inhabitable was kind of a nuance that it wouldn't
13 just be ground shine through the building, but also
14 some inhalation. You would get some anyway. The
15 sort of modeling simplicity was whether they would
16 be there the whole time and that sort of thing.

17 CHAIRMAN STETKAR: Right. Yes.

18 MR. THOMPSON: But, in that case, we
19 did see some early fatalities --

20 CHAIRMAN STETKAR: Did you? I couldn't
21 remember. You did? Okay.

22 MR. THOMPSON: They were non-zero. I
23 don't remember the range, but 10 to the minus 10,
24 or something like that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BLEY: Well, even if you don't
2 break windows, you assume some air turnover in
3 buildings anyway, right?

4 MR. THOMPSON: Right.

5 MEMBER BLEY: At least in homes?

6 MR. THOMPSON: Right. The protection
7 factor I don't recall right offhand, but it is
8 something on the order of protection factor of -- I
9 believe 1 is complete protection; zero is no
10 protection, and something like .3 --

11 MEMBER BLEY: Yes That would allow --
12 yes.

13 MR. THOMPSON: Yes. And so, we varied
14 it to basically no protection.

15 MS. GHOSH: If there are no more
16 questions on that, Sal is going to talk next about
17 the public comments we got.

18 MR. HAQ: My name is Salman Haq.

19 I have collected the public comments.
20 What we did was we took the Draft Technical Report
21 and placed in ADAMS for the public to review. A
22 request for comments was published in The Federal
23 Register. We gave them 30 days to provide
24 comments. We also posted a blog for information

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about the FRN, the Federal Notice, as well as about
2 the public meeting.

3 We held a public meeting near the site,
4 actually, at the training center in Soddy-Daisy,
5 Tennessee. It was attended by about 30 people.

6 MEMBER BLEY: All from the site or did
7 you get some local population in there?

8 MR. HAQ: Mostly local population
9 attended.

10 MEMBER BLEY: I'm sorry, locals who are
11 not site workers?

12 MR. HAQ: Well, okay. So, out of 30,
13 there were two intervener-type people and, then,
14 there were a few people -- the people who lived
15 there have worked in the plant or knew somebody at
16 the plant, they showed up. So, it was an
17 interesting mix of people. There was a person who
18 was in the hospitality business, and she showed up.

19 And we had a lot of discussion,
20 informal discussion, before the public meeting,
21 explained to them what we were doing and, then, a
22 formal presentation. Then, we gave them a chance
23 to ask questions.

24 MEMBER BLEY: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HAQ: The questions were asked by
2 two people, by two individuals, one from UCS, and
3 he identified himself.

4 These two slides summarize the
5 questions that they asked. Even though we
6 summarized the questions, but we kept their words
7 to kind of convey the meaning in there.

8 So, the first set of questions were:
9 analysis seemed unbalanced in the treatment of
10 damage due to beyond-design-basis earthquake. And
11 then, there was some explanation that you have
12 assumed extensive damage to the safety system, and
13 yet, you have considered limited damage to the
14 infrastructure within the 10 miles of EPZ.

15 And then, there were further comments
16 that elaborated that a little bit more and kind of
17 suggested that the analysis should be more rigorous
18 -- analysis should more rigorously consider the
19 impact of a large earthquake on evacuation time.
20 For example, the analysis did not consider the
21 impact of downed towers that may impede the roads,
22 and it also didn't consider all the bridges in the
23 EPZ.

24 And we tried to answer them. Actually,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those answers are posted now on the public site as
2 the summary notes for the meeting.

3 The next set of comments comes from
4 another attendee, and he questioned the consequence
5 -- he basically said that the consequence analysis
6 was flawed for the following reasons. And one of
7 the reasons he gave was that our modeling did not
8 consider age and sex. He was concerned about the
9 risk for the children, and so on and so forth.

10 The lessons from Fukushima had not been
11 learned as to health consequences. And then, a
12 reference report was provided, which was done
13 recently by Physicians for Social Responsibility,
14 and it is available on their website.

15 MEMBER BLEY: Was that leaning toward
16 other effects than radiological effects?

17 MR. HAQ: They were mostly radiological
18 effects.

19 MEMBER BLEY: Oh, they were still
20 radiological effects?

21 MR. HAQ: Yes. They had some
22 disagreement on what the other organizations had
23 published.

24 They also questioned how risk can be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lowered after an accidental release as compared to
2 the risk to the general population. In our
3 conclusion, we compared that. So, they had a
4 comment on that.

5 They also questioned the consequence
6 from potential severe accidents in an area really
7 are smaller than previously calculated.

8 And so, those were the comments we got
9 in writing.

10 MS. GHOSH: Any questions?

11 (No response.)

12 MR. BARR: Okay. I'm Jon Barr, and I
13 have a few slides that kind of bring together some
14 of the conclusions from Sequoyah.

15 In order to provide some context for
16 how these results compared to other things, back in
17 the initial best-estimate analyses of Peach Bottom
18 and Surry we had charts in which we compared the
19 source-terms to the siting study from 1982, which
20 is one of the historical reports that was commonly
21 used beyond its original intentions. And so, one
22 of our objectives was to compare to this.

23 Another point of comparison that we had
24 previously made was to the NRC Safety Goal QHO. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have removed that. We recognize the limitations of
2 that and have not done that.

3 And so, we have some comparisons here.
4 We recognize there are a lot of caveats. There are
5 different assumptions, different frequencies
6 associated with them. But, nevertheless, we wanted
7 to answer some of the questions we got about, oh,
8 what does this mean compared to some of the other
9 things?

10 So, on slide 120, this is iodine
11 release for individual cases from the different
12 Surry, Peach Bottom, and Sequoyah scenarios. And
13 then, of course, at the top in red is the siting
14 study source-term one. That one had a one-and-a-
15 half hour starting time of release and 45 percent
16 stop time two hours later.

17 MEMBER BLEY: We talked early today
18 about problems with comparisons.

19 MR. BARR: Right.

20 MEMBER BLEY: But what are showing up
21 here? Are these means or are these your base
22 cases?

23 MR. BARR: These are base cases.

24 MEMBER BLEY: Why, when that's not what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you most believe?

2 MR. BARR: We would have preferred to
3 be able to show the uncertain distributions for the
4 ones that were available, but this chart would have
5 gotten way too messy.

6 MEMBER BLEY: No, if you had just shown
7 the means. I mean, if you are going to pick one
8 curve from a study that has got uncertainty
9 treatment, why would you pick the one you can't
10 quite justify as being --

11 MR. BARR: Right. Well, we wouldn't
12 necessarily had a mean for -- we only would have
13 had a few cases to do that, instead of all of them,
14 since we didn't do an uncertainty analysis for each
15 of the different scenarios.

16 MS. GHOSH: So, we did one scenario at
17 each plant.

18 MEMBER BLEY: Well, that's true. You
19 can't do it.

20 MS. GHOSH: Right.

21 MEMBER BLEY: You can't do the counts,
22 yes.

23 MS. GHOSH: We have three examples, but
24 the other ones are --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: I don't even
2 remember on Surry; it has just been so long ago.
3 It was like three months.

4 (Laughter.)

5 What did you do the uncertainty
6 analysis on Surry?

7 MS. GHOSH: We did unmitigated short-
8 term station blackout, but we specifically put
9 logic and modeling in to look for the in-use steam
10 generator to rupture variation of the short-term
11 station blackout. So, we ended up with, also, a
12 bifurcation where we had about 10 percent of the
13 cases going to tube rupture versus --

14 CHAIRMAN STETKAR: But the tube rupture
15 cases, I don't remember. Did it have uncertainty
16 propagated through those or not?

17 MS. GHOSH: Yes, yes, yes.

18 CHAIRMAN STETKAR: They did? Okay.
19 That's okay.

20 But you didn't do it, for example --

21 MS. GHOSH: We're still working on
22 addressing those causes.

23 CHAIRMAN STETKAR: But, in particular,
24 like the biggest purple thing here, the interfacing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system LOCA didn't have any of the uncertainty, so
2 that becomes troublesome. Okay.

3 MR. BARR: The point I wanted to make
4 here is that the Sequoyah scenario is, along with
5 the other SOARCA scenarios are well below the SST-1
6 release.

7 And now, on the next slide, the
8 difference is even more obvious when we look at the
9 cesium releases. The SST-1 had a 67-percent
10 release starting at one-and-a-half hours. Again,
11 these are the base-case source-terms for SOARCA.

12 We have, for the Sequoyah short-term
13 station blackout, because it turned out that what
14 we initially had as a base case was an overpressure
15 late failure, we also have on here an example of an
16 early release to show that, too.

17 Slide 122. Whereas, previously we had
18 frequency weighted the conditional LCF risks and
19 also made a comparison to the safety goal, we have
20 gotten rid of that. There is no frequency
21 consideration here, and we have just plotted the
22 conditional risk of a fatal cancer for someone in
23 the EPZ, assuming that the severe accident happens.

24 For the scenarios in which we have done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 an uncertainty analysis, we have a distribution
2 from the 5th to the 95th percentiles here. For the
3 other ones, we just have a blue square representing
4 the base case.

5 And this is meant to show just kind of
6 how the Sequoyah results compared to those from the
7 other SOARCA scenarios. One thing we see is that,
8 even with some of the releases being a little bit
9 higher and faster at Sequoyah for the short-term
10 station blackout, they don't really translate into
11 comparable increases in terms of the latent cancer
12 fatality risk. Of course, part of that is driven
13 by the habitability criterion, which effectively
14 prevents people from exceeding annual doses over a
15 certain threshold.

16 CHAIRMAN STETKAR: On the other hand,
17 Jon -- and Joy brought it up earlier this morning
18 -- if I look at Surry and I look at the short-term
19 station blackout, and I look at the green triangle
20 on that, and I look at the short-term station
21 blackout with SGTR, and I look at the green
22 triangle on that, I see about probably a factor of
23 maybe 20 difference. I don't see any green
24 triangle for short-term station blackout with SGTR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on Sequoyah. So, if it is 20 higher also on that
2 one, it is up in the title of your slide somewhere,
3 right?

4 MR. BARR: Yes. So, the --

5 CHAIRMAN STETKAR: So, my whole thing
6 is, why am I comparing these things and saying,
7 "Oh, look, they're all within kind of 10 to the
8 minus 4ish."? Well, they might not be if you
9 compared them all.

10 MR. BARR: We have looked at source-
11 terms that are larger, and we have seen that those
12 have been translated in terms of the LCF risk.

13 Another point of comparison was, from
14 the containment protection and release reduction
15 rulemaking work, we look at some of the highest
16 conditional in cancer fatality risks there. The
17 highest one we had was 2 E to the minus 3. So, we
18 are seeing something that is fairly consistent,
19 that even with some higher source-terms, they are
20 really ending up primarily in this 1 E to the minus
21 4 to about 1 E to the minus 3 range.

22 Do you want to add something, Hossein?

23 MR. ESMAILI: Yes. I just want to say
24 regarding the source-term that we saw, when you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look at the short-term station blackout with and
2 without steam generator tube rupture, you see this
3 big difference. But when you go look at the short-
4 term station blackout for Sequoyah, I don't know
5 what it is going to be with the steam generator
6 tube rupture. I just personally do not expect it
7 to be as different as we see in Surry.

8 The reason is that in the Sequoyah some
9 of it is driven by the early containment failure.
10 So, basically, a lot of cases we have seen that the
11 containment has failed, even during a core
12 degradation. Basically, you end up with
13 containment not being at play here in terms of the
14 source-term.

15 So, it would be somewhat like you are
16 releasing -- you know, taking account for the steam
17 generator, how much decontamination you get to the
18 steam generator. It is substantially different.
19 In the Surry station blackout without steam
20 generator tube rupture you are limited by how this
21 containment pressurizes, how it leaks, and over
22 time. In short-term station blackout for Sequoyah
23 it is completely different. You are losing the
24 containment. You could possibly lose the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 containment very, very early. By that time, all
2 the releases are --

3 CHAIRMAN STETKAR: You could possibly
4 do that, but you said most of the time you don't.

5 MR. SHACK: The steam generator tube
6 rupture was about like the release we got from the
7 containment failure. So, it may double the
8 release.

9 MR. ESMAILI: Yes, exactly. So, 10
10 percent of the time you have steam generator tube
11 rupture, right? Here we have 20 percent of the
12 time we have early containment failure. So, I am
13 trying -- it is not exactly. I'm just saying that,
14 if you add steam generator tube rupture to it, it
15 might shift this. It is not going to be as
16 pronounced as the, say, station blackout with and
17 without steam generator tube rupture.

18 MS. GHOSH: Well, right, because we
19 didn't have that early containment --

20 MR. ESMAILI: Right. That early
21 containment failure is a bad test.

22 MS. GHOSH: Yes. Yes.

23 MR. SHACK: I mean, once you have
24 bypassed, you've bypassed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. ESMAILI: That's right.

2 MS. GHOSH: Yes, yes.

3 MR. ESMAILI: That's right. So, that
4 is the difference.

5 MR. OSBORN: This is Doug Osborn.

6 Also, keep in mind this is the EPZ.
7 So, this also incorporates evacuations, evacuation
8 cohorts. As we typically see, the evacuations
9 work. So, the vast majority of this latent cancer
10 fatality risk is the result of long-term exposure.
11 And again, going back to habitability, Peach Bottom
12 has a different habitability criterion than Surry
13 and Sequoyah do as well. So, those are nuances
14 that also need to be taken into consideration.

15 CHAIRMAN STETKAR: And they probably
16 had different population densities and all kinds of
17 things, which is why I'm really upset about trying
18 to make these grandiose comparisons about look what
19 we've learned.

20 MR. BARR: Absolutely.

21 MR. ESMAILI: But we know there is a
22 big difference between how the containments respond
23 Surry and Sequoyah.

24 CHAIRMAN STETKAR: That's good we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 learned that.

2 MR. ESMAILI: Yes.

3 CHAIRMAN STETKAR: But publishing
4 comparisons like this, the public will pick it up,
5 especially if you make all of these, "Look at what
6 we've learned about our insights." The public
7 doesn't understand all of the nuances that we have
8 spent the last "N" hours of our day discussing
9 here. They just don't.

10 MR. BARR: Slide 123. This is a list
11 of some of the overarching conclusions.

12 For the unmitigated short-term station
13 blackout in which we have no backup power for
14 igniters, we see potential containment outcomes,
15 either early failure or late failure. If we have
16 successful use of igniters, then that can prevent
17 the early failure. However, the late overpressure
18 failure is still the likely potential.

19 MR. SHACK: I was a little surprised
20 you didn't do more with the igniter system. You
21 did that worst-case kind of realization thing, but,
22 then, these things interact in such a way that I am
23 not convinced or I can't quite convince myself that
24 that really demonstrates to me that, if I had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 igniters available, I would always avoid early
2 containment failure.

3 MR. ESMAILI: Within the modeling
4 capabilities that we have, this is what we are
5 going to see. One thing we could do -- and you
6 look at the short-term station blackout, you see
7 that timing there is very, very short. So, that
8 igniter thing, we assume it is available. As soon
9 as the hydrogen comes out, it is available. We
10 could have done some sensitivity saying that, okay,
11 maybe they cannot get the igniters on by 2.7 hours,
12 but if it comes up at three hours, what happens? I
13 mean, we know that this time is very, very short.
14 If you cannot get it to operate within 2.7 hours,
15 it is possible to lose the containment in 2.7.

16 So, as far as I'm concerned, I think we
17 have drafted the insights that we have patterned.
18 This is the only sensitivity, and I don't know --

19 MR. SHACK: Okay. Okay. That's a good
20 argument, that if you assume it's always available,
21 you get one answer. If you delay that, you're back
22 to your --

23 MR. ESMAILI: That's right. So, you
24 just make sure that, you know, this is as fast as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the hydrogen can come out and this is how it can
2 burn. And I could not tell you whether you are
3 going to get hydrogen combustion within this -- you
4 know, when I am going to get it.

5 MR. SHACK: Yes.

6 MR. BARR: When we compare the two sets
7 of uncertainty analysis for the unmitigated short-
8 term station blackout with and without random
9 ignition sources, we see that the effect of the
10 random ignition sources is that it delays early
11 containment failure. It is still potential, but in
12 many cases it is delayed. The ice is effective in
13 mitigating the soil containment pressurization and
14 can delay potential containment failure.

15 From the offsite consequence analysis,
16 we continue to see essentially zero individual
17 early fatality risk. And even for cases in which
18 we have an early release to the environment
19 coincident with the evacuation process, the
20 conditional latent cancer fatality risks are small.
21 From the last slide, we saw that the conditional
22 individual latent cancer fatality risks are
23 comparable to those from the other SOARCA analyses.

24 MS. SANTIAGO: So, I just want to make

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a few statements, but I did want to thank the
2 Committee for the detailed review that they gave to
3 this document. It is very complex, and the staff
4 has worked very, very hard, both NRC and the
5 contractor. So, I especially also want to thank
6 them again.

7 I would also list to just thank you for
8 your biannual review that you provided a week or so
9 ago. In that review, you recommended that we
10 continue to improve the codes. And I think we
11 mentioned today over the course of the last couple
12 of years, since the original SOARCA pilot studies
13 in 2012, we have done some improvements to those
14 codes. And, of course, we continue to do that as
15 we get additional information, either from
16 Fukushima or other studies that are ongoing
17 internationally or even within our own agency.

18 This analysis is important, and the
19 methods that we use and the codes that we use in
20 these analyses support key agency safety and
21 security activities.

22 On the next slide -- and we have talked
23 about many of these during the course of this
24 discussion -- more recently was the containment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 protection and release reduction technical analysis
2 that we did. MACCS is currently being used to
3 support the review of the economic cost/benefit
4 analysis that is performed for regulatory analysis,
5 and we will be updating guidance with the staff
6 there.

7 The other thing that ACRS recommended
8 in their program review and stated is that the
9 severe accident research program is an essential
10 element of the decisionmaking process for severe
11 accident issues related to existing and future
12 nuclear reactors, including certification of a new
13 standard plan design.

14 So, I think Dr. Bley mentioned at the
15 beginning, are we going to talk a little bit about
16 the future analyses? And we had a little, short
17 conversation with Dr. Stetkar a month ago in
18 preparation for this meeting. We had said we were
19 looking at including a review of new, small modular
20 reactor designs due to the single and multiple
21 module issues that affect accident progression
22 mitigation options, emergency planning, and offsite
23 consequences, especially in light of questions that
24 we are getting from some recently-submitted topical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reports.

2 Recently, we reviewed a topical report
3 for NuScale. As an example, we had a question as
4 to what do we need as far as protective actions.
5 So, we were considering doing a consequence
6 analysis to better understand that and be able to
7 be positioned to answer those types of questions
8 when the applications come in.

9 The other one that we were looking at
10 possibly doing a consequence analysis on was the
11 AP-1000. Much of that was because of the passive-
12 type systems that those designs have. Recently,
13 Chairman Burns mentioned that there were some
14 quality issues in some of the subcontractor modules
15 that need to be examined. And it is critical who's
16 passive systems. So, with that, so is our
17 understanding, so that we can know what the
18 different parameters are that might be most
19 influential in any of these severe accidents.

20 On the next slide, I just wanted to
21 talk a little bit about knowledge management.

22 CHAIRMAN STETKAR: Let me interrupt you
23 for a second.

24 MS. SANTIAGO: Uh-hum.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: On both SMRs and
2 whether it is NuScale -- you know, you mentioned it
3 -- or similar design or AP-1000, I think that
4 SOARCA in the sense of an integrated uncertainty
5 analysis might be very useful. Some sort of
6 nominal case probably would not be all that useful
7 because on those passive designs a good evaluation
8 of the uncertainties in the behavior of the heat
9 removal mechanisms would be very useful, some sort
10 of nominal snapshot of "I assumed this value" is
11 probably counterproductive on those.

12 Certainly, if you think about moving
13 forward into either of those areas, don't try to do
14 a quick-and-dirty with just some sort of point
15 estimate value that is given some name to it. You
16 know, you are going to have to do the uncertainty
17 analysis because I think the uncertainties -- we've
18 commented previously that the uncertainties in some
19 of these passive cooling mechanisms might be a heck
20 of a lot larger than people like to think they are.

21 MS. SANTIAGO: Thank you. And nothing
22 we do is quick and dirty when we talk --

23 (Laughter.)

24 CHAIRMAN STETKAR: No, no. But as long

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as you've got to spend a lot of time and effort,
2 don't do it on just single value.

3 MS. SANTIAGO: Yes.

4 On the next slide for the knowledge
5 management, we clearly had been providing
6 information to the different classes over at RPBC
7 on SOARCA, so that they can actually talk to many
8 of our staff to better understand the accident
9 scenarios in our consequence analyses.

10 Your program review also talked about
11 continuing knowledge management and the core
12 capabilities and competencies. I have to say, five
13 years ago or 2010 when I came, we had a limited
14 capability, at least in the MACCS area. MELCOR may
15 be a little bit more. But in the last five years
16 we actually have been using these analyses to train
17 new staff and actually bring in more staff to
18 better understand the codes and some of these
19 consequences and phenomena.

20 And you can't just develop these core
21 capabilities in the midst of an emergent need. You
22 really have to maintain these core capabilities.
23 So, I appreciate that.

24 We also had a series of seminars that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we were providing the staff on accident
2 progression. And now that that is concluding, we
3 are now developing the consequence and the
4 uncertainty aspects to complete the entire series
5 in the severe accident analysis arena.

6 Now, on the last slide, I will talk
7 quickly about our schedule that we had originally
8 come into today with. We were still addressing
9 many office comments, but primarily those were
10 clarifications that we were going to add to the
11 report. So, I will discuss the public comments
12 and, then, again, those are clarifications we felt
13 we could add to the report.

14 We thought we would be able to take
15 comments from today's meeting and modify the report
16 and come back in June to the full Committee to make
17 a final presentation. However, I think there has
18 been enough discussion today that, clearly, we need
19 to definitely make several clarifications based on
20 your comments. There probably is additional
21 explanation that we want to add in. Sometimes we
22 were referring to Surry. Maybe we just need to
23 pull more information into this report that fully
24 explains what we did and why. I think there may be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 another parameter with an uncertainty analysis that
2 we may want to consider doing in that regard, too.

3 You gave us a couple of questions to go
4 back and check with TBA to make sure we had some
5 full information.

6 We also want to perhaps look at whether
7 or not that Cohort 4 should be 40 percent, 20
8 percent. I mean, if you have a suggestion on this
9 --

10 CHAIRMAN STETKAR: Pat, honestly, in
11 summary -- well, we will wait and we will go around
12 the table --

13 MS. SANTIAGO: Okay.

14 CHAIRMAN STETKAR: -- so you hear our
15 kind of summary comments.

16 MS. SANTIAGO: One of the questions
17 next would be, we have an original date to the EDO
18 to provide the Sequoyah pilot analysis in
19 September. If we want to do this additional work
20 and make sure that we have captured everything, we
21 may want to just come to you in June and say to you
22 what we will be doing.

23 We would like a letter and we ask for a
24 letter from the full Committee for this report to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accompany our package to the Commission. So, any
2 suggestions as far as our schedule would be much
3 appreciated.

4 CHAIRMAN STETKAR: Okay. Let's talk
5 about that just a little bit. Hearing what you
6 just said right now and kind of watching body
7 language, it is not clear to me what benefit would
8 accrue from coming to the full Committee in June,
9 because it may be premature. It sounds like it
10 would be premature to potentially generate a letter
11 from the full Committee, and simply briefing the
12 full Committee about, "Gee, we heard from the
13 Subcommittee and we're planning to make a lot of
14 changes" -- I don't know what "a lot" might mean --
15 but "We are planning to make some changes," may not
16 necessarily be a productive use of our joint time
17 and the resources that you put into preparing for a
18 full Committee.

19 I don't know if any of the other
20 members have any comments in that regard and we
21 certainly should air them.

22 MEMBER BLEY: I'm not sure what you can
23 do about the schedule you have. If you really want
24 a letter from us in June --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. SANTIAGO: We wouldn't expect a
2 letter in June.

3 MEMBER BLEY: Okay. I was going to
4 say --

5 MS. SANTIAGO: We would actually revise
6 the report and submit it to you probably in the
7 September timeframe.

8 MEMBER BLEY: Well, then, I don't see a
9 real reason for the full Committee meeting in June.

10 MS. SANTIAGO: Right.

11 CHAIRMAN STETKAR: We can do planning
12 offline. I have absolutely no idea -- and you may
13 not have any idea -- of what you can accomplish in
14 what sort of timeframe. We may want to think about
15 having a short Subcommittee meeting because we
16 don't have the time in the full Committee to
17 certainly think about and discuss fully what I
18 would call substantive changes that you are going
19 to make. We just don't have the time to do that in
20 full Committee meetings.

21 MS. SANTIAGO: Right.

22 CHAIRMAN STETKAR: So, we can work out
23 those details around our schedule. You are aware
24 of our schedule, that we don't meet in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 summertime and we're already pretty full. But we
2 can work that out with Hossein.

3 So, I think unless any of the
4 Subcommittee members, or the remnants, strongly
5 feel that you ought to come to the full Committee
6 in June, I think we just postpone it.

7 It is important to us because I don't
8 know if our Federal Register notice is out yet on
9 our June full Committee meeting agenda.

10 MR. NOURBAKHS: We can check that. We
11 can revise it.

12 CHAIRMAN STETKAR: We can always remove
13 things, but it is better form to not have it on it
14 initially.

15 MR. NOURBAKHS: I checked with Mark
16 during the break. It is possible to change the
17 schedule tomorrow.

18 CHAIRMAN STETKAR: Okay. Tomorrow?

19 MR. NOURBAKHS: Yes.

20 CHAIRMAN STETKAR: Yes, because we're
21 really close already. So, let's just decide to do
22 that.

23 MEMBER BALLINGER: Are we going around
24 the table yet?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: No, not yet.

2 MEMBER BALLINGER: Okay.

3 CHAIRMAN STETKAR: Not yet. I was just
4 looking right now because we are sort of making a
5 decision about not coming --

6 MEMBER SKILLMAN: I concur with not.

7 CHAIRMAN STETKAR: Good. Seventy-five
8 percent vote is good enough.

9 (Laughter.)

10 MEMBER BALLINGER: Being 25 percent of
11 four, I'll agree as well.

12 CHAIRMAN STETKAR: Wow, it's unanimous.

13 Did you have anything else you wanted
14 to say, Pat? Because, as I said, we can work out
15 internally --

16 MS. SANTIAGO: Yes. No, I appreciate
17 that. I was going to ask if there was anything
18 else in the report that we didn't cover in the
19 slides that you wanted to ask us about.

20 CHAIRMAN STETKAR: You covered
21 everything. I mean, I wish we had had a couple of
22 more hours because I wanted to whine about some of
23 the things about moving the cohorts. I sort of
24 telegraphed it to get it on the record. But some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of the times and rationale -- Cohort 1, the school
2 children, was described and hung together the best
3 of all of them. As I went down through the
4 cohorts, there seemed to some internal
5 inconsistencies about assumed evacuation speeds and
6 delays, given the rest of the story. So, just
7 think about that. I don't know if it makes much
8 difference, but that's about the only area that I
9 didn't really have a chance to kind of whine about
10 specifics.

11 Before we go around the table and give
12 the members a chance to kind of collect your
13 thoughts, I do need to put the bridge, whatever is
14 not open, to open on the bridge line.

15 While we are doing that, I will ask if
16 there is anybody in the room that has any final
17 comments to make. Come on up and identify yourself
18 and do so.

19 And we will open up the bridge line for
20 any comments from the public who are out there.

21 Is it Open?

22 Someone from the public who is out
23 there, just do me a favor and say "hello," so that
24 we can confirm that the bridge line is open.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCHULTZ: Hello.

2 CHAIRMAN STETKAR: Thank you.

3 Now, if there is anyone out there who
4 would like to make a comment, please identify
5 yourself and do so.

6 MR. SCHULTZ: John, this is Steve
7 Schultz. I'm waiting for others, but --

8 CHAIRMAN STETKAR: Hi, Steve.

9 MR. SCHULTZ: -- I'll provide some
10 comments for you if there are no other members of
11 the public who would like to --

12 CHAIRMAN STETKAR: Keep speaking.

13 MR. SCHULTZ: Okay. Yes, my comment, I
14 really enjoyed the presentations today as well as
15 the report. My comments are really focused on
16 Pat's recent comments related to what is going to
17 happen going forward with regard to the report and
18 the documentation.

19 The report really documents extremely
20 detailed technical analyses and results and
21 captures the analysis methods, models, analysis,
22 results in great detail. But the detail does tend
23 to mask some of the important results and
24 conclusions that are drawn from the study. I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this may have affected some of the public comments
2 that have been received.

3 For example, in the offsite consequence
4 analysis, there are several conclusions within the
5 text of Section 6, they are really embedded within
6 the description of analysis assumptions and
7 results. There is a summary section provided, but
8 it is relatively cryptic and doesn't really
9 describe all the results and conclusions, but,
10 rather, presents a qualitative summary of approach
11 and results.

12 So, I think the document could well
13 benefit from going through and trying to pull out
14 information that is really the key results of the
15 overall sections of evaluation and getting those in
16 some form that is better presented for overall
17 readability, not only capture it for the public,
18 but also technically.

19 I also noted that the Executive Summary
20 has got information within it that it may come from
21 the document, but I think there is some
22 amplification of what is in the document
23 technically that is in the Executive Summary. I
24 know that there are figures derived from tables,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and so forth. I would recommend that information
2 in the Executive Summary be provided by that which
3 is based upon documentation of conclusions in the
4 document itself.

5 With regard to the technical
6 discussions that we had just briefly on the steam
7 generator tube rupture for Surry as translated to
8 Sequoyah, I think it would be worthwhile, if there
9 is time available, to at least develop a technical
10 discussion or argument that is documented within
11 the report to address that in some way.

12 And that's what I have for today.

13 CHAIRMAN STETKAR: Thanks, Steve.

14 Anybody else out there on the bridge
15 line who would like to make a comment?

16 (No response.)

17 Hearing none, we will re-close the
18 bridge line, so that we get about half the pops and
19 crackles taken care of.

20 (Pause.)

21 (Laughter.)

22 CHAIRMAN STETKAR: Okay. I fear we are
23 going to be accused of being anything other than a
24 jerk. That's on the record now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now let's, as we always do, let's go
2 around the table, and see if any of the members
3 have any final comments. But I will give our
4 consultant the first shot at doing this.

5 So, Bill, do you have any comments in
6 closing?

7 MR. SHACK: I just want to say I
8 thought it was very good presentation today. I do
9 think this is one case where the uncertainty
10 analysis really was necessary to even get a real
11 picture of where things are -- you know, there's
12 enough interacting things going on here, that
13 picking any one set of values really gives you a
14 distorted picture of what is going on.

15 My one technical criticism is the one
16 that I made earlier, that it seemed to me that the
17 hotleg or I guess the overall depressurization of
18 the reactor vessel system, which is mostly hotleg
19 failure, is an important enough variable and is
20 really an uncertain enough variable that that
21 uncertainty ought to be addressed in some way.
22 Exactly how, I don't know.

23 CHAIRMAN STETKAR: Uniform distribution
24 between zero and one somehow.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (Laughter.)

2 MR. SHACK: And you know, on the whole
3 evacuation scheme, I think that is technically the
4 hardest to justify. The uncertainties are large.
5 I looked at the speeds that they assumed. They
6 seemed very low, but, then, you come to the
7 somewhat arbitrary 40 percent figure. It is a
8 difficult problem is sort what I meant.

9 Well, I'll get my shot in on the steam
10 generator tube rupture, too. I mean, it makes a
11 difference of a factor of about 40 whether you have
12 a steam generator tube rupture or not in terms of
13 the release. I don't think you are going to get
14 any more release from a steam generator tube
15 rupture at Sequoyah than you do at Surry. So, it
16 is going to maybe double the release. And so, I
17 think it is the factor of the 40 in the source-term
18 versus the factor of two. I was most interested in
19 the containment behavior, and that is really what
20 was addressed here.

21 But, again, I enjoyed reading it just
22 simply because this really was one where you really
23 had to have the distributions in order to make
24 sense of it all.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN STETKAR: Turn your microphone
2 on.

3 MEMBER BALLINGER: Better you didn't
4 hear what I just said.

5 (Laughter.)

6 I have gone through three of these now.
7 Remember, I'm the metallurgist. Each one is on an
8 average of 450 pages, the Surry and the Peach
9 Bottom ones. And each one of them has a very large
10 -- there are differences between them. They cover
11 different areas, but they are all very important.

12 And I wonder whether or not it wouldn't
13 be useful to produce a document which summarizes
14 those three. I know that might be heresy, but,
15 anyway, that is from a metallurgist.

16 MS. SANTIAGO: We actually were trying
17 to do that, and that is on our schedule to
18 extend --

19 MEMBER BALLINGER: So, we have two
20 heretics in here.

21 (Laughter.)

22 Going through this, and apart from what
23 Bill was saying, I was interested in Figure 6-6
24 through 6-10, which were the comparison, depending

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on the dose model that you use. Pretty striking.
2 Pretty striking. That wasn't discussed.

3 Other than that, I appreciate the
4 presentation. It is a long one, but very thorough.
5 I didn't pick up on the nuances that our other
6 colleagues have, but I'll remember them, too.

7 Thank you.

8 CHAIRMAN STETKAR: Dick?

9 MEMBER SKILLMAN: Thank you, Mr.
10 Chairman. Just one or two comments.

11 First of all, I want to commend staff
12 for spending so much time to get into the very fine
13 details of the uncertainty in the technical side of
14 this and, also, on the evacuation side of this.

15 I will make the same comment -- I carry
16 with me the logbook page of the TMI 2 accident, the
17 people who were on watch at four o'clock in the
18 morning and who relieved me, and it happened later
19 in the day. It just intrigues me that at about
20 1400 there was a reactor building isolation valve.
21 About 10 hours later, I had to look at your slide
22 80, and it takes about 10 hours for that hydrogen.
23 This was a valve that failed to close and the core
24 relieved, and the manhole cover blew out like it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was supposed to, and the hydrogen was breathed into
2 the building. The core was failed at 140 minutes.
3 But it is very well-duplicated in your information.

4 I would like to make a comment about
5 the cohorts. And here's what I'm thinking about,
6 and I want to give an example that will rivet your
7 attention, but it will make my point.

8 Remember the first images of Sandy
9 Hook. You saw law enforcement and you saw the
10 parents. The same thing at TMI; the parents didn't
11 evacuate, but they went right to school or to the
12 bank, those two.

13 (Laughter.)

14 I'm serious. I'm serious.

15 That is, mothers and fathers that go to
16 get their children; they have mothers and fathers
17 out of healthcare or the hospital, and they go to
18 get mommy because they know they have got to leave.

19 I just wonder how accurately that type
20 of thinking is in the cohorts. And there is a good
21 example for those of you who might remember. There
22 was a terrible fire at Wilkes-Barre. It was a
23 metal fire. And the Wilkes-Barre/Scranton
24 Emergency Planner said, "What do we do now?"

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 because downwind of that fire was so dangerous.
2 And they enacted the Susquehanna steam station.
3 They activated the emergency plan and they
4 implemented the plan for the first responders for
5 emptying the nursing homes, evacuating the schools.
6 And it worked quite well. That was not an
7 earthquake, as John and Dennis have pointed, a
8 massive earthquake like we have never lived through
9 before.

10 But I am just wondering if the cohort
11 identification is as accurate as it needs to be or
12 if there are some transportations and combinations
13 that would give perhaps a clearer vision of what
14 might happen if we really did have to go to battle
15 stations on one of these plants.

16 Thanks very much.

17 CHAIRMAN STETKAR: Dennis?

18 MEMBER BLEY: No issues to add. I
19 appreciated all the discussion and got a lot of
20 explanations that helped me understand what I
21 couldn't understand from just reading text. So, I
22 hope the text gets fixed up, so people can see
23 that.

24 The things we talked about earlier

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 still stand.

2 CHAIRMAN STETKAR: I will reiterate, in
3 terms of, if -- and I'm not -- if I were sitting
4 upfront thinking about what I look at between now
5 and some other incarnation, I would look real, real
6 strongly at the safety valve data, real, real
7 strongly, both the failure rate, lamda, and the
8 uncertainty distribution for the open fraction.
9 That is so doggoned important that you need to make
10 sure you have an ironclad story about it.

11 And as I said earlier, it is important
12 for the credibility of this standalone stuff and,
13 in principle, Surry because it was also identified
14 important there. And we've got to get it right on
15 the Level 3 PRA because we can't afford to have a
16 couple of orders of magnitude different of
17 something that might be fundamentally very
18 important to estimating offsite consequences and
19 accident progression. So, look at that.

20 And we have already heard that the
21 cohorts, that is the other thing. Think carefully
22 about those.

23 Staff did a great job presenting. I
24 didn't think we had a prayer of getting out of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 here. I thought I would be cutting us off well
2 before we got through the end and still leaving
3 now. So, you did a great job presenting a ton of
4 information, and coherently, and answering the
5 questions. So, I really, really appreciate the
6 discussion we had.


7 With that, we can go home. We're
8 adjourned.

9 (Whereupon, the above-entitled matter
10 went off the record at 5:22 p.m.)
11
12
13
14
15
16
17
18
19
20
21
22
23
24

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7



U.S. NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment



Sandia
National
Laboratories


**State-of-the-Art Reactor Consequence
Analyses (SOARCA) Project:
Sequoyah Integrated Deterministic
and Uncertainty Analyses**

ACRS Subcommittee Briefing
May 19, 2016

Patricia Santiago, Chief
Accident Analysis Branch
NRC Office of Nuclear Regulatory Research

- MELCOR and severe accident progression: Kyle Ross, Randy Gauntt (SNL); KC Wagner (dycoda); Hossein Esmaili, Allen Notafrancesco, Salman Haq, James Chang, Imtiaz Madni (NRC)
- MelMACCS: Nate Bixler, Doug Osborn (SNL); Shannon Thompson, Trey Hathaway (NRC)
- MACCS, consequence analysis and emergency response: Shannon Thompson, Jonathan Barr, Keith Compton, Matthew Dennis, Todd Smith, Edward Roach, AJ Nosek (NRC); Nathan Bixler, Joe Jones, Doug Osborn, Fotini Walton (SNL)
- UA methodology: Dusty Brooks, Aubrey Eckert-Gallup, Matthew Denman (SNL); Tina Ghosh, Trey Hathaway (NRC)
- Accident scenario development: Selim Sancaktar, Jose Pires (NRC)
- NRC Advisors: Ed Fuller, Kathy Gibson, Jose Pires, Martin Stutzke, Donnie Harrison, William Reckley, Patricia Milligan, James Hickey, Rudy Bernhard

- Overview and Accident Scenario Development
- Sequoyah MELCOR Model
- MELCOR STSBO Uncertainty Analysis
- MELCOR Select Individual Realizations Analysis
- MELCOR LTSBO Analysis
- MACCS Offsite Consequence Analysis
- MACCS Uncertainty Analysis
- Summary of Public Comments
- Overall Results and Conclusions
- Uses of SOARCA and Next Steps



U.S. NRC
UNITED STATES NUCLEAR REGULATORY COMMISSION
Protecting People and the Environment



Sandia
National
Laboratories

Overview

Jonathan Barr

Accident Analysis Branch

NRC Office of Nuclear Regulatory Research

Background


- **SECY-12-0092: SOARCA - Recommendation for Limited Additional Analysis**
 - Surry UA for a severe accident scenario
 - Station blackout (SBO) consequence analysis of an ice condenser containment
- **Staff Requirements Memorandum: Analyses should complement and support:**
 - Level 3 PRA project
 - Fukushima Near Term Task Force (NTTF) activities
 - 5.2 (reliable hardened vents for containment designs other than Mark I and II)
 - 6 (hydrogen control and mitigation inside containment or in other buildings)

Objectives

- Develop body of knowledge on the realistic outcomes of severe reactor accidents
- Incorporate plant improvements not reflected in earlier assessments
- Incorporate state of the art modeling (MELCOR/MACCS)
- Enable the NRC to communicate severe accident aspects of nuclear safety to diverse stakeholders
- Update the quantification of offsite consequences found in prior publications


Ice Condenser Containment

- Relatively low design pressure and smaller volume leads to potential susceptibility to early failure from hydrogen combustion in a station blackout
- Analyzed in Generic Safety Issue program (GSI-189)



Sequoyah SOARCA Approach

- Focus on issues unique to ice condenser containment
- Use latest version of codes
 - MELCOR version 2.1
 - MACCS version 3.10
- Consider latest plant- and site-specific information available including:
 - Core inventory
 - Population
 - Emergency response
- Integrate consideration of uncertainty into accident progression and consequence analysis



U.S. NRC
UNITED STATES NUCLEAR REGULATORY COMMISSION
Protecting People and the Environment



Sandia
National
Laboratories

Accident Scenario Development

Tina Ghosh, PhD
Accident Analysis Branch
NRC Office of Nuclear Regulatory Research

- Scope limited to station blackouts (SRM-SECY-12-0092)
- NRC's Standardized Plant Analysis Risk (SPAR) model for Sequoyah and consideration of external hazards informed the identification of candidate scenarios
- Approximate core damage frequency contribution estimates provided for context only



Sequoyah Accident Scenarios

- Initiating event is a beyond design basis seismic event with greater than 0.5 g peak ground acceleration
- Two variations of SBO selected:
 - Short-term SBO (STSBO): loss of all AC power and turbine-driven auxiliary feedwater pump (TDAFW) not available
 - Estimate contribution to core damage frequency approximately one in 500,000 years of reactor operation
 - Long-term SBO (LTSBO): loss of all AC power and TDAFW initially available but fails after batteries deplete
 - Estimate contribution to core damage frequency approximately one in 100,000 years of reactor operation

Key Assumptions

- Assume that the steel containment, containment isolation systems, and ice condensers survive in both STSBO and LTSBO
- In the STSBO, TDAFW is not available due to:
 - Component failure (e.g., batteries/DC power),
 - Failure to manually open the steam valve to TDAFW, or
 - Failure to establish a water supply
 - Do not credit human actions
- In the LTSBO, TDAFW is initially available

Key Events - Boundary Conditions for MELCOR Unmitigated STSBO

- LOOP initiating event: a beyond design basis earthquake, occurs.
- The reactor is tripped.
- The EDG, emergency AC, will receive start signal but will fail.
- The reactor coolant pumps (RCPs) will coast down and stop within a few minutes and all other pumps normally running (e.g., chemical and volume control system (CVCS) charging pumps) stop due to loss of AC power.
- Valves designed to fail-close, close to isolate systems and the containment (e.g., MSIVs).
- Emergency AC power not available due to SBO, therefore Motor-Driven AFW (MD-AFW) pumps fail to start.
- TDAFW is inoperable.
- Safety valves (SVs) on primary and secondary system open to control pressure, which decreases the RCS and SG water inventories.
- RCP seals start to leak initially at a nominal rate of 21 gpm.

Key Events - Boundary Conditions for MELCOR Unmitigated LTSBO


- Beginning same as STSBO – reactor trips, no AC power available, valves designed to fail-close, close to isolate systems and containment.
- In this case, because DC power is available, AFW system automatically receives a start signal; water supply available.
- TDAFW pump automatically maintains water level in steam generators, removing decay heat from core and preventing core damage as long as water inventory is available.
- Manual DC load shedding and secondary depressurization is successful. Secondary depressurization stops to maintain adequate steam pressure for the TDAFW.
- Battery runs out after 8 hours (i.e., nominally with successful load shedding) and all attempts to restore AC power prior to core damage are unsuccessful (both offsite and onsite).
- AFW steam turbine control valve fully opens following loss of DC power and increases AFW injection. AFW steam turbine fails when SG overfills.
- The MSL atmospheric relief valve closes following the loss of battery power and the SVs open to control pressure.

“Mitigated” Accident Scenarios

- The only potential mitigation that is modeled is crediting successfully supplying power to the hydrogen igniters
 - STSBO sensitivity case, for a realization from the unmitigated set with an early containment failure
 - LTSBO sensitivity case, with base case inputs

Sequoyah Scenario Variations

SBO	Mitigation	Variation	Approach
STSBO	Unmitigated (igniters not available)	No random ignition sources modeled	Integrated UA
		Random ignition sources modeled	
	Mitigated (only igniters available)		Sensitivity analysis
LTSBO	Unmitigated (igniters not available)	Hydrogen ignition criteria	Sensitivity analysis
		Battery duration	
		Safety valve behavior	
	Mitigated (only igniters available)		



U.S.NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment

Sequoyah MELCOR Model Overview

Kyle Ross

Sandia National Laboratories




Sequoyah MELCOR Model

- Equally representative of either of the Sequoyah units which are 3,455 MW_{th} Westinghouse 4-loop PWRs with ice-condenser containments
- MELCOR 2.1 general purpose model for transient or severe accident modeling
- Exercised to date for only SBO scenarios
- Fission product inventory consistent with middle of cycle
- Current with respect to steam generator replacement

Reactor Core Nodalization

- Active core represented with 12 axial COR levels and 5 radial COR rings
- Active core fluid volume represented with 5 stacks of 4 control volumes
- Supportive of in-vessel natural circulation
- Lower head discretized into 7 segments with 10 radial nodes



Hot Leg and Steam Generator Nodalization

- Hot leg and steam generator nodalization supportive of hot-leg countercurrent natural circulation
- Natural circulation, consistent with CFD analyses of NUREG-1922, accomplished with proactive flow path openings/closings and momentum additions
- Hot tube modeling, as included in the Surry UA model to best investigate SGTR potential, is not included in the Sequoyah model

Natural Circulation Flow Path Definitions
(identified in red on diagram)

*Natural circulation entry conditions defined as (a) hot leg CVs <5% water, (b) >10 K super heat in hot leg, and (c) recirculation pumps tripped.

*Maintain natural circulation flow paths when (a) hot leg CVs <25% full of water, (b) pumps are off, (c) no major creep rupture failures, and (d) loop seal flow is <20% of HL flow. (CF5664)

*FL504, FL531 and FL532 are open and FL530 is closed during non-natural circulation conditions. FL504, FL531 and FL532 are closed and FL530 is open in natural circulation conditions.


*FL503 and FL510 are open and FL535 and FL536 are closed in no-natural circulation conditions. FL503 and FL510 are closed and FL535 and FL536 are open in natural circulation conditions.

*FL535/FL502 and FL536/FL511 are adjusted to give mixing ratio of 20%/80%.

*FL501 pressure drop adjusted to give $C_D = 0.12$ (from FLUENT).

*FL512 and FL513 pressure drop adjusted to give $\text{Tube_flow/HL_flow} (M_{\text{ratio}}) = 2$.

*FL400 is open and FL405 and FL406 are closed during non-natural circulation conditions. FL400 is closed and FL405 and FL406 are open in natural circulation conditions.



Pressurizer SV Modeling

- Important what the 3 parallel SVs do as a system more so than what any valve does individually
- FTO and FTC possibilities
- If a FTO occurs or a FTC but in a mostly closed position, pressure relief transitions from the affected valve to the next set-point valve (State 1 to State 2 for example)
- If a FTC occurs, the RCS vents unregulated to containment (State 2 to State 4 for example)
- Should all 3 valves FTO, State 5 (no relief) develops





Figure 3-14: Possible transitions in the 3-SV pressurizer pressure relief system considering both FTO and FTC valve conditions

Containment Modeling

- Compartmentalized nature of an ice condenser containment reflected in model nodalization
- Ice chests represented with many control volumes as opposed to a few to allow steam admission to be more localized
- Incomplete sealing by ice condenser entrance doors assumed to be a normal condition
- Failure of ice condenser entrance doors to reclose if opened fully assumed, i.e., a forceful door opening is assumed to damage a door such that it cannot reclose




Containment Modeling (cont.)

- Leakage past the free standing steel containment vessel to the annular region between the vessel and the concrete shield building is included (this is a slight leakage)
- Overpressure rupture of the steel containment vessel accomplished with a 3-ft² hole from upper containment
- Shield building failure imposed coincident with steel containment vessel rupture (at the ventilation opening high on the building wall and at the door leading from the auxiliary building)

Containment Modeling – Upper/Lower Containment Barrier Seal

- Division between upper and lower containment in overall ice-condenser containment structure is completed by a piecewise rubberized barrier seal designed to limit the steam that can bypass the ice chests in a design basis LOCA
- In total, the seal is 464 feet long covering an area of 135 ft²
- 12 vertical and 11 horizontal ~3 ½”-wide segments
- The seal is intended to maintain its integrity during a DBA for a minimum of 12 hours exposing a leakage area of no more than 0.5 ft²
- Failure of a seal segment could largely increase deck bypass area (5 ft² might go to 15 ft²)
- The seal and its failure are represented in the MELCOR model in conjunction with representing nominal deck leakage




DETAIL A-1
 TYPICAL CONFIGURATION

Deflagration Modeling – Ignition Sources

- In one of the two sets of 600 UA calculations performed, available sources of flammable gas ignition were:
 - A hot plume issuing from an RCS breach at a hot leg nozzle or in the pressurizer surge line
 - > 0.1 m/s required
 - > 847 K (= H₂ auto-ignition temperature) required
 - Core debris on the containment floor
- In the other set of calculations (“with random ignition”), available sources of ignition were the above as well as an occasional momentary spark somewhere in containment characterized by:
 - A 1-second duration
 - A half-hour frequency
 - Appearance in one randomly-chosen control volume on each occasion

Deflagration Modeling – Combustibility Considerations

- Combustibility is dependent upon relative concentrations of fuel, oxidizer and diluent gasses measured as mole fractions (= ratios of partial pressure to total pressure in an ideal gas mixture)
- Too little fuel or oxidizer or too much diluent prohibits burns
- The strength of a burn depends on the amount of fuel available to burn that actually burns, i.e., combustion completeness is important
- Lesser values of LFL relate to lesser accumulations of fuel at ignition and hence lesser strength burns
- Combustion completeness is a function of fuel concentration at ignition





Deflagration Modeling – Combustible Mixture Criteria

- For the origination of a burn, the SOARCA Sequoyah model expands upon MELCOR's default fixed criteria of $> 0.10 \text{ H}_2$, $> 0.05 \text{ O}_2$ and $< 0.55 \text{ H}_2\text{O}$ to include LFL variability per work of Kumar
- For the propagation of a burn from one control volume to another, MELCOR's default fixed criteria of $> 0.04 \text{ H}_2$, $> 0.06 \text{ H}_2$, and $> 0.09 \text{ H}_2$, for upward, lateral and downward propagation, respectively, $> 0.05 \text{ O}_2$ and $< 0.55 \text{ H}_2\text{O}$, were maintained (propagation directionality being user-defined in flow path descriptions)
- Provision added for variably defining H_2 LFL in consideration of the direction a burn would need to propagate from its origin: 0.04, 0.06 or 0.09 dependent upon propagation being upward (e.g., from a floor), lateral (e.g., in a horizontal duct) or downward (e.g., from a ceiling), respectively

Deflagration Modeling – Combustible Mixture Criteria (cont.)

- Additionally defined sufficient fuel (H_2 and or CO) to be a function of diluent (e.g., H_2O or CO_2) concentration
- Further included a temperature dependence of 0.005 and 0.01 less H_2 per $100^\circ C$ for upward and downward propagation, respectively
- Maintained MELCOR default of 0.05 O_2 necessary for a burn





U.S.NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment



Sandia
National
Laboratories

MELCOR STSBO Uncertain Parameters

Kyle Ross
Sandia National Laboratories

Uncertain Parameter Selection and Valuation

- Involved SNL and NRC staff having expertise in applying MELCOR and continuous involvement in SOARCA
- Included subject matter experts (SMEs) in review of data and consideration of phenomena
- Systematic considerations of the phenomenological areas of sequence, in-vessel and ex-vessel accident progression, containment behavior, and aerosol transport and deposition were made
- Influence on containment failure timing paramount

Uncertain Parameter Selection and Valuation (cont.)

- Parameters treated as uncertain in the SOARCA Peach Bottom and Surry UAs were considered for inclusion as uncertain in the Sequoyah analyses
- Parameters excluded if irrelevant or shown to be unimportant in the accomplished UAs unless the determination was made that an ice condenser type of containment could raise their importance
- Additionally, uncertain parameters judged to have had their influences well characterized in the completed UAs (Cs dominant as CsOH or Cs₂MoO₄ for example) were also excluded

Uncertain Parameter Selection and Valuation (cont.)

- A ‘storyboard’ process was implemented
 - Required analysts to document and defend rationale for including a parameter as uncertain and for the shape and bounds of the probability distribution applied
 - Iterative and inclusive of SNL/NRC subject matter experts
 - Intent upon characterizing uncertain parameters with the best defensible basis available
- Uncertain parameters were considered relative to each other for correlative effects - none were identified

Uncertain Parameter Selection – Storyboard Illustration

Parameter Name:	Type of Distribution:
Owner:	
Technical justification for the uncertainties:	
Rationale for type of distribution:	
Were similar or related parameters considered and rejected.	
Graphic: (plot of the distribution)	

Figure 3-12: Parameter storyboard used to capture key information for each parameter investigated

Uncertain Parameter Selection and Valuation (cont.)

- Departures from known technical bases were scrutinized (momentary ignition sources random in location for example)
- 9 parameters wound up being treated as uncertain

Uncertain Parameter Selection – Chosen Parameters

<p>Sequence Issues</p>	<ul style="list-style-type: none"> • Number of cycles to failure to open/close of pressurizer SVs • Pressurizer SV flow area given failure to close
<p>In-Vessel Accident Progression</p>	<ul style="list-style-type: none"> • Melting temperature of the eutectic formed between ZrO₂ and UO₂
<p>Ex-vessel Accident Progression and Containment Behavior</p>	<ul style="list-style-type: none"> • Containment failure pressure • Ice condenser inlet door stuck position following a forceful full opening • Containment barrier seal failure differential pressure and area
<p>Hydrogen Combustion</p>	<ul style="list-style-type: none"> • Flammability (direction of flame propagation from an ignition source) • Ignition source availability
<p>Aerosol Transport and Deposition</p>	<ul style="list-style-type: none"> • Dynamic shape factor

Pressurizer SV FTC

- Important what the 3 parallel SVs do as a system more so than what any valve does individually FTO and FTC possibilities
- If a FTO occurs or a FTC but in a mostly closed position, pressure relief transitions from the affected valve to the next set-point valve (State 1 to State 2 for example)
- If a FTC occurs, the RCS vents unregulated to containment (State 2 to State 4 for example)
- Should all 3 valves FTO, State 5 (no relief) develops




Figure 3-14: Possible transitions in the 3-SV pressurizer pressure relief system considering both FTO and FTC valve conditions

Pressurizer SV FTC (cont.)

- Failure probabilities obtained from Table 20, “Failure probabilities for PWR code safety valves (behavior after scrams)”, in NUREG/CR-7037 informed the uncertainty characterizations of stochastic SV failure in the UA
- Table 20 reports on SV operation subsequent to actual scram events. Information is included for both main steam system (MSS) and reactor coolant system (RCS) valves
- The assumption was made in the UA that MSS and RCS SVs are alike enough in construct and servicing that their failure data can be jointly considered
- Subsequent demands were assumed to have the same failure probabilities as initial demands
- Recovered valve function, e.g., a previously stuck-open valve closing when pressure reduces, was not taken to be successful valve operation

Pressurizer SV FTC (cont.)

- The Main Steam System Code Safety Valves section of Table 20 reports 0 failures to open and 15 failures to close in 769 demands considering all failures (recovered and non-recovered)
- The Reactor Coolant System Code Safety Valves section of the table reports 0 failures to open and 2 failures to close in 4 demands considering all failures
- Combining the MSS and RCS valve failures identifies 0 failures to open and 17 failures to close in 773 demands
- These failure rates served as the bases for uncertainty characterization of stochastic SV failure in the UA
- Noteworthy with respect to these failure rates is that they are derived from actual events at US plants

Pressurizer SV FTC (cont.)

- NUREG/CR-7037 (Table 22) reports on failure rates in SV testing but the rates differ markedly from the rates evidenced by actual plant events suggesting (to the UA analysts) that aspects of the testing were inconsistent with actual conditions experienced by an installed valve, and as such, the testing data was not considered applicable

Pressurizer SV FTC (cont.)

- Beta distribution with $\alpha = 17.5$, $\beta = 756.5$ used to sample FTC probability
- Distribution truncated at 1,000 cycles based on the judgment that an SV could not reasonably be expected to cycle hundred of times without failure
- The non-zero possibility of all 3 valves failing to open was supported in the sampling but didn't materialize in 1,200 trials




Figure 4-2: CDF for the number of cycles after which any single pressurizer SV will fail open compared to the CDF for the number of cycles after which all 3 valves will fail closed

Pressurizer SV Position Given FTC (*SV_frac*)

- Uncertainty in SV position given a stochastic FTC simply taken to be equally likely anywhere between slightly and fully open
- Fractionally-open flow areas were sampled uniquely for FTC conditions of pressurizer SVs 1,2 and 3, respectively
- Regression input parameter *SV_frac* formed as the sum of the individual open fractions of the 3 pressurizer SVs

Eutectic Melting Temperature

- The uncertainty in the melting temperature of the eutectic formed between fuel (UO_2) and zirconium oxides is addressed thru the parameter EU_melt_T
- Localized fuel rod liquefaction occurs when the temperature of the oxidized cladding shell reaches EU_melt_T
- UO_2 and ZrO_2 melting temperatures are defined to be EU_melt_T
- EU_melt_T serves a surrogate role in investigating the number of uncertainties associated with loss of fuel rod integrity
- Historical default MELCOR value of 2,800 K
- SNL best-practice value of 2,500 K

Eutectic Melting Temperature (cont.)


- Phebus and VERCORS experiments suggest that irradiated fuel and oxidized cladding exhibit eutectic liquefaction at lower temperatures

VERCORS Collapse Temperatures

Test	Collapse Temperature (K)
T1	2525
HT1	2550
HT2	2400
HT3	2525
V_6	2525
RT6	2350
Mean	2479
Standard Deviation	83

Eutectic Melting Temperature (cont.)

- A normal distribution was fit to the VERCORS data to describe the general range of potential collapse temperatures given varying environmental conditions
- Mean 2,479 K and standard deviation 83



Hydrogen Flammability

- Within the compartmentalized construct of an ice-condenser containment, sources of ignition could be variably located such that the direction a burn would propagate from the source of ignition could be upward, downward or somewhere in between
- The minimum H₂ concentration (LFL) supportive of a burn is dependent on propagation direction and is the basis for LFL sampling in the UA
- A discrete uniform distribution is applicable since no one direction of propagation seems more likely than another (sampled parameter *burn_dir*)
- Experimentally determined (Kumar) values of LFL = 0.04, 0.065 and 0.09 nominally adopted for upward, lateral and downward propagation, respectively, but with modest dependence on temperature and steam concentration




Figure 3-18 Uncertainty distribution for direction of burn propagation from source of ignition

Hydrogen Flammability (cont.)


- H₂ LFL sampling limited to the origination of a burn as opposed to the propagation of a burn from one control volume to the next
- A hot plume issuing from a hot leg nozzle breach or core debris on the containment floor necessary for ignition in one of the two sets of 600 MELCOR calculations made
- An uncharacterized or “random” source of ignition was introduced periodically somewhere in containment as an additional means of ignition in the other of the two sets of MELCOR calculations

“Random” Ignition of Combustible Gasses

- In one of the two sets of 600 MELCOR calculations made, an uncharacterized or “random” source of ignition was introduced periodically somewhere in containment
- Representative, for example, of a spark occurring as piping jostles during an aftershock following an earthquake
- Additional to the sources of hot plume issuing from a hot leg breach or core debris on the containment floor
- Every ½ hour from the time of the initiating event
- Momentary (1-sec duration)
- Randomly somewhere in containment

Containment Modeling – Upper/Lower Containment Barrier Seal



- Uncertainty in the differential pressure that will tear or otherwise fail the rubberized seal between upper and lower containment was addressed
- Uncertainty in the breached area resulting from a seal tear is also addressed
- Longer seal segments were taken to have a greater chance of local weakness and, accordingly, the probability of a segment tearing is defined proportional to its area



DETAIL A-1
TYPICAL CONFIGURATION


Upper/Lower Containment Barrier Seal (cont.)

- Discrete distribution applied in specifying the open area left by a failed seal segment (sampled parameter *Seal_Open_A*)
- Prototypic seal tested to 30 psid
- Upper bound at the differential pressure that would load a seal to its design capacity (100 lb/in → 57.14 psid)
- Beta distribution applied so that majority of failures occur between qualified (30 psid) and design (57.14 psid) differential pressure (sampled parameter *Seal_Fail_Dp*)
- Effective lower bound at 15 psid consequential to the applied distribution
- Ten percent of samples are below design to somewhat acknowledge accident conditions, e.g., elevated temperatures, which could lead to failures at lower pressure differentials
- One seal segment allowed to fail



Failed Ice Condenser Door Open Area Fraction

- The uncertain fractionally open area of a failed ice condenser inlet door is managed thru parameter *AJAR*
- Doors assumed to fail to reclose if at some point they open fully
- Same open fraction defined for each of the 5 flow paths representing ice condenser inlet doors via a uniform distribution between 0 and 1



Aerosol Shape Factor

- Uncertainty in the shape of aerosol agglomerates is addressed thru the parameter *shape_factor*
- MELCOR default value of 1.0 (spherical)
- Sampling via a scaled beta distribution with $\alpha=1$ and $\beta=5$ and bounded at 5.0 from consideration of experimental conclusions (Kasper, Brockmann and Hinds)




Figure 3-24 Shape factor versus the number of spheres within a chain

Aerosol Shape Factor (cont.)





Figure 3-24 CDF of dynamic shape factor


- The α value yields a function that has a peak close to the lower bound of 1.0, while the β value yields about 75 percent of samples between 1.0 and 2.0 while allowing some samples at values up to 5.0.

Containment Rupture Pressure

- Uncertainty in the pressure that a Sequoyah free-standing steel containment vessel can withstand before rupturing is addressed thru parameter *rupture*
- Historical NRC-sponsored and current NRC in-house finite element analyses consistently suggest a best-estimate very near 67 psig
- Historical expert solicitation reported on in NUREG/CR-4551 and adopted in NUREG-1150, suggests 65 psig as best-estimate
- Current interpretation of historical finite element results suggests a range between 52 psig and 78 psig
- Accordingly, sampling of *rupture* was accomplished with a triangular distribution having a mode of 67 psig and bounds of 52 psig and 78 psig



Sequoyah free-standing steel containment vessel with circumferential stiffeners



U.S. NRC
UNITED STATES NUCLEAR REGULATORY COMMISSION
Protecting People and the Environment



Sandia
National
Laboratories

MELCOR Uncertainty Analysis Results

Tina Ghosh, PhD
Accident Analysis Branch
NRC Office of Nuclear Regulatory Research

Scope of MELCOR UA for Unmitigated STSBO

- Figures of merit studied: cesium release magnitude, iodine release magnitude, in-vessel hydrogen generation, containment failure time, time of initial release
- Complementary methods used to analyze Monte Carlo simulation results:
 - Four regression analysis techniques to identify influential parameters based on a statistical perspective of the set of realizations
 - 1-D and 2-D scatter plots to identify individual and joint influences of parameters on figures of merit
 - Investigation of select individual realizations for phenomenological explanations of different results

CDFs of Containment Rupture Time with and without Random Ignition Sources




Figure 4-14 CDFs of containment rupture time with and without random ignition

* One random ignition case with a late containment failure due to hydrogen burn

Containment Failure Time versus RPV Breach Time – without Random Ignition




Figure 4-15

Containment rupture time versus RPV breach time colored by whether rupture was immediate to a deflagration – without random ignition

Primary Cycles versus SV Open Fraction Early (Red Δ)/Late (Blue \circ) Containment Failures – without Random Ignition





Figure 4-17 Relationship of priSVcycles to SV_Frac colored by containment failure timing – without random ignition

Containment Failure Time versus Hydrogen Flow through PRT Rupture Disk – without Random Ignition

STSBO Containment Rupture Time Vs PRT Burst Disk Integral H2 Flow



Iodine Release Fractions for Realizations without Random Ignition




Figure 4-20 Iodine release fractions over 72 hours with mean, median, 5th and 95th percentiles

Iodine Release Fractions for Realizations with Random Ignition




Figure 4-51 Iodine release fractions over 72 hours with mean, median, 5th and 95th percentiles

Regression Analysis of Iodine Release Fractions

	Rank Regression		Quadratic		Recursive Partitioning		MARS		Main Contribution	Conjoint Contribution
Final R ²	0.31		0.44		0.82		0.47			
Input	R ² contr.	SRRC	S _i	T _i	S _i	T _i	S _i	T _i		
	<i>Without Random Ignition Source</i>									
<i>SV_frac</i>	0.20	0.29	0.34	0.58	0.27	0.57	0.33	0.32	0.18	0.12
<i>priSVcycles</i>	0.04	-0.27	0.14	0.34	0.13	0.42	0.49	0.49	0.11	0.11
<i>rupture</i>	0.03	-0.17	0.06	0.08	0.06	0.25	0.05	0.05	0.03	0.06
<i>EU_melt_T</i>	0.02	0.13	0.08	0.09	0.02	0.10	0.10	0.10	0.03	0.03
	<i>With Random Ignition Source</i>									
Final R ²	0.19		0.28		0.78		0.32			
<i>rupture</i>	0.07	-0.25	0.21	0.22	0.13	0.45	0.22	0.22	0.08	0.08
<i>priSVcycles</i>	0.07	-0.29	0.13	0.25	0.08	0.43	0.38	0.38	0.07	0.10
<i>SV_frac</i>	---	---	0.25	0.46	0.14	0.57	0.00	0.00	0.06	0.13
<i>ajar</i>	0.03	-0.18	0.05	0.11	0.02	0.31	0.22	0.21	0.03	0.08
<i>EU_melt_T</i>	0.01	0.07	0.06	0.08	0.01	0.09	0.18	0.19	0.02	0.03

* highlighted if main contribution larger than 0.02 or conjoint contribution larger than 0.1

Cesium Release Fractions for Realizations without Random Ignition




Figure 4-27 Cesium release fractions over 72 hours with mean, median, 5th and 95th percentiles

Cesium Release Fractions for Realizations with Random Ignition





Figure 4-59 Cesium release fractions over 72 hours with mean, median, 5th and 95th percentiles

Regression Analysis of Cesium Release Fractions

	Rank Regression		Quadratic		Recursive Partitioning		MARS		Main Contribution	Conjoint Contribution
	<i>Without Random Ignition Source</i>									
Final R ²	0.71		0.68		0.88		0.75			
Input	R ² contr.	SRRC	S _i	T _i	S _i	T _i	S _i	T _i		
<i>SV_frac</i>	0.66	0.72	0.82	0.93	0.57	0.84	0.62	0.74	0.55	0.14
<i>priSVcycles</i>	0.02	-0.16	0.02	0.09	0.12	0.32	0.21	0.33	0.07	0.10
<i>shape_fact</i>	0.01	0.10	0.03	0.05	0.02	0.11	0.03	0.04	0.02	0.03
<i>With Random Ignition Source</i>										
Final R ²	0.63		0.61		0.89		0.63			
<i>SV_frac</i>	0.56	0.64	0.70	0.88	0.53	0.87	0.85	0.90	0.50	0.15
<i>priSVcycles</i>	0.02	-0.20	0.02	0.11	0.08	0.25	0.07	0.06	0.03	0.07
<i>shape_fact</i>	0.02	0.15	0.03	0.07	0.02	0.23	0.03	0.08	0.02	0.08

* highlighted if main contribution larger than 0.02 or conjoint contribution larger than 0.1



U.S.NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment



Sandia
National
Laboratories

MELCOR Select Individual Realizations Analysis

Kyle Ross


Sandia National Laboratories


Select Realization Criteria

I.D.	Selection criterion	Demonstrative RIz ¹
1	The base STSBO UA case	Base calculation
2	The case with earliest containment failure	338
3	A case with containment remaining intact at 72 hr	171
4	The case with the earliest FTC of a pressurizer SV	142
5	A case without a FTC of a pressurizer SV	469
6	A case with coincident RPV breach and containment failure	338
7	The case with the least in-vessel hydrogen production	469
8	The case with the most in-vessel hydrogen production	225
9	The case with the smallest Cs release to the environment	174
10	The case with the largest Cs release to the environment	142
11	The case with the earliest RPV breach	551
12	The case with the latest RPV breach	148
13	A case without hot leg failure	77
14	A case with early RPV breach and early containment failure not coincident	133

1. All demonstrative RIzs are without random sources of ignition included

Select Realizations





Key Considerations

- H₂ ignition requisite on hot leg failure or core debris on the floor
- H₂ concentration necessary to originate a burn treated as uncertain but not to propagate a burn
- With respect to pressurizer SV function, what happens to the 3 parallel valves as a system is paramount as opposed to what happens to any valve individually

Select Realization Results and Indications

- Principally important to containment failure timing is the amount of H₂ vented by the RCS to containment prior to RPV hot leg or lower head failure
- Deterministic to the amount of H₂ vented is
 - Whether a pressurizer SV FTC occurs
 - SV position given a FTC
- SV FTC necessary for containment failure before 24 hr
- ~72 SV cycles indicative of no SV failure
- Substantial FTC open area necessary for containment failure before 24 hr

Select Realization Results and Indications (cont.)


- If a pressurizer SV did not suffer a FTC, hot leg nozzle failure occurred at 3.7 hr
- “Early” containment failures came immediate to H₂ burns
- High “dry” hydrogen buildup in the containment dome was a precursor to containment failure occurring immediate to an H₂ burn
- Coincidentally, the uncertainty in containment failure pressure and the variability in the pressure resulting from H₂ burns overlap

Select Realization Results and Indications (cont.)


- “Late” containment failures:
 - Were associated more often with early hot leg or lower head failure
 - Continually experienced insufficient hydrogen, excessive steam, a lack of sufficient oxygen or a missing ignition source such that deflagrations large enough to fail containment never occurred
 - Eventually resulted from monotonic pressurization driven by fission product decay primarily thru steam generation but also non-condensable gas generation from core-concrete interaction
- Greater deposition of fission products in the PRT resulted as a consequence of early SV FTC (an unsustainable situation because of associated decay power)

Influence of H₂ Amount Vented from RCS Prior to Hot Leg Failure


- Rlz 338 fails containment immediate to hot leg rupture and an H₂ deflagration
- Rlz 171 fails containment after >72 hr following a monotonic pressurization




Influence of H₂ Amount Vented from RCS Prior to Hot Leg Failure (cont.)



Influence of H₂ Amount Vented from RCS Prior to Hot Leg Failure (cont.)




Influence of Deflagration Criteria




PRT Involvement in Fission Product Release


- Steam relieved from the RCS by the pressurizer SVs vents to the Pressurizer relief tank (PRT)
- Initially steam condenses in the water pool always held by the tank
- Given core damage, fission products are carried by SV relief flows to the PRT where they substantially deposit in the water pool if there is one
- In an SBO, the water in the PRT eventually saturates and the tank pressurizes to rupture its burst disk at which point the water evaporates and dry fission products deposits result in the tank
- The dry deposits with their incessant decay power are susceptible to re-vaporization and further transport
- Degree of involvement of the PRT strongly dependent on SV FTC timing

PRT Involvement in Fission Product Release – Very Early SV FTC



PRT Involvement in Fission Product Release – No SV FTC





U.S. NRC
UNITED STATES NUCLEAR REGULATORY COMMISSION
Protecting People and the Environment



MELCOR Long-Term Station Blackout (LTSBO) Analysis

Hossein Esmaili


Fuel and Source Term Code Development Branch
NRC Office of Nuclear Regulatory Research

LTSSBO Base Case Sequence



Event Description	Time (hh:mm)
Initiating event; Station blackout – loss of all onsite and offsite AC power	00:00
MSIVs close; Reactor trip; RCP seals initially leak at 21 gpm/pump	00:00
TDAFW auto initiates at full flow	00:00+
Operators control TDAFW to maintain level	00:15
Operators initiate controlled RCS cooldown of secondary at ~100°F/hr	01:00
Accumulators begin injecting	03:08
SG cooldown stopped at 300 psig to maintain TDAFW flow	03:42
DC Batteries Exhausted / SG ARVs reclose	08:00
SG1 fills up and floods the AFW steam turbine (AFW shuts down)	10:14
SG3 SV stuck open (after 45 cycles)	14:36
SG1 SV stuck open (after 5 cycles with water flow)	17:06
Pressurizer SV opens	20:06
PRT failure (4% ice melted)	20:30
Water level below top of active fuel	20:48
Pressurizer SV stuck open (45 cycles)	22:20
First fission product gap releases	22:48
Creep rupture failure of the hot leg nozzle in combined loop	24:42
1st hydrogen deflagration/containment failure	24:42
Vessel lower head failure by creep rupture	28:36
100% of the ice melted	34:38




Unmitigated LTSBO Results





Unmitigated LTSBO Results



Unmitigated LTSBO Results





Fission product (Cs, I) distribution





Unmitigated LTSBO Sensitivity

Case	Description
S1	SG1 SRV is assumed to fail at 1 st cycle with water flow
S2	Secondary side SRVs do not fail
S3	Same as S1 but the flow area for SG3 SRV is reduced to correspond to a single SG
S4	Station batteries run out at 4 hours
S5	Pressurizer SRV is assume to stick open on 1 st cycle




Unmitigated LTSBO Sensitivity

Case	Description
S1	SG1 SRV is assumed to fail at 1 st cycle with water flow
S2	Secondary side SRVs do not fail
S3	Same as S1 but the flow area for SG3 SRV is reduced to correspond to a single SG
S4	Station batteries run out at 4 hours
S5	Pressurizer SRV is assume to stick open on 1 st cycle




Note: Light curves are the unmitigated STSBO realizations without random ignition

Effect of Igniters (STSBO)




Effect of Igniters (LTSBO)



- Containment overpressure failure could be early or late dependent upon whether the overpressure resulted suddenly from an H₂ burn or eventually from a monotonic increase driven by steam production, non-condensable gas generation and heating of the containment atmosphere
 - This early/late bifurcation in containment failure timing depends on multiple phenomena, for example, the amount of H₂ vented from the RCS prior to an ignition source (hot leg failure) being present in containment
 - Early containment failure depends on mechanisms to distribute hydrogen into the containment prior to ignition which was dependent on pressurizer SV function, and the containment failure pressure
 - The major impact of modeling random sources of ignition in the unmitigated STSBO is to delay early containment failure by reducing large H₂ buildups
- The magnitude of the source term was most impacted by parameters that effect the timing of containment failure and those that contribute to fission product revaporization
 - These parameters include pressurizer SV function and containment failure pressure

Summary of MELCOR Analysis (cont.)

- The UA showed aerosol shape factor, LFL, the response of the lower ice chest door and ice chest bypass had a low impact on the source term
- LTSBO sensitivity calculations had “early” containment failure at hot leg failure due to a hydrogen burn
 - Qualitatively the release signature resembles most of the early STSBO failure cases
- Successful use of igniters averts early containment failure
- The ice is effective at slowing containment pressurization and can delay potential containment failure



U.S. NRC
UNITED STATES NUCLEAR REGULATORY COMMISSION
Protecting People and the Environment



Sandia
National
Laboratories

MACCS Offsite Consequence Analysis


Shannon Thompson, PhD

Accident Analysis Branch

NRC Office of Nuclear Regulatory Research


MACCS Offsite Consequence Analysis

- MACCS models the atmospheric transport and dispersion of releases, protective actions, exposure, doses, and health effects and reports early fatality and latent cancer fatality risks
- Developed a site-specific MACCS model for Sequoyah
 - Site meteorology, population, and land cover
 - Seismically impacted road network and evacuation
- Completed selected deterministic analyses of:
 - STSBO
 - STSBO Early Release
 - LTSBO
- Completed uncertainty analyses of unmitigated STSBO cases in parallel with the deterministic analyses



Sequoyah Weather Summary

**Wind Direction Frequencies at 10 Meters
 2008 - 2012**



2012 Meteorological Statistics

Category	Metric	Result
Stability Class	Unstable (%)	6.0%
	Neutral (%)	42.0%
	Stable (%)	52.0%
Precipitation	Total (in)	39.3
	Frequency (hr)	528
	Frequency (%)	6.0%
Wind Speed	Average (m/s)	1.66
Data Recovery	Percentage	99.4%

Sequoyah Population Data and Cohort Definitions


Population Density

Distance (mi)	Cumulative Population (2015)	Population Density (persons/mi ²)
1	236	75
2	2,654	211
5	27,081	345
10	97,731	311
15	280,278	397
20	483,009	384
30	692,837	245
40	906,106	180
50	1,101,452	140

Cohorts have unique emergency response characteristics

Cohort	Distance	Description
1	0 to 10 miles	Schools
2	0 to 10 miles	Special facilities (e.g., hospitals)
3	0 to 10 miles	Transit dependent evacuees
4	0 to 10 miles	General public early evacuees
5	0 to 10 miles	General public middle evacuees
6	0 to 10 miles	General public tail evacuees
7	10 to 15 miles	Shadow evacuees
8	0 to 10 miles, 10 to 15 miles, >15 miles	Non-evacuating public


Seismically Impacted Evacuation of EPZ



10 mile EPZ


- Initiating event is a beyond-design-basis earthquake
- We assume bridges in the EPZ are unusable (🌊)
- Road capacity analysis shows evacuation times increase from ~8 hours by 50% due to the reduced capacity and re-routing
- EPZ evacuation time is completed ~12 hours from accident initiation

Evacuation Timelines and Travel Speeds






Release Profiles of Selected Cases



Individual LCF Risk Results




LCF Risk Result Trends

- LCF risks are a function of release duration as well as magnitude and timing
- For the deterministic cases, longer release durations result in increased long term LCF risks near the plant
- Longer releases are more widely dispersed due to wind shifts
- Dispersion in more directions leads to larger areas of contaminated land
- This can result in exposure to more people which increases the long term LCF risk (particularly so if the contamination is just below the habitability criterion)

Offsite Consequence Analysis Summary

- The deterministic analyses LCF risk results range from $5E-04$ to $9E-04$ for the 0 – 10 mile region and generally decrease with increasing distance from Sequoyah.
- The long term phase risks dominates the emergency phase risk results.
- For these cases, the early fatality risks are zero.
- Even in the case of a very early release, LCF risks are of similar magnitude as the other cases.



U.S. NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment



Sandia
National
Laboratories

MACCS Uncertainty Analysis

Tina Ghosh, PhD

Accident Analysis Branch

NRC Office of Nuclear Regulatory Research

Sequoyah STSBO: MACCS Uncertain Parameter Groups

Deposition

- Wet Deposition
- Dry Deposition Velocities

Dispersion

- Crosswind Dispersion Linear Coefficient
- Vertical Dispersion Linear Coefficient
- Time-Based Crosswind Dispersion Coefficient*

Latent Health Effects

- Dose and Dose Rate Effectiveness Factor
- Lifetime Cancer Fatality Risk Factors
- Long Term Inhalation Dose Coefficients

Early Health Effects

- Threshold Dose
- Lethal Dose to 50% of population
- Hazard Function Shape Factor

Shielding Factors

- Groundshine Shielding Factors
- Inhalation Protection Factors

Emergency Response

- Evacuation Delay
- Evacuation Speed
- Hotspot Relocation Time and Dose Criteria
- Normal Relocation Time and Dose Criteria

Aleatory Uncertainty

- Weather Trials

Time-Based Crosswind Dispersion Coefficient (CYCOEF)

- Linear coefficient for the time-based, crosswind dispersion model
- Switching to a time-based dispersion model at longer downrange distances (>30 km or 19 miles) is a commonly-used practice in atmospheric transport modeling




Figure 5-27 CDF of CYCOEF

Mean (over weather variation) individual LCF risk conditional on the STSBO w/o random ignition accident occurring (per event)

	0-10 Miles	0-20 Miles	0-30 Miles	0-40 Miles	0-50 Miles
Mean	3.5E-04	3.9E-04	3.6E-04	3.3E-04	2.9E-04
Median	2.9E-04	2.9E-04	2.8E-04	2.5E-04	2.3E-04
5th Percentile	8.4E-05	7.8E-05	7.6E-05	7.1E-05	6.7E-05
95th Percentile	8.3E-04	9.9E-04	9.0E-04	7.8E-04	7.1E-04


Table 6-7 Mean individual LCF risk conditional on the STSBO w/o random ignition accident occurring (per event) for five intervals centered on Sequoyah.

Mean (over weather variation) individual LCF risk conditional on the STSBO with random ignition accident occurring (per event)

	0-10 Miles	0-20 Miles	0-30 Miles	0-40 Miles	0-50 Miles
Mean	3.1E-04	3.1E-04	3.0E-04	2.7E-04	2.5E-04
Median	2.6E-04	2.5E-04	2.5E-04	2.3E-04	2.1E-04
5th Percentile	7.4E-05	7.7E-05	8.0E-05	7.5E-05	6.9E-05
95th Percentile	6.5E-04	7.2E-04	6.8E-04	6.1E-04	5.5E-04

Table 6-15 Mean, individual STSBO with random ignition LCF risk, conditional on accident (per event) for the MACCS uncertainty analysis for five intervals centered on Sequoyah.

Complementary Cumulative Distribution Function (CCDF) of Mean (over weather variation), Individual LCF Risk, Per STSBO Event, w/out Random Ignition



Mean, Individual, LCF Risk Regression Results within 0 – 10 mile for STSBO Based on LNT

Input	Rank Regression		Quadratic		Recursive Partitioning		MARS		Main Contribution	Conjoint Contribution
	R ² contr.	SRRC	S _i	T _i	S _i	T _i	S _i	T _i		
Final R ²	0.67		0.85		0.86		0.73			
Without Random Ignition Sources										
SV_frac	0.28	0.50	0.28	0.36	0.26	0.55	0.35	0.39	0.25	0.12
CFRISK(8)	0.14	0.32	0.17	0.23	0.18	0.50	0.27	0.31	0.16	0.12
CFRISK(7)	0.06	0.26	0.08	0.11	0.01	0.08	0.10	0.11	0.05	0.03
DDREFA(8)	0.04	-0.21	0.05	0.07	0.03	0.17	0.07	0.09	0.04	0.05
GSHFAC(2)	0.03	0.19	0.03	0.08	0.02	0.11	0.05	0.05	0.03	0.04
rupture	0.04	-0.21	0.02	0.03	0.01	0.12	0.06	0.06	0.03	0.03
With Random Ignition Sources										
Final R ²	0.62		0.82		0.89		0.76			
CFRISK(8)	0.18	0.42	0.28	0.38	0.25	0.54	0.38	0.50	0.23	0.14
SV_frac	0.17	0.37	0.17	0.24	0.21	0.52	0.10	0.15	0.14	0.12
DDREFA(8)	0.07	-0.26	0.06	0.09	0.06	0.26	0.08	0.14	0.06	0.08
CFRISK(7)	0.03	0.22	0.06	0.07	0.01	0.03	0.07	0.09	0.04	0.01
CFRISK(3)	0.03	0.17	0.03	0.11	0.01	0.07	0.05	0.10	0.02	0.05
GSHFAC(2)	0.03	0.20	0.03	0.03	---	---	0.04	0.08	0.02	0.01

* highlighted if main contribution larger than 0.02 or conjoint contribution larger than 0.1 110

Mean, Individual, LCF Risk Regression Results in 10 – 20 mile Interval for STSBO Based on LNT

	Rank Regression		Quadratic		Recursive Partitioning		MARS		Main Contribution	Conjoint Contribution
Final R ²	0.64		0.80		0.80		0.72			
Input	R ² contr.	SRRC	S _i	T _i	S _i	T _i	S _i	T _i		
	<i>Without Random Ignition Source</i>									
SV_frac	0.29	0.51	0.26	0.37	0.29	0.62	0.36	0.41	0.25	0.13
CFRISK(8)	0.09	0.25	0.12	0.19	0.06	0.15	0.10	0.16	0.08	0.06
CFRISK(7)	0.05	0.23	0.07	0.13	0.02	0.07	0.09	0.12	0.04	0.03
DDREFA(8)	0.03	-0.18	0.03	0.05	0.04	0.26	0.06	0.11	0.03	0.07
CFRISK(4)	0.04	0.17	0.04	0.06	0.01	0.07	0.05	0.05	0.03	0.02
rupture	0.04	-0.20	0.04	0.06	0.00	0.06	0.05	0.12	0.03	0.04
shape_fact	0.00	0.06	0.02	0.04	0.07	0.15	0.01	0.09	0.02	0.04
<i>With Random Ignition Source</i>										
Final R ²	0.59		0.79		0.82		0.71			
SV_frac	0.22	0.39	0.16	0.26	0.20	0.55	0.15	0.47	0.15	0.20
CFRISK(8)	0.12	0.36	0.15	0.21	0.14	0.36	0.21	0.26	0.13	0.09
DDREFA(8)	0.05	-0.24	0.06	0.10	0.09	0.36	0.05	0.13	0.05	0.10
CFRISK(4)	0.02	0.14	0.00	0.09	0.01	0.13	0.05	0.35	0.02	0.13

* highlighted if main contribution larger than 0.02 or conjoint contribution larger than 0.1

Mean, Individual, LCF Risk Regression Results within a 0 – 50 mile for STSBO Based on LNT

	Rank Regression		Quadratic		Recursive Partitioning		MARS		Main Contribution	Conjoint Contribution
Final R ²	0.64		0.80		0.80		0.72			
Input	R ² contr.	SRRC	S _i	T _i	S _i	T _i	S _i	T _i		
	<i>Without Random Ignition Source</i>									
SV_frac	0.29	0.51	0.26	0.37	0.29	0.62	0.36	0.41	0.25	0.13
CFRISK(8)	0.09	0.25	0.12	0.19	0.06	0.15	0.10	0.16	0.08	0.06
CFRISK(7)	0.05	0.23	0.07	0.13	0.02	0.07	0.09	0.12	0.04	0.03
DDREFA(8)	0.03	-0.18	0.03	0.05	0.04	0.26	0.06	0.11	0.03	0.07
CFRISK(4)	0.04	0.17	0.04	0.06	0.01	0.07	0.05	0.05	0.03	0.02
rupture	0.04	-0.20	0.04	0.06	0.00	0.06	0.05	0.12	0.03	0.04
shape_fact	0.00	0.06	0.02	0.04	0.07	0.15	0.01	0.09	0.02	0.04
<i>With Random Ignition Source</i>										
Final R ²	0.59		0.78		0.81		0.67			
CFRISK(8)	0.14	0.38	0.22	0.28	0.14	0.39	0.30	0.37	0.16	0.10
SV_frac	0.19	0.40	0.15	0.22	0.23	0.55	0.17	0.21	0.15	0.11
DDREFA(8)	0.06	-0.24	0.06	0.10	0.12	0.37	0.10	0.13	0.07	0.08
GSHFAC(2)	0.04	0.21	0.05	0.10	0.00	0.05	0.07	0.09	0.03	0.03
CFRISK(7)	0.03	0.16	0.04	0.07	0.02	0.03	0.05	0.05	0.03	0.01

* highlighted if main contribution larger than 0.02 or conjoint contribution larger than 0.1 112

CCDF of mean, population-weighted early fatality risk (STSBO w/o random ignition) per event

- Of the 467 MACCS realizations, 47 realizations (about 10%) had doses high enough to calculate a nonzero early fatality risk within 5 miles.
 - Even fewer, 12 realizations (3%) in the set with random ignition
- There is no early fatality risk beyond 5 miles for any of the realizations.





Figure 6-19 Complimentary cumulative distribution function of mean, population-weighted early fatality risk (STSBO w/o random ignition) within six distance intervals centered on Sequoyah

Conclusions for Offsite Consequences

- Using LNT dose response, the conditional LCF risks of both deterministic and uncertainty analyses range from about $3E-04$ to $9E-04$ for the 0 – 10 mile region.
- Contributions from the long term phase risks dominate the emergency phase risks for the large majority of the LCF risk results.
- The early fatality risks are essentially zero.
- Parameters that show up as important to uncertainty in LCF risk are: safety valve flow area, the cancer fatality risk and dose-and-dose-rate-effectiveness factors for the “residual” organ, the cancer fatality risk factors for colon and lung, containment rupture pressure, and groundshine shielding factors.



U.S.NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment



Sandia
National
Laboratories

Summary of Public Comments

Salman Haq, PhD, PE
Accident Analysis Branch
NRC Office of Nuclear Regulatory Research

Public Comments


- Draft Technical Report was placed in public ADAMS and request for comment was published in Federal Register on April 12, 2016
- A blog was posted on NRC public website informing the public about the study
- Public Meeting was held on April 20, 2016 at the Sequoyah Nuclear Plant Training Center, in Soddy-Daisy, Tennessee

Summary of Submitted Public Comments

- The analysis seems unbalanced in its treatment of damage due to the beyond design basis earthquake
 - Extensive damage to safety systems
 - Limited damage to infrastructure within 10 mile EPZ
- The analysis should more rigorously consider the impact of the large earthquake on evacuation times
 - The analysis didn't consider the impact of downed power lines and poles that may impede evacuation pathways
 - The analysis didn't consider all bridges within the EPZ

Summary of Submitted Public Comments (cont.)

- Health consequences analysis was flawed:
 - Health effects modeling did not consider age and sex
 - Lessons of Fukushima have not been learned as to health consequences (referenced a Physicians for Social Responsibility Report dated March 2015)
- Question how risk can be lower after an accidental release, as compared to general U.S. cancer fatality risk
- Question if consequences from potential severe nuclear accident scenarios really are smaller than previously calculated



U.S. NRC
UNITED STATES NUCLEAR REGULATORY COMMISSION
Protecting People and the Environment




Sandia
National
Laboratories


Overall Results and Conclusions

Jonathan Barr
Accident Analysis Branch
NRC Office of Nuclear Regulatory Research


Comparison of SOARCA Results for Iodine Release to Environment for Unmitigated Base Case Scenarios



Comparison of SOARCA Results for Cesium Release to Environment for Unmitigated Base Case Scenarios




Comparison of SOARCA Results for Conditional Individual LCF Risk (0-10 mi) for Unmitigated Scenarios



Sequoyah SOARCA Conclusions

- For unmitigated STSBO (without igniters), the two potential containment outcomes are either early or late failure
- Successful use of igniters averts early containment failure
- The major impact of modeling random sources of ignition in the unmitigated STSBO is generally to delay early containment failure
- The ice is effective at mitigating the slow containment pressurization and it can delay potential containment failure
- Essentially zero individual early fatality risk was calculated for Sequoyah STSBO and LTSBO
- Even for cases resulting in early release to environment, the conditional individual LCF risk is small
- Conditional individual latent cancer fatality risk results for Sequoyah are similar to those from other SOARCA analyses



U.S.NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment

Uses of SOARCA and Next Steps

Patricia Santiago, Chief
Accident Analysis Branch
NRC Office of Nuclear Regulatory Research

Uses of SOARCA Modeling to Support Agency Activities

Technical Bases for Regulatory Framework

- MELCOR and MACCS analyses BWR Mark I filtered vent analysis and CPRR (Tier 3 – 5.1)
- Other containments and hydrogen (Tier 3 – 5.2 and 6)
- Expedited fuel transfer (MACCS)
- Emergency preparedness – decommissioning exemption requests
- Uncertainty analyses determine most influential parameters
- MACCS parameter guidance supports new and advanced reactor designs, knowledge management for severe accident analysis

Licensing and Environmental Review Uses of MACCS

- Environmental assessment and impact statement analyses
- Waste Confidence technical bases for spent fuel fires and D/FGEIS
- Hearing support for technical analyses (Indian Point; Seabrook)

Insights for Emergent Issues with MELCOR and MACCS

- Supported NRC incident response to Fukushima event
- Fukushima Forensic Analysis to better understand Fukushima accident progression

Uses of SOARCA Modeling to Support Agency Knowledge Management

Knowledge management for Severe Accident Analyses

SOARCA model and results

- Used in NRC training classes
- Used for staff knowledge about plant models
- Informs L3 PRA in modeling and analysis of severe accidents and consequences
- Updates the input decks for future needs and timely response in-house
- Inform international research planning and benchmarking

Next Steps

- Prepare Response to NRC Office/Public Comments – May 30
- ACRS full committee – June 8
- Provide Information Paper on Sequoyah to OEDO – Sept 30
- Submit NUREG for publication – Dec 31
- Draft NUREG summarizing insights and lessons learned from SOARCA Uncertainty Analyses – Dec 31
- Update Best Practices NUREGs – March 2017

References

- SECY-12-0092, “State-of-the-Art Reactor Consequence Analyses – Recommendation for Limited Additional Analysis” (July 2012)
- NUREG-1935, State-of-the-Art Reactor Consequence Analyses (SOARCA) Report (November 2012)
- NUREG/BR-0359, Modeling Potential Reactor Accident Consequences, Rev. 1 (December 2012, update expected summer 2016)
- NUREG/CR-7110, Vol. 1, SOARCA Project Peach Bottom Integrated Analysis, Rev. 1, (May 2013)
- NUREG/CR-7110, Vol. 2, SOARCA Project Surry Integrated Analysis, Rev. 1 (August 2013)
- NUREG/CR-7008, MELCOR Best Practices as Applied in the SOARCA Project (August 2014)
- NUREG/CR-7009, MACCS Best Practices as Applied in the SOARCA Project (August 2014)
- NUREG/CR-7155, SOARCA Project Uncertainty Analysis of the Unmitigated Long-Term Station Blackout of the Peach Bottom Atomic Power Station (May 2016)

Acronyms

BEIR	Biological Effects of Ionizing Radiation	Przr	Pressurizer
CDF	Cumulative distribution function	PWR	Pressurized water reactor
CCDF	Complementary CDF	RCPSL	Reactor coolant pump seal leakage
DBA	Design basis accident	RCS	Reactor coolant system
EPZ	Emergency planning zone	Rlz	Realization
ETE	Evacuation time estimate	RN	Radionuclide
FTC	Failure to open	RPV	Reactor pressure vessel
FTO	Failure to close	SGTR	Steam generator tube rupture
gpm	Gallons per minute	SME	Subject matter expert
LCF	Latent cancer fatality	SNL	Sandia National Laboratories
LFL	Lower flammability limit	SOARCA	State-of-the-Art Reactor Consequence Analyses
LHS	Latin Hypercube Sampling	STSBO	Short term station blackout
LNT	Linear no threshold	SV	Safety valve
LTSBO	Long term station blackout	TDAFW	Turbine-driven auxiliary feedwater
MACCS	MELCOR Accident Consequence Code System	UA	Uncertainty Analysis
MCCI	Molten concrete core interaction		

MELCOR and MACCS Parameter Names

SV_frac – safety valve open area fraction or flow area

priSVcycles – number of primary safety valve cycles experienced

rupture – containment rupture pressure

EU_melt_T – effective temperature of the eutectic reaction for zircaloy oxide and uranium oxide

ajar – ice condenser doors open fraction

shape_fact – aerosol dynamic shape factor

CFRISK(8) – cancer fatality risk factor for “residual” organ

CFRISK(7) – cancer fatality risk factor for colon

CFRISK(3) – cancer fatality risk factor for breast

CFRISK(4) – cancer fatality risk factor for lung

DDREFA(8) – dose-and-dose-rate-effectiveness factor for “residual” organ

GSHFAC(2) – groundshine shielding factor for normal activity during emergency phase (fully correlated with same factor during long-term phase)