


1 ORIGINAL

2 UNITED STATES OF AMERICA
3 NUCLEAR REGULATORY COMMISSION
4 

5
6 In the Matter of:
7
8
9

10 DIABLO CANYON MEETING WITH LICENSEE
11 DISCUSSION OF PG&E SUBMITTAL ON PIPING AND SUPPORTS
12
13
14
15
16
17
18
19

20 Location: Bethesda, Maryland

Pages: 1 - 108

21 Date: Monday, July 2, 1984
22
23
24
25

FREE STATE REPORTING INC.

Court Reporting • Depositions
D.C. Area 261-1902 • Balt. & Annap. 269-6236

8407160105 840711
PDR ADOCK 05000275
T PDR



1

1

1

1

1

1

1

1

1

1

1

1

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3
4 DIABLO CANYON MEETING WITH LICENSEE
5 DISCUSSION OF PG&E SUBMITTAL ON PIPING AND SUPPORTS

6 Nuclear Regulatory Commission
7 Room P-118
8 Phillips Building
9 Bethesda, Maryland

10 Monday, July 2, 1984

11 The Commission met, pursuant to notice, at
12 8:30 a.m.

13 PRESENTERS AND ATTENDEES SEATED AT COMMISSION
14 TABLE:

15 DR. CLOUD
16 DR. COOPER
17 M. HARTZMAN
18 B. SAFFELL
19 B. BOSNAK
20 J. KNIGHT
21 R. VOLLMER
22 D. EISENHUT
23 H. SCHIERLING
24 R. LOCKE
25 S. SKIDMORE
M. JACOBSON
M. TRESLER
R. OMAN
L. SHIPLEY
H. FRIEND
G. MANEATIS
B. NORTON

P R O C E E D I N G S

1
2 MR. EISENHUT: Why don't we go ahead and
3 get started this morning. I'm Darrell Eisenhut,
4 Director of the Division of Licensing. And this is
5 a meeting on the Diablo Canyon Project. It's a follow-
6 up meeting in response to a letter that I sent to
7 PG&E dated June 20th, where we requested some
8 additional information regarding piping and supports.

9 It was related to our continuing evaluation
10 of information on seven technical license conditions
11 that were in the order modifying the license, dated
12 April 18th. In that letter, we had requested, first,
13 a reply from PG&E and, secondly, the opportunity to
14 have a meeting with you to discuss those matters to
15 make sure we all understood the answers very well.

16 Today's meeting is being transcribed. A
17 transcript is being taken. So, as you go through
18 and identify your,--as you go through the discussion,
19 I ask that each of you identify yourself for the
20 record.

21 This is a meeting between the NRC and PG&E.
22 If there are members of the public or interested
23 organizations present, at the end of the meeting
24 they'll be given an opportunity to make a comment.

25 Basically, with that simple introduction,

1 I do understand that PG&E does have an agenda presenta-
2 tion to go through. Before I turn it over to PG&E,
3 I want to introduce a couple of the principle people
4 on the staff.

5 Hans Schierling, on my right, is the project
6 manager for Diablo Canyon, that is the NRC's project
7 manager, having overall responsibility for the project.
8 On my left is Richard Vollmer who's the Director of
9 the Division of Engineering. And on his left is Jim
10 Knight who's an Assistant Director in that division
11 and responsible for the overall review of the engineering
12 aspects of Diablo Canyon.

13 With that as a simple thing, Dick, did you
14 have any comments you want to make? Why don't I
15 turn over to George Maneatis, who, I guess, will be
16 introducing the people as you go through it and will
17 (inaudible) presentations to make.

18 MR. MANEATIS: Thank you, Mr. Eisenhut.
19 Good morning, I'm George Maneatis, Executive Vice
20 President, Facilities and Electric Resources Development
21 for Pacific Gas and Electric Company.

22 With me this morning are Howard Friend of
23 Bechtel, the Diablo Canyon project completion manager;
24 Bruce Norton, our licensing attorney, other members of
25 the Diablo Canyon project and representatives from the

1 independent design verification program.

2 We are pleased today to respond to any
3 questions you may have regarding information we have
4 recently submitted to the staff on matters relating
5 to the issuance of a full power license for Diablo
6 Canyon.

7 As you are aware, we provided you with our
8 initial responses to the low power license condition
9 regarding piping and piping supports earlier this
10 month. Subsequently, we responded to your June 20th
11 request for additional information on this subject.

12 To facilitate our discussion today, we have
13 prepared a brief presentation on recent project
14 activities related to piping and piping support issues.
15 Larry Shipley of the Diablo Canyon project will
16 review the status of our efforts to achieve full
17 compliance with the low power license condition
18 relating to piping.

19 Dr. Cloud of the Independent Design
20 Verification Program will discuss the programmatic
21 aspects and conclusions of the IDVP piping and piping
22 support reviews. Howard Friend will describe the
23 recent changes in the design authority and responsibili-
24 ties of the on-site project engineering group.

25 He'll be followed by Bob Oman, Assistant

1 Project Engineer for Systems, who'll describe how on-
2 site and home office engineering activities will be
3 conducted as a result of the recent changes.

4 . Finally, Mike Jacobson, Project Quality
5 Assurance Engineer and Steve Skidmore, PG&E's Manager
6 of Quality Assurance, will review the quality programs
7 applicable to this work. And to, so you can follow
8 our presentations, I'm going to pass out the agenda,
9 if you might pass them down --

10 We are also prepared to address any questions
11 you may have on our previous submittals or on our
12 presentations this morning. We hope the discussions
13 today will provide the staff the information they'll
14 require to issue their safety evaluation reports in
15 early July.

16 With that, I'll turn the meeting over to
17 Larry Shipley. Larry?

18 MR. SHIPLEY: Thank you, George. My
19 discussion today will center and focus on the seven
20 items in licensing, in the licensing condition, with
21 particular attention paid to license conditions Items
22 2 and 3. I'll be glad to answer any questions related
23 to areas that I, that I don't cover in sufficient
24 detail, but I, I would intend to keep my marks, remarks
25 rather brief.

1 We prepared and submitted during early June
2 responses to licensing conditions 1 through 7. We
3 believe that the staff's concerns have been fully
4 addressed on Item 1, which is the small bore strudel
5 (Phonetic) review; Item 4 which is the thermal gap
6 issue; Item 5, the hot piping walk-downs; Item 6, the
7 DP and TC program; and Item 9, the technical issues
8 concerning pipe supports.

9 A final report that will close minor open
10 items that were contained in our previous submittals
11 were Items 1 and 6, is currently under preparation
12 and will be submitted tomorrow, July 3rd.

13 License condition Items 2 and 3 have been
14 a subject of considerable discussion between the
15 project and the NRC staff, as well as the, the audit
16 teams over the past two weeks. The criteria for the
17 selection of proximity restraints was resolved with
18 the staff during an NRC audit in San Francisco on
19 July 21st.

20 UNIDENTIFIED SPEAKERS: June.

21 MR. SHIPLEY: Excuse me, June the 21st. I
22 have a slide that will show some of the salient points
23 of that criterion. And Barkley (Phonetic) tells me
24 it's part of the agenda, but perhaps if we all looked
25 up here.

1 MR. MANEATIS: It's attached to the agenda.

2 MR. SHIPLEY: Previously, our criteria
3 that we submitted in, in early June had a differentia-
4 tion between the criteria for piping larger than,
5 with a diameter larger than eight inches. In fact,
6 with a diameter between two and eight inches.

7 Further, the, the criteria for small bore
8 was an exclusion of the review for proximity restraint
9 criteria for small bores. That criteria has now been
10 modified to reflect the following:

11 Previously, this category had a 5D criteria.
12 This category had a 5D criteria. That is rigid next
13 to anchor, at 5D. It is now 10D.

14 The snubber next to rigid had a, in the, in
15 the greater than eight inch had a 5D -- sorry, had a
16 3D criteria. It is now 5D. The snubber next to
17 anchor had a 3D criteria. It is now 5D. And in the
18 two to eight inch size, two and a half to eight inch
19 size, 10D previously was 5D.

20 So, for the large bore there has been some
21 considerable changes with regard to the criteria.
22 Let me just take minute and explain what, what these
23 changes mean.

24 These reviews originally were for, as the
25 title of the slide says, proximity criteria. And it

1 had to do primarily with a concern of locture (Phonetic)
2 in between adjacent supports and anchors.

3 If you'll, if you'll consider for a moment
4 a one inch pipe, the, the proximity criteria for, for
5 small bore requires that it be ten diameters when it's
6 adjacent to an anchor. And ten diameters for a one
7 inch pipe is clearly ten inches.

8 On the other hand, if you take and, and, and
9 I think we, we can all understand that, that ten
10 inches is rather close. If you take an eighteen inch
11 pipe, you find that the criteria then yields, 10D
12 criteria yields a 15 foot proximity distance which is
13 a very long way in most, most of the piping systems
14 we have. So, the, very seldom do you have a straight
15 run of pipe that is 15 feet long without having a
16 restraint in it.

17 So, we believe that the 10D criteria,
18 especially in the, in the larger sizes of the large
19 bore pipe is extremely conservative and, nonetheless,
20 we have, we have employed that criteria for the review
21 on Diablo Canyon.

22 MR. SCHIERLING: Larry?

23 MR. SHIPLEY: Yes.

24 MR. SCHIERLING: One request. For the
25 record, could you please take one of the diagrams and

1 mark it up previous and current because while you were
2 going through, it wasn't quite obvious for anyone else
3 not here reading the record of what you were referring
4 to?

5 MR. SHIPLEY: Certainly. I'll be glad
6 to.

7 MR. BOSNAK: And, Larry, while you're on
8 the subject, I guess for the record, I want to be
9 sure that we're going to get the clarifications that
10 we're, that we discussed with respect to, you know,
11 this, this particular item on the computer analyzed
12 small bore piping, the definition of an anchor, that
13 it does include in certain cases the couple branch
14 (Phonetic) connection.

15 MR. SHIPLEY: Yes. (Inaudible) as, as you
16 say, the, the review of small bore rigids and
17 snubbers adjacent to anchors will include all cases
18 other than will exclude decouple branch connections
19 for piping qualifed by span rules. Everything else
20 will be included.

21 The review and indentification of all rigids
22 and snubbers for piping associated with the revised
23 criteria has now been completed. A walk-down to
24 measure the gaps that all rigid restraints identified
25 by this 10D criteria is well underway, and the

1 additional shimming, any additional shimming that is
2 required as a result of these reviews will be completed
3 on or about July 13, 1984, but will certainly be
4 complete before ascension above 5% power.

5 In our June 11th submittal covering license
6 condition Item 1, we identified 15 of the very
7 complex small bore strudel analyses that have not yet
8 been completed. The review of these 15 are now
9 complete, and they have been shown to meet all
10 licensing conditions.

11 Thus, in total, we've completed the review
12 of all the small bore analyzed pipe supports, analyzed
13 by computer that is, as required by license condition
14 1 and no physical modifications have resulted from
15 these additional reviews.

16 In our submittal of June 1, concerning
17 license condition 6, we identified an in-process
18 review of piping and several supports. This review
19 is now complete and the piping was shown to be qual,
20 piping and supports were shown to be qualified in the
21 as-built condition. The information, as I stated
22 previously on both Items 1 and 6, this updated informa-
23 tion will be provided in our submittal tomorrow.

24 MR. VOLLMER: Larry, going back, I think you
25 said the status of completion of review of these

1 systems, the new criteria, is that review complete,
2 did you say?

3 MR. SHIPLEY: The review is complete, yes.

4 MR. VOLLMER: The review is complete.

5 MR. SHIPLEY: And, and the walk-down --

6 MR. VOLLMER: Is underway.

7 MR. SHIPLEY: -- to identify where shimmi-
8 is required, is underway.

9 MR. KNIGHT: Larry, either now or later in
10 your presentation, will you be comparing or could you
11 for my purposes give me a summation of physical
12 changes that have taken place as a result of going
13 through the license conditions?

14 MR. SHIPLEY: Yes.

15 MR. KNIGHT: There was, from time to time
16 there had been, you know, there was a mention perhaps
17 of one small bore support that was modified.

18 MR. FRIEND: Why don't we let the presenta-
19 tion go forward. You can get your thoughts down on
20 that and make a few notes and then comment to Jim
21 later rather than right this minute.

22 MR. KNIGHT: Okay.

23 MR. FRIEND: Unless you're ready right this
24 minute.

25 MR. KNIGHT: Any time before we finish is

1 fine.

2 MR. SHIPLEY: Fine.

3 MR. MANEATIS: Any other questions of Larry?

4 MR. VOLLMER: Yes, while, while we're here.

5 Would you lay out exactly what the scope of material
6 that you expect us to receive tomorrow, that you expect
7 to transmit to us tomorrow.

8 MR. SHIPLEY: I would expect minor
9 revisions to, to, almost all of the, the seven items
10 in the license condition. Some will provide more up-
11 dated information. Some will provide some minor
12 revisions and criteria commitments and so forth.

13 MR. SAFFELL: Does this include, Larry,
14 a revision to the license condition 2 and 3 submittal
15 already?

16 MR. SHIPLEY: Yes, it will.

17 MR. VOLLMER: Can you expect, then, that
18 with the submittal tomorrow that this will be the
19 complete, the completion of all the material that you
20 owe us dealing with license conditions specifically?

21 MR. SHIPLEY: I, I'd say with one exception.
22 I, we would probably need to amend that with a number
23 of shims needed to be installed at, at some previous
24 time, but I, the commitment is clearly there that we
25 will do that as required.

1 MR. MANEATIS: Any other questions of
2 Larry?

3 MR. SAFFELL: Larry, what, when you went
4 through say for the large bore piping, I'm trying, I
5 don't recall the number of snubbers that were included
6 originally, but do you, how many additionally were
7 added, now come within the sphere of that by going from
8 the 5D to the 10D?

9 MR. SHIPLEY: Okay. As it, as it turns out,
10 the criteria that we used actually was from, excuse me,
11 from --

12 MR. SAFFELL: Near anchors I'm thinking of,
13 specifically.

14 MR. SHIPLEY: Okay. I can get that number --

15 MR. SAFFELL: Okay. Fine.

16 MR. SHIPLEY: I've got it here, but it'll
17 take a moment to dig it out.

18 MR. SAFFELL: No, then let's go on --

19 MR. SHIPLEY: Okay.

20 MR. FRIEND: That's two things (inaudible)
21 keeping track of what you owe.

22 MR. SAFFELL: Or that, that kind of thing
23 will be in your submittal. I thought if you had that
24 number at hand, --

25 MR. SHIPLEY: I do have it. It will just take

1 a second to get it.

2 MR. SAFFELL: Okay. We can do it later.

3 MR. MANEATIS: Okay. Our next presenter is
4 Dr. Cloud of the IDVP.

5 DR. CLOUD: Oh, thanks, George. I have
6 just a couple of brief points to make following our
7 meeting of two weeks ago.

8 THE IDVP believes that the conclusions of
9 our independent verifications of the Diablo Canyon
10 plant design are adequately supported by both our review
11 of the methodology and^{of}the sample of work that we
12 covered.

13 In that connection, first I would note that
14 in the review of the corrective action program for
15 piping and supports, no generic issues or instances
16 of violation of the licensing criteria were found. In
17 the piping review, three generic issues were identified.

18 These generic issues were subsequently
19 considered for all of the piping in the Diablo Canyon
20 Unit 1 plant. Now, our conviction that our conclusions
21 are fully supported by the completed review work is
22 based primarily on three general considerations.

23 First, the methodology and the criteria
24 employed by the DCP were reviewed and found to meet
25 the licensing requirements. In addition, all of the

1 determinations made by the IDVP, both during the first
2 phase of the work which included the independent
3 calculations and in the second place, where we did
4 reviews of the corrective action program. These
5 determinations were addressed and resolved by the DCP
6 and subsequently reverified by the IDVP.

7 Secondly, the piping and the supports we
8 found were very conservatively designed and constructed.
9 In general, there's a significant design margin in
10 all the piping supports that's due to this basic
11 design approach.

12 (Inaudible) the IDVP conclusion which is
13 given in Section 625 of the IDVP final report is that
14 Diablo Canyon does meet the licensing requirements
15 which is not to say that there may not be instances
16 remaining where licensing criteria may not be fully
17 met.

18 However, we are confident that if such
19 instances exist, that they will be of a local nature
20 and that they will not be significant. Now, let me
21 elaborate briefly with respect to the issue of
22 methodology.

23 The major considerations in the development
24 of the IDVP methodology and our review of the project
25 methodology for the conduct of the design verification

1 program are as follows.

2 The IDVP reviewed step by step all of the
3 design criteria and all of the design methodology.
4 The IDVP reviewed and questioned in detail each aspect
5 of a significant sample of the piping and pipe support
6 design. And this review was performed on individual
7 analyses and based upon extensive documented check-
8 lists.

9 Each checklist contained about 100 check
10 points that had to be signed off by the reviewer.
11 All the items that were identified in the review were
12 documented and the resolution of these items.

13 Now, the NRC went through some of that work
14 a couple of weeks ago. In addition to that, the
15 Teledyne (Phonetic) engineers monitored this process.
16 It performed reviews of some of our, of the RFCA (Phon)
17 work and, and they participated in the assessment and
18 resolution of many of the items.

19 Third, the project engineering program was
20 extensively documented, in procedures, instructions and
21 design criteria memorandum. This documentation and
22 its engineering content were separately reviewed by
23 the IDVP.

24 The next point is that there were several
25 revisions of the seismic spectrum, the thermal operat-

1 ing modes and an early revision of methodology when
2 the project was formed. This led to the piping and
3 pipe support analysis being revised several times
4 herein, the design process.

5 The IDVP came to the conclusion that this
6 was a strength of the design. The initial analysis
7 and all the subsequent revisions required an analysis
8 and review by at least two engineers. Then our review
9 of the different revisions of the same calculations
10 confirmed that the revision process, as implemented,
11 was, in fact, effective in correcting discrepancies.

12 It was repeatedly found that outdated inputs
13 and minor mathematical and modeling errors were updated
14 and subsequent revisions (inaudible) given calculation.
15 In many cases the differences were primarily in
16 approximation techniques and were not sufficiently
17 different to be unrepresentative of the actual
18 conditions being modeled.

19 The pipe support designs were originally
20 based upon a uniform and homogeneous methodology
21 as compared, for example, to other aspects of the
22 plant design. And the significance of this to the
23 IDVP in our sampling process was that it was possible,
24 as has been discussed here many times, that relatively
25 few piping systems and supports are, in fact,

1 representative of the entire class and insures that
2 correction of generic issues serves to upgrade the
3 entire category of that class of equipment.

4 Turning to the basic conservatism in the
5 piping design, the second reason for conviction is
6 that our conclusions remain valid are that, in fact,
7 these structures are designed in a conservative way.
8 A typical support is constructed of wide blange
9 (Phonetic) members, and it's a relatively rare case
10 that a pipe stresses approach the allowable values.

11 Another thing that hasn't been widely
12 discussed is that a major contributing factor in this
13 connection is the requirement which was in place
14 from the beginning, that the pipe supports be designed
15 to have a minimum natural frequency.

16 In other words, the designs were in many
17 cases controlled by flexibility considerations rather
18 than strength considerations. And as a result, it
19 was generally the surplus of structural strengths.

20 And, finally, I would add at the end that
21 throughout the various phases of the independent
22 design review, the IDVP has been acutely aware of its'
23 responsibility to determine and address any and all
24 issues, design practices or actual designs that would
25 violate the licensing criteria and compromise the health

1 and safety of the public in any way or (inaudible).

2 With this in mind, the IDVP often expanded
3 its sampling in order to fully address all the
4 significant issues. For example, in our independent
5 calculations in the first phase of the program, we
6 took two, we found it necessary or desirable to take
7 the complete second piping sample after we finished
8 the first during the review of the corrective action.

9 Following our meeting of two weeks ago, we
10 went back and, and counted up on a point by point
11 basis all the places where our sample had expanded. We
12 found that on the basis of the completion samples,
13 which were an expansion, that we had about a 45 percent
14 sample expansion on that basis.

15 If, in fact, however, we count up all the
16 reviews that we did and compare them to our initial
17 programmatic commitments, given an ITRA, then the
18 sample was nearly doubled.

19 And, finally, I think it's worthwhile to
20 mention the NRC inspection that we had two weeks ago.
21 Prior to the inspection, your people, the NRC staff,
22 reviewed the IDVP technical reports and noted all the
23 items that we identified.

24 During the meeting these individual items
25 were examined in detail as well as substantial

1 quantities of work, upon which the reports were based.
2 It's clear that the reports were merely summaries of
3 a vast body of work. And we believe that in all cases
4 the documentation provided and the subsequent
5 discussions would allow the, hopefully, allow the,
6 your staff to understand and concur with our conclus-
7 ions.

8 So, to sum it up, based upon our work, the
9 work that we've done and to the best of our reviews,
10 it was and is the conclusion of the IDVP, as we stated
11 in our final report, that the design of the piping
12 and supports satisfies the licensing criteria.

13 That's what I had to say. Thank you very
14 much.

15 MR. VOLLMER: Dr. Cloud, I'd like to ask you
16 to expand in one area on, I think, since the very
17 early meetings of IDVP, the subject of a sampling size,
18 sampling expansion was something that we discussed in
19 a great detail. And I wonder if you could perhaps
20 give for the record, again, a little bit more of the
21 initial philosophy of the, how the sample size is
22 established and what, what the criteria was, for meeting
23 or not meeting criteria and then perhaps indicate why
24 you felt the statistical sampling wasn't necessarily
25 appropriate for this particular process and the way you

1 went, went forward with either, either increasing your
2 sample size or making judgments or how you make judgments
3 of the sample size should not be increased, I think
4 is a better way of phrasing it?

5 DR. CLOUD: Sure. Okay. First of all, you
6 have to go back to the basic philosophy that we
7 established at the outset of the design of the verifica-
8 tion program. And we said that our, our first and
9 primary objective would be to do, to, to do a review
10 that would lead us to an indepth understanding of the
11 basic quality of the engineering work that was
12 performed in the design of Diablo Canyon.

13 And we felt that the best way for us to get
14 a good understanding of the basic engineering work
15 would be to make an indepth review of the process, the
16 methodology that was used. Then once we understood
17 what was used and what or what was supposed to be
18 used, then we would confirm that that methodology
19 was implemented by doing a review of the sample.

20 And we chose this approach because some of
21 the people on our team have, in fact, spent their
22 life designing and analyzing nuclear power plants.
23 And we felt that we knew how to do it. Okay.

24 Now, as to the size of the (inaudible),
25 we felt that our objective in choosing a sample was to

1 confirm our understanding of the methodology and to
2 confirm that the methodology was being implemented
3 properly.

4 So, we established our sample size based
5 upon the method of how the engineering work had
6 (inaudible) and where, where a unique approach was
7 used, we took a very high percentage. We reviewed a
8 very high percentage of the work.

9 For example, each of the main structures of
10 the plant had a reasonably different approach for the
11 analysis of it, primarily based upon the different
12 methods of design construction of the buildings
13 themselves. And for those, for the main structures,
14 we took basically 100 percent sample which we felt was
15 necessary to confirm our understanding of the engineering
16 process.

17 At the other extreme on the, in, in, not
18 so much the other extreme but in other class, categories
19 of equipment where a more uniform methodology was
20 applied, then we felt^a/reasonably small sample would be
21 more than adequate. And, in fact, we found that to be
22 the case.

23 In the case of the piping or the supports,
24 you basically have a reasonably standardized component
25 and it's analyzed in a reasonably standardized way by

1 essentially the same group of people. And the same
2 group of people is also a key.

3 So, that's, that's fundamentally the thinking
4 that went into our, our sampling process. Then in, in,
5 when the considerations regarding expanding that were
6 as follows:

7 In the, in the review of the corrective
8 action program, we made an eternal commitment that
9 any time we, we came across any question, we would
10 immediately do additional verification. And as it
11 turned out, most of our questions were all satisfactorily
12 resolved and we found that the additional verifica-
13 tion led, and in many cases helped in the resolution.

14 This additional verification and additional
15 sampling wasn't, we didn't made a big deal out of it.
16 We didn't publicize it, but we did it because, we did
17 it in order to develop our own personal internal
18 convictions that our, that the conclusions that we
19 were coming up with were the right, were right.

20 Okay. So, fundamentally, that's the
21 story.

22 DR. COOPER: Perhaps I could amplify a
23 couple of points. Bill Cooper, from Teledyne. In the
24 initial approach after reviewing the methodology, we
25 thought that we were choosing an initial sample which

1 covered all types of applications. And mention is
2 made in the response that between ITR's 12 and 17, for
3 example, there was an expansion.

4 To a large extent, that expansion was to
5 cover some, some additional situations that we thought
6 perhaps had not been fully covered in the, in the
7 original choice of sample.

8 Now, at that point then we had identified
9 a number of issues with respect to piping and pipe
10 supports and everything else, for that matter, but
11 we'll concentrate on the piping and pipe supports which
12 needed further work. And we call this additional
13 verification.

14 And you remember there was a, a period of
15 statements on our part as to what the additional work
16 might need to be and planning on the part of the
17 project as to how they might approach these issues.
18 And then they, they developed their, their corrective
19 action program. And we issued our ITRs to define
20 explicitly what we were going to do in connection
21 with those corrective action programs.

22 And one of the points in your question was
23 the acceptance criteria and in all our verification
24 of the corrective action program we said that, that
25 when we had differences with the project, we'd

1 evaluate as to the source and to the significance of that
2 source with regard to both the specific item and the
3 possible generic concern.

4 If it is judged that the source of the
5 differences of significance to either, an open item
6 report will be issued. So, that's a criteria under
7 which we issued an open item report and then went
8 further on and resolved it in review of the corrective
9 action program, but there were additional verifications
10 performed in the sense of sample expansions in many
11 instances whether or not we issued an open item report.

12 Bob mentioned some specific numbers with
13 respect to the so-called completion sample. You'll
14 remember that the, the project work was ongoing as
15 we were doing our review. And we wanted to assure
16 ourselves that they were following their procedures as
17 they updated, say, spectrum, were those being applied
18 properly to the piping samples?

19 And, so, this, this whole set of completion
20 samples that we chose and verified for the, for the
21 purpose of, of taking another snapshot in time just
22 before we completed our program about October, in order
23 to, to make sure that the PG&E effort was progressing
24 as we understood it was intended to be.

25 The (inaudible) was we reached our conclus-

1 ion.

2 MR. VOLLMER: Could you summarize or
3 capsule exactly how you made the judgment that the
4 generic deficiency existed? I think I understand
5 your, the sampling and, and, and the, the direction
6 of your, of the original sample size and so on. It
7 wasn't clear from what you just said exactly how you
8 made the judgments that something generic was a
9 deficiency.

10 DR. CLOUD: Yes. Okay. In the, we said
11 during the review of the corrective action program
12 that we would issue an, an open item report if we
13 found a generic deficiency. And, generally, in order
14 for us to conclude that we had a generic deficiency,
15 it required that we find the same item, either on a
16 cost basis or at least in the number of, in the number
17 of repeated instances and that we, we felt that we
18 must conclude that it would be possible if that item
19 were represented in the, the degree that, that it
20 appeared to be that, that it would be possible for
21 licensing criteria to be exceeded. That is to say
22 that there would be an instance of overstress some
23 place if, in fact, this particular deficiency were
24 widespread.

25 MR. VOLLMER: So, that the deficiency would

1 not likely lead to a violation of licensing criteria,
2 then it wouldn't necessarily be pursued?

3 DR. CLOUD: If, in our judgment, we concluded
4 that, that based upon the reviews that we made, if we
5 felt that there was no chance that licensing criteria
6 would be exceeded, then as far as we were concerned,
7 it was essentially irrelevant unless, unless there
8 was some (Inaudible) consideration where it coupled
9 with something else and we carefully considered that.

10 MR. BOSNAK: I want to ask Bob a question.
11 First, I certainly agree with what you stated about
12 the ITRs. I, I think speaking, at least for myself,
13 I did not have a good feeling of what IDVP did until
14 we went through your review packages. The ITRs by
15 themselves, if you read those, are not really too
16 complete. And you really need to have the benefit of
17 going through the IDVP review packages.

18 Now, having looked at all of those and having
19 thought about the whole program, there was one question
20 that we'd rather not extrapolate on in writing our
21 evaluation and that is, and I think you may have covered
22 it in the PG&E submission that deals with basic
23 conservatism in piping design, but I'd like to have a,
24 have an answer from you and that is did the IDVP detect
25 the random input errors of the kind which prompted re-

1 analysis of the small bore piping system?

2 I'm talking here about calculational errors
3 that was, say, reverse of point coordinates, mistakes
4 in transferring data from isometrics, things like
5 modeling deficiencies where eccentricities of loads
6 may have been omitted, those kinds of things which I
7 would characterize as, as random input errors.

8 Did, did you all see those and how did you
9 characterize those or how, in your, in your evalua-
10 tion?

11 DR. CLOUD: Okay, yes, I can answer that.
12 Permit me to be just a little bit defensive. We, in
13 the, in the, in describing a given question as an
14 error, we, we, we learned, we learned very quickly
15 early on in the, in the progress of this program to
16 be very careful about how we characterized the given
17 issue.

18 So, what I would say, however, is that in
19 the review of the corrective action program in, on
20 small bore, in the piping and the supports, we, we did
21 know a number, a number of instances, a number (inaudible)
22 a number of times where the input, for example, or
23 the geometry or in some cases the loads, that our
24 reviewer would have put into the problem were
25 different than the PG&E design people put into the

1 problem. And we chased each of those down on a step by
2 step basis and more often than not, it was a
3 difference, it was a difference, it was a difference
4 in the way that a given person would model or, or, or
5 approximate the (inaudible). I say more often than
6 not, as often as not, perhaps. I'm not sure I
7 answered your question.

8 MR. BOSNAK: Well, would you put those kinds
9 of things -- there's a statement in here, let me read
10 it. It says the net result is that minor discrepan-
11 cies which may still exist can be readily accomodated
12 within the framework of the conservatism of the design,
13 in all probability, within the licensing criteria and
14 certainly without causing a safety problem.

15 Those kinds of things, do you lump under
16 that heading?

17 DR. CLOUD: Yes. We came to that, by the
18 way, that statement is a direct result of all the
19 numerous reviews we made, where we found that, in
20 fact, that was the case time after time after time.
21 And we did not find any instances where licensing
22 criteria were exceeded or even jeopardized except in
23 the issues in the, for those generic items that we
24 called out.

25 I, also if you'll permit me to be further a

1 little more defensive about the intercharacterization
2 of the ITRs. I, I don't, I don't think it's fair to
3 say that they're incomplete. They've very complete.

4 The problem is that they are a summary of
5 a great deal of work, and it's very difficult to
6 summarize in 100 pages the work that, that was done
7 that supports them.

8 MR. MANEATIS: All right. Any other
9 questions of Dr. Cloud? Okay. The next presenter is
10 Howard Friend.

11 MR. FRIEND: Thank, thank you, George.
12 This morning I'd like to spend a few minutes providing
13 background on a recent action regarding the engineering
14 design authority that had been delegated to the on-site
15 project engineering group.

16 You will recall that the modification work
17 on Unit 1 was done under the provisions of the
18 operating license for that unit. Even though the license
19 was suspended in 1981, PG&E felt that it was important
20 to retain in place all the requirements of the license.
21 In particular, those aspects that involved operating
22 department knowledge and control of changes to the
23 facility.

24 In order to maintain control during the
25 modification program, close coordination between the

1 operating group and the engineering group was required.
2 Therefore, it was important that an engineering presence
3 be involved at the job site to coordinate with the
4 operating group.

5 " The type of work that was going on on Unit 1
6 also called for an engineering design presence at the
7 job site. The need to modify several thousand
8 supports in an already constructed facility with the
9 attendant major physical coordination activities
10 mandated that some engineering design authority be
11 vested at the job site.

12 Finally, it has been demonstrated historical-
13 ly that small piping on supports are most effectively
14 designed when the engineering group is physically
15 located at the job site.

16 For these several reasons, the on-site
17 project engineering group was established and had been
18 delegated certain engineering authority. By the spring
19 of this year, we had effectively completed the work on
20 Unit 1.

21 We achieved criticality on April 29th and
22 completed low power testing on May 23rd. Also, our
23 work on Unit 2 was well advanced with all Class 1
24 piping supports and modifications issued by May of this
25 year.

1 The important coordination activities of the
2 on-site project engineering group were essentially
3 completed. In this same time frame, we had also been
4 concerned that during several audits by both our
5 quality groups and the NRC, programmatic and technical
6 concerns about the work of OPEG had been noted.

7 While the observed concerns posed no safety
8 problems, it was decided on June 14th that it would be
9 appropriate to revoke the design authority of the on-
10 site project engineering group and return that authority
11 to the home office engineering group.

12 This action was taken for the following
13 reasons: We wanted to render moot any continuing
14 perception that work being being performed by OPEG was
15 not in full compliance with the project and corporate
16 QA programs. Although extensive corrective actions
17 had already been taken and the adequacy of the hardware
18 had been demonstrated, we wanted to erase any lingering
19 concerns that might exist.

20 Second, we wanted to begin to convert the
21 role of engineering on the project from a role of
22 designing for construction and designing modifications
23 to one of supporting an operating facility.

24 Finally, we wanted to centralize the
25 engineering activities supporting the operating

1 facility in the home office for more effective management
2 control and coordination.

3 Our objective at this time is to provide a
4 smooth transition from our on-site project engineering
5 design activities to home office engineering activities
6 in support of an operator unit. One of the most
7 important considerations in making this change was that
8 the transition proceed smoothly and that no item fall
9 through the cracks.

10 To tell you in detail how we're, how we are
11 accomplishing this change without incident, I'd like
12 to ask Bob Oman to speak to this matter. Bob is one
13 of our assistant project engineers on the project and
14 is very knowledgeable of this subject.

15 Earlier on the project Bob was in charge of
16 the on-site project engineering group and has a unique
17 perspective of both ends of this change. So, I'd like,
18 I'd like now to answer any questions you might have,
19 and if you have no questions, I turn it over to Bob
20 Oman.

21 MR. VOLLMER: Yes. I have a couple, Howard.
22 One, you said that the, both your own companies, I
23 guess QA audits as well as NRC audits, had found some
24 deficiencies in, programmatic deficiencies in what OPEG
25 was carrying out, that you further said that, you

1 concluded that the findings imposed no safety problems.
2 Could you elaborate on how you came to that conclusion?

3 MR. FRIEND: Well, one, one of the major
4 reasons was the extensive review that, that we made
5 of the small bore complex supports, the so-called
6 strudel analyses, which we completely reviewed them
7 and found although there were discrepancies in the
8 original work, that the impact on the hardware was, was
9 zero. There was no impact on the hardware.

10 In addition, I'll need help from our quality
11 assurance fellows, but we, we, we made reviews of the
12 training records. There were deficiencies, concerns
13 exhibited by both our own audits and also NRC audits
14 about the, the training. And we, we made some investiga-
15 tion to correlate or try to correlate any training
16 concerns with the quality of the work and found, indeed,
17 that there was no correlation, that the work done by
18 individuals who, who had lacked training was done
19 satisfactorily.

20 So, these are some of the things that we did
21 that gave us confidence that, that the work was adequate.

22 MR. VOLLMER: Well, what sort of training did
23 they, did they lack that would allow (inaudible)
24 satisfactory technical accomplishment of their
25 work?

1 MR. FRIEND: The, the training that, that was
2 programmatically required by our program was training
3 in the, in the quality assurance aspects of our work, in
4 the programmatic requirements of the work. We had
5 requirements that the engineers should be trained within
6 30 days of joining the project and in some cases, this
7 training was not accomplished within the 30 days.

8 MR. VOLLMER: Okay. I have one other, and
9 maybe you're going to get into this later, but I
10 think we should characterize exactly what, what will be
11 the, the responsibilities of the group henceforth and
12 what responsibilities are they giving up --

13 MR. FRIEND: Yes.

14 MR. VOLLMER: -- and that's something Bob
15 will take care of --

16 MR. FRIEND: I think Bob, Bob will cover that
17 and, certainly, we can answer your questions if he
18 misses any points that you're interested in.

19 MR. MANEATIS: Anything else for Howard?

20 MR. SCHIERLING: Howard, I have a question.
21 that
22 The work/in the past has been done by OPEG, was it
23 reviewed or will it be reviewed at anytime at the
24 San Francisco office?

24 MR. FRIEND: We, we have made and continue
25 and will continue to make audits of the OPEG work. So,

1 in, in that vein, yes, it has been reviewed and will
2 continue to be reviewed as part of our audit program.

3 We have no plans to make an all encompassing
4 review. We believe that review is made during the
5 design activities. We have requirements, programmatic
6 requirements for peer review of the initial work plus
7 supervisor approval of the work, and we believe that,
8 that, those programmatic requirements constitute the
9 independent review of the work (inaudible) independent
10 review of the work.

11 MR. SCHIERLING: Okay.

12 (END OF TAPE 1)
13
14
15
16
17
18
19
20
21
22
23
24
25

1 MR. FRIEND: Alright Mr. Norton. Correctly
2 advise me that all of the strudel (ph.), so called strudel
3 review was done by the home office. I don't know if that
4 was the focus of your question or not, but that

5 MR. SHIRLING: No, not specifically but it was a
6 follow up question that I had, was the strudel (ph.) work
7 done at the site or at the office?

8 MR. FRIEND: It was done at the home office.

9 MR. SHIRLING: OK

10 MR. VOLMER: What you said (inaudible) raised a
11 question in my mind. I agree that you're -- the design
12 review done at the site, I think what you're saying is that
13 method of design criteria of Appendix B -- independent
14 checking or independent design review. Now, exactly what
15 audits were you referring to before that, however, done
16 by the home office? What this a QA audit or a technical
17 audit?

18 MR. FRIEND: Can somebody help me, will either
19 Larry or Mike please respond to that?

20 MR. JACOBSON: I think I can help alittle bit.
21 I think Harold was probably referring to both really.
22 We've done some QA audits at OPEG, most of the items are
23 closed. One of two may require follow up on that OPEG
24 work, that would be done in San Francisco. We also
25 recently completed a technical audit of the OPEG group

CK
NRC-66
T-2
1

1 of the work that was done down there. And there were a
2 couple of findings generated from that to be followed up
3 in San Francisco. Now the work was transferred from there.

4 MR. VOLMER: So this was looking broadly at the
5 OPEG work rather than -- that specifically is true, but
6 looking broadly at the work done by OPEG.

7 MR. JACOBSON: Yes, piping and pipe --

8 MR. VOLMER: What sort of findings did you arrive
9 at?

10 MR. JACOBSON: I think we had two findings one
11 was a QA type finding having to do with referencing of the
12 vision and design criteria that was used in the analysis.
13 The other had to do with - it was a technical finding -
14 having to do with modeling, (inaudible) angles, that
15 particular one the project, we found that the project had
16 already issued an obstruction for modeling theta (ph.)
17 angles but it had not been carried out yet in the specific
18 packages we audited. Those are the major findings.

19 MR. VOLMER: What calendar time - when did this
20 technical audit occur?

21 MR. JACOBSON: In June, in this last month.

22 MR. SHIRLING: One minor question. Was there a
23 distinction between an OPEG group for unit one and unit two,
24 or is that one group serving both units.

25 MR. FRIEND: I think essentially it's one group

CK
NRC-66
T-2
2

1 serving both units although there obviously are subdivisions
2 within the group, some people are assigned to one unit --

3 MR. SHIPLEY: Let me add one point. We have done
4 audits, technical audits, in the past. They were of an
5 informal nature. We had both our, both the BECHTEL staff
6 people go down there for several days at a time over the
7 past year and a half and looking at what they were doing.

8 We had people from the office go down, both in
9 piping and pipe supports, to look at what was going on.
10 Stay down there two or three days, make recommendations,
11 make changes, etc. It was not in a context of a formal,
12 proceduralized, technical, a QA/technical audit. But it
13 was done - twice that I can remember over that period.

14 MR. VOLMER: It was in the vein of a technical
15 administrative oversight?

16 MR. SHIPLEY: No, this was a pure technical audit.
17 They were looking at the procedures that were being used
18 and how those procedures were being carried out. Not so
19 much were signatures being filled in but the technical
20 aspects of the work was being done in accordance with
21 the project (inaudible).

22 MR. KNIGHT: And again, can you give me a feel for
23 calendar time when this occurred?

24 MR. SHIPLEY: Around February/March '83 and then
25 -- late '83, September, around that time.

CK
NRC-66
T-2
3

1 MR. KNIGHT: As a result of that, were there
2 findings published or how was the impact of the (inaudible)
3 transcript act staffed there at OPEG.

4 MR. TRESLER: I think we'd have to pull out the
5 (inaudible) audits review and however, one thing that does
6 come to mind and that is the auditing and piping analysis
7 did identify the need to perform a review of all piping
8 analysis to assure that certain aspects of those analyses
9 have been done properly. And this was included in a check
10 list review that was performed on all piping analysis, that
11 check list had alot of items on it including SIS which
12 had been identified by the (inaudible) organization.

13 MR. MANEATIS: Ok, can you go on with it.

14 MR. OMAN: My name is Bob Oman, and the purpose
15 of my presentation is to discuss the new responsibilities
16 and authorities of on site engineering and home office
17 engineering in the future and to describe the present
18 engineering activities at OPEG and the design control
19 majors that are in effect during the current transition
20 period.

21 In order to clearly define the new law of on site
22 engineering for the future, a revision of project engineers
23 instruction 9, which outlines the duties and responsibili-
24 ties of the OPEG organization has been developed. And,
25 in developing this revised instruction, the basic

CK
NRC-66
T-2
4

1 philosophy has been that support engineering activities
2 which, of necessity, need to take place at the job site
3 will continue to take place at the job site and be done by
4 OPEG. And, that design engineering activities which do
5 not have to be done at the job site will be done by home
6 office engineering in San Francisco.

7 The project recognizes the benefit and need for
8 a continuing engineering presence at the job site to be
9 involved in such things as walk downs in the field to con-
10 firm the installed condition of various aspects of the
11 plant to access the feasibility of construction of parti-
12 cular new design items. And, also to interface with the
13 construction department and start-up department to
14 clearly understand their problems and to develop
15 and formulate the solutions to their problems that
16 are acceptable and responsive to their needs.

17 And these types of tasks are being defined
18 as support engineering activities. In contrast, design
19 engineering activities are technical activities which
20 issue design documents. Design documents being engineering
21 calculations, design change notices, specifications and
22 drawings. And engineering approval of a field change
23 request is also considered a design engineering activity.
24 Further in developing this revised instruction, the dis-
25 tinction is being made between engineering activities

CK
NRC-66
T-2
5

1 that affect safety related systems, structures and compo-
2 nents, and those that affect non-safety related items.

3 The revised scope of OPEG's authorities then
4 defined in the following terms: OPEG is not authorized to
5 perform design engineering activities for safety related
6 systems, structures and components. They may perform
7 support engineering activities, however, for safety related
8 items. For example, this would mean that they would be
9 authorized to do field verification for feasibility studies
10 for safety related items, but would not be authorized to
11 issue design change documents or do design calculation.

12 And further, OPEG will be authorized to perform
13 both design engineering activities and support engineering
14 activities for non-safety related items. Now, in order
15 to avoid confusion and to more clearly detail the specific
16 implementation of this revised scope of authority, the
17 procedure will include a matrix of about five pages now.

18 This matrix identifies all safety related
19 engineering activities which OPEG previously did and will
20 define them for the future in terms of whether OPEG will
21 continue to have responsibility for those items or whether
22 the design responsibility will be transferred to San
23 Francisco home office engineering. And indicate which OPEG
24 will provide support for design activities that will be
25 finalized and approved in San Francisco.

CK
NCR-66
T-2
6

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

This matrix is organized, for both unit one and unit two, on a discipline basis and for example would show in the piping discipline that OPEG would continue to have the responsibility for doing the heat-up and power ascention piping walkdowns and they would continue to have responsibility for doing feasibility studies for new pipe supports.

However, San Francisco home office engineering will have responsibility for small (inaudible) stress analysis and small (inaudible) pipe and design calculations. They would also have, for instance, responsibility in San Francisco for the (inaudible) reduction program and also for the review and approval of the field change request. It is expected that this project engineers instruction will be issued formally this week and it will have the concurrence of the project completion manager.

Now I would like to discuss OPEG's engineering activities during the current transition period.

MR. VOLMER: Could -- one question -- on the responsibilities and authorities. On safety related stuff, you've indicated that the group could perform walkdowns to confirm the status of the plant and access feasibility modifications and interact with construction organization, but that they couldn't issue an engineering drawing or I thought you said perform (inaudible) calculations

CK
NRC-66
T-2
7

1 MR. OMAN: That's correct.

2 MR. VOLMER: Would they propose then a modifi-
3 cation to San Francisco saying we think the thing should be
4 modified in this way, -- a feasibility or a proposal or
5 conceptual design for the thing that San Francisco would be
6 obligated to take it and run it through the calculational
7 (ph.) process and ultimate engineering drawing.

8 MR. OMAN: That's correct.

9 MR. VOLMER: In doing this, I would assume, that
10 they could conceptualize (ph.) something that they would
11 be allowed some sort of calculation.

12 MR. OMAN: It's not that they won't be allowed
13 to do something that gives them added confidence that the
14 conceptual design they're proposing is in fact probably
15 going to work. The point, I think, though is that though
16 we're -- the engineering -- is not relying on any calcula-
17 tions that OPEG may do. The documentation of the design
18 is based upon calculations that would be done by home office
19 engineering.

20 MR. VOLMER: Ok, then for purposes of let's us
21 getting down to design control and QA independent in
22 criteria 3 of Appendix B, San Francisco will do the
23 calculations which would also be checked by San Francisco
24 result in the ultimate initiation of a design drawing or
25 something like that.

CK
NRC-66
T-2
8

1 MR. OMAN: That's correct.

2 MR. VOLMER: And, the bottom line is that the
3 design change can only be authorized in San Francisco not
4 by OPEG.

5 MR. OMAN: That's correct, for safety related
6 items, that's correct.

7 MR. OMAN: Ok, again, now I would like to discuss
8 the OPEG engineering activities during this transition
9 period. As a result of that project (inaudible) memorandum
10 dated June the 14th, which rescinded OPEG's design
11 engineering authority, steps were immediately taken to
12 implement his directive and instructions by the engineering
13 manager were given to the on site project engineer. That
14 OPEG design authority had been revoked and accordingly
15 they were no longer to approve an issue design from the
16 site.

17 A meeting was held with all unit one engineering
18 supervisors in San Francisco to announce the change in
19 OPEG's design authority and each group supervisor was
20 directed to contact their respective discipline represen-
21 tative in OPEG to assure that home office engineering
22 personnel were henceforth approving all design engineering
23 activities.

24 Now since June 14th, many engineering activities
25 that were previously accomplished by discipline engineers

CK
NRC-66
T-2
9

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

within OPEG have continued. And these include, field walkdowns and construction feasibility checks, verification of construction and start up problems, formulations of solutions to their problems, initiating an appropriate design change request to resolve those problems and initiating engineering calculations or proposed design changes.

However, since June 14th, no engineering design documents have been formally approved by an OPEG (inaudible) disciplinar nor they have been issued by the on site project engineer or assistant on site project engineers. This applies to design calculations, design change notices, specifications, drawings and engineering acceptance of (inaudible) drawings. -- (inaudible) issuance of all such engineering documents has occurred under the director of you and authority of home office/^{design}engineering since June 14th.

Therefore, during this transitional period, in fact an additional level of review has been achieved for engineering activities initiated by OPEG. As a further action, I don't, on the 22nd of June the unit one project engineer instructed the on site project engineer to transmit all unit one small (inaudible) stress analysis and pipe support calculations to San Francisco by the 29th of June and that action has now been completed and

CK
NRC-66
T-2
10

1 no further unit one small (inaudible) stress or pipe
 2 support calculations will be initiated on site. In
 3 summary, the project has acted promptly to implement the
 4 project completion manager's directive rescinding OPEG
 5 design authority. We have revised the project instruction
 6 and expect to issue it this week. It will define the new
 7 scope of responsibilities and authorities of on site
 8 engineering and home office engineering and during the
 9 interim transition period steps have been taken to assure
 10 that approval and issuance of all engineering document did
 11 occur under the director of you and the authority of home
 12 office engineering.

13 A separate but related topic to this discussion
 14 concerns the pipe support design tolerance clarification
 15 program. As previously reported, this program has been
 16 discontinued effective June 8th of this year and all unit
 17 one pipe support/^{design}changes made subsequent to that date have
 18 been accomplished by the design change notice process of
 19 the Engineering Manual Procedure 3.60N for unit one.

20 In order to facilitate field resolution of pipe
 21 support related construction problems on unit two, a new
 22 field change request or FCR procedure has been instituted
 23 under project engineer's instruction 19. This FCR program
 24 essentially is the same as that successfully used on a
 25 number of other BECHTEL projects and it will apply to all

CK
 NRC-66
 T-2
 11

1 deviations proposed by construction from pipe support
2 designs issued by engineering where the proposed deviations
3 are beyond the approved installation tolerances.

4 Construction will initiate requests for such
5 deviations on a FCR form and will submit them to engineering
6 for review and approval. The engineering and approval of
7 the FCR will include justification for acceptance and
8 where a calculation is required to verify the adequacy
9 of the proposed change, the calculation will be completed
10 in accordance with Engineering Manual Procedure 3.3 prior
11 to the approval of the FCR.

12 The engineering approval of the FCR will then be
13 indicated by the signature of the responsible engineer,
14 the group supervisor, and the project engineer. In a case
15 of deviations proposed by construction which do not
16 alter the functional design characteristics of the pipe
17 support or which are minor design drawing clarifications,
18 the general construction lead discipline engineer can
19 authorize in process work to continue on an (inaudible)
20 basis for up to five days while engineering approval of
21 the FCR is being obtained. This authorization will be
22 in writing and will be included in the pipe support work
23 package before that work can proceed.

24 The in process change expires and the work so
25 authorized ceases if engineering approval is not received

CK
NRC-66
T-2
12

1 within five days. Again, for all pipe support modifications
 2 for unit one or unit two, the pipe support as built drawing
 3 will continue to include any modifications authorized either
 4 by a previous tolerance clarification or by a field change
 5 request, such that no deviations will exist between the
 6 as built drawing and any modifications authorized in the
 7 field.

8 The final engineering acceptance of the installed
 9 condition will continue to be the final engineering review
 10 checking and approval of the as built pipe support drawing.
 11 That concludes my remarks and I'll be happy to answer any
 12 questions there might be.

13 MR. MANEATIS: Any questions?

14 MR. VOLMER: No we'll gone on to the next --

15 MR. MANEATIS: Our next presentor is Mike
 16 Jacobson, Mike.

17 MR. JACOBSON: Thank you. My discussion will
 18 focus on item 3 of the NRC letter which deals with
 19 Quality Assurance matters. I will addressing the project
 20 QA program in place at the home office and at OPEG.
 21 Specifically, I will address the elements of that program
 22 and provide us assurance that work formally performed at
 23 OPEG will be carried out in conformance with quality
 24 assurance requirements. The elements I wish to discuss
 25 are the programatic (ph.) edificacy (ph.) of the DCP QA

CK
 NRC-66
 T-2
 13

1 program and actions that have been taken to strengthen
2 implementation where appropriate - both in the home office
3 and at OPEG. We believe the DCP QA program is effective
4 and we are strongly committed to implementing that program
5 as well as pursuing beneficial improvements.

6 The DCP QA program is programmatically sound.
7 It is based on the standard BECHTEL QA program as described
8 in the NRC approved topical report (inaudible). Organiza-
9 tional differences were defined in a QA program description
10 for the (inaudible) project which in turn was submitted to
11 and approved by the NRC staff.

12 The commitments of the QA program description
13 and the policies of the DCP Nuclear Quality Assurance
14 Manual/^{that}carry out these commitments remain the basis for an
15 effective QA program. Procedural changes we have made
16 have been predominately at the second and third level of
17 implementing procedures. For each level deals with
18 increasingly detailed aspects of implementation. The DCP
19 QA program was developed and written for the design
20 activities at the home office and by extension to OPEG
21 which was delegated a portion of the design work.

22 The DCP QA program was therefore fully compatible
23 with new design work assigned to the home office. In
24 addition, other factories give us confidence, a portion
25 of OPEG work transferred to the home office to be

CK
NRC-66
T-2
14

1 properly controlled. The work performed at the home office
2 is closer to project management and is a necessary focal
3 point for management attention. Communication and coordi-
4 nation between engineering and quality groups is easier
5 and more direct and the piping group procedures that were
6 used by OPEG were originally prepared for the engineering
7 work at the home office and are well suited to the
8 work flow there.

9 I would now like to address the specific areas
10 listed under item 3 of the NRC letter identifying actions
11 taken or programs in place, ensure that work retained
12 within OPEG and work transferred to the home office
13 will be performed in accordance with QA requirements.
14 Improvements included in these programs apply equally
15 to the home office and to OPEG.

16 Item A concerning indoctrination and training.
17 We made several changes in the procedures to clarify
18 and strengthen controls in this area. More restrictions
19 were introduced, such as engineers must have received
20 training in engineering design control procedures prior
21 to their originating, checking or approving any design
22 documents pertaining to safety related systems, structures,
23 or components. The previous reference to the 30 day
24 maximum period receiving training was dropped in favor of
25 this more restrictive approach. The method for identifying

CK
NRC-66
T-2
15

1 newly assigned personnel would require training was
2 strengthened.

3 Quality engineering is notified of all duly
4 assigned personnel and quality engineering then immediately
5 holds training sessions for these new personnel only
6 after these sessions are they allowed to initiate or
7 check design documents.

8 Actions to assure implementation of training
9 included the following:

10 A complete review of training records was perfor-
11 med to assure that all engineers receive training.

12 For accountability an improved data base was developed,
13 showing all engineers currently or formerly assigned to
14 the project, along with the dates they actually received
15 training. Quality assurance and quality engineering
16 personnel have been assigned to assure the training records
17 are kept current and that new arrivals are trained.

18 A recent (inaudible) audit and a monitoring
19 activity by project QA both confirmed that implementation
20 of training in the engineering manual is adequate.

21 With respect to item B on document control,
22 improvements have been made to avoid use of unauthorized
23 documents performed piping and design work, as addressed
24 in our letter of June 26th, 1984. In summary, we
25 focused attention on the importance of combined document

CK
NRC-66
T52
16

1 control procedures and on the responsibility of each
2 individual to update manuals correctly and return acknow-
3 ledgement forms. We changed our procedures to require
4 supervisors to periodically review the manuals with their
5 group and to require the supervisors to discuss and document
6 the content of procedure changes with engineers in their
7 group. To be sure that everyone is aware of changes,
8 and how they are to be implemented.

9 In addition, a complete review of all piping
10 manuals was performed by engineering to ensure that they
11 were up to date. This distribution of piping manuals is
12 being reassessed to minimize partial distribution manuals
13 that are more difficult to control. Partial distribution
14 manual for those that included only the particular piping
15 procedures applicable to the individual (inaudible)

16 At present, we have a large number of ^{control} manuals
17 assigned to the home office assuring that procedures are
18 available in the work areas. At OPEG, the distribution
19 piping manual has been revised and ensures adequate
20 availability of the design personnel in each work area.

21 MR. SULLIVAN: In both A and B, we have mentioned
22 design work and you've mentioned the home office, can --
23 you distinguish between what's being done on both A and B,
24 between the home office and on site groups, does the
25 question not apply to on site groups, I would like it would.

CK
NRC-66
T-2
17

1 MR. JACOBSON: Yes, the question applies to on
2 site groups and we answered that in the submittal. So
3 that will give you the specific information (inaudible)
4 -- what I am basically addressing here is what we did in
5 both areas. The actions we took in both areas are
6 essentially the same. There were some differences (inaud-
7 ible).

8 MR. SULLIVAN: I guess what bothers me is
9 you keep mentioning design in previous discussions
10 by Mr. Oman you mentioned the designs no longer taking
11 place --

12 MR. FRIEND: Let, maybe I can clarify that.
13 These improvements that Mr. Jacobson is talking about were
14 introduced some time ago so, at that time, they were
15 introduced in response to our desire to improve the
16 performance of the on site project (inaudible). However,
17 they also apply nearly all - if not all of them - to the
18 home office engineering activities. So the context or
19 the picture we are trying to portray to you is that these
20 did apply to the on site pipe unit (inaudible) and do
21 apply and will apply in the future to the work in the
22 home office. There is not a large differentiation or
23 demarcation between the requirements for home office or
24 on site project (inaudible) group.

25 MR. VOLMER: Were there before?

CK
NRC-66
T-2
18

1 MR. FRIEND: No. The programmatic requirements -
2 the project engineering manuals and other documents apply
3 to the work that was being done by the on site project
4 engineering group. So when we improved if you will, these
5 requirements we did it through the vehicle of modifying,
6 revising these documents and these documents apply to
7 both the on site group and the home office group.

8 MR. VOLMER: I realize that the program program-
9 matic requirements basically affect the topical, I think,
10 or in effect both places but I guess I didn't realize that
11 -- within the project group the implementing procedures
12 were similar. Is that the case?

13 MR. OMAN: Yes it was.

14 MR. FRIEND: They were not similar, they were
15 identical. The document that controlled design engineering
16 also controlled the delegated authority of the on site
17 project engineering group.

18 MR. SULLIVAN: And they continue to be the same?

19 MR. FRIEND: That's correct.

20 MR. SULLIVAN: Even though the authorized
21 activities are different?

22 MR. FRIEND: That is correct.

23 MR. OMAN: The procedures describe how the
24 activity is to be conducted. Wherever its conducted.
25 What we have now is that things that used to be conducted

CK
NRC-66
T-2
19

1 are no longer but the procedures still apply to the
2 activity and it will now be done in San Francisco.

3 MR. VOLMER: Just for a matter of information
4 - does it also apply to their non-safety related activities?

5 MR. OMAN: They do yes.

6 MR. VOLMER: That's pretty well, across the board
7 procedure?

8 MR. OMAN: That's correct. (inaudible) -- non-
9 safety related item is essentially the same process as
10 for a safety related item and so forth.

11 MR. FRIEND: Please go ahead, Mike.

12 MR. JACOBSON: Going on to item c preliminary
13 design data and design interfaces. Our program for
14 controlling these preliminary design data was described
15 in our June 26th letter. Preliminary design data used in
16 calculations must be specifically identified, specifically
17 resolved, through a revision in the calculation package.

18 Calculation logs provide a tracking mechanism
19 to assure preliminary data used as enclosed. Design
20 information provided verbally, including that by
21 telephone must be confirmed in writing. Project QA audits,
22 preparations and calculations, specifically include
23 reviewing the resolution - preliminary data. Recent
24 audits of OPEG, unit one engineering at the home office,
25 and unit two engineering at the home office found

CK
NRC-66
T-2
20

1 implementation in this area to be acceptable. Design
2 interfaces between OPEG and the home office are described
3 in project (inaudible) instruction number 9 which is being
4 revised, previously discussed by Mr. Norman.

5 Item D - Timeliness (ph.) project responses.
6 DCP QA program requirements related to timeliness (ph.)
7 and response to safety concerns and other (inaudible) was
8 described in our June 26th letter. They are equally
9 aptible (ph.) to work in the home office. Procedures
10 require prompt resolution and discrepancy report and non-
11 conformance reports. Timely progress, the resolution
12 and discrepancy report is monitored by both quality
13 engineering and project quality assurance. Timely response
14 to audit findings is also being stressed.

15 For each audit finding, recommended actions and
16 a completion schedule are reviewed with the audited
17 organization and agreed to prior to conclusion of the
18 audit. This practice allows corrective measures to begin
19 immediately. At OPEG an additional report, entitled QA
20 Open Item Summary, is issued on a weekly basis, provides
21 a visible status of each open quality audit finding.
22 Including the scheduled dates of a response approval and
23 closure. Responses to open/^{project}audit finding are current.
24 Any exceptions that may occur, are identified on the
25 delinquent open items report which is provided to management.

CK
NRC-66
T-2
21

1 And is a vehicle to focus management attention on obtaining
2 response. Quality hotline, which is a method for employees
3 to freely express concerns has been implemented in the
4 home office as well as at OPEG. Timely feedback on reso-
5 lution and any matters identified (inaudible).

6 Item E, QA

7 MR. VOLMER: Before you get off on Item E, who
8 sees these audit reports indicating the audit findings
9 and also the agreed upon timing for corrective action.

10 MR. JACOBSON: Ok, the ^{audit}/findings are addressed
11 to the organization that's required to perform the work.
12 And mandatory distribution (inaudible). Other members
13 of the DCP management team and BECHTEL QA management,
14 San Francisco (inaudible).

15 MR. JACOBSON: Item E, QA Program Audits.
16 DCP project audits are planned in advance to insure that
17 all aspects of design control are implemented. Master
18 audit plan is prepared to identify all required audit areas.
19 Schedules developed identifying those audit areas which
20 are to be audited during each quarter. Including the
21 schedules for at least a year in advance. This planning
22 is used to provide full coverage ⁱⁿ/project activities. The
23 schedule is consistent with the project schedule of the
24 activities being audited. The project audits are
25 supplemented by project QA monitoring activities which are

CK
NRC-66
T-2
22

1 documented quality review similar to audits. And by
2 management audits performed by BECHTEL San Francisco
3 Power Commission Quality Assurance. Responses to
4 project audit findings are evaluated for acceptability
5 prior to closure. Project QA reviews the response to
6 insure that the recommended remedial, investigative and
7 corrective actions were acceptable alternates and then
8 performed.

9 Satisfactory implementation of these actions is
10 verified by project QA and justification for closure is
11 documented on quality audit finding form. Project quality
12 assurance engineer reviews the closure actions taken and
13 reissues the audit report when it is in agreement that all
14 findings have been satisfactory closed. As indicated in
15 our letter of April 4th, 1984 DCP audit findings relating
16 to OPEG were not closed prior to corrective action taken
17 place.

18 Item H, concerning the tolerance clarification
19 program was previously addressed by Mr. Norman.

20 In summary, we believe the DCP QA program and
21 actions that I have described will continue to provide
22 effective QA control in these areas.

23 MR. VOLMER: Let me ask another question on the
24 timeliness (ph.) of this thing - how do the audit findings
25 that have not been completed - let's see you agree on a

CK
NRC-66
T-2
23

1 close out of an audit finding and lets say for some reason
2 or another that close out is not complete by the assigned
3 time. Who is responsibility is it to pursue that?

4 MR. JACOBSON: Well its a dual responsibility.
5 Its the responsibility of the audited organization to
6 respond and the responsibility of the auditing organization
7 to follow up and we do follow up - telephone or in writing,
8 to try and find out when the response will be made. In
9 some cases we find out the reason cause some other circum-
10 stances come up which require additonal time. Something
11 that wasn't anticipated when we first looked at it, in
12 that case we could grant an extension. If none of those,
13 are true, and its just late then its documented on a
14 delinquent open items report and reported to management.

15 MR. VOLMER: What does that mean, reported to
16 management?

17 MR. JACOBSON: That -- basically the intent is
18 to give it visibility so that our efforts of follow up can
19 be augmented by the management team in order to get a
20 response.

21 MR. VOLMER: At what point in time would it come
22 to Mr. Maneatis' attention, for example, that we couldn't
23 seem to close out a quality related problem?

24 MR. JACOBSON: Well --

25 MR. FRIEND: I think that would be a special

CK
NRC-66
T-2
24

1 circumstance that would not normally be provided for, but
2 these matters routinely, delinquent matters routinely,
3 come to my attention and if I was unable to achieve ...
4 effective resolution of a delinquent matter that it would
5 appropriate for me to bring it to Mr. Maneatis' attention.

6 But it would be an extra-normal sort of situation,
7 We normally are able to bring these things to closure within
8 the project and in accordance with the commitments that are
9 made at the time of the formulation of the finding, if you
10 will. That's not to say that we are 100%, but we normally
11 achieve closure that we set forth at the time of the finding.

12 MR. VOLMER: So you would normally be aware of
13 things that did not come to closure in a timely manner?

14 MR. JACOBSON: That is correct. I think Mr.
15 Skidmore will speak to our method of tracking some of
16 those things in a couple of minutes.

17 MR. SKIDMORE: Let me make a point of making ..
18 the record concise on that. I have a closure engineering
19 group within the DCP Quality Assurance Department. Now
20 on a weekly basis we send Mr. Maneatis a status of all
21 conformance reports, open item reports, and includes the
22 H.B. Folley (ph.) Company, from the power projects --

23 MR. VOLMER: I was looking for (inaudible) when
24 I asked my question.

25 MR. SKIDMORE: And just before mode changes for

CK

NRC-66

T-2

25

1 unit one we have been issuing those reports on a daily
2 basis and getting ad escription of the system - when I
3 make my presentation --

4 MR. VOLMER: Ok, why don't you go ahead.

5 MR. MANEATIS: Go ahead Steve..

6 MR. SKIDMORE: Ok, thank you George. Like Mr.
7 Jacobson my comments will also address/^{the}specific areas
8 listed in item 3 of the NRC letter and will focus on the
9 corporate quality assurance program in place with (inaudi-
10 ble) to assure that work retained within OPEG are trans-
11 ferred to project headquarters in San Francisco will be
12 carried out with (inaudible) quality assurance requirements

13 While Mr. Jacobson spoke to some of the project
14 actions, I will be describing the broader policy actions
15 that the (inaudible)department is taking in response to
16 these same issues.

17 With regards to personnel indoctrination and
18 training - in mid-1983 the training group in the
19 (inaudible) embarked on a training and (inaudible)
20 project to develop and implement a company quality assur-
21 ance orientation program for all nuclear work related to
22 the design, construction and operation of (inaudible)
23 The first phase of the project included developing a QA
24 orientation film entitled "Do It Right The First Time".
25 This film is introduced by George Maneatis, Executive .

CK
NRC-66
T-2
26

1 Vice President, Facilities and Electric Resources Develop-
2 ment and it was completed just this last December.

3 Beginning in early February 1984 and continuing
4 through April 1984, more than 6,500 workers associated
5 with the (inaudible) Canyon project saw the film during
6 scheduled orientation sessions. These sessions included
7 an experienced training instructor who discussed the film
8 and its contents and also include managing of the quality
9 hotline program. In effect, both at the site and in the
10 general office. In mid June 1984, the quality assurance
11 orientation film was presented to the company's officers.

12 Our plans include a program to make certain
13 all new workers will receive this orientation. Several
14 members of the NRC staff and in particular members of
15 Region 5 have seen the film and their comments have been
16 positive. In addition, we have a training program to
17 develop our quality assurance training. The project
18 includes elements of quality training for general office
19 and site personnel. Examples of this indoctrination
20 include auditor training, quality assurance program,
21 documents containing quality assurance commitments,
22 computer systems for statistics and analysis, procurement
23 principles and supplier qualification.

24 We are currently evaluating the feasibility of
25 (inaudible) this effort is presently scheduled for full

CK
NRC-66
T-2
27

1 implementation by April 1985 and will include methods for
2 maintaining skills. With regards to document control and
3 design control, further (inaudible) to the existing PGE/QA
4 program, PG&E submitted a complete revision of Chapter 17
5 of the (inaudible) Canyon FSAR in June of 1983. After an
6 extensive review of this revision by Region 5 against the
7 standard review plan, the revised Chapter 17 was approved
8 December 20, 1983.

9 In anticipation of this approval, work was
10 started by an intro-departmental quality task force to
11 develop a charter, governing task force activities and
12 work instructions to control the progress of the QA
13 enhancement program. The involved departments included,
14 besides QA, engineering, nuclear power generation, station
15 construction, engineering computer applications, department
16 engineering research materials and law. This enhancement
17 program will ensure that a current and effective quality
18 program is in place which is consistent with federal
19 regulations and industry standards and meets corporate
20 quality assurance commitments as defined in our revised
21 Chapter 17.

22 Furthermore, at the completion of its primary
23 task, the quality task force will remain as a standing
24 committee to assist in the timely incorporation of new
25 or revised federal regulations and commitments into the

CK
NRC-66
T-2
28

1 quality assurance program. The quality assurance depart-
2 ment will review departmental program and programmatic
3 procedure changes prior to implementation.

4 As a parallel effort to the QA enhancement pro-
5 ject, the QA department has been reviewing the major
6 (inaudible) Canyon contractors quality programs for con-
7 sistency in compliance with the revised Chapter 17. The
8 results of these reviews are being incorporated into
9 revisions to their quality programs.

10 In addition, two procedures in particular have
11 been revised to improve the control of information con-
12 tained in 29 control quality manuals. Quality assurance
13 manual procedure 4.2 entitled "Control of Quality Manuals
14 for Instructions and Procedures" was issued recently to all
15 departments, ^{including engineering} This procedure provides a uniform and
16 consistent approach to the control of quality manuals.
17 In addition, quality assurance manual procedure 11.1,
18 quality assurance audits, has been revised to provide clear
19 procedural control of the details of corrective actions to
20 identify the handling of generic implications of audit
21 findings.

22 With regard to timely closure of QA audit
23 findings, in August of 1983, a quality problem report
24 tracking system was developed in the quality assurance
25 department to address timely closure of quality assurance

CK

NRC-66

T-2

29

1 audit findings and departmental and contractor quality
2 (inaudible) reports. This system developed to demonstrate
3 the (inaudible) commitments made previously to the NRC
4 prioritizes. (ph.) outstanding quality problem reports and
5 establishes estimated completion dates. The objective is
6 to assure that corrective action taken on (inaudible)
7 reports identified as being necessary to close prior mode
8 (ph.) changes at (inaudible) canyon unit one would be
9 accomplished. This system provides senior management with
10 a central heart of information so that timely closure is
11 readily apparent. Results are issued weekly, or in some
12 cases as necessary, issued daily to further assure timely
13 flow of quality, (inaudible) into management. Initially,
14 this program required some 3200 quality problem reports to
15 be prioritized (ph.) and completion dates established.

16 In all cases, quality problem reports prioritized
17 (ph.) before mode changes were in fact closed. This
18 computerized recording system has been effective and
19 will continue in use for both units one and unit two at
20 Deauglo (ph.) Canyon.

21 1983 quality trend analysis report for Deauglo
22 (ph.) Canyon, developed by the PG&E Quality Assurance
23 Department identified that the time required to resolve
24 quality problems and verify the results and corrective
25 actions decreased in 1983 as compared to previous

CK
NRC-66
T-2
30

1 experience. In addition, the average time required by all
2 departments to close non-conformance reports and open item
3 reports also decreased in 1983 compared to 1982. The
4 average time required by PG&E quality assurance to verify
5 corrective action of NCR's decreased in 1983 over 1982.

6 With regard to the conduct of QA audits, a
7 computerized quality commitments management data base is
8 being developed to allow PG&E to promptly demonstrate
9 conformance with the NRC requirements and to provide quality
10 assurance audits with a computer generated list of quality
11 commitments to be covered in our audit's program.

12 To date we've identified some 6,000 quality
13 commitments to be (inaudible). A systematic auto
14 plan is being developed to assure that all (inaudible)
15 requirements are addressed at least once every three years.
16 This program being developed now will involve a compre-
17 hensive series of detailed audits covering all portion of
18 the (inaudible) and is being established in accordance
19 with the guidelines recommended by the NRC.

20 In conclusion, as the manager of Corporate Quality
21 Assurance, I am confident that the quality programs in
22 place and the quality enhancement projects underway
23 provide assurance that activities related to the Deauglo
24 (ph.) Canyon will be conducted in full compliance with our
25 quality commitments to the NRC. Thank you.

CK
NRC-66
T-2
31

1 MR. VOLMER: Ok, one item of information. As
2 manager of Corporate Assurance, who do you report to?

3 MR. SKIDMORE: Mr. Maneatis

4 MR. VOLMER: Question?

5 MR. HEISHMAN: Yes, I'm Bob Heishman - I would
6 like for you to confirm, based on what I've heard this
7 morning, and what I've read in your last response that all
8 of the items - all is a big word - even though it only
9 has three letters but those items that were previously
10 identified by the NRC and by your own audits with problems
11 associated with this pipe design, hanger design (inaudible)
12 have you convinced yourselves that all of those designs
13 have been addressed satisfactory for the OPEG operation at
14 the plant that went on prior to the ^{June} change date and are
15 you equally satisfied that those items were (inaudible)
16 -be addressed satisfactory, without a great deal of
17 problem under whoever has the responsibility of the
18 (inaudible) change.

19 MR. JACOBSON: With the understanding that some
20 of the actions I described are still under way. (Inaudible)
21 are fully effective. Yes, that at OPEG I feel we have
22 resolved the problems that were brought up there and are
23 objective was to take those problems and look at them
24 throughout the San Francisco operation, make sure they
25 had been fully addressed and I think we've done that.

CK

NRC-66

T-2

32

1 MR. HEISHMAN: As an example of the kinds of
2 things I'm searching for. If someone was to go to the
3 home office in San Francisco tomorrow and conduct an audit
4 regarding the problems previously identified by the NRC
5 regarding training of engineers involved in design activi-
6 ties, are you convinced that the same type of problem
7 would not be identified that was originally identified at
8 the site?

9 MR. FRIEND: Bob, let me comment if I may. -Mike.
10 We are confident that we have addressed these comments to
11 our satisfaction. There are some differences of opinion
12 between ourselves and some of the observations that were
13 made at the sites, specifically we have not and continue
14 to not believe that technical training of the engineer
15 is a requirement. It is not a programmatic requirement
16 of our program - we don't believe the (inaudible) either
17 requires it.

18 This was a observation that technical training
19 was not being provided, technical training is still not
20 being provided. We do, however, have a very adequate
21 method of selecting qualified personnel to do the work in
22 lieu of technical training. But that is a specific area
23 and I wanted to point out to you -- if you say, -- we have
24 a difference of opinion. But I think, except for that one,
25 I can't think of any others that we have not addressed and

CK
NRC-66
T-2
33

1 believed we could answer affirmatively your question,
2 yes, you would find these properly under control if you
3 came and audited us.

4 MR. HEISHMAN: A follow up question would be
5 what - I am not sure I heard in your presentation what the
6 plans were from the stand point of the quality assurance
7 - perhaps engineering organization - of in the immediate
8 change that's going on of transferring function from the
9 site back to the home office. What kind of plan do you
10 have to, perhaps increase the surveillance for the audit
11 function to make sure that that particular transition
12 is getting you what you want, what the requirements are
13 - in general its been my experience that when you have
14 a change in responsibility that you have some increased
15 type of function that would make sure that, at least
16 initially, you're getting where it is that you want and
17 try to iron out any problems that naturally exist when
18 your trying to make a change --

19 (End of Tape)
20
21
22
23
24

25 CK
NRG-66
T-2
34

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. FRIEND: As I mentioned in my remarks that indeed was one of our concerns that we make that transition smoothly and I think Mr. Skidmore can comment about some of the extra normal activities that are going on to help us assure that we are doing this well. Steve?

MR. SKIDMORE: Yeah. In Bob Oman's presentation he talked about fuel change request procedure that replaced the tolerance clarification program and realizing that the fellows had developed some procedures and there are a number of people to be trained to get this program up and going, PG&E quality Assurance worked with the project, commented on their procedures and got, made sure those were up to snuff.

I then, if you will, gave them two weeks rope, enough rope to hang themselves if they were going to get into trouble and last Thursday and Friday we conducted an audit of this activity. From both ends of the pipeline, from the general construction end to make sure that they were working to procedure which is PI-42, making sure that they had a control process in place and in fact the results that are now being written into the audit report says that training is being done and it's being documented. As far as the automatic work stoppage after five days if they don't have final approval from engineering, the work stoppage is in fact taking place when required, that the fuel

PCC
NRC-66
T-3
1

1 change requests are being tracked in computerized system
2 which is a requirement we put in their procedure.

3 At the same time, I had an auditor in the San
4 Francisco Office looking at PEI-19 which is the one govern-
5 ing the handling of the FCR's and the conclusion is that all
6 aspects of PEI-19 are being implemented. Training is being
7 documented for all engineers involved in the project and
8 it looks good. So we're right on top of it.

9 MR. MANEATIS: Mr. Heishman. I might add that I
10 have instructed our manager of QA to intensify corporate
11 audit activities so that we can have assurance that the
12 transition will go well.

13 MR. VOLMER: How big is the staffing of corporate
14 QA, numerically?

15 MR. SKIDMORE: Counting, there's about eighty
16 permanent PGE people and about twenty consultants.

17 MR. VOLMER: And does this include any quality
18 control function or is this QA?

19 MR. SKIDMORE: Quality control is done within the
20 respective departments.

21 MR. MANEATIS: It's another entity.

22 MR. SKIDMORE: Yeah.

23 MR. FRIEND: If it would help, I'd like Mr. Oman
24 to speak about some of the things that, Mr. Skidmore spoke
25 about quality assurance activities, Mr. Oman can amplify a

PC
NRC-66
T-3
2

1 little bit on some of the engineering if you will, engineer-
2 ing management activities that are helping us assure that we
3 make this change smoothly.

4 MR. HEISHMAN: I think that's important.

5 MR. OMAN: Okay. As I mentioned, since the four-
6 teenth of June, there have been engineering activities going
7 on in OPEG and those have included creating as examples,
8 creating a design change request package. Taking that
9 example, the OPEG engineers have pulled together the package
10 to formulate the design change that's desired and that
11 would include attaching copies of any sketches that might
12 be appropriate for that design change.

13 They have done the coordination, excuse me, within
14 other discipline groups and indicated that coordination on
15 the DCR within the onsite project engineering group and that
16 has in some cases been indicated by a signature of the dis-
17 cipline engineer and in some cases by an initial. But in
18 all cases, during this interim period, that design change
19 request package has been sent to San Francisco and that work
20 has been reaccomplished by the discipline engineers within
21 the home office engineering group and in that sense it's
22 been an additional review and check.

23 In the case of a calculation, there have been some
24 calculations initiated in OPEG during this interim period.
25 And the initiator of the calculation and even the checker of

PC
NRC-66
T-3
3

1 the calculation are indicated by initials on those calcula-
2 tions. But again, they have not been approved in OPEG and
3 they have been forwarded to the home office and those func-
4 tions of initiating and checking and approving have again
5 been accomplished by engineers in San Francisco to re-review
6 if you will what was done and approve those calculations.

7 So there has been in this transition period almost
8 an additional layer of review for the specific purpose of
9 making sure we don't overlook and allow something to slip
10 through in this time when we're in transition.

11 MR. SULLIVAN: In this period, do you reperform
12 the calculations or just verify through all the procedural
13 rechecks?

14 MR. OMAN: The checker of the calculation -

15 MR. SULLIVAN: In the home office?

16 MR. OMAN: In the home office, does what he needs
17 to do to check that calculation and that may include per-
18 forming of an alternate analysis to confirm the result and
19 it may include a point by point review of the calculation
20 that was, that was -

21 MR. SULLIVAN: But he doesn't have to reinitiate?

22 MR. OMAN: No. He's reviewing the product that's
23 before him, that's correct. He's not copying it over.

24 MR. NORTON: Bob, but in your explanation you said
25 that OPEG has a guy that initiates it and a guy that checks

PC
NRC-66
T-3
4

1 it and they both initial it and no approval and then it comes
2 to the home office and you said that you do those functions
3 over again which would indicate that you have an originator,
4 a checker and then an approval. I think that's his
5 question.

6 MR. OMAN: That's what -

7 MR. NORTON: And he's asking you if you have an
8 originator, a new originator if you will in home office as
9 opposed to a checker.

10 MR. SULLIVAN: Yeah. I think you used the word
11 reinitiate.

12 MR. OMAN: Okay. They are not reinitiating a
13 calculation.

14 MR. SULLIVAN: Okay.

15 MR. OMAN: In the sense of starting from scratch,
16 they are not reinitiating.

17 MR. SULLIVAN: That's just in this interim?

18 MR. OMAN: That's correct.

19 MR. SUFFELL: I have a question. You mentioned
20 that nonsafety related piping was still being addressed by
21 OPEG, that they had the design, now it's just authority.
22 How about code breaks? Would that be considered over in the
23 safety related side as opposed to the nonsafety related
24 side?

25 MR. OMAN: It would be considered in the safety

PC
NRC-66
T-3
5

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

scope of work.

MR. SUFFELL: Okay.

MR. MANEATIS: Any further questions of any of us?

MR. HEISHMAN: I guess maybe I ought to make a statement concerning what I was trying to get to and where I was coming from with the line of questioning that I had earlier. I think we all agree perhaps at various levels, however, that there were some cases previously in getting to where we are now on Unit 1 where indeed there was some questions raised about the adequacy of the quality program that was being applied and this kind of thing and when we find ourselves in that situation we then have to go to the product and try to determine based on the product whether or not what has gone on to get us to that point we can accept or not accept.

And I think that's where we found ourselves with Unit 1 now. For Unit 2 and for the remaining work, none of us want to find ourselves in that situation. I'm sure you don't and I'm absolutely more sure that I don't and I see Mr. Volmer indicating that he doesn't, either.

MR. VOLMER: Amen.

MR. HEISHMAN: So my line of questioning was to try to highlight for all of us that we have to do now whatever it takes to make sure we don't find ourselves in that condition, situation. Thank you.

PC
NRC-66
T-3
6

1 MR. FRIEND: We certainly agree with that, Bob.

2 MR. VOLMER: Any other questions? I had a couple,
3 one which, where did this technical training issue come from?
4 That's one for some reason I hadn't heard.

5 MR. MANEATIS: You mean the disagreement?

6 MR. VOLMER: Yeah.

7 MR. FRIEND: Well, it's part of the, I guess the
8 draft report prepared by Mr. Yin and described to us on
9 January thirty-first, was it, we had the meeting in San
10 Fransisco?

11 MR. VOLMER: I recall technical audits, but I
12 didn't recall technical training.

13 MR. FRIEND: No. Technical training was a speci-
14 fic issue that was brought up and it has, the reason I
15 mentioned it, I believe we have addressed all the other
16 issues, but that is one specifically I know that we had a
17 difference of opinion on and we felt that our selection pro-
18 cess allowed us to not have a technical training program.

19 MR. VOLMER: It's not exact in Appendix B, at
20 least in the supporting regulatory guides. You have to be
21 able to demonstrate adequately, adequate technical qualifi-
22 cations of people -- (defective tape.)

23
24
25
PC
NRC-66
T-3
7

1 MR. FRIEND: Excuse me. I may be mixed up as to
2 where this issue came from. But I didn't want to leave you
3 with the opinion we had addressed it and we're all -

4 MR. VOLMER: No, that's fair enough.

5 MR. FRIEND: There are some people that are tell-
6 ing, advising me maybe it didn't come out of this January
7 thirty-first meeting, but it was an issue that I remember
8 and that we are a part of it.

9 MR. VOLMER: Okay. I had one other question
10 which Mr. Skidmore indicated that 6,000 quality commitments
11 were to be tracked. I was wondering exactly, if you could
12 give me an idea of what type of commitments these are. It
13 sounds like a rather large number. I was wondering how you
14 did all that.

15 MR. SKIDMORE: You might ask how we did it pre-
16 viously. Actually, that's not an unusual number. Florida
17 Power Corporation has a similar system that was developed
18 just prior to the time we started working on ours and they
19 came up with about 5,000.

20 They're commitments that we've made through
21 various licensing submittals over the year, commitments
22 made in the transcript of hearings, FSAR Chapter 17.

23 MR. VOLMER: These are individual -

24 MR. SKIDMORE: These are line items-

25 MR. VOLMER: Line items, I see.

PC
NRC-66
T-4
1

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. SKIDMORE: That you would go out and put in a check list and go out and do an audit.

MR. VOLMER: Not quality attributes or something like that? These are line items that you need to meet the requirements of the plant.

MR. SKIDMORE: Yeah.

MR. VOLMER: I see.

MR. SKIDMORE: The idea is to have these play out. If you want to do a Criteria 18 audit of the project which we did this last April and it turned out fine, I would have all these things on Criteria 18 that pertained to the project spill out of the computer and then the auditor wouldn't have to go dig all this up so he'll perform a more technically correct audit and be comprehensive at the same time.

MR. VOLMER: Any other questions?

MR. BOSNAK: I wanted to amplify the record in another area.

MR. VOLMER: Fine. I think we also have to hear from Mr. Shipley, but go ahead, Bob.

MR. BOSNAK: I wanted to amplify the record here on the IDVP. I think when I characterized the ITR's as incomplete, incomplete might have been a poor choice of words, but I think as Bob -- said, they were summaries. Unfortunately, they were fairly terse and very succinct and I think they could easily lead one to wrong conclusions if

PC
NRC-66
T-4
2

1 the ITR's were the only data available and I think in that
2 perspective at least I can understand why Isa Yin reached
3 some of these conclusions or maybe the majority of the pre-
4 liminary conclusions that he did on IDVP.

5 I think this is fairly important because he felt
6 that a lot of things were deficiencies that could have been
7 reconciled had he had all of the additional material avail-
8 able that were in the backup packages. He could have found
9 that these were perhaps nonsignificant comments. So I
10 think it's important to make, I wasn't trying to criticize
11 the ITR's as being incomplete, but they were very terse and
12 very succinct and could easily lead one astray.

13 MR. VOLMER: Thank you, I think that's a good
14 comment. I appreciate getting it on the record. Larry?

15 MR. SHIPLEY: Bernie, you asked how many was the
16 count of the new, using the new criteria, how many snubbers
17 were located within 10d of anchors. The number is 75. Well,
18 that's 75 additional over the new. There was six under the
19 5d criteria. There are 81 total under the 10d criteria.

20 MR. SULLIVAN: Is that for all sizes of pipe?

21 MR. SHIPLEY: That is for, for all computer
22 analyzed piping.

23 MR. SULLIVAN: Both large and small bore?

24 MR. SHIPLEY: Yes.

25 MR. SUFFELL: Yeah, it's snubbers near anchors,

PC
NRC-66
T-4
3

1 right.

2 MR. SHIPLEY: Snubbers near anchors.

3 MR. MANEATIS: Second question?

4 MR. SHIPLEY: Yes. I guess, Jim, you asked that
5 one, right? You know, the question was categorize and pro-
6 vide the numbers for the modifications made to date. For
7 the -

8 MR. NORTON: Excuse me, Larry. Before you answer
9 that one, you say date, starting from when?

10 MR. SHIPLEY: Okay. Give me a chance, Bruce, I
11 haven't finished that sentence.

12 MR. NORTON: You're going to cover that?

13 MR. SHIPLEY: The, we did the reviews for the
14 seven items in the licensing condition. For the review on
15 item 1, small bore scrutel, there were no modifications.
16 For items 2 and 3, we provided shims for 26 supports. Those
17 shims were typically a one sixteenth inch shim.

18 I might add that because of the, because of the
19 new criteria for which we're currently doing the walkdowns,
20 we would anticipate some more shims to be added. Item 5
21 which was gaps, there were no modifications. We have a
22 commitment to perform additional reanalysis and modifica-
23 tions as necessary to eliminate the gaps during the first
24 year of operation and we will proceed with that.

25 Item 5 which was walkdowns, hot walkdowns of

PC
NRC-66
T-4
4

1 piping, as far as the last two walkdowns that were done in
 2 conjunction with the NRC teams, there were no modifications
 3 to pipe support that came out of that. I might add though,
 4 that the normal startup of a plant and performing hot walk-
 5 downs as general statement does result in some modifications
 6 to moving conduit, coping, some structural grading and
 7 things like that.

8 It's a natural flow out of that type of program.
 9 Item No. 6 which was DP and TC, there were no modifications
 10 from that. Item No. 7 for the technical issue, there were
 11 no modifications required as a direct result of of item 7.
 12 We had to detach one small bore pipe from a large bore
 13 frame.

14 The result was not a fall out of the licence
 15 condition 7 issue, however, and it met the Hodscree allow-
 16 able. It did not meet the DE and DEE allowables. So we
 17 felt that while there was no safety concern, meeting the
 18 Hodscree allowables, we felt that in order to comply with
 19 all of our commitments, this particular one we should
 20 detach the small bore from the large bore frame.

21 MR. KNIGHT: Just to follow it up. So you de-
 22 tached it from the frame and provided support elsewhere?

23 MR. SHIPLEY: Yes, that's right.

24 MR. KNIGHT: Just picked it up as an individual
 25 support rather than a member on the -

PC
 NRC-66
 T-4
 5

1 MR. SHIPLEY: That's correct. It was a simple
2 cantilever off the large bore frame, a very short cantilever
3 in fact and it was merely relocated to the floor which was
4 quite near where it was attached.

5 MR. KNIGHT: If I kept my tally correctly, then,
6 there was no instance during this process in which a pipe
7 support had to be physically changed, other than shimming?

8 MR. SHIPLEY: That's correct.

9 MR. OMAN: Are there going to be any changes?

10 MR. SHIPLEY: Let me, I'm sorry, Mark.

11 MR. HERTZMAN: Are there going to be any modifica-
12 tions?

13 MR. FRIEND: You mean in future investigations?

14 MR. HERTZMAN: Within the immediate future. I
15 think this is an item that we have discussed this past week
16 and I just wondered what your response would be. I'm talk-
17 ing about the members which exceeded certain length require-
18 ments.

19 MR. SHIPLEY: We, as we indicated in our June the
20 eleventh report, there were three cases where the L/R for
21 angles of 270 was exceeded. Um, we further indicated that
22 that L/R that, thank you, L/T, the L/T that had exceeded
23 270 was well within the recommended results from the test
24 program of the Australian data and we felt therefore that
25 it was acceptable.

PC
NRC-66
T-4
6

1 Per agreement with the staff, we will brace those
2 three cases. So let me clarify. What we have here is out of
3 these very complicated frames that we have, out of 357 very
4 complicated frames, we have three angles, three angles that
5 exceed the 270 criteria.

6 That criteria is set more as a guideline than it
7 is an absolute criteria. It's clear in the Australian data
8 that for very low bending stresses, you can go much higher
9 than the 270 guideline. Nonetheless, we have agree that
10 since we've exceeded this guideline, we believe the support
11 can be justified nonetheless, however, we have agreed to
12 brace those three angles.

13 Now, I want to be sure we touch on one point and
14 that is that during the December '83 to approximately May
15 of '84 timeframe, there were modifications taking place.
16 Okay. There were modifications. We had certain hangers
17 that were determined to be modified post fuel up.

18 We had certain hangers that were still being, not
19 still being, but were being modified as a result of as-
20 built reviews of these post fuel load hanger mods. We had
21 the so-called heapers, the hot walkdown problem report
22 where we might have to modify hangers because of that.

23 For all these reasons, there were supports being
24 modified during that time frame, but they were not as the
25 result of the license conditions, the seven license

PC
NRC-66
T-4
7

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

condition reviews.

MR. HARTZMAN: Okay. Thank you.

MR. VOLMER: Any other questions, staff?

MR. MANEATIS: Well, this concludes our presentations today, Mr. Volmer.

MR. VOLMER: Okay. I think what we'd like to do is the staff would like to take a brief caucus after which we'll come back and take care of any residual items and we also have one member of the public who wishes to make a statement and hopefully we won't be longer than a half hour. Off the record.

(Off the record.)

MR. VOLMER: Sorry we took so long, but the hungrier we get, we'll finish it up real quick. I think we've pretty well taken care of the issues we had slated for today's meeting. However, I did want to get clear exactly the information that you are going to provide us, I think you said tomorrow and make sure we, what all is contained therein and make sure this will be the final package that we will need to be able to proceed with our safety evaluation report.

Let me go over what I believe to be the contents of that letter. You said tomorrow. What exactly, is that going to be put in the postal service tomorrow evening?

MR. SHIPLEY: At midnight.

PC
NRC-66
T-4
8

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. VOLMER: At midnight or something like that.
That's what I thought you were going to say.

MR. HOCH: Excuse me, Dick. John Hoch. We always
have when it's something this urgent, make a submittal in
the mail tomorrow and it will be accompanied simultaneously
by a courier to you and will be in your office -

MR. VOLMER: Yeah, I realize that. Yeah, but it
will, we won't get it tomorrow, we will get it Thursday,
Wednesday being July Fourth and -

MR. HOCH: If you're available Wednesday, it
should be in your office.

MR. VOLMER: I think we definitely have an 8:00
a.m. or 8:15, some of us 8:30 on Thursday without any
question.

MR. SHIPLEY: We can surely do that.

MR. VOLMER: Whatever it takes to do that, I think
we need to do that.

MR. SHIRLING: I -- Wednesday.

MR. NORTON: How many copies are you going to need
and we'll get that number to him so you don't have to go
through the copying process?

MR. VOLMER: Okay. Why don't I let -- take care
of that? Okay. Now, our understanding of the content, one
item that I believe we need is you're going to identify the
characteristics of the 15,000 feet of small bore piping that

PC
NRC-66
T-4
9

1 was analyzed by Spangerol and the purpose there would be
2 to assure that this segment of piping indeed meets the
3 criteria under which we thought you were analyzing by the
4 Spangerol. Okay.

5 That is one item. The second one is, deal with
6 license onditions 2 and 3 and as I understand it you're
7 going to give us layout, all of the instances that you find
8 where you have rigid to rigid or rigid to snubbers, not
9 having met the criteria that you laid out on your chart, any
10 instance where you find that the snubber would not actuate
11 or where future analysis was required, well, cases where
12 snubbers did actuate would be all right.

13 Cases where snubber did not actuate but would be
14 needed you would analyze and provide, the results of the
15 analysis, would they be available in this package or is
16 that something in the future? I guess that was an open
17 question.

18 MR. SHIPLEY: We had, previously we had provided
19 a chart that showed the movement if the snubber was not in
20 the analysis during the DDE, DE and Hoscree and it showed
21 qualifications for the piping and support. If it did lock of
22 course it was qualified by the original analysis and if it
23 didn't, then we would provide, not provide the results
24 themselves, but provide statements that said that it did
25 lock.

PC
NRC-66
T-4
10

1 It's going to get to be a very bulky package if
2 we try to give the results. They're available for review
3 but -

4 MR. SOFFELL: No, but I guess the question is -

5 MR. VOLMER: Will the analysis results be there in
6 some substance or some form?

7 MR. SOFFELL: That's right. In other words, I
8 heard you say this morning that one, the identification part
9 of, phase of this task had been completed. I also heard you
10 say that for rigids you were in the process of walking down
11 to identify which ones needed shimming, which ones didn't.

12 MR. SHIPLEY: That's correct.

13 MR. SOFFELL: Okay. In the case of snubbers,
14 where do you stand in terms of being able to expand the
15 table that you previously provided or is that the kind of
16 thing that you were going to do, just expand that table for
17 the DE, DDE Hoscree in that same format?

18 MR. SHIPLEY: That's correct. That's what we
19 intended to do.

20 MR. SOFFELL: Okay.

21 MR. SHIPLEY: To include all the ones that had
22 been identified for the 10d criteria.

23 MR. SOFFELL: Right. Now, they had not previously
24 submitted and I had not planned to ask for the detailed
25 backup.

PC
NRC-66
T-4
11

1 MR. SHIPLEY: Okay.

2 MR. SUFFELL: Is all that analysis done?

3 MR. SHIPLEY: On Saturday, all but I believe two
4 were complete and they were in the computer as we say.

5 MR. SUFFELL: Okay.

6 MR. SHIPLEY: So I fully anticipate today that
7 they will be complete and tomorrow we'll be able to generate
8 the tables.

9 MR. SUFFELL: Okay. Based on the information
10 you've seen so far, are you, can we expect to see any pro-
11 blems in terms of snubber operability?

12 MR. SHIPLEY: No, we don't believe so, no. All
13 but the few that are still under analysis, we have had no
14 problems.

15 MR. SUFFELL: Okay.

16 MR. SULLIVAN: Does that mean they're all showing
17 as being operable snubbers between 5d and 10d?

18 MR. SHIPLEY: Operable or not required.

19 MR. VOLMER: Okay. The last item that, for the
20 letter information was, I guess there's some residual infor-
21 mation on the completion of the DP packages?

22 MR. BOSNAK: That's your item No. 6.

23 MR. SHIPLEY: That I would believe is merely a,
24 to document the results of the reviews that we reported in
25 progress in our last update and so we would just provide

PC
NRC-66
T-4
12

1 that information.

2 MR. BOSNAK: Yeah, the license conditions you have
3 to complete all of the DE packages and the last report we
4 had, the June first letter said there were a couple that
5 were still open.

6 MR. SHIPLEY: Right. So we need to provide the
7 results of those final reviews and we will do that.

8 MR. BOSNAK: And one, also. Item one, also.

9 MR. VOLMER: Now, going back, just for my own
10 information, on license conditions 2 and 3 then, as far as
11 there had been no, there are no physical modifications
12 pending on license conditions 2 and 3?

13 MR. SHIPLEY: Except for shimming.

14 MR. VOLMER: Except for shimming.

15 MR. SHIPLEY: Yeah.

16 MR. VOLMER: Nothing has had to be replaced, taken
17 out? You haven't had to take out snubbers or anything like
18 that?

19 MR. SHIPLEY: That's correct.

20 MR. VOLMER: And when would that shimming be
21 accomplished?

22 MR. SHIPLEY: We are targeted for the thirteenth of
23 July.

24 MR. VOLMER: Okay.

25 MR. SHIPLEY: But as I said, clearly, if it, if

PC
NRC-66
T-4
13

1 for some reason it extended beyond there, we would complete
2 that work before we increased the -- in power.

3 MR. BOSNAK: On some of the small bore we agreed
4 that shimming may not be necessary and they were going to
5 look at that on a case by case basis. That's part of the
6 changes you need to make to your letter of June the twenty-
7 sixth or whatever date.

8 MR. VOLMER: And we also had the June twenty-
9 ninth submittal and I think there's a question on that. We
10 might as well take care of it now. Mark?

11 MR. HARTZMAN: Yeah. We have had a chance to do
12 a quick reading of your letter of June 29 which we just
13 received a short while ago and you stated that for the
14 large bore support you felt the selfweighted citation or
15 what we have defined as selfweight citation has little im-
16 pact on the overall qualifications of these supports.

17 We believe that we need somewhat more justifica-
18 tion than just a sentence, than just a sentence as stated
19 in this letter.

20 MR. SHIPLEY: Well, Mark, I think the, what is
21 clearly implied here is that 90 percent of the ones that
22 we looked at considered the self weight excitation and it
23 made little to no difference to the overall qualification
24 of the support.

25 MR. HARTZMAN: Well, when you say it did, does

PC
NRC-66
T-4
14

1 this mean you ran some of these without these effects? How
2 did you determine that they weren't significant? I guess
3 really that's the question.

4 MR. SHIPLEY: Separate load case.

5 MR. HARTZMAN: So you, but usually if I recall
6 correctly, the input into strudel, these are combined to-
7 gether with the other, with the other load cases, with the
8 loads that come up the pipe, was the comparison made with,
9 of those two separate conditions? In other words, all the
10 loads were combined and only those that came off due to the
11 piping was analyzed?

12 MR. SHIPLEY: No, we do not do that.

13 MR. HARTZMAN: So how was the comparison deter-
14 mined? How was the significance determined?

15 MR. SHIPLEY: I guess you have to view this in, in
16 conjunction with the fact that 90 percent of the support had,
17 were less than 60 percent of the allowables, much along the
18 lines of Dr. Cloud's statements that, you know, we're find-
19 ing that these supports have been designed to stiffness
20 criteria, especially the large bore, and they are very,
21 very seldom does the strength consideration govern the
22 design of the support. And so we believe the fact that 90
23 percent had already considered the selfweight excitation and
24 that by far and away 90 percent of the members are very
25 lowly stressed, we don't, 60 percent of the allowable,

PC
NRC-66
T-4
15

1 whether you call that low or not, it's a judgment, but so
2 we don't believe that the large bore would have a signifi-
3 cant effect, the selfweight would have a significant effect.

4 MR. HARTZMAN: See, for the small bore you say
5 that this effect may not be true for the large massive
6 frame. There's a statement here.

7 MR. SHIPLEY: Well -

8 MR. HARTZMAN: So some of these massive frames
9 also support large bore support, large bore piping, don't
10 they?

11 MR. SHIPLEY: You mean the small bore supports?

12 MR. HARTZMAN: There are -

13 MR. SHIPLEY: There are large bore frames.

14 MR. HARTZMAN: Yes, which support small bore
15 piping.

16 MR. SHIPLEY: That's true also, yes. But I'm
17 talking about the, well, the small bore paragraph is talking
18 about the complex piping that was done by Strudel and that
19 is characterized by somewhat, as opposed to the large bore
20 supports that are relatively much stronger - Let me
21 explain.

22 Piping is in general run not too far from struc-
23 tures, all right. So in getting from a structure to the
24 pipe to support it, you have roughly the same distances to
25 cover to build the support, but in the case of small bore,

PC
NRC-66
T-4
16

1 the structure can be of a much lighter construction than in
2 a large bore because the loads are so much smaller.

3 So that in some cases the selfweight excitation
4 in the small bore can be significant. So we, we feel that
5 it is appropriate to review the Strudel packages for the
6 selfweight excitation issue.

7 MR. HARTZMAN: We know that some of the interac-
8 tion values in the large bore supports were as high as 92,
9 .92. There was, in fact, I would say about 10 percent were
10 somewhere in that ballpark and here we find that 10 percent,
11 10 percent of the supports did not consider an effect which
12 may or may not influence the interaction value, the overall
13 interaction value.

14 So what we need is to have assurance that for
15 those supports where you have very high interaction values,
16 that these effects are really not significant or conversely
17 that the 10 percent of supports which did not consider these
18 effects are not included in those which, where the inter-
19 action values are very high. Do you see what I'm saying?

20 DR. CLOUD: What's the relative contribution of
21 pipe mass versus the support mass, generally speaking?

22 MR. HARTZMAN: That's what I would like to know.

23 DR. CLOUD: Generally speaking, the support mass,
24 I believe, is small compared to the pipe mass.

25 MR. HARTZMAN: Put it in writing.

PC
NRC-66
T-4
17

1 MR. SHIPLEY: Mark, let me, could you go over
2 what you said again? I want to understand this.

3 MR. HARTZMAN: You have, there are about 10 per-
4 cent of supports where the interaction value was roughly was
5 85 or over, .85 or over.

6 MR. SHIPLEY: Is that from our curves?

7 MR. HARTZMAN: That's from attachment 76.

8 MR. SHIPLEY: 76?

9 MR. HARTZMAN: Yeah, in the letter of June eighth.

10 MR. SHIPLEY: Okay.

11 MR. HARTZMAN: Now, you say 10 percent of these
12 supports did not consider that, the large bore supports.
13 What we want is assurance that this 10 percent did not con-
14 sider these effects are not included in the 10 percent which
15 have interaction values which are somewhere, 85 percent or
16 .85 or greater and also we would like a justification in-
17 dicating that indeed for these large bore supports this
18 effect is not that significant.

19 MR. SHIPLEY: Well, wouldn't that provide the
20 justification, the fact that it was considered in 90 per-
21 cent and the remaining 10, you know, it didn't have any
22 bearing on the justification of the supports by this
23 rationale?

24 MR. HARTZMAN: I'm sorry. I've lost you there to
25 tell you the truth. Let's backtrack. Let's just say that,

PC
NRC-66
T-4
18

1 let's stick to the first item, that we want assurance that
2 the 10 percent which have interaction values above .85 or
3 85 percent do not include, are not included in this 10 per-
4 cent for which this effect was not evaluated.

5 DR. CLOUD: We're doing some independent verifi-
6 cation of your figures here and it looks to me like -

7 MR. HARTZMAN: You want my figures, okay.

8 DR. CLOUD: And it looks to me like you're talking
9 about 5 percent, not 10 percent.

10 MR. HARTZMAN: Oh, I'm sorry. That's right. It's
11 5 percent. But this is 5 percent of a sample of 200.

12 MR. CLOUD: Okay. But it is 5 percent, not 10
13 percent.

14 MR. HARTZMAN: You're right.)

15 I. DR. CLOUD: Who do we send the bill to?

16 MR. VOLMER: Mark, that verification, when are we
17 expecting it?

18 MR. HARTZMAN: October first, that's acceptable.

19 MR. VOLMER: Okay. Any other comments from the
20 staff? Jim? Okay. Well, I guess that concludes this part
21 of the meeting. I'll turn it over to Hans. We will look
22 forward to getting your information on Thursday and by --
23 as soon as possible, if there are any other follow on ques-
24 tions, we'll get in touch with you right away and we appre-
25 ciate you coming out and taking care of these concerns today.

1 Yeah?

2 MR. SUFFELL: For the sake of expediting things,
3 I would like, if I could request a copy of it sent to myself
4 and I believe you have my address, Larry.

5 MR. VOLMER: Yes.

6 MR. SUFFELL: It's Columbus. And to Tom Burr,
7 B-u-r-r, at the Idaho Engineering Lab and if you don't have
8 his address I can get it after this.

9 MR. VOLMER: And Kamal Mannoli in Region I.

10 MR. FRIEND: You want these to your offices, is
11 that correct?

12 MR. SUFFELL: Mine I have no problem with it
13 being sent to my house. I think, do you have my home
14 address? I believe you do?

15 MR. HOCH: The easiest way would be for Hans to
16 -- (several people talking at once.)

17 MR. SUFFELL: Okay, fine.

18 MR. VOLMER: Okay. I'll turn it over to Mr.
19 Shirling for the conclusion of the meeting, then.

20 MR. SHIRLING: Yeah. One item remaining is I
21 have a request from Mr. Stokes. He would like to make some
22 statements and Charley, why don't you try to limit yourself
23 to about ten, fifteen minutes if at all possible?

24 MR. STOKES: I'll be more brief than that. The
25 meeting to me appears on the surface to maybe be not what it

1 seems. It appears that various things have been raised and
2 not questioned. They were raised by PG&E in statements.
3 The NRC didn't ask any questions.

4 Several of the issues which I didn't appreciative-
5 ly like was one, the first one was by Mr. Shipley. He said
6 there was fifteen Strudel documents which had been com-
7 pleted with no changes. It's my experience that the most
8 difficult ones are the ones left for last and the ones that
9 have the most problems.

10 I would like to state again as I've stated in many
11 of my affidavits to insure the public confidence and alle-
12 gators' confidence that the design aspects are being com-
13 pletely covered, I would like several documents placed in
14 public domain in the public clearing room or document room
15 at San Louis Obispo, the sketch and calculation copied.
16 These things will not affect plant safety because they will
17 not be in enough detail to cause any person who could gain
18 access to do any damage.

19 The other thing that kind of bothered me was the
20 thirty day requirement was dropped for more stringent
21 requirement and that was that no design or check calcula-
22 tions would take place on safety related items by these
23 people. There is no mention as to what would still be the
24 case with people working on nonsafety items, whether or not
25 there would ever be requirement that they know what QA

1 requirement for and that could take place in the case of
2 people never working in the safety related items which is
3 very easy for management to manipulate.

4 I took a deep exception with this term and that
5 was adequate, technical adequacy and the word adequate as a
6 whole. It seems that adequate is replacing what I call in
7 calculations and have always seen to be an overuse of
8 engineering judgment.

9 There's no basis for limiting its use. It's a
10 very random and very sporadic decision on engineer's part.
11 It has absolutely no basis without limitations being put on
12 it as far as I can see in any project.

13 I also was upset with the mention of 6500 items
14 which still are open which should be met before a licensing
15 is completely committed to. The definition of items kind
16 of bothers me. I wonder if an item can be an entire area
17 of category of problems considering TMI issues.

18 Look at the same aspects with that as to the
19 statement that the GAP's reanalysis program has been ex-
20 tended for one years into operation. I wonder if that's one
21 item? I know NRC is not quite aware of all 6500 in scope
22 because they were startled by this number.

23 They may have given authorization for each one
24 independently, but the total affect of 6500 open items as to
25 the plant safety is to me unrealistic. There was no mention

1 made here today of an issue which started because I raised
2 the question concerning the radius of tube steel at the
3 plant.

4 I'm aware that the problem goes beyond tube
5 steel. This problem is the use of foreign steel in Diablo
6 Canyon which does not meet material qualifications for
7 American vendors. I am aware that the problem does go
8 beyond tubing and I will be following up with a statement
9 and documentation to prove that this issue is still not
10 moot and it is safety significant and it does bear on
11 hardware which has been one issue where NRC has completely
12 been against reopening.

13 I feel hardware is a problem which should be
14 looked at and the use of foreign steel is one aspect of
15 that. The last technical issue that I'm kind of concerned
16 with is the fact they state, PG&E does, that only three
17 angles exceeded 270 as an L/T requirement.

18 There was no other changes noted and I feel that
19 I can't believe that knowing what I know about the calcs
20 I performed including torsional stresses. The last thing
21 I'd like to say involves the absence of an NRC member here
22 who had more to do with the seven licensing criteria than
23 any other member of the NRC staff as far as I'm concerned.

24 That's the absence of Mr. Yin. I feel that the
25 lack of his presence here indicates one of two things. He's

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

either not in agreement with the staff's present conclusions or either he feels that what's going on here as I do is not a realistic portrayal of what's happening between PG&E and NRC.

I will regress to what I stated to Mr. Bishop in December eighth of 1983 when I first talked to the NRC only now I say it for myself, all allegators and the people concerned in the San Louis Obispo area and the rest of the United States. At this time I have not seen sufficient evidence of very many people within the NRC that they are committed to doing their job.

At this time we will break all furture discussions with NRC except with the discussion which could be possible with Mr. Yin if he's given freedom to look into the issues which he discusses with us. It seems when I made the statement December the eighth that I would discuss the issues with NRC at that time, I stressed that I only did it because Mr. Yin was part of the staff.

I should have stressed that he be allowed to review stuff openly without being subjected to a lot of undue handcuffing. In conclusion and followup of this, the only other group which I or the allegators will discuss any issue we still have pending or will raise in the future as to the foreign steel issue which I'm fixing to raise again, the only people we'll discuss it with are Mr. Yin or

PC
NRC-66
T-4
24

1 the Department of Justice.

2 We have been in meetings with the Department of
3 Justice and we feel that many of the public laws have been
4 broken and are not being enforced by the staff. The Depart-
5 ment of Justice has final control on these issues and they
6 can also investigate.

7 And the very last thing I would say is I believe
8 the policies of the NRC in allowing 6500 open items to
9 exist on a plant while they're considering licensing of
10 that plant to be one of the most disarming and disruptive
11 things to the nuclear industry. It promotes the idea that
12 you can build a plant any way you want it, get an extension
13 after licensing and have it extended indefinitely.

14 It doesn't promote that the plant should have been
15 built based on quality from the beginning and that every
16 intent and every motion by management should be geared
17 towards quality. I am not anti-nuke nor are any of the
18 allegators which I am associated.

19 I am in favor of similar prospects or similar
20 construction policies to what took place at Florida Power
21 and Light St. Lucy 2. I expect management and no less to
22 seek 100 percent quality from day one of every person work-
23 ing in the project.

24 I expect the design to be done one time, one
25 time only and correct. I am tired of things being torn out

1 because of a 10 percent override in contracts, allowing for
2 the industry to be subjected to increasing costs thereby
3 causing plants to be shut off and extended schedules to be
4 postponed indefinitely. And on that last statement I'll
5 stop.

6 MR. VOLMER: Mr. Stokes, you brought up a couple
7 things which first of all I need to clarify the record for
8 and secondly I feel obligated to follow up on. First of all,
9 I would like to indicate that Mr. Yin was unable to come to
10 indicate that Mr. Yin was unable to come to the meeting
11 today.

12 However, he has been informed as have all other
13 parties to this, these staff people involved in this
14 exercise, that Mr. Yin will be getting copies of our SER's
15 and he has been asked to submit any comments in writing
16 which will be included in the final staff safety analysis
17 report should he have any disagreements he wishes to bring
18 forward. So these will be a matter of public record and
19 there will be, should not be any instance, I should think,
20 that Mr. Yin would be disagreement with the staff, the peer
21 review group, that is, and that provide his written comments
22 on that.

23 The other items I wanted to ask you about, I
24 was wondering, who are you speaking for when you said that
25 you were going to break all further discussions with the

1 NRC unless Mr. Yin was party to those discussions? Who are
2 you speaking for in saying that?

3 MR. STOKES: I speak for myself and all the alle-
4 gators represented by GAP.

5 MR. VOLMER: We have some allegeders who Mr. Devine
6 had indicated that he wanted, that had further information
7 for the staff. You mean by that that those offers of infor-
8 mation from those allegeders are no longer forthcoming unless
9 Mr. Yin is party to those discussions? Is that what you're
10 telling me?

11 MR. STOKES: Yes.

12 MR. VOLMER: Okay. Lastly, I'm trying to figure
13 out where this, I'm very interested in this 6500 open items
14 that you discussed. I recall asking as one of my questions
15 Mr. Skidmore about his 6,000 quality commitments to be
16 tracked. Is that what you're referring to? The only other
17 6500 I could find in my notes -

18 MR. STOKES: That's the 6500 I alluded to and I
19 assumed in my statement that they included commitments to
20 the NRC which have been extended from one to two years and
21 possibly longer after licensing. They would be includable
22 under continual follow up program and under QA auditing
23 programs, they should be included and I therefore drew that
24 assumption, maybe incorrectly.

25 MR. VOLMER: Well, that's not exactly the way I

PC
NRC-66
T-4
27

1 had gotten it. I would say now that whatever the commitments
2 are by the licensee to the regulatory criteria, be they in
3 the FSAR license conditions or whatever, that those are not,
4 they would not and are not being extended.

5 The plant has to meet it's licensing criteria and
6 anything that does not meet our requirements may be identi-
7 fied in license conditions, accompany the license. That
8 would be the only method of extension so they would be out
9 in the open. But 6500 license conditions are certainly not
10 contemplated.

11 MR. STOKES: Maybe we could ask Mr. Skidmore for
12 a clarification on the definition of those 6500 items.

13 MR. VOLMER: As I understood them, I think that
14 they were, he said 6,000 is the number I had noted, 6,000,
15 let me get my notes here so I'm sure I'm right, 6,000
16 quality commitments to be tracked and as I understood those
17 when I questioned him on them, that these were all of the
18 commitments made in the FSAR to meet all aspects of plant
19 design and that those were commitments to be tracked. You
20 wish to elaborate, Mr. Skidmore, or is that right?

21 MR. SKIDMORE: Yeah, let me, well, the record I
22 think will speak for itself. The 6500, that number came
23 from the number of workers that have seen the orientation
24 film. I later in my presentation commented about 6,000
25 commitments and these are things that you'll see in --

PC
NRC-66
T-14
28

1 standards.

2 These are ongoing commitments we've made to meet
3 regulatory requirements. It's a standing matter of quality
4 assurance program. We're tracking our compliance with
5 those things and auditing to make sure we are in compliance.
6 There's nothing open.

7 It's just the way we intend to meet Appendix B.
8 And we've broken it down to on-line items. But there's
9 nothing open.

10 MR. STOKES: But are you monitoring and tracking
11 the things which are open and have been extended beyond -

12 MR. VOLMER: I had asked Mr. Skidmore to amplify.
13 This is not a question and answer situation.

14 MR. STOKES: Sorry.

15 MR. NORTON: Excuse me, Mr. Volmer. I might read
16 precisely where that number came, what Mr. Skidmore said
17 and I'm reading from what he read. It was, quote, a
18 computerized quality commitments management data base is
19 being developed to allow PG&E to properly demonstrate the
20 conformance to NRC requirements and to provide quality
21 assurance audit with a computer generated list of quality
22 commitments to be covered in programatic audits. And it
23 was there where he said that's approximately 6,000 and it
24 has nothing to do with open items.

25 MR. VOLMER: Well, that was my understanding, but

PC
NRC-66
T- 4
29

1 I wanted to clear it up. Thank you.

2 MR. SHIRLING: Mr. Maneatis, are there any addi-
3 tional comments you would like to make at this time?

4 MR. MANEATIS: I have none, other than I hope that
5 we've addressed matters in sufficient detail to commit the
6 NRC to proceed with the full power licensing of Diablo
7 Canyon --.

8 MR. SHIRLING: Thank you very much for coming.
9 The meeting is adjourned.

10 (Whereupon, on Monday, July 2, 1984, the meeting
11 was adjourned.)

12
13
14
15
16
17
18
19
20
21
22
23
24
25

PC
NRC-66
T-4
30

CERTIFICATE OF PROCEEDINGS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

This is to certify that the attached proceedings before the
NRC


In the matter of:

Date of Proceeding: Monday, July 2, 1984

Place of Proceeding: Bethesda, Maryland

were held as herein appears, and that this is the original
transcript for the file of the Commission.

JOE NEWMAN
Official Reporter


JOE NEWMAN
Official Reporter

PC
NRC-66
T-4
31