

NUCLEAR REGULATORY COMMISSION

ORIGINAL

RETURN TO SECRETARIAT RECORDS

COMMISSION MEETING

---

---

In the Matter of: PUBLIC MEETING

BRIEFING ON SECY-81-240 - DRAFT NUREG REPORTS  
0771 AND 0772 RELATING TO ACCIDENT SOURCE  
TERM ASSUMPTIONS

---

---

DATE: May 21, 1981 PAGES: 1 - 67  
AT: Washington, D. C.

ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

RETURN TO SECRETARIAT RECORDS

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

- - -

PUBLIC MEETING  
BRIEFING ON SECY-81-240 - DRAFT NUREG REPORTS 0771 AND 0772  
RELATING TO ACCIDENT SOURCE TERM ASSUMPTIONS

- - -

Nuclear Regulatory Commission  
1717 H Street, N.W.  
Room 1130  
Washington, D.C.

Thursday, May 21, 1981

The meeting of the Nuclear Regulatory Commission  
was convened, pursuant to notice, at 2:05 p.m.

NRC COMMISSIONERS PRESENT:

- JOSEPH M. HENDRIE, Chairman
- VICTOR GILINSKY, Commissioner
- PETER A. BRADFORD, Commissioner
- JOHN F. AHEARNE, Commissioner

NRC STAFF PRESENT:

- SAMUEL J. CHILK, SECRETARY
- D. ROSS
- M. SILBERBURG
- W. PASEDAC
- R. BLOND
- A. KENNEKE
- R. MINOGUE
- R. BERNERO

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on May 21, 1981 in the Commission's offices at 1717 H Street, N. W., Washington, D. C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determinations or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except as the Commission may authorize.



1 will discuss the longer technical bases report. We estimate  
2 that this will take about half of the time.

3           The remaining half will be divided into halves  
4 again, to discuss the companion report on regulatory impact  
5 of NUREG-0771. The first speaker to speak on that will be  
6 Walt Pasedac from NRR, and the last speaker in the  
7 presentation will be Roger Blond of the Office of Research.  
8 Roger was one of the co-authors of the 0771 report.

9           As questions come up, it may be that any of these  
10 three gentlemen would be the appropriate respondee. So we  
11 are proceed that way, if that is all right with the  
12 Commission.

13           CHAIRMAN HENDRIE: Okay, Denny.

14           MR. ROSS: Mel will proceed.

15           CHAIRMAN HENDRIE: Feel free to speak vigorously,  
16 Mel.

17           MR. SILBERBURG: First slide please.

18           Draft NUREG-0772 was prepared by three of our  
19 major contractors in this area, Battelle-Columbus  
20 Laboratory, Oak Ridge, and the Sandia National Laboratory,  
21 along with some of the staff from NRC -- in research  
22 particularly Mr. Richard Sherry, Mark Cunningham, and  
23 Charles Kelber, in NRR, Walt Pasedac.

24           Next slide please.

25           In meeting the objectives shown on the slide,

1 there are the three major accomplishments that we feel came  
2 out of the study -- two came out of the study. The first  
3 one was that we were able to respond with a very short  
4 turn-around time, and we were able to do this because we had  
5 a research program in place, and the researchers  
6 knowledgeable in these areas to be able to do this in that  
7 kind of a time schedule.

8           The report provides a summary of our state of  
9 knowledge at this point, and puts it together in one place.

10           Finally, and perhaps most important, the report  
11 provides bases and a framework for developing accident  
12 source terms in the regulatory process, and you will hear  
13 about that later.

14           Also very important is that it provides a focus  
15 for the research programs. As you will hear later, this  
16 document we feel is a major planning tool for our research  
17 program.

18           Next slide please.

19           The technical issues which provide the background  
20 for the report are shown on the next slide. As you might  
21 recall, there were four.

22           The first issue had to do with the chemical form  
23 of radio iodine under accident conditions -- is it cesium  
24 iodide with its properties, or is it elemental iodine?

25           The second issue dealt with, if indeed it was

1 cesium iodide and not elemental iodine, would this mean that  
2 the iodine release was perhaps over estimated, and possibly  
3 by orders of magnitude.

4 Third, if indeed it were cesium iodide, would the  
5 ~~ASFs~~ be effective for the actual iodine behavior, rather  
6 than elemental iodine.

7 Finally, are the source terms, namely, the aerosol  
8 source terms which include all of the fission products that  
9 were used in past risk evaluations, perhaps one to two  
10 orders of magnitude greater than that which might be  
11 realistic for core melt accidents.

12 COMMISSIONER AHEARNE: What is ASF?

13 MR. SILBERBURG: Accident Safety Features.

14 The next slide please.

15 The technical scope of our studies described in  
16 the report included accident sequences and then a number of  
17 areas which if one were to trace the sequence of an accident  
18 of fission product released in transport through the system,  
19 one would be going from release from the fuel in the core,  
20 associated chemistry involved at that point, transport in  
21 the reactor cooling system, transport in containment,  
22 through containment, and then the consideration of how the  
23 engineered safety features would perform under these  
24 conditions.

25 Under accident sequences, we chose accident

1 sequences of the following type: We started with very low  
2 releases at terminated LOCAs to various degraded core  
3 accidents, such as TMI II, such as partial melted accidents  
4 where the accident was then terminated, and finally the  
5 core melt accidents that are considered traditionally in  
6 WASH-1400, typically the ones that dominate risk.

7           I want to point out that as one traces through  
8 these various areas, in a number of cases we actually  
9 performed calculations and studies that went beyond what was  
10 the state-of-the-art at that time. A number of additional  
11 studies were done specially for the report that went just  
12 beyond the data base, using the calculational tools that we  
13 have.

14           I also want to point out that even though there  
15 appears to be a lot of time spent on the chemistry of cesium  
16 iodide, probably because one knows more about those than the  
17 other fission products, we nevertheless dealt with the other  
18 fission products in terms of the aerosols, which is when the  
19 solid fission products would be likely to behave during any  
20 accident sequence as we move out. So, again, I just want to  
21 note that to that extent the other fission products were  
22 covered.

23           Next slide please.

24           A number of people looking at the report at a  
25 quick glance and perhaps others might be led to believe that

1 again most of the calculations represent a repeat of  
2 WASH-1400.

3           Again, I want to note that this was not the case,  
4 as shown in this slide, from thermal hydraulics to fission  
5 product release estimates from melting fuel and fission  
6 product transport in the various systems, the report  
7 represents a significant extension beyond WASH-1400  
8 methodology, not only in data base relative to aerosols, but  
9 certainly in the methodology that was used. Although, as  
10 you will see later, I certainly do not want to leave the  
11 impression that the methodology is by any means at this  
12 point fully developed or verified.

13           The next slide please.

14           The first summary of our major findings on this  
15 slide pertain to findings and conclusions relative to the  
16 chemical of iodine and how it might impact iodine release.  
17 We found that we would expect, based on the studies, that  
18 cesium iodide as we moved away from the core to the primary  
19 system, towards the containment, that the conditions  
20 attendant to the accident, based on chemical thermo dynamic  
21 calculations, cesium iodide would be expected under those  
22 conditions.

23           We then proceeded from that point and looked at  
24 how cesium iodide and iodine might behave when one now took  
25 into account that particular fact and looked at a variety of

1 accident sequences.

2           If the transport is through a water bounded  
3 primary system, basically like the TMI II, we would expect  
4 very low iodine releases regardless of the form. In either  
5 case, one would expect a low release.

6           We found that for some severe accident, there  
7 would be a high retention in the primary system for cesium  
8 iodide and, hence, a low release of iodine into the  
9 containment.

10           For other sequences, our calculational procedures  
11 found no difference. I want to point out, particularly here  
12 and in the next slide, that there are large uncertainties in  
13 the calculational procedures that are being used here, in  
14 the calculational models. So some of these effects may  
15 indeed be masked by that, but it is that area that is one of  
16 the major subjects of our fission products research  
17 program.

18           CHAIRMAN HENDRIE: What sequences would you say  
19 don't affect the retention?

20           MR. SILBERBURG: The sequences here where the  
21 temperatures of the primary system surfaces are high, higher  
22 than other sequences, perhaps like TMLB prime.

23           COMMISSIONER GILINSKY: You are talking about fuel  
24 temperatures?

25           MR. SILBERBURG: Primarily surface temperatures.

1 In other words, as we move away from the core, looking at  
2 opportunities for the cesium iodide, because of its low  
3 volatility, to deposit in the primary system, away from the  
4 core and in the primary system.

5 CHAIRMAN HENDRIE: Those have to be dry sequences,  
6 don't they?

7 MR. SILBERBURG: Yes.

8 MR. ROSS: The sequence that Mel just mentioned  
9 for PWR, the primary system would be boiling dry  
10 intermittently through the relief valve, and the primary  
11 pressure would be oscillating between 2400 and 2500 pounds,  
12 depending on the system. There would be a lot of core  
13 damage as the liquid level boiled down passed the top of the  
14 active fuel.

15 So there would be a lot of fuel damage where the  
16 only thing above the fuel to the release point would be  
17 vapor, super-heated vapor. Under those conditions, I would  
18 say the metal temperatures would be around 600 degrees  
19 Fahrenheit, give or take a bit, depending on what the  
20 super-heat temperature was.

21 If you follow that sequence far enough, there is a  
22 point where the melt would drop into the vessel and on down  
23 to the vessel, but there would be substantial failed fuel  
24 while the primary metal surfaces were still hot. But then  
25 once the vessel fails, there would be a big decompression

1 and an influx of cold water from the core flooding tank  
2 system. I think it would be dependent on before or after  
3 vessel failure, you would get two different answers.

4 But that definitely would be a dry release except  
5 for steam.

6 COMMISSIONER GILINSKY: Do you have any sense for  
7 the size of these two classes? Is one significantly smaller  
8 than the other, or do you regard them as in some sense  
9 comparable?

10 MR. BLOND: From a very cursory analysis, and this  
11 at this point would have to go into much more detail, but  
12 from a very cursory analysis, there are still sequences  
13 which give very large releases and the probabilities are not  
14 significantly modified from what our previous practice would  
15 be.

16 CHAIRMAN HENDRIE: Of the basis of what?

17 MR. BLOND: Of groupings of accidents.

18 CHAIRMAN HENDRIE: On the basis of calculations as  
19 done for this study.

20 MR. BLOND: Yes.

21 COMMISSIONER GILINSKY: What is it that is not  
22 modified?

23 MR. BLOND: The probabilities associated with  
24 various categories or melts of radioactive material which  
25 could be released.

1 COMMISSIONER GILINSKY: Looking at all sequences  
2 in the aggregate?

3 MR. BLOND: Yes.

4 COMMISSIONER GILINSKY: Some have moved up, and  
5 others have moved down, or perhaps some have moved down, but  
6 it did not affect the total significantly?

7 MR. BLOND: Not significantly.

8 COMMISSIONER GILINSKY: I see.

9 Let me ask one more question. This is because  
10 there wasn't much change to the iodine calculations, or  
11 because there are other radioactive --

12 MR. BLOND: There are still dominant sequences  
13 which just have not been impacted.

14 COMMISSIONER AHEARNE: You are saying, it would  
15 have to be in sequence three?

16 MR. BLOND: Yes.

17 COMMISSIONER AHEARNE: You are saying that those  
18 sequences in that third category, there are still some --

19 MR. BLOND: Which are dominant in terms of the  
20 probabilities. But, again, this is a very preliminary look  
21 that has been taken. It will be design dependent in many  
22 ways.

23 COMMISSIONER GILINSKY: Let me ask you this. What  
24 if iodine were removed from the problem entirely, what would  
25 be the effect?

1 MR. BLOND: We do have a slide on that.

2 COMMISSIONER GILINSKY: Okay, we can wait for  
3 that.

4 MR. BLOND: We can bring it up now, if you would  
5 like.

6 CHAIRMAN HENDRIE: Why don't we get to it during  
7 the course of the presentation?

8 MR. BLOND: Okay.

9 CHAIRMAN HENDRIE: If we get too far afield here,  
10 we will lose the thread of Mel's discussion.

11 MR. SILBERBURG: The final point here is that if  
12 retention in the reactor coolant system were not influenced  
13 by chemical form, then we were just dealing with how it  
14 behaved in containment, then for early containment failure  
15 type risk dominant sequences, again we would expect no  
16 difference because cesium iodide now being a solid and  
17 working along with the other aerosols, there is not enough  
18 time for early containment failure sequences to allow the  
19 cesium iodide to be removed by the aerosol.

20 In other words, aerosols, you need lots of them  
21 but you also need time, and particularly when you get into  
22 the larger the building, the longer the time, so the larger  
23 the space.

24 CHAIRMAN HENDRIE: Why do you assume the cesium  
25 iodide is in aerosol form in the containment?

1 MR. SILBERBURG: The temperature in the  
2 containment is low enough, compared with the vapor pressure  
3 of cesium iodide, it should be in a condensed state at that  
4 point. It should be a solid at that point.

5 CHAIRMAN HENDRIE: Yes, but that suggests to me  
6 very rapid plating out on the assorted large surface area at  
7 lower temperature in the containment, rather than all of it  
8 simply magically becoming aerosol.

9 MR. SILBERBURG: The competing process of plate  
10 out is certainly there, but it turns out, again because of  
11 the large surface to volume ratios involved for the building  
12 versus the aerosol, it would prefer to go to the aerosols if  
13 there are enough of them there.

14 CHAIRMAN HENDRIE: Enough of what?

15 MR. SILBERBURG: If there are enough aerosol  
16 surfaces, large enough aerosol concentrations for the cesium  
17 iodide to deposit, to agglomerate along with the other  
18 solids. We have had calculations that have shown that if  
19 you wait for plating on surfaces, it is generally much  
20 slower than the nominal aerosol regime that we are dealing  
21 with here.

22 COMMISSIONER AHEARNE: There are experiments?

23 MR. SILBERBURG: Yes.

24 This is quite a background in that aspect of the  
25 problem.

1           COMMISSIONER AHEARNE: You have experiments with  
2 cesium iodide in that temperature?

3           MR. SILBERBURG: Not with cesium iodide, not yet;  
4 but other aerosols that would behave similarly, just looking  
5 at aerosol physics in general. The experiments that you are  
6 discussing are those that remain to be done, but they  
7 certainly are important. For example, we have seen that  
8 with sodium iodide.

9           Let me move on to the next slide, which deals with  
10 a summary of findings that are related to aerosol behavior,  
11 which was the third background issue.

12           Here, again, we find that certain accident  
13 sequences that were studied in the reactor safety study,  
14 indeed may have been overestimated, that is, the release of  
15 fission products and, hence, the source term may have been  
16 overestimated because of additional attenuation within the  
17 primary system.

18           Again, I want to point out that this was a very  
19 preliminary calculation done late in the study, using some  
20 of our aerosol tools. But there are large uncertainties  
21 here because the methodology that we are developing for the  
22 primary reactor coolant system has to couple the aerosol  
23 models and thermo-hydraulics and other physical properties  
24 together. This is currently in process, or currently  
25 starting.

1           We made, if you will, some artificial calculations  
2 to see, what if we had lots of aerosols and lots of time or  
3 little time in the primary system, and we get two different  
4 results. One, namely, where the steam flow rates are low,  
5 there is high residence times and high aerosol  
6 concentrations in the primary system, likely to get  
7 glomeration, larger particle growths and settling in the  
8 system.

9           In those sequences where the residence times are  
10 low, again this very simplified calculation would indicate  
11 that there would be no or little retention of aerosols, and  
12 under those circumstances, for those sequences, we would  
13 find that they generally agree with the Reactor Safety Study  
14 estimates.

15           Finally, I think it is important to point out that  
16 for those conditions where the containment is intact, and  
17 the containment engineered safety features are operational  
18 like the sprays, we would expect extremely high attenuation  
19 factors, indeed greater than 10 to the 5th for severe  
20 accidents.

21           The next slide please.

22           CHAIRMAN HENDRIE: Is it clear that the same is  
23 not the case where containment leakage is going on?  
24 Containment failures come in various forms, but the likely  
25 ones are the development of leakage paths through open

1 cracking in concrete and tears in liners. So that the  
2 leakage paths themselves are not big holes but rather  
3 probably a substantial number of fairly narrow apertures. I  
4 think in that kind of case, you once more get pretty high  
5 attenuation factors.

6 MR. ROSS: Yes.

7 MR. SILBERBURG: For those conditions, we would  
8 expect high attenuation factors. Defining those conditions  
9 is related to the subject that we refer to later as  
10 containment failure modes, and some work is going now in the  
11 research program just started.

12 That is, if one can define the failure modes and  
13 get some feeling for those in terms of containment response  
14 and locations, then one may be able to take credit for the  
15 leakage path attentuations that you refer to. But this,  
16 again, is in the very early stage because of the difficulty  
17 in defining just how big was the break for containment  
18 failure.

19 On the next slide, we find a summary of the major  
20 areas of uncertainty and limitations in both the data base  
21 and the methodology. Many of them we have already referred  
22 to in the discussion today.

23 These same areas of uncertain and limitations are  
24 the same areas that are now being addressed in our research  
25 program and being given emphasis. There are some other

1 areas. For example, the effect of suppression pools on  
2 trapping, we think that is another very important area.

3           We have been having discussions with the General  
4 Electric people, and they indicated that they may wish to do  
5 some work in this area, but this is still at an early  
6 stage. Again, we would certainly encourage that type of  
7 work. That is another area where potentially large aerosol  
8 attenuation could occur.

9           Again, I have noted here containment failure modes  
10 which was a question that you raised.

11           The follow-on studies that we have identified from  
12 the report and the review of the report, the ones shown  
13 here, by near-term we mean that we expect that we can get  
14 them done within the 12 to 18 months, in a timeframe that is  
15 consistent with and responsive to the early phases of the  
16 rulemaking process.

17           What we will be doing is updating the source term  
18 estimates for a range of accident sequences in trying to  
19 define the level of uncertainty. What we will be doing is  
20 coupling the analysis as best we can with the tools  
21 available, while the research program is ongoing, trying to  
22 improve these tools, starting with release from the fuel,  
23 working down to the primary system, and into the containment  
24 -- what we call the coupled analysis -- so that we will have  
25 what we think is a best estimate to this point.

1 We did not have sufficient time during the course  
2 and the timeframe of the study to do that coupled analysis,  
3 but we believe that it is very significant.

4 COMMISSIONER AHEARNE: Mel, you used the phrase  
5 just now, and it is in the SECY paper, "in a timeframe  
6 consistent with the rulemaking schedules." Could you be  
7 more specific; do you have some timeframes in mind for  
8 developing the source term estimates, and so forth?

9 MR. SILBERBURG: The timeframe for the updated  
10 source term would be about 12 to 18 months, and that is what  
11 I meant by "consistent with" the front-end of the rulemaking  
12 process, as I understand it. These are the degraded core  
13 cooling, minimum engineering safety features, siting, and  
14 emergency planning.

15 MR. ROSS: Commissioner Ahearne, let me bring you  
16 up to date on what had been called the "Long Term Rule" at  
17 one time.

18 There was a steering group that has a life of  
19 about six months, the Degraded Core Cooling Steering Group,  
20 and it issued its report to EDO last month. One of the  
21 enclosures of the report was an action plan that was  
22 supposed to be an effort that would help produce at least  
23 the rudiments of a rule, that would help decide whether we  
24 needed more prevention or more mitigation, or both, and, if  
25 so, for future plants or for present plants.

1           We are in the process of engaging Sandia to do  
2 some work consistent with the action plan that was in that  
3 report to EDO. The work, I believe, will start in June and  
4 it will take about seven or eight months.

5           It is supposed to study in a systematic way  
6 different ways to reduce risk by preventing coremelt,  
7 different ways to reduce risk by mitigating the effects of  
8 coremelt, and looking at the cost of these different ways,  
9 including the features not yet incorporated anywhere, such  
10 as core catchers.

11           We believe that work will help us in mid-82 to  
12 focus on the rule. I can only surmise that the complete  
13 rulemaking, for which we have comments from the advance  
14 notice proposed rulemaking, is several years away. I would  
15 be surprised if it were completed by 1984 or 1985.

16           Some of the technical bases for this rulemaking  
17 will be needed on the time scale that Mel was talking  
18 about.

19           I don't believe we have a precise date as to when  
20 we would come back to the Commission with a proposed rule,  
21 but it will not be in the next 12 months, it will be after  
22 that.

23           COMMISSIONER AHEARNE: The updated source term  
24 development is that something separate from the Sandia  
25 effort?

1 MR. ROSS: Yes. One of the features to be studied  
2 in the Sandia study would be a filter vented containment,  
3 how much does it cost and what does it do to reduce risk.  
4 In order to do that study accurately, one would need to know  
5 what is the chemical specie subject to being filtered and  
6 vented. So it is an interactive piece of work, but  
7 contractually it would be separate.

8 COMMISSIONER AHEARNE: The updating of the source  
9 term is being done under a single effort?

10 MR. SILBERBURG: It is being done within one of  
11 our on-going research programs.

12 COMMISSIONER AHEARNE: Is it a separate contract  
13 to someone?

14 MR. SILBERBURG: Part of it would be part of their  
15 on-going work, part of their tasks.

16 COMMISSIONER AHEARNE: Being done by?

17 MR. SILBERBURG: At this point that would be done  
18 by Battelle-Columbus.

19 COMMISSIONER AHEARNE: It has not started yet?

20 MR. SILBERBURG: It will be starting soon.

21 MR. ROSS: The Sandia work that I am talking about  
22 has not been started.

23 COMMISSIONER AHEARNE: You expect the  
24 Battelle-Columbus work to finish somewhere within 12 to 18  
25 months?

1 MR. SILBERBURG: Yes, on this subject.

2 MR. MINOGUE: Commissioner Ahearne, if I may.  
3 There is a related rulemaking that has not been discussed,  
4 which is on an earlier time schedule, and that is the  
5 demographic siting rulemaking, which is required by  
6 statute. That is a much more manageable problem, and that  
7 is on a time scale that we look to come to the Commission  
8 with a proposed rule at the end of this year.

9 That rule would not deal with many of the issues  
10 discussed here, but it certainly would deal with the  
11 elimination of the TID 14844 model and with an assessment of  
12 protective action capabilities as they would relate to  
13 different scenarios strictly in relationship to demographic  
14 factors. We were required to do that by legislation last  
15 year. It is a manageable subset that is on an earlier  
16 timeframe, and on which a great deal of work has already  
17 been done primarily by Sandia.

18 MR. SILBERBURG: The main point here and on my  
19 next slide --

20 COMMISSIONER AHEARNE: Before you get to the next  
21 slide. Bullet one was Battelle-Columbus. Bullet two?

22 MR. SILBERBURG: Bullet two would also be  
23 Battelle-Columbus in terms of identifying the sources of  
24 uncertainty from the specific calculations that they have  
25 made for the updated source terms.

1           COMMISSIONER AHEARNE: So, then, that would take  
2 longer than the 18 months?

3           MR. SILBERBURG: It would be done in the same  
4 timeframe, as it is basically a subset of it.

5           The same source terms then allow us to proceed to  
6 the third item, which is again updating the radiation source  
7 terms for safety related equipment and instrument  
8 qualifications under post-accident environments, which would  
9 follow on from that.

10          Finally, we will conduct as detailed review as we  
11 can of the past reactor accident experiences in the context  
12 of our modeling, and in the context of our data base, to see  
13 whether or not there is we can get information that will  
14 help evaluate the models for those situations.

15          COMMISSIONER AHEARNE: You did not do that in  
16 connection with this?

17          MR. SILBERBURG: No, we did not do that. The 0771  
18 report looked at past reactor accidents briefly. We did not  
19 get into that in this report.

20          COMMISSIONER AHEARNE: Any particular reason?

21          MR. SILBERBURG: Just a matter of time and  
22 priority.

23          COMMISSIONER AHEARNE: How would you do this  
24 review of past reactor accidents?

25          MR. SILBERBURG: We will go back and --

1           COMMISSIONER AHEARNE: I meant, will it be  
2 internal staff, or contract?

3           MR. SILBERBURG: It will be by contract.

4           COMMISSIONER AHEARNE: Do you have one chosen?

5           MR. SILBERBURG: We have not. Right now we are  
6 trying to select one.

7           COMMISSIONER AHEARNE: What kind of a timeframe?

8           MR. SILBERBURG: Same timeframe.

9           COMMISSIONER AHEARNE: The 12 to 18 months?

10          MR. SILBERBURG: Twelve to 18 months.

11          COMMISSIONER AHEARNE: All right.

12          MR. SILBERBURG: My next slide, again, shows two  
13 levels of research in terms of a timeframe. The first, we  
14 project additional research results becoming available prior  
15 to the completion of rulemaking.

16          COMMISSIONER AHEARNE: In this case, by completion  
17 of rulemaking, are you talking --

18          MR. SILBERBURG: In the context --

19          COMMISSIONER AHEARNE: We have just seen a  
20 spectrum of one year to five years.

21          MR. SILBERBURG: On the longer.

22          COMMISSIONER AHEARNE: Somewhere within the next  
23 five years, you expect to get these?

24          MR. SILBERBURG: The first listing that you see,  
25 we see as a two to three year timeframe. The lower one,

1 which emphasizes the verification of the methodology, we see  
2 that as longer than three years, because they involve  
3 considerable experiments that we have not done before.

4 COMMISSIONER AHEARNE: In this first category, are  
5 these efforts that you already have under contract?

6 MR. SILBERBURG: Yes. These are a part of the  
7 on-going program that is in place now.

8 CHAIRMAN HENDRIE: Let's see. There appear to be  
9 several sets of vuegraphs and hand-outs. He got his from te  
10 back of the room.

11 Sam, would you get the other Commissioners some  
12 from the back of the room, so that we are not unnecessarily  
13 handicapped against the rest of the audience.

14 COMMISSIONER AHEARNE: I don't think that just  
15 getting slides would do that.

16 (General laughter.)

17 COMMISSIONER AHEARNE: Do you have contracts,  
18 then, underway for the first set?

19 MR. SILBERBURG: Yes, for the first set, and they  
20 are part of the on-going program.

21 Finally, on my last slide, I have listed here a  
22 number of key areas for my long-range research program that  
23 have a very strong and close relationship to the accident  
24 source term work.

25 These areas are closely related to the accident

1 source term work, and for that reason they are being  
2 refocused and their emphasis is being re-evaluated in the  
3 context of many of the conclusions and the findings of this  
4 report.

5           As I noted earlier, we feel the report is a major  
6 planning tool for our long-range research program in these  
7 areas and, hence, we feel that in that regard it is very  
8 important. There is a very strong interaction between these  
9 programs and the accident source terms.

10           Thank you.

11           COMMISSIONER AHEARNE: Mel, you had this document  
12 reviewed during a several day meeting?

13           MR. SILBERBURG: Yes, I should have mentioned  
14 that. It was reviewed by the ACRS early in March. We had a  
15 peer review group meeting on the 17th and 18th of March. We  
16 then allowed the reviewers to provide written comments by  
17 April 1st.

18           We received written comments from 27 reviewers,  
19 over 160b pages of comments, very good, very worthwhile  
20 comments, which we are addressing in our revision to the  
21 report. Also, we will be providing a summary in the report  
22 of our responses to the comments.

23           COMMISSIONER AHEARNE: When do you expect that  
24 document to be ready?

25           MR. SILBERBURG: We should be going to press the

1 first week of June. So, depending on how long it would  
2 take, in mid-June or the third week of June, it ought to be  
3 available in hard copy.

4           COMMISSIONER AHEARNE: Can you give a sense of  
5 what those comments were? Were they just a large number of  
6 separate comments --

7           MR. SILBERBURG: Back to vuegraph No. A-15,  
8 please.

9           The main comments from the review touch upon many  
10 of the main points that I made, and many of the areas where  
11 there are large uncertainties in the data base and the  
12 methodology. I have listed what we think are the most  
13 important at this point in terms of their impact. Most of  
14 the comments were very specific, very technical, and not  
15 general.

16           I think, basically, all the comments reflect the  
17 bottom line that we have got a good start, but we need lots  
18 more information.

19           COMMISSIONER AHEARNE: That was sort of where the  
20 ACRS came out.

21           MR. SILBERBURG: Yes, that is where the ACRS came  
22 out.

23           MR. ROSS: We will move to the companion report  
24 now, starting with Walt Pasedac, discussing the regulatory  
25 impact of NUREG-0771.

1 MR. PASEDAC: Would you put up the first vuegraph,  
2 please.

3 This companion report, in contrast to the previous  
4 report that you just heard about, which I will refer to as  
5 the technical bases report, was written by the staff, in  
6 addition to myself, Roger Blond, from the Office of  
7 Research, was one of the co-authors, and Michael Jankowski,  
8 formally from the Office of Standards Development.

9 The purpose of this report was to assess the  
10 impact of alternative source terms on past licensing  
11 practice. That is, the question, has past licensing  
12 practice resulted in any distortion of the design as a  
13 result of past requirements, the impact on currently  
14 regulatory requirements, and on future requirements as they  
15 are contemplated now in the rulemakings.

16 May we have the next slide.

17 The areas that we considered in this report were,  
18 first of all, a look at the historical development of source  
19 terms in accidents or resulting from accidents. We started  
20 with the famous TID 14844 document.

21 We tried to examine the basis, and we saw that  
22 there was some experimental information available at that  
23 time, about 20 years ago. There was some accident  
24 experience available which apparently had not been relied  
25 upon, at least not explicitly, but quite apparent from the

1 beginning was a strong trend to attempt to be conservative.  
2 So there was a philosophy to try to develop upper bound  
3 source terms.

4           The current regulatory requirements, I will  
5 address a little bit more in the following slides. We  
6 looked primarily at the impact of this new information on  
7 source terms or any changes in assumptions would have on the  
8 current staff practice.

9           We took a look at the recent developments. We did  
10 examine the TMI experience, as well as some other accidents  
11 for which we had a little bit more information. In general,  
12 there is very little hard data on accidents, and we found  
13 this to be true for TMI as well.

14           The fission product release information that you  
15 could derive from TMI is virtually inconclusive, by that I  
16 mean, if we look at the staff's calculation of this kind of  
17 an accident.

18           We had published, prior to the accident, of  
19 course, an environmental report which discussed accidents  
20 and supposedly treated them in a realistic way in the safety  
21 evaluation, which of course is done in a very conservative  
22 way, so the values used in these two evaluations very neatly  
23 bracket to the TMI experience on the upper and on the lower  
24 sides, and TMI is somewhere in-between the environmental  
25 statement analysis and the safety analysis.

1           We took a look at how this information would  
2 affect the rulemakings. By that I mean, the rulemakings on  
3 siting, on the minimum engineered safety features, and the  
4 degraded core, as well as the emergency planning  
5 rulemaking.

6           For our technical information in this report, we  
7 relied primarily on the technical bases report that you have  
8 just heard about.

9           Could I have the next slide.

10          In addressing the current regulatory requirements,  
11 we tried to identify the places where source terms from  
12 accidents come into play, and they do affect the whole  
13 concept of the current regulatory requirements, namely, the  
14 defense and depth approach starting from design and going to  
15 the operation of the plant, the siting, and the last  
16 back-up, the emergency planning requirements.

17          On this slide, I have listed some of these  
18 criteria which are on the books or in reports and regulatory  
19 guides, and they are discussed in greater detail in the  
20 report.

21          The one thing that we paid particular attention  
22 to, and which I will refer to later, is the design of  
23 engineered safety features and how this would be affected by  
24 changes in the source term assumptions.

25          As you know, the way in which the staff applies

1 these criteria is to postulate a set of design basis  
2 accidents. If you will look at the next slide, you will  
3 find a description of how one would characterize design  
4 basis accidents.

5           They tended to be conservative, at least we think  
6 they are conservative in the way in which we postulate  
7 them. They are usually non-mechanistic. We don't say how  
8 it happens, we just say that it happens.

9           They are also characterized by looking at or  
10 emphasizing one part of the whole problem, rather than  
11 looking in detail at all the aspects of the problem. So we  
12 have, what I call here, surrogates, and the iodine is one of  
13 those surrogates.

14           We look in great detail, or have a lot of  
15 requirements concerning the calculation of iodine release  
16 and behavior following the accident. For example, when we  
17 consider aerosols, we have none, and that is based on the  
18 assumption that is made that as long as we take care of the  
19 iodine, we will have taken care of protecting against  
20 aerosols as well.

21           The kinds of accidents that we postulate, I have  
22 given a few examples. There are smaller events, like a fuel  
23 handling accident, or a steam generator tube rupture, and  
24 then an upper-bound loss of coolant accident, and even there  
25 we have different loss of coolant accidents postulated.

1 There are some postulated for emergency core cooling design  
2 purposes.

3           The one that I am referring to in this discussion  
4 is the first one, the siting DBA in which we postulate a  
5 release of 100 percent of the noble gases, and 25 percent of  
6 the iodines available for leakage from the containment, and  
7 no aerosols, as I indicated. Of course, we do assume that  
8 the containment stays intact.

9           When we try to now fit this new information that  
10 is available in the technical bases report into this concept  
11 of how we treat accidents, it doesn't really work very  
12 well.

13           We have tried to just look at what would happen if  
14 you substitute cesium iodide wherever elemental iodine  
15 appears, and it does not make sense if you do that, partly  
16 because these accidents are postulated and they are  
17 hypothetical, so that the conditions do not match  
18 necessarily those which would have to exist in order to have  
19 cesium iodide.

20           For example, Mel mentioned that the cesium iodide  
21 would tend to be in an aerosol form, and it would tend to  
22 associate with aerosols in the containment. Well, we have  
23 no aerosols in this accident, so we don't know how to treat  
24 cesium iodide in a design basis accident concept.

25           We very early realized that there was no way to

1 fit this into the existing structure. So what we did was to  
2 look at what you have to do in order to take account of this  
3 new information. This is what you see in the right-hand  
4 column.

5           We realized that you would have to specify a  
6 spectrum of accident conditions, and you would have to  
7 analyze the different accidents, hopefully on a realistic  
8 basis, mechanistically, and you would combine their  
9 importance in a probabilistic method.

10           For the sake of the discussion, we have postulated  
11 five groups of accidents, which are described in greater  
12 detail in the report, which could accomplish this purpose.

13           In this accident spectrum, we could, then,  
14 realistically determine the curies released, the  
15 temperatures associated with it, the oxidation potential,  
16 and so forth, so that we could then determine what the form  
17 of the iodine and the other fission products would be.

18           If we were to consider such an accident spectrum  
19 rather than just a single design basis accident, one obvious  
20 question is what would happen to the engineered safety  
21 features which were designed for that single design basis  
22 accident.

23           We have taken a pretty good look at that, made a  
24 careful examination of that issue.

25

1           On the next slide you see a summary of our finding  
2 on that issue. We have looked at the engineering safety  
3 features that are listed on the left.

4           The slide that is titled "Summary of ESF  
5 Effectiveness," and I believe it is listed in the handout,  
6 sir, if you would look at your papers I will discuss it from  
7 there.

8           There are several engineering safety features list  
9 on the left. We have examined containment of course as the  
10 primary one, the containment spray, suppression pools, ice  
11 condenser and so forth. In each case we have looked at what  
12 would happen and how effective would that system be.

13           COMMISSIONER AHEARNE: How do you measure  
14 effectiveness in this?

15           MR. PASEDAG: The measure of effectiveness is how  
16 well does it perform by comparison over this design basis.  
17 You know, all of them are very effective for the design  
18 basis accident because that is what they were designed for  
19 by definition.

20           So we looked at their effectiveness under  
21 conditions which could go on either side of that design  
22 basis for different accidents in the same category and for  
23 more severe accidents all the way through that spectrum of  
24 accidents that we have discussed which ranges from small to  
25 severe.

1           COMMISSIONER AHEARNE: Some of the accidents you  
2 looked at could be characterized as beyond the design basis?

3           MR. PASEDAG: Yes, definitely. Yes. The other  
4 thing that we looked at was how the effectiveness would  
5 change if we were to assume cesium iodide rather than I,  
6 for example, or if it were to include aerosols in the source  
7 term.

8           Now, I have characterized the effectiveness of  
9 these various engineering safety features and I have given  
10 an indicator here for the range. By that I mean how far can  
11 we go beyond the design basis before this system ceases to  
12 be very effective? So that is what I mean by range.

13          We found that the containment of course is highly  
14 effective. The range is high and this is taking into  
15 account the recent information concerning steam explosions.  
16 Prior to that perhaps the range would be a little bit less,  
17 prior to these recent findings concerning the likelihood or  
18 reduced probability for steam explosions.

19          We found also that containment sprays, suppression  
20 pools and ice condensers are all very highly effective even  
21 if you go beyond their design basis. For example, a  
22 containment spray system is designed to remove iodine, but  
23 it also removes very effectively aerosols, cesium iodide and  
24 any of the other fission products. This would be true  
25 whether or not the containment is entirely effective whether

1 we postulate some containment failure or not.

2           So the range is also very high. We can go way  
3 beyond the design basis and that system will still provide  
4 high protection against the fission products.

5           The same is true for suppression pools and ice  
6 condensers, although these systems were not specifically  
7 designed for fission product removal primarily but heat  
8 removal as the first design basis. Nevertheless, they are  
9 effective and they are essentially passive systems. So  
10 their range again is very high. You can postulate more  
11 severe accidents and they will still function.

12           Some of the other engineering safety features  
13 which we currently have on current plans such as a secondary  
14 containment, the reactor building for example on a boiler,  
15 filter systems in the auxiliary building or main steamline  
16 isolation and our bleed collection systems on boilers, these  
17 we have marked medium in effectiveness in range because they  
18 are effective all right but they treat primarily one leakage  
19 path. If you postulate a different accident that would  
20 bypass that leakage path, then of course they would lose  
21 their effectiveness.

22           The one system that is marked with a low  
23 effectiveness and a low range are internal containment  
24 recirculation filters, charcoal filters that is, which we  
25 have on only a very few of the older plants.

1           These systems are designed for iodine removal and  
2 if you postulate the iodine to be in a cesium iodide form,  
3 for example, then charcoal filters would not be very  
4 effective, of course. So this particular system would not  
5 be effective beyond its design basis. However, that system  
6 is not used by itself. For example, we have a containment  
7 spray system in conjunction with this.

8           So when you take the whole package of engineering  
9 safety features, it turns out that they are quite effective  
10 against fission products other than iodine and for a wide  
11 range of accidents that you could postulate, not just a  
12 design basis.

13           So our findings could be summarized like this.  
14 The current practice of single design basis accidents  
15 postulated for siting and engineering safety feature design  
16 cannot really accommodate the new information that was  
17 generated in a technical basis report concerning source  
18 terms. In order to do that you would have to postulate a  
19 spectrum of fission product releases under various accident  
20 conditions.

21           The current set of the regulatory requirements for  
22 protection against iodine releases has resulted in effective  
23 protection against other fission products as well as I just  
24 described.

25           COMMISSIONER AHEARNE: You say all fission

1 products?

2 MR. PASEDAG: Yes.

3 COMMISSIONER AHEARNE: You are pretty confident?

4 MR. PASEDAG: Yes, because they would be either  
5 aerosols or in a vapor form.

6 I perhaps should be careful there. The one area  
7 where our requirements might have to be re-examined is with  
8 respect to the fission products in the sump water. We have  
9 not postulated any aerosols in the old TID source term  
10 beyond one percent which is assumed to be in the water and  
11 that would have to be re-evaluated.

12 The recommendations which are contained in this  
13 report are summarized on the next slide.

14 The first is that we need to develop a mechanistic  
15 spectrum of accidents and source terms for the future  
16 regulatory requirements in order to take into account the  
17 information that we now have.

18 COMMISSIONER AHEARNE: Well now, how far would you  
19 be planning in that recommendation in carrying this  
20 mechanistic approach, going back to specific failure  
21 sequences and then calculating down the line given this  
22 particular sequence and then this is what kind of a source  
23 term would be expected?

24 MR. PASEDAG: Yes. It is more or less what was  
25 done in this technical basis report. Obviously there are an

1 infinite number of sequences you could postulate so you have  
2 to sort of group them as was done in WASH-1400 and we have  
3 suggested a grouping in this report as well.

4 MR. ROSS: The framework for that work should flow  
5 from the minimum engineering safety features rulemaking.  
6 That would be an ideal time to decide whether the sprays and  
7 filters and other items generally under the umbrella of GSF  
8 need supplemental criteria or whether the existing criteria  
9 are adequate.

10 COMMISSIONER AHEARNE: How are you going to go  
11 about doing this first stuff?

12 MR. ROSS: We had it planned, and when I say "we"  
13 I am referring to the degraded cooling steering group, that  
14 the MESF, the minimum engineering safety features process,  
15 would have to go hand in hand with the long-term rule on  
16 degraded cores.

17 When I say "hand in hand," now whether they are  
18 actually physically part of the same rulemaking process or  
19 whether they are separate but equal in time, I don't think  
20 we have decided yet. We will need a lot of information of  
21 the sort that Mel was talking about on characterization of  
22 fission products, such decisions as if you have an internal  
23 filter which portion of the filter is going to trap what,  
24 and, as Walt said, in terms of the circulating activity,  
25 what is the chemical form and how will it affect pumps

1 outside of containment and simply things like radiation  
2 damage on pump seals and leakage rates if these seals  
3 degrade.

4           We don't have a precise plan. It is more of a  
5 light, a dim light at that at the end of a very long tunnel  
6 that looks like it will be time-wise parallel with the  
7 degraded core rulemaking.

8           COMMISSIONER AHEARNE: Won't this be a fairly  
9 significant major effort?

10          MR. ROSS: I think so, yes.

11          COMMISSIONER AHEARNE: I would think you would  
12 either need to allocate a large amount of NRC staff or else  
13 have some fairly major contracts.

14          MR. MINOGUE: The key first step in this is the  
15 development both by analysis methods and developing analysis  
16 methods and experimental work to get a much better handle on  
17 complex transients and fuel behavior and fission product  
18 behavior.

19          We have in the long-range plan and currently  
20 underway a very extensive experimental program and methods  
21 development program for the various computer codes to deal  
22 with that. That in a sense is input into the risk  
23 assessment work much of which is also going on concurrently  
24 in terms of the developing methodology and the developing  
25 techniques that are coming out of some of these complex

1 analyses of systems. All of this kind of comes together to  
2 get a better handle.

3           The track by which I see this information feeding  
4 into the rulemaking is through the medium of risk  
5 assessment. We are developing the data base and techniques  
6 to apply risk assessment as a tool to make the kind of  
7 decisions that these gentlemen are talking about and  
8 applying it to the design of plants and requirements for the  
9 regulations of plants.

10           COMMISSIONER AHEARNE: Bob, I am missing something  
11 then. That sounds like what you are saying is you have a  
12 research program which has a number of individual pieces  
13 which downstream you can see beginning to mesh together to  
14 give this underlying background.

15           I thought this was perhaps a more specific task to  
16 really develop this spectrum of accidents laying it out in  
17 specific sequence from beginning events and so forth. That  
18 sounds to me like it would have to be some actual contract  
19 or project assigned to a specific group to develop.

20           MR. MINOGUE: A lot of that kind of stuff of  
21 course has been done in the licensing process. These people  
22 have looked at some of the specific sites after TMI.

23           COMMISSIONER AHEARNE: Crystal River.

24           MR. MINOGUE: I was thinking specifically of  
25 Indian Point and Zion. That is a major piece of input and I

1 think it should be recognized as that.

2           Similarly in the nearer term rulemaking on the  
3 siting, it is the same kind of stuff only done in a more  
4 generic basis looking at various accident sequences and  
5 consequence models in terms of demographic capabilities.  
6 That is all current activity that throws light on these  
7 various scenarios. That is done before the longer term  
8 thing that we have just discussed.

9           COMMISSIONER AHEARNE: But is it your intent to  
10 have a specific group either internal or external develop  
11 something that would be this mechanistic spectrum of  
12 accidents and source terms?

13           MR. MINOGUE: At different stages different  
14 people. The immediate answer is yes. In terms of the  
15 siting rulemaking it would be the group to which that is  
16 assigned. Much of the work on that today has been done by  
17 NRR and they farmed a lot of this out to Sandia.

18           I guess in the longer term we haven't quite  
19 reached the stage of deciding exactly how we are going to  
20 implement some of this stuff.

21           COMMISSIONER AHEARNE: I guess what I am  
22 concluding is that you do not intend to have any specific  
23 document or set of volumes and end up saying here we have  
24 gone through all this work and this is now the spectrum of  
25 accidents and the sequence starting from these events and if

1 those events happen these events happen, et cetera, et  
2 cetera.

3 MR. MINOGUE: We may well do that but I don't have  
4 anything like that planned today. It is a very complex  
5 structure that goes over a number of years. In fact, from  
6 the very beginning not only within the staff but from  
7 outside a lot of people commented on the extreme difficulty  
8 to assess such activity.

9 COMMISSIONER AHEARNE: It sounded like a very  
10 major undertaking.

11 COMMISSIONER BRADFORD: This work, incidentally,  
12 really has its basis in the Reactor Safety Study and the  
13 subsequent work.

14 COMMISSIONER AHEARNE: It sounded like it was  
15 follow-on work.

16 COMMISSIONER BRADFORD: Well, in the subsequent  
17 work the IREP questions all focus on this specific issue.

18 COMMISSIONER AHEARNE: Roger, I am not questioning  
19 that there is not a lot of work around that has bearing on  
20 it. This sounded like you had said how we are going to pull  
21 it all together.

22 MR. PASEDAG: Well, my last point there is that we  
23 have been discussing the implementation of these  
24 recommendations in the new rulemakings. We have gone a  
25 little step further. We have looked whether there is an

1 urgent need to do something quickly now, to apply some  
2 Band-Aids here or there, to prevent going off in our own  
3 direction.

4           We find that there is really no urgent need for  
5 any interim measures prior to a consistent implementation of  
6 these concepts through the rulemakings. This is based  
7 primarily on our finding that these past requirements are  
8 inadequate or insufficient, as they may be judged, but  
9 nevertheless have resulted in a pretty good set of safety  
10 features.

11           Now, we thought that you would be very much  
12 interested in the impact of this information on the subject  
13 of emergency planning and Roger Blond is going to address  
14 that next.

15           COMMISSIONER AHEARNE: Before he starts, could I  
16 just put a question to the side. At some point could you  
17 refer me to where in the documents I would find this set of  
18 sequences that would show me that here are the ones with  
19 still the high probability such that they continue to  
20 dominate that are in your third category. You don't have to  
21 do it right now.

22           (Slide presentation.)

23           MR. BLOND: One of the contentions which was  
24 raised at the outset of the questions concerning the source  
25 term was emergency response and the impact that the source

1 term relook would have in this area.

2           The first slide is a slide that was presented to  
3 the Commission in 1978 concerning the emergency planning  
4 basis that was developed in NUREG 0396. At this time we came  
5 to the conclusion that a spectrum of accidents was necessary  
6 to be considered in emergency planning and that we must go  
7 beyond the design basis accidents in developing our  
8 rationale and our basis for the emergency planning questions.

9           As the slide indicates, we included the Class 9  
10 accidents from the Reactor Safety Study explicitly in the  
11 considerations of this issue.

12           As Mel has pointed out, the Source Term Report  
13 essentially verified that there are a spectrum of events  
14 which can go from very severe to relatively benign which can  
15 occur. The assumptions that we have been making in the  
16 past, although there are large uncertainties associated with  
17 them, we still at this point in time have to essentially use  
18 the information that we have used previously and there is no  
19 justification for significantly reducing the source terms in  
20 any substantive manner. The probabilities might change, but  
21 even the probabilities we haven't found to be significant  
22 reductions.

23           Concerning emergency planning we have concluded  
24 the follow:

25           Concerning the zones, the emergency planning zones

1 that were developed as a part of NUREG 0396 and the  
2 considerations that we have seen from the technical bases,  
3 we can't at this point justify any changes to our  
4 requirements.

5           For potassium iodide and the questions that have  
6 been raised in this issue, the question of cesium iodide  
7 versus iodine emphasis that there are other fission products  
8 which must be taken into account in considering emergency  
9 reponses, something that was in fact brought up at the time,  
10 and that comprehensive measures for public protection should  
11 be the premier measures that we focus on such as shelter,  
12 evacuation and respiratory protection.

13           I have an additional slide and if we want to get  
14 into that we can.

15           As part of the emergency planning role, one of the  
16 areas which was developed is the concept of emergency action  
17 level. What we are saying in this area is that there are  
18 instrumentation and diagnosis techniques which could be  
19 impacted by the questions of the source term and that we  
20 must tailor our instrumentation and our diagnostic  
21 approaches to the specific species and environments which we  
22 would find through the spectrum of events.

23           Concerning the rapid public notification system  
24 which has been put into our regulations, we find that there  
25 is nothing that will change the timing and the accident

1 response characteristics that we found from the source term  
2 information and therefore we can't justify making any  
3 changes on that basis either.

4           That summarizes our emergency response  
5 implications.

6           COMMISSIONER AHEARNE: You have something here on  
7 potassium iodide.

8           COMMISSIONER BRADFORD: Yes. To focus a little  
9 more directly on the question of potassium iodide and the  
10 source term, it should be pointed out that potassium iodide  
11 is only effective for iodine and blockage of thyroid and  
12 that it is ineffective for other radionuclides such as the  
13 cesiums and telluriums and rutheniums and for external  
14 exposures which are a dominant pathway which cannot be  
15 dismissed which further emphasizes the need for shelter and  
16 evacuation as very important public protection measures.

17           In addition, the questions of the source term  
18 brings to light that there are relatively simply respiratory  
19 protective measures which can be taken such as placing a wet  
20 towel over your mouth.

21           COMMISSIONER AHEARNE: For how many hours?

22           COMMISSIONER BRADFORD: For the time required. Or  
23 a gauze mask or something along these lines. These would  
24 measures would be more effective in reducing the inhalation  
25 exposures than potassium iodide potentially would be. We

1 would recommend that this be considered in our future  
2 policies. It also emphasizes that there are large  
3 uncertainties in the entire question and we recognize those.

4           Concerning potassium iodide and our current  
5 policy, the iodine/cesium iodide questions don't really  
6 change our perspectives on the issues. Given that you have  
7 iodine we want emergency workers and plant personnel to be  
8 protected and it is not a bad policy to assure that this is  
9 available at the site.

10           We have to assess the adverse impacts of potassium  
11 iodide and this is being done through the FDA and the Bureau  
12 of Rad Health at this time. We need more information on  
13 distribution of approaches and costs associated with the  
14 potassium iodide program.

15           Concerning the reports, what we now hope to do is  
16 publish the Technical Basis Report as in final form as Mel  
17 indicated in the time frame of early June.

18           What we would like to do concerning our regulatory  
19 impact report and NUREG 0771 is publish it for public  
20 comment. We know that there are many issues which we have  
21 raised in the report which we would like to get feedback  
22 on. It really is a report that we have generated and we  
23 need some more response and that is what we would like to do  
24 at this time.

25           The remaining issues or points that are brought up

1 on the slide are those which Mel brought out concerning the  
2 specifics of the updated source terms, et cetera.

3 CHAIRMAN HENDRIE: This is a good place for your  
4 question.

5 COMMISSIONER BRADFORD: Sorry.

6 (Laughter.)

7 COMMISSIONER GILINSKY: Which question is that?

8 (Laughter.)

9 COMMISSIONER BRADFORD: We do have an additional  
10 slide which will focus on the importance of the iodine.

11 COMMISSIONER GILINSKY: That is the one about what  
12 happens if there is no iodine.

13 COMMISSIONER BRADFORD: Yes.

14 In this slide we have tried to indicate very  
15 briefly, and there is one section in the report which goes  
16 into significant more detail, the importance of iodine and  
17 the other isotopes to the question of various consequences  
18 which can occur during these accidents.

19 If we look at iodine concerning the potential for  
20 early fatalities and high doses from very large accidents,  
21 it does play a fairly dominant role. But it again is only  
22 50 percent which is not a very big number if we think about  
23 these things. Given the other isotopes and the concern from  
24 them you will still have to worry about early fatalities  
25 even if there was no iodine.

1           COMMISSIONER AHEARNE: When you say risk here you  
2 are now talking about the probability and the consequences?

3           COMMISSIONER BRADFORD: No, this is strictly  
4 consequences at this point.

5           COMMISSIONER AHEARNE: Assuming which set of  
6 accidents?

7           COMMISSIONER BRADFORD: Again it would be the  
8 whole spectrum.

9           COMMISSIONER AHEARNE: So you are assuming all  
10 spectrum of accidents unweighted by the probability of the  
11 accident?

12          COMMISSIONER BRADFORD: Yes, but in truth they are  
13 dominated by the high release events.

14          MR. BERNERO: Excuse me, Roger. I think it would  
15 be worthwhile to describe how that is done. You are  
16 probability weighting. You are just telling the computer to  
17 take out the iodine and now recalculate the risk profile of  
18 the plant. You look at the effects, early fatalities, and  
19 what happened to the effects after you artificially told the  
20 computer don't count iodine contributions. So it is truly  
21 risk. It is risk. It is probability weighted consequence  
22 with an artificial change that you have made.

23          COMMISSIONER BRADFORD: As you can see in the  
24 slide iodine in some cases plays very little role and in  
25 other places plays a substantial role and for other measures

1 of risk.

2           CHAIRMAN HENDRIE: These calculations have built  
3 into it the sort of assumptions that have been there in good  
4 part since WASH-1400 days. That is, this is the same  
5 calculation that goes out and lays down a lot of other  
6 fission products as a ground deposition layer and in which  
7 you then infer, you know, what sort of people removal  
8 assumptions are in here, for instance.

9           MR. BLOND: Again, that would influence the range  
10 of impact that the specific isotopes would have and what  
11 mechanisms you would allow for the people if you would  
12 evacuate them or whatever. That would influence that range  
13 of events.

14           You will see in this type of order across that  
15 many spectrums of emergency response, for instance. The  
16 iodine does come into play in approximately this type of a  
17 manner. But there are many isotopes, as you have pointed  
18 out, which enter into the calculation.

19           COMMISSIONER AHEARNE: The point I am trying to  
20 make is not that there are a lot of isotopes but rather that  
21 these calculations and the indeed the whole conclusions that  
22 you and Walter are arriving at are that the other isotopes  
23 as well as cesium iodide will in fact behave in the way that  
24 they have been calculated to behave in the models used by  
25 the staff over the past five years.

1 COMMISSIONER BRADFORD: That is correct.

2 COMMISSIONER AHEARNE: One of the propositions  
3 that folks have made to us is that there are in those models  
4 an assortment of assumptions about chemical behavior and  
5 aerosol behavior and what the pathways look like and what  
6 the processes are in the pathways which in total are grossly  
7 conservative.

8 So when you come back and say, well, we have  
9 recalculated and we don't find any basis for change, I am  
10 compelled to say, wait, you have done essentially the same  
11 calculation that we did before. So, you know, you in effect  
12 haven't dealt with the proposition and isn't it time to  
13 re-examine those things.

14 Now, Mel is saying, yes, we are going to look at  
15 those in the research program. Your conclusion is, and you  
16 recognize those things, but your conclusion I must say  
17 approaches the trivial. You did a certain calculation five  
18 years ago and got certain results and said, hey, let's make  
19 some rules on that basis. Now we come to today and we say  
20 let's reconsider that. So you do the same calculations  
21 essentially and get the same results and say, what do you  
22 know, it is the same. I could have told you that three  
23 months ago, Roger.

24 MR. PASEDAG: Dr. Hendrie, I should point out that  
25 in the Technical Bases Report it is not quite fair to say

1 that we have used the same codes and the same calculations.  
2 There was quite an advance in the state of the art of  
3 calculating a fission product transport.

4           CHAIRMAN HENDRIE: I must say that the peer  
5 community I don't think would agree with you that in fact  
6 there has been really the kind of consideration they had in  
7 mind when they recommended the re-examination with regard to  
8 the chemistry, the pathways, the aerosol properties and so  
9 on.

10           Now, you know, nobody is saying that it is there  
11 to be done and you just are negligent in not doing it. I  
12 think there is a recognition that there is a lot to be  
13 learned and so on. I am just saying that, you know, you  
14 don't surprise me with your results, although in some ways I  
15 am a little depressed that one goes ahead and then throws up  
16 slides saying we have recalculated and there is no need to  
17 change.

18           Come on, the bases on which you did the  
19 calculation haven't changed so I wouldn't have expected the  
20 results to change.

21           MR. PASEDAG: I object to that a little bit.

22           CHAIRMAN HENDRIE: There is a trimming in there.

23           MR. PASEDAG: There is quite a bit of trimming.

24 We have taken all of the information into account.

25           CHAIRMAN HENDRIE: You are still projecting some

1 of the dominant sequences to lay down across the land really  
2 splendid layers of material. You know, I have always  
3 thought that those were grossly conservative sorts of  
4 propositions and I still think so.

5           If there is one thing in the world that is tough  
6 to make, by God it is really tough to make an aerosol which  
7 will hang together and go down wind like a vapor. The  
8 chemical warfare people, you know, used to labor just on and  
9 on and on to make aerosols. And guess what? They would do  
10 the pop explosion to create the initial conditions, you know  
11 simulate the bomb dropping and stuff, and all of their  
12 carefully devised schemes would go up in the air and come  
13 down within a hundred yards.

14           You know, it is tough to make an aerosol that  
15 hangs together. Now, that doesn't mean that it can't  
16 happen. It does suggest that the cheerful assumption that  
17 we move to, probably not inappropriately at various stages  
18 in our regulatory process, that you know sort of the worst  
19 can happen and it means that it is fair to look at that from  
20 time to time as technical knowledge progresses.

21           What I guess you are telling me here is that your  
22 look at at least a part of the current literature leaves you  
23 feeling you would like to do some more work before you do  
24 very significant things with the source terms for  
25 accidents. I guess I can't object to that as a proposition.

1 I think also that it is not just source term  
2 chemistry that is involved here. One of the propositions  
3 that in some fashion we have got to work on over time are  
4 those accident sequence and pathway calculations.

5 You know, in WASH-1400 and still the way you  
6 calculate things in the code sequences TMI-2 is a  
7 melt-down. That is that whole range of core damage events  
8 is simply not treated. You lose certain engineering safety  
9 features at low probability, to be sure. You lose certain  
10 engineering safety features and that takes it on over into  
11 melt-down and melt-down then creates these conditions with  
12 aerosols up in the containment.

13 MR. PASEDAG: Well, in this particular study we  
14 did look at the TMI event and other events which would be  
15 say terminated by getting the ECCS to function and so  
16 forth. We did not eliminate them. It is just that they  
17 tend not to be on the upper part of the curve as far as the  
18 consequences go.

19 CHAIRMAN HENDRIE: Well, they tend not to have  
20 high consequences and hence tend not to be a dominant  
21 sequences in the risk. Nevertheless, it surely must be true  
22 that the enormous fraction of core damage sequences fall in  
23 that category rather than in the everything went to hell,  
24 the vessel went dry and you got melt-downs and you have got  
25 these conditions where you would propose that you in fact

1 substantial aerosols out of them. I don't know quite how  
2 that reflects in the calculations these days. I suspect it  
3 isn't really reflective.

4 MR. PASEDAG: In the Technical Bases Report we did  
5 analyze those sequences.

6 CHAIRMAN HENDRIE: Well, you have come to the  
7 conclusion that certain severe accidents, cesium iodide may  
8 result in higher retention of iodine and lower release and  
9 so on.

10 MR. PASEDAG: The thing that is missing here that  
11 we have not looked at is the probability of these events and  
12 that is something, as you point out, that needs to be done  
13 next. We have just looked at the consequences, but we have  
14 looked at all of them, not just the worst case assumptions  
15 but we have looked at a TMI-like sequence and other  
16 sequences as well, some where the ECCS functions or  
17 partially functions, and so forth.

18 COMMISSIONER AHEARNE: What was the result for the  
19 TMI sequence?

20 MR. PASEDAG: In terms of the consequences?

21 CHAIRMAN HENDRIE: Yes.

22 MR. PASEDAG: That very little gets out as long as  
23 the containment stays together. This is the point that Mel  
24 had on his slide. As long as the containment hangs together  
25 we have tremendous attenuation. That is the conclusion.

1           CHAIRMAN HENDRIE: How well do you think it  
2 modeled TMI?

3           MR. PASEDAG: Well, I think we did a reasonable  
4 job in the thermohydraulics area.

5           CHAIRMAN HENDRIE: In terms of the iodine behavior  
6 is what I had in mind particularly.

7           MR. PASEDAG: I think we have done a good job.

8           CHAIRMAN HENDRIE: Does it show much iodine in the  
9 containment atmosphere at some stage or is that an  
10 intermediate result which is available?

11          MR. PASEDAG: I don't know if that is specifically  
12 in the report. I believe it is and, if not, it certainly  
13 can be pulled out of the computer runs which we have made.

14          CHAIRMAN HENDRIE: I see a standing staff member.

15          MR. PASEDAG: Dr. Dennings would have a better  
16 answer to that.

17          MR. DENNING: This is Rich Denning. We did look  
18 at what the airborne iodine concentration would be as a  
19 function of what the assumed chemical form of the iodine  
20 was. In either case, whether it is elemental iodine or  
21 cesium iodide, well, if it is cesium iodide you would expect  
22 virtually no iodine to be airborne in the containment  
23 atmosphere. If it is elemental iodine you would expect a  
24 very small amount.

25          CHAIRMAN HENDRIE: Either of those would be

1 consistent.

2 MR. DENNINGS: Either of those would be very  
3 small. Actually when you look at the amount that was  
4 measured you see probably a higher amount than you would  
5 estimate from an elemental iodine because of the presence of  
6 organic iodine. So that it is a very small amount.

7 Actually you would have a higher amount than you  
8 would actually expect. If you assumed the only form is  
9 elemental iodine you actually have a higher amount because  
10 of the presence of organic iodine.

11 CHAIRMAN HENDRIE: Bob is next.

12 MR. MINOGUE: I would like to make two general  
13 comments on some of the points that you made, Mr. Chairman.

14 First, you ought to recognize that the scope of  
15 the study began with the question of iodine and we extended  
16 it intentionally to look at the other fission products.

17 CHAIRMAN HENDRIE: I understand that.

18 Furthermore, it was a 60-day wonder.

19 MR. MINOGUE: One of the major things that came  
20 out of this is that we must learn a lot more about the  
21 behavior of the other fission products. And as we develop  
22 that better data base, and there is an ongoing program to do  
23 that, we can begin to feed that into the kind of analysis  
24 that you are talking about.

25 The other point I would like to comment on is in

1 the longer term context of the degraded core cooling  
2 rulemaking, it is certainly is our intention to look very  
3 carefully at the whole range of accidents. We are not just  
4 going to focus on the extreme cases where the core melts but  
5 the whole range of accidents that involve any kind of core  
6 or clad damage or activity release in an effort to develop a  
7 better understanding of the phenomenology and a better  
8 understanding of the probabilities of releases.

9 I guess though that the point the staff is making  
10 here is that nothing that came out of this study,  
11 particularly with relationship to the issue of iodine that  
12 was raised would suggest that we need any Band-Aids. In  
13 fact, that is the term that Mr. Pasedag used. Nobody is  
14 suggesting that we don't need to develop a better  
15 understanding of some of these phenomena and develop a more  
16 rational basis for regulation. In fact that is a major  
17 activity that we see being carried under the degraded core  
18 cooling rulemaking.

19 COMMISSIONER GILINSKY: Bob, to what extent are  
20 our assumptions about aerosol behavior backed up by  
21 experimenting?

22 MR. MINOGUE: There has been a lot of experimental  
23 work done on aerosol behavior and I will have to turn to  
24 these gentlemen for a specific answer.

25 MR. SILBERBERG: Commissioner Gilinsky, in the area

1 of aerosol behavior our largest experience is with the dry  
2 aerosols of the type that we have studied for the advanced  
3 reactors, particularly the LMFBR. That is where in this  
4 country and in Europe our aerosol methodology and physics  
5 methodology comes from.

6           We have a very large, if you will, experimental  
7 data base in terms of separate effects test and also in  
8 terms of tests actually in fairly large volumes, certainly  
9 not containment size but getting fairly large, a reasonable  
10 scale that allows you to test the model itself.

11           On aerosol behavior in containment we have our  
12 best knowledge in the dry environment. We are now backing  
13 this up to get it into a steam environment. We are doing  
14 these and the Federal Republic of Germany is doing work  
15 along the same lines. We are using one of their methodology  
16 and in fact we use it in this report.

17           Now, as we move into the regime of the reactor  
18 coolant system we have the problem of thermohydraulic  
19 conditions that now are superimposed and are complex. We  
20 are going into a lot of other dynamics taking place, and it  
21 is the methodology that I noted, what we call the Track Code  
22 being developed at Battelle Columbus which is now trying to  
23 factor in thermohydraulic conditions, the specific vapor  
24 pressure of the various species as well as the aerosol  
25 behavior that we have learned from our contaminant work.

1           We believe we have got the technology to put this  
2 together in the 12 to 18-month time period that I noted for  
3 Commissioner Ahearne for the updating of source terms. We  
4 are going to be bringing these into play. Where indeed  
5 these effects should be dominant and important I believe  
6 that we may show these in those sequences.

7           COMMISSIONER GILINSKY: Where do we stand right  
8 now? In other words, to what extent are our current  
9 assumptions backed up?

10           MR. SILBERBERG: In the reactor coolant system we  
11 are at a much earlier stage. We are just starting to bring  
12 to bear the aerosol methodology under those types of  
13 conditions. So on balance they are not as far along as,  
14 say, the aerosol behavior under containment conditions.  
15 That is where we see the real serious information.

16           As Bob Minough pointed out, the work on severe  
17 fuel damage and the work on the accident sequences will also  
18 drive the input to making those calculations of aerosol  
19 depletion in the primary system, the types that Jim Hendrie  
20 has referred to as the fact that the aerosols may not go much  
21 further. That part of the technology at this point is  
22 weakest.

23           We have a program ongoing that is addressing that  
24 now and very hard. I expect that we will in that 12 to  
25 18-month time frame show from the sequences that are indeed

1 dominant that there will probably be lower releases of  
2 aerosols into the containment but I can't quantify that at  
3 this time.

4           COMMISSIONER AHEARNE: Let me go back to an  
5 earlier question. Roger's point I thought, as very well  
6 characterized by that backup slide that he showed, was that  
7 even if iodine were removed from the calculation you would  
8 still have a lot of serious effects.

9           Your earlier point didn't really depend upon the  
10 significance of removing iodine. I thought the point that  
11 you had made was, and let's see if I have it straight, that  
12 because of some accident sequences we still have to consider  
13 at this stage the release of iodine as essentially unchanged  
14 from what we previously had thought.

15           MR. SILBERBERG: Yes, within the large  
16 uncertainties that we have there, yes, we would say that  
17 they are unchanged.

18           COMMISSIONER AHEARNE: During one of those  
19 interchanges I skimmed Appendix A and I still go back to my  
20 question, and it is not here at least what I was looking  
21 for. Do you have something that would say here is your set  
22 of accident sequences and here is are the rough  
23 probabilities of those sequences and those are the ones that  
24 come in your category three?

25           MR. SILBERBERG: No. We have described a range of

1 sequences.

2           COMMISSIONER AHEARNE: I am looking for something  
3 that would enable me to answer the question which obviously  
4 some of us will be asked.

5           MR. SILBERBERG: We can certainly provide that.

6           COMMISSIONER AHEARNE: The specific question I  
7 would like to be able to have the answer for when asked is  
8 you have looked at this and the NRC staff has done this  
9 Technical Bases Study and they have reached that conclusion,  
10 what is the probability of which sequences which are in this  
11 category three?

12          MR. BERNERO: Mr. Ahearne, you realize of course  
13 that that is going to be plant specific. For a given plant  
14 you are going to have a catalog of accident sequences set up  
15 by some estimate and you will identify that that transient  
16 black-out sequence is dominant in this fashion and that is  
17 one of those dry times.

18          COMMISSIONER AHEARNE: Fine. But you have reached  
19 a general conclusion and the base of that general conclusion  
20 has to have some sort of an envelope that has enabled you to  
21 reach the conclusion that independent of plant specifics it  
22 has still come to bear because it doesn't say that for some  
23 plants. This is just in general.

24          CHAIRMAN HENDRIE: We are ready for the long list  
25 of questions I know you have, Peter.

1 (Laughter.)

2 COMMISSIONER BRADFORD: I wasn't sure John was  
3 finished.

4 (Laughter.)

5 COMMISSIONER BRADFORD: I will save mine for the  
6 affirmation.

7 CHAIRMAN HENDRIE: Do you have any more?

8 COMMISSIONER AHEARNE: No.

9 CHAIRMAN HENDRIE: Vic?

10 COMMISSIONER GILINSKY: No.

11 CHAIRMAN HENDRIE: Let me suggest something to you  
12 as you work forward on these enterprises. Some of these  
13 subjects are ones which take us into technical areas that  
14 not all that many of us have worked in. I would recommend  
15 that this enterprise look about and see if it wouldn't be  
16 useful to you to form an informal sort of advisory and  
17 review group of folks from outside the organization who, you  
18 know, have the appropriate credentials to help you pick  
19 apart what you are doing and make sure it is sound and  
20 suggest things, comment, complain and generally carry on.

21 I know, for instance, that the American Institute  
22 of Chemical Engineers is trying to pull together a review  
23 group in this area of fission product chemistry source terms  
24 of half-way dynamics in the chemistry that goes on in those  
25 conditions and so on. The National Academy is a possible

1 source.

2 MR. MINOGUE: We have established such a group  
3 perhaps with a little narrower scope than you are  
4 describing. This kind of work involves a lot of  
5 experiemental work and there are a number of facilities  
6 available to do it. So the present group has put a little  
7 more of the emphasis on designing an effective program that  
8 will make maximum use of facilities and minimize cost and  
9 use the right kind of facilities for the right kind of  
10 programs.

11 Certainly as we have used this report for seeking  
12 broader input we could broaden the scope of that group or  
13 look to another group that would look for a broader input.  
14 Our thinking is along the same line.

15 CHAIRMAN HENDRIE: One publishes a draft report  
16 and people will comment as they will. The guy who knows  
17 more about the subject than anybody else in the whole world  
18 may have been canoeing when your report comes in and he  
19 comes back and he has got other things to do and you never  
20 hear from him and that is too bad. Whereas if once in a  
21 while, every month or two, why you can get him to stop by  
22 the office and just talk with you about what you are doing  
23 and what you might watch out for and why are you doing that  
24 and so on, why you are able to tap those sources.

25 It is useful both from the standpoint of you

1 having better assurance that you are making reasonable  
2 progress in an efficient way and it is also useful from the  
3 standpoint of allowing some of the really good people who  
4 have an interest in this area to have some ongoing  
5 familiarity with it rather than waiting 18 months producing  
6 your results and then encountering their criticisms.

7           MR. MINOGUE: We are obviously doing this in an  
8 outlooking mode. Obviously what you are describing would  
9 run us right into the Federal Advisory Committee Act which  
10 would begin to impose very severe constraints.

11           Let me give another example.

12           CHAIRMAN HENDRIE: You can always engage paid,  
13 unpaid or partially paid consultants.

14           MR. MINOGUE: Well, you can structure such a  
15 committee with a narrower scope. We have also had a number  
16 of discussions with specific groups that work in the same  
17 areas, specifically the ID Core effort in this same area.  
18 We have opened channels of communication in the context of  
19 the planning and the experimental program and the  
20 fact-gathering part of the activity. We are operating in a  
21 frame of complete cooperation them.

22           CHAIRMAN HENDRIE: You might try to track, and I  
23 don't know who they are, but you might try to track down the  
24 AICHE group.

25           MR. MINOGUE: We will run that down.

1           CHAIRMAN HENDRIE: If they are going to try to do  
2 something in this area, why it is clearly a benefit. They  
3 will end up coming to you anyway and you may find it useful  
4 to reach them before they reach you.

5           MR. MINOGUE: We will run that down.

6           CHAIRMAN HENDRIE: Other comments?

7           COMMISSIONER AHEARNE: I think Joe's suggestion is  
8 something you ought to follow up on.

9           First, I would like to say the problem certainly  
10 was a lot larger than I thought it was when I asked you to  
11 look at it. But, as I think the ACRS has also said, you  
12 have got a very good start on it. It certainly is a very  
13 useful product and has been mentioned, it was a 60-day  
14 wonder. Very good.

15           As you go forward in it you are either going to  
16 run into a situation where there are going to be significant  
17 changes made and there will be a lot of people who don't  
18 think there should have been or you are going to not make  
19 significant changes and there will be a lot of people who  
20 think there should have been.

21           Therefore, Joe's suggestion is well worth  
22 following up on. Having some outside group of people who  
23 are going to be involved obviously in the results and trying  
24 to participate early on in providing their criticism I think  
25 will help us all in the long run.

1                   CHAIRMAN HENDRIE: Thank you very much.  
2                   (Whereupon, at 3:55 p.m., the meeting concluded.)

3   \* \* \*

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

COMMISSION MEETING

in the matter of: Public Meeting - Briefing on SECY-81-240 - DRAFT NUREG  
Reports 0771 and 0772 Relating to Accident Source Term Assumptions

Date of Proceeding: May 21, 1981

Docket Number: \_\_\_\_\_

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript  
thereof for the file of the Commission.

Patricia A. Minson

Official Reporter (Typed)

Patricia A. Minson

Official Reporter (Signature)

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the  
COMMISSION MEETING

---

in the matter of: Public Meeting - Briefing on SECY-81-240 - Draft NUREG  
Reports 0771 and 0772 Relating to Accident Source Term Assumptions

Date of Proceeding: May 21, 1981

Docket Number: \_\_\_\_\_

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript  
thereof for the file of the Commission.

Mary C. Simons

Official Reporter (Typed)

Mary C Simons

Official Reporter (Signature)